

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title:                   Advisory Committee on Reactor Safeguards  
                          Thermal-Hydraulic Phenomena Subcommittee

Docket Number:   (not applicable)

Location:            Rockville, Maryland

Date:                 Tuesday, December 5, 2006

Work Order No.:   NRC-1346

Pages 1-424

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENA

+ + + + +

TUESDAY,

DECEMBER 5, 2006

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. Sanjoy Banerjee, Chairman, presiding.

MEMBERS PRESENT:

- SANJOY BANNERJEE Chairman
- SAID ABDEL-KHALIK ACRS Member
- THOMAS KRESS ACRS Member
- JOHN D. SIEBER ACRS Member
- GRAHAM B. WALLIS ACRS Member

ACRS STAFF PRESENT:

RALPH CARUSO

1 ALSO PRESENT:  
2 STEPHEN BAJORK  
3 BUTCH BURTON  
4 JOSEPH KELLY  
5 JOHN MAHAFFY  
6 MARINO di MARZO  
7 CHARLES MURRAY  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C-O-N-T-E-X-T

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AGENDA ITEM	PAGE
Introduction . . . . .	5
Opening Remarks . . . . .	6
Overview of TRACE Development . . . . .	6
TRACE Model Revisions . . . . .	88
Assessment Results . . . . .	203
Trace Momentum Equation . . . . .	265
Anonymous Letter . . . . .	327
PI Group Ranging . . . . .	374
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

8:31 a.m.

CHAIRMAN BANNERJEE: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Thermal Hydraulic Phenomena. I am Sanjoy Banerjee, Chairman of the Subcommittee. The subcommittee members in attendance are Tom Kress, Graham Wallis, Michael Corradini who seems to be absent and Jack Sieber. Said Abdel-Khalik is participating via video conference for this meeting.

The purpose of this meeting is to review the continuing development of the TRACE thermal hydraulic computer code. The subcommittee will hear presentations by and hold discussions with representatives of the NRC staff, the contractors, regarding these matters.

The subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full committee. Ralph Caruso is the designated federal official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Register on November 15th, 2006. A transcript of the  
2 meeting is being kept and will be made available as  
3 stated in the Federal Register notice. It is  
4 requested that speakers first identify themselves and  
5 speak with sufficient clarity and volume so that they  
6 can be readily heard.

7 We have no received any requests from  
8 members of the public to make oral statements or  
9 written comments. So I think with that, we can now  
10 proceed with the meeting and I'll call upon Mr.  
11 Bajorek of the NRC staff to begin.

12 DR. BAJOREK: Good morning, Dr. Bannerjee.  
13 I'm going to start off in a minute. My name is Steve  
14 Bajorek from the Office of Research, but in order to  
15 give just a brief introduction, Butch Burton, our  
16 Branch Chief, is going to speak for just a few  
17 moments.

18 MR. BURTON: Thanks, Steve. As Steve  
19 mentioned, my name is Butch Burton. I serve as the  
20 Chief of the Code Development Branch in the Office of  
21 Research. Some of you may remember me from awhile  
22 back from my license renewal work. Others I haven't  
23 had the opportunity to meet but I hope to meet you  
24 shortly.

25 I wanted to talk briefly about meeting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 objectives and some introductory remarks. What we  
2 hope to accomplish today is to bring the subcommittee  
3 up to speed on some of the recent activities that the  
4 staff's been engaged in with regard to the development  
5 of the TRACE code and we'll also touch briefly on the  
6 graphical user interface work that we've done with our  
7 SNAP code.

8 Steve Bajorek and Joe Kelly will provide  
9 the lion's share of the information in those areas.  
10 Joe will also be talking about some of the  
11 developmental work we've done with regard to some of  
12 the constitutive models. Throughout the presentation,  
13 one of the things that we'd like to get from you all  
14 as subcommittee members is to identify topics for  
15 future meetings. We recognize that this is going to  
16 really provide sort of an overview and status of our  
17 work, but as we go through, it would be very helpful  
18 to us if you would identify areas of particular  
19 interest or concern that you'd like to have a more  
20 fuller discussion on in the future.

21 Also, as you're aware, it's been almost a  
22 year now that you received the latest of several  
23 issues and concerns that were submitted to you all  
24 anonymously. We responded to you all last March that  
25 we would be addressing those and this is really our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 first opportunity to do that. And in order to do  
2 that, we've asked Professor Mahaffy from Penn State  
3 University to come and join us and he'll be giving a  
4 presentation responding to some of those issues and  
5 concerns. Also as we were preparing for this  
6 briefing, we were informed that there were some issues  
7 with regard to the momentum equations and their  
8 development and application. So Dr. Wallace, we hope  
9 to address some of those issues for you today also.  
10 And again, Professor Mahaffy will be discussing those.

11 Finally, we'll also be providing a  
12 discussion to you with regard to some of the scaling  
13 distortion issues that have been of issue and concern  
14 recently. A little bit of history; as many of you  
15 know, TRACE development really began in the mid to  
16 late '90s. The driver for that was at the time we had  
17 several thermal hydraulic codes, TRAC-P, TRAC-B,  
18 RELAP-5, all of which were being developed, assessed,  
19 maintained, in parallel as well as a neutronics code  
20 and in the mid-'90s there was a decision that for  
21 efficiency sake, we would try to consolidate those.  
22 The work has progressed more slowly than we would have  
23 liked and there have been a number of reasons for  
24 that, some of which is that some of these legacy codes  
25 had challenges that we had not anticipated and that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 had to deal with.

2 We have a relatively limited staff to  
3 address some of the developmental issues. In fact, in  
4 terms of the actual staff, lead staff on this, we  
5 really have five people. In addition to Steve  
6 Bajorek, who provides overall technical direction, we  
7 have Joe Kelly, who is basically the lead in model  
8 development; Joe Stoddermeyer, who is involved with  
9 deck development and numerics; Chris Murray who is  
10 involved with configuration control and has developed  
11 a number of tools to help with efficiencies, and  
12 Chester Gingrich, who is our lead with the graphical  
13 user interface work.

14 In addition to those leads, we had a very  
15 limited support staff of junior engineers who have  
16 really been coming on very nicely and very recently,  
17 and when I say recently, within the last couple of  
18 months, we've brought on new staff, primarily folks  
19 out of school but some with some experience and we're  
20 hoping to develop them over the next couple of years  
21 to join our staff which will allow for much more in-  
22 house work, much more of the work to be done in-house  
23 and with the associated reduction in resource  
24 commitments.

25 MEMBER WALLIS: Butch, can I ask you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something now?

2 MR. BURTON: Certainly.

3 MEMBER WALLIS: We recommended in our  
4 research report that TRACE becomes the tool for the  
5 agency. We recommend TRACE should actually become the  
6 mature code used by the agency all over the place and  
7 we wanted to see it mature and you say it's going to  
8 be universal documentation in 2007, but what was sent  
9 to us to review seemed to be a hodgepodge of all kinds  
10 of stuff. What I want to review is a draft final  
11 document, not a hodgepodge of stuff which I have to  
12 figure out - not even dated. I don't even know  
13 whether some of the documents are old or new or what  
14 they are. That's not very helpful to us.

15 MR. BURTON: We understand, and let me  
16 respond to that. We are -- right now we are working  
17 very hard to try to get an executable version of the  
18 code to NRR by the end of this year, basically by the  
19 end of this month. And in doing so, and in working  
20 with some of the other problem areas, the  
21 documentation has fallen behind but we have made a  
22 commitment to try to get some of the supporting  
23 documentation, including the theory manual, the  
24 assessment report, things like that, we expect to have  
25 that issued by March of 2007.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But you are correct, what you initially  
2 received was not the most organized and comprehensive  
3 version of the documentation. But as you'll see  
4 during our presentation here, that is going to be our  
5 -- has been and will continue to be a priority for us  
6 and we hope to have all of that together by the end of  
7 March. And in terms of future topics, again, as you  
8 listen to the presentation, if that is an issue that  
9 you would like for us to get into, you know, in  
10 further detail, at that point, we would be more than  
11 happy to do that.

12           MEMBER WALLIS: Well, when you say  
13 "issue", is it going to be issued in final form and  
14 how can you have -- I mean, you're going to have a  
15 peer review and an ACRS review. Is this going to be  
16 issued for public comment or something or when is it  
17 going to be final?

18           MR. BURTON: Okay, well, let me go back to  
19 some of the initial issues that you had brought up in  
20 your review of the research program earlier. We  
21 recognize and we agree that the documentation is  
22 absolutely essential even to support the peer review  
23 and that's why you see in the one bullet about the  
24 peer review being conducted and it's going to be done  
25 in later 2007 and early 2008.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:    But suppose the peers  
2                   come back and say there's a problem with it?  You  
3                   can't issue a code for use and then have the peers  
4                   tell you that parts of it are no good.

5                   MR. BURTON:  Okay.  One of the things that  
6                   we'll be discussing today is some of the assessment  
7                   results and one of the things -- we recognize that in  
8                   terms of the chronology of how these things are  
9                   unfolding, it may not be the way we would like, but  
10                  the NRR staff, they have been looking for the TRACE  
11                  code to support some of their reviews for the advanced  
12                  -- the certification reviews, specifically for ESBWR.  
13                  So we have really tried to prioritize our work in  
14                  order to support them in what they need.  So what we  
15                  plan to do is to provide to them an executable version  
16                  of the code with the user guide.  And the user guide  
17                  actually is in pretty good shape at this point.  As  
18                  we get the documentation together, we are going to  
19                  provide them with the support that they need in -- you  
20                  know to answer questions, things like that as we get  
21                  the documentation together.  I don't want to steal  
22                  Steve's thunder but we do have plans to provide that  
23                  support.  Later on, and you're right, you know, as  
24                  they perform the peer review, if there are areas that  
25                  need to be addressed, we will certainly address them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but what we plan to provide to the NRR staff to  
2 support their review is a code that we have been able  
3 to go through. We know where the strengths are with  
4 the code and we also know where the problem areas are  
5 with the code. And in our discussions, in our  
6 consultations with NRR, as long as they can understand  
7 where it works and where there's still areas for  
8 improvement, they can deal with that. That's sort of  
9 the understanding that we've reached with them. But  
10 we know that we are playing catch up with the  
11 documentation. That's why we really tried to schedule  
12 the complete the schedule the completion of the  
13 documentation along with the peer review, provide the  
14 funding and the resources we need to support that over  
15 the next year or so and again, we think that all of  
16 that will come together appropriately a little bit  
17 later on.

18 But some of the issues and concerns that  
19 you're raising are valid and in the presentation we  
20 will try to address those.

21 MEMBER SIEBER: How valid is the  
22 information that you folks provided us on this tape or  
23 this CD. This has a user's manual, has a theory  
24 manual, has a source code and a bunch of other  
25 documents. Can I rely on this or should I believe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that I've wasted some of my time reading it or how  
2 should I interpret this?

3 MR. BURTON: Boy, you all are really ahead  
4 of here, but Steve, did you want to speak to that?

5 DR. BAJOREK: I think the best way to  
6 describe the documentation right now is a preliminary  
7 draft that we're working on so that we can begin this  
8 peer review in the first quarter or thereabouts in  
9 2007. The documents that you have now is the best  
10 document that we have available right now to represent  
11 the theory manual, the state of the assessment, the  
12 user guide and some of the other issues that we hope  
13 to deal with today, which are related but not directly  
14 -- do not direct impact the --

15 MEMBER WALLIS: Well, can I ask you about  
16 that? I turned to theory manual and what I got was  
17 something from LANL dated July 2000, which said  
18 nothing about the integration of RELAP into TRAC. It  
19 was all about TRAC. It said nothing about TRACE  
20 whatsoever and it said it didn't have the capability  
21 to model BWRs. And it's nothing like the final  
22 version. Why did we get something that's six years  
23 old?

24 DR. BAJOREK: When we first set up this  
25 meeting, our objective and goal was to have that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 theory manual in draft from some time in November. As  
2 Butch mentioned, in order to get the code in a  
3 releasable form by the end of December, we did run  
4 into some problems over the last quarter of this year.  
5 Most of the staff has been working to resolve that  
6 problem in order to meet NRR's objective and goal to  
7 be able to assess the ESBWR.

8 CHAIRMAN BANNERJEE: What were these  
9 problems?

10 DR. BAJOREK: As I'm going to describe,  
11 what we are attempting to do is to run some 500  
12 different assessment cases all with a frozen code. As  
13 we go through this rather large assessment matrix,  
14 we'll invariably find some cases which fail, some in  
15 which we aren't satisfied with the results and that  
16 causes us to stop, go back, change the code and then  
17 redo the assessments. We thought we had it. We  
18 thought we had it pegged back in August or September.  
19 There were a couple of cases notably I think it was  
20 UPTF, for ECC Bypass that was suddenly giving us some  
21 very peculiar results. I think that Joe Kelly is  
22 going to talk a bit about the wall and the frictional  
23 drag models today and he noted that there were some  
24 problems as they were being applied in the down comer.  
25 We've been making those changes. We think at this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point, we're very close. We think that now we're  
2 going to be able to get all of the assessment in the  
3 state that it is producing reasonable results and that  
4 all of these cases run through. We feel that our  
5 primary goal is to make sure that when we present the  
6 code to NRR, it's reasonably robust, that all of those  
7 highly ranked processes, especially for ESBWR are  
8 well-represented in the code and are giving us  
9 reasonably good assessment. But that has held us up.

10 I think that in the overall approach that  
11 many people take to code the code development,  
12 documentation slips behind because you're always  
13 waiting to get that final model fixed. Until you are  
14 satisfied with that, in some cases, there's the  
15 feeling that it's not worth writing up some of the  
16 models because you may well have to change those.

17 CHAIRMAN BANNERJEE: Do you document quite  
18 well inside the code itself?

19 DR. BAJOREK: I would say that right now,  
20 most of that documentation is within the code itself  
21 and in the developer's draft sets of notes. Our goal  
22 between now and February, March, April when we hope to  
23 have that complete, is to get all of that updated into  
24 a completely new theory manual.

25 Now, the 2000 education that was put out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be NANL, some of those sections will still apply. The  
2 two sections in which we are making major revisions,  
3 the section that discusses the closure models will  
4 essentially be entirely rewritten. At least 75  
5 percent of those have been changed and we'll talk  
6 about some of the reasoning behind that as we go on  
7 with the presentations today.

8           There have been some additions in some of  
9 the sections that talk about the code feature. The  
10 section on the field equations has been revised  
11 substantially. But at this point, even though we have  
12 made those revisions, they weren't in the shape that  
13 we could release to this committee in time for this  
14 meeting.

15           MEMBER WALLIS: It seems to me you need  
16 a peer review now because the way it's presented is  
17 really to the insider, who knows the history of these  
18 codes and what's going and you really need to present  
19 it in a way that the outside world can understand.

20           DR. BAJOREK: We hope to have it --

21           MEMBER WALLIS: But some expert who is  
22 not in the field but knows a lot about fluid mechanics  
23 and computation, looking at this thing, doesn't decide  
24 it's some strange animal but actually says that it's  
25 a useful thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BAJOREK: We agree. we see this as  
2 the document that's going to begin the peer review.  
3 We expect to give this to a peer review committee and  
4 we expect them to find some things that they don't  
5 like, some problems and deficiencies that eventually  
6 need to be corrected. Our view of the code  
7 development process is that you need to start  
8 somewhere. We need to issue the code. We need to  
9 identify what we think are the problem areas, begin  
10 this process of the external and the peer review, and  
11 then continually improve the code over the future to  
12 address some of those things that both we, you and the  
13 peer review committee see as being the most vital  
14 things that we need to get correct.

15 CHAIRMAN BANNERJEE: You know, in the old  
16 days when all these codes were being developed, the  
17 peer review group which was then the Advance Code  
18 Review Group, went hand in hand with development. I  
19 don't recall how useful they were but for some of the  
20 constituted equations of closure relationships I think  
21 they were very useful. Why was that process stopped?

22 DR. BAJOREK: I guess I really can't  
23 answer that one. since I've been with the NRC, that  
24 part of the process has not been there.

25 CHAIRMAN BANNERJEE: But it seems at least

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you carried a group of pretty eminent fluid  
2 dynamitists and computational people along with you  
3 and depending on how much time they put in, you've got  
4 valuable feedback or maybe less valuable feedback  
5 because it was done on a continuous basis. So you  
6 were never sort of introverted; whereas here there's  
7 always a possibility that you become introverted, you  
8 pick your own favorite correlations or whatever. I'm  
9 not saying that's what you do, but without actually  
10 subjecting it to some external sort of criticism.

11 What Graham is saying is the peer review should be, I  
12 think, I don't want to paraphrase it, a part of the  
13 process and not just something done right at the end.

14 MEMBER WALLIS: I'm also thinking it's  
15 too bad that George Batchler isn't around any more but  
16 you've got to be able to respond to the sort of  
17 criticism that he would give you even though it may  
18 not be appropriate. It may be that he's being too  
19 persnickety and academic and all that kind of stuff  
20 but you still have to respond to the sort of thing  
21 that a guy like that would have said about some  
22 aspects of this. And there are still people like him  
23 around. I think you ought to invite some of them to  
24 comment.

25 CHAIRMAN BANNERJEE: Well, in particular,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 his counterpart you might think of as Andy Akrovous.  
2 And Andy is now retired, living happily now in  
3 Stanford, left City College. He works at more than  
4 normal --

5 MEMBER WALLIS: So he knows that the West  
6 Coast is more congenial than the East.

7 CHAIRMAN BANNERJEE: Right, but  
8 nonetheless, it's people like that you want involved  
9 who are not part of the sort of mafia here, you know,  
10 who only talk to each other and write their little  
11 equations or large equations or whatever, follow their  
12 own numerical methods and hope for the best.

13 DR. BAJOREK: All I can say is, your point  
14 is well-taken. We believe that with the issue of the  
15 code and this documentation, we can start to integrate  
16 that process into our code development. We'd be  
17 interested in your suggestions on people who could do  
18 this task.

19 We've talked about some names among  
20 ourselves. We don't want to mention them here in this  
21 meeting just to avoid any contracting difficulties.

22 CHAIRMAN BANNERJEE: One of the things  
23 with the previous peer review group that you had was  
24 that they were not so-called industry insiders. You  
25 know, they were not Los Alamos people or Idaho people,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or people who have been in this and doing the thing.  
2 They were people like Garrett Burkhoff or Peter Lacks,  
3 you know, Abe Duckler or like that and I think you  
4 should strive for that same level of people rather  
5 than somebody who's written a quote in Idaho and make  
6 conjoin. You know, keep those -- really make it a  
7 peer review, I mean, an external review.

8 DR. BAJOREK: Okay, we will certainly  
9 attempt to try to accommodate that. As far as the  
10 individual makeup, we'll have to work on that. I  
11 would have to think that when it comes to getting  
12 people who are working on these codes, we may have a  
13 question or a problem with independence in that a lot  
14 of the people who are in the business of this large  
15 scale LOCA code development have either some  
16 association with the NRC or some of the people that we  
17 regulate and we have to make sure that we keep those  
18 two groups apart in this case.

19 MEMBER WALLIS: Let me ask you, who are  
20 the users? You talked about NRR. This code is going  
21 to be available outside? I mean, it's going to be  
22 available to anybody who wants them for free?

23 DR. BAJOREK: It will be made publicly  
24 available, yes.

25 MEMBER WALLIS: So it might be used in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course in a university? And you don't want to  
2 students to say, "How can you do that", when they see  
3 certain parts of this document. It's got to be  
4 something that is robust when it gets into those sorts  
5 of hands.

6 MR. BURTON: Yeah, let me speak to a  
7 couple of issues that you've raised. First of all,  
8 you are absolutely right, the peer review of the code  
9 has to be better integrated right from the beginning.  
10 A big part of this -- and to speak more broadly to  
11 some of the things that you're bringing up is that the  
12 code has to be credible with the users. And right  
13 now, for many folks RELAP-5 is the code of choice.  
14 And just internally amongst the staff, we've discussed  
15 how are we going to market the code and kind of  
16 overcome those what we call barriers to entry.

17 And a big part of that is the credibility  
18 of the code. It's got to be able to do what RELAP-5  
19 does at least as well, if not better and more user  
20 friendly, a number of different issues, but the  
21 credibility issue is key to integrating this into both  
22 the staff as well as people beyond the NRC.

23 And one of the -- we do have user groups.  
24 We have the -- if you're familiar with the CAMP  
25 Program, the Code Application Management Program,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which involves primarily, actually RELAP-5 users all  
2 over the world. And we meet twice a year and what we  
3 found at the last meeting which was in November, is  
4 that they are starting to exercise the TRACE codes.  
5 they're doing a lot of comparisons between RELAP-5 and  
6 TRACE and in many instances, they're finding favorable  
7 results, not in all, but that's also one of the ways  
8 that we begin to get the code into user's hands and to  
9 begin to get feedback and areas for improvement,  
10 identified bugs to be fixed, things like that. But,  
11 yeah, our intention over the next year or two is to  
12 really market the code, but in order to be able to  
13 market it credibly, we do have to have that  
14 documentation in place and we do need to have the peer  
15 review. And we do recognize that one of the weak  
16 areas is it would have been much better to integrate  
17 that peer review right from the beginning and have it  
18 all along. We weren't able to do it for this version  
19 for a number of reasons, but as we begin to develop  
20 subsequent versions, Version 6, 7 and 8, we want to  
21 try and integrate the peer review right from the  
22 beginning. And the issue is identifying those people  
23 that are truly independent and have the technical  
24 expertise that can really add value to that.

25 DR. BAJOREK: I want to make sure we do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 keep the code in context. Our primary user for TRACE  
2 and really any of the tools that we develop over here  
3 is NRR and other groups within the agency. Their  
4 mission is to be able to use this code to do audit  
5 calculations of the Westinghouse, the AREVAs, the GE's  
6 their applicants in order to look at new and advanced  
7 plants and changes to those conventional plants.

8 So our marching orders are generally to  
9 try to make sure that we can be -- we can supply the  
10 tools that they need in order to do their regulatory  
11 functions. It is not our goal to produce the best,  
12 state of the art LOCA tool so that it can be used at  
13 universities or by the international groups. We'd  
14 like to do that. In fact, we do have this code in use  
15 at a few universities and we'd like to encourage that,  
16 that actually --

17 CHAIRMAN BANNERJEE: What's the difference

18 DR. BAJOREK: The difference is that the  
19 applicant's code and their analysis is the analysis of  
20 record. We like to try to maintain rigor, that is  
21 about consistent with what the applicants are  
22 providing but we do not -- we don't feel that we are  
23 required to lead the state of the art. We want to  
24 make sure that our models capture the important  
25 phenomena and can handle the features which are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 necessary for some of the plants, you know, some of  
2 the new things which are in the advanced plants. This  
3 helps us ask the right questions to the applicants.  
4 It helps us understand whether their codes, which  
5 represent the analysis of record, truly capture the  
6 phenomena. So there is a -- kind of a gray area in  
7 how far we can actually advance this code to be the  
8 state of the art compared to where the industry and  
9 our applicants, applicants to the staff go.

10 MEMBER WALLIS: I think you need a  
11 careful introduction to this code, and the code is  
12 going to be tuned with these 500 assessments and  
13 that's going to be proof of the pudding that with its  
14 defects that it still works for your needs, but it may  
15 well not work for oil wells or biochemical reactors or  
16 a whole lot of other things for which people would  
17 like to use a code like this because it's been very  
18 much focused your applications.

19 DR. BAJOREK: Well, these codes, I think  
20 you can say that about TRACE, RELAP, the various  
21 flavors of TRAC. They're semi-empirical in nature.  
22 No matter how detailed you want to make your numerics,  
23 your nodalization, various features, you ultimately  
24 have to go back to the closure relations for heat  
25 transfer, wall friction, interfacial friction. Those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are based on mainly subscaled experiments and because  
2 of that there are going to be uncertainties associated  
3 with your analysis.

4 MR. CARUSO: Steve?

5 DR. BAJOREK: Yes.

6 MR. CARUSO: One area that -- I don't know  
7 if you're thinking about this but as we go to more  
8 risk informed regulation, the risk analyses are  
9 founded upon analyses, reactor analyses about how the  
10 machine actually behaves, not how risky it is, but how  
11 the water flows and how the heat gets transferred.  
12 And is it your intent that this code will be used to  
13 support probabilistic risk assessments? Because if  
14 that's the case, then it has to be much more realistic  
15 maybe than you're describing.

16 DR. BAJOREK: It certainly has to be  
17 realistic. And we're working in that direction. I  
18 think it's mainly to the degree at which we really  
19 consider this to be the state of the art that we have  
20 to be careful, that's all.

21 CHAIRMAN BANNERJEE: What do you mean by,  
22 you said that two or three times that it won't be  
23 necessarily state of the art.

24 MR. CARUSO: What won't it do? And will  
25 people who are trying to remodel the behavior of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant know when they go places they're not supposed to  
2 go with this code?

3 DR. BAJOREK: Yes, we're going to try to  
4 be very explicit in what the code can be used for and  
5 what it can't be used for.

6 MR. CARUSO: I mean, if you hand it over  
7 to a PRA person who doesn't understand even what heat  
8 is just about, they'll just run the computer code and  
9 they'll believe the numbers the way they believe the  
10 numbers that come out of their PRA calculations. So  
11 if the code is telling them something which is  
12 physically impossible because it's been driven beyond  
13 its capabilities, what are they going to do with this?

14 DR. BAJOREK: Hopefully, they aren't using  
15 it in that type of a manner. We think there is some  
16 maturity that needs to be there on the part of the  
17 user in order to apply a code like this. So hopefully  
18 they aren't using it as a black box.

19 MR. CARUSO: The history of the other code  
20 shows that they are misapplied.

21 DR. BAJOREK: Hopefully, yes.

22 CHAIRMAN BANNERJEE: Well, I suppose some  
23 of this will become clear as we go on, right, what are  
24 the limitations and where it can be applied, where it  
25 can't be applied. Though I must say that it's hard to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 read about the code when the last document we can  
2 reference is in the year 2000.

3 DR. BAJOREK: We agree, we agree.

4 CHAIRMAN BANNERJEE: So I don't know how  
5 much feedback you really want from us if we don't have  
6 an up to date document to review. I think you will  
7 get much better feedback once we have your draft  
8 manual or whatever, manual. Anyway, why don't we --

9 MEMBER WALLIS: Well, I would try writing  
10 the --

11 MEMBER SIEBER: Well, let me ask just a  
12 couple more questions. If some vendor were out there  
13 writing this code and wanting to submit it to the NRC  
14 for approval as a code of record, you would require of  
15 that vendor more than you're requiring of yourself; is  
16 that correct? For example, I understand you don't  
17 plan to do V and V.

18 DR. BAJOREK: I'm sorry, I couldn't hear.  
19 We have a plan to do V and V?

20 MEMBER SIEBER: Yeah, do you?

21 DR. BAJOREK: Yes, we do, yes. There's a  
22 rigorous procedure that's used to put models into the  
23 code to check those out and then these some 500 cases  
24 then represent, you know, a test then of the code and  
25 the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: And so you'll be able to  
2 determine from that work what the range of  
3 applicability of the code is. Will you be able to  
4 meet most of the other requirements that you would  
5 place on others to qualify this as a code of record?

6                   DR. BAJOREK: Yes, we think so. I think  
7 the big difference is if a -- let's say an applicant  
8 were to take TRACE and want to use this for their  
9 safety analysis, they would have to submit this to NRR  
10 and it would have to go through the rigorous type of  
11 code review that has been done for the other  
12 evaluation models. Now, at this point, we hope to get  
13 a lot of that same type of questions, raising of the  
14 issues, from the peer group but TRACE will have not  
15 gone through that formal application process to  
16 designate it as an evaluation model that an applicant  
17 would typically do.

18                   MEMBER SIEBER: But it will be documented  
19 that you did the work, right?

20                   DR. BAJOREK: Yes.

21                   MEMBER SIEBER: Okay, I think that's  
22 important because if you intend to put this code out  
23 as an available public document and people begin to  
24 use it, you end up with a problem. I think if  
25 something goes wrong whatever application that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 somebody might make of that, you have an obligation to  
2 do a rigorous job of authenticating your code.

3 MR. CARUSO: I have seen licensees take  
4 NRC codes, misapply them and then file Part 21 reports  
5 against the NRC for the code because they claim that  
6 the code was deficient because it didn't work in the  
7 application they wanted, although the NRC that  
8 developed it said it wasn't intended for that use.

9 MEMBER SIEBER: Well, I guess my --

10 MEMBER ABEL-KHALIK: Can I ask a question?  
11 Excuse me. I'd like to go back to the issue of being  
12 state of the art. Let's say you're going to be 100  
13 percent successful in your plans and the question then  
14 is, if I were to compare the capabilities of your  
15 completed code against the capabilities of the codes  
16 that we had when you started in the mid-'90s or late  
17 '90s as you state, are there any advancements beyond  
18 the capabilities of the collection of codes that were  
19 available at that time?

20 DR. BAJOREK: There are in terms of the  
21 model corrections that we've made to TRACE and some of  
22 the newer refinements we've put in there to model the  
23 advanced codes, I mean, excuse me, the advanced  
24 plants. I believe about a year ago, we had a  
25 presentation to describe the modeling for condensation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 processes. These were some models that were not in  
2 the code previously and give us the ability to model  
3 things like the PCC heat exchangers in plants like the  
4 ESBWR and some of the drywell processes that go on the  
5 ESBWR scenarios.

6           However, you should keep in mind that the  
7 code consolidation process that began in the late `90s  
8 was to consolidate the features of the TRAC-B, the  
9 TRAC-P, the RELAP and the RAMONA. It was not intended  
10 to improve upon the constituent models. The idea was  
11 to consolidate those features, put them into a new  
12 code, originally called TRAC-M, that gravitated or  
13 evolved into TRACE, and once we have everything into  
14 that code, now being TRACE, that is when we would  
15 start to improve those constituent models based on  
16 deficiencies and problems we see in the code and  
17 things that we've learned from tests that we've done  
18 at Oregon State, Penn State in the RBHT program, UCLA  
19 in the sub-cooled boiling.

20           We think we have a fairly good idea on  
21 what those models and problem areas are in the code.  
22 That's going to be the next step. But I think I would  
23 not characterize the main intent of the consolidation  
24 process to improve those individual models. That's  
25 coming up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Thank you.

2 DR. BAJOREK: Which did you want to --

3 MR. BURTON: I think we're well into it  
4 now.

5 DR. BAJOREK: Okay. Okay, let me just  
6 sort of to finish off maybe things we haven't touched  
7 on. One of the things that we do want to hear from  
8 the committee are what are those topic areas that you  
9 feel are most important within development of some of  
10 the codes like this. You've made it very clear, you  
11 don't have the documentation, but if you did have that  
12 in front of you right now all together, the assessment  
13 manual itself is over 1600 pages, the theory manual  
14 probably not quite that size. There's --

15 MEMBER WALLIS: I don't really need 900  
16 pages. If I don't like the first 20, then I begin to  
17 say what am I doing with this document, you know.

18 CHAIRMAN BANNERJEE: To give you an idea  
19 for CATHARE, I can get a pretty good idea of what's in  
20 the code, out to solve it and almost everything useful  
21 in about 20 pages and they write peer reviewed papers  
22 so they have to have that discipline.

23 MEMBER WALLIS: Yeah I was going to  
24 suggest that someone try to write that sort of short  
25 document which explains what the code is and what it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 does and what it sets out to do.

2 DR. BAJOREK: Well, Ralph, I think I've  
3 sent e-mails to Ralph that I think what might serve  
4 this committee best in the long run is really a series  
5 of technical papers, those articles six to 15 pages  
6 that either go into some of the details or describe a  
7 particular phenomena and how it's modeled, how it's  
8 assessed. You know, I agree with that. I think  
9 that's the most efficient use of your time.

10 MEMBER WALLIS: Yeah, but if you  
11 described what does TRACE do, how do you -- it's  
12 designed to analyze reactor transients, amongst other  
13 things. Okay. So what's a reactor look like? It  
14 looks like this and we're going to divide it up into  
15 various control volumes which we call nodes and they  
16 look like these various shapes, and we're going to  
17 write some equations which approximate what happens in  
18 those control volumes.

19 But then if you start writing down a whole  
20 lot of differential equations with grad divs and  
21 scrolls and things in them, that's nothing to do with  
22 how you model the control volume. So I immediately  
23 have a -- it's a disconnect between what I think  
24 you're applying it to and what you're writing down as  
25 a fundamental theory. Now, that's a very fundamental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing and I'm sort of surprised it's still there like  
2 that, that someone hasn't clarified what's going on.

3 CHAIRMAN BANNERJEE: Well, the message  
4 anyway is that things which are not incredibly wrong,  
5 I mean, 900 pages is hard to digest but I think you  
6 can put it together in much shorter documents which we  
7 can read, or any reviewer can read. So you could see  
8 the sort of thing that CATHARE has done. They've  
9 published in decent journals, I wouldn't say they're  
10 outstanding. I would prefer to see you publish in a  
11 little bit higher quality journals like Journal of  
12 Fluid Mechanics or Physics of Fluids, but if worse  
13 comes to worse, Nuclear Engineering and Design will  
14 do. It must be properly peer reviewed and not by your  
15 buddies and not just by the editor, you know. It  
16 should go out and be peer reviewed and then that would  
17 be fine, if it gets through that at least. That's the  
18 first minimal set of requirements.

19 DR. BAJOREK: Okay, two other things that  
20 we want to take care of in this meeting. This  
21 committee has received several anonymous letter  
22 raising some concerns in TRACE. John Mahaffy is here  
23 today to talk with you about some of those and  
24 hopefully resolve the issue.

25 Another issue that we've --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:   How much attention do you  
2                   give to these anonymous letters?  It seems to me  
3                   there's a great deal of attention given to anonymous  
4                   letters, perhaps more so than to comments from this  
5                   committee.

6                   DR. BAJOREK:  No, I don't think that's  
7                   necessarily true.  We take the committee's comments  
8                   very seriously and we try to address those as best we  
9                   can.  The anonymous letter I think originally when we  
10                  put this together it came across as like an  
11                  allegation.  So I think from the beginning, there's  
12                  been a treatment of this that has been somewhat  
13                  special.

14                  MEMBER WALLIS:  Maybe if I want to effect  
15                  you guys, I should go away and write an anonymous  
16                  letter, which I've never done in my life and never  
17                  intend to do.

18                  CHAIRMAN BANNERJEE:  Maybe it is your  
19                  anonymous letter that they located.

20                  MEMBER KRESS:  You could change your name  
21                  to anonymous and they'd think you were great there.

22                  CHAIRMAN BANNERJEE:  Okay, carry on.

23                  DR. BAJOREK:  Okay, and finally, what we  
24                  would like to talk about is the issue of, I think it's  
25                  been termed pi group ranging.  This was an issue, a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concern that was raised originally back in the time of  
2 AP1000 review. There are a number of different  
3 scaling evaluations that were proposed in almost  
4 across the board. Everyone said, well, if pi group  
5 is between .5 and 2, it was acceptable outside, it was  
6 unacceptable. There really wasn't a basis for that.  
7 We want to talk about that issue, propose a  
8 methodology that helps to define, you know, what is  
9 that acceptability for --

10 MEMBER KRESS: You're going to convert  
11 those numbers into some sort of level of uncertainty  
12 associated with the thing, is that the approach?

13 DR. BAJOREK: More like a level of impact.  
14 In one way what happens when you look at the  
15 importance and the range, acceptable range of the pi  
16 group, you start really getting into CSAU. You want  
17 to know whether -- if something is totally deficient,  
18 you know, a scaling group maybe it's three or  
19 something that you would have said, but if you put it  
20 in your model and if you put it in your code, or if  
21 you look at it in an experiment, did it really have an  
22 impact. What Marino di Marzo is going to describe  
23 this afternoon is a way of developing a relatively  
24 simple model for the process, doing a ranging of those  
25 important scaling parameters determine whether the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things which are within --

2 MEMBER KRESS: So a sensitivity analysis  
3 on the pi groups.

4 DR. BAJOREK: I think that's probably the  
5 best way of describing it.

6 MEMBER KRESS: That might work but you'd  
7 have to do that for each case almost.

8 DR. BAJOREK: But that's why I mean why  
9 you're starting to get closer to CSAU, okay, but we'll  
10 move into that.

11 MEMBER WALLIS: You've got to be careful  
12 about taking these pi groups too seriously. I mean,  
13 if you have say a pipe connected to a vessel, a  
14 dimensionalist group is the length of the pipe  
15 compared with the damage of the vessel, right?

16 Okay, now suppose that I have a pipeline  
17 running across Canada transferring oil from Alaska to  
18 Winnipeg or something, it doesn't make much sense to  
19 take that length and compare it with the size of the  
20 vessel that's going into and say I've got a pi group  
21 but you can. It doesn't make sense to try to  
22 duplicate that in an experiment, that sort of ratio  
23 and yet it is a pi group. So you've got to be careful  
24 that you've picked the right sorts of parameters to  
25 measure the scaling to make some sense.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN BANNERJEE: Well, I guess when  
2                   the idea of pi groups was developed, it was to see the  
3                   effect of these non-dimensional groups on some  
4                   specific parameters such as core inventory of coolant  
5                   or something like that which had the most impact. So  
6                   what I hope will be addressed in your meeting will be  
7                   how these facilities -- because they always relate it  
8                   to facilities, and the use of facilities to provide a  
9                   data base to validate and allow for scale-up using  
10                  quotes and we've always had a great deal of concern  
11                  with these facilities which are not full height, in  
12                  particular and have severe distortions and the reason  
13                  for that has been different phenomena are important in  
14                  different transients, different parts of transients.  
15                  So we didn't see easily how some sort of one-quarter  
16                  or one-third height facility could meet the  
17                  requirements for all phases of the accident. Could be  
18                  one and pi groups sort of showed us that this didn't  
19                  happen as well if you did it right. So I'd like to  
20                  see the arguments because all the NRC facilities, as  
21                  I can see, are quite distorted.

22                  MEMBER KRESS: The other thing is with  
23                  sensitivity analysis, one quite often sees each say pi  
24                  group, if you're doing those, done one at a time. I'm  
25                  pretty sure that the sensitivity of one pi group will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depend on the value of another pi group. And you have  
2 to figure out some way to deal with them as a group.  
3 We'll wait to see what Professor di Marco tells us.

4 DR. BAJOREK: Okay.

5 MEMBER ABEL-KHALIK: I'd like to just  
6 backtrack for a moment, if I may and so that I can  
7 understand the process by which this development is  
8 working. The people who are developing the models,  
9 are they the same people who are doing the coding?

10 DR. BAJOREK: In some cases they are. In  
11 general, however, the people who are developing the  
12 models are giving that suggested coding over to a  
13 person who is a little bit better at the software and  
14 they put those models into the TRACE code.

15 MEMBER ABEL-KHALIK: Now, is this transfer  
16 process from a model developer to a coder, documented?

17 DR. BAJOREK: Joe or Chris, I guess I'd  
18 have to ask you guys as to how the documentation is at  
19 that particular step.

20 DR. KELLY: Joe Kelly from Research and  
21 the first thing I would say is that -- well, when I  
22 give my presentation on the constitutive models, I can  
23 talk about that a little bit more, but we didn't  
24 really -- we don't have a lot of model development  
25 work going on. It's been more model remediation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Remember, the focus of this was code consolidation but  
2 what -- and I am primarily the model developer. Most  
3 of the models that have been changed have been done by  
4 me.

5 In some cases, I have gone ahead and done  
6 the coding myself and then handed it off to someone  
7 else to do the testing. In other cases, I've written  
8 a document explaining what I thought the model should  
9 be and why I thought it should be that way and then  
10 handed that off to a junior co-developer for  
11 implementation and that was just a matter of being  
12 more effectively using my time, and then the other  
13 staff member would do the implementation and the  
14 testing.

15 So was it documented at that time, yes.  
16 Has that document necessarily been kept in an archive,  
17 no. What would then be archived would be what the  
18 person that did the implementation. He would prepare  
19 a software design and implementation document. And  
20 that would capture some of what I gave him but then  
21 also the programming details and the testing that he  
22 did when he put the model into the code.

23 MEMBER ABEL-KHALIK: But isn't there a  
24 standard QA process for large code development that  
25 requires sort of a paper trail from -- you know, even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       though you call it minor tweaking in the models, it is  
2       still a modification of the model to the point where  
3       somebody writes lines of code and making sure that t  
4       his process is done as the model developer wants it to  
5       be done. And it just seems kind of too ad hoc to me,  
6       the process by which this code is being developed.

7               DR. BAJOREK: As we go along, the notes  
8       are retained. We keep these on a website that --

9               MEMBER WALLIS: I support what SAID is  
10       saying. I have some experience with the TRAC code.  
11       The TRAC code evolved and then trying to figure out  
12       what it was and why things were in it the way they  
13       were was almost impossible because there wasn't this  
14       paper trail.

15              MR. MURRAY: This is Chris Murray from the  
16       NRC Research and I'm the code maintainer, so I have a  
17       close hand with the QA process. If you want to see  
18       our QA process, it is documented. There is an LO  
19       number we can, you know, send you to see what that is.  
20       There are actually two code QA documents that sort of  
21       govern the development of the TRACE code. The first  
22       is a general software quality assurance for thermal  
23       hydraulics codes that was written by I think Frank  
24       Odar back in 1999 or 2000.

25              One of the aspects of that document

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dictates that for each code we develop a code specific  
2 QA plan and that document exists. It was written by  
3 Vince Musoe and Simon Smith back at the time this  
4 process started. And that sort of outlines how we go  
5 through a development process from the developer  
6 writing a software requirements document to then -- in  
7 a test plan, to then writing a software design and  
8 implementation document and submitting all those to  
9 NRC for review at each step in the process.

10 And once the coding has been developed,  
11 that comes into the code custodian, that's me. I  
12 review to make sure all the necessary pieces are  
13 there. Part of that they write a sort of HTML web  
14 page that describes the model or the change that was  
15 made. If it's a new model, then there's some  
16 description usually and in some cases, you know, when  
17 Joe mentioned about writing these model descriptions  
18 that's part of the package and usually just a link to  
19 the pdf or something like that. But there's a summary  
20 of th update, what changes were actually made in each  
21 sub-routine with a description of what changes were  
22 made, whether any model or rather documentation  
23 changes that needed -- had needed to be made and then  
24 describe what the verification testing was and what  
25 the test results were for those -- for that particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 update.

2 And that all goes onto a TRACE development  
3 website. It's an internal sort of website that only  
4 our contractors and NRC staff have access to and you  
5 can see the whole history from Day 1 Version 3 of  
6 TRAC-M through Version 4.1 or 2.9 something for TRACE  
7 at this point. You know, some thousand some updates  
8 or whatever. And so there is a clear history and all  
9 of those updates do go into a version control system  
10 so you can go back and see exactly what changed from  
11 step to step. And we've presented on that before.  
12 some of the new members may not be aware of that  
13 process but that -- and the validation side of VNV  
14 comes in from that assessments.

15 MEMBER WALLIS: I wasn't trying to say  
16 that you were doing a bad job but I was saying how  
17 important this job was and it had to be done right.

18 MR. MURRAY: I was trying to address the  
19 other gentleman's comments.

20 MEMBER WALLIS: All right.

21 DR. BAJOREK: I'm going to go through --  
22 we've actually done a pretty good job of racing ahead  
23 for some of the -- some of the slides I have here but  
24 let me just hit on a couple of these briefly. Just in  
25 terms of the code development process, up until about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2003/2004 most of the work had been going into  
2 consolidating the code. At that time it was called  
3 TRAC-M, modernizing, going from older versions of  
4 FORTRAN to FORTRAN-90, making it -- setting the code  
5 up so it would be easier to change and maintain in the  
6 future.

7 MEMBER WALLIS: How -- what does  
8 consolidation mean? If you're consolidating RELAP  
9 with TRAC, is it that they have exactly the same basis  
10 in which case there's not much consolidation required  
11 or if they have something fundamentally different  
12 about how they're based, I'm not sure how you  
13 consolidate it.

14 DR. BAJOREK: Well, the first --

15 MEMBER WALLIS: I don't understand what  
16 consolidating two codes means and just what kinds of  
17 things do you have to do to consolidate?

18 DR. BAJOREK: Well, there's two things  
19 that need to go on. First you need to consolidate all  
20 of the features and things that one code can do into  
21 a common platform, TRACE, okay.

22 MEMBER WALLIS: But they have the same  
23 base but then some can do some things and some can do  
24 others. You can just sort of incorporate all of the  
25 things they can do into this new code, by adding them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in presumably, but if they have something which is  
2 fundamentally different about how they solve things or  
3 how they formulate things, I don't know how you  
4 consolidate that. Is there no problem of that type?  
5 Is it just adding in another correlation or something?

6 DR. BAJOREK: No there was a selection  
7 process they had to go through in order to come up  
8 with models for TRACE. In most cases, those models  
9 did come from the TRAC series of codes. However, they  
10 did have to be implemented in a way that they could do  
11 the --

12 MEMBER WALLIS: Can you give an example  
13 of how TRACE is better than TRAC, because of something  
14 that came from RELAP?

15 MR. MURRAY: TRACE species tracking, TRACE  
16 species tracking was one aspect, I think that TRAC  
17 didn't have that RELAP had on multiple non-condensable  
18 gases, modeling non-condensable gases.

19 MEMBER WALLIS: Add-on things.

20 MR. MURRAY: There is add-on. You know,  
21 TRAC only had the concept of a T component and RELAP  
22 had sort of a branch with multiple side junctions.  
23 And that was something --

24 MEMBER WALLIS: TRAC has multiple side  
25 junctions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: Now, a single cell can have  
2 more than one side junction. That's something that  
3 RELAP had that TRAC didn't have.

4 MEMBER WALLIS: Maybe that should be said  
5 up front in the documentation. So TRAC had the  
6 ability to handle multiple junctions that RELAP did  
7 not have?

8 MR. MURRAY: No, RELAP did but TRAC did  
9 not.

10 MEMBER WALLIS: Okay. And what do they  
11 do with weird shaped junctions? Was one better than  
12 the other?

13 MR. MURRAY: I think we'll get into that  
14 later.

15 MEMBER WALLIS: Later on.

16 CHAIRMAN BANNERJEE: Let's avoid it right  
17 now.

18 MEMBER WALLIS: Okay, I'm just trying --  
19 I'm still not quite sure. It looks as if it was very  
20 easy. You simply said something that RELAP could do,  
21 multiple gases or something which stick it into TRAC  
22 and everything is easy.

23 CHAIRMAN BANNERJEE: A lot of this --  
24 correct me if I'm wrong, Steve, was associated with  
25 the fact that you wanted the final product to be able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to run on decks and so on that had been generated say  
2 for RELAP-5 in the past, so you --

3 MEMBER WALLIS: So it's input.

4 DR. BAJOREK: There's a lot of work had  
5 gone on to developing those facility models and plant  
6 models with RELAP. We needed to be able to preserve  
7 that. So TRACE had to be able to largely take those  
8 legacy decks as we call them, read those in and still  
9 be able to do the simulations, incorporate all of the  
10 features.

11 CHAIRMAN BANNERJEE: Are these mainly  
12 legacy decks with RELAP-5 or were there some with TRAC  
13 as well?

14 DR. BAJOREK: Some with TRAC as well.  
15 Some of the TRAC-B decks had a different format than  
16 what TRAC-M or TRACE now uses. So there was a  
17 conversion process that had to be done for some of  
18 those TRAC-B decks. That, however, was less onerous  
19 and difficult than porting over the RELAP decks.

20 Now most of the work for doing that  
21 conversion of the decks is done with the SNAP input  
22 processor or the SNAP graphical user interface, as  
23 I'll talk about later. That's actually proven to be  
24 fairly difficult to get everything to translate over  
25 from RELAP over to TRAC -- or to TRACE, excuse me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have a project ongoing right now, where  
2 we are taking the plant decks that NRR is most  
3 interested in and we are running that through SNAP,  
4 then running TRACE calculations in order to make it  
5 more of a turnkey operation, so that the users, the  
6 analysts in other places of the agencies don't have to  
7 become experts in SNAP or TRACE in order to do their  
8 jobs.

9           CHAIRMAN BANNERJEE: Can you give us a  
10 rough idea of what fraction -- you were showing this  
11 program, what fraction of this went into say  
12 developing something that allowed you to -- things  
13 like SNAP and what fraction went into actually doing  
14 the closure relationships or making sure they were  
15 compatible, bringing them together?

16           What amount of effort went into the  
17 numerical part, so let's say the physics, the numerics  
18 and the pre and post processing. So if you took those  
19 broad categories, how would you have split this and  
20 some of it, I imagine, into validation and assessment  
21 as well. Make that five.

22           DR. BAJOREK: In terms of just the overall  
23 weighting and resources, I think if you go back to pre  
24 -2000 --

25           CHAIRMAN BANNERJEE: Put the slide back up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 because your slide vanished.

2 MALE PARTICIPANT: That's all right, he'll  
3 get it. They're all together.

4 DR. BAJOREK: Thank you. I think if you  
5 go back to the 1998 to 2003, it was virtually all  
6 divided between software development for TRACE and the  
7 rest of it probably in the development of the SNAP  
8 processing. It's basically a software project.

9 CHAIRMAN BANNERJEE: And what do you mean  
10 by software development for TRACE?

11 DR. BAJOREK: Modifying the code, doing  
12 that conversion to FORTRAN-90, updating the structure,  
13 really putting the code together. Okay, assessment  
14 and applications at that time were -- there were some  
15 going on but that effort was fairly small, so --

16 CHAIRMAN BANNERJEE: You started with  
17 TRAC, right?

18 DR. BAJOREK: Right.

19 CHAIRMAN BANNERJEE: In 1990 there was a  
20 FORTRAN-90 version of TRAC. Okay, so why did you have  
21 to do so much work with FORTRAN 90 at this point?  
22 TRAC already existed, right?

23 DR. KELLY: TRAC existed but at that point  
24 it would have been in FORTRAN-77 and also would have  
25 had a lot of stuff in it to make it work on a CRAY

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 computer, which by the time we started this program  
2 really didn't exist any more. The consolidation, it's  
3 kind of foggy here but there's really two things. It  
4 depends on which code you're talking about.

5 TRAC-P and TRAC-B shared the same base  
6 code. Now, to give boiling water reactor capabilities  
7 to TRACE what we would do is actually import a model  
8 from TRAC-B, something like for example, the jet pump,  
9 and basically, just bring the coding over and then, of  
10 course everything did have to go into FORTRAN-90  
11 because at that point everything was in 77 or even  
12 earlier, but for RELAP-5 and ROMONA, that was  
13 something different. I'll talk about ROMONA first.  
14 That was a thermal hydraulics code and a neutronics  
15 code all built together. Instead what we did was  
16 incorporate the capability. We took a modern reactor  
17 kinetics code, that's the PARCS code, and built an  
18 interface between TRACE and PARCS so that we could run  
19 the two concurrently.

20 That allowed us to recover the capability  
21 of doing three dimensional reactor kinetics  
22 simultaneously with the thermal hydraulics. For RELAP  
23 the idea was not to bring RELAP models and stick them  
24 inside of TRACE, but to make the TRACE code have the  
25 same calculational capabilities as the RELAP-5 code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Up until the time of this consolidation, TRAC-P was  
2 the agency's large break LOCA analysis code. RELAP-5  
3 was the agency's small break LOCA analysis code. And  
4 that was pretty much the division between the two.

5 Well, you know, some of the models are  
6 different but a lot of it is, you know, very similar.  
7 And so the idea is, if the TRAC models are good, they  
8 should be able to do a small break LOCA just as well  
9 RELAP-5. It turns out some of the models weren't so  
10 good and you'll see some of that when you see my  
11 presentation.

12 And so as we went through the assessment  
13 process, we've tried to identify which models needed  
14 to be replaced. In some cases, we may take a model  
15 direct -- you know, constitutive model directly from  
16 RELAP or another code, like for example, CATHAR, and  
17 bring that into the TRACE code. And so I'll talk a  
18 little bit more about that when I get to my  
19 presentation.

20 CHAIRMAN BANNERJEE: CATHAR made a  
21 significant effort to make the equations hyperbolic  
22 which you don't seem to have done. Why did you make  
23 that decision?

24 DR. MAHAFFY: Can I make a comment on  
25 that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 If you look at CATHAR and how they made it hyperbolic,  
2 there's not a strong physical basis to begin with, all  
3 right. There's some mathematical tricks that  
4 mathematically say it's hyperbolic. If you go back to  
5 the old paper by Bruck Stewart and Bur Windruff I  
6 think was involved in it at one point, what they  
7 showed was for the size of meshing that you use  
8 typically in reactor safety and well below that, it's  
9 not a practical issue. So that rather than put some  
10 non-physical terms in there to please some  
11 mathematicians, we just left it as is.

12 We had not seen throughout the history of  
13 this code and its predecessors, problems with the non-  
14 hyperbolicity simply because of the numerical  
15 implementation.

16 CHAIRMAN BANNERJEE: Yeah, CATHAR, of  
17 course, in some areas is physical.

18 DR. MAHAFFY: Yes, but --

19 CHAIRMAN BANNERJEE: Did you incorporate  
20 all the physical ones?

21 DR. MAHAFFY: The one zone where it's  
22 definitely physical is if you're looking at what  
23 happens in horizontally stratified flow, right, and we  
24 have that. That's there.

25 MEMBER WALLIS: You have no mass term for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instance?

2 DR. MAHAFFY: We do not use that at mass  
3 term. We've addressed that here before and I'll talk  
4 about it later on.

5 CHAIRMAN BANNERJEE: Is this something  
6 which -- let me -- there is no not invented factor  
7 showed, right?

8 DR. MAHAFFY: This -- we have tried to be  
9 inclusive of, you know, everything that is appropriate  
10 balancing it with time considerations and level of  
11 effort for this.

12 DR. MAHAFFY: So if you release a bubble  
13 in in an invicit (phonetic) fluid, you'd get an  
14 infinite acceleration in your code?

15 MEMBER WALLIS: If the bubble has no  
16 mass.

17 DR. MAHAFFY: Well, a bubble does have  
18 mass but --

19 MEMBER WALLIS: No, it doesn't  
20 necessarily. It may have a very, very, very, very,  
21 very, very low mass.

22 DR. MAHAFFY: It's very small. No, you're  
23 right, you'll get the wrong accelerations. No, I'll  
24 concede that. You still have value terms that  
25 interplay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:   Well, I want to go back  
2                   to my question about consolidating.  When I read this  
3                   TRAC, I find in the numerical methods there's a  
4                   mysterious W which is a weighting factor for some sort  
5                   of averaging which is presumably twiddled.  Then  
6                   there's a mysterious beta which is some sort of a  
7                   weighting factor to make things more or less implicit  
8                   in handling velocity.  There's a SETS method, which is  
9                   somewhat difficult to follow.  There are various other  
10                  things like conserving convected momentum and stuff.  
11                  Is that all comparable with RELAP or did RELAP do it  
12                  some other way and why did you choose this way rather  
13                  than the RELAP way?

14                  DR. MAHAFFY:   The SETS method is -- exists  
15                  in both codes.  In RELAP they call it nearly implicit.  
16                  In TRAC, I'm the guy that invented that circa 1978, so  
17                  I --

18                  MEMBER WALLIS:   So the betas and the W's  
19                  are also in RELAP, are they?

20                  DR. MAHAFFY:   I can't attest to that.  I'd  
21                  have to go back and look at their documentation to see  
22                  how much of that --

23                  MEMBER WALLIS:   But there's nothing in  
24                  TRAC that tells you why it's done this way.  They  
25                  simply say this is it.  They don't have a sort of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 paper trail that says the beta was put in and this is  
2 some sort of a pedigree for using this beta approach  
3 which is verified in some way.

4 DR. MAHAFFY: If you read deeply enough  
5 into the TRAC documentation, if you go back to the  
6 Journal of Computational Physics article on SETS what  
7 you will find is that beta is -- you can regard it as  
8 semi-empirical. It is there simply because it makes  
9 the behavior of the code more robust in certain  
10 situations when boiling is present.

11 MEMBER WALLIS: There are questions asked  
12 and if I read the document, it says beta is there,  
13 okay, when the nodes are all in a straight pipe and  
14 all the same size, maybe you can handle it with a  
15 certain W and beta and so on, but if the nodes have  
16 different sizes, there's no explanation about how you  
17 then start weighting your averaging. So there's a  
18 whole lot of questions I have about this stuff and we  
19 can't spend all the time. But did this come from  
20 RELAP or did it come from TRAC or is it --

21 DR. MAHAFFY: Most of that stuff is from  
22 the TRAC side of the --

23 MEMBER WALLIS: No insight that you got  
24 from how RELAP does this stuff?

25 DR. MAHAFFY: Oh, no, I understand what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RELAP does. RELAP's near implicit method is based --  
2 and this is something I tried out circa 1978, RELAP's  
3 flavor of this methodology is driven by the fact that  
4 you have the virtual mass terms in your momentum  
5 equation and that forces you to order your equations  
6 in a certain way if you're going to solve them  
7 smoothly. Once you remove the virtual mass terms or  
8 neglect to ever put them in, then the particular  
9 formulism that you have in sets is from a  
10 computational standpoint more efficient. That's what  
11 drives that. If you would like to pass on your  
12 specific questions after reading through that --

13 MEMBER WALLIS: No, I'm just trying to  
14 figure out how you took these two codes and  
15 consolidated them and preserved the best features of  
16 both and I got the impression that you simply went  
17 with TRAC.

18 CHAIRMAN BANNERJEE: That probably is the  
19 truth. Your developer was from TRAC and therefore,  
20 you went with TRAC.

21 MEMBER WALLIS: That's the answer.  
22 That's the answer. I don't need any more. I just  
23 need to know that, that's all.

24 DR. KELLY: Okay, at the time -- this is  
25 Joe Kelly again. At the time that we started this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 program, I was the team leader, so I can address how  
2 we made those decisions. We had three options  
3 available to us. One was starting with a brand new  
4 code, writing it from scratch and then trying to bring  
5 in the best of all of the extent codes.

6 Option number two was start with RELAP-5  
7 and then build into RELAP-5 everything we needed to do  
8 to consolidation. And number three would have been  
9 starting with TRAC-P. My favorite was starting with  
10 a new code because I didn't want to live with the  
11 problems that --

12 MEMBER WALLIS: So you started with TRAC.  
13 It's all based on TRAC.

14 CHAIRMAN BANNERJEE: You wanted to start  
15 with --

16 DR. KELLY: Right, right, and for good  
17 reasons that path wasn't followed. There was very  
18 high risk and a potential for a much higher cost. So  
19 that brings us to using either RELAP-5 or TRAC as a  
20 base. And at that time -- well, there is three  
21 reasons why we selected TRAC over RELAP-5 at least to  
22 the best of my memory, okay, because this was a few  
23 years ago now.

24 The first is that TRAC had a working  
25 three-dimensional capability; whereas in RELAP 5 at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that time, the three-dimensional capability was very  
2 much experimental and completely untested. Whereas in  
3 TRAC it had existed from the beginning of the TRAC  
4 code and had been well-assessed during the time of the  
5 CSAU program.

6 The second one was that the numerics in  
7 TRAC were much more robust than in RELAP-5 as far as  
8 -- especially with the SETS method when you want to  
9 run with time steps that are beyond the KARANT  
10 (phonetic) limit which you really need to do for small  
11 break LOCA or for these passive plants. So those were  
12 the two reasons, and the third had to do with  
13 leveraging funding, if you will because the Department  
14 of Energy and Naval Reactors had already committed to  
15 do the modernization of the one-dimensional components  
16 in the TRAC code. So we could build upon their effort  
17 and only have to fund the modernization of the three-  
18 dimensional.

19 So as best I can recall, those were the  
20 three primary reasons that we selected TRAC instead of  
21 RELAP-5 as a starting point.

22 CHAIRMAN BANNERJEE: Let me ask you, Joe,  
23 RELAP was more sort of used for small break LOCA's,  
24 right? Yet, you say that the TRAC methodology  
25 numerically was more robust for the small break LOCAS.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is today RELAP-5 used in industry still more for the  
2 small break LOCAS than TRAC?

3 DR. KELLY: Well, you said "used in  
4 industry", so I can address that from one particular  
5 standpoint because I worked for Siemens for awhile  
6 before it became Framatome and then AREVA. They have  
7 their own version of RELAP-5 called S-RELAP-5 and it's  
8 descended from RELAP-5 Mod 2.5 whereas the current NRC  
9 code is 3.3, I believe. They've had that code in-  
10 house and done their own development work over a  
11 number -- a fairly large number of years. And they're  
12 responsible for doing the assessment and making sure  
13 that the code works. Then, as you know, they did a  
14 best estimate large break submittal and did the -- you  
15 know, the end certainty methodology, et cetera, and  
16 presented it here. Likewise, they have an evaluation  
17 model approach for small break LOCA.

18 Now, I assume at some point that will  
19 become a best estimate but an evaluation model is both  
20 the code and how the code is applied. And then how  
21 the code is applied is a lot of different assumption  
22 about what occurs in the transient and what the  
23 initial states of the plant are and that was approved  
24 by NRR as well.

25 So it's different. You know, the RELAP 5s

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are different.

2 CHAIRMAN BANNERJEE: You mean the solution  
3 methodology used in S-RELAP is different from the  
4 RELAP 5 or --

5 DR. KELLY: To the -- I don't think it has  
6 the nearly implicit scheme. They have -- they've  
7 modified -- they've had the code in-house for 15 years  
8 or something. So over that period of time, it has  
9 grown up in their own environment, and you know, the  
10 development paths have been different since that point  
11 in time.

12 CHAIRMAN BANNERJEE: What sort of scheme  
13 do they use now numerically?

14 DR. KELLY: I know there's --

15 CHAIRMAN BANNERJEE: I should know, but  
16 I've forgotten, it was so long ago they came out.

17 DR. KELLY: I know they still have the  
18 semi-implicit. I don't remember if there's any kind  
19 of partially implicit scheme at all. I simply don't  
20 remember. It's -- you know, when I was there, I  
21 worked on the assessment of the physical models for  
22 large break LOCA and I don't remember the numerics,  
23 I'm sorry.

24 CHAIRMAN BANNERJEE: Anyway, so  
25 historically, whether for better or worse, you picked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 TRAC and that's what was done. And therefore, the  
2 basic structure of the code and numerical schemes are  
3 to a large extent what was in TRAC-P at that time.

4 DR. KELLY: Yes.

5 DR. MAHAFFY: Can I interject something  
6 here? The key word that I just heard was structure  
7 and that's not the case. Understand that we have been  
8 using an evolutionary programming approach. TRAC was  
9 a convenient place to start but we were operating  
10 under three guidelines from on high. The code had to  
11 be easy to read, easy to maintain and easy to extend.  
12 Neither RELAP5 nor TRAC were particularly easy to  
13 read, okay. You're nodding your head, you've been  
14 there and tried to do that. Have we succeeded  
15 completely, no, but it's a lot easier. I can give  
16 examples of graduate students mucking around in these  
17 various codes and I can tell you TRACE is a lot easier  
18 for a novice graduate student to work with. But, you  
19 know, this code has evolved. As you've noted, I'm an  
20 old TRAC developer. This is not TRAC any more. It's  
21 something else. Inside the data structure is totally  
22 different. The computational flow is different. You  
23 will recognize bits and pieces of code if you really  
24 knew it. They're still there but it's part of what  
25 Joe talked about. You know, do you write a new code

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from scratch or do you evolve a new code? And we went  
2 with the evolution. I think in terms of verification  
3 capabilities, it's proven to be a pretty good course.

4 DR. BAJOREK: Okay, I'm going to try to  
5 move ahead quickly here to get us back on schedule.  
6 Since about 2003, to answer your original question, it  
7 has moved more towards assessment in terms of where  
8 most of our resources that fixing those models which  
9 you're finding deficient. In the future, we thing  
10 more of that work is going to be on the model  
11 development and assessment end of things, kind of  
12 getting back to where we really want to be in making  
13 the code better.

14 What it's applicable to --

15 CHAIRMAN BANNERJEE: Do you want to go  
16 back to that previous slide?

17 DR. BAJOREK: Do I want to?

18 CHAIRMAN BANNERJEE: Let's get the answer  
19 to the question in my mind at least. In the early  
20 days, you spent a lot of time making a sort of  
21 software so that different decks could run on the same  
22 code, RELAP could be used on TRAC, I mean, TRACE and  
23 so on. And that sort of finished, when about 2000?

24 DR. BAJOREK: About 2003.

25 CHAIRMAN BANNERJEE: Oh, 2003.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BAJOREK: 2003.

2 CHAIRMAN BANNERJEE: Now, you've got a  
3 code which has sort of got a --

4 DR. BAJOREK: Now, we essentially -- at  
5 that time we had what I like to think of as basically  
6 a new code and then we need to assess that to see how  
7 well it works. Notice one thing that is --

8 CHAIRMAN BANNERJEE: It's not frozen  
9 though.

10 DR. BAJOREK: Not necessarily frozen  
11 because we were continually finding things that needed  
12 to be fixed. One of the things that you'll note that  
13 was absent really from the CSAU work that was done in  
14 1989, 1990 up through 2003. There was virtually no  
15 assessment done on TRAC which was the base for this --  
16 for much of what we were working on.

17 So when we started the initial assessment,  
18 2002, right about the time the consolidation was  
19 completed, we found many models that needed to be  
20 fixed in order to make the code run with the  
21 assessment matrix, which now has grown to where it  
22 needs do to TRAC-P, TRAC-B, RELAP all of those cases  
23 simultaneously.

24 At that time is when we found that, hey,  
25 many of the models, many of the closure models, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had been put into TRAC-M and TRACE needed to be  
2 revised and that's kept Joe Kelly very busy here over  
3 the last two, three, four years. I think that --

4 CHAIRMAN BANNERJEE: That's post-2003.

5 DR. BAJOREK: Post-2003. Today with  
6 revision of many of those models, completion of much  
7 of the assessment and keep in mind there was a lot of  
8 deck conversion that had to be done for the assessment  
9 cases as well, we're now at the point where we can do  
10 the assessment, look at the models, go back and see  
11 whether they are good enough in order to move forward.  
12 So I would say that at this point, most of our  
13 resources are being spent on assessment, maybe 60, 70  
14 percent, the remainder on SNAP development,  
15 refinement, and fixing the models in TRACE as we find  
16 those to be problematic.

17 CHAIRMAN BANNERJEE: When is the code  
18 going to be frozen in some version or has it already  
19 been frozen now?

20 DR. BAJOREK: We have frozen it a couple  
21 of times over the last couple of months. By the end  
22 of this week, actually I think the team, we're going  
23 to meet and hopefully agree upon what we call the next  
24 release candidate and send it through this batch of  
25 500 assessments. When we did that last month, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 found a couple of problems that needed to be fixed.  
2 We are hoping that with this next round of revisions,  
3 the code can be rigidly frozen. That is what will  
4 become TRACE 5.0 and then we can completely move on to  
5 finishing the documentation.

6 CHAIRMAN BANNERJEE: Now, will you have  
7 gone through the verification procedure that the  
8 equations in the code are actually the equations that  
9 are supposed to be there, independent verification and  
10 this sort of stuff? This was an issue raised in one  
11 of the anonymous letters.

12 DR. BAJOREK: The line by line review type  
13 of procedure?

14 CHAIRMAN BANNERJEE: Yes.

15 DR. BAJOREK: Yes, we've done much of  
16 that. I can't say we've --

17 CHAIRMAN BANNERJEE: Is there a sort of QA  
18 document, a procedures document that you followed?  
19 What sort of controls do you have for people to say,  
20 yes, this has been done other than your word for it?

21 DR. BAJOREK: Oh, as far as a written  
22 guide, I --

23 CHAIRMAN BANNERJEE: Or just a log or  
24 whatever. I mean, do you have some record that this  
25 verification procedure has occurred?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BAJOREK: I don't believe there is  
2 any.

3 MR. MURRAY: I mean, a lot of that was  
4 captured on that website that I was mentioning  
5 earlier. You know, step by step, as we've gone  
6 through and involved this code from the TRAC-P days,  
7 every time that we've, you know, a programming  
8 structure, a data structure change is made to  
9 underline numerics, that's gone through -- John has  
10 gone through a rigorous verification process that's  
11 documented through either the HT summary pages that  
12 are in our website or you know, some of the  
13 documentation that we supplied that is on that CD that  
14 was mentioned a little earlier, there's an SQA  
15 documentation directory that contains, you know, as  
16 much of that documentation as exists.

17 CHAIRMAN BANNERJEE: Perhaps one thing  
18 that would be helpful would be for somebody to put  
19 this all together in some form that it's in one place  
20 so anybody coming in can look at it and see that all  
21 the verification exercises or whatever you've done is  
22 there and that it's something which stands up to  
23 scrutiny.

24 DR. BAJOREK: Okay.

25 MEMBER WALLIS: The user will get the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 source code so the user can look at the details and  
2 will the user be clear when he looks at a piece of the  
3 code which is supposed to do something about what's  
4 going on in that part of the code?

5 DR. BAJOREK: I think in the past we have  
6 released --

7 MEMBER WALLIS: A source code --

8 DR. BAJOREK: It's not a blanket release.

9 MR. MURRAY: Repeat the question once  
10 more, I'm sorry?

11 DR. BAJOREK: Will the user get the source  
12 code?

13 MR. MURRAY: The users generally get the  
14 source code when we release the code to --

15 MEMBER WALLIS: The user wants to know  
16 how you handle some particularly difficult aspect of  
17 the numerics or something, then this user can go  
18 part of the source code and look at it and figure out  
19 that what you're doing there is --

20 MR. MURRAY: That is true.

21 MEMBER WALLIS: And there is some  
22 description in the theory manual which goes along with  
23 it so he can check that one is consistent with the  
24 other?

25 MR. MURRAY: I mean, that will be the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 intent.

2 MEMBER WALLIS: In the --

3 CHAIRMAN BANNERJEE: That is the intent.

4 MEMBER WALLIS: -- because it didn't run  
5 when solving certain problems, people would insert  
6 things to make it work without explaining what they  
7 were doing and then it became very difficult to figure  
8 out.

9 MR. MURRAY: That's always a challenge, I  
10 think, to always get people to document why something  
11 was done. It's very easy and historically, people  
12 have added comments that say what they've done. It's  
13 saying why they've done something and what the  
14 implications that are always a challenge in any  
15 software development and certainly we strive to always  
16 capture that -- answer those whys, either in the  
17 theory manual itself, the user manual, the user  
18 documentation, the code itself or the code software,  
19 you know, quality assurance documentation.

20 DR. BAJOREK: That's one of the issues  
21 that we have taken very seriously though, is where do  
22 we go from here with respect to the documentation in  
23 our assessment. We've taken a lot of pains over the  
24 last couple of years to really automate the entire  
25 process. We want to get out of this mode of making

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes to the code, assessment them some day and then  
2 documenting them some day further downstream, where by  
3 that time the code developers may have come up with  
4 some better ideas. We think we've arrived at a  
5 procedure now where the theory manual, our draft  
6 versions, the assessment report, the input decks are  
7 all put on to, I guess what I would describe as a data  
8 base. The user could check out the input decks, make  
9 his changes, check those back in. When he does all of  
10 this and if he runs a new code, there are automatic --  
11 the software will automatically change figures in the  
12 report. The theory manual is there so that as we make  
13 changes, we can very quickly go to that theory manual  
14 now and update it with those models as they change.

15 Our goal is that once we get past TRACE  
16 5.0, and this initial glut of information, as we make  
17 changes to TRACE and it evolves into 6.0, 7.0, the  
18 time frame for turning around the theory manual, the  
19 assessment and everything that's associated becomes  
20 very short. So you know, if a new user picks up a  
21 TRACE Version 6.0, in a year or two, he's going to  
22 know very quickly what were those changes in the  
23 theory manual, what does 6.0 do that was different  
24 than 5.0 because he's going to have that assessment  
25 readily available to him. But at this point, it's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, we have the process in place and it's a  
2 matter of freezing the code, which we hope to do this  
3 month and then completing the documentation which our  
4 target is the -- is early part of 2007.

5 MEMBER WALLIS: I know it's assessed with  
6 what's been done in the past but when you're  
7 evaluating something like ESBWR, we have -- just  
8 thinking out loud, there's a chimney in there and  
9 there may be sort of bubbles of a size that's never  
10 really been assessed before in the chimney. Are you  
11 going to just run TRACE as a black box or are you  
12 going to modify parts of it to handle a new geometry  
13 like that or something or what? What are you going to  
14 do?

15 DR. BAJOREK: No, it's not going to be run  
16 as a black box. I was looking ahead here in terms of,  
17 because I do have --

18 MEMBER WALLIS: What sort of thing do you  
19 do when you get a new thing like that which is  
20 different from a previous design?

21 DR. BAJOREK: One of the later  
22 presentations are going to outline that in a little  
23 bit better form. We're going to come out with this  
24 assessment report which for better purposes, I would  
25 refer to as a generic assessment report manual. That

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would include virtually all of the processes that  
2 people have indicated are highly ranked in the various  
3 parts for large break and small break. Okay, that's  
4 where you'll find assessments for reflood, heat  
5 transfer, mixture level swell and the likes. We will  
6 also be producing documents for ESBWR, EPR and any of  
7 the other advanced reactors that come along which we  
8 refer to as applicability reports. In those  
9 documents, we would document the things like for ESBWR  
10 as an example, things like Puma, Panda, Giraffe.

11 MEMBER WALLIS: Maybe -- are you going to  
12 say to use this code for the ESBWR you have to change  
13 certain lines in the code?

14 DR. BAJOREK: No.

15 MEMBER WALLIS: No?

16 DR. BAJOREK: No.

17

18 MEMBER WALLIS: No? Well, how did it  
19 take -- maybe TRACE doesn't handle the bubble size  
20 that we expect in ESBWR. How do you do it then? It  
21 must change something if it can't handle it.

22 DR. BAJOREK: We have done that assessment  
23 using two different types of tests to look at the  
24 bubble size and behavior in large diameter pipes.

25 MEMBER WALLIS: You feel it's already in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trace.

2 DR. BAJOREK: Yes.

3 MEMBER WALLIS: Well, there must be some  
4 questions which come up which are not, perhaps,  
5 already answered in Trace. Then you're going to have  
6 to produce modifications to the code or is that never  
7 going to happen?

8 DR. BAJOREK: If we --

9 MEMBER WALLIS: Suppose they change the  
10 design of the EBSWR, suppose the core catcher has  
11 certain features in it that they want to model with  
12 TRACE. You're going to have to put in some new lines  
13 of code, presumably.

14 DR. BAJOREK: Well, the core catcher would  
15 be dealing with a severe accident and I believe that's  
16 all external to the code.

17 MEMBER WALLIS: Well, I mean, I'm just  
18 trying to think, there must be some situations which  
19 you haven't assessed which come up with new designs.

20 DR. BAJOREK: If they change the design  
21 and it arises in processes or capabilities that the  
22 code doesn't have, we would fix the code and we  
23 revise it.

24 MEMBER WALLIS: You would revise the  
25 code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. BAJOREK: We would revise the code.

2 MEMBER WALLIS: You hand out to the user  
3 something to -- a new code or you hand them some  
4 bulletin which says change certain lines using --

5 DR. BAJOREK: We would -- let's say they  
6 change something in ESBWR that added a new process and  
7 we had to change the code substantially, we would come  
8 out with a TRACE Version let's say 5.1 that had that  
9 new model in there. We would repeat certainly all of  
10 the assessment that goes along with ES --

11 MEMBER WALLIS: It wouldn't be like  
12 upgrades. I mean, you can upgrade Microsoft stuff.  
13 They just send you stuff all the time and say it's  
14 going to improve your code. You have no idea if it  
15 will or if it won't, but they do it all the time.  
16 You're not going to do that sort of thing.

17 DR. BAJOREK: No, we would be rerunning  
18 the assessments, starting with the ESBWR series of  
19 tests that we've put together. We would run all of  
20 the -- we'd try to run all of the generic assessments,  
21 okay.

22 CHAIRMAN BANNERJEE: That's a big job.

23 DR. BAJOREK: It is a big job. One thing  
24 to keep in mind is because of the automation and new  
25 techniques available, we've been able to speed that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up. Turning around some of these integral tests, in  
2 the past, may have taken you months to do. We can do  
3 that in a couple of weeks now. We can turn around  
4 this 500 set assessment in under a month. You know,  
5 there's always going to be a couple of cases that you  
6 have to scratch your head and work at a little bit,  
7 but --

8 MEMBER WALLIS: And the figure of merit  
9 is also automated in some way?

10 DR. BAJOREK: Not all of them. We're  
11 working on that but in many cases the things like the  
12 scatter plots, the things that we do to judge the  
13 merit of the code are also automated so that we get  
14 most of that on the rerun of those simulations.  
15 There's still some work that we'd like to do to try  
16 fully automate that, but that's going to be work for  
17 the future. But that is one, I think, very important  
18 feature about what we have been doing over the last  
19 couple of years is that we aren't thinking that 5.0 is  
20 going to be frozen in time for the next 10 or 15  
21 years. We expect new plants to come into the agency.  
22 We expect people to uprate and modify their  
23 conventional plants that maybe we need to look at new  
24 range of conditions. And we want to be able to  
25 address that very quickly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So if things come out that require a 5.1,  
2 we're going to be very -- we're going to be very able  
3 to change the code and the documentation so that a  
4 user knows what its applicability are and how good the  
5 code works with those changes. When we come out with  
6 the --

7           MEMBER WALLIS: You have five people  
8 doing all this?

9           DR. BAJOREK: No, it goes beyond five. We  
10 have a number of people with contractors to help us  
11 with the assessments at this case -- at this point,  
12 excuse me. We're bringing in a number of new people  
13 in the agency.

14           MEMBER WALLIS: I'm thinking about  
15 Fluent. (phonetic) Fluent is a few miles from my  
16 house and they have hundreds of people.

17           CHAIRMAN BANNERJEE: They only have 20  
18 people doing the development.

19           MEMBER WALLIS: During the real  
20 development, okay.

21           CHAIRMAN BANNERJEE: The rest do sales and  
22 marketing.

23           MEMBER WALLIS: And customer relations  
24 and stuff.

25           MR. CARUSO: Do the transients that you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 listing here include stability transients for ESBWR?

2 DR. BAJOREK: At this point, no, but we  
3 are working on that. We have a project going on where  
4 we're looking at the Peachbottom Turbine trip,  
5 Ringhals turbine trip, we're currently assessing a  
6 series of integral tests that have been done using the  
7 Puma facility to investigate stability. So TRACE 5.0  
8 I would not say is ready for doing BWR stability but  
9 we would complete that assessment in one of the  
10 subsequent versions.

11 MEMBER WALLIS: It's not ready for that  
12 yet?

13 MEMBER KRESS: Is NRR evaluating -- NRR is  
14 reviewing ESBWR stability as we speak, correct?

15 DR. BAJOREK: I believe that's correct.

16 MEMBER KRESS: Are they using Romona for  
17 that?

18 DR. BAJOREK: I think they are using the  
19 LAPUR code.

20 CHAIRMAN BANNERJEE: That's just a  
21 linearized --

22 DR. BAJOREK: At this point --

23 CHAIRMAN BANNERJEE: Why don't you do  
24 fluorogeam. I mean, Graham's point was that ESBWR may  
25 have fluorogeam related instability because of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 large size of the chimneys. Now, in principle, we  
2 know that -- I know this from oil/gas pipelines, that  
3 if you have a fine enough nodalization, you can  
4 actually see slug formation and capture severe  
5 slugging without doing anything else. What it means  
6 is, if you've got the right equations and the type of  
7 fluorogeam transition, is captured within those  
8 equations, then simply by going to fine enough  
9 nodalization you should be able to resolve some of  
10 these, not all of them, but certainly slug flows you  
11 can.

12 Now, with BWR chimneys, whether you do get  
13 fluorogeam oscillations because the experiments show  
14 if you look at the Ontario Hydro Experiments,  
15 correlated void fraction oscillations which go over  
16 long lengths of pipe. And whether this is actually  
17 going to be seen in the ESBWR we don't know, but we'd  
18 like to be able to use something like TRACE with a  
19 very fine nodalization if you see it or not.

20 DR. BAJOREK: Right now, well, right now  
21 with TRACE, we would -- I think we would venture  
22 cautiously that TRACE PARCS coupled should be able to  
23 do stability. However, because we haven't completed  
24 our assessment in that work, we would say that you  
25 could use it but you would have to use it with a lot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of caution. We're focusing our work --

2 CHAIRMAN BANNERJEE: Without the added  
3 mass, I don't know if would give the right thing.

4 MEMBER WALLIS: Well, we're reduced to  
5 believing or not GE's version of it?

6 MEMBER KRESS: And Dr. Marsh Leuba.

7 CHAIRMAN BANNERJEE: But he does  
8 linearized analysis.

9 MEMBER KRESS: Well, that's the  
10 independent chair.

11 DR. BAJOREK: Our development is often at  
12 the direction or needs defined by our stakeholders,  
13 NRR in this case. They've made it very clear they  
14 want TRACE to be able to do large and small break  
15 analysis for ESBWR. They have not made stability a  
16 priority and because of the amount of work that we  
17 have to do just to do that large and small break LOCAs  
18 for conventional plants, we have not made stability a  
19 priority at this point.

20 MR. CARUSO: What about ATWS? What about  
21 ATWS for ESBWR? Does it do ATWS for ESBWR?

22 DR. BAJOREK: ATWS.

23 MR. CARUSO: ATWS, Anticipated Transient  
24 without Scrap.

25 DR. BAJOREK: We've actually used an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 earlier version for TRACE to do some investigation in  
2 that area. It actually worked fairly well in  
3 comparison to codes like MAP that we're trying to do  
4 similar predictions. So, yes, we could use this code  
5 for ATWS.

6 CHAIRMAN BANNERJEE: Then stability is  
7 probably important. Stability probably that's in  
8 there, right?

9 MEMBER WALLIS: Also one stakeholder is  
10 the public and it would really help to reassure the  
11 public if you had a code which you could run  
12 independently to check something which is handed to  
13 you by General Electric.

14 DR. BAJOREK: Uh-huh. Okay, but with  
15 respect to applicability for 5.0, we feel it's going  
16 to be adequate for conventional PWRs, BWRs, ESBWR,  
17 large and small break LOCA.

18 MEMBER WALLIS: It's our major jobs in  
19 the future of this committee, the ACRS is going to be  
20 assessing new designs. And it would be very helpful  
21 if you could actually run this code when questions  
22 come up about the performance of these new designs.

23 DR. BAJOREK: Okay.

24 CHAIRMAN BANNERJEE: Now, you have EPR  
25 there which is -- we don't know exactly what it will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be but for sure it will look quite different in terms  
2 of its reliance on reflux condensation, on control  
3 cool-down of the secondary site, the lap of  
4 accumulators, at least the versions I've had a quick  
5 look at.

6 DR. BAJOREK: Yeah.

7 CHAIRMAN BANNERJEE: This is quite a  
8 different plant. We'll have four trains of emergency  
9 cooling which is something else, but how will you be  
10 able to handle some of these new phenomena which you  
11 don't see in the conventional PWRs?

12 DR. BAJOREK: Jumping ahead a little bit,  
13 there are going to be two other documents that are  
14 going to be produced in our directorate that would  
15 accompany the generic assessment manual, and ESBWR  
16 applicability document that would look in some of its  
17 unique features in its assessment. We're also  
18 planning one for EPR. Because of those features that  
19 you just mentioned, we are doing some added assessment  
20 to look at steam generator performance in reflux  
21 condensation. Now, at this point, we don't think  
22 there is a reason to believe that TRACE is not  
23 applicable to EPR. Now the range of conditions over  
24 which we want to apply the code may be somewhat  
25 different than conventional plants but because we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 not started the design certification, we don't have  
2 all the information available to us to really define  
3 that range but we've started that assessment looking  
4 at some very elementary scaling considerations in EPR  
5 to try to characterize where we think they're going to  
6 be with reflux condensation and flow patterns and the  
7 hot --

8 CHAIRMAN BANNERJEE: You get flooding,  
9 right, roughly and hold up in these tubes if you're  
10 flooding velocity is exceeded at the inlet?

11 DR. BAJOREK: Yes, we should. We do a  
12 good a pretty good job on the situations where we do  
13 see flooding, in some of our other assessments, in  
14 some of the other small break assessments.

15 CHAIRMAN BANNERJEE: So it's in the steam  
16 generator tubes.

17 DR. BAJOREK: Yes. Yeah, if we look at  
18 tests like ROSA, semi-scale where there was reflux  
19 condensation, it doesn't look too bad. Now, of  
20 course, it's difficult to characterize some of those  
21 because it does come from integral tests.

22 CHAIRMAN BANNERJEE: Yeah, there are some  
23 separate effect tests.

24 DR. BAJOREK: Which is why our newer  
25 assessment is trying to use those separate effects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tests to try to really focus in on some of those  
2 models, so you rule out the compensating error  
3 question that you can have when you're looking at only  
4 at --

5 MEMBER WALLIS: About performance, if you  
6 have a falling film in a pipe and you -- then you get  
7 flooding. Then there's a jump in behavior completely.  
8 I mean, when the pressure drop may increase by orders  
9 of magnitude.

10 CHAIRMAN BANNERJEE: And that's the issue  
11 that --

12 MEMBER WALLIS: Can you get a sudden --  
13 I don't know if TRACE can handle these sudden changes  
14 in behavior like that.

15 DR. BAJOREK: That's why we're doing that  
16 assessment.

17 MEMBER WALLIS: I'm just looking at the  
18 time. Are you going to be here till lunchtime?

19 DR. BAJOREK: I certainly hope not but  
20 I'll speed this up no matter how long it takes.

21 (Laughter)

22 We want to make sure that users are aware  
23 of what it's applicable to and where you do need to be  
24 careful. Okay. Westinghouse 2-Loop plants, BNW, AP-  
25 1000, we recommend additional assessment before we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would apply the code.

2 MR. CARUSO: There are rumors that AP-  
3 1000s that are going to be ordered are not going to  
4 look quite like the ones that were certified.  
5 Geometry is going to change. So what is the staff  
6 planning to do to provide what what --

7 CHAIRMAN BANNERJEE: What's going to be  
8 certified?

9 MR. CARUSO: What are the TRACE people  
10 doing to insure that the staff that's going to  
11 evaluate those changes is prepared to do that?

12 DR. BAJOREK: We will communicate with our  
13 colleagues in NRR and NRRO and when those changes  
14 come, we'll make any modifications necessary but until  
15 they come in, I guess we can't try to anticipate  
16 things that haven't happened yet.

17 CHAIRMAN BANNERJEE: I guess what Ralph is  
18 saying is that even small changes because these flows  
19 are so dependent on gravity, can have very significant  
20 effects on cooling. So would TRACE be able to handle  
21 and assess these, because even small piping changes  
22 can lead to a big change.

23 DR. BAJOREK: Sure. You're dealing with  
24 gravity heads and very small resistences.

25 MR. CARUSO: Are you also going to provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ability in TRACE to model head loss through sump  
2 screens in the AP-1000 when that gets reviewed?

3 DR. BAJOREK: That's merging two different  
4 meetings together. That's -- sump screens, I think  
5 are clearly unfair at this point. But no, we are --

6 MEMBER WALLIS: It doesn't apply to sump  
7 screens.

8 DR. BAJOREK: It does not apply to sump  
9 screens.

10 MEMBER WALLIS: Okay.

11 DR. BAJOREK: Unless someone develops a  
12 correlation and gives us an adequate head loss through  
13 those sump screens. Good. We do have a plant model  
14 for AP-1000 and we have been talking with NRR about  
15 getting that plant model and the additional assessment  
16 prepared here over the next year so if and when those  
17 changes do come to AP-1000 in another year or two, we  
18 have it done beforehand and it doesn't become some  
19 type of a fire drill. Yes, we're looking ahead on  
20 that.

21 MEMBER SIEBER: I they change portions of  
22 the design that are important, doesn't that decertify  
23 the --

24 MR. CARUSO: They have to go through  
25 rulemaking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Pardon?

2 MR. CARUSO: They have to go through  
3 rulemaking, but I've heard that some things that were  
4 thought to fit in the building will not fit in the  
5 building, so they have to choose between, you know,  
6 rulemaking and the alternative which is unpleasant.

7 CHAIRMAN BANNERJEE: Make the building  
8 bigger.

9 MR. CARUSO: That's non-trivial, that's  
10 rulemaking as well. It won't fit.

11 CHAIRMAN BANNERJEE: How did it fit before  
12 in the designs?

13 MR. CARUSO: You know, on paper it fits,  
14 but it --

15 DR. BAJOREK: We've talked about our paper  
16 here quite at length. The message I just want to  
17 leave you with on this is that we're taking this very  
18 serious. We're going to freeze the code.  
19 Documentation is becoming our priority. We expect to  
20 have --

21 MEMBER WALLIS: I don't understand this.  
22 I would think you'd have to develop your theory before  
23 you did any code writing at all. And you shouldn't  
24 have difficulty figuring out what the theory is.

25 DR. BAJOREK: The theory is developed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's there in sets of notes, internal documentation.  
2 It's just not in the format that we could hand it to  
3 a peer review group or even to this committee in a  
4 format that you'd be satisfied with. We think we're  
5 still a few months away from that.

6 CHAIRMAN BANNERJEE: Are we almost done?

7 DR. BAJOREK: I think we are. We're  
8 getting fairly close.

9 MEMBER WALLIS: We went through this so  
10 quickly here. What are we doing?

11 DR. BAJOREK: Peer review.

12 CHAIRMAN BANNERJEE: Maybe it's worth  
13 spending a little time on --

14 DR. BAJOREK: We are going to start the  
15 peer review in 2007. We're going to ask this group,  
16 which is yet to be defined, give us a critical review  
17 of the models, comment on the assessment, the matrix,  
18 what they see there. Comment on the documentation,  
19 its clarity, thoroughness, ease of use.

20 CHAIRMAN BANNERJEE: Can we make -- at  
21 least can I make a suggestion, that trying to put this  
22 together that we have some interactions in ACRS and  
23 whoever is doing this, so that you get some  
24 suggestions as well from us.

25 DR. BAJOREK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:   That's much better than  
2                   you coming up with a final version and us writing a  
3                   long critique of it, much better if there's more  
4                   interaction along the way.

5                   DR. BAJOREK:   We would like that --

6                   CHAIRMAN BANNERJEE:   We've always tried in  
7                   our peer review groups at least in thermal hydraulics,  
8                   not to have too many National Lab and internal people.  
9                   Even if you look back at the CSAU group, you know,  
10                  when it was put together, Graham and I were on it and  
11                  Neil Todreas and people, and we lived through that, so  
12                  there is no problem.   So there's a -- it shouldn't  
13                  give the appearance of being too inbred.

14                  MEMBER WALLIS:   It's not just that.  
15                  It's that you're often more -- it's more effective to  
16                  have someone from outside because they help you to  
17                  avoid mistakes which you sort of develop blinkers  
18                  about.   So you want to invite people who may appear to  
19                  be critical but actually are really being very  
20                  helpful.

21                  DR. BAJOREK:   Well, it helps.   It gets a  
22                  fresh look on the situation because we start to focus  
23                  on some things.   They may have some fresh ideas, so  
24                  that would be good.   So we are --

25                  CHAIRMAN BANNERJEE:   One of the big ideas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 around right now which seems to be getting some  
2 traction is this idea of plug and play. And the  
3 chemical industry has been developing this called a  
4 keep open (phonetic) framework, where you can plug  
5 various components in and the backbone is ASPEN or  
6 HISYS, which in this case could be your TRACE code.  
7 But ultimately, where you need some 3-D stuff they put  
8 in whatever it the qualified 3-D code or a stress  
9 analysis code. This is something that in the forward  
10 thinking, you might want to think about.

11 MEMBER WALLIS: So we don't get a break  
12 until 11:15, is that --

13 CHAIRMAN BANNERJEE: 11:15, you need now?

14 MEMBER WALLIS: So half time.

15 CHAIRMAN BANNERJEE: All right, let's take  
16 a break for 10 minutes, then we'll start you, Joe?

17 DR. KELLY: Sounds good.

18 CHAIRMAN BANNERJEE: All right, so let's  
19 see. We'll reconvene at 25 to 11:00.

20 (A brief recess was taken.)

21 CHAIRMAN BANNERJEE: Okay, we're back in  
22 session.

23 DR. KELLY: Okay, as you know by now, I'm  
24 Joe Kelly. And I'm going to be talking about the  
25 upgrades that we've made to the constitutive models in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 TRACE. And this is just -- I'll start with a very  
2 brief introduction, telling you just a little bit of  
3 an overview of what we have changed. Then we'll talk  
4 about two models in particular, two-phase wall drag  
5 and interfacial drag. On two-phase wall drag it's  
6 broken really into three parts; annular flow which is  
7 the reason we did this to begin with. Then bubbly  
8 slug, some corrections for the effects of long  
9 nucleation, interfacial drag models, we changed them  
10 from vertical pipes for rod bundles and then for  
11 horizontal stratified flow and I had the foresight to  
12 realize I wasn't going to be able to talk about all of  
13 that in two hours, so for this one I was only going to  
14 present results only. Hopefully, I'll get somewhere  
15 close to that before we have to stop, and then the  
16 future plans.

17 What I'm going to tell you on this slide  
18 is two things; what we intended to do and what we did  
19 and they are somewhat different. As we were winding  
20 down the consolidation program, it became obvious that  
21 the ESBWR was going to be submitted. And so we had to  
22 take a look at that and decide what in TRACE would  
23 most likely need to be changed in order to be able to  
24 have a credible calculation of the ESBWR, and it was  
25 condensation with non-condensable gases, both for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PCCS tubes and for the containment walls.

2           So we put a new model into the code for  
3 that and I've presented that here on a couple of  
4 occasions in the past. But other than that, the plan  
5 was to retain the legacy models from the TRAC-PF1 code  
6 that we inherited. Then, go through a very  
7 comprehensive PERT based assessment process for all  
8 the applications of interest and all the highly ranked  
9 phenomena, make one complete pass through that  
10 assessment. Then review the results of the  
11 assessment, identify the models where you think you  
12 had problems and prioritize those for the model  
13 improvement needs.

14           Then as you go down your priority list,  
15 either develop or select a literature (phonetic) model  
16 to make that needed improvement. Then repeat the  
17 assessment and cycle back through this until you've  
18 managed to meet at least all of the high priority  
19 phenomenon. Well, that's what we planned to do. It  
20 didn't work out that way. And the reason is that very  
21 early in the code assessment process, either the code  
22 would not able to complete the transient, it would  
23 simply roll over and die or the accuracy would be so  
24 poor there was no point in even continuing. And a lot  
25 of those -- well, sometimes it's the input model,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about 50 percent of the time and sometimes it was  
2 because the physical model was just so poor.

3 MEMBER WALLIS: This code has been used  
4 for decades, hasn't it?

5 DR. KELLY: Not so much Mod 2. Mod 1 was  
6 and there's some history there. Mod 1 is the code  
7 that was used for the CSAU and as part of the CSAU it  
8 was reviewed basically by this committee and there  
9 were a lot of, you know, recommendations on models  
10 that needed to be improved and that's what was done  
11 for Mod 2. Almost all of the physical models got  
12 changed between Mod 1 and Mod 2.

13 MEMBER WALLIS: That made everything  
14 worse.

15 DR. KELLY: Well, this code was never used  
16 very much and certainly was not assessed very much.  
17 It was kind of put on a shelf until we dusted it off  
18 for the AP-600 and then for the code consolidation  
19 program.

20 So the result of this was that the model  
21 remediation -- I don't want to really call it  
22 development because in a lot of cases it wasn't. It  
23 was just fixing things that were broken, but had to be  
24 done in parallel with the code assessment process. So  
25 you're always, you know, chasing your tail.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You know, by the time I got one model  
2 fixed, I had a list of two or three others that, you  
3 know, there was always a continuous backlog. And in  
4 the end, we've changed about 75 percent of the models  
5 in the code. If you had asked me when we began what  
6 we would have changed, I might have gone with 20  
7 percent. There is no way I would have guessed we  
8 would end up here.

9           CHAIRMAN BANNERJEE: Seventy-five percent  
10 is all models or you're just talking about some  
11 specific types of --

12           DR. KELLY: Seventy-five percent of the  
13 constitutive models, like the heat transfer  
14 correlation, a wall drag model, that kind of thing,  
15 not the numerics. I'm just dealing with the physical  
16 models.

17           CHAIRMAN BANNERJEE: No, no, I realize  
18 that but that's a lot.

19           DR. KELLY: It's incredible. And as a  
20 result of that, and this is -- you know, comes down to  
21 me being a bottleneck, I haven't gotten the  
22 documentation finished. I have started it, but again,  
23 every time I finish one model and I start to work on  
24 the documentation, something else breaks and I have to  
25 go off on it. But we're very near the end of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process now. You know, there's very few little things  
2 that we have to fix, do the assessment one more time  
3 and then I'm 100 percent on documentation.

4 MEMBER WALLIS: But TRAC's been approved  
5 before these original models were replaced for various  
6 accident analyses? Have we been relying on a rather  
7 weak read for a long time here?

8 DR. KELLY: Well, you actually mean the  
9 TRAC P-F1 card?

10 MEMBER WALLIS: TRAC is TRAC, really, it  
11 seems to me TRAC is TRAC and you can't just have  
12 different mods which are so different that you have to  
13 replace 75 percent. This is telling me something  
14 about the state of the art, isn't it, if you have to  
15 change 75 percent of the models in a code?

16 DR. KELLY: Well, what happened, remember  
17 Mod 1 is the code that was used for CSAU. That's the  
18 code that existed at the time of all of the large  
19 experimental programs.

20 MEMBER WALLIS: Well, weren't its  
21 physical models essentially the same as Mod 2?

22 DR. KELLY: No, that was -- Mod 2 did --  
23 it made some improvements to the numerics, like the  
24 set scheme, but the other thing, Mod 2 replaced almost  
25 100 percent of the physical models from Mod 1.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:    They must have put in  
2 worse ones if you then had to --

3                   DR. KELLY:    In some cases, yes.

4                   MEMBER WALLIS:    Okay.

5                   DR. KELLY:    Now, I've discussed the  
6 reflood model here before and what I said was it was  
7 well-intentioned and that was the case.    They tried  
8 to build a lot of, you know, physical insight into it  
9 but they didn't realize that it really wouldn't work  
10 in a computational framework because of some of the  
11 things that it was based on.

12                   So this is how we got to where we are  
13 today.    This is just a very quick list of some of the  
14 main models that have been changed in the code.    The  
15 first that we had to work on was what's called the  
16 interim reflood model and it reason it's called  
17 interim is that we never intended to do this.    We  
18 intended to develop a new reflood model based upon the  
19 experimental results from the RBHT program.    but at  
20 the time that we started doing the assessment and the  
21 existing model was so poor that we couldn't complete  
22 the assessments, we had to come up with a fix and that  
23 became what's known as the interim reflood model?

24                   MEMBER WALLIS:    What's the problem with  
25 these models that they were tuned to different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 systems, than the systems to which you wished to apply  
2 them, that maybe they were based on some simpler  
3 system like straight pipes in university labs instead  
4 of real reactors or something?

5 DR. KELLY: In this -- well, in this case  
6 the fundamental flaw with this model, the flow regimes  
7 in it were based on distance down stream of a quench  
8 front and all of those distances were computed based  
9 upon a criteria for a capillary jet breakup which is  
10 actually the wrong phenomenon. This is the idea of,  
11 you know, how do you get from inverted annular to  
12 dispersed flow and when you have breakup and that's  
13 not really the governing phenomena in what we have  
14 because we have a situation where the vapor generation  
15 rate is increasing expeditiously as the liquid  
16 saturates in that core. But -- so they used this  
17 capillary breakup model and it depended upon the  
18 velocity of the jet of course, to give you all these  
19 links. Well, if any of you have looked at a  
20 calculation and looked at the core inlet velocity in  
21 a gravity reflex situation, it oscillates like crazy  
22 both in reality and even more so in the code.

23 Well, that velocity is now what's giving  
24 you these links, so all these links are doing all  
25 these crazy things and it's just, you know, like I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said it was well-intentioned. We were trying to build  
2 a more fundamental level of physics in the code but it  
3 was a fundamentally bad idea.

4 And when I say reflood model, it's not one  
5 model. There's actually about 20 different  
6 constitutive models that have to work together,  
7 because you have interfacial drag, interfacial heat  
8 transfer, wall heat transfer and all the different  
9 regimes.

10 So the next one, and this one we did plan  
11 to do once the ESBWR became evident and that was a  
12 model for a condensation with non-condensable gas.  
13 The first thing I did was check the existing model  
14 against some of the Berkeley PCCS experiments. It was  
15 very poor so we developed a new one.

16 Interfacial heat transfer, this is  
17 primarily direct contact condensation. I mean, there  
18 are other models in it, but the ones that gave us  
19 trouble were primarily those. And those were either  
20 replaced or in some cases the implementation of it was  
21 fixed. And the reason we had to do it was excessive  
22 condensation in both the co-legs of LOFT and CCTF, for  
23 example, during the accumulator injector period in  
24 LOFT we had odd pressures and the co-leg that was sub-  
25 atmospheric and that doesn't happen. We had flow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 coming in the break and you know that's not right.

2 Two-phase wall drag and interfacial drag,  
3 those are the ones I'm going to talk about today and  
4 I'll show you the motivation for those.

5 MEMBER WALLIS: Earlier on we talked  
6 about flooding and if you've done an experiment on  
7 flooding, you can go from a situation of smooth  
8 falling film with essentially no interfacial drag and  
9 then it becomes disrupted and it bounces all over the  
10 place and you're interfacial drag goes up by orders of  
11 magnitude. I'm not sure how you would predict  
12 something like that.

13 CHAIRMAN BANNERJEE: They just back it out  
14 from the flooding correlation.

15 MEMBER WALLIS: But then --

16 DR. KELLY: In TRACE we don't try to do  
17 that from any kind of fundamental. We build in CCFL  
18 correlations. You specify this --

19 MEMBER WALLIS: So you assume it's  
20 already started then, it's already happening. You  
21 don't have the smooth falling film in there at all  
22 because CCFL assumes it's already flooded.

23 DR. KELLY: Right.

24 MEMBER WALLIS: Whereas it may, before it  
25 floods actually be in regime where there's very little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interfacial drag.

2 DR. KELLY: Uh-huh. And we do that. I  
3 will show the results of one. It's actually for the  
4 UPTF hot reg.

5 CHAIRMAN BANNERJEE: The -- don't they  
6 just back out the interfacial drag? Well, they do it  
7 even for just it reflects more if they back it out.

8 MEMBER WALLIS: Yeah, that's right.

9 DR. KELLY: Yeah, I think that's right for  
10 the --

11 MEMBER WALLIS: At least one vendor does  
12 that, too. They fudge the interfacial drag to fit  
13 flooding.

14 DR. KELLY: Well, that's what I do for the  
15 hot lag, but for most case -- most -- and steam  
16 generators tubes are different but for most of the  
17 places where we worry about CCFL is like in a tie  
18 plate and so that's very geometry specific.

19 MEMBER WALLIS: It's a local phenomenon,  
20 it's not --

21 DR. KELLY: Right. Okay, now I'm going to  
22 start the details of the presentation, talking about  
23 two-face all drag. And the first thing you have to  
24 ask yourself is after all these years, why on earth  
25 would I be talking about two-face wall drag? And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reason was that when I went into put in a PCS, PCCS  
2 condensation model, I needed at least a pretty good  
3 prediction of the film fitness because that's the  
4 primary characteristic dimension, at least if you're  
5 not Nogadessylis (phonetic).

6 And this is the result using --

7 MEMBER WALLIS: I think that's  
8 unbelievable.

9 DR. KELLY: This result there?

10 MEMBER WALLIS: That's unbelievable. I  
11 mean, NURSOL (phonetic) is so basic.

12 DR. KELLY: I'll show you why on the next  
13 slide.

14 MEMBER WALLIS: It's so wrong.

15 CHAIRMAN BANNERJEE: Blue is the NURSOL  
16 solution.

17 MEMBER WALLIS: No, NURSOL is the red  
18 one.

19 DR. KELLY: This is a fine film. This is  
20 a pure steam condensation face.

21 MEMBER WALLIS: He's reduced the  
22 viscosity of an order of magnitude.

23 CHAIRMAN BANNERJEE: So why should the  
24 TRACE be different from NURSOL at least for laminar  
25 flow?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: Oh, the equations -- I hope  
2 you can see the equations better than I can. Here's  
3 why. Remember, we don't -- this is not a CFD code.  
4 We don't resolve laminar and turbulent viscose shear  
5 stresses. Instead we use constitutive models, in this  
6 case wall drag.

7 MEMBER WALLIS: And you use some kind of  
8 a mixture average to something or other, too?

9 DR. KELLY: Here it is. If you figure out  
10 what the frictional pressure gradient is in TRACE,  
11 using the old model before I changed it, okay, it has  
12 two components, one to the vapor, one to the --

13 MEMBER WALLIS: It has wall drag due to  
14 the vapor?

15 DR. KELLY: Yes, always. The best thing  
16 you can say about this model is it's correct at the  
17 limits, alpha equals zero and alpha equals one and  
18 that's about it but this is what was in fact --

19 MEMBER WALLIS: It would depend on which  
20 fluid is on the wall and things like that.

21 DR. KELLY: That's reality. This is what  
22 the fluid was.

23 MEMBER WALLIS: Okay, okay.

24

25 DR. KELLY: Okay. This is also what REROC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (phonetic) was, it's what COBRA TRAC was, et cetera,  
2 et cetera. You have to look --

3 MEMBER WALLIS: You mentioned reality.  
4 I have to go back to something I picked up in your  
5 user's guide. It says the purpose was to develop  
6 solutions to real and hypothetical transient  
7 scenarios. Does that mean that these hypothetical  
8 scenarios are all unreal? I didn't understand that  
9 statement.

10 MR. MURRAY: Well maybe you should --  
11 maybe you should say known in an hypothetical.

12 MEMBER WALLIS: That's different from  
13 real and hypothetical, yeah. Anyway that's --

14 DR. KELLY: Yeah, the --

15 MEMBER WALLIS: I'm astonished, you see.  
16 This is the problem with TRAC from the beginning.  
17 People putting something just out of the air. This  
18 sort of a correlation here makes no sense. It has no  
19 basis in reality whatsoever.

20 DR. KELLY: And when we did COBRA TF, the  
21 very first versions, we borrowed this straight from  
22 TRAC.

23 MEMBER WALLIS: But who would invent  
24 something like that? I don't think it's ever been  
25 used anywhere except in TRAC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: Well, it's also in RELAP. I  
2 can't tell you about CATHARE because I don't remember.  
3 So this is actually one of the reasons I looked at it  
4 in TRAC because they had to fix it in RELAP. So  
5 anyway what supposedly makes this two-phase is using  
6 a friction factor based upon a mixture of viscosity.  
7 And you know, this just isn't very good. For annular  
8 flow, this term, even though it exists, is really  
9 negligible and you see this term and it comes to an  
10 effective liquid two-phase multiplier of just one  
11 minus alpha to the minus one power. And as you know,  
12 this should be square down here.

13 Now, when your void fractions are 95 --

14 MEMBER WALLIS: If mu "G" is zero, that  
15 gives you an infinite thing on the right-hand side,  
16 and you take it to the minus one, you get zero. So if  
17 mu "G" is zero, the mixture of viscosity is zero even  
18 if the bubbles are in the goopiest liquid imaginable.  
19 It makes absolutely no sense.

20 DR. KELLY: Couldn't agree with you more,  
21 which is why it's gone, it's history.

22 MEMBER WALLIS: Yeah, but you see, that's  
23 a problem I have is that, is this the way all the  
24 codes were before you came along?

25 DR. KELLY: Pieces of some codes. So this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is what we have now and you know, I've wrote it in  
2 terms of a liquid two-page multiplier here, just for  
3 recognition and here's the --

4 MEMBER WALLIS: Well, the problem is  
5 those guys never had peer review. Must be something  
6 like that. How could something like that be used?

7 DR. KELLY: Well, you know wall drag  
8 wasn't very -- if you did a PER (phonetic) and looked  
9 at highly ranked phenomena, wall drag really wouldn't  
10 show up. You'd typically have form analysis and  
11 things like grid spacers, area changes, but about the  
12 only place wall drag is significant, really is in the  
13 steam generator tubes. But for most, you know, TRAC,  
14 at the time of the CSAU, its application was large  
15 break LOCA. It didn't really matter.

16 MEMBER WALLIS: Because there were no  
17 long straight pipes in reactors.

18 DR. KELLY: Right, the pipes tended to be  
19 like --

20 MEMBER WALLIS: Except in steam  
21 generators.

22 DR. KELLY: Right.

23 MEMBER WALLIS: Okay.

24 DR. KELLY: Especially, long small  
25 diameter straight pipes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So you could be way off  
2 and it didn't matter.

3 DR. KELLY: Right. It was unimportant.  
4 That's not the case if you're trying to predict the  
5 film on the inside of a condenser tube. So for the  
6 two-phase multiplier, one minus alpha to the minus  
7 two, and you do the math and you know, it's a very  
8 simple formula.

9 MEMBER WALLIS: You're going back to  
10 Martinelli.

11 DR. KELLY: Right.

12 CHAIRMAN BANNERJEE: So you're just going  
13 back to Martinelli.

14 DR. KELLY: Yes. Then for the friction  
15 factor, this is friction factor versus Reynolds  
16 number. Hey, if it's a good idea, you might as well  
17 recycle it, you know. Something that's simple and  
18 gives a good answer is a lot better than something  
19 complex that's shaky. So this is friction factor  
20 versus Reynolds number. What is normally used for  
21 pipes in TRACE is the Churchill correlation and there  
22 you see the laminar and turbulent behavior.

23 MEMBER WALLIS: Well, what's your  
24 definition of a Reynolds number?

25 DR. KELLY: The Reynolds number here for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the annular flow regime --

2 MEMBER WALLIS: Is base on the liquid  
3 viscosity.

4 DR. KELLY: -- is, yeah, the liquid  
5 viscosity and the liquid mass flows and you can  
6 rewrite that as, you know, four times the flow rate  
7 per unit surface area.

8 MEMBER WALLIS: So if there's no liquid  
9 there at all, there's no friction.

10 DR. KELLY: Right. Well, there's ramp  
11 from you know, annular flow to single phase vapor.  
12 You have to try to cover all those possibilities. So  
13 once the --

14 CHAIRMAN BANNERJEE: This assumes the wall  
15 is wet.

16 DR. KELLY: Yes, I'm talking about annular  
17 flow at the moment.

18 CHAIRMAN BANNERJEE: Yeah, post-CHF it  
19 will go to go to gas.

20 DR. KELLY: That's actually one of -- it  
21 didn't used to, it does now. Now, it looks to see  
22 where quench fronts are. Between the quench fronts  
23 where the wall is dry it puts all of the drag onto the  
24 gas phase. Above and below it puts it on the liquid  
25 phase. So, for --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Is this two Churchill  
2 or which Churchill is this? I've never --

3 DR. KELLY: I don't remember --

4 MEMBER WALLIS: Winston.

5 DR. KELLY: -- but when you get the  
6 documentation I can guarantee the reference will be in  
7 there. But, you know, it's a approximate -- it has  
8 like three different things that go together and it  
9 gives you the shape through the transition region.

10 CHAIRMAN BANNERJEE: By why pick this? I  
11 mean, there are 900 correlations. What did this do  
12 for you that was --

13 DR. KELLY: I didn't pick Churchill.  
14 That's the one that was in TRAC and what it does do,  
15 though, is it covers laminator transition and  
16 turbulent.

17 MEMBER WALLIS: This was also in RELAP  
18 you said?

19 DR. KELLY: I don't know about the  
20 Churchill correlation.

21 MEMBER WALLIS: But the previous slide  
22 you said that alpha, that was in RELAP, too.

23 CHAIRMAN BANNERJEE: It's only to give you  
24 one correlation through the laminar and turbulent  
25 regions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: Right, but for annular flow,  
2 there's no evidence that you have this. If you look  
3 at, you know the book by Huling, Hall, Taylor  
4 (phonetic), Duckworth's calculations, et cetera, you  
5 get this nice smooth shape and so the smooth shape is  
6 what I implemented in TRACE and I did it by using a  
7 power wall weighting or just a laminar and turbulent.  
8 So this black line is what we actually use for the  
9 annular flow regime.

10 And so this new TRACE model, if you do it  
11 as a two-phase multiplier, and this really is phi with  
12 alpha square, so it's phi sub L but not with the  
13 square, prodded against liquid fraction, and I have  
14 some upflow data and downflow data and then what the  
15 model would be and so it, you know, obviously, I took  
16 it from this kind of thing, so it looks pretty good.

17 But it also gives an excellent comparison  
18 against falling film fitness data. This blue line --  
19 well, this is non-dimensional film thickness against  
20 the film Reynolds number.

21 MEMBER WALLIS: This is for a non-  
22 disturbed film, it's not post-CCFL.

23 DR. KELLY: Right, this is a simple  
24 falling film on a wall. But the blue line was  
25 calculated by TRACE. There are about 500 data points

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there from, you know, Shannon Abel (phonetic).

2 There's some --

3 MEMBER WALLIS: And if the old TRACE had  
4 done it, it would have been off by a huge amount.

5 DR. KELLY: Yes.

6 CHAIRMAN BANNERJEE: Well, the low  
7 Reynolds numbers you have the nozzle solution, right?

8 DR. KELLY: Exactly. And this is what I  
9 showed before. It's a pure steam condensation case.  
10 Obviously, you're starting the tube here, coming down  
11 this way. That's the old solution. This is what  
12 falling film would give you and this is what we get in  
13 TRACE and this is what you expect because there is  
14 some interfacial shear and --

15 MEMBER WALLIS: I wonder what TRAC-G has  
16 done to something like this. Has TRAC-G got the same  
17 kind of glitches in it that the told TRAC had?

18 DR. KELLY: I know they put in a model for  
19 condensation and non-condensable gases but I can't  
20 speak to whether --

21 MEMBER WALLIS: Well, they've got a model  
22 in the ESBWR.

23 DR. KELLY: But I haven't reviewed it, so  
24 I can't say. I really don't know.

25 MEMBER KRESS: As best I recall, it had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the old model that he showed first.

2 MEMBER WALLIS: The old model?

3 MEMBER KRESS: Yes.

4 MEMBER WALLIS: Like that, so the --

5 MEMBER KRESS: With the void fraction in  
6 it and the gas flow and liquid flow because we  
7 discussed that and had a large objection to it one  
8 time.

9 MEMBER WALLIS: This is why you guys have  
10 to have your own code.

11 DR. KELLY: Well, we now met what I wanted  
12 to do was get it to work for annular flow, so I could  
13 do the --

14 MEMBER WALLIS: That was a simple  
15 problem, though.

16 DR. KELLY: Well, you can't do that -- but  
17 now we come to the bubbly slug flow regime and the  
18 first thing we could do is just keep the model that's  
19 there because remember, we're trying not to change  
20 physical models unless we have to. And I had to  
21 change the one for annular flow. Well, looking at the  
22 legacy model, just looking at the formulation, I know  
23 that it gives drag to both phases when it shouldn't.  
24 And I can look at a two-phase multiplier and know that  
25 it's going to under-predict the wall drag. I can do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that just by looking at it.

2 So I know it's wrong and about where you  
3 would have to fair this into the annular flow, you  
4 could be off by a factor of five or 10 on the wall  
5 drag. So I didn't -- I knew it was going to be  
6 inconsistent and I didn't want to have to build in a  
7 ramp between the two when I knew this wasn't that  
8 good. So I thought, okay, let's replace it.

9 Plan B, you can get a two-phase multiplier  
10 from the literature and the one that most people  
11 recommend these days is by Friedel. One problem with  
12 this, or one serious problem, it's based on flow  
13 quality. That's great for a steady state, you know,  
14 co-current up-flow test. For transient situations,  
15 it's meaningless for counter-current flow and for a  
16 case closer to the pool boiling. It's also a very  
17 complicated function of mass flux pressure and  
18 diameter and I'd still end up with something that was  
19 inconsistent with the annular flow model and have to  
20 ramp it in somehow or other.

21 So what I decided to do was seek a two-  
22 phase multiplier if it's a function of void fraction.

23 CHAIRMAN BANNERJEE: These are all sort of  
24 steady state things in the literature, right?

25 DR. KELLY: Uh-huh.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: But what happens if  
2 you have a rapid change in flow like in a large break  
3 LOCA?

4 DR. KELLY: Well for wall drag I'd have to  
5 say fortunately, it's not important.

6 CHAIRMAN BANNERJEE: For what?

7 DR. KELLY: For wall drag, I'd have to say  
8 fortunately it's not important.

9 CHAIRMAN BANNERJEE: It's not important.

10 DR. KELLY: But for other models, that's  
11 a concern. You know, you tend to use fully developed  
12 steady state data to do an a model and is that  
13 applicable in a rapid transient and --

14 CHAIRMAN BANNERJEE: Would be like people  
15 added mass terms, right?

16 DR. KELLY: Well, but I'm talking about if  
17 you're using say DDIS (phonetic) bolt for heat  
18 transfer, you know, does that apply if you don't have  
19 a transient term on it? It's not perfect but it's  
20 probably not bad, but the key to that is you do the  
21 assessments for that particular application and you  
22 have to demonstrate that you cover the full range, you  
23 know, as best you can.

24 So anyway an example of a wall drag model  
25 that fits that is Lockhart-Martinelli.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: I don't quite understand  
2 that. If you're trying to model, say a falling film,  
3 it doesn't know what the gas is doing, it doesn't know  
4 what the void fraction is. It just only knows what  
5 its thickness is.

6 DR. KELLY: Uh-huh.

7 MEMBER WALLIS: So why should void  
8 fraction have anything to do with a falling film?

9 DR. KELLY: Well --

10 MEMBER WALLIS: And the pipe could be  
11 infinitely wide and it's still a falling film on the  
12 wall. The void fraction is one.

13 DR. KELLY: Uh-huh.

14 MEMBER WALLIS: So I don't see why you  
15 need a void fraction to model a falling film. Maybe  
16 in this case bubbly slug but if you look at some  
17 simple thing like the previous slide, it doesn't make  
18 sense.

19 DR. KELLY: Well, except that void  
20 fraction is what the code solves for. That's one of  
21 the primary independent variables in the code. And so  
22 you have to then convert that void fraction you know,  
23 just through geometry, into a film thickness, but you  
24 also have to allow for the possibility of interfacial  
25 friction.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           For example, in the PCCS condensers you  
2           have co-current downflow. And so then you're solving  
3           the two-fluid momentum equations along with mass and  
4           energy. And it's the -- it's gravity, interfacial  
5           friction and wall drag that combine to give you the  
6           film thickness.

7           You know, I could just write what the film  
8           thickness is for Nusselt. Now in some codes you'll  
9           see Nusselt use for a condensation model. But then  
10          you have to review all the assumptions that went in to  
11          generating Nusselt, like no interfacial shield.

12          MEMBER WALLIS:    What I just said is  
13          untrue in this business about the film on the wall  
14          because of the way film square is defined, it's based  
15          on the pipe being full and if the pipe is humongous  
16          then you have sort of infinity over infinity. By the  
17          time you've done it, you get back to a falling film if  
18          you do it right.

19          DR. KELLY:    Right, exactly. So for bubbly  
20          slug I wanted to see, you know, if I could come up  
21          with a two-phase multiplier that was a function of  
22          void fraction. So step one, go get some data.

23          MEMBER WALLIS:    Looks like a Martinelli  
24          plot.

25          DR. KELLY:    It is in effect. It's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two-phase multiplier versus the liquid fraction. This  
2 is some 80 vatic steam water data from Furrell and  
3 McGee. The dotted blue line is Lockhart-Martinelli.  
4 And the black line is the one that goes through the  
5 data. And the exponent here is minus 1.72. So it's  
6 very close to minus 2.

7 That was Step One was going and getting  
8 some data and looking at it. I looked at more data  
9 than this but this was the one that had the most  
10 points.

11 MEMBER WALLIS: This is a log plot.

12 DR. KELLY: It's log on the vertical axis  
13 one and 10/20, and it's linear on the liquid fraction.

14 CHAIRMAN BANNERJEE: It's got quite a  
15 deviation at the --

16 DR. KELLY: At those points, yeah.

17 CHAIRMAN BANNERJEE: Yeah.

18 DR. KELLY: But, you know, that's -- you  
19 know, any experiment --

20 CHAIRMAN BANNERJEE: It's bubbly flow,  
21 right/

22 DR. KELLY: Pardon me?

23 CHAIRMAN BANNERJEE: That's bubbly flow.

24 DR. KELLY: No, this is -- yeah, you're  
25 right. That's bubbly flow there. And I had some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other data that, you know, in other places fitted  
2 better or worse. But at any rate, this looks pretty  
3 good. And one of the things down here is quite often  
4 the pressure drop is not very large the frictional  
5 pressure drop.

6 CHAIRMAN BANNERJEE: It's hydrostatic.

7 DR. KELLY: Right, so the error becomes  
8 very large.

9 CHAIRMAN BANNERJEE: These are for  
10 vertical tubes?

11 DR. KELLY: Yes.

12 MEMBER WALLIS: Well, in vertical slug  
13 flow the wall friction could be negative.

14 CHAIRMAN BANNERJEE: Yeah.

15 MEMBER WALLIS: Because it's holding up  
16 the film around the bubbles.

17 DR. KELLY: Yeah.

18 MEMBER WALLIS: And you can't plot  
19 negative on this plot, so it's not there. You can't  
20 plot it on a log scale.

21 DR. KELLY: Well, the one thing I didn't  
22 -- in the -- when I showed the pressure gradient, I  
23 went ahead and squared the velocity. In the code,  
24 it's the absolute value of the velocity times the  
25 velocity. So you get the direction in it. But, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, we would only get negative wall drag if the  
2 liquid was falling down.

3 MEMBER WALLIS: Well, it is around the  
4 bubbles.

5 DR. KELLY: Right, but we don't really go  
6 to that scale. And slug flow is something you don't  
7 really see in reactors either with the exception of  
8 steam generator tubes.

9 CHAIRMAN BANNERJEE: Well, I think you  
10 will see them in the ESBWR because their not quite  
11 slug.

12 DR. KELLY: Caps.

13 CHAIRMAN BANNERJEE: They're annular.

14 MEMBER WALLIS: Right, yeah.

15 DR. KELLY: You have big vapor structures  
16 maybe 60 millimeters in diameter, that kind of thing  
17 but you won't have slugs that are a meter.

18 MEMBER WALLIS: They're unstable, those  
19 slugs are unstable.

20 CHAIRMAN BANNERJEE: Well, at that size,  
21 you won't get slugs.

22 DR. KELLY: Right.

23 CHAIRMAN BANNERJEE: If you would argue  
24 you can't get slugs in large pipes.

25 MEMBER WALLIS: You can if you make it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the first one is a slug but then after that --

2 DR. KELLY: That's true.

3 MEMBER WALLIS: You can make one, make it  
4 in static liquid, but once the liquid gets disturbed,  
5 you won't get any more.

6 DR. KELLY: So Step one was get some data  
7 and see if it made any sense for you to continue.  
8 Step two was going to the literature and seeing if you  
9 could find some models, and I found two; one for up-  
10 flow and one for down-flow. For up-flow --

11 MEMBER WALLIS: It's like going the  
12 Bible, you just go to the right chapter and verse and  
13 you can find a correlation that you want.

14 DR. KELLY: Yeah. But it was surprising  
15 in the realm of two-phase multipliers, almost all of  
16 them are correlated versus flow quality and they get  
17 to be very, very complicated. You don't see any of  
18 them that look like this and the reason is --

19 MEMBER WALLIS: You don't see any that  
20 look like that?

21 DR. KELLY: Not as a function of quality,  
22 none that are this simple.

23 MEMBER WALLIS: You've never read my  
24 book?

25 DR. KELLY: Well, okay, but even then it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more details than this.

2 MEMBER WALLIS: I've got a whole pile  
3 where the experiment from one to two, I think,  
4 depending on your model.

5 DR. KELLY: Yeah, but the point is, if  
6 it's void traveling it can be very simple. If it's  
7 quality, it can, and that's because the fundamental  
8 dependence is really on the void fraction. And if  
9 you're correlating against quality, what you first  
10 really have to do is translate the quality to void  
11 fraction and then correlate it.

12 MEMBER WALLIS: So you had to go to Japan  
13 to find the correlations that you wanted?

14 DR. KELLY: Well, those were the two I  
15 found in the literature.

16 MEMBER WALLIS: But there are hundreds of  
17 literatures, so why did you pick those two?

18 DR. KELLY: Well, these are the two I  
19 found that --

20 MEMBER WALLIS: It was the closest to  
21 what you wanted, right?

22 DR. KELLY: Because they were correlated  
23 in terms of void fraction instead of quality and  
24 that's what I was looking for.

25 CHAIRMAN BANNERJEE: I want to ask you a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little bit about this approach, you know, sort of this  
2 is a '50s way of doing things and the '50s way  
3 basically says that you have flow through a pipe with  
4 a friction factor without one phase or the other. And  
5 then you take sort of a ratio and then you get that.  
6 Now, that was done because you knew nothing about the  
7 true liquid velocities and things like this. Now,  
8 your code is producing a liquid velocity for you,  
9 right and a --

10 DR. KELLY: A cross-sectional averaged.

11 CHAIRMAN BANNERJEE: Yeah, cross-sectional  
12 average liquid velocity, a cross-sectional average gas  
13 velocity.

14 DR. KELLY: Right.

15 CHAIRMAN BANNERJEE: And a void fraction  
16 as well. Now, is there nothing that is a little bit  
17 more mechanistic that correlates with those liquid  
18 velocities than this?

19 DR. KELLY: Here it is.

20 CHAIRMAN BANNERJEE: Right.

21 DR. KELLY: That's all it is. All I was  
22 doing --

23 CHAIRMAN BANNERJEE: But now how is the  
24 friction factor --

25 MEMBER WALLIS: Because VL is related to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 JL buy one minus alpha.

2 DR. KELLY: This is your normal single-  
3 phase liquid friction factor.

4 CHAIRMAN BANNERJEE: Yeah, but shouldn't  
5 that be --

6 DR. KELLY: That's all it is.

7 CHAIRMAN BANNERJEE: -- a range .005 or  
8 something?

9 DR. KELLY: Yeah, that's all it is and  
10 this is what we use.

11 MEMBER WALLIS: Well, if you use that,  
12 you get two instead of 1.75 if you assume the same  
13 friction factor for the two cases.

14 DR. KELLY: Except --

15 MEMBER WALLIS: If you assume a RLYS  
16 (phonetic) number dependence, then you can get a  
17 different --

18 DR. KELLY: Yeah, exactly.

19 MEMBER WALLIS: So it's gone back to the  
20 '50s as my colleague says. This is the most  
21 elementary thing you've been teaching to students for  
22 a long time, but it's very, very, very simplistic.

23 DR. KELLY: It's also --

24 CHAIRMAN BANNERJEE: All right, so that's  
25 effectively what you're doing and it works.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. KELLY: Yeah, and it works and it's a  
2 lot more correct than what was there before.

3 CHAIRMAN BANNERJEE: Sure. Depending on  
4 which phase is wetting the wall. You have to know  
5 that.

6 DR. KELLY: Right, that switch is there,  
7 too.

8 CHAIRMAN BANNERJEE: Yeah.

9 DR. KELLY: Now, I thought this looked  
10 pretty good. Any time I can take a model in the code  
11 and simply it and get a better answer, I'm all for  
12 that. Well, I made the mistake of looking at more  
13 data.

14 MEMBER WALLIS: That's right, well, you  
15 should always do that.

16 DR. KELLY: In particular, I looked at  
17 data where the wall -- with wall nucleation.

18 CHAIRMAN BANNERJEE: That would, of  
19 course, be quite different, yeah.

20 DR. KELLY: And that's what this is. So  
21 again, the two-phase multiplier versus the liquid  
22 fraction. This covers actually three different  
23 pressure levels.

24 MEMBER WALLIS: Now, are they actually  
25 measuring void fraction in this test or are they doing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it for energy balance?

2 DR. KELLY: Yes, no, they measure the void  
3 fraction with a gamma densitometer. And actually it  
4 was very hard to find pressure drop tests where they  
5 measured the void fraction.

6 CHAIRMAN BANNERJEE: Who did this work?

7 DR. KELLY: This was be Ferrel and Byland.  
8 It was -- and the other one was Ferrill and McGee. I  
9 think it was North Carolina State. I think that's  
10 right but this was in the `60s.

11 MEMBER WALLIS: All the good work has  
12 been done in the `60s. We know that.

13 DR. KELLY: We can't afford to buy a gamma  
14 densitometer these days.

15 CHAIRMAN BANNERJEE: I know how to make  
16 them very cheap.

17 DR. KELLY: Okay.

18 CHAIRMAN BANNERJEE: I'll do it for you.

19 DR. KELLY: So it had three different  
20 pressure levels between four and 17 bar.

21 MEMBER WALLIS: So now your x-axis is  
22 liquid fraction, it's not void fraction. It's the  
23 other way around.

24 DR. KELLY: Right, and that's what was on  
25 the previous one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: When you think you've got  
2 all liquid, you've got a little bit of bubbles on the  
3 wall, that's when you get this big error on the right-  
4 hand side there.

5 DR. KELLY: Right, this is about a factor  
6 of four.

7 MEMBER WALLIS: Well, it's a bigger --  
8 when we get to the end there, it's -- yeah, I guess  
9 it's a log scale, it's always a factor of four.

10 DR. KELLY: Yeah, right. And you see  
11 there's a little bit of a mass flux effect. This is  
12 like at 500 and this is about 1700. And you --

13 MEMBER WALLIS: So it's down with max  
14 flux?

15 DR. KELLY: Pardon me?

16 MEMBER WALLIS: The correction goes down  
17 with max flux, increase in max flux?

18 DR. KELLY: Uh-huh.

19 MEMBER WALLIS: It's just it's hard to  
20 read it. Okay.

21 DR. KELLY: Yeah, I'm sorry about that.  
22 They looked great on the computer screen.

23 MEMBER WALLIS: That's all right, I can  
24 see it now.

25 DR. KELLY: But so what I did was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 introduce a correction factor, one plus the correction  
2 factor for nuclear boiling and this is where we get  
3 off on a little bit shakier ground but if you want to  
4 try to match that data, you have to do something and  
5 I did compare this to Friedel and the previous model  
6 is more accurate than Fridel.

7 MEMBER WALLIS: Now, is this because they  
8 have an error in the acceleration pressure draw? To  
9 get this friction thing, you have to take away gravity  
10 and acceleration, don't you?

11 DR. KELLY: Yeah, I actually reduced this  
12 data and I --

13 MEMBER WALLIS: Putting in the void  
14 fraction?

15 DR. KELLY: Well, no they reported the  
16 void fractions from a gamma densitometer. Okay.

17 CHAIRMAN BANNERJEE: But not the wall void  
18 fraction, just the overall, right?

19 DR. KELLY: Just the overall, the cross-  
20 section average.

21 MEMBER WALLIS: So then you took way the  
22 acceleration pressure drop. Was that a big effect?

23 DR. KELLY: In this case it was -- it  
24 wasn't a factor of four. It was more 10, 20 percent  
25 kind of number, okay. I don't know the physical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 phenomena that causes this.

2 CHAIRMAN BANNERJEE: Probably wall  
3 roughness, right?

4 DR. KELLY: Well, maybe.

5 MEMBER WALLIS: It also stirs things up  
6 and increases it.

7 DR. KELLY: That's what I believe. You  
8 know, if you go and like read Collier's textbook, you  
9 talk about sub-cool boiling and wall roughness. Well,  
10 maybe but -- I don't have the plot to show you but one  
11 of the plots I made when I was looking at this was I  
12 colored the points as to whether they were sub-cooled  
13 or saturated. Sub-cooled points laid right on top of  
14 the saturated.

15 MEMBER WALLIS: But to makes ships slide  
16 through the water better, they put bubbles through the  
17 hull and it decreases the friction. When you put  
18 bubbles in your boiling tube, it increases the  
19 friction.

20 DR. KELLY: Confined versus -- internal  
21 versus external.

22 MEMBER WALLIS: Well, I don't know.

23 DR. KELLY: But I think this is what you  
24 were talking about. If you had nuclear boiling going  
25 on, you have bubbles that are, you know, if you will,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the boundary layer, moving out into the center of  
2 the pipe.

3 MEMBER WALLIS: Stirring things up.

4 DR. KELLY: Stirring things up in a high  
5 velocity liquid.

6 MEMBER WALLIS: Stirring momentum  
7 transversely.

8 DR. KELLY: Exactly. That's what I think.  
9 I --

10 MEMBER WALLIS: Does this have a  
11 turbulent flow?

12 DR. KELLY: Yeah, because the mass flux is  
13 there.

14 MEMBER WALLIS: If it was laminar, it's  
15 not going to be laminar for long with all those  
16 bubbles.

17 DR. KELLY: Right, but now, these are  
18 pretty mass flux.

19 MEMBER WALLIS: Now, is this sub-cooled  
20 boiling at the end there or is that -- sub-cooled sort  
21 of shakes things around without actually --

22 DR. KELLY: In this region, up to about  
23 here, some of these points are sub-cooled, some of  
24 them are saturated.

25 MEMBER WALLIS: They appear and go appear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and go, so they really stir things up presumably.

2 DR. KELLY: But you know, just like when  
3 you're trying to explain why heat transfer is so good  
4 in nuclear boiling, the bubble departs and the liquid  
5 rushes in behind it, well, that would effect all drag  
6 as well. That's what I think is going on here but  
7 this wasn't a fundamental, you know, investigation  
8 into how to model wall drag. It was just trying to  
9 quickly get over a problem that TRACE had. So what I  
10 did was develop an empirical model using the data from  
11 this one source because that was the only source I  
12 had.

13 You ask if this was laminar. The mass  
14 fluxes are relatively high. The lowest is about 500  
15 kilograms unit square per second going up to close  
16 2,000.

17 MEMBER WALLIS: Everything you do, of  
18 course, is in SI units?

19 DR. KELLY: Yes.

20 MEMBER WALLIS: That's true, that's a  
21 true statement?

22 DR. KELLY: Yes.

23 MEMBER WALLIS: So when you --

24 DR. KELLY: Well, bar, I should put MPA,  
25 but you know, I use those two. Occasionally, I'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 give the English units in quotes but --

2 MEMBER WALLIS: What is G then? G is --

3 DR. KELLY: Mass flux.

4 MEMBER WALLIS: Milligrams per square  
5 meter per second?

6 DR. KELLY: Yes. So these are pretty  
7 high. And these tubes were like -- they were like  
8 three different diameter tubes. They were around a  
9 half inch to three-quarter inch. So this is highly  
10 turbulent flow. One of the reasons for that is you  
11 have to get it to these kind of mass fluxes or wall  
12 drag is not large enough to measure.

13 CHAIRMAN BANNERJEE: So when you had no  
14 boiling, everything worked and Lockhart-Martinelli  
15 worked well --

16 DR. KELLY: Yeah, slightly different than  
17 Lockhart and Martinelli.

18 CHAIRMAN BANNERJEE: Yeah, whatever, close  
19 to it, and now, you've got boiling, so you would think  
20 you'd use something like Martinelli-Nelson, right,  
21 because have of that quality. And the line there is  
22 what, Lockhart-Martinelli still or --

23 DR. KELLY: Yes.

24 CHAIRMAN BANNERJEE: But that shouldn't  
25 apply to a boiling system exactly because there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 additional, as you say, turbulence generated by  
2 boiling. But there is Martinelli-Nelson, right,  
3 where he has this series of curves for different --

4 DR. KELLY: Yeah, again, but that's going  
5 back to correlating in terms of mass flux and then you  
6 end up with either -- you know, tables or very  
7 complicated models. Now, I compared this simple, you  
8 know, Lockhart-Martinelli type model.

9 CHAIRMAN BANNERJEE: Diabetic, I mean --

10 DR. KELLY: Adiabatic flow. I compared  
11 that against Friedel for both the adiabatic and the  
12 diabatic case. This simple model did a better job  
13 than the two-phase four multiplier that everyone is  
14 recommending using. Now, I --

15 MEMBER WALLIS: But if you talk to Tom  
16 Handratti (phonetic), he doesn't use anything except  
17 his models, so you'd better use his, now see what  
18 happens there.

19 DR. KELLY: Well, I used one of his models  
20 in the code and in one case I tried using one and it  
21 didn't work. But so I developed a relatively simple  
22 empirical model for that correction factor and I used  
23 the bubble departure diameter that came from Levy, but  
24 you'll notice a lot of it is the function of the void  
25 fraction. It has a maximum of about 50 percent void

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and goes to zero --

2 MEMBER WALLIS: This is surface tension,  
3 Saul Levy has surface tension and bubble up the wall.

4 DR. KELLY: Yeah, there's a surface  
5 tension and a wall shear stress. Okay. Yeah.

6 MEMBER WALLIS: Okay, I remember that.  
7 It goes back a long way, late '50s or something.

8 DR. KELLY: Yeah, so this gave me -- this  
9 resolved the mass flux effect.

10 MEMBER WALLIS: What have people been  
11 doing since the '50s? They've been just screwing  
12 everything up?

13 DR. KELLY: Well, I was at a presentation,  
14 I don't remember what the conference was but Professor  
15 Hewitt was talking and he was talking about pressure  
16 dropping pipelines. And he started out and he showed  
17 the HEM model and he showed the comparative data and  
18 you know, it looks reasonable. It has the right  
19 trends.

20 And then he said, then along the way, we  
21 thought about this, whatever this phenomena was, and  
22 you know, it kept getting bigger. And as it went  
23 through time, it got bigger and bigger and bigger,  
24 until the correlation covered, you know, several  
25 slides. And then he showed performance and accuracy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 versus time. Accuracy versus time went down as the  
2 models got more and more complicated.

3 And I don't remember exactly what his quip  
4 was, but it was basically like the more and more we  
5 learn, the less we knew.

6 MEMBER WALLIS: It's like students in  
7 universities, they can do -- they can do less math  
8 when they graduate than when they came in.

9 DR. KELLY: I can't do math at all any  
10 more. So at any rate, when you put this in and you  
11 compare it against the data. Now, again, this is the  
12 data that it was developed from, it's very accurate.  
13 It had nearly a zero average error and an RMS error --

14 MEMBER WALLIS: That's what bothers me a  
15 bit about just using this Ferrill volume, I mean,  
16 there's a lot more data out there.

17 DR. KELLY: You'd be surprised --

18 MEMBER WALLIS: It's a lot of work to  
19 collect it and test it all, validate against it.

20 CHAIRMAN BANNERJEE: Is this in that tube,  
21 this data?

22 DR. KELLY: Yes.

23 MEMBER WALLIS: Straight tube?

24 DR. KELLY: And it's surprising how little  
25 pressure drop data there is where the void fraction is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 measured.

2 CHAIRMAN BANNERJEE: I thought there was  
3 some --

4 DR. KELLY: There's a whole lot of  
5 pressure drop data --

6 MEMBER WALLIS: Well, it doesn't matter  
7 because you're going to calculate the void fraction in  
8 TRACE and then you're going to feed it back into it.

9 DR. KELLY: Right.

10 CHAIRMAN BANNERJEE: Isn't there some  
11 Canadian data that -- I know they used neutron  
12 densitometers. I don't know if --

13 DR. KELLY: Maybe but I didn't find it  
14 when I looked.

15 MEMBER WALLIS: Yeah, but you'd have to  
16 have measured the void fraction in order to test the  
17 model because now you've got the model, you can  
18 predict the void fraction and complete the loop and  
19 just test -- compare friction pressure draw.

20 DR. KELLY: And when we have an  
21 application where wall drag becomes a high priority  
22 phenomenon, we'll do exactly that. But now, remember,  
23 I got it to work for films in condenser tubes and  
24 that's what I wanted to do. And then along the way,  
25 I just went ahead and improved the model from what was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there before because I considered it a glaring  
2 deficiency. I did not do this work because wall drag  
3 and bubbly slow was giving us any trouble.

4 But you mentioned that we could use the  
5 void fraction and compare the data. Well, you can  
6 only do that if you interfacial drag models are any  
7 good. And so now we're making a change. We're going  
8 to talk about interfacial drag and we had basically  
9 two problems with the legacy models that we inherited,  
10 accuracy and unphysical oscillations. And I'm going  
11 to show you examples of both of those.

12 I know these are hard to read up here.  
13 This is calculated versus measured void fraction and  
14 this is some steam water pool data of Berringer and  
15 you'll notice one point --

16 MEMBER WALLIS: What do you mean by pool  
17 data now?

18 DR. KELLY: It's steam bubbling up through  
19 a pool. The liquid isn't flowing.

20 CHAIRMAN BANNERJEE: It is a level swell.

21 DR. KELLY: In effect, yes.

22 MEMBER WALLIS: The bubbles are usually  
23 bigger than you think.

24 CHAIRMAN BANNERJEE: But drift flux does  
25 a pretty --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And they follow each  
2 other. They get caught in each other's wakes and  
3 things.

4 DR. KELLY: That's where we're headed.

5 MEMBER WALLIS: But you know, boiling data  
6 usually gives you a higher velocity of bubbles than if  
7 you just take something out of an air/water data.  
8 That's what I think you're showing here, isn't it?  
9 The void fraction is less.

10 DR. KELLY: Well, let me answer that as we  
11 go through this.

12 CHAIRMAN BANNERJEE: Yeah, but this was  
13 using the interfacial drag models in --

14 DR. KELLY: From the old code, the models  
15 we inherited. And this is steam water pool. You see  
16 it consistently over-predicts. And then there's this  
17 very funny bump in here once you go above about 10  
18 percent in the data and so --

19 CHAIRMAN BANNERJEE: It's transition, I  
20 guess.

21 DR. KELLY: Exactly.

22 MEMBER WALLIS: Those are bigger bubbles,  
23 bigger bubbles.

24 DR. KELLY: Well, remember, this is the  
25 code model not the data. This is calculated versus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 measured. So we should be lying right along this  
2 line.

3 MEMBER WALLIS: So what's the basis of  
4 the calculation?

5 CHAIRMAN BANNERJEE: It's an interfacial  
6 drag correlation.

7 DR. KELLY: The one that was existing in  
8 the code and I'm going to show you a part of it but  
9 I'm not going to go through the details because I  
10 don't want to spend all the presentation time --

11 CHAIRMAN BANNERJEE: Then you eventually  
12 get to drift flux base.

13 DR. KELLY: Right, because I'm going to  
14 throw this model away. This is just showing you why  
15 I'm doing the work.

16 MEMBER WALLIS: Well, the real question  
17 is, what's the bubble rise velocity?

18 DR. KELLY: We're getting there. This one  
19 is void fraction versus elevation. This is for a rod  
20 bundle. You know the other was for what a six-  
21 centimeter pipe and this is for a rod bundle. It's  
22 basically just a -- it's like a low pressure boil-off  
23 type condition. And two things to notice in this, one  
24 is a large over-prediction in this bubbly, slug  
25 whatever kind of area and in this part you'll notice

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the void fraction level is out at 75 percent. The  
2 wasn't calculated with TRACE. It was done on a  
3 spreadsheet but I put the TRACE --

4 MEMBER WALLIS: Usually that results  
5 because of a C1 or something that once you get a high  
6 void fraction it's all dominated by that distribution  
7 coefficient that Novack has that --

8 DR. KELLY: Yeah, we'll get to that.

9 MEMBER WALLIS: But we're there already,  
10 though.

11 DR. KELLY: Yeah, the reason this is flat  
12 here is because it comes from the spreadsheet  
13 solution. That actual models in TRACE oscillated so  
14 badly that I didn't know what value to put here. If  
15 you take that same calculation and I show you one of  
16 those elevations versus time, it looks like that, and  
17 yeah, there are some oscillations in the data but  
18 they're not this big. So I had two problems. One was  
19 accuracy and the other was unphysical oscillations.

20 This shows how you get at least the  
21 oscillation problem. I took those models --

22 MEMBER WALLIS: One way to get  
23 oscillation is just to have a flow regime map where  
24 the computer can't make up its mind and it goes into  
25 annular and it says annular is unstable, you'd better

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 go back to slug and it says slug is unstable, you'd  
2 better go to annual, and so it just hops around  
3 between the two forever.

4 DR. KELLY: Uh-huh, and in effect, what  
5 was done -- this in interfacial friction coefficient  
6 versus void fraction and it's a log linear scale.

7 MEMBER WALLIS: Three orders of  
8 magnitude?

9 DR. KELLY: Yes.

10 MEMBER WALLIS: This is like a materials  
11 plot.

12 MEMBER KRESS: Or a PRA.

13 CHAIRMAN BANNERJEE: PRA.

14 MEMBER SIEBER: It's not that bad.

15 DR. KELLY: And you know, it comes up and  
16 hits the peak about right. There's this funny, you  
17 know, transition here. But what's really the problem  
18 is this --

19 MEMBER WALLIS: This is predicted, this  
20 curve here?

21 DR. KELLY: Yeah, that's what you get  
22 using the old TRAC-PF-1 models and they use a linear  
23 interpolation of a drag coefficient between a void  
24 fractions of 50 and 75 percent. So this is a linear  
25 interpolation from whatever they would calculate here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to here, to an annular floor model. I won't mention  
2 what annular floor model.

3 MEMBER WALLIS: What's going on here?  
4 You said interfacial friction coefficient of  $10^4$ .

5 DR. KELLY: Yeah.

6 MEMBER WALLIS: It doesn't make sense to  
7 me.

8 DR. KELLY: Well, it's not the point that  
9 the --

10 MEMBER WALLIS: CF is  $10^4$ .

11 DR. KELLY: Well, in other slide I'll show  
12 you what the interfacial drag coefficient is. This is  
13 not the .005 number. Okay, it has the interfacial  
14 area for unit volume built into it.

15 CHAIRMAN BANNERJEE: Plus you have a form  
16 drag here.

17 MEMBER WALLIS: Even so.

18 DR. KELLY: But at any rate, the problem  
19 here is there's three orders of magnitude and they're  
20 doing a linear interpolation which means the minute  
21 you move onto that ramp, this changes by orders of  
22 magnitude. So it's exactly what Professor Wallis  
23 said, the code would say, okay, I'm a void fraction of  
24 75 percent, it has to be annular flow. The annular  
25 flow drag is so low it couldn't support the liquid.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The liquid falls down and goes oh, I'm in bubbly slug,  
2 you hit it with this huge one. You throw the liquid  
3 up and keep going back and forth.

4 MEMBER WALLIS: Which is actually what  
5 happens --

6 CHAIRMAN BANNERJEE: Which is actually --

7 MEMBER WALLIS: Actually what happens in  
8 the pipe.

9 DR. KELLY: Yeah, but this is for  
10 different reasons, okay.

11 MEMBER WALLIS: It happens in the pipe.

12 CHAIRMAN BANNERJEE: It has turbulence.

13 MEMBER WALLIS: It slides down the wall  
14 until it's unhappy and then it gets all mixed up and  
15 it goes up and then it comes back down again and --

16 DR. KELLY: But we're not doing slug  
17 tracking, we're doing, you know, volume and time  
18 average equations.

19 MEMBER WALLIS: If you had this fine  
20 nodalization my colleague talked about, you'd probably  
21 capture all that. You've got all these transients  
22 that look like slug flow bubbles.

23 CHAIRMAN BANNERJEE: That's what happens  
24 in GE chimneys. They're right in this regime, 60 to  
25 75.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: Yeah, I have some data that  
2 I'll show later in the presentation and then we can  
3 talk a little bit --

4 CHAIRMAN BANNERJEE: It would be nice to  
5 do a chimney calculation with TRACE with fine  
6 nodalization.

7 MEMBER WALLIS: Slug annular transition  
8 is very interesting because, in fact, you've got two  
9 regimes in the pipe at the same time. And trying to  
10 model it with one is fraught with some difficulty.

11 DR. KELLY: And what's been done in the  
12 past in all of these codes is you say I think I know  
13 this one, I think I know this one. Let's do some kind  
14 of interpolation between them. And I'm not going to  
15 much of --

16 MEMBER WALLIS: Part of it's been the  
17 pressure to deliver something. You have to do  
18 something so you assume you interpolation because you  
19 have to get on with the problem, deliver something to  
20 the NRC.

21 DR. KELLY: And in this case, the linear  
22 interpolation causes a problem.

23 MEMBER WALLIS: Are you going to  
24 interpret it in your paper or --

25 CHAIRMAN BANNERJEE: He's going to change

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the model.

2 MEMBER WALLIS: He's going to change it  
3 anyway. He's going to change it anyway.

4 CHAIRMAN BANNERJEE: He's going to use the  
5 slides.

6 MEMBER WALLIS: But you seem to be  
7 changing so many things here.

8 DR. KELLY: Yeah, and I never intended to,  
9 but you know, if you look at void traction in a rod  
10 bundle, at a low pressure boil-off condition, this is  
11 what you see in AP-1000 during the passive cooling  
12 phase. If you look at this, how large this error is  
13 then --

14 MEMBER WALLIS: Well, this is why we do  
15 large-scale experiments in order to get our feet on  
16 the ground properly.

17 DR. KELLY: This is a huge error in  
18 inventory and in a small break LOCA, whether it's you  
19 know, a passive plant that's depressurized or not,  
20 inventory is that name of the game.

21 MEMBER WALLIS: Where does all the water  
22 go when you get that difference?

23 CHAIRMAN BANNERJEE: Out the break.

24 MEMBER WALLIS: Always out the break?

25 DR. MAHAFFY: Where else? There's nowhere

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to go.

2 DR. KELLY: So --

3 MEMBER WALLIS: Why didn't you take  
4 pictures instead of this sort of --

5 DR. KELLY: I should have but these are my  
6 cartoons and they're not very good but they give you  
7 an idea. These are the four flow regimes that we  
8 basically consider. I'm going to take about these  
9 three because these are the three I changed.

10 CHAIRMAN BANNERJEE: Where is churn  
11 annular which is a huge flow regime?

12 DR. KELLY: Yeah, that's kind of between  
13 these and that's -- I'll talk about that transition as  
14 well but that's where we don't know much.

15 CHAIRMAN BANNERJEE: That's what will  
16 happen in the chimneys.

17 DR. KELLY: And I'll show you how well we  
18 do or don't in just a few slides. I showed you the  
19 basic two problems with the legacy models, accuracy  
20 and oscillations. So to improve the accuracy, I'm  
21 going to implement a drift flux base interfacial drag  
22 model. So for dispersed bubble regime a simple  
23 turbulent model, for the slug or Taylor cap bubble  
24 regime, the Kataoga-Ishii and for rod bundles, a mono  
25 Bestion, this was actually an early Catar model that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was published in the open literature so I could use  
2 it.

3 And then for my transition, rather than do  
4 linear weighting, I'm going to use a power wall  
5 weighting scheme and I'll show you that in a minute.  
6 Step one is you have to take a drift flux model and  
7 turn it into an interfacial drag coefficient. So this  
8 gives you an idea of what the interfacial drag  
9 coefficient is. Bring this relative velocity squared  
10 over here and you get the force per unit volume, the  
11 interfacial drag force per unit volume. So it's just  
12 IC times V relative square. In other words, it has  
13 the density and it has the interfacial area inside it.

14 So the first thing I did, and I'm not the  
15 only one that's done this, but I basically copied some  
16 other work. I equate it to the buoyancy force and  
17 that gives me the interfacial drag coefficient as a  
18 function of void function and relative velocity.  
19 Well, that doesn't help me because I don't know the  
20 relative velocity but I can get the relative velocity.

21 MEMBER WALLIS: Drag force is what, per  
22 unit volume of the stuff or per unit volume of the  
23 pipe or what?

24 DR. KELLY: Per unit volume of the --  
25 yeah, the flow area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: The pipe.

2 DR. KELLY: The pipe, right.

3 MEMBER WALLIS: Okay, so if I'm thinking  
4 about one bubble, I have a lot of difficulty figuring  
5 that out because I have to have one minus alpha or  
6 something in there to get the force on the one bubble.

7 DR. KELLY: Right.

8 MEMBER WALLIS: Okay, that's why it looks  
9 a little funny here.

10 DR. KELLY: Right. So yeah, this is a  
11 buoyancy force in a pipe. Well, what I want to do now  
12 is express that relative velocity in terms of the  
13 drift flux model. Well, the first thing you have to  
14 realize is that in a code like TRACE, the velocities  
15 that we talk about which we normally just say are  
16 velocities, are actually void weighted velocities.  
17 They're actually void and density weighted because  
18  $\alpha \text{ times } \rho \text{ times } V \text{ equals the mass flux and it's}$   
19  $\text{really } \alpha \rho V \text{ you know, at cross-sectioned}$   
20  $\text{averaged. So the little vertical lines means these}$   
21  $\text{are void weighted. That's what you get form a TRACE}$   
22  $\text{calculation if you look at the velocities.}$

23 CHAIRMAN BANNERJEE: You can take the  
24 densities to be uniform across the pipe.

25 DR. KELLY: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Why does density come  
2 into it at all?

3 CHAIRMAN BANNERJEE: It's the way the  
4 equations are set up. They separate the -- what  
5 happens is you should have products of averages equal  
6 to -- averages of products. It comes to that. This  
7 is fabric averaging basically.

8 DR. KELLY: Right.

9 MEMBER WALLIS: But that means that when  
10 you have a VG with a bar it's not the average velocity  
11 of the gas.

12 DR. KELLY: Right.

13 MEMBER WALLIS: This is getting very  
14 confusing.

15 CHAIRMAN BANNERJEE: It's void.

16 MEMBER WALLIS: Yeah, but it gets  
17 something which has sort of strange poles when you go  
18 to extremes and things that don't make sense, right?

19 CHAIRMAN BANNERJEE: I haven't looked at  
20 that.

21 DR. KELLY: So then what you do is you go  
22 to -- you can show from a drift flux model --

23 MEMBER WALLIS: This -- now, I understand  
24 what you mean by real and hypothetical scenarios.

25 DR. KELLY: Well, this is the area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 averaged velocities that people talk about in the  
2 drift flux model.

3 MEMBER WALLIS: You know, there are some  
4 bogus theories about this now based on false averages  
5 that you've got to be careful about.

6 DR. KELLY: I'm trying.

7 MEMBER WALLIS: And I think you're doing  
8 a good job but you've got to be careful about these  
9 different sorts of averages and things.

10 CHAIRMAN BANNERJEE: This ground has been  
11 covered by a number of people including the KATAR  
12 people.

13 DR. KELLY: Right.

14 MEMBER WALLIS: You're relearning it all,  
15 though.

16 CHAIRMAN BANNERJEE: It's not relearning  
17 but it's --

18 DR. KELLY: Fortunately, I spent two years  
19 working there and I learned a few things while I was  
20 there. So when you plug this in, you get the  
21 interfacial drag coefficient as a function of void  
22 fractions and the drift flux velocity and then the  
23 second term over here, which is the ratio of the  
24 cross-sectional average velocity to the relative  
25 velocity in the code. That second term in TRACE we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 define it as a profile slip factor so going here --

2 MEMBER WALLIS: What on earth does that  
3 mean?

4 DR. KELLY: It means, if you ignore this,  
5 you see we have something that's a function of a drift  
6 flux velocity. The second term which we've -- you  
7 know, it's TRACese, if you will, is going to bring in  
8 the distribution coefficient or distribution  
9 parameter, a C sub zero and that's how this is done.

10 This comes out of a paper by Ishii and  
11 Mushima that relates the two and you do the algebra,  
12 this is what it ends up being as a function of c sub  
13 zero alpha and the individual phase velocity as the  
14 TRACE computes.

15 CHAIRMAN BANNERJEE: Let me ask you a  
16 question, here. This approach is quite similar to  
17 what is done in other codes. How does your final  
18 product that comes out of this compare with say KATAR  
19 and things like that?

20 DR. KELLY: It should be very -- well,  
21 this should --

22 CHAIRMAN BANNERJEE: Is it identical?

23 DR. KELLY: It's not identical to KATAR  
24 because they don't do the C sub-zero thing exactly.  
25 They correlate -- they don't correlate C sub-zero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 They have a different distribution. They have their  
2 own distribution parameter that they use. In earlier  
3 versions of KATAR, they did it exactly this way.

4 CHAIRMAN BANNERJEE: Why do they use a  
5 different distribution coefficient?

6 DR. KELLY: I don't know. It's not one --

7 CHAIRMAN BANNERJEE: Do they have a  
8 different data base or what?

9 DR. KELLY: Well, they --they don't use a  
10 distribution coefficient in the Zuber-Findley  
11 definition, okay. They use a -- let me see, let me go  
12 to --

13 CHAIRMAN BANNERJEE: They use it --

14 DR. KELLY: In this relative velocity that  
15 you multiply this coefficient by, there's like a c  
16 sub-one multiplying the liquid velocity, it's  
17 something like that. They correlate that C sub-one.  
18 So it's not direct -- you can't take the KATAR  
19 correlation, the most recent one, and turn it, and go  
20 back and do a hand calculation like you can with the  
21 drift flux philosophy.

22 CHAIRMAN BANNERJEE: Let me ask a more  
23 general question. KATAR has been through this  
24 exercise in enormous detail and with all their  
25 verification, validation stuff like that. And they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a list of closure relationships and so on. How  
2 -- you're coming up with a set with an independent  
3 assessment. How does your set and theirs compare at  
4 the end of the day? And if there are differences, why  
5 are there differences, different data sets?

6 DR. KELLY: And --

7 CHAIRMAN BANNERJEE: They're smart guys  
8 and they've been looking at it a long time.

9 DR. KELLY: Yeah, I considered using the  
10 drift flux correlation from KATAR in this but there  
11 were some questions as to whether we could or not, you  
12 know, whether it was proprietary information because,  
13 remember KATAR is co-funded.

14 CHAIRMAN BANNERJEE: It's all published.

15 DR. KELLY: Not the details. One of the  
16 models that I am going to use is the Bestion model for  
17 rod bundles and that was from an earlier version of  
18 KATAR that was published in Nuclear Engineering and  
19 Design. But the models in the more recent KATAR  
20 version are not published in the open literature or  
21 they may give you part of the model. You know, like  
22 they would say -- they might show you the drift flux  
23 and they's show the C sub-one in it, but then not give  
24 you the correlation for C sub-one.

25 CHAIRMAN BANNERJEE: So for example, have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you seen the lecture that Bestion gave at the NRC  
2 here?

3 DR. KELLY: No, did not.

4 CHAIRMAN BANNERJEE: I have the text if  
5 you want and all the tables and stuff. It seemed that  
6 he had every correlation --

7 DR. KELLY: He might, I don't know.

8 CHAIRMAN BANNERJEE: -- that was used in  
9 KATAR there and all the methodology.

10 DR. KELLY: But at the time that I was  
11 doing this, I had to go into the KATAR code to pull  
12 out the details of the model.

13 MEMBER WALLIS: There's someone you  
14 should have on your peer review.

15 DR. KELLY: That would be a very good  
16 idea, if Dominique is available.

17 MEMBER WALLIS: And how about this idea  
18 which we've floated several times including in our  
19 research report that we need more international  
20 cooperation on these things, both in the code  
21 development and in the test facilities because they're  
22 expensive. Is that something which we can make happen  
23 or are you going to be working sort of independently  
24 the way you appear to be doing now?

25 DR. KELLY: Well, in test facilities, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly are trying to do it. And for example, we  
2 participate in the ROSA program and that's a very  
3 important one because they do things like the cooling  
4 -- the cool-down transients in the steam generators.  
5 So that would be very important when we start working  
6 on the --

7 MEMBER WALLIS: Well, I get the  
8 impression that you plus Bestion might be a very good  
9 combination rather than both of you working  
10 independently

11 CHAIRMAN BANNERJEE: Team, yeah.

12 DR. KELLY: All right, I have worked with  
13 Dominique before and I really did enjoy it.

14 CHAIRMAN BANNERJEE: Especially on the  
15 constitutive equation side and then on the numerical  
16 side they've got some really top people as well. I  
17 mean, they wrote it fully implicit to start with back  
18 in '79 or whenever they started this thing.

19 DR. KELLY: Yeah, and which worked well  
20 for the one decomponents but not for 3-D. Then they  
21 actually implemented sets for the 3-D vessel.

22 CHAIRMAN BANNERJEE: The 3-d, you know,  
23 frankly, I think the 3-D stuff or any 3-D stuff is  
24 going into extremely detailed questioning.

25 DR. KELLY: Multi-region.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: But some of this  
2 stuff is okay, I think.

3 DR. KELLY: Yeah, I would welcome --

4 MEMBER ABEL-KHALIK: Can I ask a related  
5 question to the two questions that were just asked?  
6 You have said earlier that you have changed roughly 75  
7 percent of the constitutive relations in the code.  
8 And have you just simply purged the code, purged these  
9 correlations out of the code?

10 DR. KELLY: You mean, as opposed to  
11 leaving them in with a switch?

12 MEMBER ABEL-KHALIK: No, as opposed to  
13 giving the user options to use different constitutive  
14 relations. And the reason I'm asking is presumably  
15 some of the constitutive relations that you have  
16 discarded or sort of judged to be inadequate may still  
17 be available in the vendor codes of record. Is that  
18 correct?

19 DR. KELLY: It's correct that some of  
20 those models may still be in a vendor code but --

21 MEMBER ABEL-KHALIK: Okay, so --

22 DR. KELLY: -- now, what I did -- what I  
23 did, depended upon the model. If, for example, the  
24 way the wall drag was done was so wrong that we took  
25 it out but we took it out in stages. We left it in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 for awhile with a switch, so we only applied the new  
2 wall drag model if it was flagged as a PCCS-2 and then  
3 gradually as we went through the assessment, we  
4 expanded that.

5 One of the reasons that we don't do what  
6 you're suggesting or what I think you're suggesting is  
7 something called the user effect. And if you go to  
8 the international standard problems, one of the things  
9 they did were blind calculations. So they would run  
10 a test, lock up the data, give the initial and  
11 boundary conditions to all the participants and have  
12 them run the various different codes. And what you  
13 found by looking at the code results was often that  
14 the differences between calculations with the same  
15 code were much larger than differences between the  
16 codes and the reason was attributed to something  
17 called the user effect. And sometimes that's from  
18 geometry modeling. You know, if some people just make  
19 a mistake or they choose to do something differently,  
20 but it's also sometimes from selecting different  
21 models and if you give the users a lot of flexibility,  
22 they'll use it.

23 MEMBER ABEL-KHALIK: But my question  
24 originated from a different perspective. Presumably  
25 you're developing code so that the NRC can have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 independent capability of evaluating calculations that  
2 are done by the vendors. And let's say at the end of  
3 the day, you have a large difference between what the  
4 NRC codes predict and what the vendor predicts. Now,  
5 how do you go about the process of finding out who's  
6 right and who's wrong or where the differences come  
7 from?

8 DR. KELLY: Okay, you know, that's the job  
9 of NRR but we would assist them in. But I can tell  
10 you what I would do. And if you find a difference,  
11 then you -- you know for a particular transient, and  
12 you look at where that difference occurs and when it  
13 occurs, you know, is it a certain component at a  
14 certain time caused by a certain phenomena that's not  
15 being modeled well in one of the codes or the other.

16 Then you go to the assessment basis for  
17 both codes and you try to find the assessment that was  
18 done for that phenomena in that range of conditions  
19 and then it's that which proves which of the two  
20 models was superior or not, which one was right and  
21 which one you shouldn't believe.

22 Now, I can't speak to that because I don't  
23 work at NRR and I don't know that they've had to do  
24 that yet or if they've made a decision based on that.

25 MEMBER WALLIS: I'm not sure they know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 how to do it because you had difficulty yourself doing  
2 it, figuring out why the codes were giving different  
3 results. And they'd have to have your kind of  
4 expertise and I don't think they have it. So it's  
5 going to be a mystery to them why the two codes give  
6 different answers.

7 DR. KELLY: Well, of course, yeah, but of  
8 course, we are available any time they come to us and  
9 ask. I mean, that's our job is to support NRR. And  
10 if, you know, they were to come and say, "We ran, you  
11 know, Code X on this new plant and we got this answer,  
12 yours is completely different, which should we  
13 believe", then we would spend some time with them to  
14 straighten it out.

15 MEMBER WALLIS: Well, then there's the  
16 specter of running TRACE on the old plants and finding  
17 out that something that was approved before now is in  
18 question.

19 DR. KELLY: Yeah, well, you know, for most  
20 of what was approved before was done very  
21 conservatively. So as our models get more accurate  
22 and their comparisons get more realistic, what you  
23 should discover is that there historically was a very  
24 large margin. That margin is steadily being eroded by  
25 power upgrades and you know, things being taken off

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 line so they can be repaired. And that's one of the  
2 reasons that the codes need to have a much higher  
3 accuracy than they used to have.

4 MEMBER WALLIS: Let me go back to an  
5 earlier question; does RELAP have all these things  
6 that you've corrected here which were like the old  
7 TRACE before it was corrected?

8 DR. KELLY: It has some and that's why I  
9 knew where to look in TRACE.

10 MEMBER WALLIS: But should we assume that  
11 if RELAP ran these things you've indicated here, it  
12 would give the same kind of inaccurate answers.

13 DR. KELLY: Well, for example, for the  
14 film condensation, it had exactly the same. I say  
15 had, and at the time of the SBWR submittal, we were  
16 going to be using RELAP-5. And my job at that time  
17 was to look at PCCS condensation with RELAP-5 and  
18 sure enough, the same thing, the liquid films, you  
19 know, fall several meters a second which is completely  
20 unphysical. And it was because of  $\alpha$  -- you know  
21 the one minus  $\alpha$  rho V squared and the pressure  
22 drop. That one minus  $\alpha$  when that  $\alpha$  goes to  
23 one, doesn't work.

24 MEMBER WALLIS: You're getting me  
25 concerned here, because I've been on this committee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 longer than I thought I would be, and at times along  
2 the way we have approved vendor codes, which when you  
3 look at the -- if you could get ahold of it, the  
4 documentation, that is about as shaky as the stuff you  
5 presented here, and yet they presented most of the  
6 comparisons and stuff and they made a case for  
7 themselves and eventually we got persuaded but it may  
8 be that if we had the sort of knowledge you have now,  
9 we'd have been much more critical.

10 DR. KELLY: You know, for me, you have to  
11 look at the intended application and what's important  
12 for that application and that's why you do the PIRT  
13 based assessment and you have to do a good job of  
14 that.

15 MEMBER WALLIS: Well, there has to be  
16 someone with the sort of knowledge you have looking at  
17 the problem. You can't just have ACRS looking at what  
18 a vendor gives us and we can't just have NRR saying  
19 well, it looks okay to me compared with a few  
20 experiments.

21 CHAIRMAN BANNERJEE: But the vendor also  
22 gives it to NRR who presumably asks you for some  
23 discussion of detailed points.

24 DR. KELLY: Well, now a days, NRR  
25 actually runs the vendor codes and compares them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sometimes to experiments that are not part of the  
2 vendor's assessment base as well as doing a cross-  
3 comparison to either RELAP-5 or TRACE.

4 MEMBER WALLIS: When they do a cross-  
5 comparison with RELAP-5, it's still got these old  
6 glitches in it. What's the value of this comparison  
7 if it has these errors of an order of magnitude that  
8 you showed with this falling film?

9 DR. KELLY: Well, but I corrected --

10 CHAIRMAN BANNERJEE: But that's very  
11 specific.

12 MEMBER WALLIS: It's a very specific  
13 thing, right.

14 DR. KELLY: Yeah, and that specific one  
15 I've corrected in RELAP-5.

16 MEMBER WALLIS: But you've corrected 75  
17 percent, of a large, very large number of model.

18 DR. KELLY: Right, but there was a  
19 difference between TRAC-PF-1, Mod 2 and RELAP-5 and  
20 the difference was TRAC-PF-1 Mod 1 was modified  
21 extensively as a result of reviewer comments.

22 MEMBER WALLIS: It was tuned.

23 DR. KELLY: No, it was -- all the models  
24 were completely changed basically. And then the code  
25 was pretty much put on a shelf because large break

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 LOCA was not an -- you know, a focus at the time.

2 MR. CARUSO: It was not reassessed.

3 DR. KELLY: Right, exactly. And wasn't,  
4 you know, used by the international community very  
5 much either.

6 MEMBER WALLIS: So what screwed it all up  
7 was the reviewer comments?

8 DR. KELLY: Well, that's what the code  
9 developers would say but I don't believe that. What  
10 the problem for me is, is that the level of effort was  
11 not continuous. You know, it doesn't have to be a  
12 huge level of effort but it has to be continuous. You  
13 have to build a talented team, keep it together.

14 MEMBER WALLIS: But you have some people  
15 in management who believe that it's all over, that  
16 these codes were mature, nothing has really happened  
17 since the '70s or something. We don't need to do any  
18 more work on them.

19 MR. CARUSO: Closure.

20 MEMBER WALLIS: How do you change that?

21 DR. KELLY: Show them the ACRS comments  
22 from 1993 when you guys reviewed applying RELAP-5 to  
23 AP-600 for the first time.

24 MR. CARUSO: Closure is the word. That's  
25 what they like.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: We're not dealing, very  
2 obviously, in terms of errors in the third significant  
3 digit.

4 CHAIRMAN BANNERJEE: Joe, we are going to  
5 need to finish in about 15 minutes. You've got --

6 DR. KELLY: I can actually --

7 CHAIRMAN BANNERJEE: -- a whole bunch of  
8 slides on interfacial drag, I see.

9 DR. KELLY: Right.

10 CHAIRMAN BANNERJEE: Why don't you pick  
11 out the ones that you think are the most important.

12 DR. KELLY: Right, I can do that. So, I  
13 won't go through the details of these models but  
14 they're pretty simple. Instead I'll show you some of  
15 the results. There is one kind of major point in  
16 here that threw me for awhile. If you're going to use  
17 a dispersed bubble flow regime and then transition to  
18 either a slug or a seal cap bubble, depending upon the  
19 tube diameter, basically, you have to have some  
20 transition criteria, and this plot shows void traction  
21 versus a non-dimensional gas superficial velocity and  
22 that is for air/water pool data. And you'll notice  
23 down here, this is very well fit by a churn turbulent  
24 model. This is pretty well fit by a cap bubble model  
25 but you have to get from here to there and back again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 And what I did was a very simple linear interpolation  
2 of a drift flux velocity between 20 and 30 percent  
3 void fraction.

4 MEMBER WALLIS: What's the X axis here?

5 DR. KELLY: The X axis is a non-  
6 dimensional gas velocity.

7 MEMBER WALLIS: How is it made non-  
8 dimensional, with surface tension?

9 DR. KELLY: Basically by a bubble rise  
10 velocity.

11 MEMBER WALLIS: It's a surface tension  
12 thing.

13 DR. KELLY: Yeah, it's this.

14 MEMBER WALLIS: Yeah, it's that.

15 DR. KELLY: The sigma G delta rho of a rho  
16 squared of a quarter power.

17 CHAIRMAN BANNERJEE: Single bubble rise  
18 velocity.

19 DR. KELLY: Right. It works great for  
20 this. I checked it on some other air/water data. It  
21 worked great, but again, I looked at more data and it  
22 doesn't work so great. If you look at steam/water  
23 data, now, this is some the old Wilson bubble rise  
24 data. Void fraction again, versus non-dimensional gas  
25 velocity. The black diamonds are the data. You'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 notice it's very well fit by the cap bubble flow  
2 regime. It's not fit at all by the dispersed bubble  
3 regime and if you follow the red line, that's the  
4 transition that I proposed based on air/water data.

5 CHAIRMAN BANNERJEE: That's quite high  
6 pressure data, isn't it?

7 DR. KELLY: Yes, this is four megapascals  
8 and it's a 10 centimeter pipe. Okay, so this is fit  
9 by cap bubble even down at void fractions, you know,  
10 below 20 percent. When you think --

11 CHAIRMAN BANNERJEE: How much was the  
12 pressure in the previous data that you showed?

13 DR. KELLY: This is atmospheric.

14 CHAIRMAN BANNERJEE: The ratio is quite  
15 different.

16 DR. KELLY: Yeah, but I looked at other  
17 air/water data and the 20 to 30 percent void kind of  
18 fit, because, you know, once you get up above 20, 25  
19 the bubble densities are so high, the bubbles coalesce  
20 and you go to cap bubbles. For steam, these are  
21 adiabatic tests but it's still -- you seem to be  
22 getting things that are cap bubbles at void fractions  
23 where you don't expect it.

24 And this is steam water pool data over a  
25 range from atmospheric up to, I think that's four

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 megapascals and you see the same kind of thing. I  
2 showed this -- well, I would have showed this earlier.  
3 Now we fit in the cap bubble regime very well using  
4 the Kataoka-Ishmii model. This porturbation comes  
5 about when we're transitioning to the dispersed bubble  
6 which you think you ought to do at wall void  
7 fractions.

8 MEMBER WALLIS: Is this porated water?

9 DR. KELLY: In these cases, probably not.

10 MEMBER WALLIS: Well, I'm just saying if  
11 there's some sort of conglomeration of these bubbles  
12 and it depends on how they're made and what their  
13 original size is. It may depend on the water  
14 chemistry as well as the other things.

15 DR. KELLY: Right, well, I came up with  
16 two explanations for why they might work like cap  
17 bubbles. The first came out of the paper of Zuber and  
18 Findley, because they presented the distribution  
19 parameter and said it works great for all of this data  
20 but these other three tests it doesn't work so well.

21 MEMBER WALLIS: If you put a few drops of  
22 dishwashing detergent in there, you'll get a --

23 DR. KELLY: Yeah, but I think it's this  
24 because if you go into the lab and set up a boiling  
25 experiment, and I remember very clearly being in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Professor Dhir's lab looking at this sub-cool boiling  
2 experiment, and you just look at -- you know, you have  
3 water flowing up, your nucleation starting and you're  
4 in sub-cool boiling regime. You see these little  
5 bubbles. They're about .2 millimeters in diameter.  
6 They're almost perfectly spherical. There can be a  
7 lot of them. The void fraction can be 20, 30 percent  
8 okay, but there are these beautiful little bubbles.  
9 Then you get to the point, the elevation where you've  
10 reached  $T_{sat}$  in the liquid and it's like an explosion  
11 occurs.

12 MEMBER WALLIS: At low pressure, yeah.

13 DR. KELLY: Yeah, but all of a sudden the  
14 bubble radius goes from these .2 up to about four  
15 millimeters, just bang, over a very short axial  
16 distance.

17 MEMBER WALLIS: Also they get caught in  
18 each other's wakes which helps to increase their  
19 speed.

20 DR. KELLY: But, you know, all of that  
21 happens in air/water data. What I think is happening  
22 here is flashing. The bubbles are growing because  
23 they're basically at that point in a super-heated  
24 liquid environment. And you have that interfacial  
25 area, that's where the vapor generation is, is at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bubble surface. And the bubbles rapidly get large and  
2 act more like cap bubbles rather than spherical  
3 bubbles.

4 Well, at any rate, I had these, you know  
5 this model worked great for air/water data. Didn't  
6 work for steam/water data. So what I did for sub-cool  
7 two-phase flow --

8 MEMBER WALLIS: You haven't got any  
9 Russian stuff in here? There's all kinds of Russian  
10 -- Ludwin Soff (phonetic) and all sorts of people did  
11 work on this kind of stuff. I remember Criara  
12 (phonetic), we had to go to them to get correlations  
13 that worked for some of these the flashing bubbles.  
14 I don't remember all the names but there was --

15 DR. KELLY: Some of the void fraction data  
16 that I have in pools, I think is Russian, but this is  
17 Wilson, which was Allis-Chalmers, I think. I mean,  
18 we're going back aways and I'm not sure where this was  
19 from, but by using different transitions, I got much  
20 better --

21 MEMBER WALLIS: So what parts of the  
22 reactor circuit does this apply to?

23 DR. KELLY: Well, this is for pipes, not  
24 for rod bundles.

25 MEMBER WALLIS: And what parts of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor circuit does it apply to?

2 DR. KELLY: Anything vertical.

3 MEMBER WALLIS: Are there many vertical  
4 pi-pipes in reactors that are of any length?

5 CHAIRMAN BANNERJEE: SBWR.

6 DR. KELLY: Not too many but we actually  
7 use this for horizontal as well.

8 MEMBER WALLIS: See, that's another  
9 concern with all of these codes, is you can perfect  
10 these correlations for a well-defined situation but  
11 then in real geometry of a real reactor system,  
12 there's all kinds of stuff and the shapes are not  
13 straight vertical pipes.

14 DR. KELLY: That's true.

15 MEMBER WALLIS: So it's again a great  
16 leap to take these correlations and methods and apply  
17 them to any part of reactor circuit.

18 DR. KELLY: Well, you asked about the SBWR  
19 chimney --

20 MEMBER WALLIS: Yeah, but that's because  
21 we have a concern about that, yes, but you see that's  
22 another question I have about all these codes is yes,  
23 you can twiddle them as much as you like but then  
24 you're going to apply them to everything.

25 CHAIRMAN BANNERJEE: But those are also in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very large pipes and --

2 DR. KELLY: That's the point here. See,  
3 this is a half meter diameter pipe and it's hard to  
4 find the --

5 CHAIRMAN BANNERJEE: Is that the Ontario  
6 hydro data?

7 DR. KELLY: Not this, this is Wilson  
8 bubble rise. It's steam water pool, so the water is  
9 not moving here. You're bubbling --

10 CHAIRMAN BANNERJEE: Now that you've  
11 developed this correlation, it would be a good cold  
12 test. You've got the Ontario hydro data now.

13 DR. KELLY: We've done that. You're  
14 talking about the one case where they reduced the  
15 inventory in the loop and keep pumping the flow around  
16 and have void fraction as function of time.

17 CHAIRMAN BANNERJEE: Well, they have  
18 pressure drop void fraction and for different  
19 pressures. I'd have to look at the report again but  
20 it's quite a lot of data.

21 DR. KELLY: That may be different than  
22 what we have. What we have as part of the TRAC-B  
23 assessment, they presented an assessment against some  
24 Ontario hydro data. It was a void fraction in large  
25 diameter pipe, but it was presented as void fraction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 versus time and there was really one part and there's  
2 about five different plateaus on it where they  
3 operated at five different inventory levels. And we  
4 do have that as part of our assessment.

5 CHAIRMAN BANNERJEE: How did that agree  
6 with the --

7 DR. KELLY: It agreed --

8 CHAIRMAN BANNERJEE: Was it a large pipe?

9 DR. KELLY: Yeah, it agrees -- oh, darn  
10 it.

11 CHAIRMAN BANNERJEE: Because that's what  
12 GE is using for the -- for the --

13 DR. KELLY: I pressed wrong. It agreed  
14 very well in here. Okay, up to void fractions on the  
15 order of 60 some percent.

16 MEMBER WALLIS: Now, this is your new  
17 version you're showing us here.

18 DR. KELLY: Right.

19 CHAIRMAN BANNERJEE: And then up to the  
20 70, 75?

21 DR. KELLY: Up in here rounded 80 percent,  
22 the data would have been 70 and we predict 80. And  
23 that doesn't sound that bad but --

24 MEMBER WALLIS: Well, doesn't C<sub>o</sub> say you  
25 can't get above a fraction with one over C<sub>o</sub> or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 something, you can't get above a void fraction with a  
2  $C_0$  the way you have it in there. You can't get above  
3 a void fraction of one over  $C_0$ , I think. So if  $C_0$  is  
4 1.2, there's no way you're going to predict above .85.

5 DR. KELLY: Well, let's see --

6 CHAIRMAN BANNERJEE: But  $C_0$  is of course,  
7 not going to be 1.2 in churn annular.

8 MEMBER WALLIS: Well, I don't know what  
9 he's got for -- I don't know what he's got for --

10 DR. KELLY: Yeah, this is how we  
11 transition in. The bubble slug model is going to go  
12 to zero pretty rapidly in here. And if you remember  
13 that profile slip factor, we don't let it get lower  
14 than .05. That's the reason for this inflection. For  
15 these conditions, that meets that annular flow model  
16 and --

17 MEMBER WALLIS: That annular flow doesn't  
18 have any  $C_0$  in it, does it?

19 DR. KELLY: Right, no.

20 MEMBER WALLIS: It's a different thing  
21 all together, different basis all together.

22 DR. KELLY: Right. They cross over at a  
23 void fraction of about 9 percent for those conditions  
24 and what we do is a power-law weighting of the two and  
25 we get this curve in between. So we'll be doing this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and transitioning to annular in here.

2 MEMBER WALLIS: Now, what you're doing  
3 here is very interesting. It reminds me of a large  
4 number of Ph.D theses that were done at one time  
5 comparing different models and things like that and  
6 somehow or other, yours is going to be better than all  
7 these other ones.

8 DR. KELLY: Well, in this case, I'm using  
9 literature based models. I'm not developing a new  
10 model. I'm just putting literature models into the  
11 code.

12 MEMBER WALLIS: A few selected ones which  
13 the most sort of robust or something.

14 DR. KELLY: Right, right, I try a lot of  
15 them. You know, I built this into a spreadsheet where  
16 I could quickly put a model in and try it out against  
17 a lot of data and also try out different transition  
18 schemes and that's what I came up with for rod  
19 bundles.

20 CHAIRMAN BANNERJEE: This is why I was  
21 saying, it would be worth doing a comparison with  
22 another comprehensive set if you could access it and  
23 see what the differences are, if any.

24 DR. KELLY: Yeah.

25 CHAIRMAN BANNERJEE: I mean, maybe in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effect you are the same.

2 DR. KELLY: Yeah, well, this worried me  
3 when I did this comparison because there was a  
4 consistent trend.

5 MEMBER WALLIS: You know, for 40 years  
6 I've seen things like this and you find that you get  
7 some Russian paper and he's got a wonderful  
8 correlation of everything and everything works fine.  
9 And then you see someone else's paper and it seems to  
10 look with the same data and everything else and it  
11 correlates on some other scheme all together. This  
12 has been going on forever. And so I'm just wondering  
13 how is it that yours is going to somehow be so robust  
14 that it isn't going to be subject to the same problem,  
15 that when you apply it to something else, it doesn't  
16 work and all that stuff.

17 CHAIRMAN BANNERJEE: With some new data or  
18 some different situation, clearly it may or may not  
19 work.

20 MEMBER WALLIS: So the stuff you want to  
21 apply it to is what's most appropriate to the  
22 application you have in mind.

23 DR. KELLY: Yeah. Now, what I want to say  
24 is about this section because this bothered me. And  
25 when we ran the Ontario hydro test, the one test that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we got the data from GE from, we compared very well  
2 except for one data point which was up in this region  
3 and okay, 70 percent versus 80 percent doesn't sound  
4 like that big an error.

5 MEMBER WALLIS: The bubbles are going  
6 slower than you predict, is that right?

7 DR. KELLY: Let's see, we're predicting  
8 too much water, so we're saying the water is going too  
9 slow, so the liquid fraction has to be too high. And  
10 what that --

11 MEMBER WALLIS: The void fraction is too  
12 high so the bubbles are hanging around too long and  
13 they move too slowly.

14 DR. KELLY: Well, our void fraction --  
15 this is the calculated. The calculated is under-  
16 predicting.

17 MEMBER WALLIS: The real one is higher.

18 DR. KELLY: Right, so what that means is  
19 that --

20 MEMBER WALLIS: The bubbles are going  
21 slower then?

22 DR. KELLY: In reality. We have too much  
23 slip, if you will. The reason this is of concern to  
24 me you know, 70 to 80 percent for a lot of things,  
25 that's close enough but what we're really talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about is 20 versus 30 percent.

2 MEMBER WALLIS: In terms of liquid  
3 fraction, that's huge.

4 DR. KELLY: It's a 50 percent error. And  
5 if this is what -- and the void fraction versus  
6 elevation is pretty much constant in the chimney.

7 MEMBER WALLIS: But here the error is --  
8 there's more than a factor of --

9 DR. KELLY: You know, axially.

10 MEMBER WALLIS: -- two in liquid  
11 fractions.

12 DR. KELLY: Oh, great.

13 MEMBER WALLIS: Are you silenced now?

14 DR. KELLY: I dropped the battery out.  
15 That's what you get when you're up here, but so what  
16 I did you know, we have the Thermal-Hydraulic  
17 Institute. Actually, we're kind of between contracts  
18 now. We're finishing off a contract. So there is --  
19 I have a task order in place at Purdue University to  
20 first go through the data, you know, try to establish  
21 a data base of large pipe diameter data that we can  
22 compare the interfacial drag models to. And it turns  
23 out they had just built a facility, I don't remember  
24 what it was for, but someone else paid for it and we  
25 ended up with very large diameter pipe, close to a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 foot in diameter and a very large pump and they can  
2 get their air supply from the wind tunnel. So we can  
3 go up into this regime in a pretty large pipe.

4 CHAIRMAN BANNERJEE: How long is the pipe?

5 DR. KELLY: I think it's about 30 feet  
6 long. It's however long the airport building out at  
7 Purdue University is.

8 MEMBER WALLIS: Well, oil wells have a --  
9 and gas wells have big pipes that are very long, all  
10 kinds of data there, all kinds of void fractions.  
11 It's not so easy to get hold of though is the problem.

12 DR. KELLY: Yeah, so, you know, their  
13 first task, which they're working on now, is to try to  
14 find whatever data they can in large diameter pipes  
15 and the reason is, to look at these conditions for the  
16 --

17 MEMBER WALLIS: The other thing to do is  
18 to run a full scale test and take the answers you get.

19 CHAIRMAN BANNERJEE: There's not going to  
20 be steam water high pressure.

21 DR. KELLY: No.

22 CHAIRMAN BANNERJEE: That was the beauty  
23 of the Ontario hydro data and you should -- my  
24 suggestion would be if those data are good, because  
25 they had beautiful gamma densitometers, and they had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two gamma densitometers, I think, and it was very well  
2 instrumented.

3 DR. KELLY: Well, I'll have to see -- you  
4 know, all I have are the literature papers and the  
5 very short section from the TRAC-G assessment.

6 CHAIRMAN BANNERJEE: Right, and they had  
7 also the fluctuations in the void and the --

8 DR. KELLY: Well, remember they're running  
9 this through a pump. They're running a two-phase  
10 mixture through a pump.

11 CHAIRMAN BANNERJEE: Right, right.

12 DR. KELLY: And they have to infer the  
13 inlet conditions to that pipe by assuming HEM flow  
14 coming out the pump.

15 CHAIRMAN BANNERJEE: Well, whatever it is  
16 they have the data, yeah.

17 MEMBER WALLIS: But it develops in a  
18 short distance they claim.

19 DR. KELLY: Uh-huh, so to go ahead and  
20 finish this up, I talked about oscillations earlier,  
21 with the power wall weighting. This is the answer.

22 MEMBER WALLIS: Is that the right answer?

23 DR. KELLY: Yeah, you'll see in just a  
24 second. What I did for rod bundles and this is where  
25 I took the Bestion model, notice how very simple it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is. It looks like a slug flow model with the  
2 exception that it has the gas density in the  
3 denominator, not the liquid density.

4 MEMBER WALLIS: Whoa, wait a minute.  
5 What is this?

6 DR. KELLY: This is the model that  
7 Dominique Bestion developed --

8 MEMBER WALLIS: Describing a bubble.

9 DR. KELLY: -- for --

10 MEMBER WALLIS: That's got no density at  
11 all.

12 DR. KELLY: For rod bundles, it works.

13 MEMBER WALLIS: That's baloney, baloney.  
14 I mean, if rho G goes to zero, this goes to infinity.  
15 It makes absolutely no sense at all.

16 DR. KELLY: Well, but rho G doesn't go to  
17 zero, it goes to --

18 MEMBER WALLIS: The bubble, the density  
19 of the bubble doesn't matter, you can fill out the  
20 rest of the sentence.

21 DR. KELLY: No, I mean, I know what you're  
22 saying is that it should be --

23 MEMBER WALLIS: There's a big different.

24 DR. KELLY: You think it should be a  
25 liquid density.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Unless you've got a  
2 density ratio of 1,000 or something, it doesn't matter  
3 whether it's a million. Density cannot effect bubbly  
4 flow at all.

5 DR. KELLY: I don't know why this works.  
6 There are questions --

7 MEMBER WALLIS: Probably because the  
8 whole model is wrong and you should be using  $\rho G v$   
9  $G$  squared and using some other kind of a model based  
10 on the gas drag on something. It's the only way this  
11 could make sense if you're holding up droplets with a  
12 big gas or something.

13 DR. KELLY: Yeah, that's what it --

14 MEMBER WALLIS: Are you sure this isn't  
15 a typo? This isn't a typo somewhere?

16 DR. KELLY: Yeah.

17 CHAIRMAN BANNERJEE: Show us what happens.

18 DR. KELLY: Okay. The other -- this is  
19 the drift philosophy. The other part is the  
20 distribution parameter.

21 MEMBER WALLIS: This must be a steam  
22 water at high pressure.

23 DR. KELLY: Most of the data was at low  
24 pressure but I'm going to show you both.

25 MEMBER WALLIS: If I go to something like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a distillation plant from --

2 CHAIRMAN BANNERJEE: Wait, wait, let him  
3 show the data.

4 MEMBER WALLIS: -- with very low gas  
5 density, I'm going to get an enormous velocity.

6 DR. KELLY: This is on the order of meters  
7 a second.

8 MEMBER WALLIS: Yeah, but if I make rho  
9 G very small.

10 DR. KELLY: I'm talking about one  
11 atmospheric --

12 MEMBER WALLIS: Like we'll do fractions  
13 of an atmosphere because of distillation of the sea  
14 wall or desalination or something, you're going to get  
15 --

16 DR. KELLY: Well, this is an empirical  
17 model, so this is not -- this is empirical, not you  
18 know --

19 MEMBER WALLIS: But no one is going to  
20 believe it.

21 CHAIRMAN BANNERJEE: Well, let's see the  
22 data.

23 DR. KELLY: Okay, for the distribution  
24 parameter, it was initially developed with a constant  
25 factor of 1.2. I first put it into TRACE using the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one suggested by Ishii which goes from 1.2 to one as  
2 you go towards the critical point. But then as we  
3 were doing data comparisons, there was a  
4 recommendation by Coddington and Masian it's a pretty  
5 recent paper, to use C sub zero equal one for rod  
6 bundles. When you do that, this is what you get.

7 This is at basically BWR conditions. Five  
8 megapascals, mass fluxes from 700 to 1500, heat fluxes  
9 typical of a boiling water reactor. This is  
10 calculated void fraction versus measured. This was  
11 TRACE calculations using C sub zero from the issue  
12 model and this is using C sub zero set to one.

13 MEMBER WALLIS: That's using his bogus  
14 velocity?

15 CHAIRMAN BANNERJEE: What about low  
16 pressure?

17 DR. KELLY: Yeah. Getting there. And you  
18 can see that the average error and RMS error are  
19 greatly improved by going to C sub zero equals one.  
20 That looks pretty good.

21 MEMBER WALLIS: This goes for void  
22 fraction of zero, the gas density matters are the void  
23 fraction of zero when there's no gas there at all?  
24 That makes absolutely no sense.

25 DR. KELLY: I don't know why that works

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but it works fairly well.

2 CHAIRMAN BANNERJEE: Next slide.

3 DR. KELLY: This is at low pressure boil-  
4 off conditions. This is two different flex C set  
5 cases. One is at 20 psi, the other is at 40 psi and  
6 you have void fraction versus elevation. Obviously,  
7 this is where boiling starts. These are decay heat  
8 levels, yo know, like five percent kind of power so  
9 there's really no sub-cool boiling. And so the data  
10 taken with DP cells are the red diamonds and when you  
11 see this kind of behavior, this is where a grid spacer  
12 is. That's why these two values, for example, on the  
13 data are low relative to the other values of the data.

14 The dash blue line is the Bestion model  
15 with you know, C sub zero basically equal to 1.2 and  
16 the black line is when C sub zero equals to one, and  
17 it fits the data quite well.

18 MEMBER WALLIS: Did Bestion apply to  
19 anything else?

20 DR. KELLY: It's only applied to rod  
21 bundles. We put in a -- the old TRAC model used the  
22 same correlations for tubes and rod bundles. We knew  
23 rod bundles behaved differently so we put in, you  
24 know, this model for rod bundles. And then this is  
25 high pressure boil-off at THTF, four and a half

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 megapascals but you know, the lift was almost  
2 stagnant. And again, the red diamonds are the data  
3 and they well-fit with C sub zero equaled to one.

4 CHAIRMAN BANNERJEE: Was this model  
5 published in his Nuclear and Design Paper?

6 DR. KELLY: Yes.

7 CHAIRMAN BANNERJEE: Strange it go  
8 through. I wonder who reviewed it.

9 DR. KELLY: And that takes us to  
10 horizontal stratified flow and here I'm going to show  
11 results only. What we did --

12 MEMBER WALLIS: If you put a bubble in an  
13 air water tank it goes with a velocity of five meters  
14 a second as I calculate from this?

15 CHAIRMAN BANNERJEE: It comes under the  
16 square root.

17 MEMBER WALLIS: There's no way. I mean,  
18 it goes -- I took the square root of a thousand and I  
19 got 30. Five meters a second, I mean, we know that it  
20 goes to the velocity, which is you know, there's all  
21 kinds of plots of bubble velocities.

22 DR. KELLY: Yeah, around 20 centimeters.

23 MEMBER WALLIS: Twenty centimeters a  
24 second. So there's something really -- very peculiar  
25 going on here. It is a good note to quit so we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 get over this.

2 CHAIRMAN BANNERJEE: No, no, I think we  
3 should finish this.

4 DR. KELLY: I'm actually almost finished.

5 MEMBER WALLIS: Okay.

6 DR. KELLY: In TRACE --

7 MEMBER WALLIS: Are you going to tell us  
8 anything more fantastic?

9 CHAIRMAN BANNERJEE: It's not his fault.

10 DR. KELLY: And you know, when you look at  
11 horizontal flow, these are basically the type flow  
12 regimes people talk about. Again, I'm idealizing them  
13 with cartoons. In TRACE we really only model  
14 stratified smooth and then what I call a normal flow  
15 regime. And then similar to KATAR or RELAP 5, we  
16 interpolate between the normal regimes and a fully  
17 stratified and that interpolation factor becomes if  
18 you will, the interfacial drag for the regimes in  
19 between. The reason I looked at this was poor  
20 accuracy for high pressure conditions, large  
21 oscillations and a loft in CCTF in the lags and  
22 problems with ESBWR horizontal vent clearing.

23 Looking at co-current stratified flow, the  
24 TPTF facility, this is well, JAEA and Japan used to be  
25 JARED (phonetic). It's an eight-inch diameter pipe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and what you have is calculated versus measured void  
2 fraction. This is at four different pressure levels  
3 from three megapascals to 8.6 and this is TRACE before  
4 I changed the model. You'll notice it consistently  
5 over-predicts.

6 After we changed the model, it does a  
7 pretty good job. For counter-current flow in a PWR  
8 hot leg, we looked at the looked at the UPTF data.  
9 This is a full scale facility, so this hot leg is full  
10 scale, 36 inches or something in diameter. Here's a  
11 simulator for the steam generator. You have the  
12 reactor vessel over here, providing a steam source.  
13 You establish a steam flow. Then you turn on the  
14 spray to model a fall-back from the steam generator.  
15 So you have liquid flowing counter-current.

16 There's one thing that's not prototypical  
17 for USPWR and that's the hutze, which is the hot --  
18 they have hot leg ECCS in Germany and this is where  
19 this --

20 MEMBER WALLIS: The hutze, I thought it  
21 was a huftze with an F.

22 DR. KELLY: It's H.

23 MEMBER WALLIS: It's an H? I thought an  
24 F instead of a T. I never -- maybe I got it wrong.  
25 It's hutze.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: So this does effect the CCFL,  
2 if you will, that occurs here but that was the best  
3 data the we had to look at.

4 MEMBER WALLIS: So you're saying that the  
5 counter-flow flooding is a natural consequence of the  
6 drag model, it's not something which is an  
7 instability?

8 DR. KELLY: Well, what I'm doing here is  
9 the transition which is basically a Titel (phonetic)  
10 Ductworth type criteria which does have to do with an  
11 instability but I also built in a CCFL model into the  
12 transition.

13 MEMBER WALLIS: Oh, so you also built it  
14 in.

15 CHAIRMAN BANNERJEE: You don't put it  
16 through Tao I (phonetic) and VGJ or anything like  
17 that.

18 DR. KELLY: Not directly. It's the --  
19 you've determined a fraction of a stratification  
20 factor if you will and you use that factor to do  
21 actually a log ramp between interfacial drag for  
22 stratified and non-stratified flow. This, again, was  
23 just an improvement to the model that was already  
24 there.

25 CHAIRMAN BANNERJEE: Yeah, I should tell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you something which has been recently found. It's  
2 just been published in the International Journal of  
3 Multi-Phase Flow for Stratified Flows. Rad Isha at  
4 Imperial, I think wrote a paper where they took just  
5 the usual stratified flow equations, yours must be  
6 some version of it, with whatever is normal  
7 interfacial drag. And they did a very find  
8 nodalization so they were looking for oil/gas  
9 pipelines. And they were able to develop slug flow  
10 naturally.

11 DR. KELLY: By having instabilities  
12 propagated.

13 CHAIRMAN BANNERJEE: Automatically and the  
14 slugs died automatically. So if they got it to fine  
15 enough nodalization, they modeled a 30-kilometer  
16 pipeline and they had many, many measurement locations  
17 and Jeff Shubert (phonetic) is doing it right now.  
18 They were able to predict the slug -- the severe slug  
19 distribution, everything just from the equations.  
20 They didn't have to put in any flow regime  
21 transitions, nothing. Sort of interesting.

22 MEMBER WALLIS: Well, it gave the non-  
23 uniform void fraction in the pipe then.

24 CHAIRMAN BANNERJEE: Yeah. Well, when  
25 there's slug, here's slug.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:    But these guys tried to  
2 predict a void fraction which is the same all along  
3 the pipe going to -- these codes.

4                   CHAIRMAN BANNERJEE:  They just gave that  
5 inlet conditions.

6                   DR. KELLY:  Yeah, and let it develop as a  
7 function of time and space.  Yeah, of course, we're  
8 using nodes that are on the orders of meters long.

9                   CHAIRMAN BANNERJEE:  Well, this is one of  
10 the things that Jeff was telling me.  He said the  
11 current state of the art is that they can use for a 30  
12 kilometer pipeline nodes which are like this.  How is  
13 it that they're able to do it and we can't do it?

14                   DR. KELLY:  They're modeling one pipe and  
15 not a reactor system.

16                   CHAIRMAN BANNERJEE:  A pipe, I mean, it  
17 doesn't seem that different.  They have terrain  
18 changes.  They have all sorts of things coming in and  
19 out and --

20                   MEMBER WALLIS:  But the fine nodalization  
21 is somewhat different isn't it?  Still, the length of  
22 the node to its diameter is reasonable.  It's not a  
23 tiny little slice.

24                   CHAIRMAN BANNERJEE:  It's of the order of  
25 the pipe diameter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Yeah, but it's not a  
2 slice, yeah.

3 DR. KELLY: Yeah, you know, I'm not saying  
4 we shouldn't look at that for the next generation.  
5 But remember what I'm trying to do here is fix  
6 something that's broken as quickly as possible so the  
7 assessment can continue.

8 MEMBER WALLIS: So your next slide shows  
9 that works, right?

10 DR. KELLY: Yeah.

11 MEMBER WALLIS: You were able to make it  
12 work.

13 DR. KELLY: Yeah, so this is a flooding  
14 plot,  $J$  sub  $G$  non-dimensional square root,  $J$  sub  $L$ .  
15 This is actually the Richter model is the black line,  
16 which is the sum of those is equal to 0.7 if I  
17 remember right. The red --

18 MEMBER WALLIS: It's empirical, right.

19 DR. KELLY: Yes, the red squares and  
20 triangles are the data. You'll notice they follow  
21 this line quite well until this point and this is the  
22 no flooding point where all the liquid just comes down  
23 from the steam generator into the vessel. This is the  
24 results in blue of TRACE with the previous models. At  
25 15 megapascals, at least there's some flooding, okay,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but at the three megapascals almost all the points  
2 allow no water coming back into the vessel at all. It  
3 was pretty bad. When I changed the model, I then get  
4 a pretty good comparison, not perfect but certainly  
5 much improved.

6 MEMBER WALLIS: Well, it's about as  
7 perfect as you can get.

8 DR. KELLY: Well, if you -- you know, each  
9 one of -- like this point corresponds to this point in  
10 the data because the way the tests are run are by  
11 establishing a steam flow, then turning the water on  
12 and seeing how much water collects in the vessel.

13 MEMBER WALLIS: This is from a smooth  
14 interfacial drag model? No.

15 DR. KELLY: You use a smooth interfacial  
16 drag but what controls it is the interpolation to the  
17 normal bubbly type flow regimes.

18 MEMBER WALLIS: Oh, that's what controls  
19 it.

20 DR. KELLY: Right.

21 MEMBER WALLIS: Well, that's not what  
22 happens in reality.

23 DR. KELLY: No, but that's what I had to  
24 work with.

25 MEMBER WALLIS: But you can make your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predict, but I think your physical model doesn't  
2 describe why it floods in reality.

3 DR. KELLY: Yeah, I built the CCFM model  
4 into the transition criteria.

5 MEMBER WALLIS: I mean, I can make an  
6 annular model predict bubbly flow by fiddling the  
7 coefficients. It's not necessarily a very good model  
8 that way.

9 DR. KELLY: I tried to look for wavy  
10 stratified models and in particular I used one from  
11 Hanratty and when I put that in, I couldn't get the  
12 counter-current flow at all. You know, it just always  
13 held the water up. So that's what we did, at least  
14 what I can show you today in the time I had in order  
15 to do TRACE 5.0. But looking beyond 5.0, we know  
16 where some of the models aren't terribly good and  
17 where we should spend some time and in some cases we  
18 already had done experimental programs and we just  
19 haven't had time to generate a model or select a model  
20 using that data to go into the next code version.

21 So one thing that we've already started  
22 doing is putting a component model in TRACE for the  
23 ESBWR suppression pool to try to account at least in  
24 the first order for the thermal mixing -- for the  
25 thermal stratification and mixing in the suppression

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pool. So it will have a bubble plume model and a  
2 turbulent buoyant plume model in it.

3 MEMBER WALLIS: That's a tough one  
4 actually.

5 DR. KELLY: That's a very tough one, but  
6 anything is better than complete mixing. We did have  
7 an experiment as part of the Thermal Hydraulic  
8 Institute with one-tenth sector model and an extensive  
9 thermal couple cage in it. So we have some data to  
10 use on that.

11 MEMBER WALLIS: Don't they say they get  
12 100 percent condensation or something in this?

13 DR. KELLY: A hundred percent  
14 condensation, yes, but that --

15 MEMBER WALLIS: Is that realistic?

16 DR. KELLY: Well, 100 percent up to  
17 whatever the partial pressure is above the interface.  
18 That's -- I think that's realistic. The question  
19 though is, what is the temperature of the water at the  
20 interface. And that has to do with how much of the  
21 tank participates in the mixing process.

22 And we ran two sets of experiments at  
23 Purdue. One we good the PUMA facility and put a  
24 thermal couple cage into their suppression pool, and  
25 just quickly ran some tests in that. And so if we ran

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those tests with pure steam coming in, then it would  
2 depend upon whichever vent is cleared, but say we're  
3 just talking about the top vent, basically all of the  
4 water above the top vent mixed. It was pretty much  
5 complete mixing. Now, we're not the same lateral  
6 scale as the ESBWR but that's what we saw.

7           If you added just half a percent, you  
8 know, mass fraction of air to that, what you get is a  
9 bubble plume because the bubbles don't -- I mean, the  
10 air doesn't condense. The bubble plume is very  
11 effective at mixing it. With that very small air  
12 fraction, it mixed the entire suppression pool in the  
13 PUMA facility. When we did the 1/10th sector, we saw  
14 exactly the same thing. And so which in retrospect  
15 makes sense because you use bubble plumes to break up  
16 thermal stratification in reservoirs.

17           So there will be a very simple model, it  
18 will be better than complete mixing. The next one is  
19 interfacial drag in rod bundles. We have two new data  
20 sources. One is the RBHT. We ran a series of  
21 interfacial drag tests in that, just, you know,  
22 basically boiling water and measuring the drag, the  
23 void traction, actually measuring delta Ps and  
24 inferring void fraction from that.

25           But over and above that, there's a new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 data source that was made available to us as part of  
2 an international standard problem and it's boiling  
3 water reactor -- actual real boiling water reactor  
4 bundles.

5 MEMBER WALLIS: This RBHT is the Penn  
6 State?

7 DR. KELLY: Yes.

8 MEMBER WALLIS: That's all low pressure?

9 DR. KELLY: Yes.

10 MEMBER WALLIS: And they get their --  
11 they assume it's all a constant uniform pressure or --  
12 that's --

13 DR. KELLY: I don't know. I haven't  
14 looked at how they -- when I do it, I'll start with  
15 the raw data and make sure, you know --

16 MEMBER WALLIS: Do you know whether they  
17 measured the pressure of they system?

18 DR. KELLY: Yes.

19 MEMBER WALLIS: Things like that, which  
20 we raised when we read their report? Okay.

21 DR. KELLY: You know, and I will check my  
22 answers to their answers as to when I infer what the  
23 void fraction is. But this is actual BWR conditions.  
24 Heat fluxes, pressures and mass fluxes, it's the best  
25 data set we've ever had.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN BANNERJEE: Where was that taken?

2 DR. KELLY: It was taken in Japan, I  
3 believe it's funded by NUPEK (phonetic). It's  
4 proprietary data, so we can't release it but we can  
5 use it.

6 CHAIRMAN BANNERJEE: It's in reactor data?

7 DR. KELLY: Actually no. They took a rod  
8 bundle and they put it inside a CAT scan machine, so  
9 it's an electrically heated rod bundle, full eight by  
10 eight and they put it inside a CAT scan machine to get  
11 sub-channel distributions, which we're not worried  
12 about, but they also had three other gamma  
13 densitometers so you have area average values for the  
14 void fraction at four different axial elevations.  
15 It's the best, most productive data we've ever had, so  
16 we want to use it. The new re-flood model, again,  
17 using the RBHT data and the post-CHF data from UCLA,  
18 the --

19 CHAIRMAN BANNERJEE: What is the post-CHF?  
20 We haven't heard about that.

21 DR. KELLY: It's the first program was  
22 just on a flat plate, but we have a little three by  
23 three rod bundle with a refrigerant and what we're  
24 going to try to do, I'm not sure we're going to be  
25 successful, but what I want to do is not do reflood

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 test but do steady state, low quality film boiling  
2 test and if you remember back 20 some years ago,  
3 Renaveld and others developed a hot patch technique.  
4 Well, you can do that on a tube, but as we've looked  
5 at in one of the previous presentations, film boiling  
6 in a rod bundle in a tube is very different. And so  
7 what we want to do is in effect, put a little hot  
8 patch at the beginning of these rods and that's one of  
9 the reasons for using a refrigerant, by having a very  
10 short high heat flux region, at the beginning of a  
11 rod, you can trip it into post-CHF and stay at film  
12 boiling conditions down stream of that even though  
13 you're at low powers.

14 CHAIRMAN BANNERJEE: But with the  
15 refrigerant, is this V.J. Dhir's program?

16 DR. KELLY: Yes, it's one we're funding  
17 through the Thermal Hydraulic Institute. Now, it  
18 hasn't been funded for awhile, so it just started back  
19 up and I don't have results yet. I don't know if it's  
20 going to work but I wanted to try it because that  
21 would give a steady state film boiling data in a rod  
22 bundle and that greatly enhances your ability to  
23 generate a constitutive model from it.

24 The next one is looking at grid spacer  
25 effects, both how it effects convective heat transfer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and what it does to drop diameters model like what's  
2 in COBRA TF but using our RVHT reflood and drop  
3 injection test data. Sub-cool boiling, we ran an  
4 experiment at low pressure at UCLA and we haven't had  
5 a chance to go back and use that data yet and finally  
6 critical flow in an orifice and --

7 CHAIRMAN BANNERJEE: Going back to the  
8 sub-cool boiling, we had a presentation a few years  
9 back from UCLA and at that point we raised the  
10 question as to how this very detailed modeling and  
11 experiments was going to find its way into TRACE. And  
12 you guys, I seem to remember, said that you were  
13 looking into this and that was two or three years ago.  
14 So where are we on this now, same point?

15 DR. KELLY: Now, we're in almost the same  
16 point and that's because I have been doing this other  
17 stuff. I haven't had a chance to get through that.

18 CHAIRMAN BANNERJEE: Is this just a lack  
19 of manpower or is it --

20 DR. KELLY: It has --

21 CHAIRMAN BANNERJEE: What's the real  
22 problem here?

23 DR. KELLY: We've had two problems. One  
24 is lack of co-developers if you will, people that know  
25 how to program, what two-phase, what two-fluid models

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are and what, you know, something about two-phase  
2 flow. So we've had a lack of people to do code  
3 development. We've also, and this is just as serious  
4 a problem. We've had a lack of analysts and those  
5 are both capabilities that we're trying to develop.

6 CHAIRMAN BANNERJEE: What's needed here is  
7 to take the data and the models and translate it into  
8 a form which properly can go into your quote  
9 "structure" if I remembered that.

10 DR. KELLY: Right, uh-huh.

11 CHAIRMAN BANNERJEE: That's true of a lot  
12 of these things, with these experiments that are being  
13 done. You can analyze these experiments and then you  
14 have to cast it in a way that it will go into the  
15 code, into the structure of the code through your  
16 constitutive equations or whatever.

17 DR. KELLY: Right, exactly.

18 CHAIRMAN BANNERJEE: And that step, I  
19 thought somebody was going to take. If you can't take  
20 it here, that should be part of the task of the  
21 researchers because I see that they're doing beautiful  
22 work on single bubbles or 10 bubbles or having lovely  
23 correlations which are detailed based on these. But  
24 eventually it has to get into the code.

25 DR. KELLY: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: And maybe their job  
2 should be to get it into that form.

3 DR. KELLY: The problem has been that most  
4 of the people that do good experiments and have good  
5 knowledge about two-phase fundamentals, don't  
6 understand the codes, and so if you just task them to  
7 do a model, more often than not, that model won't work  
8 in a two-fluid framework which means someone that does  
9 understand it, has to work with them very closely.  
10 They don't have to necessarily do it, but they have to  
11 supervise it and we haven't been able to do that.

12 CHAIRMAN BANNERJEE: That's part of your  
13 contract to these people is they should involve some  
14 people who know fluid monitor. It's not rocket  
15 science, I mean, ultimately, they can figure it out.

16 DR. KELLY: Yeah, what we're now -- well,  
17 once we get passed this 5.0 release, and I get the  
18 documentation done, I have two to three new staff that  
19 are going to be working with me and that's how they're  
20 going to learn. We're going to work our way through  
21 this. And things that we don't have time to do, we're  
22 going to do just what you said except someone like me  
23 will like be on the student's thesis committee to make  
24 sure --

25 MEMBER WALLIS: What good does it do to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have someone develop a model which is not compatible  
2 with the framework of TRACE --

3 DR. KELLY: It doesn't.

4 MEMBER WALLIS: -- in analyzing that  
5 data?

6 CHAIRMAN BANNERJEE: You write a paper in  
7 Journal of Heat Transfer and graduate.

8 MEMBER WALLIS: That's right, that's what  
9 they do.

10 DR. KELLY: Which is why we're not really  
11 going to be doing very much --

12 MEMBER WALLIS: And just doing  
13 experiments doesn't really help unless they focus on  
14 the parameters which are most important for TRACE in  
15 some way.

16 DR. KELLY: Well, and that's what --

17 MEMBER WALLIS: There has to be that  
18 connection.

19 DR. KELLY: The experiments that we  
20 started, were because of a need that arose when we did  
21 RELAP 5 for AP600 and has such terrible results on  
22 void fraction in the core, et cetera. And the intent  
23 was always for basically me or someone like me you  
24 know, to work with the experiments and get the data  
25 into the code in a timely fashion. We never imagined

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'd have as much problem with extent models in TRACE  
2 as we did.

3 MEMBER WALLIS: If you look at the RBHT,  
4 they didn't measure interfacial drag at all. All they  
5 did was measure pressure drop.

6 DR. KELLY: Right.

7 CHAIRMAN BANNERJEE: Could they measure  
8 void fraction?

9 MEMBER WALLIS: No, they didn't measure  
10 void fraction. They inferred from the pressure drop  
11 some assumptions about how all these different  
12 components work together and that was a long way from  
13 getting a good measure.

14 CHAIRMAN BANNERJEE: Did they have some  
15 device, I remember way back, some sort of shadow graph  
16 device where they put --

17 DR. KELLY: That's for droplets.

18 CHAIRMAN BANNERJEE: Droplets, the  
19 dispersed flow regime, right?

20 DR. KELLY: Yeah, and that works pretty  
21 well to get droplet diameters.

22 CHAIRMAN BANNERJEE: Have you got that  
23 data as well?

24 DR. KELLY: For droplet diameters in a  
25 reflood.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Yeah, have we been  
2 able to use that data?

3 DR. KELLY: Only in assessment. We  
4 haven't used it in model development yet and that's  
5 because we've been trapped in this cycle of model  
6 remediation, which we're finally about to, you know,  
7 finish and do the documentation and then this is where  
8 we're going to be working next with the exception --  
9 you'll notice the others down here at the bottom, we  
10 know there are going to be applications like EPR  
11 coming up. There will be phenomenas such as reflux  
12 condensation that may be very important for that  
13 reactor that we haven't had to worry about yet. So  
14 we've generated some, you know, systems data on  
15 facilities like OSU and we're going to see how TRACE  
16 does on it.

17 CHAIRMAN BANNERJEE: But there is  
18 historical data in this area.

19 DR. KELLY: Right, and we'll look at that,  
20 too. So reflux condensation now goes up onto the  
21 assessment matrix and we have to assess the code  
22 against it and see if it works. If it's a significant  
23 deficiency, then we look at the data that we have and  
24 see if we can develop a model from it.

25 CHAIRMAN BANNERJEE: One of the things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that, Joe, is going to be not just the single or few  
2 tube behavior because probably there is data on that,  
3 but it's going to be the distribution in these plant  
4 and what goes in there. It's going to be a  
5 complicated 3-D problem to assess. I don't know how  
6 you're going to do that.

7 DR. KELLY: Yeah, I know. Some tubes have  
8 a forward flow, some backwards.

9 CHAIRMAN BANNERJEE: I asked this question  
10 at the tripartite meeting and -- of the French and  
11 Michael Reacreux came and said, "You know the answer  
12 to this of course, which is that we can't do it". You  
13 know, that's the reality that you have to do it.

14 MEMBER WALLIS: You've got critical flow  
15 in here. Is critical flow in good shape?

16 DR. KELLY: The TRACE critical flow model  
17 works pretty well, but what it doesn't --

18 MEMBER WALLIS: I mean, there was this  
19 strange Mahaffy paper saying that it depended on  
20 downstream conditions and things. That's all been  
21 fixed, has it?

22 MR. MURRAY: That was a bug that was fixed  
23 back in 2002.

24 MEMBER WALLIS: But there's no data on  
25 the paper. I mean, it has been fixed?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KELLY: Yeah.

2 MEMBER WALLIS: But TRAC for all that  
3 time predicted critical flows depended on downstream  
4 pressure, up until 2002?

5 DR. MAHAFFY: Well, the simple answer is  
6 yes. It was a question of how you -- well, careful.  
7 The biggest issue was actually the downstream  
8 nodalization of your break component. There was a  
9 slight dependence on pressure. And it became more  
10 important in various configurations, but we've wiped  
11 that out.

12 MEMBER WALLIS: You wiped it out, okay.

13 DR. KELLY: The reason this is on here,  
14 the model works pretty well, but it doesn't work great  
15 for very thin orifice plates because there's a  
16 thermal non-equilibrium thing or lack of, you know,  
17 going to equilibrium. And the become very important  
18 in experimental facilities. Like if you're trying to  
19 model ROSA and do one of their small break  
20 experiments, they're inventory driven, so if you don't  
21 get the break flow right, you can't look at all the  
22 other phenomena that you wanted to look at. And so  
23 what the Japanese have done is put in a special  
24 critical flow model for their thin orifice places that  
25 they use in ROSA and that's the first one I'll look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the possibility of just plugging in so that when we  
2 use -- you know, when we try to do their integral  
3 effects test, we can use a model that gets us a better  
4 answer for the break flow.

5 CHAIRMAN BANNERJEE: Okay, thanks, Joe.

6 We're going to --

7 (Applause)

8 CHAIRMAN BANNERJEE: Anyway, we are  
9 running well behind schedule as usual. So let's take  
10 a break for what, an hour, and come back at quarter to  
11 2:00. And Steve, you and John Mahaffy and DiMarzo  
12 need to figure out how you can finish in some  
13 reasonable time.

14 DR. BAJOREK: I think we've jumped ahead  
15 on a few of these issues and talked about them. What  
16 I'm going to do is go through some of the assessment  
17 very quickly, try to get through this with hopefully  
18 a minimum of questions, you know, so we can just  
19 summarize some of the main points.

20 Joe has gone into some of our planned  
21 development. I think I can cut back on that. We do  
22 want to get to John Mahaffy's presentation talking  
23 about some of the issues on the momentum equation.

24 CHAIRMAN BANNERJEE: Right, so we'll try  
25 to move quickly to that. I'm sure that Graham will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very anxious to --

2 MEMBER WALLIS: I didn't say anything  
3 about momentum. I said, how do you go from  
4 differential equations to control volumes? That's my  
5 first one.

6 CHAIRMAN BANNERJEE: Now we're going to  
7 adjourn this, all right.

8 (Whereupon, at 12:46 p.m. a luncheon  
9 recess was taken.)

10 CHAIRMAN BANNERJEE: The meeting will now  
11 come to order. We are on Item #3.

12 Stephen, you are on, but you are not going  
13 to do assessment results now?

14 DR. BAJOREK: What I'm going to do to try  
15 to get us back onto schedule is to talk briefly on the  
16 assessment, and then jump to some of the use of TRACE,  
17 or some of the work that we're doing to make sure that  
18 this is the tool that the agency can use in the  
19 future.

20 There are two presentations that have gone  
21 around. You have all of the overheads and the slides  
22 for this.

23 What I have done in the PowerPoint is to  
24 merge the two to hit only what I think are the more  
25 important features.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: You have consolidated the  
2 two?

3 DR. BAJOREK: Yes.

4 CHAIRMAN BANNERJEE: It hasn't taken three  
5 years, right?

6 DR. BAJOREK: Yes, it was consolidated.  
7 One of the things I wanted to try -

8 MEMBER WALLIS: Let me turn out these  
9 lights.

10 ASSESSMENT RESULTS

11 DR. BAJOREK: What I wanted to do in the  
12 presentation on assessments is talk about our  
13 assessment matrix, how we've changed it, expanded it  
14 over the last couple of years.

15 The two points that I want to make sure do  
16 come across is that by and large we are following the  
17 CSAU process. We have taken a look at the processes  
18 that have been published for large break and small  
19 break PIRTs, and we've arranged our assessment matrix  
20 to hit all of those processes which are highly ranked.

21 We have selected tests that cover both a  
22 broad range of phenomena and a broad range of scale.

23 Earlier today Joe talked about some of the  
24 developmental assessment, where we are looking at a  
25 lot of single tubes type of data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Where we think that the real acid test of  
2                   the code then comes when we start to apply it toward  
3                   full height bundles, full height test facilities, and  
4                   a range of integral test facilities -

5                   MEMBER KRESS: Bethsy is is one to 100?  
6                   That seems enormous.

7                   DR. BAJOREK: Bethsy is - the information  
8                   I had listed is one to 100. I thought it was closer  
9                   to one over 48.

10                  CHAIRMAN BANNERJEE: No, that's ROSA.

11                  DR. KELLY: ROSA would be one over 48, and  
12                  I think one over 100 is about right for Bethsy.  
13                  Bethsy is full height, but that's volume.

14                  MEMBER WALLIS: Full height? Okay.  
15                  Because it's huge otherwise.

16                  DR. KELLY: Right, it's full height, full  
17                  pressure.

18                  MEMBER WALLIS: Okay, that's what it says.

19                  DR. BAJOREK: These are volume scales here.

20                  CHAIRMAN BANNERJEE: The yellow means of  
21                  course they are not full height, right?

22                  DR. BAJOREK: No, these are going from  
23                  small volume scale to larger. The couple of  
24                  facilities that were noted here in the lighter color  
25                  are from our own test programs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: What's this LWR test  
2 facility you have over here?

3                   DR. BAJOREK: No, this is just to represent  
4 the full-scale light water reactor. It's not a test  
5 facility until you realize that UPTF is essentially a  
6 full scale vessel.

7                   But one of the things that we have done  
8 over the last couple of years is, we've tried to learn  
9 some of the lessons of not assessing a code like TRAC  
10 PF1-MOD2. And what we have done is, we've looked at  
11 the code. When we have the models in there that we  
12 think are correct, we've gone through the assessment  
13 matrix.

14                   As Joe Kelly pointed out, when we went  
15 through that assessment matrix the first time we found  
16 numerous deficiencies. These had to go back into the  
17 model and development stage. In some cases we had to  
18 go back to the test programs that we've been running  
19 at the Thermal Hydraulics Institute; develop improved  
20 models; put them back in TRACE, and go back through  
21 the assessment again.

22                   In the process of automating things, we  
23 have gone through this loop actually numerous times,  
24 and it's only now that we feel we have enough fidelity  
25 in the models, enough accuracy in the models, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 replaced the ones that are truly bad, so that we can  
2 start to release this code to real applications.

3 We think in the long run, since this is  
4 intended to be a best estimate realistic code, we are  
5 going to develop uncertainty methods, implement those  
6 in the TRACE as well, so that we can run numerous  
7 applications for a full scale application in order to  
8 examine the model and sensitivities, so it isn't just  
9 one calculation that is done, but we see some of the  
10 impact of being off in some of those thermal hydraulic  
11 models.

12 MEMBER SIEBER: Has any reviewer assessment  
13 activity sent you back to the PIRT itself?

14 DR. BAJOREK: Not yet, no.

15 MEMBER SIEBER: That's a possibility,  
16 though, correct?

17 DR. BAJOREK: It's a possibility. I'm  
18 trying to think in case of a new reactor, say EPR,  
19 where reflux condensation, which is one of those  
20 things which are important in the PIRT, but now it  
21 becomes emphasized in there.

22 So in each one of these new applications  
23 there is a PIRT process that is followed to try to  
24 identify which models are going to be more important,  
25 accentuated in that application, and then we start to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 target the assessment, and we are going to make sure  
2 that the code -

3 MEMBER WALLIS: Well, you have all these  
4 models that you fix up for things like interfacial  
5 drag. It could be ways to fix up the momentum bounds  
6 for Ts. That would be something that's in the code  
7 itself. Is that maybe the sort of thing you are  
8 thinking about? Because all of those things have an  
9 influence on the answer.

10 DR. BAJOREK: That's true.

11 Show a little bit of a difference on what  
12 has been done over the last couple of years as opposed  
13 to how some of the assessment had been done in the  
14 CSAU and throughout the '90s. Typically if we use ECC  
15 bypass as an example, most previous assessment when  
16 they would choose the code would focus on one of the  
17 Test 6 simulations. UPTF looking at ECC bypass, this  
18 was uniform injection in each of the three intact  
19 loops that flow with bypass go out the broken loop.

20 We've expanded that to take a look at all  
21 of the test cases in the Test 6 series, because some  
22 plants do wind up with asymmetric injection because of  
23 their safety systems. We've expanded that to take a  
24 look at a series of tests, Test 7 in UPTF, in which  
25 there was asymmetry in the injection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Test 5 is one which had very, very high  
2 subcooling. You wouldn't really expect that in some  
3 of the plant calculations. However, we found this one  
4 to be very useful because it really puts a premium on  
5 getting your condensation models correct in the up or  
6 downcomer. So we focused on this, and added in Test  
7 21, which is a direct vessel injection test.

8           One reason I wanted to bring this one up,  
9 and there is another one in the package looking at a  
10 refllood test -

11           MEMBER WALLIS: Excuse me, but when you  
12 bottle this downcomer, it's a three-dimensional model,  
13 is it?

14           DR. BAJOREK: Yes.

15           MEMBER WALLIS: With radial nodes?

16           DR. BAJOREK: In the downcomer itself you  
17 would not have radial nodes. You would have radial  
18 nodalization going across the vessel -

19           MEMBER WALLIS: It's just circumferential  
20 and axial.

21           DR. BAJOREK: Circumferential and axial.

22           CHAIRMAN BANNERJEE: But it's not really a  
23 three-dimensional model. It's something close.

24           DR. BAJOREK: Really, the way the downcomer  
25 is modeled, it's two-dimensional.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: It's a nodalization of the  
2 downcomer, but it's not really 3-D.

3 DR. BAJOREK: Three theta, whereas you take  
4 advantage of other aspects of a 2-D type nodalization  
5 within the -

6 MEMBER WALLIS: It doesn't model, for  
7 instance, the ECCS fluid say impinging on the inner  
8 wall and running down or anything like that?

9 DR. BAJOREK: No, volume average.

10 Now partly because of those types of  
11 concerns, the reason I wanted to bring this overhead  
12 in here is we do want to try to rule out the user  
13 effect inasmuch as possible.

14 So we've taken a look at our conventional  
15 models for PWRs and BWRs, and we've applied that  
16 nodalization to the test facilities as much as we  
17 possibly could.

18 So we look at the lower plenum in a plant  
19 model, it would look very much like the lower plenum  
20 in downcomer in a UPTF.

21 Also in the package, if we take a look at  
22 - I'm going to jump ahead, okay - the core  
23 nodalization which is shown here, using RBHT as an  
24 example, the axial nodalization, the way we would  
25 model the core in a plant is very much like we would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 apply that model in all of the test simulations that  
2 we've performed.

3 And that would be our recommendation for  
4 anyone setting up a model. That way we're at least  
5 staying very close to the assessment base.

6 What we've done for each of these  
7 simulations, we would go, in the case of UPTF, we  
8 would define figures of merit. In this case we're  
9 looking at the penetration time. We are looking at  
10 the filling rate, in this case of the lower plenum.  
11 And we'd also be looking at the condensation  
12 efficiency, what we predict and what we measure.

13 This is an example of one of the UPTF  
14 cases.

15 MEMBER WALLIS: Is this is the sort of  
16 switching where the staff to start with it's all held  
17 up, and then it comes down as fast as it goes in?

18 DR. BAJOREK: Yes. Well, not exactly.

19 MEMBER WALLIS: More or less?

20 DR. BAJOREK: Not exactly. Some of it is  
21 still being swept out --

22 MEMBER WALLIS: That's why it's slightly  
23 curved.

24 DR. BAJOREK: - during the penetration  
25 period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But rather than focusing solely on a  
2           single test, we've run a relatively large number of  
3           these in order to characterize how well the code is  
4           doing.

5           Now you can see in this case we've  
6           predicted that lower plenum fill rate generally within  
7           plus or minus 20 percent. In comparison to the work  
8           that had been done for CSAU, the penetration time,  
9           that ratio of predicted to measured was 2.76, meaning  
10          it was predicted relatively late. We think we are  
11          getting that about correct in TRACE now.

12          The filling rate TRAC-PF1-MOD2 was about  
13          a point five in the CSAU study. Here we think we're  
14          getting things about right, without a significant bias  
15          as a group. There are problems. We see in some cases  
16          if we have injection done asymmetrically, the code  
17          does tend to want to sweep, flow in the opposite side  
18          of the downcomer out, excessively, when compared to  
19          the data.

20          Now we've looked at these various  
21          simulations, and for the most part the code is doing  
22          the right thing in that it tends to bypass that loop  
23          close to the break, while those loops far away from  
24          the break on the other side of the downcomer tend to  
25          do the penetration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: -- most sensitive to  
2 which correlation? There must be 100 of them being  
3 exercised, but which one actually gives you the most  
4 effect on the results?

5 DR. BAJOREK: I would have to venture that  
6 it would be the drag on the droplets that are  
7 entrained within the downcomer.

8 CHAIRMAN BANNERJEE: What about the  
9 correlation that says how many droplets had changed?  
10 There must be some correlation like that, right?

11 DR. BAJOREK: There is a correlation in  
12 there that accounts for that. As to which one is  
13 having the largest effect, I really don't know.

14 CHAIRMAN BANNERJEE: So let's say how the  
15 droplets enter in. Where does that correlation come  
16 from? Is it from something like this? Or something  
17 completely different? Like is it from annular flow  
18 correlation for entrainment?

19 Maybe Joe can speak to it.

20 DR. BAJOREK: That's been a recent topic.

21 MEMBER WALLIS: it's not clear to me that  
22 bypass is a result of droplets being entrained anyway.  
23 It's more a macroscopic slushing out of stuff.

24 DR. KELLY: What I saw when I looked at  
25 these tests the last time was that the elevation where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the cold legs and hot legs were, the void traction was  
2 fairly low, on the order of 40 percent.

3 And it was below that that it was in the  
4 annular flow regime. But it was, as Steve said, it's  
5 primarily the interfacial drag model that holds the  
6 water up, because the velocities are on the order of  
7 a couple of hundred meters per second, because it's a  
8 pretty low pressure steam being blasted through the  
9 downcomer to go into the cold leg.

10 MEMBER WALLIS: Don't you get a lot of  
11 oscillations in this downcomer?

12 DR. BAJOREK: Some tests, yes.

13 MEMBER WALLIS: Because I mean they already  
14 did tests on downcomer, fifth scale or something. I  
15 looked at those; I was there. And we had all sorts of  
16 thermocouples and things. And there was a tremendous  
17 amount of unsteady flow going on in there.

18 DR. BAJOREK: That's true. And that is  
19 especially true if the water coming in is subcooled.  
20 Some of these tests were nearly saturated.

21 MEMBER WALLIS: It would collapse and all  
22 kinds of stuff.

23 CHAIRMAN BANNERJEE: In comparing these, it  
24 is interesting to see how much makes it down, how much  
25 goes out, but do you have more detailed data, like how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much is - what the void fraction distribution looks  
2 like?

3 I don't remember UPTF now.

4 DR. BAJOREK: Well, there is information on  
5 the global mass distribution, how much is in the lower  
6 plenum, how much is in the downcomer, how much  
7 remained in the cold legs, and where that penetration  
8 occurred.

9 By looking at thermo-couples which were  
10 embedded in the core barrel and the vessel wall.

11 They really inferred where the penetration  
12 was occurring from the thermo-couple information as  
13 opposed to a direct measure.

14 MEMBER WALLIS: Did you compare with those  
15 CREARI tests?

16 DR. BAJOREK: No, we haven't done that.  
17 That is part of our looking at the assessment damage,  
18 in that when we have a limited amount of resources to  
19 spend on certain problems we have tried to look at  
20 that full scale first and then expand to lower  
21 subscale tests.

22 CREARI I think was one-fifth and one-  
23 fifteenth.

24 MEMBER WALLIS: But there is a lot of data  
25 on the variation of temperatures and void fractions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and things at say different places over time, which  
2 you could also compare with your predictions. A lot  
3 of detail as well as the macroscopic penetration rate,  
4 if you want to do that.

5 Of course you may just want to get the  
6 answer you want, and if the details don't match we  
7 don't care.

8 DR. BAJOREK: Well, we want to make sure  
9 that the code is not scale dependent, and in the long  
10 range it's likely we will look at some of those tests.

11 But in order to get the code out and  
12 finished, if we had to make a choice between something  
13 at part scale versus full scale for UPTF -

14 MEMBER WALLIS: Not to mention the  
15 phenomena of changing much, though, between pretty big  
16 and really big. There's not much that can change.

17 ADMINISTRATIVE JUDGE PEACOCK:

18 CHAIRMAN BANNERJEE: I guess my question  
19 would be, are you getting the right answers for the  
20 right reasons in terms of the mechanisms? So I don't  
21 know what you have to do to do your own internal due  
22 diligence about this.

23 Because I would say that if you were  
24 getting this type of result because the phenomena your  
25 code was predicting was similar to what you saw in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experiment, that's really wonderful.

2 But if you were getting it due to say some  
3 mechanism which wasn't really what was then the  
4 experiments, but you got the right results anyway,  
5 that would be more of a concern.

6 So I would ask you to look at everything  
7 from that point of view.

8 DR. BAJOREK: What we try to do is not  
9 focus on a single figure of merit.

10 CHAIRMAN BANNERJEE: Right.

11 DR. BAJOREK: I mean you can't just look at  
12 the penetration time. You've got a CCFL breakdown.  
13 As I mentioned, we tried to look at three things: when  
14 you start to get the penetration; how quickly you fill  
15 the lower - what's the penetration rate; and what's  
16 the condensation efficiency.

17 Now in earlier versions of the code -

18 CHAIRMAN BANNERJEE: And why are you  
19 getting the bypass.

20 DR. BAJOREK: And why you are getting - in  
21 earlier versions you may get one of two fo those  
22 parameters correct, and the other one would be way  
23 off. Like I remember one of the earlier versions, the  
24 bypass time and the filling rate weren't all that bad,  
25 but the condensation efficiency was 1.0, and we knew

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that wasn't correct, compared to what the experimental  
2 data was.

3           When we fixed that, well, we were off on  
4 the other two. It was really the refinement of  
5 several models before you simultaneously get all of  
6 your figures of merit correct. And we are sensitive  
7 to that, and that's why we try to look at several  
8 things within not only the context of what was  
9 measured in there, but in taking a look at things like  
10 the interfacial drag, where the bypass occurs, things  
11 that the code is predicting that you could make some  
12 engineering judgment on, but you may not necessarily  
13 have a -

14           CHAIRMAN BANNERJEE: For example if in this  
15 case most of the bypass was occurring due to  
16 entrainment of CROPS, that's what the code was  
17 predicting, and that's what experiments somehow were  
18 doing, that's fine.

19           But say most of the bypass was predicted  
20 by the code as drops. In experiments it was some  
21 periodic slushing phenomenon that was getting it out.  
22 Then you've got the right result for the wrong  
23 reasons.

24           And I think that there is no way we can  
25 ever go into every experiment and look at it in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same detail as you can obviously. So every time you  
2 show us something like this, we'd like to be reassured  
3 that you've got that answer because you've got the  
4 right mechanism. It's didn't come due to some other  
5 mechanism.

6 DR. BAJOREK: We agree.

7 MEMBER WALLIS: Because for example you can  
8 fudge the condensation efficiency with a correlation  
9 and make the points come closer to a line. It doesn't  
10 mean to say you've really fixed the right mechanism.

11 DR. BAJOREK: And what we've found is that  
12 when we have made adjustments in those models  
13 affecting one, when we do make that mistake, and  
14 correct one model and not think about something else,  
15 it pops up in some of these other figures of merit.

16 So we are looking at all of those  
17 simultaneously, and we're not just looking at the  
18 global results only. We are looking at the details.

19 MEMBER WALLIS: What you are plotting here  
20 is a penetration rate which is the slope of the line  
21 that you showed on the previous graph?

22 DR. BAJOREK: Yes.

23 MEMBER WALLIS: Which is not a straight  
24 line, though, so what is the - is it the average  
25 penetration rate or something?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's a curve; it's not a straight line.  
2           So what is the penetration rate there? Which one -  
3           the slope doubles when it goes up from the bottom to  
4           the top.

5           DR. BAJOREK: We've relied on some  
6           evaluations that had been done during the 2-D/3-D  
7           program.

8           MEMBER WALLIS: What is the penetration  
9           rate here?

10          CHAIRMAN BANNERJEE: Is it the average of  
11          this? Or what are you taking?

12          DR. BAJOREK: We look at the time after  
13          penetration occurs until the time just before the  
14          lower plenum is filled. So it's the average filling  
15          rate during oh approximately 55 and 75 seconds here.

16          MEMBER WALLIS: Because the TRACE  
17          prediction is actually about double the rate at the  
18          end as at the beginning.

19          DR. BAJOREK: This is - this is some  
20          nodalization question here.

21          MEMBER WALLIS: No, no, just the slope of  
22          that curve, the rising curve. The slope is a lot  
23          bigger at the top than the bottom.

24          DR. BAJOREK: Yes, but we are looking at  
25          that average over this evaluation period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Now, for each of  
2 these, do you write up a little report just to  
3 describe what it was you found, from the viewpoint of  
4 the phenomenon, and then more detailed results? How  
5 do you document these?

6 DR. BAJOREK: Each one of the assessments  
7 we've tried to standardize this format. We describe  
8 the facility itself, what those experiments were. So  
9 the reader can be informed about what was going on.

10 We describe the TRACE model then, and  
11 hopefully from this we can see how it changes from one  
12 facility to the next, or how it's standardized when  
13 you have similar phenomena.

14 We have the assessments shown, then  
15 compare the code predicted results to the measure.  
16 And then there is a section that performs basically an  
17 evaluation of that comparison, describes what went  
18 right, what went wrong, tries to identify if there is  
19 a sensitivity in the code, let's say to subcooling,  
20 and comments on those simulations.

21 So that somebody who is interested in ECC  
22 bypass can go through there and make a conscious  
23 decision as to whether the code is doing a reasonable  
24 job for the right reasons, or whether I have a model  
25 that if I have very high subcooling, there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something I want to be -

2 MEMBER WALLIS: Look at this again here,  
3 your trace curve is continuous. The data says that  
4 stuff goes into the low plenum and comes out again, it  
5 sloshes in and out in a very dramatic way. I mean  
6 there are times when it is actually coming out as fast  
7 it went in; the down part of those spikes.

8 So there is something going on here about  
9 it going in and out of the lower plenum which isn't  
10 being modelled at all by TRACE.

11 DR. BAJOREK: Well, these tests were  
12 measured with I think roughly four DP cells at the  
13 bottom of the lower plenum. There was a lot of  
14 motion, a lot of sloshing going on.

15 I think what we were picking up in the DP  
16 cells, there is a lot of that sloshing motion.

17 MEMBER WALLIS: Picking up some momentum  
18 rather than some gravity; is that what you mean?

19 DR. BAJOREK: Yes. In fact, I think you  
20 see it down here. As soon as you turn on the test,  
21 you do start to see an offset -

22 MEMBER WALLIS: No, but I'm talking about  
23 the big oscillations.

24 DR. BAJOREK: You are talking about these?

25 MEMBER WALLIS: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BAJOREK: Yes.

2 CHAIRMAN BANNERJEE: Would it could be  
3 partly gravity, partly momentum.

4 MEMBER WALLIS: Right.

5 CHAIRMAN BANNERJEE: I guess the broader  
6 issue is, is there discussion of the qualitative  
7 phenomena seen in the experiments, and whether there  
8 is similar qualitative phenomena in your calculations.

9 There is qualitative and quantitative in  
10 this case, and the quantitative aspect of it, you  
11 know, sometimes you can get a few things right, but  
12 because you can adjust things, or even if you are not  
13 adjusting things it could be just some completely  
14 wrong reason.

15 Jeff Hewitt has a famous talk about this.  
16 Have you ever heard this? It is how you can change  
17 the models over incredibly wide range of results, and  
18 if you know the answers, you can always get the right  
19 answers. This is a talk he gives.

20 So taking that into account, and some of  
21 them are due to completely the wrong mechanism, you  
22 know. So the issue is really, are you getting that  
23 result due to the right mechanism or not?

24 MEMBER WALLIS: And do you care?

25 CHAIRMAN BANNERJEE: We care.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. BAJOREK: We think we are now getting  
2 the right results for about the right reasons. We try  
3 to write that up in the assessments. Are we  
4 successful in doing that for every single simulation?  
5 Probably not. But we try to do as thorough a job as  
6 we can in describing how well the code is actually  
7 performing for that particular task.

8 MEMBER WALLIS: Another obvious question  
9 is, what's the rate at which you are adding the ECC?  
10 Is that TRACE slow at the top there putting it all in?  
11 In which case, comparison with the code doesn't really  
12 tell you very much. It's simply saying it all gets  
13 down. It's not telling you something percentwise.  
14 It's just saying it all gets down.

15 DR. BAJOREK: That's why for this  
16 particular - these particular tests, our interest is  
17 really on this part of -

18 MEMBER WALLIS: It's not all getting down.

19 DR. BAJOREK: - down there. Once you are  
20 out here, and the steam flow is gradually decreasing  
21 in these tests, and you've got CCFL penetration, and  
22 you've filled the lower plenum, we really don't care.  
23 We could have cut this off at about 80 seconds and not  
24 really have lost much information in terms of how well  
25 the code is behaving.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We talked about this. We try to go  
2 through, and this is an example of some of the reflood  
3 test results, we've expanded the test matrix. Instead  
4 of just taking a look at one or two tests, we now look  
5 at a very broad range of conditions that look at  
6 pressures -

7           MEMBER WALLIS: D we have those?

8           DR. BAJOREK: Yes, you do. Page nine.  
9 It's in there. I am skipping through this.

10          MEMBER WALLIS: Slide 18. Yours is 10.  
11 Your numbers aren't the same?

12          DR. BAJOREK: No, not on this one, no.

13          But comparing the things that were  
14 measured in the test, in this case the code is in red.

15          MEMBER WALLIS: This is remarkably good for  
16 a very messy phenomena.

17          DR. BAJOREK: Thank you.

18          CHAIRMAN BANNERJEE: Is this pre-test or  
19 post-test?

20          DR. BAJOREK: No, this is all post test.  
21 In fact SEASET was run in the last `70s. Most of  
22 these tests have been in a way almost a standard type  
23 fo problem for reflood behavior.

24          MEMBER WALLIS: But Joe Kelly has massaged  
25 the code a lot to make it fit these tests, hasn't he?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean he had a lot of concern about the model and he  
2 kept adjusting it.

3 DR. BAJOREK: Well, let's jump one more.  
4 This is kind of what we started with.

5 MEMBER WALLIS: This is after Joe fixed it?

6 DR. BAJOREK: This is before.

7 MEMBER WALLIS: This is before, but what we  
8 see on this -

9 DR. BAJOREK: This was a 2001 report that  
10 was done basically with the reflood model in TRAC-PF1-  
11 MOD2. It was renamed TRAC-M at about that time. We  
12 really hadn't changed any of the physical models.

13 MR. CARUSO: It's conservative.

14 DR. BAJOREK: It's conservative. It's not  
15 realistic. Would you say that's conservative? At the  
16 upper elevation?

17 MEMBER WALLIS: Which one are they going to  
18 show us?

19 DR. BAJOREK: Well, if you were a vendor,  
20 you'd want to see this one, and you probably wouldn't  
21 get to look at this one.

22 The point is, this is really the state of  
23 the code reflood before the interim reflood model.  
24 Okay?

25 MEMBER WALLIS: 1600 degrees K is pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bad, isn't it?

2 DR. BAJOREK: It's very bad. It's very  
3 bad. But the point I want to make is, that's what we  
4 started with a couple or three years ago.

5 There have been numerous changes to the  
6 reflood model. We are still looking at that.

7 CHAIRMAN BANNERJEE: Now you have been over  
8 this, but can you in a nutshell tell us again what is  
9 the major change that you have to make?

10 Is there one controlling phenomenon that  
11 was really wrong?

12 DR. BAJOREK: Oh, I don't know if there was  
13 one that was very wrong. The model was very, very  
14 sensitive to that oscillatory flow rate.

15 I think a large part was the inverted  
16 annular behavior near the clench front.

17 CHAIRMAN BANNERJEE: You mean the  
18 precooling due to it?

19 DR. BAJOREK: How that inverted annular  
20 column broke up, and what was the key transfer that  
21 occurred, and how it affected the downstream  
22 development at that point.

23 MEMBER WALLIS: Is it really inverted  
24 annual, or is that just what people think it is?

25 DR. BAJOREK: I think that's what the old

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model -

2 CHAIRMAN BANNERJEE: Well, I guess in  
3 gravity reflood, whatever, you were getting these  
4 oscillations. So this tongue was being made and  
5 broken, made and broken, all the time, right?

6 DR. BAJOREK: Yes, so I think when you were  
7 getting that downward flow on the gravity reflood, the  
8 code may have been thinking it had been in an invert  
9 -- breaking that up and giving us different dynamics.

10 CHAIRMAN BANNERJEE: Now how did you fix  
11 it? You still have oscillations.

12 DR. BAJOREK: We still have oscillations.  
13 We still have a lot of work to do in the reflood  
14 model.

15 In your handout which we won't be able to  
16 get to in the interests of time, we were looking at  
17 some of the CCTF simulations. And we think we have  
18 identified why those aren't in agreement, between the  
19 code and the data. That's grounds for future work.

20 But one of the reasons we're satisfied  
21 with TRACE 5.0, and feel it can be publicly released  
22 at this time is because we think it does a reasonable  
23 job for most of these assessment, and those places  
24 where it does have some problems and deficiencies, we  
25 can identify them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Where are the problems  
2 and deficiencies?

3 DR. BAJOREK: I'll get to that in just a -

4 CHAIRMAN BANNERJEE: Who didn't get a  
5 chance to tell us what was the new deficiency in the  
6 TRAC-M, though?

7 DR. KELLY: Well, actually Steve did a  
8 pretty good job of that.

9 CHAIRMAN BANNERJEE: It was oscillation?

10 DR. KELLY: Because they were using an  
11 inward velocity to tell them the lengths of the  
12 inverted annular. So just like you said it would go  
13 away, which meant everything would be treated as  
14 droplets, swept out of the bundle, and the bundle  
15 would sit there and fill back up and throw all the  
16 water away.

17 MEMBER WALLIS: When you model these tests  
18 you have to model the rest of the system, not just the  
19 bundle?

20 DR. BAJOREK: Not for this particular test.  
21 This is a relatively simple separate effects test, so  
22 it's just the bundle.

23 The point I do want to leave you with on  
24 this -

25 MEMBER WALLIS: Don't the oscillations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depend on the rest of the system as well?

2 DR. BAJOREK: Yes.

3 MEMBER WALLIS: How do model that?

4 DR. BAJOREK: In CCTF and STCF, we modeled  
5 the entire system for that test.

6 MEMBER WALLIS: But for select CSET you  
7 don't have to do that?

8 DR. BAJOREK: No, this was a forced  
9 flooding test.

10 MEMBER WALLIS: It's forced, okay.

11 DR. KELLY: But even with that the Banerjee  
12 M model had these oscillations that threw the water  
13 away.

14 DR. BAJOREK: Yep. As we go through and do  
15 the simulations, we don't just look at the cladding  
16 temperature. This was typical of what some  
17 assessments had done in the past.

18 We are looking very closely at the heat  
19 transfer coefficients that are predicted by the code.  
20 We have been able to either get those from the  
21 experimental data, or we have been doing some work to  
22 actually develop those from our data for the newer  
23 tests.

24 But we are also taking a look  
25 simultaneously at things like the bundle mass, its

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 distribution, and the overall clench profiles.

2 That was TRAC-M. Problems, improvements:  
3 We aren't going to claim at this point that TRACE 5.0  
4 is perfect. We think there are a number of things  
5 that we would like to fix in the near future.

6 Joe did a nice summary earlier on where we  
7 think some of the model improvements are going to come  
8 from.

9 If we take a look at all of these tests in  
10 mass, where we have - some of our biggest concerns are  
11 with the core reflood model, and its lack of space or  
12 grid models.

13 If we look at the details fo some of those  
14 experiments - we don't have time to look at those - we  
15 don't capture the local behavior that occurs  
16 downstream of the grids.

17 This is due to the convective enhancement,  
18 the droplet breakup, and in some cases, early rewed of  
19 the grid spacer itself.

20 So when we look at some of the CCTF and  
21 SETF experiments, we expect with TRACE right now to  
22 overpredict some of those temperatures at the higher  
23 elevations. And we think that when we get in the  
24 spacer grid models, and are able to model the  
25 phenomena that they would impact, we would be able to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 improve those considerably.

2 We want to put in the spacer grid models  
3 in TRACE 6.0. We already have the capability of  
4 adding in a third field, which will give us the  
5 capability of modeling not only the gas field, the  
6 continuous liquid field, but having a separate droplet  
7 field.

8 That is going to give us a distinctive  
9 advantage then at being able to model droplet breakup  
10 higher into the core, and droplet entrainment, the  
11 entrainment both in the core and in the upper plenum  
12 for those tests like UPTS 10 and 10-B where you need  
13 to know what that distribution is.

14 If we took at all of the tests gravity and  
15 forced reflood, we can probably say at this point our  
16 carry over, how much of that liquid -

17 MEMBER WALLIS: Is overpredicting it?

18 DR. BAJOREK: It's overpredicting it.

19 MEMBER WALLIS: But I would think that the  
20 drop breakup mechanism would break them up smaller and  
21 make them carry over even more?

22 DR. BAJOREK: It would break them up and  
23 evaporate them.

24 MEMBER WALLIS: Well, they'd either  
25 evaporate or carry over. But they certainly would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 carried up as steam or water.

2 DR. BAJOREK: Well, we're hoping they'd be  
3 carried up, break up the droplet, increase the  
4 interfacial area, evaporate and drop the steam  
5 temperatures, which are too high right now.

6 When you look at some of the tests like  
7 SCTF, there is too much water in the upper plenum and  
8 being generated in the steam generators.

9 MEMBER WALLIS: Once you've dropped the  
10 steam temperature, though, the steam is simply  
11 carrying up whatever didn't evaporate.

12 In that case smaller drops would carry  
13 move to the upper plenum. Yes.

14 DR. BAJOREK: Yes.

15 Downcomer, interfacial and wall models, I  
16 left that on there. This has been one of those last  
17 things that we've had to pin down. We've seen some  
18 problems there, and we are going to look at those in  
19 more detail.

20 And curve robustness. We are somewhat  
21 plagued with transients going out, going in very small  
22 time steps. We know we've got to fix that if we're  
23 going to be able to use this code to do the 59, 94, or  
24 124 simulations which are typical of the best  
25 estimates statistical approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Come again with  
2 robustness? I just didn't quite get what the problem  
3 is.

4 DR. BAJOREK: If we run 500 simulations, we  
5 will find that there are going to be a handful that  
6 will stop. A lot of time the analysts can get around  
7 that by taking some creative liberties with the time  
8 step, making it small before they are getting it  
9 through.

10 We want to be able to run all of these  
11 cases, all of the plant calculations, without having  
12 to nurse it through.

13 MEMBER WALLIS: It doesn't reverse the time  
14 when it stops, doesn't actually go backwards, it just  
15 stops.

16 DR. BAJOREK: It just stops, yes.

17 MEMBER WALLIS: What is that due to, in  
18 general?

19 DR. BAJOREK: It can be several different  
20 things.

21 MEMBER WALLIS: Something blows up? Some  
22 matrix which is singular or something, something odd  
23 happens, and it just can't go any further?

24 DR. KELLY: A good example is if for some  
25 reason in say a downcomer where you would have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level, the condensation rate gets very high for  
2 awhile, and a solid wall of liquid hits another  
3 boundary, and then you get a pressure spike, and  
4 that's called water packing and so on.

5 MEMBER WALLIS: I'm just curious about  
6 that. In the preamble to this TRAC thing that I tried  
7 to read, it said they could model water hammer. Is  
8 that true? I really doubt that

9 DR. MAHAFFY: This is John Mahaffy. There  
10 is historical precedent for that. There were some  
11 calculations done by what was then called CAMA in the  
12 Netherlands using TRAC to look at water hammer  
13 phenomena in various odds and ends trains of piping  
14 and reactor systems, where you'd have a flow, you'd  
15 slam a valve closed and look at it.

16 They actually surprised me. They did  
17 better than I expected.

18 The reason really is, when you think about  
19 the phenomena with the shock waves and the  
20 rarefactions, you'd normally think you really want a  
21 good set of fully conservative mass energy momentum  
22 equations.

23 But that kind of thinking comes from kind  
24 of ideal gas situations in shock tubes. When you are  
25 dealing with shock waves going through water where the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 density doesn't change, you can get away with a lot  
2 less and still get good answers.

3 MEMBER WALLIS: You need a pretty small  
4 time step?

5 DR. BAJOREK: Oh, certainly, you have to.  
6 You are following the shock wave. You got to resolve  
7 it.

8 Most of the assessment work that we've  
9 been looking at has been generic in its applications.  
10 It covered the highly ranked phenomena and the PIRT.

11 As I mentioned, we do have test series to  
12 take a look at those tests which are most important to  
13 ESPWR, to focus in on phenomena that we know is  
14 important in that plant, and what we expect is going  
15 to be important in a plant like EPR.

16 So we are trying to look ahead.

17 CHAIRMAN BANNERJEE: Well, ESPWR, there is  
18 no - GIRAFFE is full height or not?

19 DR. BAJOREK: GIRAFFE is pretty much full  
20 height, yes.

21 CHAIRMAN BANNERJEE: And is now actively  
22 being used?

23 DR. BAJOREK: I don't believe so, no.

24 MEMBER WALLIS: it's a giraffe.

25 CHAIRMAN BANNERJEE: So all these - the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rest of the stuff - you are not involved with PONDA  
2 anymore, right?

3 DR. BAJOREK: Not presently, no.

4 CHAIRMAN BANNERJEE: There is a new set of  
5 requirements being planned for PONDA?

6 DR. BAJOREK: There is a new set of  
7 experiments. I believe the NRC has decided not to  
8 participate in that.

9 CHAIRMAN BANNERJEE: Right. So all you  
10 have are these PUMA experiments which are reduced  
11 height, right?

12 DR. BAJOREK: Reduced height. We have  
13 several different types of tests in PUMA, and GIRAFFE  
14 we use proprietary.

15 CHAIRMAN BANNERJEE: You know one of our  
16 major concerns is this chimney. How are you going to  
17 address that?

18 DR. BAJOREK: Well, in terms of the  
19 assessment.

20 CHAIRMAN BANNERJEE: Well, to be sure that  
21 your code works.

22 DR. BAJOREK: We can show you the  
23 assessment against the Ontario Hydro. There may be  
24 some additional Ontario Hydro tests that we ought to  
25 be looking at.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Well, they may be the  
2 right diameter, but they are not -

3 DR. BAJOREK: Not necessarily the full  
4 height.

5 CHAIRMAN BANNERJEE: The full height, and  
6 then they are not part of the system. And the sort of  
7 thing that was worrying us was, you get fluourogime  
8 type oscillations which actually cover the whole  
9 chimney.

10 DR. BAJOREK: Well, one of the things that  
11 I would suggest is that as we get closer to audit  
12 calculations of ESPWR, we come in and we talk to you  
13 about the assessment and phenomena in ESPWR, and how  
14 TRACE performs against those.

15 And I don't think we're prepared right  
16 today to really look at the results and comparisons  
17 for Ontario Hydro or for the interval tests.

18 MEMBER WALLIS: When we look to GE's work  
19 on stability they had a Courant number which was not  
20 right for the chimney. And this really spread out the  
21 void fraction variations as you remember. There's  
22 artificial diffusion numerically. Does TRACE have the  
23 same problem, or does the SEASETS method prevent this  
24 diffusion.

25 CHAIRMAN BANNERJEE: The differencing would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 give us the diffusion.

2 MEMBER WALLIS: It was very noticeable in  
3 the GE results, that Courant number was way off, and  
4 htye came in with a certain perturbation, and it just  
5 attenuated itself as it went up the pipe with no  
6 mechanism to create it except the numerical diffusion.

7 DR. BAJOREK: I haven't seen those results.

8 MEMBER WALLIS: You haven't seen those?

9 CHAIRMAN BANNERJEE: Well, part of it was  
10 they very crudely normalized the chimney.

11 But even if the code was capable of having  
12 these fluorogime-related oscillations in void  
13 fraction, it couldn't sustain them because it was so  
14 crudely -

15 MEMBER WALLIS: But even without that they  
16 couldn't sustain the perturbation in void fraction.

17 DR. BAJOREK: One of the things that the  
18 ACRS -

19 CHAIRMAN BANNERJEE: It could go back to  
20 EPR? So ROSA of course is full height, full power,  
21 everything is right.

22 DR. BAJOREK: Well, CSET was full height.  
23 APEX is quarter height. But we're using this  
24 basically as a separate effects facility where we can  
25 have some more detailed measurements as the steam

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 enters the uphill part of the steam generator.

2 MEMBER WALLIS: This is being done now, you  
3 said?

4 DR. BAJOREK: Some of those tests have been  
5 done, and we still have - we have some plans for doing  
6 some additional tests in 2007, yes.

7 CHAIRMAN BANNERJEE: In the plenum of the  
8 steam generator, you mean the inlet plenum or what?

9 DR. BAJOREK: What we've done is we've  
10 taken the flow from - it boils off the intact side,  
11 steam generator; blocked off that part; brought that  
12 steam into the hot leg, and let it go into the faulted  
13 side steam generator, the one that we are doing the  
14 measurements, with DP cells in both the uphill and the  
15 downhill side, where we can have collection tanks to  
16 see what is the split of condensation on the uphill or  
17 the downhill side.

18 We could range it then over a variation of  
19 Reynolds numbers, inlet Reynolds numbers, which are  
20 somewhat consistent with EPR, where we expect it to  
21 be.

22 We'd also like to be able to put in some  
23 noncondensables, because what is kind of interesting -  
24 oh, actually one of our Bethysi tests -

25 MEMBER WALLIS: Is it normally done so it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will accumulate in the steam generator?

2 DR. BAJOREK: Yes. We see that in one of  
3 the Bethysi tests, and also one of the ROSA tests. I  
4 don't have it listed up here at this point, but when  
5 they had this rapid depressurization of the secondary  
6 side of the steam generator, they started to collect  
7 noncondensibles, which I think came out of solution  
8 into the steam generator tubes, that actually reduce  
9 some of the condensation.

10 MEMBER WALLIS: These are hydrogen? What  
11 are the noncondensibles?

12 DR. BAJOREK: In our test?

13 MEMBER WALLIS: In a real reactor. I guess  
14 in the real reactor.

15 DR. BAJOREK: Real reactor it'd be  
16 hydrogen.

17 MEMBER WALLIS: What are they in the APEX,  
18 noncondensibles? What are they?

19 DR. BAJOREK: Nitrogen air.

20 MEMBER WALLIS: Nitrogen? Is this air in  
21 the water?

22 DR. BAJOREK: In the tests that we're  
23 running we're putting it in.

24 MEMBER WALLIS: You're putting it in?

25 DR. BAJOREK: We would put that in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           They suspect that in the ROSA and the  
2           Bethysi tests where they saw those phenomena it was  
3           nitrogen coming out of solution.

4           CHAIRMAN BANNERJEE: We have no full height  
5           facilities of our own, non-potentially our own.

6           DR. BAJOREK: Potentially yes. One of the  
7           things that we want to try to do is to perform some of  
8           the assessment with TRACE as it is right now. We want  
9           to see how well the models behave.

10          If the models are poor, they're getting  
11          the wrong answers for the wrong reasons, or even the  
12          right answers for the wrong reasons, then we have good  
13          justification to propose to our management to go to  
14          the Thermal Hydraulic Institute and set up separate  
15          effects test in order to focus in on the phenomena.

16          But we're finding that if we were to just  
17          simply say, we need resources to run some tests,  
18          because we think a model is bad, we aren't going to be  
19          very successful.

20          CHAIRMAN BANNERJEE: It's good to have ROSA  
21          data anyway, right?

22          DR. BAJOREK: Yes, we have the ROSA data.  
23          We have already obtained this - well, we have the  
24          reports for FLECHT-SEASET trying to get that  
25          electronically.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We have this data in house.

2 CHAIRMAN BANNERJEE: Wait and see.

3 DR. BAJOREK: Yes.

4 One of the issues that was raised in the  
5 ACRS letter was that we needed to do things to try to  
6 make TRACE an integral part of the agency tool box.

7 In looking at this over the last year, one  
8 of the things - a couple of things we realized is that  
9 when the users in NRR or any of our other offices try  
10 to use TRACE, they are kind of in a time bind. They  
11 need to have an answer in several weeks, and they  
12 don't have that opportunity to convert decks, set up  
13 plant models, in some cases learn code. So what we've  
14 attempted - what we are trying to do now is to make  
15 this much easier for new users.

16 We have started training workshops. We  
17 had one last year, it was either April or May. We  
18 plan to continue those at one to two per year. I  
19 think last year we had something like 30 or 40 new  
20 users; have a hands-on workshop to use TRACE and SNAP,  
21 and step through how you would set up, use and -

22 MEMBER WALLIS: Now, I've already gotten an  
23 NRR, and I want to use TRACE to model ESPWO. What I  
24 would want from you would be a TRACE code which  
25 already has all the input stuff, and all the special

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stuff I need for ESPWO. So there's an absolute  
2 minimum of stuff I need to put in myself. I wouldn't  
3 have to put in the geometry of ESPWO, or something  
4 like that. I want it to be there already.

5 I can start asking questions about, what  
6 happens if this pressure is higher than that, or this  
7 temperature - play with it. But I don't want to have  
8 a lot of time putting in information.

9 DR. BAJOREK: That's what we're trying to  
10 make easier. NRR, I took the responsibility of  
11 setting up the ESPWO model. We also, we've taken that  
12 and been using it.

13 But what we want to try to be able to do,  
14 whether it's ESPWR or any other -

15 MEMBER WALLIS: Well, have you figured out  
16 how to nodalize and all that stuff, and I won't have  
17 to fiddle with that?

18 DR. BAJOREK: We would do that. We would  
19 do the nodalization. We would have the plant decks,  
20 NRR, or any other stakeholders then are free to go do  
21 some of those sensitivities, or explore some of those  
22 questions - what if I have a different type fo noding  
23 here? What if I change my initial suppression pool  
24 temperature, or what if I have a higher resistance in  
25 this line than I may have anticipated?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: They can go to some line in  
2 the code and put in a different coefficient of heat  
3 transfer, can they do that?

4 DR. BAJOREK: I hope not.

5 MEMBER WALLIS: You hope not?

6 DR. BAJOREK: We want to try - they can put  
7 in loss coefficients and things like that.

8 MEMBER WALLIS: Well, I've got this one  
9 minus alpha for the 1.75 or 1.8 or 1.92. I want to  
10 change that and see how sensitive it is to that. I  
11 can't go into the code and do that?

12 DR. BAJOREK: No, you can't.

13 CHAIRMAN BANNERJEE: That is a Joe Kelly  
14 thing. It's a Joe Kelly decree.

15 DR. BAJOREK: You'll have Joe mad at your  
16 too.

17 DR. KELLY: But what we are going to do,  
18 and Steve alluded to this earlier, when we start doing  
19 the uncertainty methodology, we will provide as input  
20 multipliers on a number of physical models.

21 But then a user can set those multipliers  
22 to do exactly those kind of sensitivity studies you  
23 are talking about now.

24 Would they be on every physical model?  
25 No. But they will be on the ones that were judged of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high importance in the PIRT for the various  
2 transients.

3 DR. BAJOREK: Right. You'd look at the  
4 CSAU. You may want to arrange heat transfer  
5 coefficient in the core. You really don't want to go  
6 and arrange heat transfer coefficient everywhere  
7 within the system.

8 So what we are - our plans are, when we  
9 merge this with uncertainty methodologies, is to set  
10 it up so the user can go and put multipliers on  
11 various models and various correlations.

12 But no, he will not have the flexibility  
13 of pulling out one correlation, dropping in another.

14 CHAIRMAN BANNERJEE: Yes, I guess what you  
15 are trying to avoid is what commercial CFD codes do,  
16 where they have user defined subroutines. So if I  
17 wanted to go in and change a correlation in fluid, I  
18 can do it in 10 minutes or 10 hours.

19 DR. BAJOREK: It was in the assessments  
20 that we saw. You get one right or wrong based on  
21 what's in the code. You didn't get that assessment  
22 correct, because instead of using the recommended  
23 model for interfacial drag, I used my own.

24 That's somewhat deceiving. What we are  
25 trying to do, by freezing the code and limiting user

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 access, is to make it consistent with the overall  
2 assessment, so you see how that model package is doing  
3 not only in the particular assessment, but in any of  
4 the other types of assessments in which it may have  
5 played a role.

6 CHAIRMAN BANNERJEE: I think you have a  
7 completely different objective from a commercial CFD  
8 code.

9 DR. BAJOREK: Right.

10 CHAIRMAN BANNERJEE: Where you actually  
11 have to qualify it and assess, so that's fine.

12 One of the things I wanted to ask you,  
13 though, is a lot of these designs, even if they are  
14 certified, like say AP 1000 or whatever, even small  
15 changes in these designs can make a big change in the  
16 answer, because they are gravity driven.

17 So are you going to give NRR - I guess  
18 this is like Graham's question - the AP 1000 thing all  
19 properly nodalized and stuff like that, and then they  
20 can play with it to see what these changes which a  
21 vendor might make will do to it?

22 DR. BAJOREK: We are working on that now.  
23 In fact we've been talking with the NRO office about  
24 AP 1000 in anticipation of potential changes.

25 What we are going to do is resurrect our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 AP 1000 model, make it consistent with the other  
2 assessments on how we nodalize things, or how we think  
3 it should be nodalized to AP 1000; make that deck  
4 consistent with the final set of information that  
5 Westinghouse gave us and the design certification; do  
6 additional assessment for core makeup tank, so we know  
7 how exactly we should be modeling those with TRACE  
8 5.0, and then give that model to the users if they  
9 want to apply it either for audit calculations or  
10 additional -

11 MEMBER WALLIS: Now is one of the users  
12 someone like the Union of Concerned Scientists, where  
13 they can get TRACE and they can ask their questions  
14 with TRACE? Someone who might want to check out how  
15 robust it really is, in order to get some confidence  
16 in it. Someone who perhaps is more critical than you  
17 guys might be.

18 No, I don't think that's possible.

19 DR. BAJOREK: Maybe more critical than you  
20 guys might be.

21 MEMBER WALLIS: More self critical. I mean  
22 you are self critical; you do a good job at that.

23 You get some public credibility if you  
24 give something to someone who is dubious. I mean he  
25 could say, gee whiz, everything is fine. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wonderful.

2 MEMBER SIEBER: Or they could get in there  
3 and do some mischief too.

4 CHAIRMAN BANNERJEE: They get object code,  
5 right?

6 MEMBER SIEBER: Right. Licensees are more  
7 likely to go to their reactor vendor. That's what  
8 they're doing now, and that's how they audit their  
9 safety analysis.

10 DR. BAJOREK: Well, if the Union of  
11 Concerned Scientists would like to run the code, we  
12 have some assessments -

13 MEMBER WALLIS: Well, it's the National  
14 Academy of Science, maybe they could get a subgroup,  
15 and say, run this code and see if you believe it.

16 CHAIRMAN BANNERJEE: We suddenly get 30  
17 reactors, the concerns, the National Academy might -

18 MEMBER WALLIS: Might want to do it.

19 CHAIRMAN BANNERJEE: - want to do it.

20 DR. BAJOREK: To make it easy for them to  
21 use, we are continuing the develop the SNAP tool. One  
22 of the things I like to do is ask some of the people  
23 who are newer why they call these things card images  
24 to the input data. Some people don't know.

25 A more efficient for newer people to use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the code and learn the input is by a menu-driven  
2 structure that is built into SNAP. So as people are  
3 setting up a model they put the input into the volume,  
4 the length and arrays, and things like that, and SNAP  
5 automatically puts this into the right format, allows  
6 them to do the nodalization.

7 It gets around a lot of the confusion and  
8 headache that was typical of setting up code models in  
9 the past. So along with the plant model they'll have  
10 a SNAP mask so that when they start to look at the  
11 plant model, they are able to make changes in  
12 efficient fashion, and not have to stumble on inputs  
13 that change in one part of the input structure, and  
14 you forgot about something else elsewhere. It's to  
15 make life easier for them.

16 MEMBER SIEBER: SNAP is a front end  
17 process. Do you have an equivalent back end process?

18 DR. BAJOREK: SNAP actually does both the  
19 front end and the back end, so there is a way of  
20 visualizing the results.

21 We have initiated a project. We've talked  
22 with NRR. They've indicated which plants they are  
23 most interesting in seeing -

24 MEMBER WALLIS: Well, let me ask you about  
25 input decks. Suppose I want to model the primary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circuit of a PWR. I have the big pipes coming out of  
2 pumps and going into cold legs and stuff.

3 When you develop an input deck, do you say  
4 this is a pipe of a certain length? Do you put in the  
5 bends? Do you put in the details of the geometry, or  
6 just say it's a pipe with a certain volume and a  
7 certain length?

8 I'm missing some of the physics of how you  
9 do that.

10 DR. BAJOREK: For example if it's a hot  
11 leg, you have to define how long it is, how many cells  
12 you need to have it -

13 MEMBER WALLIS: But suppose you say it has  
14 a bend in it. Does the TRAC know that a bend, which  
15 is a bit steeper than another bend, makes some  
16 difference?

17 DR. BAJOREK: Yes.

18 MEMBER WALLIS: It does?

19 DR. BAJOREK: There is input there to tell  
20 where the cell changes elevation, and what should be  
21 the orientation.

22 MEMBER WALLIS: When it changes direction,  
23 does that appear in there?

24 DR. BAJOREK: I'm sorry?

25 MEMBER WALLIS: When the cell changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 direction in going around a bend, does that appear in  
2 TRAC?

3 DR. BAJOREK: Yes.

4 MEMBER WALLIS: It does?

5 DR. BAJOREK: Yes.

6 MR. CARUSO: If I recall, AP 1000 has these  
7 unique sort of curved -

8 DR. BAJOREK: The corkscrew pressurizer?

9 MR. CARUSO: No, not the pressurizer, the  
10 cold legs go back into the vessel work curved; they  
11 weren't straight.

12 DR. BAJOREK: Actually a conventional plant  
13 has an elbow there too. They are curved in AP 1000,  
14 but there are other conventional plants where there is  
15 actually a 40 or 50 degree elbow going into the  
16 vessel.

17 DR. KELLY: But we don't try to solve  
18 three-dimensional momentum equations in the pipes.  
19 Those are 1-D momentum equations, and elbow comes in  
20 pretty much in two ways, the one Steve alluded to, and  
21 it changes your elevation change per unit length run  
22 of the pipe. But the other is, you input a loss  
23 coefficient for the elbow.

24 MEMBER WALLIS: There is nothing about the  
25 flow regime, and we know that when stuff goes around

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a corner it centrifuges the liquid.

2 DR. BAJOREK: Not yet.

3 MEMBER WALLIS: None of that is in there at  
4 all?

5 DR. BAJOREK: Not yet, no. There is  
6 nothing like that.

7 But we are working with NRR -

8 MEMBER WALLIS: What I miss in this whole  
9 literature when you present these codes is a  
10 discussion of the kind of nodes you have, and what  
11 things happen in them which you are not modeling.

12 CHAIRMAN BANNERJEE: It's coming, right?

13 MEMBER WALLIS: Is that going to be in your  
14 documentation eventually?

15 CHAIRMAN BANNERJEE: Isn't John going to  
16 talk about that?

17 MEMBER WALLIS: Is it going to be in the  
18 documentation? It's going to be a fair presentation,  
19 saying these are the kinds of things we're modeling;  
20 these are the aspects of them which we are modeling;  
21 and these are the things which we are not modeling,  
22 but which really happen.

23 Are you going to present things like that  
24 in your documentation? Because I didn't see any of it  
25 now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Honesty is great. You  
2 can get away with everything if you just say what you  
3 can't do.

4 MEMBER WALLIS: That's right, and then  
5 people will make it more credible. Otherwise people  
6 will say, well, how about this? And how about that?  
7 And why didn't they do that?

8 CHAIRMAN BANNERJEE: The problems you often  
9 have, at least you'd have with me or with equivalent  
10 people, is if you claim too much.

11 You know we know what these codes can do  
12 more or less. They can't be everything. So that's  
13 fine. I think we should clearly say what it can do  
14 and what it can't do, and what it does badly, and  
15 where model dimension effects are important.

16 It doesn't mean that the code is not  
17 useful, but you may as well acknowledge it up front.

18 DR. BAJOREK: Okay.

19 MEMBER WALLIS: That's the whole problem.  
20 You say here are some differential equations. You  
21 write them down as if they were Navier Stokes  
22 equation, everyone believes them. And it gives the  
23 impression that this is some sort of an exact  
24 representation of the physics, whereas we know that  
25 there are all sorts of things that are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 represented.

2 Just make a clean breast of it at the  
3 beginning, and it would help.

4 CHAIRMAN BANNERJEE: Are you almost done,  
5 Steve?

6 DR. BAJOREK: I think so.

7 One of the things in comparison to the  
8 past, we think we have a very large exhaustive  
9 assessment matrix. Even though code is not going to  
10 be perfect, we think we have enough information in our  
11 assessment matrix to help us identify where there are  
12 deficiencies, where there are problem areas you should  
13 be aware of.

14 We want to use that then as a means of  
15 prioritizing model changes to the code; where we need  
16 to make improvements.

17 We think that we have automated the  
18 process. We think that in the future we are not going  
19 to get into this situation of having the documentation  
20 lag by months or years. We are going to be able to  
21 turn this around.

22 MEMBER WALLIS: What makes you think that  
23 the future will be any different from the past?

24 MR. MURRAY: There have been a lot of - in  
25 terms of maintaining the documents, there have been a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 lot of I'd call more mechanical or technical glitches  
2 with the documents and how they are stored  
3 electronically; a lot of equations coming over from  
4 Macintosh to PC have gotten jumbled; and have made it  
5 difficult for us to have a developer update the  
6 document at the same time.

7 And once we have a framework for the  
8 documentation that we feel comfortable in, I mean as  
9 a code caretaker, I view it as my job to ensure that  
10 when a code update comes in, I better see some  
11 concurrent documentation that comes in at the same  
12 time that really updates that.

13 And I have been - because of some of the  
14 other technical glitches, we have to sometimes make a  
15 tradeoff on progress versus completeness. And that's  
16 not going to be a problem in the future that I see.

17 DR. BAJOREK: Then finally, with respect to  
18 bringing this code into agency use, we are trying to  
19 go that last step, making sure there are plant input  
20 decks available, there is tools like SNAP available,  
21 so that a new user can get the training, and he has  
22 the things available in order to process his input and  
23 output in an effective manner.

24 MEMBER WALLIS: Do you have experience with  
25 training people?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BAJOREK: With training people?

2 MEMBER WALLIS: You say you are going to  
3 have training workshops.

4 DR. BAJOREK: We have been conducting re-up  
5 training for several years.

6 MEMBER WALLIS: But that's the code you are  
7 throwing away. So how about TRACE workshops?

8 DR. BAJOREK: We had the training workshop  
9 back in April.

10 MEMBER WALLIS: And there is evidence that  
11 people learn quickly and effectively?

12 DR. BAJOREK: What would you say would be  
13 suitable evidence?

14 MEMBER WALLIS: That they can use it after  
15 so many days or hours or weeks or years and get the  
16 same answers that Joe Kelly gets.

17 DR. BAJOREK: Hopefully they leave the  
18 workshop with a - being able to use it.

19 MEMBER WALLIS: But do they? Is there ever  
20 an instance when they can't?

21 MR. CARUSO: Success would be if they came  
22 to us for a power upgrade with a TRACE calculation.

23 MEMBER WALLIS: Yes. Success would be if  
24 they used it and they came to us with the results.

25 MR. CARUSO: There's power upgrades coming

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up, Susquehanna and Hope Creek this summer. If they  
2 came to the committee with a TRACE calculation, that  
3 would be success.

4 CHAIRMAN BANNERJEE: That might be - if not  
5 that, something like that would be a good objective.

6 MEMBER WALLIS: But the real thing would  
7 be, if we asked them in the morning and they came in  
8 the afternoon.

9 CHAIRMAN BANNERJEE: That sounds a little  
10 ambitious.

11 DR. BAJOREK: That may be, but we think  
12 that within about the first quarter of this year we  
13 are going to have that capability - not turning it  
14 around in the very morning. But there will be no  
15 excuse not to use TRACE to look at those types of  
16 audit calculations.

17 MEMBER WALLIS: Now the brief experience  
18 that fluent has is that you have to have a lot of  
19 customer service; you have to hold the hands of your  
20 customers, who are always having trouble using the  
21 code.

22 And unless you have that, you can't be in  
23 business.

24 CHAIRMAN BANNERJEE: That's of course  
25 Fluent's business.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Not just saying that we  
2 have Fluent. Without the customer service, it  
3 wouldn't work.

4 CHAIRMAN BANNERJEE: And charging them at  
5 least \$250 an hour, at least \$500.

6 MEMBER WALLIS: But you are going to have  
7 the customer service NRR, presumably. And you have to  
8 probably dedicate some people to doing that. I don't  
9 think you have the people.

10 CHAIRMAN BANNERJEE: These guys are  
11 actually trying to make a code which works. Fluent's  
12 objective is a little different. It is how much  
13 money.

14 DR. BAJOREK: I don't want to go there.

15 MEMBER WALLIS: You are being much too  
16 cynical.

17 DR. BAJOREK: We try to work closely with  
18 NRR. We don't just throw this code over the wall and  
19 let them suffer the consequences.

20 MEMBER WALLIS: Well, I wouldn't  
21 underestimate the amount of interaction you are going  
22 to have to have with them as they use it.

23 CHAIRMAN BANNERJEE: I have a slightly  
24 different question. You guys have been supporting  
25 quite a bit of research, and at least eventually that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 research needs to make its way into TRACE or something  
2 equivalent.

3 One of these is the interfacial area. So  
4 what we haven't heard right now from you is, and maybe  
5 we can hear later, we don't have time today, what is  
6 your five-year plan for this code if you like? When  
7 are we going to see all this work with interfacial  
8 area, work that VJ -- and company are doing on boiling  
9 and --

10 DR. BAJOREK: We put together -

11 MEMBER WALLIS: -- all that sort of stuff.

12 DR. BAJOREK: We put together a roughly a  
13 five year plan about a year ago. First goal is to get  
14 5.0 out. Beyond that versions which we might refer to  
15 as 6.0 or 7.0, to turn on the droplet field; make  
16 improvements to the other constituent models; make use  
17 of the data from UCLA for subpool boiling; RBHT for  
18 reflood; a number of those models that Joe Kelly  
19 talked about this morning.

20 Beyond that, a version like 8.0, more four  
21 to five years out, is when we would take advantage of  
22 that information from Purdue to put in the interfacial  
23 area track.

24 So we have thought about that, but at this  
25 point we are trying to go full speed ahead to 5.0 on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this.

2 CHAIRMAN BANNERJEE: I think what you are  
3 trying to do is fine. But we have never even heard  
4 from some of these programs, like Ishii has been  
5 happily working away on interfacial area for the last  
6 10 years I think and never appeared in front of ACRS  
7 to tell us what he's been doing. And you guys have  
8 been funding him, presumably because of TRACE.

9 So I think even if you don't appear with  
10 a version of TRACE with this stuff in it, we'd like to  
11 know where you are.

12 DR. BAJOREK: And that's something that we  
13 can rectify, and present the status of the work at a  
14 future ACRS meeting. But at the moment we don't have  
15 a contract for the Thermal Hydraulic Institute. We  
16 are issuing a new RFP pretty soon, and we'll see how  
17 the contractor is.

18 MEMBER WALLIS: But we have already -

19 DR. BAJOREK: Generated data for certain -  
20 well, that contract is ending now.

21 MEMBER WALLIS: Can we at least get the  
22 status of that?

23 DR. KELLY: Yes, and as Steve said, that's  
24 probably going to make its way into TRACE 8.0, and  
25 that's when having an elbow in a pipe will make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difference, because there will be a model for what  
2 happens to the interfacial area as a two-face flow  
3 goes through the elbow. And then downstream of the  
4 elbow, it has to recover.

5 It turns out it recovers fairly quickly,  
6 at least from the data we've taken so far. But yes,  
7 that's showing you the progress in the program is  
8 certainly something we could plan for a future  
9 meeting. We'd be happy to.

10 CHAIRMAN BANNERJEE: Right, it doesn't have  
11 to be that you have new work done. Where does it  
12 stand right now?

13 DR. KELLY: Okay.

14 DR. BAJOREK: That is something we'd like  
15 to do, and I think several of us are actually anxious  
16 to start looking at those programs, and looking at  
17 other model improvements once we get the 5.0 workout.

18 MEMBER WALLIS: Have you got it documented,  
19 as you are closing out the old contract, have you got  
20 all this stuff well documented?

21 DR. KELLY: Yes, we get annual reports from  
22 the Institute as well as individual data reports from  
23 each test series, and those are archived.

24 MEMBER WALLIS: Okay. So it won't be lost?

25 DR. KELLY: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Maybe we should make this  
2 one of the programs that the ACRS reviews. We review  
3 three or four as you know, the history of the ones  
4 we've looked at every year. Instead of looking at the  
5 ones you tell us to look at, maybe we should look at  
6 this one because we're curious about it.

7 DR. BAJOREK: I keep suggesting - well,  
8 Bill Shack isn't here today - I wanted to suggest the  
9 chemical effects program as one to look at.

10 MEMBER SIEBER: He'll be here tomorrow.

11 DR. BAJOREK: Okay.

12 CHAIRMAN BANNERJEE: We've already looked  
13 at it some in the past. But you know we've looked at  
14 UCLA work. We've worked at Penn State work. And  
15 we've been generally quite happy with what we've seen  
16 in the past.

17 It's this effort which has been going on  
18 for a long time, and which we are quite interested in,  
19 because we'd like to see the progress, and we haven't  
20 seen it at all. And potentially it has a high impact.

21 DR. BAJOREK: Okay. So with that I'd like  
22 to turn it over then to -

23 MEMBER WALLIS: So you say you are going to  
24 schedule a presentation on Ishii's work?

25 DR. BAJOREK: If you would like that, we'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 try to work that in.

2 MEMBER WALLIS: Yes, that would be good.

3 DR. BAJOREK: Because Joe mentioned that is  
4 going to have to wait until we do get the contract.

5 CHAIRMAN BANNERJEE: But even if you don't  
6 have the contract, I mean whatever has been done up to  
7 now you can talk about that.

8 DR. BAJOREK: Okay. Even if you don't have  
9 the contract, I mean whatever has been done up to now.  
10 You can talk about that. I mean even if Ishii doesn't  
11 come up, because it doesn't cover his travel, you guys  
12 can tell us.

13 MEMBER WALLIS: Now are you held up by this  
14 continuing resolution business in awarding these  
15 contracts? Is that part of the fall out of Congress  
16 taking forever to get through its budgeting process?

17 DR. BAJOREK: Yes, and no. I don't think  
18 that that will hurt us on 5.0, but when it comes to  
19 making progress with some of the future enhancements  
20 that we want to make, the SNAP, the Thermal Hydraulic  
21 Institute, dealing with advanced reactors, a lot of  
22 that assessment, any model development that might be  
23 associated with that, that could get impacted by the  
24 continuing resolution.

25 CHAIRMAN BANNERJEE: I should turn the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chairmanship over to you .

2 TRACE MOMENTUM EQUATION

3 CHAIRMAN BANNERJEE: John, are you going to  
4 now delve into the momentum equation?

5 MEMBER WALLIS: Is someone going to tell us  
6 how you go from differential equations to finite  
7 control volume?

8 DR. MAHAFFY: That is the purpose of this  
9 talk, the momentum equation was singled out because  
10 it's more complicated.

11 MEMBER WALLIS: It's more difficult.

12 MEMBER WALLIS: But even with something  
13 that is a scalar like energy, if you have funny shaped  
14 nodes of different sizes and shapes, then there is a  
15 question about how you do upwind differencing and so  
16 on, and how you do some of this averaging with the  
17 betas and the Ws and -

18 DR. MAHAFFY: The betas and the Ws are,  
19 that's really not finite volume. That has to do with  
20 your time leveling.

21 MEMBER WALLIS: Well, ridiculous averages -  
22 if you have a small node and a big node, to take some  
23 average which is independent of the ratio of the size  
24 of these nodes doesn't seem to be right

25 DR. MAHAFFY: I'll talk about that a little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit as we go through what I'm about to show you.

2 MEMBER WALLIS: Maybe I should just be  
3 quiet and listen to what you have to say

4 DR. MAHAFFY: Well, no, don't be quiet.  
5 Because what you have to say is very important.

6 Part of your problem with the  
7 documentation is that I haven't really shifted on full  
8 time to rewrite the documentation on the fuel  
9 equations. So that anything you want to contribute in  
10 terms of structure or content to the fuel equations  
11 section of the documentation you are certainly  
12 welcome.

13 Just as an aside, while I'm up here, and  
14 waiting, in terms of Ishii's work, as we speak I have  
15 a graduate student sweating, putting in some of  
16 Ishii's results in a version of TRACE. It's something  
17 not funded by the NRC. This is internal money from my  
18 laboratory. Just for fun to see what happens.

19 So that information will be available to  
20 the NRC as they move forward and try to make  
21 additional plans. It's just a massive thesis; it is  
22 nowhere near a complete piece of work.

23 CHAIRMAN BANNERJEE: Enlighten me a little  
24 bit about this, John, because in most fuel codes,  
25 where they use some sort of Euler or LaGrangian

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach, the equation for the problem is a density  
2 function for the drops or whatever.

3 It's effectively an interfacial area  
4 equation. Because this usually is written in a way,  
5 let's say  $F$  is the probability density function  
6 between a certain velocity and a certain spatial  
7 location. So you write the usual type of equation,  
8 with a sink and a source function for coalescence  
9 break up, collisions, et cetera.

10 And this has been used in -- Williams work  
11 was done in '59. So what is so new about this? This  
12 is used in coats like Fluent or god forbid StarCD and  
13 everywhere else --

14 DR. MAHAFFY: There is nothing particularly  
15 new. Joe Kelly can talk to you about the things they  
16 did in COBRA in the late 1970s with droplet fields.  
17 All of this is well established. All we are doing is  
18 trying to take the results of experiments that Ishii  
19 did to come up with appropriate source and sink terms  
20 in your area transport equations.

21 CHAIRMAN BANNERJEE: That's all it is

22 DR. MAHAFFY: That's the bottom line.  
23 There is no whiz bang technology in terms of the fuel  
24 equations. In fact, what we're doing, the droplet  
25 field is implemented right now in a yet-to-be version

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of TRACE. The updates are still in the holding bin.  
2 That is not implemented as a single droplet field.

3 You can put - if you want to spend enough  
4 hours waiting for your computer to come back, you can  
5 put in 20 or 100-droplet fields. And what we are  
6 doing with the -

7 CHAIRMAN BANNERJEE: But that's in an  
8 Eulerian context?

9 DR. MAHAFFY: That's in a Eulerian context.  
10 We're not doing anything - we are not trying to  
11 superimpose LaGrangian calculations here. These are  
12 Eulerian interfacial area and associated mass  
13 equations with your whatever field.

14 But with minor modifications, that now can  
15 be changed so that those fields are not droplets but  
16 they are bubbles. And with a little bit of extra work  
17 there you can have some bubbles, you can have some  
18 droplets, and track as many of these as you want.

19 CHAIRMAN BANNERJEE: The problem with that,  
20 it's a little digression, is that the areas are  
21 vectors in a sense. So if the area is normal to the  
22 flow, or parallel to the flow, they have a different  
23 effect in terms fo something like drag.

24 So this is why I wanted this whole subject  
25 aired, before we go too far with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: That is another level of  
2 resolution. I don't see us getting there in a  
3 reasonable way. It's just some kind of an average  
4 effect.

5 CHAIRMAN BANNERJEE: Right. With drops and  
6 bubbles I can understand how you can do this. But  
7 with a generalized area, whether it's parallel to the  
8 flow, or normal to the flow, you are going to have a  
9 slightly different - so this is why it's better to  
10 talk to us early than late

11 DR. MAHAFFY: This is why I tell my  
12 students right now that two-faced flow is a great  
13 field to get into, because I can guarantee there is  
14 still a lifetime left of research left to do.

15 MEMBER WALLIS: Right

16 DR. MAHAFFY: All right. First, getting  
17 somebody to pay for it.

18 MEMBER WALLIS: It will come back. All  
19 this nano bio.

20 DR. MAHAFFY: Yes.

21 Let me draw you a volume, and we are going  
22 to do a momentum equation here.

23 One thing to notice -

24 MEMBER WALLIS: So this is all one  
25 dimensional? It's all going in one direction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: We are going to do it in a  
2 generic way so that you can interpret it as one  
3 dimensional or three dimensional, and we are going to  
4 have to talk around the issues of what happens if your  
5 pipe is bad.

6 MEMBER WALLIS: What about going into a  
7 lower plume, say, where there is a huge change in  
8 geometry?

9 DR. MAHAFFY: Yes, I've got a little bitty  
10 abrupt area change in this. I'm pointing at the wrong  
11 thing.

12 MEMBER WALLIS: Also I have a problem when  
13 you say, the center of the volume. I don't quite know  
14 where to draw A1 and A2

15 DR. MAHAFFY: A1 and A2, these are my flow  
16 boundaries.

17 MEMBER WALLIS: They go through the center  
18 of gravity or the center of volume of the volume, and  
19 they are perpendicular to the flow, so you know which  
20 way the flow is going and all that

21 DR. MAHAFFY: We can talk around the issue  
22 of perpendicular. In this case I've drawn them as  
23 perpendicular, and we will work in that sense.

24 If you get into the case, in TRACE there  
25 are two modes for sort of non-straight one-dimensional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flow. The traditional TRAC approach is that let us  
2 say at area two, when you tack on the next volume,  
3 there is a bend there, and it moves into another  
4 volume, and you've got to think about what that then  
5 means.

6 If it were RELAP-5 - or excuse me, RELAP-5  
7 bends here at the corners. In TRACE it actually bends  
8 here at the center plane.

9 MEMBER WALLIS: Okay, in this pair you've  
10 drawn this little tapered thing

11 DR. MAHAFFY: I was just trying to draw  
12 some generic -

13 MEMBER WALLIS: So that taper, we continue  
14 that taper back. Is A1, where is A1? How do I know  
15 where A1 is in that cone that's coming in

16 DR. MAHAFFY: It's where it's drawn.

17 MEMBER WALLIS: How do I know where to put  
18 it in evaluating my - it's somewhere? It's just  
19 somewhere?

20 DR. MAHAFFY: What's happened - good  
21 question - what I was trying to say before we wandered  
22 off on this train is that in TRACE you have to think  
23 about two different classes of volumes, because we  
24 have a staggered mesh.

25 There is a set of volumes I haven't drawn,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and -

2 MEMBER WALLIS: I think you should draw the  
3 whole volume.

4 DR. MAHAFFY: There is another - what you  
5 do is, you follow this taper on out here -

6 MEMBER WALLIS: That's the J volume, that  
7 thing.

8 DR. MAHAFFY: And that's my J volume, and  
9 that is a mass volume.

10 A1 is running through the geometric  
11 center, in terms of distance, not in terms fo volume  
12 weighting.

13 MEMBER WALLIS: Just in terms fo distance

14 DR. MAHAFFY: That's the way we think of  
15 it.

16 MEMBER WALLIS: But it makes a difference

17 DR. MAHAFFY: Only when you get to the  
18 level fo CFD.

19 MEMBER WALLIS: What happens if A1 cuts A3?  
20 I can ask an infinite number of questions

21 DR. MAHAFFY: That's right, and we can get  
22 into infinite amounts -

23 MEMBER WALLIS: Well, you see, that's the  
24 problem I have, I see these very simplistic  
25 definitions, and I can think of about 10 questions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right away about how do you do it.

2 CHAIRMAN BANNERJEE: I guess what would be  
3 useful John is to - unfortunately we don't have a  
4 board here - maybe you could just sketch - because  
5 it's a staggered mesh, what would be notionally a mesh  
6 where you show the staggered mesh as well

7 DR. MAHAFFY: You want me to draw something  
8 up here?

9 CHAIRMAN BANNERJEE: Yes, if you just draw  
10 this.

11 MEMBER WALLIS: I understand that for a  
12 straight pipe. I understand the Js and the J plus  
13 ones.

14 CHAIRMAN BANNERJEE: Since it's a staggered  
15 mesh, just to show the other mesh

16 DR. MAHAFFY: We can do that. It's not  
17 directly relevant.

18 One thing I want to address, Graham, is  
19 that as you see how the equations develop, there is  
20 not anything in there that talks about exactly where  
21 A3 is. If A3 overlaps -

22 CHAIRMAN BANNERJEE: You can do it without  
23 A3 now.

24 DR. MAHAFFY: We could do it without A3.

25 MEMBER WALLIS: But if I have ECC injection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I want to know -

2 DR. MAHAFFY: Okay. So let's work in -

3 CHAIRMAN BANNERJEE: Forget the A3 for the  
4 moment.

5 DR. MAHAFFY: I'm going to draw you a  
6 similar picture. These are two of my mass-energy  
7 values. And I'm going to write some center point  
8 here. I'm going to be vague about that. We tend to  
9 think about it geometrically -

10 MEMBER WALLIS: Yes, but the user needs to  
11 know where to put it.

12 DR. MAHAFFY: If you look at what's done in  
13 TRACE, what it says is that this point is halfway  
14 along whatever this axis is.

15 MEMBER WALLIS: So it's a curved pipe, it  
16 follows what? It follows the metal

17 DR. MAHAFFY: If it's a curved pipe, we  
18 will talk about this briefly, you could think of me  
19 going into some very odd new coordinate system. It  
20 was a curved coordinate system.

21 MEMBER WALLIS: Well, suppose it comes in  
22 in the X direction and goes out in the Y direction.  
23 Where is the middle?

24 DR. MAHAFFY: Where is the middle?

25 MEMBER WALLIS: When I go into the lower

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plenum, I come down the downcomer, and then I go out  
2 horizontally. How do I draw the middle of something  
3 which has a kink like that?

4 DR. MAHAFFY: If you're in the vessel,  
5 that's different, because you really do have a three  
6 dimensional cell structure, and the cells have a -

7 MEMBER WALLIS: In the lower plenum

8 DR. MAHAFFY: Yes. I mean if you look at  
9 the vessel in TRACE, you have a very clearly defined  
10 geometry of your cells. There is no ambiguity there.

11 MEMBER WALLIS: I'd need to see the cells  
12 that you have in the lower plenum to understand that.

13 DR. MAHAFFY: What happens - let's finish  
14 this one.

15 CHAIRMAN BANNERJEE: Yeah, why don't we go  
16 one thing at a time.

17 DR. MAHAFFY: Let's do one thing at a time.

18 So here's what I've done for a momentum  
19 cell.

20 MEMBER WALLIS: So it's all one  
21 dimensional. You know where to draw the  
22 perpendiculars, right

23 DR. MAHAFFY: Yes. I'm working in one  
24 dimension here. What I'm going to do to finesse this  
25 is say, okay, you believe there is a bend in there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm going to construct some kind of distorted -

2 CHAIRMAN BANNERJEE: But let's go forward  
3 with this.

4 DR. MAHAFFY: Okay. So this is where we  
5 are -

6 MEMBER WALLIS: And there is no W power  
7 when you do the averaging?

8 DR. MAHAFFY: If you are interested in Ws,  
9 that's another lecture, and that has to do with your  
10 choice of time differencing, time leveling.

11 MEMBER WALLIS: But as I read the  
12 instructions, it says that there is a Y J plus a half,  
13 which isn't just the average; it's a W J plus a half  
14 of Y J.

15 DR. MAHAFFY: That's a particular -

16 MEMBER WALLIS: It doesn't appear in here

17 DR. MAHAFFY: No, that's the SETS method.

18 MEMBER WALLIS: That's something else  
19 altogether?

20 DR. MAHAFFY: That has to do with your  
21 choice of time leveling in the SETS method, all right?  
22 That has nothing to do with your breaking up of space  
23 for finite volumes.

24 MEMBER WALLIS: I have a problem here,  
25 because this Y J plus a half, which is defined in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SETS method is different from the J plus a half value  
2 you are going to use in this balance that you are  
3 going to talk about?

4 CHAIRMAN BANNERJEE: Let him finish this.  
5 Because what you are going to do is convect, let's say  
6 a property like density or enthalpy is put at the  
7 center.

8 DR. MAHAFFY: It's at the center here.

9 CHAIRMAN BANNERJEE: All pressure

10 DR. MAHAFFY: All thermodynamic variables  
11 are at the centers fo what I'm calling my mass and  
12 energy variables.

13 CHAIRMAN BANNERJEE: So H, P and Rho are  
14 there?

15 DR. MAHAFFY: Yes.

16 CHAIRMAN BANNERJEE: And the flow rate

17 DR. MAHAFFY: Flow rates are here. The  
18 proper term is velocities.

19 CHAIRMAN BANNERJEE: The velocities.

20 CHAIRMAN BANNERJEE: So what is Row in this  
21 J plus a half finding?

22 DR. MAHAFFY: Well, that's the interesting  
23 question. You have to define - that comes to the  
24 heart of your definition of your differencing scheme,  
25 and how you are deciding your order of accuracy and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your differencing scheme.

2 CHAIRMAN BANNERJEE: So now, that's not at  
3 the center of mass of this, it's at the center of the  
4 G coordinate?

5 DR. MAHAFFY: Yes, it's at the center of  
6 the G coordinate.

7 CHAIRMAN BANNERJEE: So if you think about  
8 that upstream node as a mixing volume, the density or  
9 enthalpy or pressure, is it supposed to represent  
10 whatever is for that full volume

11 DR. MAHAFFY: I'll address this here as we  
12 move through the approximation, but we are, within  
13 TRACE, and this gets to your worry about publishing in  
14 journals, we do not publish anything we do in TRACE in  
15 any respectable fluid dynamics journal, because it is  
16 first order accurate space.

17 CHAIRMAN BANNERJEE: Tell us what you do  
18 then

19 DR. MAHAFFY: First order accuracy  
20 basically says that, yes, in effect what I'm assuming  
21 is -

22 MEMBER WALLIS: Engineering journal? I  
23 don't understand why it's not publishable in an  
24 engineering journal.

25 DR. MAHAFFY: Oh, you go to any fluids

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 journal, and they talk about their requirements for  
2 publication of both numerical methods developed and  
3 computations using a numerical in that, that they do  
4 not want you to use first order methods.

5 There is an exception to that.

6 MEMBER WALLIS: You can publish it in other  
7 journals which are engineering based and utility  
8 based.

9 DR. MAHAFFY: As I said, SETS was published  
10 in 1982 in the Journal of Computational Physics, and  
11 that was before people got off of first order methods,  
12 and into higher order methods, and so it was perfectly  
13 acceptable then.

14 But -

15 CHAIRMAN BANNERJEE: Let's carry on from  
16 this point.

17 DR. MAHAFFY: Yeah, this point, think of it  
18 as a geometric center. There is a density here, and  
19 at first order one way of interpreting what the first  
20 order method of approximation is, I assign a value  
21 here, and I'm going to treat it as if it's constant  
22 over this entire volume.

23 And I assign some values here, and I'm  
24 going to treat them as being constant over this entire  
25 volume. That is, in terms fo kind of modern numerical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 methodology, I'm choosing a basis function here.

2 MEMBER WALLIS: But then when you have the  
3 other volume, which is the composite of the two, it's  
4 got two pieces of volume, it's different

5 DR. MAHAFFY: It's got two pieces, and you  
6 will see me do that in some of the integrations I go  
7 through.

8 I've got a density that is constant over  
9 --

10 MEMBER WALLIS: But how do you work out a  
11  $\rho$  dV or something if it's not constant throughout  
12 the volume?

13 DR. MAHAFFY: I'm doing an integration.

14 CHAIRMAN BANNERJEE: More problematic is  
15 with the pressure, right, when you want to drive the  
16 flow across the boundary.

17 DR. MAHAFFY: Yes.

18 CHAIRMAN BANNERJEE: I may accept the  
19 density and the enthalpy being uniform, but what word  
20 would the pressure -

21 DR. MAHAFFY: What I'm going to do, and you  
22 will see me do it, is that I am going to sit down and  
23 I am going to look at an integral over this volume of  
24 a void fraction times the gradient of a pressure, DV.

25 MEMBER WALLIS: But I know that if I didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have the void fraction there, this would be the same  
2 as the integral PDS. But if it was averaged with an  
3 alpha in there, I'm not quite sure what it is

4 DR. MAHAFFY: Well, and you fit the one  
5 point of what we do. We take this alpha and we pull  
6 it out, with some mean sense -

7 MEMBER WALLIS: How do you pull it out

8 DR. MAHAFFY: It's one of these things,  
9 it's this business that everybody does, and you will  
10 see me do it here, at some point in any of these  
11 methods you talk in a low voice very quickly so people  
12 don't hear you -

13 MEMBER WALLIS: It's unacceptable

14 DR. MAHAFFY: - and you say, the average  
15 of the sum is equal to the sum of the averages, or the  
16 average of the product is equal to the sum of the -

17 MEMBER WALLIS: But we know that's not true

18 DR. MAHAFFY: We know that's not true.

19 MEMBER WALLIS: So the question is, how  
20 good is it?

21 DR. MAHAFFY: The question is, how good is  
22 it.

23 CHAIRMAN BANNERJEE: Okay, let's see what  
24 you do. You pulled out the alpha

25 DR. MAHAFFY: Yeah, we pulled this out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm going to show you this integral in a minute. But  
2 what happens if, if you look at this -

3 MEMBER WALLIS: Which volume are you going  
4 to integrate it over now?

5 DR. MAHAFFY: I'm going to integrate it  
6 over this volume?

7 MEMBER WALLIS: So what are you going to do  
8 about that slice of wall there, where it says  
9 perpendicular up there?

10 DR. MAHAFFY: Oh, that is just part of the  
11 integration.

12 MEMBER WALLIS: But you don't know what the  
13 pressure is up there?

14 DR. MAHAFFY: That's the key.

15 MEMBER WALLIS: That's the key

16 DR. MAHAFFY: The fundamental assumption,  
17 and I'll talk to this later or we can talk to it now,  
18 I told you what my assumption is. I told you that  
19 I've assumed that the pressure is constant over this  
20 entire volume.

21 My first order of approximation basis  
22 function tells me that over this entire volume, I've  
23 got a constant pressure.

24 MEMBER WALLIS: That is very untrue though.  
25 You have a pressure recovery

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: That's right. That's right,  
2 and we'll talk about what it means.

3 CHAIRMAN BANNERJEE: Anyway, you assume  
4 that pressure is acting on those walls.

5 MEMBER WALLIS: I thought that wall goes  
6 with the downstream volume and not the upstream  
7 volume?

8 DR. MAHAFFY: This wall is going with this  
9 volume, right?

10 MEMBER WALLIS: But we know that when a jet  
11 comes out of a hole, the pressure near the jet is the  
12 pressure upstream pressure, not the downstream

13 DR. MAHAFFY: Absolutely true. But you know  
14 it's more complicated than that. And I'm running out  
15 of space to go up, but if you think about it, I've got  
16 a jet coming out of here, and it follows some  
17 trajectory, and there's a reattachment point if you  
18 will, right?

19 And the hole -

20 MEMBER WALLIS: There's a vortex up in the  
21 corner or something.

22 DR. MAHAFFY: I've got some recirculation  
23 pattern here in the corner. And if I knew this  
24 profile, and I made some assumptions about what my  
25 density was doing, I could make a pretty decent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 estimate of what my pressures were all the way along  
2 this line, just playing some games with Bernoulli's  
3 equation.

4 But I don't know what that reattachment  
5 point is. This is a problem that we're not going to  
6 resolve at the level that we do finite volume work in  
7 trays.

8 MEMBER WALLIS: Now you've got two phases,  
9 too. So the liquid is on the wall, the gas isn't.  
10 But somehow the gas knows what the pressure is on the  
11 wall? I mean there are all sorts of questions like  
12 that.

13 DR. MAHAFFY: You can ask the questions,  
14 and what I'm telling you is, if you want to resolve  
15 the questions in terms of what's going on in the  
16 pressure profile along this wall, you've got to be  
17 doing a full up -

18 MEMBER WALLIS: You see, it would really  
19 help me in your preamble to this whole code if you'd  
20 draw things like this and explain what's going on so  
21 we could see what kind of assumptions are being made.  
22 Then we'd know what's going on.

23 When it's presented as sort of  
24 differential equations, and it's obviously true, that  
25 really doesn't help me very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: Well, we admit that the  
2 differential equations are only true to a point too.

3 MEMBER WALLIS: But the differential  
4 equation doesn't apply to a control volume. So it's  
5 a huge bridge there that's missing

6 DR. MAHAFFY: No, and I'll try to bridge  
7 it.

8 MEMBER WALLIS: All right, and I better be  
9 quiet and see what you do.

10 DR. MAHAFFY: No, keep talking. But my  
11 problem is, I'm not taking notes fast enough.

12 MEMBER WALLIS: There will be a transcript

13 DR. MAHAFFY: There'll be a transcript, and  
14 we'll work from that.

15 But what I'm trying to tell you, if I  
16 could do CFD, okay, I'd be okay. And this people  
17 talked earlier about state of the art, and does the  
18 NRC try to do the state of the art.

19 If you want to know what the state of the  
20 art is right now, it's the Neptune project, where  
21 people are trying to set up to do full up two phase  
22 CFD for an entire reactor and a reactor transient.

23 And they are honest enough to tell you  
24 that it's going to be 20 years in the future before  
25 they can do one of these things, both in terms of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 development of the physical numerical model set that  
2 goes into the software, and in terms of the computer  
3 hardware that will let you solve all that mess. It's  
4 a long horizon item.

5 We're here wanting to finish this story.  
6 And if you'd like, it's probably a good idea in the  
7 manual, if we are going to start drawing these  
8 pictures, what we can do is talk about some  
9 approximations here.

10 If you think about it, my first order  
11 assumption, where I've got this constant pressure over  
12 this entire volume, that is going to induce the lease  
13 losses.

14 MEMBER WALLIS: Then there is nothing to  
15 change the momentum of the fluid going through there,  
16 too. It's okay.

17 CHAIRMAN BANNERJEE: The put a loss factor  
18 on it.

19 DR. MAHAFFY: That's exactly what we do.  
20 Because we have no physically based model to tell you  
21 what this pressure profile is here, as we go through  
22 this detached zone of the flow -

23 MEMBER WALLIS: You put in a loss factor

24 DR. MAHAFFY: - we put in a loss  
25 coefficient.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: But the loss coefficient  
2 has nothing to do with these differential equations.  
3 It's a macroscopic -

4                   DR.     MAHAFFY:     It's a macroscopic  
5 engineering correction.

6                   CHAIRMAN BANNERJEE: You know, to move it  
7 forward, I think what we will do today is, we will go  
8 forward and try to understand what you do, without  
9 necessarily saying - we are not going to comment too  
10 much.

11                   I understand exactly what you are doing,  
12 for better or worse.

13                   MEMBER WALLIS: You understand? I don't  
14 understand. This loss factor, if I look at the  
15 differential equation, it has an FI and a FW in it.  
16 Once you've integrated a differential equation -  
17 presumably the loss factor is some kind of an integral  
18 of FW in there. Otherwise it's not in the equation at  
19 all.

20                   DR. MAHAFFY: If you want to be physical  
21 about it.

22                   MEMBER WALLIS: Oh, I want to be physical  
23 about it. So this FW or something, that's where the  
24 loss factor would come from, as a pseudo integral FW?

25                   DR. MAHAFFY: This is something -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN BANNERJEE: For a single phase  
2 case it would just be FW.

3 DR. MAHAFFY: If you want to really talk  
4 about this in one more level of detail, we could have  
5 started - I'm one step beyond Navier-Stokes equations  
6 here. And what I've trying to capture is the idea  
7 that - you see I don't have my stress tensor in here  
8 at all any more.

9 What I am telling you is that in TRACE and  
10 in all of its cousins in reactor safety, all the way  
11 on through KATAR, you do not worry about certain  
12 aspects -

13 MEMBER WALLIS: Well, does the loss factor  
14 come from the delta P, the grad P, or from the FW, or  
15 some combination of those

16 DR. MAHAFFY: The loss factor -

17 CHAIRMAN BANNERJEE: This is an integral of  
18 an average solved equation. So the gradients are  
19 gone. FI and FW are the interfacial drags -

20 MEMBER WALLIS: Gradients haven't gone  
21 because they are multiplied by an alpha. So your loss  
22 factor is some kind of - it's a combination of the  
23 grad P term and the VFW term

24 DR. MAHAFFY: The less factor, really, the  
25 best way to look at it is physically is that I simply

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have not gotten the pressures at the wall correctly.

2 MEMBER WALLIS: Okay, so the grad P, that  
3 term is not properly -

4 DR. MAHAFFY: That's the best way to think  
5 about it, because if - it's influenced by other things  
6 that are happening with the detached flow and whatnot.

7 AS you are probably well aware, there is  
8 a classic way to derive the loss coefficient for an  
9 abrupt expansion. It's a simple integration momentum  
10 equation, like I've done here, but what you do is, you  
11 assume that along this wall the pressure is equal to  
12 the pressure here, in the narrow part of my flow  
13 channel.

14 And if you assume any kind of flow like  
15 this, that's a decent assumption. And if this thing  
16 is perpendicular to my centerline, it's a really good  
17 assumption.

18 CHAIRMAN BANNERJEE: You use the mechanical  
19 energy and the momentum equation.

20 MEMBER WALLIS: And the distribution of  
21 alpha has nothing to do with it

22 DR. MAHAFFY: No, alpha is -

23 MEMBER WALLIS: Alpha is inside the  
24 integral here. So that has nothing to do with it

25 DR. MAHAFFY: It's going to have an effect,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 too.

2 MEMBER WALLIS: So that's also captured in  
3 the loss coefficient somehow

4 DR. MAHAFFY: And you think of that as,  
5 it's probably your two phase multiplier on your loss  
6 coefficient, all right?

7 CHAIRMAN BANNERJEE: You had a question,  
8 now if you introduce the A3 there, what happens, in  
9 the previous slide?

10 MEMBER WALLIS: I'm not sure I want to have  
11 anything to do with that. I just have problems with  
12 the integral you have written down there, how that  
13 turns into momentum balance for a control volume. Is  
14 that actually going to appear somewhere eventually?

15 DR. MAHAFFY: Yes.

16 MEMBER WALLIS: Because you have got all  
17 these integral signs in all these slides, but you  
18 don't have anything that tell me how to evaluate J1,  
19 J2 and all that stuff.

20 DR. MAHAFFY: Well, that comes down towards  
21 the end.

22 MEMBER WALLIS: Still all differential  
23 equations. And that really isn't what you're  
24 analyzing. You are analyzing control volumes

25 DR. MAHAFFY: Yeah, but look what happens.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 As I told you, the purpose of this exercise is to deal  
2 with the volume integration, the finite volume  
3 methodology. I am not trying to deal with your choice  
4 of time level.

5 MEMBER WALLIS: Why don't you just start  
6 with the volume? Why do you start with differential  
7 equations? Start with the volume balance of some  
8 sort.

9 DR. MAHAFFY: The differential equation is  
10 basically here.

11 MEMBER WALLIS: I know. Then you integrate  
12 it to get a volume.

13 DR. MAHAFFY: I integrate it over my  
14 volume.

15 MEMBER WALLIS: And you've got something  
16 which you could have got most of the terms by writing  
17 them down.

18 DR. MAHAFFY: That's right.

19 MEMBER WALLIS: And then you've got some  
20 other terms.

21 DR. MAHAFFY: Which terms do you want to  
22 talk about.

23 MEMBER WALLIS: Well, I don't know, because  
24 I don't see the results yet.

25 DR. MAHAFFY: Okay, all right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we start - all I've basically done  
2 here, I've basically done a volume integral over an  
3 differential equation -

4           MEMBER WALLIS: You've taken an initial  
5 equation -

6           DR. MAHAFFY: This was your divergence  
7 term, and I've turned it into a surface integral.  
8 This is your integration, your pressure. This is  
9 momentum transfer due to the phase change. This is  
10 your basically your sheer stress at the interface.  
11 This is your washer stress contribution.

12           And down here we've got gravity.

13           MEMBER WALLIS: So the A3 would appear in  
14 that second interval?

15           DR. MAHAFFY: The A3 is right here, and you  
16 can see down here what I do is, now say, okay, this is  
17 a -

18           MEMBER WALLIS: And this is a vector  
19 equation?

20           DR. MAHAFFY: This is a vector equation as  
21 written now.

22           MEMBER WALLIS: And you are going to turn  
23 it into a scalar equation of some sort

24           DR. MAHAFFY: We don't get there with this  
25 derivation, but if you think in terms of the alignment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the primary axis, yes.

2 But here is the term that we sum over  
3 three different areas. There could be 10 different  
4 areas here that are leaking, we'll run them in.

5 Okay, now what I do, it's a classic  
6 maneuver, I'm trying to convert this to a form that we  
7 normally use in TRACE, and part of that is processing  
8 the mass equation. And this is -

9 MEMBER WALLIS: And if I have this hufta  
10 thing, or the hutze or whatever it is, momentum comes  
11 in at an angle and then it's diverted along the pipe.  
12 This is an external force that changes the momentum.  
13 If I just drew your box here I wouldn't have that.

14 The fact that I have a hutze dynamics is  
15 different, isn't it?

16 DR. MAHAFFY: You've lost me on that one,  
17 but go ahead.

18 MEMBER WALLIS: Well, the direction of the  
19 momentum that affects the flow depends on whether  
20 there is a hutze in there or not. And if you just  
21 draw a control volume it doesn't tell you whether  
22 there's a hutze.

23 DR. MAHAFFY: What I haven't done, really -

24

25 CHAIRMAN BANNERJEE: Next picture, you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have another one.

2 DR. MAHAFFY: I have some entry here, but  
3 it may be because the pipe is coming in like that.

4 MEMBER WALLIS: There may be a hutze in  
5 there or something that determines it, and that's an  
6 integral of a pressure on a surface of some sort

7 DR. MAHAFFY: Yes.

8 CHAIRMAN BANNERJEE: The problem is, you  
9 are trying to take very 3-dimensional things and  
10 trying to make them one dimensional.

11 MEMBER WALLIS: That's one of the problems

12 DR. MAHAFFY: Anyway, we are going to  
13 process in some mass equations here to convert from a  
14 fully conservative form of the momentum equation to a  
15 nonconservative form, all right?

16 That's what I'm doing here, okay.

17 MEMBER WALLIS: Make the substitution

18 DR. MAHAFFY: These are the mass equations,  
19 on two different volumes that are adjacent. It's hard  
20 to read the font, but it's integrating over the right  
21 side and the left side. That's what we go in here -

22 MEMBER WALLIS: Then you combine these two  
23 in some way?

24 DR. MAHAFFY: And we are going to do that.  
25 I'll just change some notation. This is a repeat of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what I wrote before, but instead of showing some  
2 integrals, I've started putting bars over things.

3 I'm going to rearrange the mass equations,  
4 and I'm going to solve for my mass fluxes at the right  
5 face and the left face of my momentum cell;  
6 mathematical games, that's all we're doing here.

7 I'm going to look at this business of  
8 averages, and this is where I say that, okay, we are  
9 going to make some assumptions about the average of a  
10 product being the product of averages, and I note that  
11 this doesn't always work.

12 If you are thinking single phase flow, and  
13 you look at a momentum flux in an integral sense with  
14 a standard fully developed turbulent profile, what  
15 will happen is that this assumption will give you  
16 about a two percent error roughly.

17 MEMBER WALLIS: So you are going to take  
18 the average of grad P in there? These are all average  
19 things now, are they

20 DR. MAHAFFY: Yeah, the average bar - I've  
21 just dropped the bars, and in dropping it, in places,  
22 we are basically saying average of product -

23 MEMBER WALLIS: I don't think under average  
24 grad P, though. You are going to turn it into a  
25 surface interval.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. MAHAFFY: You are going to do that.

2 MEMBER WALLIS: But you can't average it  
3 first. You've got to take the interval, grad P -

4 DR. MAHAFFY: We'll go down and do that in  
5 a minute.

6 MEMBER WALLIS: But you've already averaged  
7 it here. It looks to me.

8 DR. MAHAFFY: I'm going to back off that,  
9 all right. I'm going to take this product and re-  
10 express -

11 MEMBER WALLIS: Go back to the interval and  
12 re-express that.

13 DR. MAHAFFY: We'll do that in a minute.

14 MEMBER WALLIS: Maybe you should leave it  
15 as interval PDV.

16 DR. MAHAFFY: We can do that.

17 So -

18 MEMBER WALLIS: On the pressure, are both  
19 phases the same?

20 DR. MAHAFFY: The pressure on the left side  
21 of the momentum volume is different than the pressure  
22 on the right?

23 MEMBER WALLIS: On both phases, the liquid  
24 and the gas. Are the liquid and gas at the same  
25 pressure?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: Yes. Two phases -

2 MEMBER WALLIS: Which they don't have in  
3 the bubble.

4 DR. MAHAFFY: Yes.

5 Okay, so this basically, we're changing  
6 the notation. You got to be honest about this, even  
7 if you are in single phase flow. I've made a mistake  
8 here with this product business if I'm in laminar  
9 flow.

10 You can do the derivation and you will  
11 find that this guy is getting a near result from a  
12 momentum transfer that's about 25 percent low for any  
13 momentum flux turn.

14 CHAIRMAN BANNERJEE: Most of this is what  
15 Bird, Stewart and Lightfoot were, you take the  
16 profile, and you can get injectors and all sorts of  
17 things.

18 MEMBER WALLIS: That's just for single  
19 phase. And that's for straight pipes

20 DR. MAHAFFY: When we're doing these kinds  
21 of averages, again, these are the mass equations here  
22 that I'm going to be doing -

23 MEMBER WALLIS: Do you have some simple  
24 examples showing that this works? I remember George  
25 Batchelor was very critical of this stuff. And he had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some examples, an exact solution to a single bubble,  
2 showing that this gave all the wrong answers.

3 Have you faced that sort of criticism and  
4 got answers to it? Because I think you have answers  
5 to it.

6 DR. MAHAFFY: We've got answers to it in  
7 that it all boils down for a bubble to how you choose  
8 this little fellow up here, okay.

9 If you choose that right, you will get the  
10 right bubble rise in a vertical standpoint of liquid.

11 MEMBER WALLIS: But I mean there is the  
12 classic thing, if you take a bubble in a pipe and you  
13 simply hit it with a hammer, the bubble moves three  
14 times the distance of the pipe or something. You  
15 would never predict that from here.

16 CHAIRMAN BANNERJEE: He doesn't even have -  
17 (Simultaneous voices)

18 MEMBER WALLIS: So a lot of classic  
19 problems, which the hydrodynamicists like.

20 CHAIRMAN BANNERJEE: You oscillate this -

21 MEMBER WALLIS: That doesn't work

22 DR. MAHAFFY: No, if I've got to oscillate  
23 a bubble, if I've got to rapidly accelerate a bubble,  
24 it's not there.

25 We talked about this last time -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: There should be a  
2 discussion about the fact that it doesn't matter,  
3 because it's only when you have acceleration bigger  
4 than a certain order of magnitude that this term is  
5 bigger than the drag force, or matters at all

6                   DR. MAHAFFY: That's right.

7                   MEMBER WALLIS: And even in a flashing flow  
8 through a nozzle, the drag force usually tends to  
9 dominate the added mass term.

10                  CHAIRMAN BANNERJEE: It doesn't in near  
11 critical flow.

12                  MEMBER WALLIS: Well, that's what I'm  
13 talking about, too. Unless you have an orifice or  
14 something, very rapid.

15                  DR. MAHAFFY: There are very limited  
16 exceptions. This is something, NRC is very PIRT  
17 based. If at some point virtual mass becomes a  
18 critical phenomena, in some kind of analysis, then we  
19 go back and we install it in this case, and we use it.

20                  MEMBER WALLIS: So what you are doing is,  
21 you are combining these in a way that you can actually  
22 combine the differential equations to use a continuity  
23 equation with an overall momentum equation to get an  
24 equation of motion. Is that it

25                  DR. MAHAFFY: That's what we're doing. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are headed for an equation of motion.

2 MEMBER WALLIS: You can do that at the  
3 differential level without integrating anything

4 DR. MAHAFFY: Yes. And what happens is,  
5 when I combine everything in here with my mass  
6 equation into my momentum flux terms, I get a revised  
7 summation over my three momentum flux terms here, and  
8 you will see that it simplifies into a rather curious  
9 form. It appears in trays. There is in effect your  
10 on axis  $V \Delta V$  term, and here is the contribution  
11 from the momentum being injected from your sidelight  
12 here, your area three phase.

13 MEMBER WALLIS: So you are playing with the  
14 momentum flux?

15 DR. MAHAFFY: Yes.

16 MEMBER WALLIS: And you are assuming that  
17 the vaporization all occurs at the velocity of each  
18 phase. Therefore, this is as irreversible as possible  
19 essentially?

20 DR. MAHAFFY: Yes, this comes in just from  
21 the way I've substituted -

22 MEMBER WALLIS: Because in reality the  
23 phases have the same velocity at the interface, where  
24 the evaporation occurs. There is no reversibility due  
25 to evaporation in reality

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: The reality here, there is a  
2 difference between reality and what really happens.

3 MEMBER WALLIS: Say that again

4 DR. MAHAFFY: Yeah.

5 MEMBER WALLIS: Say that again.

6 CHAIRMAN BANNERJEE: For the public record

7 DR. MAHAFFY: It's on the record already,  
8 folks. There is a difference between reality and what  
9 actually happens in TRACE, RELAP or any of a number of  
10 codes, and it's right here.

11 I tried to capture what you just said in  
12 this term. We have got a velocity at the interface  
13 that's being transported across.

14 MEMBER WALLIS: That's the velocity at the  
15 interface, there?

16 DR. MAHAFFY: Yeah.

17 MEMBER WALLIS: Oh.

18 DR. MAHAFFY: This is not a velocity of a  
19 gas. It's not a velocity of a liquid as written.

20 MEMBER WALLIS: But we need to know what it  
21 is.

22 DR. MAHAFFY: But to be fair, if you look  
23 at any of these codes, what they will end up doing is,  
24 for that velocity at the interface, if it is boiling,  
25 that will be set to the liquid velocity. It will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 set to the vapor velocity.

2 And if it's condensing - I'm doing this  
3 backwards - yeah, in this case on the vapor side. If  
4 it's condensing it's going to be set to the vapor  
5 velocity.

6 MEMBER WALLIS: I think some codes,  
7 actually I've seen them, have one where it's the  
8 average velocity of the phases at the interface

9 DR. MAHAFFY: You can do that.

10 MEMBER WALLIS: I can do it, but I mean I  
11 don't know whether it's good or not, but some codes do  
12 it.

13 DR. MAHAFFY: What it amounts to, if you  
14 think about it, if I choose the extreme as depending  
15 on the direction of my phase change, either going with  
16 the bulk liquid or the bulk gas philosophy, what I am  
17 doing is I'm basically saying there is a portion of  
18 this integrated pure stress at the interface that I am  
19 not going to account for. I'm subsuming it into this  
20 change in usage of the velocity.

21 Now people don't do that correctly, I'll  
22 admit that. But the basic idea is that if you look at  
23 what's going on here, there is enough uncertainty in  
24 that that whatever happens here is small potatoes.

25 MEMBER WALLIS: Condensation on the drops

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the flow pulls the boundary there in, retards  
2 separation and reduces the drag. And that is not  
3 necessarily in your code.

4 Okay, so this looks like a Bird, Stewart  
5 and Lightfoot type of thing.

6 DR. MAHAFFY: What we've done is, we've  
7 come up with - this is a set of surface integrals now  
8 combined with the results of volume integrals that  
9 tell me what these surface momentum fluxes transfer  
10 to.

11 And when I take - if I take what I've  
12 gotten here, okay, and I start combining these with  
13 some similar terms, okay, this guy was already present  
14 in my original equation, and now I'm taking these two  
15 that have appeared because I've folded in my mass  
16 equation.

17 And I look at it. And yes you can argue  
18 about details, or the means of this or that, but  
19 basically what I've ended up with is an expression of  
20 what -

21 MEMBER WALLIS: That's what Bird, Stewart  
22 and Lightfoot do at the differential equation.

23 DR. MAHAFFY: You do it at the differential  
24 equations. I'm just doing it rigorously within the  
25 context of the finite volume formalism that we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 ended up with.

2 And a similar thing will happen now as I  
3 deal with the momentum transfer due to phase change.  
4 All these terms come together into a single term that  
5 looks like this.

6 So we've got a rated phase change times  
7 the difference between the interface and the bulk  
8 velocity of the gas.

9 MEMBER WALLIS: Which is all charged to the  
10 vapor in evaporation and charged to the liquid in  
11 condensation.

12 DR. MAHAFFY: Right, one of the reasons you  
13 go with these extreme interpretation, where keep on  
14 condensing, if I am taking vapor away, and I set this  
15 to the gas velocity, what that is doing for me is that  
16 if I botch my interfacial drag, at least by the act of  
17 removing vapor, I'm really not affecting the mean  
18 velocity of this mass. And that's really a decent  
19 physical assumption in terms of what's going on there.

20 So I combine all of these things, and I  
21 end up with a set of equations that look like this.  
22 I've got my time derivative here.

23 MEMBER WALLIS: And the gas and the liquid  
24 all have to be going in the same direction. And it's  
25 still one dimensional is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: Well, there is nothing that  
2 said the gas and the liquid are moving in the same  
3 direction, no. But what I'm telling you what my  
4 momentum transfer terms look like. This is my main  
5 long access transfer term. This is what is coming in  
6 from the side.

7 Here is the action of my pressure, and I  
8 haven't faced up to that yet, and the rest of my  
9 assorted terms.

10 CHAIRMAN BANNERJEE: These are still all  
11 vectors, right?

12 DR. MAHAFFY: These are still vectors.  
13 They'll be vectors all the way to the end here.

14 Now, here's where - I've got the words  
15 here, we talked about this earlier, the fundamental  
16 constant pressure over a volume assumption in our  
17 first order approximation.

18 One other thing we do do -

19 MEMBER WALLIS: Wait a minute, the second  
20 term there, the  $VG_2$  minus  $VG_1$  is simply the flow rate  
21 through the thing times its change in velocity

22 DR. MAHAFFY: Yep.

23 MEMBER WALLIS: Doesn't it allow it to have  
24 a different flow rate out than it has in? Because  
25 really the momentum out is affected by a change in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flow rate out from in. Here you've simply got the  
2 flow rate times a change in velocity

3 DR. MAHAFFY: That's right.

4 MEMBER WALLIS: - there's a change in flow  
5 rate.

6 DR. MAHAFFY: Think about what's happened.  
7 Think in terms of the differential equations -

8 MEMBER WALLIS: Just think of this A3.  
9 This A3 is giving in some momentum

10 DR. MAHAFFY: Yes.

11 MEMBER WALLIS: And that means - and then  
12 some mass, so there is more mass going out than comes  
13 in. I would think that has to appear in that second  
14 term somehow; there is more mass coming out than going  
15 in.

16 DR. MAHAFFY: It's done here.

17 You know you need to go through it, and  
18 that's one of the reasons I went through this step by  
19 step -

20 MEMBER WALLIS: It doesn't seem right

21 DR. MAHAFFY: It may not seem right, but  
22 that's why we went through all these steps.

23 MEMBER WALLIS: It still doesn't look right

24 DR. MAHAFFY: That part of it is. There  
25 are other bits and things where you may want to -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: AC is what

2 DR. MAHAFFY: AC is the area at the center  
3 of my momentum cell, at the J plus one half position.

4 MEMBER WALLIS: So you are really saying  
5 that the flow rates in and out are characterized by  
6 the flow rate in the middle.

7 DR. MAHAFFY: Yep. Think about what  
8 happens when you go in the differential form from a  
9 fully conserved momentum, to a motion equation. And  
10 you go to this  $V \text{ del } V$  formulation. This looks an  
11 awful lot, if you think about it, like our old friend  
12  $V \text{ del } V$ .

13 MEMBER WALLIS: And it's assuming that  
14 things aren't changing too rapidly. I mean if stuff  
15 comes in as steam and goes out as liquid, you are in  
16 all kinds of trouble.

17 DR. MAHAFFY: In principal it's taken care  
18 of down here.

19 MEMBER WALLIS: Okay.

20 DR. MAHAFFY: The face change terms were in  
21 the derivation, and they all ended up down in this  
22 term.

23 Okay, so we've talked about constant  
24 assumptions. One thing we haven't talked about, it's  
25 kind of a basis function, is because we can have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discontinuous changes in area -

2 MEMBER WALLIS: So this is delta AC. AC is  
3 a vector?

4 DR. MAHAFFY: Yep. Area.

5 MEMBER WALLIS: So I need to know where to  
6 draw it.

7 DR. MAHAFFY: In principal, if I've  
8 constructed my coordinate system right, this dot  
9 product is really just the product of the magnitudes  
10 of these two vectors.

11 MEMBER WALLIS: Where is AC in your figure  
12 on the left here? Is it the area of the inside? It's  
13 the outside?

14 DR. MAHAFFY: It's the area right here.

15 MEMBER WALLIS: Why is not the big one,  
16 going to the outside? What isn't it the big one at  
17 that boundary, the one that goes -

18 DR. MAHAFFY: Oh, from here to here?

19 MEMBER WALLIS: Yes.

20 DR. MAHAFFY: Because there is no flow here  
21 or here.

22 MEMBER WALLIS: It's just simply the area  
23 of the middle that you are talking about

24 DR. MAHAFFY: It's the area available to  
25 flow.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Is that what it has to be

2 DR. MAHAFFY: Yes.

3 MEMBER WALLIS: I thought it was simply the  
4 area of the middle of the volume

5 DR. MAHAFFY: This area across -

6 MEMBER WALLIS: Suppose I had a slightly  
7 tapered ball, then I'd draw it half way up that,  
8 wouldn't I?

9 DR. MAHAFFY: Yes, you would. But I've got  
10 a discontinuity.

11 MEMBER WALLIS: Suppose I didn't have a  
12 discontinuity; I just had a taper. Then it would be  
13 the actual physical area, wouldn't it

14 DR. MAHAFFY: Yep. This is where my  
15 momentum -

16 CHAIRMAN BANNERJEE: - assumption.

17 MEMBER WALLIS: I think there is some  
18 assumption there.

19 CHAIRMAN BANNERJEE: I don't know if -

20 MEMBER WALLIS: I'm not sure we're making  
21 much progress.

22 CHAIRMAN BANNERJEE: I think probably what  
23 is worth doing is writing down all the assumptions,  
24 and reach the point that you reach, and -

25 MEMBER WALLIS: Have it peer reviewed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: - and have it peer  
2 reviewed.

3 MEMBER WALLIS: Because it's got to be  
4 robust. And it may well be that it is.

5 CHAIRMAN BANNERJEE: And it's okay if it's  
6 first order -- because you are making certain  
7 approximations, it seems to me that it has some effect  
8 on accuracy, but if it's adequate, who is going to  
9 complain

10 DR. MAHAFFY: This is how we got there.

11 CHAIRMAN BANNERJEE: But I think it needs  
12 to be written out in a way which can be looked at by  
13 somebody or some group of people and they can say,  
14 okay, given these assumptions, given the objective of  
15 reaching this accuracy level, everything is okay.

16 And I think that is all that needs to be  
17 done here. And the next step that you haven't taken  
18 yet is to actually take it from a vector form, that  
19 one can follow what you are doing I think, with the  
20 velocity becoming a scalar form, where despite the  
21 fact the velocity is changing direction - I guess that  
22 is something which you want to discuss

23 DR. MAHAFFY: What you end up doing to get  
24 to the scalar form is that you assume that on the  
25 average this vector is aligned with the center line of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your glove. And then you go from something that, by  
2 the time you get to the bottom line, each of these  
3 vectors, this vector is orthogonal to this vector - or  
4 not orthogonal, it's parallel -

5 CHAIRMAN BANNERJEE: Let's say the center  
6 line if it was curving now, let's say, then the  
7 velocity vector is continuously changing, so you've  
8 got something like a centrifugal force obviously

9 DR. MAHAFFY: But think about the  
10 centrifugal force; that's a good point.

11 CHAIRMAN BANNERJEE: I mean it would act on  
12 the walls of the pipe.

13 DR. MAHAFFY: It's acting on the walls, and  
14 where it ends up - we were actually talking to  
15 somebody who has done two-phase flow simulations in  
16 helical heat exchangers, and it's an interesting  
17 problem.

18 What happens is that you are going to end  
19 up - this is all along the primary direction, so your  
20 centripetal force terms don't feed into this momentum  
21 equation per se, except that what happens is they  
22 impact this little character here, and they also cause  
23 you to introduce terms that look like terms in  
24 horizontally stratified -

25 MEMBER WALLIS: What is the primary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 direction in something like a Y junction?

2 DR. MAHAFFY: You have to pick one.

3 MEMBER WALLIS: That's the whole problem we  
4 had with Retrend. Retrend tried to do it, and they  
5 got into all sorts of difficulties. And they actually  
6 had examples which claim they gave the wrong answer.  
7 It's very simple examples, like just flow around a  
8 bend. They had a bend which behaved like a pump.  
9 Which didn't really make any sense. That's what they  
10 predicted.

11 CHAIRMAN BANNERJEE: Up to this point,  
12 everything you've done, within the limits of the  
13 assumptions you've made - averaging and first order  
14 everything - in some way is completely okay.

15 Now you have to move down to this point,  
16 and I think that's where I get lost. Up to the other  
17 point I'm with you.

18 DR. MAHAFFY: You get lost beyond this  
19 equation?

20 CHAIRMAN BANNERJEE: I can write the  
21 equation, but I don't know I can tell those vector  
22 equations into scalars. I can take a dot product  
23 itself and write a kinetic energy equation. That  
24 actually makes sense.

25 MEMBER WALLIS: So you are with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 business of the flow at the middle times the velocity  
2 difference?

3 CHAIRMAN BANNERJEE: Well, it's not with  
4 it, I simply think that it's a set of approximations  
5 you've made by averaging all of those volumes. They  
6 lead to -

7 MEMBER WALLIS: The problem is - I've  
8 learned this - that when you average two different  
9 things, you are making two different assumptions in  
10 those equations.

11 When you combine them to get something  
12 new, the thing you get sometimes has a completely  
13 spurious thing, which is simply a result of value  
14 average.

15 CHAIRMAN BANNERJEE: Yes, distribution  
16 coefficients are being ignored.

17 MEMBER WALLIS: Right. Then you start  
18 treating that as if it's real.

19 CHAIRMAN BANNERJEE: But if you write down  
20 the assumptions, within those assumptions, you have to  
21 be consistent. So you've come up with something.  
22 You've made an assumption that your distribution  
23 coefficients are like turbulent flow flat essentially,  
24 I think, assumed some things regarding the  
25 distribution of density, pressure, ends up being those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control volumes.

2 And you have come to a conclusion based on  
3 those assumptions. You can write that down probably  
4 four or five of them.

5 But now you are going from a vector  
6 equation to a scalar equation, the only way I know how  
7 to do it is to take a dot product itself. There is no  
8 other way to do it that I know of.

9 So if you do that, what happens? You get  
10 a mechanical energy equation, correct

11 DR. MAHAFFY: Right.

12 CHAIRMAN BANNERJEE: Where would you go  
13 from there?

14 DR. MAHAFFY: Well, it's not fully  
15 developed. I didn't finish it before this meeting,  
16 and I wanted to go through the momentum side anyway.

17 The file that I gave to Ralph on the end  
18 of this, in fact, we can scroll down and see, I've  
19 actually gone through the same derivation based on the  
20 kinetic energy arguments, and you end up at roughly  
21 the same point.

22 CHAIRMAN BANNERJEE: But you have got an  
23 equation which we are agreeing to, let's say. Now you  
24 can take your dot product or whatever of that

25 DR. MAHAFFY: We can do the dot product of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that on the center line.

2 One thing - let me back off and address  
3 this question of a Y more seriously.

4 If you wanted to do a Y, and I'll be  
5 blunt, TRACE cannot do it right now, because it only  
6 admits one side junction with an angle other than 90  
7 degrees. This is just a limitation in the code that  
8 we've never had high enough priority to fix.

9 If I had to do a Y junction, here's what  
10 would happen. This character here would be zero. As  
11 would be my A1, and I would have two flavors of side  
12 junction coming in with these terms that would be  
13 vector quantities, and I would treat the angles with  
14 respect to my primary direction for my V2, my V  
15 center, in an appropriate way.

16 MEMBER WALLIS: I really think that term is  
17 wrong.

18 CHAIRMAN BANNERJEE: You have to check it

19 DR. MAHAFFY: You can check the math. I  
20 believe it does drop out correctly. I've been through  
21 this derivation from a number of different angles.

22 MEMBER WALLIS: I think it has to do with  
23 the way you're averaging. And then you hit something  
24 spurious about it, because you are letting the  
25 velocity in the middle be something which then isn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really there. And then it's typical, assuming that  
2 the velocity in the middle is typical of the velocity  
3 going in and coming out in that second term, and it  
4 isn't.

5 CHAIRMAN BANNERJEE: And it could be more  
6 the one on the left hand side.

7 DR. MAHAFFY: Take a look at this, and I'd  
8 appreciate any comments you want to send to me.  
9 Obviously you want to think about it in a little more  
10 depth.

11 MEMBER WALLIS: This is actually the basis  
12 of TRACE?

13 DR. MAHAFFY: This is -

14 CHAIRMAN BANNERJEE: The vector equations  
15 seems right.

16 MEMBER WALLIS: No, but this equation with  
17 the VGC and the VG2 minus VG1 -

18 DR. MAHAFFY: Yep, that is the basis.

19 CHAIRMAN BANNERJEE: And you've just done  
20 this now into a scalar equation. That's all

21 DR. MAHAFFY: And we turn this into a  
22 scalar equation. Think of it as dotting everything  
23 into a unit vector along the center line.

24 CHAIRMAN BANNERJEE: Dot Z

25 DR. MAHAFFY: Yep. That's what happens.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: As long as it's a  
2 straight pipe. All right. And as long as that A3, I  
3 don't know what you do with that. But leaving that  
4 term out -

5 DR. MAHAFFY: Well, again, if it's not a  
6 straight pipe, I redefine my coordinate system.

7 CHAIRMAN BANNERJEE: That's where you start  
8 to lose me.

9 MEMBER WALLIS: What if it's a T

10 DR. MAHAFFY: If it is a T, then there is  
11 a combination of two straight pipes, and this  
12 particular thing I'll do in the primary side of my T,  
13 and this term right here takes care of the  
14 contributions from the T side junctions to the flow in  
15 the primary side of the T.

16 MEMBER WALLIS: Why does it only go to the  
17 VT1 in there?

18 DR. MAHAFFY: It has -

19 MEMBER WALLIS: Suppose all the gas comes  
20 in the side, then it has no effect? Well, we could go  
21 on like this for far too long.

22 CHAIRMAN BANNERJEE: Yes. I mean what is  
23 the concrete action coming out of this? I think one  
24 action is that we are very interested. It's a look at  
25 your handout. Sends you comments. And we do that at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 least up to the point of this one last shocker,  
2 because we haven't really had the time or perhaps the  
3 energy to go through the rest.

4 And Mary, you haven't even developed the  
5 scalarization of this vector equation

6 DR. MAHAFFY: No. Everything you see here  
7 has been pulled together fresh since somebody sent me  
8 an email, what was it, last Wednesday.

9 MEMBER WALLIS: So I need to see this  
10 really in the form of a draft final document rather  
11 than a set of slides, because I think there is more to  
12 it that you just presented here.

13 And I'm very concerned about this, because  
14 here we are, this is the foundation of your whole  
15 code, and we are still arguing about whether it's  
16 valid or not.

17 This should have been resolved years ago.

18 DR. MAHAFFY: It was.

19 MEMBER WALLIS: If it had been resolved,  
20 perhaps, and we're revisiting it, then we don't know  
21 how it was resolved. So maybe you should document how  
22 it was resolved.

23 DR. MAHAFFY: It goes back to the peer  
24 review process. Everything in TRACE, as you say, went  
25 through the code review group, and was peer reviewed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at the time.

2 Did they miss something? Perhaps. This  
3 is my attempt at cross-checking it from a completely  
4 different direction and getting the same answer.

5 MEMBER WALLIS: I assume I'm a fairly  
6 typical representative, a fairly knowledgeable  
7 mechanics person with some experience. And I assume  
8 that somebody else with my similar experience would  
9 look at this in the same way. It has to be credible  
10 for those kinds of people.

11 CHAIRMAN BANNERJEE: From a macroscopic  
12 controlled volume point of view, most people would  
13 appeal to, say, the macroscopic balances and something  
14 like Bird, Stewart and Lightfoot, where you, let's say  
15 have a bend. You have it coming in; you have it going  
16 out. So then you dot your velocity with your area,  
17 which is a bend on each side, and you get a force on  
18 the bend.

19 MEMBER WALLIS: It doesn't look like this,  
20 though.

21 CHAIRMAN BANNERJEE: I don't know if it's  
22 been done for a two-phase flow, but for a single phase  
23 flow -

24 MEMBER WALLIS: But then you've got the  
25 force on the bend. There is no force on the bend in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this equation.

2 CHAIRMAN BANNERJEE: You'd get the force on  
3 the bend. But that's all right. You may say, I don't  
4 care about the force on the bend

5 DR. MAHAFFY: Well, I do care about it, but  
6 that goes back to something I said up front, and that  
7 is, that we have varied all of the effects of the  
8 force of the bend inside these engineering loss  
9 coefficients that you can think of as being hidden off  
10 down here in our F sub W.

11 MEMBER WALLIS: If you look at Bird,  
12 Stewart and Lightfoot, when they analyze a monometer,  
13 where the momentum on one side is the opposite  
14 direction from the other, and there is a bend, they  
15 are very careful not to use any momentum equation;  
16 they use an energy equation, because they don't know  
17 how to do it with the momentum equation

18 DR. MAHAFFY: I understand that.

19 CHAIRMAN BANNERJEE: They use a mechanical  
20 energy.

21 MEMBER WALLIS: Yes, they don't know how to  
22 do it with momentum.

23 DR. MAHAFFY: You probably don't remember,  
24 but the last time that I was in front of this  
25 subcommittee, what I said was that when you are in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one-dimensional modeling of fluid flow within a piping  
2 system, the correct approach is to talk in terms of  
3 the kinetic energy equation rather than in terms of  
4 the momentum equation because your momentum really is  
5 not a meaningful quality until you nodalize that thing  
6 up to a full three dimensions with a CFD solvent.

7 And that's why I went on beyond this with  
8 a kinetic energy derivation which is not really  
9 finished.

10 CHAIRMAN BANNERJEE: But I think we have  
11 seen various points we could have tried this kinetic  
12 energy derivations, and with certain assumptions about  
13 distribution coefficients, that they are flat, they  
14 will begin to start looking like momentum equations -

15 DR. MAHAFFY: That's right.

16 MEMBER WALLIS: - with loss factors and  
17 with force terms. These force terms sort of get stuck  
18 into loss factors. And but it will be good if it was  
19 systematized, put down so that we understand what  
20 assumptions go in. Maybe they have to be flat  
21 distribution coefficients. So then you get rid of  
22 these VQ terms of V squared and stuff, okay. Whatever  
23 it is. But let's get these assumptions straight. Get  
24 all the equations straight. So we at least know under  
25 what circumstances the equations work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There could be circumstances they don't  
2 work, in which case we know at least what their  
3 limitations are.

4           So if there are very bad distribution  
5 coefficients, they are probably wrong. It doesn't  
6 matter. We assume they're flat. And we move from  
7 there.

8           But it would be good if we got it all  
9 down. I think this is a good start. You've started  
10 to move in this direction. And we just need to finish  
11 the job.

12           And we need to probably ourselves look it  
13 over, give you some feedback. But it needs to get  
14 finished.

15           DR. MAHAFFY: Well, like I said, January is  
16 my month to write all this up in the documentation of  
17 the field equations.

18           CHAIRMAN BANNERJEE: Once we've got this  
19 done, and at least our committee has taken a look at  
20 it, you've got our feedback, and then I think the next  
21 step will be when we get the whole document down it  
22 will be peer reviewed.

23           MEMBER WALLIS: This VG2 minus VG1, is that  
24 part essential to TRACE?

25           DR. MAHAFFY: This?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: That term, I was having  
2 trouble with, is that essential to TRACE

3 DR. MAHAFFY: Yes, that is your  $V \text{ del } V$   
4 term in your motion equation. If you look at that,  
5 this is difference -

6 MEMBER WALLIS: It's a  $V \text{ del } V$ , but when I  
7 integrate it, I have to get the velocity in - I have  
8 a different mass flow going in than coming out. When  
9 I actually do the control volume balance, I don't get  
10 a VGC. I have VG going in squared if you like, and a  
11 VG going out squared. I have a different formulation.

12 CHAIRMAN BANNERJEE: You're looking at it  
13 from the physics point of view.

14 DR. MAHAFFY: Again, go back to the Bird,  
15 Stewart and Lightfoot, wherever you want to go, or do  
16 it by hand yourself, purely, go to single phase flow  
17 to do a simple problem -

18 MEMBER WALLIS: Well, VGC is what, the  
19 average of  $VG_2$  and  $VG_1$ ?

20 DR. MAHAFFY: No.

21 MEMBER WALLIS: What is VGC

22 DR. MAHAFFY: That is the velocity -

23 MEMBER WALLIS: But my computation scheme  
24 only calculates it at certain points

25 DR. MAHAFFY: It calculates it here, here,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here -

2 MEMBER WALLIS: So VG2 and VG1 are averages

3 DR. MAHAFFY: VG2 and VG1 are averages,

4 because we have yet to determine -

5 MEMBER WALLIS: So they really aren't

6 defined except in terms of the VGCs on the other side

7 of them.

8 DR. MAHAFFY: That's right.

9 MEMBER WALLIS: So that term doesn't mean

10 anything to me yet until I see it related to what you

11 actually use.

12 DR. MAHAFFY: Not until I specify an

13 averaging technique. But within the context of my

14 derivation, it still stands as a meaningful number

15 added at the edge of a volume.

16 CHAIRMAN BANNERJEE: VG1, let's say, is

17 notionally an average between VGC and whatever is

18 upstream of one, and VG2 is notionally an average of

19 between VGC and something which is -

20 DR. MAHAFFY: Let me be very explicit about

21 what it is. It's in some of the words -

22 MEMBER WALLIS: This V del V thing is only

23 true if you don't add mass along the way

24 DR. MAHAFFY: Yes, and what I'm trying to

25 tell you, based on the derivation, this is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adjustment to it if you add mass along the way. Okay?

2 You've got to go through the derivation.

3 You've got to do the derivation.

4 MEMBER WALLIS: We are spending much too  
5 much time on this.

6 CHAIRMAN BANNERJEE: Can we then -

7 MEMBER WALLIS: I'm very nervous that what  
8 you are going to get as a critique is something that  
9 you don't like.

10 CHAIRMAN BANNERJEE: That's okay.

11 MEMBER WALLIS: No, it's not okay. Because  
12 I want to sign off that this is a good code, and it's  
13 based on something that -

14 CHAIRMAN BANNERJEE: We'd all like to sign  
15 off that this is a good code. But do you want to  
16 finish up, John before moving on to the anonymous - do  
17 you have anything more to say on this one

18 DR. MAHAFFY: Well, we wandered around this  
19 quite a bit. I've got some specific comments. But  
20 they really aren't - they are details you can look at  
21 and talk about what's going on.

22 Because if you look, there is a step  
23 between where my derivation ended and what actually  
24 happens in TRACE. TRACE says, G, I've got an alpha  
25 rho G here, an alpha rho G here, and they cancel out,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because TRACE originally came from a finite  
2 difference, rather than a finite volume derivation for  
3 these terms.

4 You will see something similar in the  
5 gravitational force terms.

6 So there are some things there that we  
7 need to talk about.

8 The other thing you need to know, it's in  
9 words in this, if you go back and look at it, I didn't  
10 talk to you about the basis functions for the  
11 velocities, and there rather than assuming velocity is  
12 constant over the volume, because we are admitting the  
13 possibility of discontinuous changes in area, what we  
14 take as the product of area and velocity, the  
15 volumetric flow, is constant over some volume stretch.

16 We used that - if you want to get back -  
17 we haven't even gone into the whole issue of upwinding  
18 and whatnot. But when I actually need to get a  
19 velocity here, I'm consistent with upwind  
20 differencing. So what I'm going to do is, I'm going  
21 to use the velocity upwind that's actually calculated  
22 to generate the velocity at this position. And I'm  
23 going to use my constant volumetric flow rate to go  
24 from a velocity at this position to a velocity there.  
25 That's my interpolator.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           A similar thing going from the velocity  
2 here, which is calculated, to this edge of my momentum  
3 velocity thing.

4           CHAIRMAN BANNERJEE: Provided there is no  
5 inflow in between, right?

6           DR. MAHAFFY: Yep.

7           CHAIRMAN BANNERJEE: All right, John, I  
8 think we need to either take a short break, or how  
9 long do you have?

10          MEMBER WALLIS: Let me ask you about this  
11 anonymous thing.

12                           ANONYMOUS LETTER

13          CHAIRMAN BANNERJEE: The anonymous thing.  
14 We need to do that. Do you want to do that?

15          MEMBER WALLIS: We need to do that. That's  
16 something you need to resolve. But I don't have an  
17 interest in whatsoever.

18          DR. MAHAFFY: I have been told by the NRC  
19 that this was an item that was directed from higher  
20 levels.

21          MEMBER WALLIS: But do we need to worry  
22 about it on this committee? I mean you guys are  
23 resolving it somehow.

24          MR. CARUSO: In a letter we used to  
25 transmit this to them, we asked them to tell us how we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 were to resolve it.

2 MEMBER WALLIS: I see.

3 MR. CARUSO: So we have to -- we asked for  
4 it, so --

5 CHAIRMAN BANNERJEE: Why don't we go  
6 forward until 4:30, see if we can resolve this by  
7 then, then we'll take a break.

8 MEMBER WALLIS: Well, we have an hour and  
9 a half scheduled for anonymous letter. I don't think  
10 it's worth anything like that.

11 CHAIRMAN BANNERJEE: No, let's do it for 20  
12 minutes.

13 DR. MAHAFFY: I've got eight slides here,  
14 all right?

15 MEMBER WALLIS: Good

16 DR. MAHAFFY: Okay, in the anonymous  
17 letter, there are some fairly direct statements. One  
18 says, the approach in the code does not in any way  
19 represent a solution of any kind for the EOS. The  
20 approach is not mathematically correct. The  
21 linearization of the EOS, and does not represent any  
22 correct or reasonable engineering approximation.

23 MEMBER WALLIS: What is EOS?

24 DR. MAHAFFY: Equation mistake. And he  
25 breaks this up into three different categories.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: I think they are talking  
2 about how you represent the thermodynamic tables

3           DR. MAHAFFY: No, what he is talking about,  
4 let me be very specific about what happens. Here is  
5 what being contested. At the very end of a time step,  
6 after the stable - and this is only true for SETS.  
7 Remember the TRACE - well, it actually has three  
8 methods, but you only see two of them right now.  
9 There is the SETS method, and the semi-implicit  
10 method, in terms of your time leveling, that we  
11 haven't dealt with.

12           This is not relevant for semi-implicit,  
13 number one. If you choose to run the code in a semi-  
14 implicit mode, what's being discussed here doesn't  
15 happen. It's only in SETS. After you have completed  
16 the stabilizer, mass and energy equations, what  
17 happens is that the natural solution of those  
18 equations is to give you values for the products down  
19 here that I'm outlining, alpha rho G, et cetera.  
20 That's what naturally comes out of the conservation  
21 equations in SETS form.

22           We would like to retrieve from that, from  
23 the standpoint of really flow regime stability, a void  
24 fraction. As a sidelight, we could get pressures and  
25 temperatures, but we choose not to. They would only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be used as initial gases in the next time step.

2 What we use as initial gases instead are  
3 the new time pressures and temperatures we get from  
4 the semi-implicit.

5 So we are going through here. We are  
6 trying to get ourselves a void fraction, and yes at  
7 the same time, we're getting estimates for changes in  
8 temperature and pressure.

9 And here is what's happening. We set up  
10 an equation set here, so I've got four functions of  
11 four unknowns. And as you know, the method of choice  
12 for this, since these are nonlinear expressions, is to  
13 go to a generalized Newton solution procedure.

14 So that's what happens. I go in here, and  
15 I generate a Jacobian matrix, based on my partial  
16 derivatives of each of these functions that I've  
17 written now.

18 MEMBER WALLIS: Excuse me, what does the  
19 EOS have to do with this?

20 DR. MAHAFFY: Well, this is an EOS. It  
21 then - this is the expression - I've chosen my  
22 independent variables -

23 MEMBER WALLIS: That's where the EOS comes  
24 in.

25 DR. MAHAFFY: Yeah. This is the equation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that stayed here.

2 MEMBER WALLIS: Was that the beta form?

3 CHAIRMAN BANNERJEE: No, it's how he solves  
4 it.

5 MEMBER WALLIS: It's how you solve it, okay

6 DR. MAHAFFY: And all I've done is, I've  
7 gone in here, and I've set up, this is a class Newton  
8 information. I've defined my function. So I'm  
9 saying, this as-of-yet to be determined product is  
10 equal to this number, right.

11 This is some expression I'm getting  
12 through changing pressures and temperatures and void  
13 fractions.

14 CHAIRMAN BANNERJEE: But all you are trying  
15 to find there is the void fraction, right

16 DR. MAHAFFY: All I really care about is  
17 the void fraction. I will get changes in pressure and  
18 temperature that I can use, too.

19 CHAIRMAN BANNERJEE: so go ahead

20 DR. MAHAFFY: So this is it. This is a  
21 Jacobian for Newton iteration. I think you should  
22 recognize that. And these will be my changes over the  
23 iteration. Here's my right-hand side.

24 These are my residuals.

25 CHAIRMAN BANNERJEE: And you try to drive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it to zero? You iterate to zero

2 DR. MAHAFFY: We don't.

3 CHAIRMAN BANNERJEE: You just do one step

4 DR. MAHAFFY: All we do is a one shot.

5 What we've done is, first of all, let me talk about  
6 the verification process for this particular  
7 operation.

8 CHAIRMAN BANNERJEE: Why is he saying what  
9 you are doing is wrong, though? Even if you just take  
10 one step.

11 DR. MAHAFFY: I'll try to get to that. But  
12 I think most people will agree that a Newton iteration  
13 is a well established way to solve nonlinear  
14 equations.

15 When this was originally implemented in  
16 TRACE, this was done as a full up iteration. And part  
17 of the verification process, we did really two things,  
18 and this is fairly standard within the way I operate.

19 Number one, these Jacobian elements were  
20 generated in two different ways. They are obtained  
21 think of it as analytically.

22 CHAIRMAN BANNERJEE: All by perturbation

23 DR. MAHAFFY: Okay, but every time I do a  
24 Jacobian anywhere, I always do a second backup with  
25 perturbation, and check to make sure that the two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answers match. That's been done.

2 The other thing that was done was that  
3 during Newton iterations, the procedure through the  
4 iteration was observed in a number of representative  
5 cases, and you could see the classic quadratic  
6 convergence of the Newton iteration going on.

7 So we had confirmation that the Jacobean  
8 was okay, and that the Newton iteration was behaving  
9 the way it should.

10 As we worked with this over a period of  
11 months, what became obvious was there was really in  
12 this case no advantage to going more than one  
13 iteration. That first change in void fraction was all  
14 you really needed to get things to a reasonable  
15 approximation and quit.

16 So that's why right now there is just the  
17 single shot linearization out of it, just as RELAP-5,  
18 there is a single shot. It does the first in what  
19 would be a series of Newton iterations, and it's stops  
20 on the full equations set. This is just a local.

21 Now, here's an alternative way of doing  
22 things. And this is part of I think the assertion  
23 that things were incorrect.

24 The author of the letter went through an  
25 example where in effect he worked on an inverse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem, and in a very simple example, which was  
2 single phase ideal gas flow, and in the inverse  
3 problem, basically, okay, well, we had this equation  
4 of state. We're going to invert the equation of state  
5 eventually.

6 What I'm going to show you eventually is  
7 that for this equation of state, if I go through the  
8 linearization that I just showed in a generic sense,  
9 I get a matrix equation like this. This delta rho and  
10 delta rho E is another way of expressing that function  
11 F.

12 And I solve this matrix equation, and this  
13 is the answer I get, analytic solution to the problem  
14 for one iteration.

15 CHAIRMAN BANNERJEE: That's exact

16 DR. MAHAFFY: Well, it's an exact solution  
17 to my first iteration. It turns out because of some  
18 linear behaviors it is an exact solution.

19 MEMBER WALLIS: This delta rho E minus E  
20 delta rho is the same thing as rho delta E is it

21 DR. MAHAFFY: This guy here if you think  
22 about it, from basic calculus, all that is is rho  
23 delta E, yes.

24 MEMBER WALLIS: And you cancel the rhos,  
25 and you've got delta E over CV, which is a first law

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: That's right. That's what it  
2 should be.

3 I'm leaving it in this term, because the  
4 author of the letter chose to think in terms of  
5 independent variables are the product of rho E and  
6 rho.

7 MEMBER WALLIS: Okay

8 DR. MAHAFFY: I'm trying to preserve a  
9 consistency here.

10 So now here is the analogy, in a simpler  
11 form I admit to what was going on in the letter. I've  
12 gone in now and I've inverted that equation of state  
13 now. And I've said, okay, my pressure is a function  
14 of density, and the product rho e is equal to this.

15 And I invert my temperature, and here is  
16 what it is, as a function of rho E and rho.

17 And now all I do is a Taylor series  
18 expansion here.

19 MEMBER WALLIS: And you get the same answer

20 DR. MAHAFFY: And I get the same answer.

21 MEMBER WALLIS: No surprise

22 DR. MAHAFFY: No surprise.

23 MEMBER WALLIS: What's the problem

24 DR. MAHAFFY: I don't know.

25 CHAIRMAN BANNERJEE: He comes up with a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 form of - I just read it which is a bit different from  
2 what he gets using your form, right, your  
3 linearization?

4 DR. MAHAFFY: He's got a difference.

5 CHAIRMAN BANNERJEE: Yeah, he's got a  
6 difference. And why is that

7 DR. MAHAFFY: I did not - that's why I went  
8 - I treated the problem a little bit different with  
9 simpler algebra.

10 CHAIRMAN BANNERJEE: But if you did his  
11 problem?

12 MEMBER WALLIS: Did you demolish his point  
13 somehow?

14 CHAIRMAN BANNERJEE: If you did it his way,  
15 do you get the same result as he does

16 DR. MAHAFFY: I did not do it in exactly  
17 his way because I was -

18 MEMBER WALLIS: You have to sort of  
19 demolish his argument as well as reinforcing his own.

20 CHAIRMAN BANNERJEE: Yeah, I think more  
21 like if you could treat his argument - his final  
22 result is right, right? There is no question about  
23 that

24 If all he did was your stuff, he would be  
25 wrong.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: One of two things have  
2 happened. Either there was an error in his algebra -  
3 well, there are three possibilities, but the third I  
4 don't believe.

5 Either there was an error in his algebra,  
6 or there is a relationship between thermodynamic  
7 derivatives in his more complicated way of  
8 manipulating things was not folded in to get a  
9 collapsed resolve.

10 The third possibility I don't believe.  
11 There is an underlying assumption in the letter that  
12 has to do with the relationship between Jacobians and  
13 linearization made for Cs, in a system of equations  
14 and an inverse system equations.

15 I have a vague recollection fo seeing a  
16 theorem somewhere on that subject, but you'd have to  
17 have that in hand to actually complete the argument on  
18 the other side.

19 But my first response, without even going  
20 through this exercise I did here, is that we have done  
21 a classic Newton linearization of the problem as we  
22 have defined it. It is a correct Newton method.

23 MEMBER WALLIS: It's not a problem of  
24 equation of state. I mean is he questioning your  
25 Newton iteration of products? Or what is he

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questioning?

2 DR. MAHAFFY: That becomes a little vague.

3 CHAIRMAN BANNERJEE: I don't have a  
4 printout of the letter. I have it on my computer

5 DR. MAHAFFY: There is a general statement  
6 that what we've done is mathematically incorrect. If  
7 you read the three specific assertions, it says the  
8 approach in TRAC TRACE is not correct and cannot lead  
9 to a correct analytic solution.

10 He's right, okay. We are not getting an  
11 analytic solution. We are iteratively solving a  
12 nonlinear problem. We are not generating analytic  
13 solutions. There is no doubt about that. We are not  
14 trying.

15 The correct linearization by use of  
16 implicit function theory leads to the correct  
17 solution. Well, if you've got the inverted equations  
18 of state, I don't argue that point.

19 MEMBER WALLIS: But it says the approach in  
20 TRAC TRACE is not correct. Something specific which  
21 is not correct that he fingers

22 DR. MAHAFFY: No, there is an example with  
23 a specific instance for an ideal gas equation of state  
24 where some things don't -

25 CHAIRMAN BANNERJEE: I'm getting the letter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up.

2 DR. MAHAFFY: What I've tried to do is go  
3 through the example that was presented in a cleaner  
4 format. I reduced the equations so they were easier  
5 to follow and produce in terms of Jacobian matrices  
6 and whatnot, and you've seen the answers I've got.

7 CHAIRMAN BANNERJEE: He seems to recognize  
8 what you are doing in this letter. Writes these  
9 derivatives down for an ideal gas.

10 Can we get a printout of this letter that  
11 we can distribute? I have it on my computer.

12 MR. CARUSO: Sure, I'll print it out.

13 CHAIRMAN BANNERJEE: Okay, why don't we  
14 take a break now, and we print it out, and we just  
15 return to it after that.

16 So let's take a 15-minute break until 20  
17 to 5:00, and then we go over this letter.

18 (Whereupon at 4:24 p.m. the  
19 proceeding in the above-  
20 entitled matter went off the  
21 record to return on the record  
22 at 4:47 p.m.)

23 CHAIRMAN BANNERJEE: Okay back in session.  
24 So John, have you got a copy of this as  
25 well?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: Yes, sir, I have a copy in  
2 front of me.

3 CHAIRMAN BANNERJEE: All right. We want to  
4 consider it some more and get your views on it.

5 Do you want some time to read it

6 DR. MAHAFFY: No, I've read it. And what  
7 happened, basically if you look at it, he's done the  
8 problem from two different directions and obtained on  
9 his bottom line two inconsistent answers.

10 My attitude was, while he's introduced  
11 some functional relationships here in setting the  
12 problem up here that were needlessly complicated. So  
13 to cut down the potential of error, what I did was, I  
14 cast the problem using the ideal gas equation to state  
15 specifically, in a simpler more direct form, which is  
16 what you see in the presentation.

17 And I went through, solved the problem,  
18 and got consistent answers.

19 CHAIRMAN BANNERJEE: Right. But then what  
20 has he done in order to get a different answer

21 DR. MAHAFFY: And once I had solved the  
22 problem from a slightly cleaner perspective, I decided  
23 not to go through a find a specific error in his -

24 CHAIRMAN BANNERJEE: If there is one

25 DR. MAHAFFY: I've solved the same problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I've just cast it in the form of variables that are a  
2 little easier and less prone to errors.

3 MEMBER WALLIS: Can you find in his  
4 document here a specific place where he says that  
5 something is erroneous, that something done one way  
6 gives one answer, and done another way gives another  
7 answer, and these are incompatible?

8 Is there some bottom like that

9 DR. MAHAFFY: What happens is that he gets  
10 expressions for delta P and delta T, okay. His  
11 equations 19 and 20, all right. And then he goes  
12 through and, using the inverted form of the equation  
13 of state, he comes up with another set of expressions  
14 for delta P and delta P that are 32 and 33, okay.

15 And then the idea is here, well, let's  
16 inspect these results.

17 MEMBER WALLIS: Does it matter what these  
18 equations are? I mean the method is still the same,  
19 isn't it?

20 DR. MAHAFFY: No, the approach here, it's  
21 a useful cross check in that his first approach is the  
22 total analogy to the TRACE approach. He is going to  
23 sit down and start with an equation fo state in which  
24 the independent variables are pressure and  
25 temperature, and he is going to derive, based on all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the expressions present, some change in pressure and  
2 change in temperature.

3 MEMBER WALLIS: Right

4 DR. MAHAFFY: From the Newton type  
5 linearization, and that's the end point down there.

6 MEMBER WALLIS: But there is something very  
7 different here. In node 19 he's got this  $N + 1$ , which  
8 is the next step or something? Is that what  $\Delta P$   
9  $N$  plus 1 means is the change in pressure from now  
10 until the next time; is that what that means?

11 CHAIRMAN BANNERJEE: It comes from the  
12 solution of 12 and 13.

13 DR. MAHAFFY: No, it's the change in  
14 pressure, change in the Newton pressure estimate, all  
15 right. Starting with whatever my current -

16 MEMBER WALLIS: So  $N + 1$  is the number of  
17 iterations,  $N$ , or something?

18 DR. MAHAFFY:  $N + 1$  is the time step level.

19 MEMBER WALLIS: And  $\Delta P$  at time  $N + 1$   
20 ahead of now, is that what that means

21 DR. MAHAFFY:  $N + 1$  designates where I am  
22 located in time in my discrete solution to the partial  
23 differential equations. And what he is saying here is  
24 that I had some guess at my Newton pressure. Whatever  
25 it may be, that was my guess that I used to generate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certain numbers here, including the derivatives that  
2 are written, as I say, in a form that I consider to be  
3 overly complicated, so that all this delta P is given  
4 my last guess at Newton pressure here is how I change  
5 it to get a better value of Newton pressure consistent  
6 with the values of Newton density and Newton density  
7 times Newton energy that have come out of my  
8 stabilizer equations.

9 So again, the problem at hand is, I know  
10 the Newton density, I know the Newton product of  
11 density and energy, and I want to infer from that a  
12 Newton pressure and a Newton temperature.

13 MEMBER WALLIS: It would seem to be a  
14 trivial matter. Just by using thermodynamics.

15 CHAIRMAN BANNERJEE: No, I think what he is  
16 saying is, if you look at equations 19 and 20, then  
17 what you have in there in the square brackets is,  
18 let's say  $\rho$  bar minus  $\rho$  - whatever -

19 MEMBER WALLIS: That's the delta  $\rho$  then?

20 CHAIRMAN BANNERJEE: No, that is the  
21 quantity you are trying to drive to zero, right. And  
22  $\rho$  E over bar minus  $\rho$  E they are trying to drive  
23 that quantity to zero.

24 DR. MAHAFFY: Yes.

25 CHAIRMAN BANNERJEE: And what he is saying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 is, it's not entirely clear. If you look down a  
2 little further on page 412, he says the numerical  
3 values for the density and internal energy are most  
4 likely the values from the previous time step

5 DR. MAHAFFY: And that is incorrect.

6 CHAIRMAN BANNERJEE: Okay, so the same is  
7 true for all the other state properties on the right-  
8 hand side of the equations above. Thus as noted in  
9 previous notes, the Newton solution in the codes will  
10 depend on whatever is told in these locations in the  
11 codes.

12 No attempt is made to update these values  
13 even once. That is I think the crux

14 DR. MAHAFFY: Those statements are entirely  
15 incorrect, okay.

16 CHAIRMAN BANNERJEE: I guess that is the  
17 crux of his argument. If you do what he is saying  
18 there, that you don't update those values, then you  
19 will get the wrong answer.

20 DR. MAHAFFY: Well, it's not that you get  
21 the wrong answer.

22 CHAIRMAN BANNERJEE: Or you won't get as  
23 good an answer, whatever.

24 DR. MAHAFFY: What's really interesting is  
25 that really the only discrepancy between the two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equations are his assumptions of the initial gas  
2 values, and the values at which certain derivatives  
3 are evaluated.

4 CHAIRMAN BANNERJEE: Well, I guess if you  
5 want to clear up this matter, you have to deal with  
6 those statements that he makes.

7 DR. MAHAFFY: Well, let's clear this up  
8 directly. Let's go in and look at equation 19, and  
9 let's compare that to equation 32, okay.

10 If you look at that term by term, you'll  
11 have to look at equation 18 to see what this D is, and  
12 you will see - or actually look at 17, that gives you  
13 a better direct comparison - if you look at 17, that  
14 compares directly to the denominator term in equation  
15 32.

16 As you go through and you interpret each  
17 of these terms here, the only difference is between  
18 equation 19 and 32 are the assumed time levels at  
19 which the initial guesses are made.

20 CHAIRMAN BANNERJEE: Exactly.

21 MEMBER WALLIS: What is this delta rho bar  
22 then in 32? How does that relate to rho bar minus rho  
23 PT?

24 DR. MAHAFFY: That's what it is.

25 MEMBER WALLIS: So it's the same equation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: It's the same thing. If you  
2 look at these equations they are the same. It's just  
3 why they are written differently, I don't know. The  
4 only fundamental difference between them is -

5 MEMBER WALLIS: A plus sign instead of a  
6 minus sign?

7 DR. MAHAFFY: Well, I think there was a  
8 minus sign hidden out there that is hard to tell, at  
9 the very - right after the equals in 19, I believe  
10 there is a minus sign, that is blurred into the divide  
11 by in the one over D.

12 MEMBER WALLIS: But it still doesn't look  
13 quite - because inside the square brackets you've got  
14 two terms that add in one case and are subtracted in  
15 the other. Yet they looked at the same form. So I  
16 don't quite understand that.

17 CHAIRMAN BANNERJEE: I guess equations 32  
18 and 33, which he claims are the correct linearized  
19 equations, have to be compared with 19 and 20.

20 MEMBER WALLIS: That's right.

21 CHAIRMAN BANNERJEE: Which he claims are  
22 the equations which are used in the quote. But then  
23 he has the further point he makes that the Newton  
24 solutions - I'm not quite sure what is meant by the  
25 previous times -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Looks like the same  
2 equation.

3 DR. MAHAFFY: Let me clarify that for you.

4 First of all, if you kind of ignore old  
5 time/new time evaluation, equation 19 is equivalent to  
6 equation 32 -

7 MEMBER WALLIS: Except for the signs

8 DR. MAHAFFY: Well, if you dig deeper,  
9 Graham, what you will see is that that sign is made up  
10 for -

11 MEMBER WALLIS: Oh, I see, it's CP minus -

12 DR. MAHAFFY: Yeah, that wasn't written  
13 down in an orderly way.

14 MEMBER WALLIS: Okay, you're right. I take  
15 back what I said.

16 DR. MAHAFFY: Those things are consistent,  
17 and you'll see a similar consistency -

18 MEMBER WALLIS: Looks like the same  
19 equation, it's just that you are evaluating things at  
20 different times.

21 CHAIRMAN BANNERJEE: If you are

22 DR. MAHAFFY: And the crux of the matter is  
23 that he is making an assumption that to get the  
24 derivatives that are used in the Jacobian and the  
25 initial gas at pressure and temperature, we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 backing all the way off to old time quantities.

2 And that particular - first of all,  
3 depending on your time step size as to how good, bad  
4 or indifferent that particular starting point is.

5 MEMBER WALLIS: He seems to be concerned  
6 about whether or not you are converging to the answer.

7 CHAIRMAN BANNERJEE: No, you know what he's  
8 saying, that  $\Delta \rho E$  over bar and  $\Delta \rho$  -  
9 whatever he calls over bar -

10 MEMBER WALLIS: Should be implicit.

11 CHAIRMAN BANNERJEE: - should be found at  
12 the new time step.

13 MEMBER WALLIS: It's implicit.

14 CHAIRMAN BANNERJEE: Yeah, it's found from  
15 the whole Jacobian.

16 MEMBER WALLIS: That's what he's saying.

17 CHAIRMAN BANNERJEE: It should be found.

18 MEMBER WALLIS: He's talking about how you  
19 converge.

20 CHAIRMAN BANNERJEE: So what you should be  
21 solving for is  $\Delta P N$  plus 1,  $\Delta$  -

22 MEMBER WALLIS: In terms of  $\Delta \rho$  and  
23  $\Delta \rho E$ .

24 CHAIRMAN BANNERJEE:  $\rho$  bar and plus one,  
25 it should be  $\Delta \rho$  bar  $E$ . That's what I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know. Let's get it clear what he is alleging. All  
2 the quantities, delta P, delta B, delta rho bar, delta  
3 rho E, delta rho E bar, should all be found at N plus  
4 one from the Jacobian -

5 MEMBER WALLIS: This is simply  
6 thermodynamics. They should be related at the same  
7 time.

8 CHAIRMAN BANNERJEE: They should be found,  
9 and they should be plugged in, and you get everything  
10 correct.

11 MEMBER WALLIS: How does this differ from  
12 19?

13 CHAIRMAN BANNERJEE: But what he's saying  
14 is that delta rho bar and delta rho E bar are not  
15 being found from the Jacobian and being updated; they  
16 are old time step values. That's how I read it.

17 That when you take your famous Jacobian,  
18 go back to your Jacobian -

19 DR. MAHAFFY: Which one do you want, this  
20 one?

21 CHAIRMAN BANNERJEE: No, not that one.

22 DR. MAHAFFY: This one?

23 MEMBER WALLIS: It doesn't help us until we  
24 say, where - when you evaluate -

25 DR. MAHAFFY: Yeah, it's not -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Let's get back to this  
2 one. Alpha doesn't end here.

3 Instead of delta P, delta TG and CL is  
4 just T he's got.

5 DR. MAHAFFY: All of these elements to the  
6 extent if we - let's go back even to look at our  
7 function, these quantities - this quantity, this  
8 quantity, this quantity, these are all evaluated in  
9 the initial guess using results for the new time void  
10 fraction, new time pressure, new time pressure  
11 obtained from the semi-implicit step.

12 So they are not simply old time  
13 quantities. They have been updated by evaluation of  
14 the semi-implicit equations in the SETS method already  
15 to something that is new time level.

16 MEMBER WALLIS: When you are driving  
17 something to zero, do you want to drive to zero the  
18 change from the old time to the new time, that's what  
19 you want to drive to zero, isn't it?

20 CHAIRMAN BANNERJEE: But if you go back to  
21 your Jacobian there you've got, now let's replace that  
22 delta alpha by a delta rho bar, and delta TG let's say  
23 by delta rho E bar, and let's call delta T delta T,  
24 delta P delta P.

25 Now you have got a vector of four. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have a square Jacobian of 16 elements.

2 He is saying you should be solving for  
3 that vector all the deltas altogether

4 DR. MAHAFFY: But he is saying more than  
5 that.

6 CHAIRMAN BANNERJEE: And he's saying you're  
7 not.

8 DR. MAHAFFY: Well, what I'm not doing is  
9 using an inverted equation of state, which would give  
10 me basically my pressure as a function of density, and  
11 internal energy per unit volume. And I'm not.

12 MEMBER WALLIS: Does that have anything to  
13 do with it? I think it's just a question of when you  
14 evaluate these delta rhos, isn't it?

15 CHAIRMAN BANNERJEE: He said that all of  
16 them must be found together at the new time stages

17 DR. MAHAFFY: They are all found together.  
18 If you look at this, this is a fully consistent Newton  
19 iteration.

20 MEMBER WALLIS: So your rho bar minus rho  
21 PT is the same thing as his delta rho bar N + 1

22 DR. MAHAFFY: No, no.

23 MEMBER WALLIS: Look at 19 versus 32. The  
24 only thing at issue is this delta rho bar N + 1 being  
25 equivalent to what you call rho bar minus rho P comma

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 T, and I have to know what you mean by rho bar minus -

2 CHAIRMAN BANNERJEE: At which status step.

3 MEMBER WALLIS: Yes, when you evaluate that

4 DR. MAHAFFY: Okay. The rho bar is the  
5 result - it's a new time result from a slightly  
6 modified set of flow equations, the stabilizer mass  
7 and energy equations. And that is evaluated at a time  
8 level  $N + 1$ .

9 CHAIRMAN BANNERJEE: And rho bar E - and  
10 rho E bar?

11 DR. MAHAFFY: Rho E bar is again stabilizer  
12 mass and energy equations. It's a number.

13 MEMBER WALLIS: And what is rho PT?

14 CHAIRMAN BANNERJEE: Those are just  
15 equations of state values.

16 DR. MAHAFFY: Those are evaluated -

17 MEMBER WALLIS: When is P and T evaluated

18 DR. MAHAFFY: They are evaluated also at a  
19 new time.

20 MEMBER WALLIS: So everything is at new  
21 time just the way his is?

22 DR. MAHAFFY: It's coming out of a slightly  
23 different way of evaluating the flow equations. So  
24 they are not going to be exactly the same values as  
25 you get once you've solved this coupled set of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equations.

2 So although these are formally from a  
3 numerical standpoint at the new time level, because  
4 the equations that generated them were different,  
5 their values aren't going to be the final values of  
6 basically pressure, temperature, et cetera that are  
7 consistent -

8 CHAIRMAN BANNERJEE: Because they're just  
9 coming out of this predictive step; not the corrective  
10 step?

11 DR. MAHAFFY: Yes.

12 CHAIRMAN BANNERJEE: Okay, I think that  
13 resolves really the issue. What - and is there much  
14 of a difference between what these values would be  
15 coming out of the predictive step compared to out of  
16 the corrective step?

17 DR. MAHAFFY: If there are, we have time  
18 step control; it drops the time step size.

19 MEMBER WALLIS: Well, presumably they are  
20 converging to the same thing.

21 CHAIRMAN BANNERJEE: Yes, I guess that's  
22 his issue. And he, instead of saying it's coming out  
23 of the predictive step, he's saying it's coming out of  
24 the -

25 DR. MAHAFFY: He thinks it's coming out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the old time, and it's not.

2 CHAIRMAN BANNERJEE: So I think we should  
3 clarify exactly what we're doing here. This is really  
4 up to you guys to answer it. But if what we have said  
5 today is correct, then I think we should write that  
6 down, and we should show how much if any the error is.  
7 I mean the error could be very small.

8 In any case, if as you say if it doesn't  
9 converge, you would - the Newton-Raphson in one  
10 iteration doesn't converge anyway.

11 MEMBER WALLIS: It may overshoot and all  
12 kinds of things.

13 The thing that bothered me, though, is  
14 that you said these rho bars and rho PT came from  
15 something else.

16 DR. MAHAFFY: Think of it as a corrector  
17 step on a set of -

18 MEMBER WALLIS: On some other equations

19 DR. MAHAFFY: It's the same flow equations.  
20 What happens is, in one case, in a semi-implicit flow  
21 equations, let's look at the semi-implicit mass  
22 equation, the density is being fluxed in the  
23 divergence term,  $\text{del dot } \rho V$ . The densities are  
24 evaluated at the old time level.

25 When you go to the stabilizer equation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your corrector, that density now is evaluated at the  
2 new time level. Everything else is the same.

3 That's how you perturb the equations, and  
4 that's how you introduce stability into the system.

5 MEMBER WALLIS: Can you program a simple  
6 example of your equation and his, and show what  
7 difference it makes?

8 DR. MAHAFFY: I suppose we could.

9 MEMBER WALLIS: I suspect it's going to  
10 make almost no difference.

11 CHAIRMAN BANNERJEE: Here you solve the  
12 whole Jacobian together without splitting it in two.  
13 What you are doing is, you are splitting the Jacobian  
14 into two parts, right?

15 DR. MAHAFFY: The Jacobian is what it is  
16 for the system of equations as I've chosen to define  
17 it with my choice of variables.

18 The one point I want to make, it's right  
19 here on my last slide, okay, he has selected, it's  
20 cherry picking, he selected a problem for which he can  
21 get a quick answer.

22 He's picked a problem where it's single  
23 phase, ideal gas. He's saying I know my - his  
24 particular inverted form of the equation is state, so  
25 it's easy. I don't have to invert a matrix at all.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I just generate a matrix. I know what the  
2 coefficients are. I'm done.

3 The point I want to make -

4 MEMBER WALLIS: It's a different answer  
5 from what you would get to the same simple problem

6 DR. MAHAFFY: No, if you look at it, from  
7 the standpoint -

8 MEMBER WALLIS: Because you use the single  
9 phase gas the same way he does, you get the same  
10 answer?

11 DR. MAHAFFY: As long as we start with the  
12 same initial gas, as long as the perturbation is off  
13 the same base point, then we get the same answer. We  
14 won't.

15 CHAIRMAN BANNERJEE: Let me ask you a  
16 question. Instead of this four by four inversion to  
17 get each of these four quantities, at every point, is  
18 a fairly trivial exercise. I mean you are not doing  
19 the Jacobian of the whole system

20 DR. MAHAFFY: No, that's right, it's only  
21 a pointwise solution.

22 CHAIRMAN BANNERJEE: A pointwise solution.  
23 So why did you choose not to do that? Because was it  
24 just because -

25 DR. MAHAFFY: Yes, I'll give you the exact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answer to that, to do a rigorous multi-iteration  
2 Newton scheme, what has to happen is that on each  
3 iteration after the first I have to go back and  
4 evaluate my entire equation of state to get my  
5 derivatives of pressure, temperature. I did that.

6 The equation of state, relatively  
7 speaking, is fairly expensive.

8 CHAIRMAN BANNERJEE: If you could do that  
9 at time step N that wouldn't matter. The elements of  
10 the Jacobian could be done at time step N; there is no  
11 issue with that.

12 DR. MAHAFFY: I normally call that  
13 Newton-Raphson.

14 CHAIRMAN BANNERJEE: Yes, the first  
15 iteration of the Newton Rafson.

16 DR. MAHAFFY: You can lock your Jacobian  
17 and proceed with your iteration.

18 CHAIRMAN BANNERJEE: Everybody loves that.

19 MEMBER WALLIS: It's a step forward

20 DR. MAHAFFY: But let me tell you the  
21 practical implications of that. That particular  
22 approach to nonlinear equation solution works well  
23 when you don't have a high degree of nonlinearity.

24 Unfortunately, we have this thing called  
25 the saturation line in two-phase load problems. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the equation of state is very, very nonlinear -

2 MEMBER WALLIS: When you cross that

3 DR. MAHAFFY: Yes, and as you know, it's  
4 one of our salvations in two-phase flow, things tend  
5 to ride the saturation line fairly closely. For a  
6 large percentage of the time in these practical  
7 problems that we solve, we are operating at a highly  
8 nonlinear area there.

9 CHAIRMAN BANNERJEE: The derivatives have  
10 to be taken along the saturation -

11 DR. MAHAFFY: And so, if I wanted to do it  
12 right -

13 CHAIRMAN BANNERJEE: You'd have to take the  
14 derivatives along the saturation line

15 DR. MAHAFFY: I'd want to do that. But -

16 MEMBER WALLIS: Well, I would like you to  
17 get an explanation which would satisfy the critic,  
18 convince him that you have done it right.

19 CHAIRMAN BANNERJEE: It may be that if you  
20 explain what you have done and why. Because I can see  
21 why, if there is an issue with the saturation line,  
22 then the old time step values at N of the Jacobian  
23 could be somewhat misleading.

24 MEMBER WALLIS: Could lead to some sort of  
25 oscillation, where you jump over and back across the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 saturation line.

2 DR. MAHAFFY: You can fix that.

3 CHAIRMAN BANNERJEE: You can fix that

4 DR. MAHAFFY: You can fix that. But the  
5 critic is in a fairly narrow perspective on this. His  
6 - if you look at it, the two different pairs of  
7 answers really only different in the evaluation point  
8 for the elements of the matrix. And -

9 MEMBER WALLIS: Then you should explain  
10 that.

11 DR. MAHAFFY: And I am going to concede  
12 that in the ideal gas form of this, what he is doing  
13 is formally, number one, faster, and number two, more  
14 accurate in some sense, okay.

15 Within the order of accuracy of  
16 everything, it's not significant in terms of what is  
17 going on in the linearization, but it's certainly  
18 faster; if I have access to an inverted form of the  
19 equation of state.

20 Here's the point I want to make up here.

21 CHAIRMAN BANNERJEE: Clearly you don't have  
22 access to that.

23 DR. MAHAFFY: I could get it, but it  
24 doesn't matter, and let me show you why.

25 Let's go to the full two-phase flow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 problem. I am going to write my functions again, but  
2 I'm now going to write them as functions of void  
3 fraction, rho G, rho GEG, rho L, rho LEL. Okay?

4 And if you look at it, it's a whole lot  
5 simpler. I mean this guy here is a primary variable.  
6 I don't have to access the equation of state for it.  
7 This guy is fine. There is a combination there. I  
8 still have nonlinearities because I have a product of  
9 alpha and rho G, so it's not a simple linear equation  
10 that is just going to drop out.

11 But there is something more important. If  
12 you look at this expression here, look at the number  
13 of unknown variables. I've got one, two, three, four,  
14 five of them.

15 CHAIRMAN BANNERJEE: Don't you need T  
16 somewhere in that?

17 DR. MAHAFFY: No.

18 MEMBER WALLIS: Those are not all  
19 independent variables though, are they

20 DR. MAHAFFY: Yes.

21 MEMBER WALLIS: How do you now know rho L  
22 if you know P and T?

23 CHAIRMAN BANNERJEE: If you know P and T -

24 DR. MAHAFFY: Here's what's going on, okay,  
25 when I set up my Jacobian at the beginning, embedded

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in that is a primary assumption in TRACE, RELAB 5 and  
2 most other places, and that is, pressure of the liquid  
3 equal pressure of the gas. It was there. You didn't  
4 notice it go by, but it was there.

5 MEMBER WALLIS: So if I know P and T, don't  
6 I know rho G, rho L, or EG and EL?

7 CHAIRMAN BANNERJEE: Only along the  
8 saturation -

9 DR. MAHAFFY: It depends on how you arrange  
10 your equation of state.

11 MEMBER WALLIS: Well, if, along the  
12 saturation line, if I know P and T I still -

13 CHAIRMAN BANNERJEE: If you know P and T -

14 DR. MAHAFFY: It's just a question of, with  
15 an equation of state I am totally free to select my  
16 independent variables and my dependent variables.  
17 It's just a question of how I generate my tables.

18 MEMBER WALLIS: Is this all relevant? We  
19 are talking about simply the difference between 19 and  
20 32, it seems to me, which would seem a very simple  
21 matter to resolve without getting complicated.

22 DR. MAHAFFY: Well, the differences there  
23 are trivial, and I will concede in that example -

24 MEMBER WALLIS: Well, the differences are  
25 trivial, but he says the approach doesn't begin to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have any basis whatsoever in mathematics or  
2 engineering. Now that is a pretty strong statement.

3 DR. MAHAFFY: I'm trying to tell you in a  
4 quiet way that he's wrong.

5 CHAIRMAN BANNERJEE: You must write a reply

6 DR. MAHAFFY: If you would like, if the NRC  
7 would like me to contribute a letter, that's fine.  
8 This is my reply in Vugraphs.

9 MEMBER WALLIS: Isn't the cure to say that  
10 19 and 32 essentially are the same thing

11 DR. MAHAFFY: That's right.

12 MEMBER WALLIS: There may be some slight  
13 difference, but the difference doesn't make any  
14 difference -

15 DR. MAHAFFY: That's correct.

16 MEMBER WALLIS: - to how you approach the  
17 answer. That's all you need to say. You don't need  
18 to get involved in a big complicated -

19 CHAIRMAN BANNERJEE: No, I think he's  
20 making a mistake in page 412 here in - which starts  
21 with, the numerical values are most likely the values  
22 from the previous time step. They're not.

23 MEMBER WALLIS: You are saying that that is  
24 not true.

25 DR. MAHAFFY: That is not true.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Well, in that case you have  
2 found the answer then.

3                   CHAIRMAN BANNERJEE: Well, then, I think  
4 you need to rebut this. Or if not you - you should  
5 supply - at least we would suggest that you supply the  
6 staff with what is actually being done and how this is  
7 factually incorrect.

8                   DR. MAHAFFY: Well, it's more than that.  
9 And that's why I had this last slide -

10                  MEMBER WALLIS: I also object to the ACRS  
11 being the vehicle for resolving this. I don't know  
12 why -

13                  CHAIRMAN BANNERJEE: Because the letter  
14 came to you.

15                  MEMBER WALLIS: I don't know why the letter  
16 doesn't go to the staff.

17                  CHAIRMAN BANNERJEE: But it came to you, so  
18 it came to you. You're on the spot.

19                  MEMBER WALLIS: Not necessarily. I just  
20 give it to the staff and say, tell me how to resolve  
21 this thing.

22                  CHAIRMAN BANNERJEE: Well, that's what you  
23 did. So now we are trying to get it solved.

24                  MEMBER WALLIS: The person to resolve it is  
25 the creator of it, who is presumably John.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: He's going to

2 DR. MAHAFFY: That's the resolution.

3 CHAIRMAN BANNERJEE: Can we suggest a  
4 course of action here? One is, you may have something  
5 to add to it, but from an overall point of view, if we  
6 look at the crux of the matter, which is the  
7 statements following equation zero twenty, then if  
8 there are factually incorrect, that's the first thing  
9 that should be rebutted.

10 And then in brief the true procedure that  
11 is followed should be outlined in two or three  
12 sentences, and it could be I think shown that what you  
13 are doing is if not exactly the truth or what it  
14 should be, very close to it.

15 And if you have something more to show us  
16 and add, that's fine.

17 DR. MAHAFFY: Well, it's just this bottom  
18 line. Even if - go ahead, Tom.

19 MEMBER KRESS: What's missing is the  
20 statements you made that the values are determined  
21 from the predicted equation. And somewhere that's  
22 missing in here.

23 DR. MAHAFFY: In these presentations, I  
24 don't know if I put it in words or simply intended to  
25 say it, which I did say, so it's on the record, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this final point I want to make is simply, even if you  
2 can work from an inverted equation of state, it does  
3 not simplify the problem when you go to two-phase  
4 flow. I've still got a nonlinear set of equations  
5 I've got to solve through the production of a Jacobian  
6 and inverting a Jacobian matrix.

7 More than that, the matrix becomes five by  
8 five instead of four by four.

9 MEMBER WALLIS: Does this matter? If you  
10 could show that there is no essential difference  
11 between 19 as you use it and his 32? Then that would  
12 resolve it, wouldn't it? You don't need to broaden  
13 the conversation to this matter about inverted  
14 equations of state and stuff. That doesn't really  
15 matter, does it?

16 DR. MAHAFFY: Well, it does in that the  
17 author of the letter is suggesting an approach where  
18 you deal with an inverted equation of state,  
19 simplifying things.

20 CHAIRMAN BANNERJEE: Yes, but I don't think  
21 he is hanging his hat on it. I mean he is using that  
22 as an alternative. You can do it either way, but he  
23 offers that as one possibility. I don't think we have  
24 to rebut that.

25 DR. MAHAFFY: That's fine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: The main point though  
2 is that you do have to rebut the point that he's  
3 saying that it has no basis in mathematics or  
4 engineering

5 DR. MAHAFFY: This is my rebuttal up on the  
6 screen right now, okay. That is what a Newton  
7 iteration is about. It is mathematically well  
8 established. And that is what we used.

9 MEMBER WALLIS: I think he agrees with  
10 that, doesn't he?

11 CHAIRMAN BANNERJEE: I think he's more  
12 turning on the equation 19 and 20.

13 MEMBER WALLIS: Right. At what time do you  
14 evaluate - and how do you evaluate these changes in  
15 rho and in rho E.

16 MR. CARUSO: What's done in the code

17 DR. MAHAFFY: This, right here. This is  
18 what's done in the code.

19 MEMBER WALLIS: That's so general that it  
20 doesn't really - it's not debatable. It's an obvious  
21 statement.

22 CHAIRMAN BANNERJEE: His statement is that  
23 19 and 20 are what is done -

24 MEMBER WALLIS: Claims they're not going to  
25 converge, I think. It's not the way to converge on an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answer.

2 MR. CARUSO: I agree.

3 CHAIRMAN BANNERJEE: Who is going to take  
4 the responsibility for doing this? I mean we've had  
5 this meeting. We've had this discussion. This  
6 discussion has been -

7 MEMBER WALLIS: It's not us.

8 CHAIRMAN BANNERJEE: - is this now a  
9 matter of which we have anything more to do with?

10 MR. CARUSO: I don't think so. I think the  
11 staff understands what we've asked them to do.

12 DR. BAJOREK: It seems like what needs to  
13 be done here is, John needs to write this rebuttal,  
14 write some text around his notes, submit it to the  
15 staff. Unless somebody can suggest, or there are  
16 objections, they feel that there is a safety issue  
17 associated with this, or there is a larger uncertainty  
18 that we don't feel is there, then we would provide  
19 this to the ACRS, and that should close the issue.

20 CHAIRMAN BANNERJEE: And let's keep it  
21 short.

22 MEMBER WALLIS: So we are supposed to  
23 evaluate whether or not this is a sufficient rebuttal?

24 MR. CARUSO: We asked to hear their  
25 response, and then we'll decide what to do with that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN BANNERJEE: I think we may not  
2 have the wisdom to decide whether it's a sufficient  
3 rebuttal, but we can give our opinion.

4 The letter came to you. Then it was sent  
5 then to -

6 MEMBER WALLIS: To Rick Ransom. I'm not  
7 sure that I ever read it, simply an anonymous email  
8 that I passed on to the staff, because I don't read  
9 anonymous emails.

10 CHAIRMAN BANNERJEE: It was sent by Larkins  
11 then to the EDO.

12 MEMBER WALLIS: That's right.

13 CHAIRMAN BANNERJEE: The EDO then passed it  
14 on to the staff. And Larkins presumably asked for a  
15 response or something.

16 MR. CARUSO: The committee would like to be  
17 informed of your disposition.

18 CHAIRMAN BANNERJEE: So I mean you don't  
19 have to come back to us for an opinion.

20 MEMBER WALLIS: What bothers me is the lack  
21 of definitiveness about the rebuttal. The rebuttal  
22 should be so clear that it's obvious to anybody that  
23 it's the answer to the question.

24 MR. CARUSO: That is why it needs to be  
25 written down.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: It needs to be written  
2 down, absolutely clear, and it needs to avoid  
3 extraneous discussion. It seems to me the issue is  
4 whether or not 19 is in some way flawed compared with  
5 32.

6                   CHAIRMAN BANNERJEE: It doesn't seem to be.  
7 Maybe it's an approximate.

8                   MEMBER WALLIS: It's 19 and the next one.  
9 There is a pair of these equations, 19 and 20.

10                  CHAIRMAN BANNERJEE: I mean obviously this  
11 is a much more complicated situation than a perfect  
12 gas, so some approximation to 19 and 20 in terms of  
13 what time step is used would be perfectly acceptable,  
14 and I think that needs to be clarified.

15                  MEMBER WALLIS: It seems to me that there  
16 is a basic question. If you are using a slightly  
17 different approximation, it would be useful to have  
18 sort of an example that shows that it doesn't matter.

19                  CHAIRMAN BANNERJEE: That would really nail  
20 the coffin properly, if you could find your way to  
21 doing that.

22                  DR. MAHAFFY: A day out of my life. Easy  
23 for you to say.

24                  CHAIRMAN BANNERJEE: Day out of my life.

25                  MEMBER WALLIS: What is the consequence, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you are wrong, what would be the consequence? He  
2 doesn't sort of tell us, if you do it your way you  
3 lead to nonconvergence or oscillations or instability.  
4 It doesn't in any way address the consequences of  
5 being what he calls wrong; it just simply says it's  
6 wrong. Is it wrong enough to make any difference?

7 DR. MAHAFFY: Let me tell you, this is  
8 related to a different discussion we had maybe a  
9 couple of meetings ago. One of the things that we  
10 have done with SETS over the years, on and off, I  
11 think the last time I did a thorough study of it was  
12 probably six years ago, because we have both a semi-  
13 implicit and an assessed numerical methodology, it's  
14 easy to take certain test problems -

15 CHAIRMAN BANNERJEE: If you would speak  
16 into the mike?

17 DR. MAHAFFY: Yes. We can take test  
18 problems in two-phase flow, let's say we're going to  
19 do an Edwards blowdown for a simple example, and I'm  
20 going to run an Edwards pipe blowdown experiment  
21 simulated with my SETS method turned on, including  
22 whatever I'm doing here with my void fraction at the  
23 end of the time step. And I can run the same  
24 calculation with a semi-implicit methodology.

25 MEMBER WALLIS: Which would be the way that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this person suggests you do it

2 DR. MAHAFFY: It's just two different  
3 methods.

4 MEMBER WALLIS: Can you do it his way

5 DR. MAHAFFY: What I'm telling you is, I'm  
6 going to do one method that doesn't involve this  
7 approximation.

8 MEMBER WALLIS: Is that the way that he  
9 suggests you should do?

10 DR. MAHAFFY: No.

11 MEMBER WALLIS: Unless you address his  
12 contention, you haven't answered it.

13 CHAIRMAN BANNERJEE: I'm not suggesting you  
14 do a full calculation. I'm not suggesting that you  
15 take one time step or something, and take some subset  
16 of points.

17 I mean what he is asking is that the full  
18 Jacobian be solved altogether as opposed to being  
19 split into two parts, or whatever you are doing right  
20 now.

21 Can it be done just like that?

22 MEMBER WALLIS: Is that a true statement,  
23 that what he's asking is that the full Jacobian be  
24 solved rather than being split apart? Is that a true  
25 statement?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAHAFFY: The problem you've got in  
2 that situation, it goes to my last slide, what I'm  
3 telling you is, in a two-phase problem, if void  
4 fraction is even important, and therefore being  
5 generated by this step, his approach is a non-starter.  
6 You have to use this approach with a Jacobian that  
7 gets inverted -

8 CHAIRMAN BANNERJEE: I'm not saying to do  
9 an analytical inversion. But I'm saying, just invert  
10 the Jacobian, it's a five by five Jacobian.

11 MEMBER WALLIS: There's nothing about two-  
12 phase flow in his critique.

13 DR. MAHAFFY: That's right.

14 MEMBER WALLIS: So why complicate it by  
15 talking about rho G and rho L? He's using two  
16 equations, not four or five.

17 CHAIRMAN BANNERJEE: The approach he's  
18 taking depends on the fact -

19 MEMBER WALLIS: Just address the simple  
20 question he's asking. When you have these two  
21 equations, single phased flow, he's claiming that  
22 yours is not the appropriate approach. Just answer  
23 that question; that's all.

24 DR. MAHAFFY: I'll give you the direct  
25 answer to that. The direct answer to that is that if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it is single phase flow, ideal gas or otherwise, and  
2 I work it in TRACE, this step isn't even done.  
3 Because this step is only used to predict void  
4 fractions that are not zero or one. There is no  
5 simple way to work in the scheme that he is doing  
6 things within the context of what's trying to be done  
7 in TRACE. It's not part of the problem.

8 MEMBER WALLIS: I think we may have  
9 contributed all we can to this, and it's really up to  
10 you to sort it out.

11 DR. MAHAFFY: That's fine.

12 CHAIRMAN BANNERJEE: Sorry, John.

13 We're a little over time.

14 MEMBER WALLIS: He's going to be quick, he  
15 said.

16 DR. di MARZO: This is an old problem that  
17 was left over of I guess a year ago.

18 CHAIRMAN BANNERJEE: You have a lot of  
19 slides.

20 DR. di MARZO: I'll chop off a bunch of  
21 them.

22 CHAIRMAN BANNERJEE: Ninety percent of  
23 them.

24 MEMBER WALLIS: You've got one minute  
25 according to the schedule.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## PI GROUP RANGING

1  
2 DR. di MARZO: The problem is the range of  
3 acceptable distortion of integral test facilities.  
4 The state of the art, or shall I say, the way we have  
5 been doing it in the past is to dismiss the whole  
6 issue with a very simple statement. We get to the Pi  
7 group, and we will accept whatever is smaller than two  
8 and larger than one half. That has been what has been  
9 done in the past.

10 And the question that arose is, what is  
11 the basis for that? And the answer is none.

12 So what we are trying to do here is to put  
13 some basis to some alternative method to clarify that  
14 issue.

15 And I'll do one example, because the other  
16 one is probably off time, but we'll see how it goes.  
17 I'm going to talk about AP600, but I'll make some  
18 reference also to a P1000 as I go along.

19 The first things that we do is we talk  
20 about the transients. We talk about the phase that we  
21 are going to select. And then we are going to talk  
22 about the figure of merit. Look at some results, and  
23 then look at the relationship between what's down here  
24 and what was done for a AP600, namely, the actual  
25 scaling report that Sanjoy and Marcus Ortiz and Larkin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 put together.

2 Now, the premise of all this is that you  
3 have to have a system that we would say behaves  
4 globally, in other words, where there are parameters  
5 such as for example pressure and inventory that  
6 controls the behavior of the system. That is the  
7 hypothesis at the basis of all this.

8 If you have a system where local phenomena  
9 control and override completely the behavior of the  
10 system, this cannot -

11 MEMBER WALLIS: How do you identify the  
12 most challenging trend here?

13 DR. di MARZO: I'm getting there.

14 So that's the first thing. You've got to  
15 have a globally -

16 MEMBER WALLIS: I have a problem right  
17 away. It may be that if the Pi groups aren't quite  
18 matched, that the CMTs will drain - at completely  
19 different times in this scenario. You've got a  
20 completely different scenario. The answer will be  
21 completely different.

22 DR. di MARZO: Yes.

23 MEMBER WALLIS: Now, this means the  
24 difference between a Pi group being 1.8 and 1.9  
25 difference from what it should be makes all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 difference in the world to the transient.

2 DR. di MARZO: Absolutely.

3 MEMBER WALLIS: How are you going to show  
4 that?

5 CHAIRMAN BANNERJEE: That is the issue he  
6 is trying to address.

7 DR. di MARZO: Let me proceed stepwise.  
8 The first thing that you do, looking at all the design  
9 basis that you have in front of you, all the  
10 transients that you have in front of you -

11 MEMBER WALLIS: How do you know that until  
12 you know the ones that are the most sensitive to  
13 scaling?

14 DR. di MARZO: Let's analyze the process.  
15 The first thing that you do here is that you have done  
16 a scaling of experimental facilities. You have run  
17 your tests. You now are in possession of internal  
18 test facility data. At this point of the process.

19 So there has been a PIRT. There has been  
20 a design of the facility. So at this point in the  
21 design basis space, the first question that you ask  
22 is, what is the most challenging plant.

23 CHAIRMAN BANNERJEE: Based on the  
24 experiments?

25 DR. di MARZO: Based on the experiments,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but you can also argue two points. Brake elevation is  
2 one of the characteristics that you are going to  
3 examine; and second is the relative position of the  
4 brake with respect to ECCS and vessel.

5 Okay, so -

6 CHAIRMAN BANNERJEE: What about size?

7 DR. di MARZO: First, this too - size is  
8 also -

9 MEMBER WALLIS: The code might predict a  
10 completely different most challenging transient.

11 DR. di MARZO: Yes, but the problem is  
12 this. You look at your data, and within the data you  
13 start asking the first question. Which transient has  
14 the brake at the lowest possible elevation?

15 Second question you ask: Is the brake in  
16 any way between the vessel and the EECS?

17 Those are the two characteristics you look  
18 at. You also look at all the data you have, and you  
19 look at the behavior, the physical behavior of the  
20 system, to determine if there are those issues that  
21 you are tracing, if there are specific phenomena that  
22 occur or do not occur.

23 Remember, at this point you are basing  
24 your information on integral facility, and you do not  
25 know exactly how good they are yet. But out of all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this information -

2 CHAIRMAN BANNERJEE: Let's back up a  
3 little. Well, if you want you can go first.

4 MEMBER WALLIS: You are going to address Pi  
5 groups. I think you need to tell me what you are  
6 trying to decide here. I don't see what this has to  
7 do with deciding whether a Pi group has to be with  
8 half to two.

9 DR. di MARZO: We haven't gotten there yet.

10 MEMBER WALLIS: What question are you  
11 asking before you start?

12 DR. di MARZO: The objective of  
13 representation is to address that question, but we  
14 haven't got to the Pi group at all.

15 CHAIRMAN BANNERJEE: You are trying to pick  
16 the worst transient.

17 DR. di MARZO: Yes. Now I have in front of  
18 me a body of experiments that have been conducted -

19 CHAIRMAN BANNERJEE: But in reality this is  
20 not the way it was done.

21 DR. di MARZO: The way it's done is, you  
22 have done a scaling report. You have done a design of  
23 the facility. You have identified all the transients  
24 you want to run for the design basis. You have run  
25 all these tests.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: You also have run the  
2 code.

3 DR. di MARZO: You have run the code.

4 CHAIRMAN BANNERJEE: For the full-scale  
5 system.

6 DR. di MARZO: And for all the facilities.

7 MEMBER WALLIS: Your scaling was used to  
8 design the facilities in the first place.

9 DR. di MARZO: That is correct. Now you  
10 are at this point -

11 CHAIRMAN BANNERJEE: So you can just say  
12 it's an iterative process.

13 DR. di MARZO: It's an iterative process,  
14 exactly. And at this point of the game you are. So  
15 once you have identified what is your most challenging  
16 transient, based on all this information, and you have  
17 identified within that transient which is the most  
18 critical portion of that transient, what is that?

19 It's typically when you are going for low  
20 pressure injection, for example, in the AP600, then  
21 therefore is when you achieve the minimum inventory,  
22 because that means core coolability or -- so you have  
23 identified that phase of the transient. At this point  
24 you make assumptions, and you basically do a one node  
25 representation of the system. It depends, if you can;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or two nodes; or whatever is called for.

2 CHAIRMAN BANNERJEE: The idea behind - if  
3 you are talking about top down scaling -

4 DR. di MARZO: Yes.

5 CHAIRMAN BANNERJEE: - the idea is to  
6 divide the system into some minimum number of nodes  
7 which are interconnected -

8 DR. di MARZO: Exactly.

9 CHAIRMAN BANNERJEE: - which capture the  
10 overall behavior.

11 DR. di MARZO: The overall behavior, that's  
12 exactly right. In this particular case one node is  
13 sufficient -

14 CHAIRMAN BANNERJEE: For this part of the  
15 transient.

16 DR. di MARZO: - for this part of the  
17 transient.

18 So I'm trying to do that, and this is  
19 irrelevant, because as you say it depends on what  
20 portion of the transient you are actually looking at.  
21 For this particular portion of the transient that we  
22 are looking at, which is the depressurization from  
23 opening of a ADS-1 to IRWST injection basically.

24 CHAIRMAN BANNERJEE: Through accumulators  
25 and everything?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. di MARZO: Accumulators and everything.

2 You are looking at a double-ended  
3 guillotine break on the DVI line. That is the  
4 transient that we are looking at.

5 CHAIRMAN BANNERJEE: I would say what you  
6 are doing should be split up a bit more. Right up to  
7 accumulator, then through accumulators to -

8 DR. di MARZO: You will see how it comes  
9 out that way.

10 CHAIRMAN BANNERJEE: It seems very broad  
11 brush.

12 DR. di MARZO: It's very broad, but it's  
13 basically the transient that goes from opening of ADS-  
14 4 to IRWST injection. That is what is down here.

15 You have conservation statement for mass  
16 and energy. Momentum is not considered.

17 MEMBER WALLIS: This is P over RT, it's a  
18 perfect gas or something.

19 DR. di MARZO: You use R, which is  
20 basically ZR, and you correct, essentially. It's a  
21 corrected equation of some intermediate values.

22 And then you basically - B is the volume  
23 of the system. W is the volume of the liquid. So  
24 that V minus B is basically the volume of the vapor  
25 space.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And then you add - so the mass in the  
2 vapor space and the mass in the liquid space.

3                   What you have here is the flow rate of the  
4 areas discharge.

5                   MEMBER WALLIS: Are you going to conserve  
6 momentum at some point here?

7                   DR. di MARZO: No, there is no conservation  
8 of momentum.

9                   MEMBER WALLIS: I hope not.

10                  DR. di MARZO: There is the brake vessel  
11 side. There is the brake DVI side. And there is the  
12 flow incoming from the DVI intact side.

13                  For conservation - so you are right, the  
14 conservation of mass, with all those terms, that I  
15 have highlighted there, which should come out like  
16 this.

17                  And what you do is, for simplicity now,  
18 the problem is this, in order to make this thing  
19 transparent, and you will see later on what it means,  
20 you need to make it as simple as possible. So you  
21 start dropping all terms that are 10 percent or less.  
22 The change in mass of the vapor during that transient  
23 accounts for less than 10 percent of the total change  
24 in mass of the system, because you are basically  
25 emptying the system. So there is a lot of liquid that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was there and is not there.

2 MEMBER WALLIS: The change in density  
3 doesn't matter, even though the pressure may change -

4 DR. di MARZO: Change of density is  
5 tremendous, but the amount of liquid that the system  
6 loses through that transient is ten times more than  
7 the change of mass that is in the vapor space.

8 MEMBER WALLIS: No, I'm thinking about the  
9 change of density in the liquid is quite significant  
10 when you drop in temperature.

11 DR. di MARZO: Also.

12 MEMBER WALLIS: But you don't seem to have  
13 that in there.

14 DR. di MARZO: You don't. You don't. You  
15 just take a constant density at the middle.

16 So you have a very simple conservation of  
17 mass.

18 MEMBER WALLIS: Well, less than 10 percent,  
19 you're talking about the vapor space.

20 DR. di MARZO: Vapor space.

21 MEMBER WALLIS: I'm talking about the  
22 change in rho L.

23 DR. di MARZO: There is also that one, but  
24 I didn't consider that.

25 MEMBER WALLIS: It doesn't matter? Because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 rho L is very different at 600 degrees than it is at  
2 200.

3 DR. di MARZO: Yes, but you will see in the  
4 assumption that I make here, I'm assuming that the  
5 reference enthalpy and for all the reference density  
6 are for liquid at the average transient temperature.  
7 The temperature does change tremendously from  
8 beginning to end, but we take an average temperature,  
9 because the changing pressure is much more  
10 significant, you will see in a few slides what I am  
11 trying to say.

12 For conservation of energy, same thing.  
13 You write the conservation of energy from the liquid  
14 space accounting for the vapor generation. The vapor  
15 generation goes in the mass of vapor, and then goes  
16 out at the vessel side of the break, because that is  
17 totally vapor, we know from the data. It goes out at  
18 the ADS as totally vapor, and goes out at the DVI side  
19 of the brake with some -- which is about one third.

20 MEMBER WALLIS: The flow rate depends on  
21 the pressure.

22 DR. di MARZO: Yes.

23 MEMBER WALLIS: You're putting that in.

24 DR. di MARZO: Yes, absolutely.

25 So you write that. With this term written

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out from the equation of state this way.

2 So now you have conservation of mass and  
3 conservation -

4 CHAIRMAN BANNERJEE: Where is the heat  
5 going out with the vapor?

6 DR. di MARZO: This is the - heat is the  
7 vapor generation -

8 (Simultaneous voices)

9 DR. di MARZO: This is the vapor  
10 generation, and the vapor generation are three terms  
11 relative to the mass of vapor that's in the system.  
12 The vapor leaving on the brake side -

13 CHAIRMAN BANNERJEE: I mean for the energy  
14 part.

15 DR. di MARZO: This is the latent heat of  
16 vaporization applied to all these terms.

17 CHAIRMAN BANNERJEE: Going out of the  
18 brake, where is -

19 DR. di MARZO: The brake flow rate is in  
20 two parts. One vessel side, so  $VB \lambda$  would be the  
21 energy going out of the brake from the vessel side,  
22 and then from the DVI side you have  $VB$  -- the flow  
23 rate from the broken DVI line times the quality of  
24 that flow.

25 CHAIRMAN BANNERJEE: Now, I'm saying the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 top equation, where is the energy going out of the  
2 brake?

3 DR. di MARZO: Your writing the equation  
4 for this control void.

5 CHAIRMAN BANNERJEE: You're only writing  
6 for the liquid?

7 DR. di MARZO: Only writing for the liquid.

8 CHAIRMAN BANNERJEE: All right.

9 DR. di MARZO: All you have is the vapor  
10 generation here. The vapor generation -

11 CHAIRMAN BANNERJEE: I'm sorry, I thought  
12 you wrote for the whole thing. Conservation of energy  
13 only for the liquid?

14 DR. di MARZO: Only for the liquid.

15 The equivalent condition you write  
16 artificially this way. That's basically this number  
17 here, to give you a sense, in this particular  
18 transient is nine. So the changing temperature  
19 compared to the changing pressure is not significant.  
20 That's why I used an average temperature for the  
21 transient, which gives some distortion for the  
22 solution of that.

23 So conservation of mass, conservation of  
24 energy.

25 MEMBER WALLIS: So are you evaluating Pi

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 groups, or are you evaluating a very simplified model  
2 of blowdown?

3 DR. di MARZO: We are looking at a very  
4 simplified model of blowdown, but I will show that  
5 that fits exactly in the Pi group. But that's not the  
6 point. Once I have this tool, I can show you a lot of  
7 other things which turn out to be very clarifying with  
8 respect to --

9 CHAIRMAN BANNERJEE: This is some very simple  
10 model of blowdown.

11 DR. di MARZO: So you take this, you put it  
12 in here -

13 MEMBER WALLIS: So it's approximately  
14 exponential relaxation -

15 DR. di MARZO: Yes. The important thing  
16 is, this is the famous compliance of the system.  
17 You've got two parts to it. You've got the compliance  
18 on the vapor space, and then you've got the thermal  
19 compliance, basically the stored heat which figures in  
20 the heat capacity of the system.

21 This capacity is the heat capacity of the  
22 liquid, plus the heat capacity of the metal masses.  
23 So the metal masses are in here in how the system  
24 responds -

25 CHAIRMAN BANNERJEE: So there is some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approximation to this?

2 DR. di MARZO: Correct, but keep in mind  
3 this term.

4 Okay, so what we do from this is we  
5 eliminate the time, because time is not a problem. We  
6 just talk in terms of inventory and pressure. So when  
7 you do that, you come down in this form. I'll give  
8 you all these terms in a second.

9 But what is very important is that the  
10 rate of change of inventory with pressure is a bunch  
11 of terms here that's -

12 CHAIRMAN BANNERJEE: Can you hear him when  
13 he goes to the board?

14 DR. di MARZO: - that scales the system.  
15 And then there is this term, where the heat capacity  
16 of the system is embedded in here.

17 Now look at this portion of the equation.  
18 Here are all your potential distortion of the process.  
19 Here are all your scaling parameters, the size and so  
20 forth.

21 The terms in the order are the flow group,  
22 which basically is the injection from the intact DVI  
23 line; the brake vessel side; the brake DVI side; the  
24 ADS flow.

25 And then the energy associated with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 group; the energy associated with this; the energy  
2 associated with that group; and finally the energy  
3 associated with that group.

4 MEMBER WALLIS: These are constants  
5 throughout the transient?

6 CHAIRMAN BANNERJEE: He's assumed them to  
7 be.

8 DR. di MARZO: Yes.

9 MEMBER WALLIS: He's assumed them to be  
10 constants throughout the transient.

11 CHAIRMAN BANNERJEE: Just to keep it  
12 simple.

13 DR. di MARZO: To keep it simple.

14 The power, in the power you have core  
15 power, and then you have PRHI, which has a significant  
16 role in this transient that you have to model in  
17 there.

18 MEMBER WALLIS: I'm not quite sure about  
19 this. You said the first one you've got the flow out  
20 the brake or something?

21 DR. di MARZO: This is the net inflow.

22 MEMBER WALLIS: Yes, but on the right hand  
23 side you have the flow out the brake?

24 DR. di MARZO: No, this is the flow from  
25 the DVI line, intact DVI line, this is the flow out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the brake -

2 MEMBER WALLIS: - that depends on the  
3 system pressure. It's not a constant thing.

4 DR. di MARZO: Sure, this thing would be  
5 modeled -

6 MEMBER WALLIS: They are all variable with  
7 time.

8 DR. di MARZO: These are all variables.

9 MEMBER WALLIS: So your Pi groups are all  
10 varying with time.

11 DR. di MARZO: We haven't gone to Pi groups  
12 yet. Let me - they all vary with time; that's  
13 absolutely correct. And I'll show you how they do  
14 that.

15 CHAIRMAN BANNERJEE: Well, with pressure in  
16 this case.

17 DR. di MARZO: Pressure. Time is  
18 eliminated. And the volume group, which is this group  
19 here - okay, so let's go back to this equation.

20 You've got the energy associated with the  
21 net inflow; the power group. You have the net inflow.  
22 You have the volume group.

23 CHAIRMAN BANNERJEE: But these groups can  
24 be functions of P and W.

25 DR. di MARZO: Absolutely.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I calculate, I show just for the sake of  
2 argument how this thing is with respect to data. And  
3 I plug it here, let's say normalize pressures against  
4 the data.

5 MEMBER WALLIS: How did you get - go back  
6 to the previous slide. How did you get these groups?

7 DR. di MARZO: No, I did this ratio -

8 MEMBER WALLIS: No, no, you go back to the  
9 other side.

10 DR. di MARZO: I wrote them all out, and  
11 that's what they came out analytically.

12 MEMBER WALLIS: Yeah, but now how did you  
13 pick all these values?

14 DR. di MARZO: How will I pick all these  
15 values in the actual calculation.

16 CHAIRMAN BANNERJEE: Okay, so you just -  
17 what are you doing in the next slide?

18 DR. di MARZO: Okay, I'm calculating this  
19 equation now. I have all the information. I have a  
20 starting point and I calculate everything.

21 (Simultaneous voices)

22 DR. di MARZO: If I want, there is a time.  
23 But then it is -- in other words, I can solve the  
24 equation one against the other.

25 The only time parameter is the PRHR at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this point. All the rest is pressure related. If I  
2 have the pressure I have the flow rate. So I can step  
3 forward in pressure and solve. Or I can use time and  
4 solve both equations.

5 CHAIRMAN BANNERJEE: You are showing us  
6 some slides, your slide -

7 DR. di MARZO: I can solve this set of  
8 equations. Let's look at in time, and then I can  
9 eliminate time to simplify my thing in the end.

10 MEMBER WALLIS: But now you have a curve  
11 showing -

12 DR. di MARZO: I have a curve to show you  
13 how it compares -

14 CHAIRMAN BANNERJEE: But to get that solid  
15 line you have to make some assumptions -

16 DR. di MARZO: Absolutely.

17 CHAIRMAN BANNERJEE: - regarding various  
18 things.

19 DR. di MARZO: Absolutely. I have to get  
20 the PRHR contribution. And I get that out of data.

21 CHAIRMAN BANNERJEE: So let's say you  
22 integrated the DW, DT and  $dp/dt$ .

23 DR. di MARZO: Yes.

24 CHAIRMAN BANNERJEE: Okay, so you  
25 integrated the DPDT. How do you get QC, QB, well CC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can get, the DW, DV -

2 DR. di MARZO: Okay, this I get from the  
3 data, PRHR. QC I get from my ANS curve.

4 The initial condition I know. These flows  
5 are a function of the pressure, so I get discharge  
6 flow basically.

7 CHAIRMAN BANNERJEE: How do you get that?

8 DR. di MARZO: If it's a single phase it's  
9 just a normal discharge flow, critical flow. If it's  
10 two phase I use homogeneous models.

11 CHAIRMAN BANNERJEE: So you use some  
12 combination of data and initial conditions.

13 DR. di MARZO: And initial conditions, then  
14 I use all the discharge flows -

15 CHAIRMAN BANNERJEE: All the curve shows is  
16 that your model of a single node is not bad.

17 DR. di MARZO: It's not that bad. That's  
18 beside the point.

19 Now let's see what we can do with this  
20 model; that's the important point. Which in the case  
21 can be a three-node model or whatever you come up  
22 with.

23 But once you have it, consider it, the  
24 first thing you ask is, who is important? Which of  
25 these groups are relevant to the trajectory or what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the system does? That's the first question you ask.

2 MEMBER WALLIS: Rho V over rho L isn't very  
3 big.

4 DR. di MARZO: Rho V over L isn't very big.  
5 I don't even look at it. And VG is not very  
6 important. Okay, so that's a one over there.

7 The only one that matters are FG and then  
8 that sum.

9 Okay, so these are absolute values, okay.  
10 With - so let's examine the first term, which is that  
11 net inflow group, which is this black line here. It  
12 starts very high, because as soon as you open the  
13 brake, a lot of water leaves. It's negative initially  
14 meaning -

15 MEMBER WALLIS: It's the outflow group.

16 DR. di MARZO: - your outflow. This  
17 recoup which basically reduces a little bit your flow  
18 is the initiation of accumulator. This is ADS-2, ADS-  
19 3. At this point the accumulator flow is pretty large  
20 and manages to flip into positive -

21 MEMBER WALLIS: When it's less than one you  
22 are actually filling the system?

23 DR. di MARZO: Exactly. You are getting  
24 very close when it is positive, and more than one you  
25 refill. In other words the accumulator are about to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 refill at this point. Unfortunately, they drain. So  
2 as soon as the accumulator is empty, this thing goes  
3 back to negative. There is only the CMT, which is a  
4 much lower flow, able to replenish the system. And at  
5 this point IFWC activates.

6 CHAIRMAN BANNERJEE: The what?

7 DR. di MARZO: The IFWC, the low pressure -  
8 the red line is the power line, is the energy plus the  
9 power associated with this.

10 MEMBER WALLIS: It's a bit problematic to  
11 me. You've got a  $dw/dp$ .

12 DR. di MARZO: That would be -

13 MEMBER WALLIS: - think of how  $p$  is  
14 changing as well as how  $w$  is changing.

15 DR. di MARZO: Yes.

16 MEMBER WALLIS: If I had  $dw/dt$  I wouldn't  
17 have to do that. I could just think about how  $w$  is  
18 changing.

19 DR. di MARZO: Okay, pressure decreases,  
20 right? Inventory decreases. So we are looking at  
21 this  $dw/dp$  as a positive quantity. The larger it is,  
22 it means that the inventory is losing with respect to  
23 pressure. So if this is a large number, you are  
24 losing more inventory than pressure.

25 MEMBER WALLIS: Suppose I eventually get a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 state where the pressure is almost constant, and I am  
2 filling, then  $dw/dp$  isn't very useful.

3 DR. di MARZO: No, no, pressure drops.

4 MEMBER WALLIS:  $Dw/dp$  isn't useful to me -

5 CHAIRMAN BANNERJEE: Once it gets to  
6 saturation -

7 DR. di MARZO: Pressure drops continuously,  
8 because you keep on opening stuff.

9 MEMBER WALLIS: It keeps on dropping?

10 DR. di MARZO: It keeps on dropping until  
11 it reaches IFWC.

12 CHAIRMAN BANNERJEE: Forcing it to drop.

13 DR. di MARZO: I want it to drop. The  
14 problem is, I don't want to lose inventory while I  
15 drop pressure too much; otherwise I am cold, and am  
16 unable to cool. So it's a race between inventory and  
17 pressure that I am having here.

18 So I'm losing pressure but I'm also losing  
19 water.

20 MEMBER WALLIS: That's what the whole idea  
21 of ADS is is to depressurize without losing too much  
22 water.

23 DR. di MARZO: The question is, what makes  
24 this number large. Because if this number is large,  
25 I'm having a problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So at this particular point, the way this  
2 is set up -

3                   CHAIRMAN BANNERJEE: So have you put the  
4 areas on top -

5                   DR. di MARZO: This is gone. This is gone.  
6 And basically you can see -- this number is always  
7 negative, never makes it to one. This term here, as  
8 I said, goes positive and negative. When it's  
9 negative, it makes this term very large, which we  
10 don't like. When it's positive, it fights against  
11 one. Once it gets above one, you are refilling.

12                   So in light of that, look at what's  
13 happening. Here you are about to refill essentially,  
14 but you lose the accumulator. The important thing is  
15 that the term in the denominator never make it to  
16 really much of it, they go from point one to one. So  
17 it's significant, but not enormous compared to what  
18 this is.

19                   MEMBER WALLIS: Well, it's different, if  
20 they are close to one, you've got a denominator that  
21 is zero, and that's pretty important.

22                   DR. di MARZO: No, it's a negative term,  
23 this thing is negative, always negative.

24                   MEMBER WALLIS: EG plus PG minus one is in  
25 the denominator. When it gets to one you've got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 infinite -

2 CHAIRMAN BANNERJEE: No, go back to the -

3 MEMBER WALLIS: You're only in trouble if

4 DP is zero.

5 DR. di MARZO: Exactly.

6 MEMBER WALLIS: But you see it gets up

7 close to one.

8 DR. di MARZO: It gets up close to one

9 here.

10 MEMBER WALLIS: Which is not very nice.

11 DR. di MARZO: It's not very nice.

12 MEMBER WALLIS: Because I'll have a big dw.

13 DR. di MARZO: You are correct. That is

14 because of the PRHR and the core power.

15 Actually, the reason why it goes up is

16 because there is a tremendous amount of heat released

17 by the - the stored heat that is dumping.

18 MEMBER WALLIS: Now, all these saw-tooth

19 things are due to various events happening?

20 DR. di MARZO: Yes, these ADS-1,

21 accumulator starts, ADS-2, ADS-3, ADS-4, and then the

22 end. These things are just changing of sign, the way

23 it's plotted.

24 MEMBER WALLIS: Why does this help me

25 rather than just plotting inventory and pressure and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things like that?

2 (Simultaneous voices)

3 DR. di MARZO: This number here in all the  
4 times, is zero point zero something, so it's not  
5 important. This is not important.

6 CHAIRMAN BANNERJEE: I think, Marino, we  
7 know how to derive the Pi groups. The main thing is,  
8 what do they mean?

9 DR. di MARZO: Okay. Once we get up to  
10 this point, and we are only -- the important one.  
11 These are the parameters that affect that transient,  
12 according to the simple analysis.

13 These are the Pi that came out of your  
14 analysis.

15 MEMBER WALLIS: These Pis are varying with  
16 time.

17 CHAIRMAN BANNERJEE: These are what we got  
18 10 years ago.

19 DR. di MARZO: Ten years ago.

20 CHAIRMAN BANNERJEE: All right.

21 DR. di MARZO: This is how they would be  
22 related to these things.

23 MEMBER WALLIS: Simply the ratio of flows  
24 makes a sensible thing.

25 DR. di MARZO: These are exactly the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 definitions of the Pis as they were from your analysis  
2 compared to what I have here. There are only three  
3 Pis in this phase.

4 MEMBER WALLIS: They seem to be the ratio  
5 of heat transfers or flows; is that what they are?

6 DR. di MARZO: Yes.

7 MEMBER WALLIS: I could write them down at  
8 the beginning pretty well.

9 DR. di MARZO: Yes, sure. But the problem  
10 is this, once you get to this point, you have a tool  
11 that enables you to calculate what - the change in  
12 this parameter corresponds to the change in the figure  
13 of merit.

14 CHAIRMAN BANNERJEE: That's the new thing.  
15 What is the figure of merit?

16 DR. di MARZO: Okay, the figure of merit is  
17 the minimum vested inventory at the moment at which  
18 you inject. Now instead of saying, I'm going to put  
19 the range on the parameter, I'm going to put the range  
20 on the figure of merit, and I'm going to say, if the  
21 facility exhibits a figure of merit ten percent more  
22 than what it should be in the nominal case due to the  
23 distortion, I will call that acceptable yet  
24 nonconservative, because more water showing is  
25 nonconservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           On the other case if it shows 20 percent  
2           less than what it should be at nominal case, I would  
3           consider it acceptable and conservative.

4           So let's look at how do this thing behave.  
5           On the one hand I have the 10 percent minus 20  
6           percent, which is defined from the impact on the  
7           figure of merit.

8           On this scale I have the point five two,  
9           which was the original stipulation for this discharge.  
10          So you've got - of those parameters, you've got some  
11          parameters such as the brake flow and the accumulator  
12          flow that are clearly amplified. In other words if  
13          you go by point five oh two you are really wrong, way  
14          wrong, because these things are going to span the  
15          range of the affect immediately.

16          CHAIRMAN BANNERJEE: The way we took it, we  
17          integrated the accumulator flow so it doesn't really  
18          matter.

19          DR. di MARZO: It doesn't matter, but we  
20          said -

21          CHAIRMAN BANNERJEE: You can't be wrong on  
22          the total accumulator flow, because there is only so  
23          much water in the accumulator?

24          DR. di MARZO: No, this is the brake flow  
25          rate --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANNERJEE: Brake flow is  
2 different, yeah.

3 DR. di MARZO: So you ave going from point  
4 five to two. That's what we used to do. And these  
5 two parameters would be completely inaccurate.

6 MEMBER WALLIS: So you are saying you need  
7 a much narrower range?

8 DR. di MARZO: Much narrower.

9 MEMBER WALLIS: I suppose it's to duplicate  
10 the transient. But in order to validate a code, it's  
11 a very different question.

12 DR. di MARZO: No, what I'm saying is at  
13 this point, if your facility happens to have a  
14 distortion on this parameter that is like -

15 MEMBER WALLIS: Point five.

16 DR. di MARZO: - point five, you're going  
17 for trouble.

18 MEMBER WALLIS: Well, then you will get a  
19 very much different minimum inventory than you will  
20 get -

21 DR. di MARZO: Yes, but this differentiates  
22 between your parameter. Before they were evenly  
23 consider, point five, two. Now I know which one are  
24 amplifying, which one are venting, for example, these  
25 two, you can do whatever you want. If your facility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is distorted on these, you are not going to make much  
2 fo a different.

3 CHAIRMAN BANNERJEE: I thought CMT flow was  
4 very important.

5 DR. di MARZO: Exactly, that's the first  
6 thing that came about. In the DVI brake, it's a large  
7 brake; it's a four-inch brake. Accumulator saved the  
8 day. The CMT doesn't do much.

9 If you are going for a small brake like a  
10 two-inch brake or something like that, this would be  
11 completely different.

12 MEMBER WALLIS: So if you are not looking  
13 at the worst transient, CMT does help you.

14 DR. di MARZO: Exactly.

15 CHAIRMAN BANNERJEE: - to the conclusion  
16 that the CMT was very important.

17 DR. di MARZO: In the two-inch.

18 (Simultaneous voices)

19 MEMBER WALLIS: - when it drains. It  
20 drains at different times depending -

21 DR. di MARZO: Exactly.

22 (Simultaneous voices)

23 DR. di MARZO: But this transient is the  
24 fast transient, is the big guillotine break. So the  
25 first thing you learn is the converters are extremely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important. CMT is not important in that.

2 CHAIRMAN BANNERJEE: The accumulator it has  
3 a fixed volume. So in a way if you scale the  
4 accumulator correctly -

5 DR. di MARZO: You have to scale it  
6 correctly, yes, sure.

7 CHAIRMAN BANNERJEE: It's part of the  
8 equation because it is going to lose all its water  
9 anyway.

10 DR. di MARZO: You have to have the orifice  
11 right. And so the brake.

12 There are quantities among those that have  
13 a mixed behavior, for example, the subcooling. The  
14 subcooling is distorted in that the facility has no  
15 subcooling you are going to have problems. If the  
16 facility has less subcooling you are okay, in the  
17 range stipulated.

18 CHAIRMAN BANNERJEE: What do you mean by  
19 subcooling? IRWST?

20 DR. di MARZO: The temperature of the  
21 accumulator for example in subcooling, or temperature  
22 of the injection. Brake flow quality, same thing.

23 There are parameters that -

24 MEMBER WALLIS: So you seem to be saying  
25 there is no magic number, point five to two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. di MARZO: Absolutely.

2 MEMBER WALLIS: You should look at the  
3 sensitivity of things to the distortion.

4 DR. di MARZO: Exactly. And this is a tool  
5 that will help you get some ideas of who to look for  
6 and -

7 MEMBER WALLIS: So you are suggesting that  
8 the ACRS should never in the future accept arguments  
9 about Pi groups being between point five and two?

10 DR. di MARZO: Absolutely.

11 MEMBER KRESS: Well, I have a problem with  
12 that, and it goes like this. What the purpose of the  
13 integral experiments are is to validate the code. Now  
14 it's not to reproduce the results you might get in a  
15 real transient.

16 So I'm not sure this addresses the  
17 question, are you validating the code correctly.

18 CHAIRMAN BANNERJEE: It could be, but then  
19 it goes back to Graham's original question. If you  
20 got a distortion in the facility, a big distortion, in  
21 one parameter that is very important -

22 MEMBER KRESS: You may be on a different  
23 flow regime or something. That's where it would  
24 matter, I think.

25 DR. di MARZO: Or it could be a transient

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that is going completely in another direction.

2 CHAIRMAN BANNERJEE: Where it could matter  
3 for example is if you got IRWST coming in too early.  
4 So in that case -

5 MEMBER WALLIS: The whole scenario changes.  
6 You are not really validating the code.

7 MEMBER KRESS: But I don't see how we  
8 address those issues here.

9 CHAIRMAN BANNERJEE: I guess the real  
10 issue, Marino, I agree with Tom, is whether you get  
11 qualitatively different phenomena occurring.

12 MEMBER WALLIS: That's right.

13 DR. di MARZO: But gives you simply an  
14 indication of where to look.

15 MEMBER KRESS: Okay, I would agree that  
16 that is possible.

17 DR. di MARZO: It's nothing concluded, just  
18 an instrument to go and search.

19 MEMBER WALLIS: So there is nothing in your  
20 analysis that says that when you get a distortion of  
21 more than X percent, the CMTs drain at a completely  
22 different time, you get a completely different  
23 scenario, you can't do that. But if you run the code  
24 you can do that presumably.

25 DR. di MARZO: Right, absolutely. So you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can analyze now the facilities. For example --  
2 analyze the facilities that were used during that  
3 process. And you find that these two are doing  
4 reasonably well, or -- for example, in the brake flow  
5 rate, was way distorted.

6 CHAIRMAN BANNERJEE: We knew that already.

7 DR. di MARZO: We knew that already.

8 MEMBER WALLIS: The only good experiment is  
9 in Italy.

10 CHAIRMAN BANNERJEE: And Japan.

11 DR. di MARZO: When you go for the  
12 accumulator again -

13 MEMBER WALLIS: Isn't SPES in Italy?

14 DR. di MARZO: SPES was in Italy.

15 MEMBER WALLIS: So I put them together, and  
16 said, you have a lot of flow on the accumulator and a  
17 lot of flow on the brake, so they kind of compensate.

18 Remember, there was an issue all the time.

19 How do you know you are going to have -

20 CHAIRMAN BANNERJEE: You never emptied OSU  
21 properly because you had such a large accumulator.

22 DR. di MARZO: Yes, but the problem is, the  
23 combination of the two wasn't extremely bad. The only  
24 one you could rely exactly in the range as defined was  
25 ROSA, which is what we used.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Well, look at all your  
2 conclusions. None of them is perfect for all cases.

3 DR. di MARZO: None of them.

4 MEMBER WALLIS: None of them.

5 DR. di MARZO: Okay? So that's basically  
6 what the tool does. It's a very simple tool. It's a  
7 back-of-the-envelope tool. But it points you - first  
8 of all, dispels the fact that you can use a point five  
9 two across the board. That cannot be done.

10 CHAIRMAN BANNERJEE: What did you come to,  
11 that you should be much more sensitive on brake flow  
12 and accumulator flow for this study?

13 DR. di MARZO: You can do it for more than  
14 one transient, clearly. You can do it for more than  
15 one phase within the transient. You can do it as much  
16 as you want. But the same methodology would apply as  
17 appropriate, and it will give you information.

18 MEMBER WALLIS: Tell us about TRACE. I  
19 thought we were here to evaluate TRACE.

20 DR. di MARZO: No, that's what I started  
21 with saying -

22 MEMBER WALLIS: So you are just a sideshow  
23 of some sort.

24 DR. di MARZO: It's a delayed show.

25 CHAIRMAN BANNERJEE: How many years after?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. di MARZO: One and a half, two maybe.

2 For SBWR, Gee did the analysis. So I'm  
3 reporting that analysis. But I want to show you a  
4 different way. They did something similar to this.

5 First of all let's look at the margin.  
6 You have AP600 margin of this kind. This is the  
7 elevation of the top of the active fuel, and this is  
8 the minimum vested inventory when IWSP injects.

9 If you look at an SBWR, this is top of  
10 active fuel, this is how much you have when -

11 MEMBER WALLIS: It never gets uncovered?

12 DR. di MARZO: No, when GDCS injects,  
13 that's basically where you are.

14 MEMBER WALLIS: We knew that already. At  
15 least we were told that by the vendor.

16 DR. di MARZO: So in doing the same  
17 approach, you can be much more lenient, because you  
18 have that kind of -- now I will show you the TRACES  
19 for those two.

20 But before I do that, let me show you  
21 this. GIRAFFEE at a very high GDCS injection compared  
22 to Plank, GIST at a very low GDCS injection. This is  
23 another of the facilities that GE wanted to use to  
24 support their data, code validation.

25 CHAIRMAN BANNERJEE: Where is the facility?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. di MARZO: I think it's in Japan, too.

2 MR. CARUSO: San Jose.

3 CHAIRMAN BANNERJEE: Is it operational  
4 still?

5 (Simultaneous voices)

6 MEMBER WALLIS: So it's irrelevant?

7 DR. di MARZO: But they reported it.  
8 GIRAFFEE on the other end had a larger ADS flow, a  
9 very low brake flow. Okay?

10 Now if you have a large ADS flow, and you  
11 have a low brake flow, that means that you bias your  
12 discharge toward the vapor, which in terms of the  
13 trajectory equation means that you are losing more  
14 energy and less mass, which means that you end up with  
15 more water in the end.

16 This means on the other hand that you are  
17 going to recover, once you hit the minimum base of  
18 inventory faster in GIRAFFEE and slower in GIST  
19 compared to Plank.

20 MEMBER WALLIS: So what is the gist of all  
21 this?

22 CHAIRMAN BANNERJEE: The gist is better  
23 than GIRAFFEE.

24 DR. di MARZO: That's what you're getting.

25 MEMBER WALLIS: So what is the conclusion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in terms of this?

2 DR. di MARZO: The coordinates are  
3 different.

4 MEMBER WALLIS: Yeah, and the minimum is  
5 different.

6 DR. di MARZO: And the minimum is  
7 different, because this one I said had that problem,  
8 is venting more vapor than liquid.

9 (Simultaneous voices)

10 MEMBER WALLIS: And what is the actual  
11 SBWR?

12 CHAIRMAN BANNERJEE: This thing, that's the  
13 calculated one.

14 DR. di MARZO: So that's totally  
15 irrelevant. This is top of active fuel down here.

16 MEMBER WALLIS: That's right. That's the  
17 whole message they try to convey is that it doesn't  
18 matter, you'll never get down there.

19 CHAIRMAN BANNERJEE: But in a way it does  
20 tell you -

21 DR. di MARZO: It gives you insights in  
22 what is going on, and that's basically what all this  
23 means. It's an extremely simple tool. It's a tool at  
24 the level of PIRT, if you wish.

25 CHAIRMAN BANNERJEE: Well, tell me what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have done which is more than what the simple scaling  
2 analysis, is this like a perturbation analysis on the  
3 scaling or what?

4 DR. di MARZO: No, if you do the scaling  
5 analysis, at the beginning of the scaling analysis you  
6 design your facility and so forth. When you come out  
7 of a scaling analysis, you come out -

8 CHAIRMAN BANNERJEE: The sort of scaling  
9 that leads to these Pi groups, which is a top down  
10 scaling.

11 DR. di MARZO: Right. When you come out of  
12 the scaling, you come out basically with values of the  
13 Pi group, but you do not come out with the impact of  
14 that Pi group on the figure of merit. In other words,  
15 you know that something is distorted by 10 percent, 20  
16 percent, 100 percent, but you have no clue, no direct  
17 information as to how much that affects your minimum  
18 vessel limit.

19 CHAIRMAN BANNERJEE: So to put it in a  
20 nutshell, the contribution here would be that you show  
21 how perturbation of a Pi group may affect your figure  
22 of merit?

23 DR. di MARZO: Exactly.

24 CHAIRMAN BANNERJEE: And you have a  
25 relatively simple equation to do that. What you could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do is, you could take the eventual results that came  
2 out of whatever scaling analysis it is -

3 DR. di MARZO: Exactly.

4 CHAIRMAN BANNERJEE: I'm trying to think of  
5 a methodology.

6 DR. di MARZO: It's one step beyond what  
7 you need. You had the other equations. I'm just  
8 using them as a transfer function -

9 CHAIRMAN BANNERJEE: You are doing the same  
10 thing for GE, and you can do the same to AP1000.

11 DR. di MARZO: But this is the key to solve  
12 the question, what is the acceptable range for the  
13 distortion is not a blanket -- you can't do that. You  
14 should do something like this.

15 CHAIRMAN BANNERJEE: You should write it up  
16 - my suggestion and we should get others - in a way  
17 where you make the relationship between - what you've  
18 really got is a reduced set of original equations. We  
19 had 19 Pi groups, whatever they were -

20 DR. di MARZO: On this page you had only  
21 three.

22 CHAIRMAN BANNERJEE: No, we eventually got  
23 them down to three.

24 DR. di MARZO: Yes.

25 CHAIRMAN BANNERJEE: And then you really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would like to show how these directly affect your  
2 figure of merit.

3 DR. di MARZO: Correct.

4 CHAIRMAN BANNERJEE: And get ea simplified  
5 equation for that. But you should write it in a  
6 generalized methodology that you can do it whichever  
7 system you're looking for.

8 DR. di MARZO: For example, I'll give you  
9 another corollary for this, AP1000, in AP1000 - first  
10 of all, there is a problem in general. When you look  
11 at this situation, people are scaling ADS-4 with  
12 power. Okay? Power turns out to be one of the major  
13 dominant parameter in this portion of the transient.  
14 So it is proper to scale ADS-4 with power for the long  
15 term portion of the transient.

16 MEMBER WALLIS: Well, initially it's just  
17 stored energy that is going out there.

18 DR. di MARZO: Correct. Let me finish the  
19 thought. If you scale power with ADS-4 you end up  
20 with an ADS-4 like an AP1000, much bigger than what  
21 you are going to need. Therefore you end up with a  
22 lot of entrainment which is what they'll end up with.

23 CHAIRMAN BANNERJEE: And you get your co-  
24 inventory down?

25 DR. di MARZO: Yes, and that's a self-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inflicted injury that if that - if you look at this  
2 you understand.

3 The second thing which is even more  
4 significant, Graham, is that if you try to correct  
5 stored heat with power, which is something that always  
6 people do - remember the old facility they tried to  
7 correct - you are trying to change this term, when  
8 stored energy is in here.

9 So the only conceivable way in which you  
10 could do that is if you had power modulated on system  
11 pressure, so stored energy is released when pressure  
12 goes down and temperature goes down is not a fixed  
13 value that you correct with, because it doesn't make  
14 any sense.

15 Functionally one is a constant down here,  
16 and the other is a multiplier up here.

17 MEMBER WALLIS: It's not a constant though.  
18 The thing that concerns me with all of this is that  
19 these Pi groups are varying throughout the transient,  
20 so I'm not quite sure how you say that they are  
21 adequate or not.

22 CHAIRMAN BANNERJEE: They have to be  
23 calculated.

24 DR. di MARZO: They have to be calculated.  
25 In other words you would have to have a pressure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       senser or a temperature senser, and on that basis put  
2       in the stored heat.

3                   But you cannot say I'm going to increase  
4       power -

5                   MEMBER WALLIS: No, I'm saying, how can you  
6       say that ROSA has a Pi group which is unacceptable or  
7       something when it varies throughout the transient.

8                   CHAIRMAN BANNERJEE: You have to look at  
9       each part of the transient.

10                   MEMBER WALLIS: But how are you going to  
11       have say a point nine two for ROSA AP-1 when it varies  
12       throughout the transient.

13                   MEMBER KRESS: Let me ask a similar  
14       question.

15                   What I see he has here is a simplified  
16       replacement for the code itself.

17                   DR. di MARZO: No, you can't compute with  
18       this.

19                   MEMBER KRESS: You could compute the  
20       impact.

21                   DR. di MARZO: Exactly.

22                   MEMBER KRESS: With the code. I don't know  
23       why we don't do it that way.

24                   DR. di MARZO: We are accused of vicious  
25       circle at that point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Where does point eight two  
2 come from, though? Is it at the beginning of the  
3 transient or the end?

4 DR. di MARZO: This is the scaling body.

5 MEMBER WALLIS: But where does it come  
6 from? You've got an FG or something, which varies  
7 throughout the transient.

8 DR. di MARZO: No, these numbers come from  
9 the scaling analysis that you have.

10 MEMBER WALLIS: But your Fgs and all those  
11 things varied throughout the transient.

12 DR. di MARZO: Absolutely, but these are  
13 the values that you get from the original scaling  
14 analysis.

15 MEMBER WALLIS: Which is something else  
16 altogether?

17 DR. di MARZO: Which is something else  
18 altogether. Then you modify a parameter with a  
19 multiplier for -

20 CHAIRMAN BANNERJEE: See, this is - for  
21 scaling analysis you use for these Pi groups should be  
22 readily accessible or somehow obvious for each phase  
23 of an accident.

24 DR. di MARZO: Yes.

25 CHAIRMAN BANNERJEE: With some very simple

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assumptions so you get a rough and ready answer. But  
2 you could, as Tom was saying, do the same thing using  
3 a code. I mean you would get better numbers -

4 DR. di MARZO: Better numbers, but the  
5 problem with the code is that they can say, wait a  
6 minute, you are using these to validate the code. So  
7 the code up to today you cannot use, because you  
8 haven't validated on the basis yet. Remember, we went  
9 into that predicament.

10 So the idea here is to generate a very  
11 simple clue if you should say methodology to guide you  
12 in deciding whether your facilities are good enough to  
13 then perform the assessment.

14 CHAIRMAN BANNERJEE: I think we were  
15 talking at a time when we had much less confidence in  
16 the code. Because we were getting all these  
17 oscillations which wouldn't give you - I mean the code  
18 was bombing out. All sorts of thing.

19 DR. di MARZO: If you have the code  
20 reasonably fast, and you are reasonably confident,  
21 that's a very good way to go too.

22 MR. CARUSO: How do you decide what the  
23 acceptable impact is?

24 DR. di MARZO: That's arbitrary. That's  
25 arbitrary, but it is definitely better than defining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the other part of the deal. And the way I did that  
2 was to say if the facility ends with more water, it's  
3 not conservative, right. If the facility ends with  
4 less water is conservative.

5 Now you have to put some values, so I  
6 said, arbitrarily, 10 percent on this side, 20 percent  
7 on that side.

8 There anything can be, it depends on the  
9 match.

10 MEMBER WALLIS: Why is nonconservative ever  
11 acceptable? It's misleading. It makes you think -

12 MR. CARUSO: I seem to remember that there  
13 were points during the long-term cooling phase in  
14 AP600 where you had to get the number right. It  
15 wasn't a matter of conservative or nonconservative.  
16 It had to be right.

17 CHAIRMAN BANNERJEE: But remember, this is  
18 not for the purpose of computing anything, in the  
19 sense of predicting anything. This is simply to tell  
20 you which of the parameter you can range without too  
21 much -

22 DR. di MARZO: In a facility.

23 CHAIRMAN BANNERJEE: - in a facility, or  
24 how much distortion you can allow on that parameter,  
25 and which parameter on the other hand you should be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extremely careful, because if they are off a little  
2 bit they can cause a lot of damage.

3 MEMBER KRESS: It would certainly be a good  
4 guide on how to design your experiment.

5 DR. di MARZO: Exactly. Then you go to the  
6 code and you say, I want to do a sensitivity analysis.  
7 Which parameter should I range? You know which  
8 parameter you should range - those two, the amplifying  
9 one. And then if you have time, the mixed one, and  
10 then if you still have time, you can range more.

11 But at least you start shooting -

12 CHAIRMAN BANNERJEE: Yeah, it narrows down  
13 the analysis that you need to do.

14 MEMBER KRESS: Could you do this for a new  
15 reactor design other than ESPWR or EPR? Could you do  
16 this for a gas reactor that you don't have any test  
17 data for?

18 DR. di MARZO: No, you have to have test  
19 data. Because remember the original hypothesis -- a  
20 system that is globally controlled. So for example if  
21 you look at ACR, that won't fit.

22 CHAIRMAN BANNERJEE: No, no, I did the  
23 scaling for ACR.

24 DR. di MARZO: Yeah, but the problem is, if  
25 when you run pipe you get something down there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happening.

2 CHAIRMAN BANNERJEE: You can't do it with  
3 one volume.

4 DR. di MARZO: Exactly.

5 CHAIRMAN BANNERJEE: You have to do it with  
6 multiple -

7 DR. di MARZO: You have to figure out  
8 exactly how to handle that. Remember the discussion,  
9 top down, bottom up, right. If you can lead top down  
10 to bottom up, yes.

11 MR. CARUSO: So you don't use this to  
12 design the test facilities, you use this to evaluate  
13 them after they've been built.

14 DR. di MARZO: You'll make a mistake if you  
15 use this to design the facility, because what you put  
16 in here is this, and what you don't put in it -

17 CHAIRMAN BANNERJEE: No, but in the sense  
18 that Ralph is saying that if you want to have a  
19 certain range of flow rates and friction factors.

20 I'll tell you one of the things that was  
21 surprising that came out of the ACR was the resistance  
22 in the ECC lines became a very important factor you'd  
23 never think of before you do the scaling. Strange.

24 DR. di MARZO: But you can play with this  
25 kind of a methodology, you can essentially extract

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information that you can then use to guide you in then  
2 doing the proper analysis. But you don't shoot in the  
3 dark.

4 It's the same thing in AP600 for example.  
5 We killed ourself on the two-inch brake which turned  
6 out not to be the most dramatic brake.

7 CHAIRMAN BANNERJEE: We did DVI as well.

8 DR. di MARZO: It was very instructive, but  
9 it wasn't it.

10 CHAIRMAN BANNERJEE: We also did the DVI  
11 brake.

12 DR. di MARZO: The DVI brake was the real  
13 thing. So if you get something like this to start,  
14 you hit the most problematic one first, and then given  
15 enough time you hit everything else. But at least you  
16 go to the heart of the matter immediately as opposed  
17 to just chancing it out.

18 And this is back of the envelope; this  
19 doesn't take much.

20 CHAIRMAN BANNERJEE: I think you should  
21 write it up in some systematic way; show that it's  
22 applicable to different - not just a one-shot deal.  
23 Write the methodology out in a way that other people  
24 can use.

25 DR. di MARZO: For example, in AP1000 we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used this to tell you that entrainment was the issue.  
2 Because when we played entrainment here, it popped out  
3 immediately that that was enormous; that was a huge  
4 problem. Instead, change the quality of ADS because  
5 of entrainment, and those numbers flew out the window.  
6 So you know that entrainment is key.

7 MEMBER WALLIS: You have fellow, Banerjee,  
8 as a reference here. Why is that there?

9 DR. di MARZO: It was done a year ago, a  
10 year and a half ago.

11 MEMBER WALLIS: Is that there as an okay  
12 reference? Have you now supplanted this work? Is  
13 your work better than his in some ways, or what is it?

14 DR. di MARZO: I had the date in which -  
15 (Simultaneous voices)

16 MEMBER WALLIS: But is your work simpler  
17 than his or better than his? How does your work  
18 compare with that work?

19 CHAIRMAN BANNERJEE: Well, I'm better, I  
20 would say.

21 DR. di MARZO: His was much more accurate.

22 CHAIRMAN BANNERJEE: Are we done for today?  
23 Or do you have more questions?

24 MEMBER WALLIS: We can go into a little  
25 discussion if you would like. But we can get off the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 record, though.

2 CHAIRMAN BANNERJEE: Can we go off the  
3 record.

4 (Whereupon at 6:21 p.m. the proceeding in  
5 the above entitled matter was adjourned)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24