

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
APWR Topical Reports: Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, October 23, 2008

Work Order No.: NRC-2493

Pages 1-83

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE MEETING ON US-APWR TOPICAL REPORTS

OPEN SESSION

+ + + + +

THURSDAY, OCTOBER 23, 2008

The subcommittee came to order at 8:00 a.m. in room T2B3 of White Flint Two. Otto L. Maynard, Chairman, presiding.

OTTO L. MAYNARDCHAIRMAN

SAID ABDEL-KHALIKMEMBER

J. SAM ARMIJOMEMBER

DENNIS C. BLEYMEMBER

WILLIAM J. SHACKMEMBER

JOHN D. SIEBERMEMBER

JOHN W. STETKARMEMBER

NEIL COLEMANDESIGNATED FEDERAL OFFICIAL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

AGENDA ITEM PAGE

OPEN:

Opening Remarks by ACRS Subcommittee

Chairman 3

Overview of Staff Reviews of

Mitsubishi Topical Reports 5

Overview of Four US-APWR Topical

Reports 15

Members of the public 82

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1

P-R-O-C-E-E-D-I-N-G-S

2

3

(8:00 a.m.)

4

OPENING REMARKS

5

6

7

8

CHAIRMAN MAYNARD:: This is a meeting of the subcommittee for the U.S. advanced PWR reactor. We are here to discuss selected topical reports and technical reports today.

9

10

I'm Otto Maynard, chairman of the subcommittee.

11

12

The designated federal representative for today's meeting is Neil Coleman.

13

14

15

16

Members in attendance, we have Jack Sieber, Dennis Bley, Sam Armijo, Bill Shack, John Stetkar, Said Abdel-Khalik and I believe that's it for the meeting today.

17

18

19

20

21

Portions of the meeting will be closed to the public to discuss proprietary information. At that time we will be asking people who are not cleared, who have not signed agreements, to leave for those portions of the meeting.

22

23

24

25

I think it's important to discuss a little bit the purpose of the meeting and the desired outcome for today. The purpose is for us to get an overview and a basic understanding of topical reports that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mitsubishi Heavy Industries has submitted for approval
2 by the NRC, and are currently under review by the NRC
3 staff in support of the design certification review.

4 Now in most cases the topical reports are
5 not necessarily reviewed and approved by the ACRS. In
6 this case we have an opportunity to take a look at
7 some of these topical reports before they are
8 finalized. And I think it's important for us because
9 a number of these will be used as the basis for
10 approval of parts of the design certification
11 document. So this gives us an opportunity to get an
12 overview, identify any areas that we might want to
13 have some additional information or provide some input
14 on at some later date.

15 What we will be doing after our
16 subcommittee meeting is meeting at the full committee
17 and discuss what if any additional information or
18 actions the ACRS may want to have relative to some of
19 these topical reports and technical reports.

20 We have a lot of material to cover today,
21 and there is no way that we are going to be able to
22 delve into each one of these in a depth that we would
23 be able to necessarily make any final decision. We
24 are here more to get an overview, and to probe into
25 some areas, but to see if there is any that we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have more discussion and more detail at some later
2 date. So again, we are not here necessarily to get
3 every answer to every question that we want answered.

4 One brief item I'd like to discuss: One of
5 the topical reports is on the mass and energy release,
6 and I didn't schedule a technical presentation by
7 Mitsubishi on that. The staff is going to talk a
8 little bit on that. It relies primarily on adjusting
9 approved topical reports and methodologies. So the
10 staff is going to talk a little bit about their
11 regulatory basis on that one, or mention that in their
12 introduction anyway.

13 And I would caution the presenters, I know
14 that the draft copy I saw of some of the slides had a
15 lot of information, I do appreciate a lot of
16 information, but there is no way we are going to be
17 able to discuss maybe everything that is on some of
18 the slides, so we'll try to keep it to the important
19 points, and we'll move on from there. I guess
20 with that, I'd like to go ahead and turn it over to
21 Larry Burkhart of the staff, to introduce the staff
22 presentation and move on.

23 OVERVIEW OF STAFF REVIEWS OF MITSUBISHI TOPICAL
24 REPORTS

25 MR. BURKHART: Thank you, Mr. Maynard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And I think you have given us a very good summary.

2 I'm Larry Burkhart, the US-APWR projects
3 branch. I'm here today with my teach primarily to
4 give you a quick overview of where we are in our
5 reviews. And just like Mr. Maynard said, we are in
6 the midst of our reviews. However, even though we are
7 not finalized on our SERs on these topical reports, we
8 thought it would be a very good idea, and we got that
9 idea in part from your staff, for feedback that it's
10 very good for us to continue our dialogue on US-APWR
11 design.

12 We had our initial presentation by
13 Mitsubishi several months ago on - very quickly on the
14 design. Now we are delving a little bit more into
15 some areas that perhaps are unique and definitely
16 worth discussing. And that comes out in what the
17 topical reports address.

18 So I appreciate the committee's time and
19 effort on this. I appreciate Mitsubishi's time and
20 effort on this, and also the NRC staff. So again, I
21 would thank the committee for allowing us the
22 opportunity for us to come and discuss where we are in
23 our reviews. And of course as you said the meat of
24 what you are going to hear today and tomorrow are the
25 presentations by Mitsubishi on the topics of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reports.

2 And just to give you an idea of where we
3 are overall in the design review, we received the
4 application in December, accepted it about 60 days
5 after that. We - this may be a little bit different
6 of a project, because we have more of the pre-app -
7 not the pre-app, but more topical reports to review
8 while we are reviewing the DCD. Perhaps if you
9 compared it to EPR we may have had more time during
10 pre-application. So that's why we're seeing a lot of
11 our concurrent review of topical reports and the
12 design SER at the same time.

13 So why don't we kick it off. As Mr.
14 Maynard said, we have a lot to discuss today. And I
15 would like to turn it over to one of our chapter PMS,
16 Ruth Reyes, who is managing chapters four and six as
17 well as other chapters. The reason I mention chapters
18 four and six is because those chapters are affected by
19 the topical reports we are going to discuss today.

20 So I'll turn it over to Ruth to give a
21 very brief discussion on where we are on our reviews,
22 again just to set expectations. We are in the midst
23 of our reviews on most of these with the exception of
24 the LOCA mass and energy release.

25 So with that I'd like to let Ruth take it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from there.

2 MS. REYES: Good morning, everyone. My
3 name is Ruth Reyes. I am the project manager for
4 chapter four, reactor, and chapter six, and features
5 of the U.S. BWR DCD review.

6 Like Larry was telling all of you, the
7 purpose of this presentation is to give an overview of
8 the staff review of five topical reports. These
9 topical reports are the LOCA mass and energy release;
10 the advanced accumulators; field design criteria and
11 methodology; field assembly; seismic analysis code;
12 and the thermal design methodology. And we of course
13 will be addressing any questions from the ACRS
14 members.

15 With the LOCA mass and energy release,
16 this topical report requests approval of the
17 methodology for calculating the steam, the water and
18 the nitrogen releases to the containment building from
19 a reactor type. Basically that methodology uses
20 previously approved methodologies or computer code
21 like SATAN, GOTHIC and PREPLOT. So basically the
22 review for this topical report was focused on the
23 applicability of this approved methodologies to the
24 US-APWR this time.

25 MEMBER ARMIJO: Let me ask a question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Were those Westinghouse methodologies that Mitsubishi
2 is applying to the US-APWR, or are these Mitsubishi
3 methodologies?

4 MR. BURKHART: I think we have to defer to
5 the staff on exactly answering that question. Now
6 from a review standpoint what we have told Mitsubishi
7 is, we will only review the part of the design control
8 document, the standard design certification, what you
9 submit. There were instances in which they told us
10 they have rights to use certain -

11 MEMBER ARMIJO: Right, I understand that.
12 That was just my question: are these previously
13 approved as Westinghouse topical reports that
14 Mitsubishi has access to or rights to use.

15 MR. JOHNSON: I am Walter Jensen, NRC
16 staff, our containment and violation branch. And the
17 SATAN and WREFLOOD codes have previously been
18 approved, but there were modifications made to the
19 methodology and the codes for the APWR. And the
20 primary modifications to the methodology - to the code
21 I mean would be the advanced accumulator model that
22 was put in to the code and required a bit of
23 modification.

24 And the - and the heavy reflector and the
25 reactor core was added to the methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MAYNARD: Kind of what I got from
2 this, and from looking at them, is that there were a
3 number of approved codes. And Mitsubishi is taking
4 these and fitting them to their application, and then
5 you are approving it for the Mitsubishi use on the US-
6 APWR.

7 MS. REYES: That is correct.

8 CHAIRMAN MAYNARD: Because some of them are
9 EPRI codes, some of them are other codes that have
10 been approved, but customizing them for the US-APWR
11 application.

12 MS. REYES: And some examples of special
13 features that US-APWR design has that would impact the
14 releases to the containment building are the advanced
15 accumulators, the heavy reflector, and the in-
16 containment refueling water storage.

17 The staff issued four sets of RAIs, which
18 were answered. And based on the RAI responses, MHI
19 submitted revision one and two of this topical report.

20 The staff has finished the review, and prepared a
21 draft tech evaluation report which was submitted to
22 the ACRS.

23 If there are no other questions on this
24 topical report I will go to the next one.

25 CHAIRMAN MAYNARD: Just a clarification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here for this topical report, and one of the
2 adjustments you just talked about was for the advanced
3 accumulator. And I'm trying to understand where we
4 should be putting our focus on the advanced
5 accumulator. There is a separate topical report for
6 that.

7 MS. REYES: Yes, if I'm not mistaken, this
8 review, Don has the advanced accumulator, because
9 there is another topical report on that.

10 CHAIRMAN MAYNARD: Okay, so as long as the
11 advanced accumulator does what it says it will do in
12 that topical report, that fits into the LOCA mass and
13 energy release.

14 MEMBER ABDEL-KHALIK: Excuse me, has the
15 staff done any independent confirmatory analyses after
16 the codes have been modified?

17 MS. REYES: Yes, but again, I would like to
18 get the opportunity to talk about that.

19 MR. JOHNSON: Hi, Walt Johnson again. We
20 did not actually run a complete confirmatory analysis,
21 but we compared the mass and energy release that
22 Mitsubishi calculated to what was calculated for
23 similar plants, thinking that the advanced accumulator
24 would have very little effect on the containment mass
25 and energy release, and then also we compared their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 results with some hand calculations of boil off in the
2 reactor core to test the methodology against standard
3 review plan recommendations.

4 MR. BURKHART: And that is all discussed in
5 the SER?

6 MR. JOHNSON: Yes.

7 MS. REYES: The next one is the advanced
8 accumulator. This topical report requests approval of
9 the advanced accumulator design and the characteristic
10 situations for large and small flow rates for safety
11 analysis.

12 The review was primarily focused on the
13 applicability of the scale test data to the fuel scale
14 advanced accumulator.

15 Some RAIs have been issued, and the
16 responses have been received, and again, MHI provided
17 us with revision one to the topical report based on
18 the RAIs.

19 And right now we are in the process of
20 developing RAIs and reviewing RAI responses, and the
21 safety evaluation report is expected in June 2009.

22 No questions on that?

23 CHAIRMAN MAYNARD: We are going to have a
24 presentation on that?

25 MS. REYES: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BURKHART: This is kind of just a
2 warmup. All the rest of the things that Ruth is going
3 to talk about, you will hear in detail.

4 MS. REYES: Like I said before the purpose
5 of this presentation is just to provide another view
6 of the status of the review, and to talk about the
7 specific details of the technical evaluation.

8 The next one is the field design criteria
9 and methodology. This report requests approval for
10 the Mitsubishi field design criteria and methodology,
11 and defined field rod design code.

12 The review was primarily focused on the
13 applicability of the empirical database to the exposed
14 field criteria, and also on the ability of the FIND
15 code to model the standard test cases.

16 And we are in the process of writing RAIs,
17 writing RAIs to the QMHI, and the safety evaluation
18 report. This report is expected in July, '09.

19 The next one is the FINE, the Mitsubishi
20 fuel assembly seismic analysis code. This report
21 requests approval for the Mitsubishi seismic analysis
22 code. The code is called FINE. And it's for use in
23 the DCD but also in the fuel design criteria and
24 methodology topical report.

25 The review is prefaced on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicability of the empirical database to the APWR
2 fuel design, and also on updating original test data
3 to support the design.

4 We are also in the process of developing
5 requested evaluation information, RAI, and the safety
6 evaluation report is expected in July, '09.

7 The last topical report is the thermal
8 design methodology. This report requests approval of
9 VIPRE-01M. It's a Mitsubishi version of the already
10 approved VIPRE-01 code. Some modifications include
11 the DMV correlation and some other minor changes.

12 The review is focused on the applicability
13 of this code, the 01M, to the PWR cores with MHI or
14 US-APWR fuel.

15 Some RAIs have been issued. We received
16 the responses. Right now the technical staff is
17 reviewing the RAI responses, and the tech evaluation
18 report for the topical report is expected in April,
19 2009.

20 MEMBER ABDEL-KHALIK: Any changes to the
21 method by which subcooled boiling is calculating in
22 VIPRE 01?

23 MS. REYES: I'm sorry, what was that
24 question again?

25 MEMBER ABDEL-KHALIK: Were there any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 modifications to the method by which subcooled boiling
2 is calculated in 1?

3 MS. REYES: I don't know the answer.

4 CHAIRMAN MAYNARD: Is there anybody from
5 Mitsubishi staff? We will be getting into a
6 presentation on that.

7 MEMBER ABDEL-KHALIK: We'll wait until
8 then.

9 MS. REYES: Okay. So finally just to
10 summarize this presentation, we have four topical
11 report reviews on the way in house, one that we have
12 finished, which is the LOCA mass and energy release,
13 and we have drafted a tech evaluation report, and that
14 is provided to the ACRS members.

15 And with that, that concludes my
16 presentation.

17 CHAIRMAN MAYNARD: Okay. I take it you
18 will be sticking around through some of the
19 presentations. Very good.

20 So with that, we'll go ahead and turn it
21 over to Mitsubishi now to provide their overview.

22 OVERVIEW OF FOUR US-APWR TOPICAL REPORTS

23 MR. PAULSON: If you don't mind, I'd prefer
24 standing unless you can't hear me.

25 CHAIRMAN MAYNARD: It depends on him over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there.

2 MR. PAULSON: Fine, if you can hear me,
3 fine. If you can't I can sit down.

4 CHAIRMAN MAYNARD: We can wire you up also.

5 MR. PAULSON: I'm not wired yet, that's for
6 sure.

7 (Laughter.)

8 MR. PAULSON: Okay, can you hear me,
9 everyone? All right, fine.

10 My name is Keith Paulson, and I'm the
11 design control document representative for Mitsubishi,
12 and I do a lot of the interfacing with the NRC on the
13 completion of certain aspects. I get in on most of
14 the phone calls. I occasionally write minutes, a bit
15 of a jack of all trades so to speak.

16 In any case I spoke to you last time on
17 overview on the design. I appreciated the
18 opportunity. As you can see we have a significant
19 group of people here. Mr. Kumaki is our lead today.
20 And he will be here, and be listening intently to make
21 sure that Mitsubishi is performing well for their
22 review with the staff.

23 In any case, you've had an introduction
24 already. I think Ruth did an excellent job of teeing
25 up our presentations, thank you, identifying a fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 significant amount of information that you are going
2 to hear today.

3 I am going to give you an overall version
4 fo the information that is in the topical reports, and
5 also in a few areas specifically I am going to address
6 some at a higher level than you'll hear later on
7 obviously, but some of the technical information that
8 is specifically in those reports.

9 Mitsubishi spent the better part of a year
10 supplying topical reports to the NRC, beginning early
11 in 2007. These reports were part of that bevy of
12 about, oh I guess there were probably in excess of 12
13 topical reports that we submitted on numerous
14 subjects. These tended to go in toward the middle of
15 the year. One of the earlier ones is one you will
16 hear about later on, actually tomorrow in more detail,
17 is the advanced accumulator topical report which has
18 come up already, but we will give you a summary of
19 what is in that topical report.

20 That report actually was performed, moved
21 in our schedule of submittals to the NRC primarily
22 because it was of significant interest to the NRC, so
23 we moved it up to be one of the early submittals
24 provided, and so it's had a lot of opportunities for a
25 lot of review from different organizations within the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC.

2 In any case, I'm going to start moving
3 forward through the topical reports to give you an
4 idea of what is in them specifically so you know where
5 to go and what to do. I think you probably already
6 have copies of CVs. Those CVs sitting over there, if
7 you don't have them, provide all the presentations
8 that you are going to hear over the next couple of
9 days. So if you grab one of those and would like to
10 have those available to you at some point in time,
11 feel free to do that.

12 Let's move forward. Like I said, I'm
13 going to do the overview for the topical report. We
14 will look at four specific topical reports. As Ruth
15 mentioned we are going to look at the fuel design
16 methodology, the FINE code which is used primarily for
17 seismic analysis can also be used for certain aspects
18 of LOCA analysis; the thermal design methodology and
19 the advanced accumulator; and specifically in the
20 advanced accumulator we will be going into a lot of
21 the testing information that may be of some interest
22 to you in terms of how performance of that particular
23 device was developed.

24 Starting out with the fuel design criteria
25 and methodology, we want to give you an indication of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the type of information that is in our topical
2 reports, not here, so that if something triggers your
3 interest you will know it's there in the topical
4 report and you can go to it along the way.

5 But specifically today I'm going to give
6 you an outline of the topical report and the status.
7 This report is specifically for our fuel. The fuel
8 assembly design will be identified in that topical
9 report; some of the specifics of the design. We will
10 look at the design criteria and methodology for the
11 fuel, fuel system damage, fuel system failure,
12 coolability, and so forth. All of those will be
13 addressed, and some of them in overview by me today,
14 but also in much more detail obviously as we get into
15 the presentations that are in the proprietary
16 sessions.

17 The fuel rod design computations in the
18 FINE code, the FINE code does a lot of design
19 calculations, and we'll go through those. We'll show
20 the applicability of the FINE code to the task at
21 hand. We will look at the models that were utilized
22 in the FINE code. In fact some of the presentation
23 material this afternoon will be very specific in terms
24 of the type of information that is in those codes and
25 the analytical models. We will talk to you a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bit about the verification of those models, and also a
2 comparison that was done with FRAPCON calculations to
3 demonstrate that there is a consistency between
4 something the NRC has seen and what we would normally
5 see with respect to calculations from the FINE code.

6 First the outline and status. The topical
7 report provides the following technical information: a
8 description of the fuel assembly design - I'll have
9 one slide on that, but certainly there is the
10 capability of more discussion this afternoon; the fuel
11 rod and fuel assembly design criterion to be applied
12 to the US-APWR fuel design; demonstrate the topical -
13 we believe anyway - demonstrate that it's in
14 compliance with 10 CR 50 and 1.206 and of course the
15 standard review plans.

16 And also a description of the models and
17 verification of the FINE code, and a comparison that
18 is provided there to demonstrate the consistency with
19 prior information that has been reviewed by the NRC
20 and ACRS.

21 This is a little complicated, but it's not
22 as difficult maybe as you may think, but it does
23 provide you a road map through this whole issue of
24 topical reports, at least as it relates to the fuel
25 area. We did a number of topical reports, and those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 topical reports are meant to be more or less generic
2 reports that are available and could be used for other
3 applications in many cases. It's just we are
4 reviewing it now, it's being reviewed specifically for
5 the US-APWR.

6 Those topical reports were the ones that
7 we have been talking about that were submitted last
8 year. In addition to that we have supplied a number
9 of technical reports, or will be supplying a number of
10 technical reports. Some of them are in; some of them
11 are not in yet. In any case what we tried to do in
12 this slide is to identify the different areas of fuel
13 design and analysis that are performed and where you
14 would find information with respect to each of the
15 topics that are in chapter two, 4.2 of our design
16 control document. So coming down this way you look at
17 the information in the design control document,
18 looking this way we can look at the information that
19 is supplied in different topical reports, and then
20 also an identification of the information, additional
21 information that is being supplied starting here,
22 those three reports that are below the technical
23 reports heading that are identified specifically as
24 information coming in in addition to what has already
25 been supplied in the topical reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 One of the key reports you will be hearing
2 about today is this 07-008. That's on a design basis
3 and includes information on the FINE code. This shows
4 how it relates to specific portions of our design
5 control document. You will also see information in the
6 technical report that was supplied - and this is on
7 the US-APWR fuel system design evaluation. So those
8 are - that's an additional report.

9 You'll hear some of the information that
10 is associated with that, but those reports are not
11 being specifically discussed here, because we are
12 dealing only with topical reports in these next two
13 days.

14 The other big report that was supplied was
15 the FINDS code, which was a detailed evaluation of a
16 code that does performance, looks at the performance
17 of the fuel assemblies during seismic events, and also
18 has the potential for doing some evaluations that go
19 even beyond that.

20 But in any case, as you can see, we've
21 tried to look at two different specific areas that are
22 important, that is, those that are looked at from
23 normal operations, the anticipated operational
24 occurrences, the shipping aspects of the fuel
25 assemblies, and different parts, other different parts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the core; and then look at the seismic analysis as
2 somewhat of a separate issue, because some of the
3 codes that we used relate only to the seismic aspects.

4 However, the technical reports that are
5 supplied deal both with the seismic aspects and the
6 nonseismic transients and normal operations that are
7 evaluated as part of our optical reports in the design
8 control document.

9 CHAIRMAN MAYNARD: While it's a little
10 busy, I do think this is an important slide, because
11 when we get into the chapter reviews of the DC it
12 really helps identify which ones of the top technical
13 reports are being relied upon by the staff, and by you
14 to comply with those sections.

15 MR. PAULSON: That's why I wanted to spend
16 a little time on this, because I know, when you first
17 look at that it looks like a crossword puzzle poorly
18 done, or maybe a checkerboard poorly done too. But in
19 any case, there is a lot of information on that, and
20 it could be of value if you are trying to navigate
21 through our topical and technical reports on a
22 specific subject; hopefully this will help you do
23 that.

24 Okay, we will get into the fuel design
25 criteria and methodology topical report. The subjects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we will be discussing today, me in an overview
2 fashion, and of course in more detail later on, are
3 identified here: introduction, fuel assembly design
4 criteria, fuel rod design computations and
5 conclusions. We won't get much into the appendices.
6 We may touch on those in a few places where we are
7 looking at the modeling and so forth. But the focus
8 is really on the body of the topical reports.

9 I think some of this information was
10 presented to you in our last meeting. But just as a
11 reminder, and kind of teeing up the fuel assembly to
12 make sure that it's consistent with your understanding
13 of what we are doing, the fuel assembly will be 14-
14 foot long. It will have a 17 by 17 array. This fuel
15 design is going to be very similar to one you've
16 looked at many many times, I'm sure, so it's not very
17 much different at all.

18 There are some features that take the
19 previous features and take them a little step farther,
20 because Mitsubishi has been able to do that, for
21 example, the data linear content is a little higher
22 possibly than some that you have seen, up to 10
23 percent. The higher pellet density is a bit higher
24 than what you've seen, I think, in previous designs,
25 maybe more like 95-1/2 as opposed to 97 that we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have in the US-APWR design.

2 Zircaloy grids for neutron economy, I
3 don't think that that is particularly new for you.

4 We are going to an 11 grip structure,
5 which reduces the span of the - in the fuel
6 assemblies, which provides additional support. We are
7 going to use corrosion resistant material called
8 ZIRLO. I think maybe you've seen some things on that
9 already, but it's going to be produced specifically
10 for our cladding material.

11 And I think the other features are, with
12 respect to debris nozzles and built-in filters and so
13 forth, you are familiar with already, but they are
14 consistent with current designs.

15 One of the I think important features of
16 the design is the low kilowatts per foot for this fuel
17 assembly. One of the advantages I think that you will
18 find in the report is that there's been a lot of
19 margin built into the plant because we have gone
20 basically from the same thermal design, or total
21 output from the APWR that is being built, will be
22 built in Japan at Sakura and gone to the 14-foot core,
23 but we've kept the thermal design power level the
24 same.

25 So what has happened of course is on our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kilowatts per foot it's gone down significantly, and
2 that's provided additional margin for the US-APWR.

3 MEMBER ARMIJO: You know, I have a question
4 on that. That is a funny unit, that power density and
5 kilowatts per foot. I'm more familiar with kilowatts
6 per liter for core power density. Do you - maybe not
7 know but at some point I'd like to hear what that
8 number is for the US-APWR compared to -

9 MR. PAULSON: I don't have that off the top
10 of my head, but somebody take that down.

11 MEMBER ARMIJO: When the time comes.

12 MR. PAULSON: Moving on, obviously,
13 although much of the design activity goes on in Japan,
14 Mitsubishi has been very sensitive to the design
15 requirements in the United States, and started to
16 follow them and continued to follow them as the
17 regulations when through a significant process of
18 upgrading over the course of the last few years. The
19 design we believe is sensitive to 10 CFR Part 50,
20 specifically the general design criteria listed here,
21 it's 10, 27 and 35. We think we are in compliance
22 also with 1.206, and we've used the standard review
23 plans as the basis for our evaluations for fuel
24 damage, fuel failure, and fuel coolability.

25 So once again, although you may think of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it as a Japanese design, it really has been completely
2 sensitive, not only because of our prior relationships
3 here in the U.S., but also because the Mitsubishi
4 staff has been very sensitive to getting a clear
5 definition either through their own interpretation or
6 from consultants that are familiar with the different
7 aspects of the regulatory process and have built in
8 what they believe to be methodologies and analyses
9 that are consistent with all of the current
10 regulations here in the United States.

11 Just an indication of what specifically is
12 addressed in this topical report, and the types of
13 fuel damage that are being evaluated: cladding stress,
14 cladding strain, stress and loading limits, fatigue,
15 fretting wear, oxidation, dimensional changes,
16 assembly rod growth, rod internal pressures, assembly
17 liftoff, all of the things I think that you are
18 interested in and are familiar with have been
19 addressed, and probably have been addressed in many
20 cases with the same type of analyses methodologies
21 that have been used and are familiar to you. But
22 we'll talk more about that as we go through the
23 technical reports, or the topical reports over the
24 next few days.

25 For fuel failure, the potential fuel rod

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 failure modes that we've looked at include hydriding,
2 collapse, cladding collapse, overheating of the
3 cladding, overheating of the fuel pellets, excessive
4 enthalpy, fuel pellet cladding interaction, DCI
5 typically referred to, bursting fuel rod mechanisms
6 for fracturing.

7 In terms of coolability we looked at
8 embrittlement, violent expulsion of fuel, generalized
9 cladding, melting, fuel rod ballooning and structural
10 deformation.

11 The reason we are listing these is to say
12 we think we have addressed all of the issues that have
13 been identified here in the United States with respect
14 to fuel, and some that have had to be addressed
15 specifically in fuel assemblies and fuel analyses in
16 Japan.

17 CHAIRMAN MAYNARD: If you're going to
18 address some of that later, it's fine. My information
19 may be dated, but I believe that most Japanese plants
20 have been on 12-month cycles basically. Most U.S.
21 plants run 18 or 24-month cycles, and I'm wondering
22 what experience Mitsubishi may have with the longer
23 cycles, and how that is factored in.

24 MR. PAULSON: We'll be dealing with
25 extended burnup calculations. They don't have a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of experience specifically with longer fuel cycles in
2 Japan. I'm not familiar with any plant that is on 18-
3 month fuel cycles in Japan. Does any of the Mitsubishi
4 people know? I think it's been mostly 12, but they
5 have been familiar and have had the data available for
6 longer fuel cycles here in the United States, and they
7 have used that as the basis for their evaluation. So
8 you will see that, like I said, the extended fuel
9 cycle information has been a process that's flowed
10 primarily from the United States to Mitsubishi.

11 CHAIRMAN MAYNARD: You will get into that
12 later?

13 MR. PAULSON: Yes.

14 The computations that are performed in the
15 FINE code, first of all from an evolutionary point of
16 view, we will deal specifically with how FINE came
17 about in the topical report, the applicability fo the
18 FINE code, the analysis models. For all of these, I
19 don't have to read through them, they are things that
20 are very familiar to you, the fuel models, gas models
21 - gas release models, and so forth.

22 We will look at in the topical report also
23 the verification of these models, how we've justified
24 them with respect to performance data that is
25 available, and has been compared to the FINE code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculations; and then a comparison also with FRAPCOM
2 that I think is a code that is very familiar and used
3 by the NRC to validate computer codes that do fuel rod
4 calculation design.

5 With respect to the evolution FINE was
6 developed by Mitsubishi in the 1980s, modifications
7 for high burnup usage have been made up through 2001.

8 Some additional changes specifically in that area
9 that have been looked are the thermal conductivity
10 degradation, the rim microstructure variations, and
11 that has been built into the code, and also models for
12 not only for Zircaloy but also for ZERLO are included
13 in the FINE code.

14 Mitsubishi developed proprietary models
15 using post irradiation examinations and other tests.
16 It goes a little bit to the question of extended fuel
17 cycles.

18 MHI has applied the FINE code to the high
19 burnup fuel that does exist in Japan.

20 Just in terms of the range of
21 applicability, and by the way some of this, especially
22 when you get to the point of rod burnup and so forth,
23 there will be a little bit more in my presentation,
24 but there will be a great deal more discussion of that
25 later on. But fuel pellet type, the client is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specifically focused on UO2, with gadolinium up to 10
2 percent. Cladding pipes, both ZERLO and Zircaloy 4,
3 we're looking for the US-APWR to go to 62 gigawatt
4 days per ton. You will see as part of this
5 presentation a summary of some of the information that
6 we have that supports going to 62 gigawatt days per
7 ton. Linear heat rates for normal operation are below
8 the - that available in FINE, as are the anticipated
9 operational occurrence heat rates associated with
10 those events are also well within the bounds of the
11 FINE code.

12 Finally the coolant temperatures are also
13 bounded by - for the US-APWR are bounded by the
14 information that exists today.

15 I mentioned that we have and have had
16 data. There have been a number of reactors that have
17 done irradiations, or information that has come out of
18 those reactors that can be used for information for
19 validating the models in the FINE code. The test
20 reactor identified here, Saxon following the RQ, the
21 commercial reactors, are a potpourri around the world.

22 You can see both Japanese data, Spanish data, U.S.
23 data that have gone into providing the database that
24 we use to validate the performance of our FINE code.

25 Specifically if you look at different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parameters and the burnups, ranges, associated with
2 the validation for those, you see they go from 86
3 gigawatt days per ton down to the 62, and that was the
4 basis for the 62 gigawatt days per ton evaluation that
5 we are performing on the US-APWR, and believe that
6 that represents a reasonable upper bound for our fuel.

7 ZIRLO has been irradiated in several
8 plants, so there is a familiarity with ZIRLO
9 performance, and the measure data of each performance
10 parameter covers the design burnup of the US-APWR up
11 to 62 gigawatt days per ton, and that is based on what
12 you see here in terms of support information for the
13 models coming from numerous tests.

14 Okay, in terms of the FINE code type
15 calculations that are performed, it's a very versatile
16 code in terms of the amount of information, and the
17 types of calculations that are performed. You will
18 see a little more in detail on this in the sessions
19 come in the next couple of days in terms of models and
20 so forth, but just to give you an idea of the types of
21 calculations that are completed in the FINE code, you
22 can see that it is a very broad and I think inclusive
23 set of evaluations. We'll be going through many of
24 these in later presentations, but this is only meant
25 to say that FINE is a code that if you want to see a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of analysis for fuel performance, you can see them
2 from our FINE tests.

3 This is once again just a touchstone to
4 say we don't just put in models; we also take
5 information from various irradiations that have gone
6 on, and we've justified the code, the FINE code, to
7 ensure that there is a consistency of that.

8 Also we've used the comparisons that have
9 been made with FRAPCON to more or less benchmark our
10 code between the fuel rod performance, the
11 instrumented fuel assemblies that have come out of a
12 couple of I guess test reactors, and also some of the
13 operating reactors also where we look at both fission
14 gas release and fuel temperature. The information
15 that has come from those evaluations, and compare our
16 analysis with the results of the fuel assembly
17 information and compare and look to see how the
18 FRAPCON results compare with that also.

19 The conclusions, I think what we've tried
20 to do is to make it at least - what we've done is up
21 to your expectations. We think we have a very robust
22 code that has a very robust database that the results
23 are based on. That's what I've tried to say here very
24 briefly.

25 But over and above that we have also tried

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to ensure that the information that you and the NRC
2 are looking for in terms of evaluation are completed
3 in an acceptable way based on the guidelines that we
4 get from the different U.S. NRC guidance documents.

5 We look at fuel rod performance models and
6 verify them, and we anticipate using the FINE code for
7 the US-APWR and we are looking to have that approved
8 up to 62 gigawatt days per ton.

9 That is topical report number one. Like
10 I said, you will hear probably a lot more than that, a
11 lot more than what I did, but it gives you a flavor of
12 what you are going to be looking for and should see
13 this afternoon in a lot more detail.

14 Okay, moving on to the FINDS, Mitsubishi
15 fuel performance. As I mentioned, FINDS is a computer
16 code that looks at seismic performance, the seismic
17 performance looks at a little bit different
18 environment than we have here in the U.S., where this
19 has to be looked at in a fairly high seismic scenario
20 for essentially all the locations where fuel has to go
21 in in Japan. So consequently you will see that a lot
22 of detail has been paid to doing good evaluations of
23 seismic performance in high seismic locations.

24 MEMBER SHACK: What is the seismic, your
25 design curve for this? Point three G?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PAULSON: Point three G. Point three,
2 is that right, for the seismic analysis, point three
3 G? But of course it's used in much higher scenarios
4 in Japan. What does it go up to 1.0 in Japan? A
5 little under one?

6 Summary of the FINDS code, we'll go
7 through that. The contents of the topical report,
8 summary of the report, qualification of the design
9 application and then a few conclusions.

10 As I said, in Japan you have to look at
11 things a little differently when you look at seismic
12 events because of the high seismic, so the
13 representation of FINDS is fuel inelastic deformation
14 for seismic events, and it tells you a little bit
15 about what they have to do in order to get plants
16 approved in Japan.

17 The objective of the report is to obtain
18 approval of the FINDS code for Mitsubishi fuel design
19 criterion methodology, specifically in this first case
20 of course for the US-APWR, and is focused on the US-
21 APWR.

22 The FINDS code is used to analyze fuel
23 assembly response characteristics for seismic and
24 under certain local conditions. The report contains
25 analysis models, associated with the development and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tests and verification of the FINDS code. It's to be
2 used to perform analysis with US-APWR in compliance
3 with Appendix A of Section 4.2 of the standard review
4 plan. It's NUREG 0800, and the US-APWR evaluation
5 technical report to be submitted to the NRC in March
6 of 2009 is focused specifically now on the US-APWR as
7 opposed to previous fuel designs. But we have
8 submitted the methodology so that the methodology can
9 be evaluated, so that once they get to the point of
10 doing the evaluation on US-APWR fuel the methodology
11 will be understood and hopefully accepted by the NRC.

12 The status of this topical report: it was
13 submitted in March of this year. We had it docketed
14 in May. We've already had RAIs issued in July and so
15 far we have responded to the RAIs that have been
16 submitted in July and some additional RAIs that were
17 submitted in August.

18 I'm not going to go through the listing of
19 all the sections of the topical report, but once
20 again, these are here for use, so if you want to go
21 and pinpoint a specific area that you want to deal
22 with, hopefully you can do that using the table of
23 contents.

24 The one thing I did want to point out
25 though here in the slide is that after our submittal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by the NRC, the NRC did ask us to provide them with a
2 specific deck, FINDS deck, and some input information
3 for it, and that has been supplied also for them to
4 use in their evaluation process.

5 CHAIRMAN MAYNARD: So let me make sure I
6 understand. So the NRC has a copy of the code
7 basically, they can run it?

8 MR. PAULSON: And an input that we gave
9 you. I think we also gave them the output, too, but
10 we'll let them run it to see if they get the same
11 output. I hope they get the same output; I anticipate
12 they will.

13 In any case the FINDS code has been
14 developed for Mitsubishi to analyze fuel response
15 characteristics under difficult seismic conditions.
16 The FINDS code takes into effect nonlinear effects, as
17 opposed to just doing a bounding calculation which can
18 be done I guess in some of these lower seismic when
19 you're looking at some of these higher seismic
20 locations as Mitsubishi has had to, they have gone
21 into a significant evaluation of inelastic events and
22 inelastic behavior. And by the way I'm going to talk
23 a little bit about that, but you will hear a lot about
24 that in the technical presentations coming later.

25 The FINDS code is also used to analyze

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fuel assembly response due to pressure propagation
2 during LOCA. So it has some benefits in LOCA also.

3 The input for FINDS is information that's
4 necessary with respect to the overall design of the
5 vessel area. Primarily we use the upper core support
6 plate and the lower core support plate as input to
7 FINDS; acceleration during earthquake, LOCA and so
8 forth. FINDS does a dynamic fuel assembly response
9 during earthquakes and LOCA, and the output of FINDS
10 is the fuel assembly amplitude grid space or impact
11 force, and then ultimately stress analysis using an
12 analysis model that is also familiar for evaluation of
13 the fuel assembly.

14 The description of FINDS code, a
15 description of the FINDS code, the major features of
16 FINDS are described in the report. But it's an
17 efficient and stable calculational methodology using
18 multi-fuel assembly interactions associated with
19 impact. And some of the testing that has gone on and
20 will be described to you later on today is multi-
21 assembly testing, so it's not just a single assembly
22 test. I'm going to describe a couple of the single
23 assembly tests here, but you will also hear some
24 information later on on some of the multiple assembly
25 tests that go on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There is a strong nonlinear behavior of
2 the fuel assembly that is taken into account for the
3 vibration analysis, and an inelastic impact model to
4 calculate grid space or permanent deformation that
5 occurs after initial grid space or buckling.

6 I mentioned that there are a couple of
7 tests that I'm just going to briefly describe because
8 these are the simple ones. They don't let me describe
9 the difficult ones; they let me describe the simple
10 ones.

11 In any case these two tests, first of all,
12 is for the grid spacer. And a simple swing arm test
13 which looks like they had a force delivered to that
14 grid spacer, and what's the deformation based on the
15 amount of force delivered to the grid spacer.

16 MEMBER ABDEL-KHALIK: And what is inside
17 the grid space during those tests, anything? Rodlets?

18 MR. PAULSON: Does somebody want to answer
19 that? Dave, do you want to answer that?

20 MR. SEEL: Fuel tubes.

21 MR. PAULSON: Fuel tubes? Okay.

22 And there is also a pluck test performed
23 to look at the vibration. I think it's the first mode
24 vibration characteristics of the fuel assembly.

25 So those are two individual assembly or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parts of an assembly analysis that are performed, but
2 we'll talk in more detail about some of the testing
3 that goes on as part of the justification for the
4 FINDS model.

5 The following verifications are described
6 in the topical report. The confirmation with a general
7 purpose ANYSYS code, verification of the grid impact
8 model by lateral impact test of the fuel assembly, and
9 impact tests of single span fuel assembly;
10 verification of multiple fuel assemblies; this is what
11 I was referring to in terms of some additional
12 information you will see; and interaction analyses by
13 shaker table tests of large scale PWR cores internals,
14 with up to 15 by 3 full-scale mockup of the fuel
15 assemblies as part of that testing.

16 Pluckability to the US-APWR fuel FINDS
17 code has been validated for a larger range of seismic
18 accelerations than is predicted for the US-APWR. That
19 is obvious and necessary for the application that it
20 was originally intended for.

21 In terms of the length, being constants,
22 damping factors, fuel assembly vibration models, the
23 vibration behavior of the US-APWR fuel is predicted by
24 FEM model, and in this case it's ANSYS which is
25 verified by the comparison with the test results of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 12-foot fuel assemblies.

2 There is another technical report coming
3 in, that comes in in March of next year that will deal
4 specifically with the US-APWR 14-foot fuel.

5 So but there has been US-APWR is
6 predicting with the finite element analysis
7 methodology of ANSYS, and has been shown to be
8 acceptable.

9 In terms of grid spacer impact model, the
10 grid spacer of the US-APWR fuel assembly has been
11 tested to obtain the inelastic grid spacer behavior
12 characteristics of the grid spacer, and that has
13 already been completed.

14 Conclusions for the FINDS code. FINDS
15 code was developed specifically by MHI to determine
16 fuel assembly response and seismic and LOCA
17 conditions, and accounts for the nonlinear effects
18 that can be experienced especially in high seismic
19 areas.

20 The FINDS code is for multiple assembly
21 fuel vibration and interactions, and can do that type
22 of analysis, and has been validated based on some of
23 the test results that have gone on, verified by fuel
24 assembly lateral vibration tests, that I mentioned,
25 single span grid spacer impact tests, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comprehensive large scale seismic excitation tests, so
2 that shaker table tests, vibration tests, all of those
3 have been used to validate this model, which is one of
4 the more sophisticated models I think in the industry
5 with respect to evaluation of fuel assemblies.

6 The FINDS code is applicable to the US-
7 APWR fuel assembly for a lot of reasons, not just
8 because of the work that has gone on, but also because
9 we think the environment that we'll be seeing here in
10 the U.S. at least in most locations is much less
11 severe than what has to be evaluated for.

12 Okay, on to thermal design methodology -
13 before I go on are there any additional questions?
14 Okay.

15 The outline - I'll go through an outline
16 of the status of this topical report. Like I said, I
17 think Ruth has teed up some of this already very well,
18 but just to remind you on our interpretation of what's
19 gone on. Our procedure for the thermal design
20 methodology; the different analysis models that are
21 used; transient fuel modeling; rod modeling that has
22 gone on, and qualification of the design application
23 and conclusions.

24 Once again I want to make it clear here
25 that one of the key things in general we are trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say is that most of the modeling that may be some of
2 the FINDS stuff because of the details that have been
3 generated in Japan are based on codes that you are
4 familiar with. Some of them we've extended them,
5 we've added features, but we haven't changed the
6 models that are used. We've only added features to
7 them to make it a little more people friendly, or
8 possibly to add an additional model beyond what
9 already exists in the code.

10 So in any case you'll see in this
11 presentation computer codes and methodologies that I
12 think you are very familiar with.

13 An outline of the topical report is
14 presented. It's a procedure for the thermal design
15 methodology. The analysis models that we're using,
16 once again I think you'll be very familiar with most
17 of those analysis models.

18 Qualification of the design for its
19 application. The most important part of this is just
20 our view of the status, and that's submitted. We
21 submitted our topical report last May, so it's been in
22 NRC hands for quite awhile. It was docketed in
23 December of last year.

24 We've had RAIs already in March, and we've
25 responded to all those RAIs at least to date for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thermal design code, and that was done in April of
2 this year. So we are kind fo up to speed with respect
3 to the topical reports. The NRC has been - we've
4 given them yeoman duty, because they have had to do
5 both review of the DCD and the topical reports. I
6 think, and rightly so, our plan was to try and provide
7 them a comfort level that when they got to the point
8 of reviewing our analyses in the DCD, they had a basis
9 for saying that they understood that the methodology
10 was acceptable either based on work that they've
11 already done for some of the computer codes, or they
12 have had the opportunity to review our unique
13 differences with respect to our computer codes and
14 methodologies we're using.

15 This I think should be a very familiar
16 slide. We are looking at using the DNB correlations.

17 We do a statistical treatment. We calculate limiting
18 DNBR. We add our own special - any types of design
19 penalties and design margins to that, and we come up
20 with what's considered to be a safety analysis. Back
21 when I was doing safety analysis it was 1.3. I
22 notice now it's changed. Shows you how old I am.

23 MEMBER ABDEL-KHALIK: Now where do you get
24 the core inlet flow distribution that you use in that
25 subchannel analysis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PAULSON: Does that come from ?

2 MEMBER ABDEL-KHALIK: A bundle-to-bundle
3 variation of the core inlet flow distribution.

4 MR. PAULSON: Allen, do you want to answer
5 that. Get up to the microphone.

6 MR. HO: The typical way -

7 MR. PAULSON: Your name.

8 MR. HO: Allen Ho for MHI. The typical
9 input for the core analysis basically was assuming the
10 uniform core inlet, and then take the penalty like up
11 to 10 percent of flow reduction into hot channels.

12 MEMBER ABDEL-KHALIK: Do you have any data
13 to support that?

14 MR. HO: Yes, we do have flow distribution
15 analysis, and realize that it's a been roughly in the
16 range of 5 percent reduction at most at the inlet.
17 But we try to be conservative, so we assume 10
18 percent of flow reduction at the inlet.

19 MEMBER ABDEL-KHALIK: Maybe we can get into
20 the details.

21 MEMBER ARMIJO: Your question was due to
22 variability.

23 MEMBER ABDEL-KHALIK: A core flow anomaly
24 where you get maldistribution at the individual
25 assemblies. And the question is, what is it for for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this large a vessel.

2 MR. HO: Yes, we can discuss that when we
3 get into the details.

4 MR. PAULSON: We'll get into that in the
5 presentation on the codes this afternoon. Or tomorrow
6 morning? Is this tomorrow morning?

7 MR. HO: Either this afternoon or early
8 tomorrow morning.

9 MR. PAULSON: In any case, safety analysis
10 limits calculated, we then used an evaluation. You
11 asked about - your power distribution is put in, core
12 operating conditions. Core geometry is put into our
13 subchannel analysis, which is the VIPRE-01M code.
14 I'll spend a little more time on that.

15 We've got local fuel conditions. We use
16 the WRB-1 and WRB-2 DNB correlations, which I think
17 you are very familiar with, and come up with the
18 minimum DNBR calculated and compare that with the
19 safety analysis limit based on the calculations we did
20 in the statistical procedure.

21 MEMBER ABDEL-KHALIK: Again, you know, a
22 big issue or question, how does the change in grid
23 spacing affect the applicability of the WRB-1 and WRB-
24 2?

25 MR. PAULSON: Is anybody familiar with how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 grid spacing - maybe Allen, do you want to - how does
2 grid spacing affect the difference between WRB-1 and
3 WRB-2?

4 MEMBER ABDEL-KHALIK: No, the applicability
5 of WRB-1 and WRB-2?

6 MR. PAULSON: You mean the grid spacing in
7 the US APWR design?

8 MEMBER ABDEL-KHALIK: Correct.

9 MR. HO: Okay, I'm Allen Ho again. For the
10 spacer grid distance, because we are using the well
11 known WRB-1 and WRB-2 correlations, and there is a
12 given range. As long as the grid spacing is within
13 that range, it is all applicable. We are not
14 exceeding the applicability range. It has been
15 tested. If you look at the W-caps in the past, and
16 also some of the MHI test reports, you will see that
17 we are well within the range.

18 MEMBER ABDEL-KHALIK: Is the prediction
19 dependent on the detail design of the grid spaces?

20 MR. HO: We also did some sensitivity
21 studies. We adjusted the distance of the grid
22 spacing, and it can show that how much DNBR changes.
23 We can discuss that in the detailed session.

24 MEMBER SIEBER: Grid spacing is roughly the
25 same as a 12-foot assembly because when they increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the length they just added another grid.

2 MEMBER ABDEL-KHALIK: I just wanted to know
3 the exact difference.

4 MEMBER SIEBER: It was a good question.

5 MR. PAULSON: VIPRE, the VIPRE code that's
6 used, the Mitsubishi version of the VIPRE code is a
7 version of the code that was developed by EPRI and has
8 been reviewed I believe by the NRC, which is just the
9 VIPRE-01 code. The solution methods, and constitutive
10 methods, models that were used in VIPRE-01 were not
11 change, so that the basis for the evaluations were not
12 changed.

13 There were some additional options that
14 were included in the design. Those options are
15 primarily focused on enhancements for the evaluation
16 as opposed to changing any of the methodologies used.

17 The VIPRE version that is used by Mitsubishi provides
18 distributions of mass, axial and later flow rate,
19 enthalpy and DNBR in the core, and limiting
20 subchannel. And the transient and thermal behavior of
21 the fuel rods are analyzed simultaneously.

22 The application code complies with the
23 NRC. Their SER conditions, we are aware of the SER
24 conditions that went into this reference document and
25 address those specifically as part of the topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 report.

2 MEMBER ABDEL-KHALIK: Is the code also used
3 to get input for analysis of axial offset in terms of
4 local steaming rates?

5 MR. PAULSON: Allen, once again.

6 MR. HO: Allen again. We don't use this
7 code for AO analysis.

8 MEMBER ABDEL-KHALIK: Will you talk about
9 that tomorrow as well?

10 MR. HO: Yes.

11 MR. PAULSON: The core is modeled using
12 industry-accepted assumptions. We will as we go
13 through this tomorrow you will see the assumption and
14 some of the analysis models that are used. Some of
15 the things that are also taken into account in the
16 core, in the calculations, are normalization, mixing,
17 turbulent mixing, hydraulic resistance, two-phase
18 flow, engineering factors, core inlet, flow
19 distribution, boundary conditions, and calculation
20 control parameters are available.

21 MHI intends to use WRB-1 and WRB-2, those
22 correlations, for the plant. WRB-1 and 2 correlations
23 were originally developed based on the THINK code
24 compatibility between WRB-1 and 2, and VIPRE, has been
25 confirmed by Mitsubishi analysis, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicability for WRB-1 and 2 to MHI design fuel has
2 been validated, and is shown in the topical report as
3 part of some studies that are demonstrated in that
4 report.

5 MEMBER ABDEL-KHALIK: Now what do you mean
6 by compatibility of - between WRB-1 and 2 and VIPRE M
7 was confirmed? What does that mean?

8 MR. HO: Allen Ho again. As we are aware
9 that all the DNB correlations if they want to be used
10 for DNB or calculations in any of the subchannel
11 analysis code, it's required that that specific
12 correlation has to be correlating data using the
13 specific subchannel analysis code. And once it is
14 done, we say the correlation itself is compatible with
15 the subchannel analysis code per se.

16 MEMBER ABDEL-KHALIK: But presumably WRB-1
17 and WRB-2 were correlated with VIPRE W.

18 MR. HO: Yes.

19 MEMBER ABDEL-KHALIK: Which is identical.
20 So I'm not sure exactly what additional work you did
21 to confirm that it's compatible with VIPRE M.

22 MR. HO: Okay, WRB-1 and WRB-2 were
23 originally correlated by Westinghouse THINK code,
24 right. So -

25 MEMBER ABDEL-KHALIK: But they were also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporated into VIPRE W.

2 MR. HO: Yes, but we are using VIPRE-01M.
3 We want to make sure that our version would not cause
4 any discrepancies, that is, do any harm to the so-
5 called compatibility.

6 MEMBER ABDEL-KHALIK: I still don't
7 understand what you mean by that. I mean the
8 correlation that you implement in the code, it's based
9 on local conditions.

10 MR. HO: That's correct.

11 MEMBER ABDEL-KHALIK: And the local
12 conditions are calculated by the VIPRE M code. So
13 what do you mean by compatibility? Do you go back to
14 the original database.

15 MR. HO: That's correct.

16 MEMBER ABDEL-KHALIK: - the local
17 conditions using VIPRE M?

18 MR. HO: Yes.

19 MEMBER ABDEL-KHALIK: All right, thank you.

20 MR. HO: Welcome.

21 MR. PAULSON: I guess there is a need for
22 consistency to make sure that the data that is
23 supported when used in the VIPRE are in the WRB-1 and
24 WRB-2 are consistent with what it was based on, so
25 that there is a consistency requirement that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 necessary I think.

2 MEMBER ABDEL-KHALIK: But the point, that's
3 already been done before.

4 MR. PAULSON: Well, but I'm not sure it was
5 done when we started using VIPRE. It may have been
6 built in later on, and then we're just looking for
7 that consistency.

8 Transient fuel model for the fuel rods are
9 modeling in VIPRE and are used for the transient
10 analysis. This is primarily, you look at the fuel rod
11 temperatures, fuel clad temperatures. The key
12 parameters for the fuel rod model are described in
13 the topical report. Properties, gap conductance, heat
14 transfer coefficients. And these are water reactions.

15 So that this has - I think - I don't know if VIPRE-01
16 did fuel clad temperature calculations. But in any
17 case it's done here.

18 General application of VIPRE-01 was
19 demonstrated by EPRI. The qualification of the
20 version that Mitsubishi has updated are focused on
21 validation of the application, and the newly
22 incorporated features that we mentioned,
23 representative calculations for typical steady state
24 transient analysis were compared with NRC-approved
25 codes, so that there is a validation process which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 goes on in the topical report, and it's available for
2 you to examine if you are so interested.

3 Conclusions: Mitsubishi's thermal design
4 methodology is based on NRC-approved computer program
5 and methodology. It uses the revised thermal design
6 procedure. It uses VIPRE and WRB-1 and WRB-2, all of
7 those I think are familiar by the NRC and are used as
8 part of the VIPRE code. VIPRE is an extension of the
9 code that has been approved by the NRC, which is
10 VIPRE-01 for subchannel analysis. The use of WRB-1
11 and WRB-2 has been validated on VIPRE, those analysis
12 results, and it's applicability to the Mitsubishi fuel
13 design have been demonstrated as part of the topical
14 report.

15 VIPRE-01M and WRB-1 and 2 have been
16 verified for thermal hydraulic design, and on LOCA
17 safety analysis requiring DNB evaluation, so DNB
18 evaluations can be performed and are used in
19 comparison with the limiting DNB values, and that is
20 used as a basis for the approval of our transient
21 analyses. And MHI submitted a topical report last May
22 that is well on the way, we think, based on questions
23 that we had and responses we're getting, staff
24 concurrence with that specific design.

25 MEMBER ABDEL-KHALIK: Well, back to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issue of the compatibility between WRB-1 and 2 and
2 VIPRE M, when that recalculation was done, was there
3 any change in the uncertainty associated with the
4 correlation predictions?

5 MR. HO: Allen Ho again. We did the
6 analysis and realized that the test data contribute to
7 limit error band, or uncertainty range, so to answer
8 your question it did not give us different conclusions
9 why the WRB-1 and WRB-2 would not be able to be used.

10 MEMBER ABDEL-KHALIK: But I'm asking, was
11 there a specific change in the uncertainty band of the
12 correlation predictions after the parameters were
13 calculated with VIPRE M versus the original
14 uncertainty band with the correlation when the
15 parameters were calculated using the THINK C code.

16 MR. HO: To that specific question I think
17 we need to consult the person who did that specific
18 analysis about the uncertainty band. I don't have
19 that answer to you now.

20 MR. PAULSON: We can get an answer to that.
21 You were asking if there was a difference in the
22 uncertainty.

23 MEMBER ABDEL-KHALIK: Yes, I mean that's
24 why you're doing that calculation.

25 MR. PAULSON: Okay, we can get you that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Okay, the last topical report we are going
2 to provide an overview of, and I'm pretty sure this
3 presentation will be tomorrow on the advanced
4 accumulator. But the topical report is one that has
5 been in to the NRC for quite awhile now, and has
6 provided a lot of interesting questions, and so we'll
7 go through the topical report, at least the overview
8 today. But we have two experts here as to how it's
9 used for safety analysis and how the original testing
10 that went on, and the tests that went on that I'll
11 describe in fairly broad concepts right now, but
12 you'll hear a lot more about those tomorrow.

13 US-APWR has adopted an advanced
14 accumulator which incorporates passive flow switching
15 from a large flow rate at refill to a small flow rate
16 for reflood activities during LOCA. The advanced
17 accumulator design is based on four-scale tests which
18 you will hear a lot about tomorrow; you'll hear a
19 little bit about it from me, but a lot more about it
20 tomorrow.

21 Principal and performance of the advanced
22 accumulators was evaluated as part of the test,
23 because there was a difference. Each of these tests
24 has a specific focus where they look at certain
25 elements of the advanced accumulator performance, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provide results as to how the advanced accumulator
2 will look - will perform during the various stages of
3 performance as the accumulator drains.

4 And we looked also at scalability so that
5 we were able to confirm the application of this to the
6 US-APWR.

7 Empirical formulae were developed for
8 these test results and are applied to the LOCA
9 analysis of the US-APWR. Specifically you will hear a
10 lot about that too as to how this information was put
11 in a form that could be used in the LOCA analysis for
12 - that ultimately will be in the DCD.

13 The present status, as I said, the topical
14 report, this was the one that we essentially changed
15 the schedule on because the NRC was specifically
16 interested in looking at this change. So we had that
17 to the NRC in January of 2007. The acceptance letter
18 was in March. The first set of RAIs were issued in
19 June, and the second set of RAIs were issued in August
20 of 2008, and the responses for both those that were
21 issued in 2007 and 2008 have been supplied to the NRC
22 now. So we don't know if there are going to be
23 additional ones, but today we are kind of up to speed
24 with respect to both questions and answers.

25 Contents of the report include an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 introduction, characteristics, design details,
2 confirmatory testing, concept of the safety analysis
3 model, how that was developed, and conclusions with
4 respect to performance of the advanced accumulator.

5 The advanced accumulator was incorporated
6 into the safety design of the US-APWR to provide the
7 low pressure injection function of the conventional
8 emergency core cooling system. The emergency core
9 cooling system in typical four-loop plants, and we'll
10 talk more about this as you know, has both low-head
11 and high-head pumps. There are several good reasons
12 for adding the advanced accumulator. One key one is
13 to reduce the number of active components in the
14 primary system. We were able to reduce the number of
15 primary components in the system by eliminating the
16 low-head pumps. The low-head pump function, as we'll
17 see as I go through the presentation, is supported by
18 the performance of the advanced accumulator.

19 The advanced accumulator functions
20 basically as a passive system, but looks like an
21 active system because you see two flow rates. The
22 flow rates changes partway through the LOCA
23 evaluation, and we'll talk a little bit about that.

24 There was another advantage too, and that
25 was the desire to utilize gas turbines, the emergency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gas turbine generators as the basis for power. That
2 was done as an availability improvement. These are
3 highly reliable gas turbines, and we've had NRC very
4 interested in the gas turbine performance also, and
5 have looked at top technical reports associated with
6 the gas turbine. It's been done.

7 But the gas turbines don't start up quite
8 as quickly as the emergency diesel generators do.
9 Emergency diesel generators, we believe, are much less
10 efficient as the gas turbine generators that we
11 provided, so that provided as second benefit for
12 utilizing the advanced accumulator because we can
13 justify utilization of the gas turbines even though it
14 takes a little longer for them to get up to full power
15 and be operable as part of initiation and operation of
16 the ECCS system.

17 This - I think I said all of that, kind
18 of, I kind of summarized that a little more broadly in
19 what I just said, so we can move on.

20 This chart identifies the performance in
21 fairly simple graphic as to how the advanced
22 accumulator flow changes, and how it relates to the
23 necessary flow associated with large break LOCA.
24 There is automatic switching of the injection flow
25 rate by a flow damper. I have some pictures of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as we go along.

2 We'll have a little more about that. The
3 red line here shows the necessary flow in order to
4 meet ECCS criteria, specifically clad temperatures and
5 so forth. The blue outer line shows the flow
6 associated with the advanced accumulator, and I think
7 you can see this. If you look down in here, this is
8 the flow from the safety injection pump with the
9 safety injection flow starting up at this point in
10 time. This flow has not been added to this flow; this
11 is only the flow coming from the advanced accumulator.

12 So if you want the total flow to the core you would
13 have to add this yellow piece up to the blue line, but
14 that hasn't been done. But just to give you an idea
15 as to what the total flow is at that point in time
16 into the vessel, it's the sum of those two.

17 What happens of course is that the
18 advanced accumulator triggers provides a very rapid
19 flow, high flow rate, into the downcomer region during
20 the blowdown and refill time period. At a point in
21 time that that flow switches, switching in this case,
22 I'll talk a little more about that. It's a very
23 simple process as to how that happens, and it's a
24 passive process. It goes to a much lower flow rate
25 which continues on for a certain period of time, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 then flow from the advanced accumulator stops, and all
2 the flow that is necessary to maintain long-term
3 cooling is supplied by the high-head safety injection
4 pumps.

5 So those are the regions to look at. The
6 red line is what you need. The blue line is what
7 comes from the advanced accumulator, and the yellow
8 box shows the amount of flow from the safety injection
9 pumps once they're started up and in operation.

10 MEMBER SIEBER: For auxiliary power start,
11 the largest break LOCA is the most important break.
12 Have you done these for smaller break LOCA sizes to
13 see what the response will be and make sure everything
14 matches?

15 MR. PAULSON: Right, we've done a spectrum
16 of breaks.

17 MEMBER SIEBER: Are they in the report or
18 not?

19 MR. PAULSON: Are they - is the -

20 MEMBER SIEBER: The only one I saw was this
21 one.

22 MR. PAULSON: This is our typical chart.
23 But have we done in the topical report a spectrum of
24 breaks?

25 MEMBER SIEBER: Different pressures,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different back pressures.

2 MR. PAULSON: We are going to talk about,
3 by the way, the testing that went on with different
4 back pressures tomorrow.

5 MR. HAMAMOTO: This is Hiroshi Hamamoto.
6 And I took the liberty of including such a step
7 transposes small line break LOCA, mid-line break, and
8 larger line break LOCA. So include topical lab
9 report, such spectrum analysis.

10 MEMBER SIEBER: That is in the topical
11 report then? I saw at least three different flow
12 regimes, I mean break sizes, in the results.

13 MEMBER ARMIJO: A general question, when
14 this thing operates is the water temperature high,
15 low, and secondly, what happens with nitrogen at the
16 end of that discharge period?

17 You don't have to answer it now, but that
18 is something -

19 MR. PAULSON: That will be covered, but the
20 nitrogen, the design is to prevent nitrogen from
21 getting into the primary system if that is your
22 question. But we also looked at dissolved nitrogen as
23 part of the testing, which has had - we've looked at
24 basically saturated water, saturated nitrogen. It had
25 no effect, or very minimal. But you will hear more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about that tomorrow.

2 But this chart then just compares what you
3 would normally see in the current U.S. four-loop
4 plant. I think I have covered most of these things
5 already, but the point is that the advanced
6 accumulator really takes the place of those low-head
7 pumps, and based on this performance - and of course
8 this performance overall, the spectrum of breaks, has
9 to be verified, but it does very effectively
10 substitute for the performance of the low-head pumps.

11 So ultimately, and then the high-head
12 pumps come into play and maintain flow that is
13 necessary for long-term cooling, which is true for the
14 US-APWR. Here you have both the low-head and the
15 high-head pumps supplying water for long-term cooling.

16 MEMBER SIEBER: So you have to lay the
17 decay heat curve on top of all this to make sure that
18 it's appropriate.

19 MR. PAULSON: Are acceptable, that's right.

20 MEMBER SIEBER: Or the BWR folks,
21 accumulators have been used in PWRs for some time.
22 The unique part of this is a variable flow. It's much
23 larger, and it has a variable flow rate associated
24 with it.

25 MR. PAULSON: Right, in the next couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 slides I show some of that, how that happens.

2 Just as a reminder, I think I have
3 presented this to you already, but it's to show you
4 that if you look at the flow from the accumulators, it
5 goes directly into the cold legs. If you look at the
6 flow from the high-head safety injection pumps, it's
7 direct vessel injection. Direct vessel injection is
8 another one that we evaluate, where we evaluate the
9 break in one of those lines. That's a part of the
10 spectrum of breaks going all the way down to the
11 direct vessel injection.

12 But this just shows that the flow comes
13 from the in-containment refueling water storage pit.
14 It's supplied to the safety injection pump. When it's
15 the safety injection pump, it goes directly into the
16 vessel. When the flow comes from the accumulators, of
17 course the accumulators are loaded in and of
18 themselves with water, that goes directly into the
19 cold legs.

20 This is a model of what the advanced
21 accumulator looks like, and includes the device that
22 is inside the accumulator that causes the flow
23 switching. It has some very basic systems to it, and
24 is a very simple principle actually. What happens is,
25 the flow switching occurs because early on in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transient there are two flows coming together to
2 provide flow that goes in to the vessel through
3 advanced accumulator connected to the cold leg. So
4 you have two flow rates coming in. One of those flow
5 rates is shut off as part of the reduction in the
6 amount of water in the advanced accumulator. The
7 advanced accumulator level comes down and reaches this
8 point in the accumulator. This is - it's called a
9 standpipe. It's a standpipe which contributes a
10 substantial amount of flow early on, because you get
11 flow coming that goes down directly into the
12 standpipe, and then directly into this vortex chamber.

13 I'll talk a little more about the vortex chamber, but
14 it is one of the two sources of water that are
15 available for direct injection into - or ultimately
16 injection into the vessel, and provide basically the
17 water to refill the downcomer.

18 So that is a dominant source. But once
19 the level of the water goes below that standpipe there
20 is no more contribution from it. There is water still
21 in the standpipe for a little while, but it stays
22 there. About the only contribution then is from the
23 water coming in from this small flow pipe which is
24 down here at the bottom which joins together in the
25 vortex chamber with some of the tube, being the total

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flow early on. So you get the high flow coming down
2 the standpipe, and the small flow coming in from the
3 side of the vortex chamber, the sum of those two
4 providing the water that ultimately goes into the
5 vessel and then into the core. So it's the sum of
6 those two that are contributing total flow early on,
7 but only the small flow pipe later on once the level
8 falls below the standpipe.

9 MEMBER ABDEL-KHALIK: Now check valves at
10 the inlet to accumulators for current BWRs are known
11 to leak, so how do you control level during operation
12 for this accumulator?

13 MR. PAULSON: Is there a way to add, or is
14 the level in the accumulator checked during shutdowns?

15 He will step up. She's translating for
16 him.

17 I think the question is, how can we be
18 assured that the water level is maintained in the
19 accumulator, and how that is verified.

20 MR. HAMAMOTO: This is Hiroshi Hamamoto.
21 The concretion to the injection lines is same as
22 current BWR. So the leakage from the check barrels
23 seldom occurs, but some leakage occurs into the
24 accumulator. We can check by the water level in leak
25 to the advanced accumulator by the water level.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: So how do you
2 maintain that level within tech specs?

3 MR. HAMAMOTO: We describe water level
4 limit in the - described in the tech spec.

5 MEMBER ABDEL-KHALIK: How do you maintain
6 that - how do you assure that the level meets the tech
7 spec requirement? I presume it's the same way it's
8 done in current accumulator.

9 MR. HAMAMOTO: Our experience is the same
10 as normal operations, it does not change at such a
11 level even if we - even if leakage occurs, we maintain
12 the water from the accumulator.

13 MEMBER ABDEL-KHALIK: All right, thank you.

14 MR. PAULSON: In any case that is basically
15 the function. So can you back up a slide?

16 So when you see this switching here at
17 this point of the blue line, this rapid falloff,
18 that's when the standpipe level, the level of the
19 water goes below the standpipe. This is now the small
20 flow coming in the side of - into the vortex area.

21 All right, we can move on. Was there any
22 additional questions? There was one component I
23 didn't mention you will hear a lot about tomorrow, but
24 it's the cap on that standpipe, and that is to reduce
25 a vortex from forming once the change occurs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually, as a way of significantly reducing any type
2 of vortices that occur at that time, and you'll hear
3 more about that tomorrow.

4 CHAIRMAN MAYNARD: And you will probably
5 get into it tomorrow. Also you get some overshoot or
6 undershoot from momentum in that standpipe too, and I
7 think that is accounted for or at least discussed in
8 your topical report.

9 MR. PAULSON: It is. It is. The other
10 thing, too, I didn't mention in that vortex chamber,
11 the flow in that vortex chamber when you have flows
12 coming from both the standpipe and the side entrance,
13 it rushes into that vortex chamber. The vortex
14 chamber essentially doesn't see anything other than a
15 stream of water going directly up to the pipe into the
16 vessel.

17 But once there is that change the vortex
18 is designed so that flow goes around the vortex and
19 then into the line, and that flow around the vortex is
20 what is part of the design process to ensure that the
21 flow goes up to and into the core during the small
22 flow part of the transient.

23 CHAIRMAN MAYNARD: And there will be some
24 discussion tomorrow on it, I believe it will take just
25 a little bit of time to get that vortex started, once

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you have the big pipe and the small pipe coming in
2 there with no vortex, and that big pipe ends, that
3 vortex isn't going to form just immediately there, so
4 there has to be some time delay there.

5 MR. PAULSON: I suspect there is some water
6 residual in the vortex chamber, it's still there that
7 goes in. But Shiraishi-san will talk to you about
8 that tomorrow. He's the expert on that.

9 MEMBER ARMIJO: What happens if one of
10 these things discharges during normal operation?

11 MR. PAULSON: The pressure is too low. It's
12 about 640 psi. System pressure is 2,250.

13 MEMBER SIEBER: So if it leaks during
14 operation -

15 (Simultaneous speakers.)

16 CHAIRMAN MAYNARD: - behind a check valve,
17 and if the RCS pressure drops below 600 pounds -

18 (Simultaneous speakers.)

19 MR. PAULSON: Tomorrow you will see four
20 tests. And these are actual tests; they are not
21 animated tests; that occurred that Dr. Shiraishi-san
22 will show you tomorrow. But these tests were
23 performed specifically to look at performance, the
24 type of performance you would see by the advanced
25 accumulator under different conditions, both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conditions where you would have flow coming from both
2 locations, standpipe and from the side, and also
3 confirmation of how the impact once there is that
4 change occurring at the standpipe what happens at that
5 point. We also look at what happens inside the vortex
6 chamber, which I think is obviously, based on the
7 questions, of interest to all of you. And we will
8 actually - some of it was demonstrated using visual
9 testing, some of the initial testing, some of this
10 smaller testing. This actually is a test in a system
11 that you can carry around with you. I mean you don't
12 carry it in a suitcase or anything, but you can take
13 it to different locations to demonstrate the
14 performance of that.

15 But then we had roughly a third scale
16 test, one over 3.5, one over 5, each of these looking
17 at different aspects, whether it was the performance
18 of the caps, numerous types of caps for the standpipe,
19 and also for a flow characteristic, both the flow
20 characteristics, both flow from both locations, and
21 then flow characteristics during low flow, based on
22 the vortex chamber. And then we actually had a full
23 high pass scale test, which really provides us data as
24 to the applicability of this and scalability of the
25 results to a full scale system, and that was performed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 also.

2 MEMBER ABDEL-KHALIK: Is there a need to
3 seismically qualify the standpipe?

4 MR. PAULSON: Seismically qualify the
5 standpipe?

6 MEMBER ABDEL-KHALIK: Within the
7 accumulator?

8 MR. PAULSON: Yes, I think there is.

9 (Simultaneous speakers.)

10 MR. PAULSON: This is a model of the full
11 scale tests, nitrogen tank, evaporator. This is the
12 test tank in which the test was performed. This is
13 where some of the testing goes on. And then the
14 discharge tank or the exhaust tank where the ultimate
15 flow ends up.

16 So it's a fairly elaborate system, and
17 although it's called half scale, it was a full height
18 test, so that the effects of the level were consistent
19 with what you would see in the advanced accumulator.

20 MEMBER ABDEL-KHALIK: Back to the issue of
21 seismic qualification, seismic qualification of the
22 accumulator as a unit including this standpipe, what
23 is failure?

24 MR. PAULSON: What defines failure?

25 MEMBER ABDEL-KHALIK: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PAULSON: What would define failure? I
2 don't know, Dave, do you have any idea? I presume it
3 has something to do with the performance and
4 maintenance of that specific system to perform. But I
5 don't - I don't think there is any major deformation
6 expected based on the supports, but it would be
7 failure to perform its function during a LOCA, but I
8 don't know what that is.

9 (Simultaneous speakers.)

10 CHAIRMAN MAYNARD: Can we take that as a
11 take away for tomorrow's session? Because typically
12 you're right, failure is defined as when it can no
13 longer perform its design function, but I think some
14 more clarification of that.

15 MR. PAULSON: That's the best I can do, but
16 we can come back. If we don't have the answer, we may
17 be able to get it tonight.

18 Okay, so this was I think a critical test
19 for getting to the point of demonstrating essentially
20 applicability of the design to a full scale
21 application of it.

22 These were the cases that were performed,
23 the testing, you will see some of the testing that
24 went on defined in terms of case one, case two, case
25 three, case four. You will see what was looked at was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 variations of the tank pressure, and variations of the
2 exhaust tank pressure. The exhaust tank provides a
3 back pressure essentially to show you variations of
4 flow over a range of back pressures, and pressures
5 inside of the accumulator. And so we obtained data
6 for all of those, and there will be more discussion of
7 that later, or tomorrow I think.

8 The type of data, it's too hard to read,
9 but it does give you some idea of the type of data
10 that was collected as part of the process. It looks
11 at and provides you, shows you the level of the vortex
12 at the vortex cap. It shows you some additional
13 information just to give you an idea of the type of
14 data that was collected, and how it was collected.

15 MEMBER SIEBER: What is the normal
16 operating pressure in the accumulator during normal
17 operations?

18 MR. PAULSON: About 640 psi.

19 The correlations were critical, because if
20 you couldn't correlate the data you have to put in
21 data some other way. But we found a very - that the
22 data was very correlatable based on a couple of
23 nondimensional quantities. That will be discussed in
24 detail tomorrow, but this shows you the data, and that
25 the data can be easily represented using the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dimensionless quantities, this cavitation factor and
2 flow coefficient, and that will be discussed in detail
3 tomorrow also.

4 MEMBER SIEBER: What is the design pressure
5 of the accumulator shelf?

6 MR. PAULSON: Seven hundred I think.

7 MEMBER SIEBER: The design pressure of the
8 shelf.

9 MR. PAULSON: The outer shelf.

10 MEMBER SIEBER: If the check valve fails,
11 the reactor coolant pressure goes in there, is that an
12 automatic LOCA?

13 MR. PAULSON: I think there are two valves.
14 Are there two valves?

15 MEMBER SIEBER: There is a manual valve.

16 MR. PAULSON: Are there two check valves?
17 So it's redundant. The protection is redundant.

18 So the conclusion is, the advanced
19 accumulator design has been validated for four
20 different scale tests. These test evaluations have
21 been demonstrated that the results of the advanced
22 accumulator, and the features of the advanced
23 accumulator are consistent with what has been built
24 into the LOCA calculations, and that the test data
25 taken in the experiments covered a wide range of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expected performance, and the applicability of the
2 system installed in US-APWR under the conditions for a
3 LOCA.

4 MEMBER ARMIJO: This is just a request:
5 when you get to the detailed presentation, some of us
6 are not as familiar with accumulators in general, if
7 your presenters could give a little brief tutorial
8 about the normal operating pressures, the normal boric
9 acid, how it's filled, what the concentrations are,
10 just to get a feeling for how this machine normally
11 operates, not just in the accident condition.

12 MR. PAULSON: All right. It doesn't
13 operate; it just sits there.

14 MEMBER ARMIJO: It's got to get filled.
15 It's got to get filled, it's got to get pressurized,
16 all of that.

17 MR. PAULSON: One thing I didn't mention,
18 it's a nitrogen gas, it's pressurized with nitrogen
19 gas.

20 MEMBER ARMIJO: But the initial water, the
21 water that is inside the accumulator comes from
22 somewhere, and is it a special source. Is the boron
23 different?

24 MR. PAULSON: Those are good questions. We
25 will try and get the answers to those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Okay. The tests investigated the features
2 of the advanced accumulator, and we believe
3 demonstrated performance consistent with what we were
4 both looking for, what we needed in terms of key
5 parameters with respect to performance during LOCA
6 evaluations. We were thankful that empirical
7 correlations do work, because it makes it a lot easier
8 with respect to putting that type of information into
9 the LOCA codes as opposed to trying to enter data.

10 And the MHI submitted a topical report
11 last January, and have had extensive review. I think
12 several branches have reviewed that, from different
13 perspectives, I think both research and the technical
14 branches have reviewed it and have provided us
15 questions, and we have provided responses.

16 That's it.

17 MEMBER ARMIJO: I believe this pretty much
18 ends the open session. The rest of the presentations
19 are going to be closed.

20 MR. COLEMAN: We have a section for public
21 comments on the agenda for right now.

22 MEMBER ARMIJO: Any problem moving that up
23 before the break?

24 CHAIRMAN MAYNARD: I would suggest just
25 having a little longer break and keeping to that if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can.

2 MEMBER SIEBER: That's a good idea.

3 (Laughter.)

4 MEMBER SHACK: Since we've got a minute let
5 me ask a question. We've gotten copies of your
6 topical reports, as PDF files. We now have a big
7 something to carry in case we need exercise. But
8 those PDFs are scans. Could we get real PDFs? These
9 are searchable, because at least the ones we've got,
10 they have done an optical character recognition, so
11 you can do that. But as Sam says, if there are color
12 charts in here and we are looking at a black-and-white
13 scan, you are losing information.

14 MR. PAULSON: Is that possible? Can we do
15 something like that?

16 (Off the record comment.)

17 CHAIRMAN MAYNARD: The ones we have are
18 scanned. They came out of ADAMS, so you submitted
19 these presumably, then somebody at the NRC scanned
20 them and put them in to ADAMS. Those are the official
21 agency records.

22 MEMBER SIEBER: I think we are probably
23 more interested in user-friendly versions.

24 (Simultaneous speakers.)

25 MR. PAULSON: If it is all right with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC, I think we could probably send you a PDF file.
2 But I don't want to do anything that is inconsistent.
3 We'd want it to be the same as what went into the
4 ADAMS file.

5 MEMBER ABDEL-KHALIK: If we have a minute,
6 if you could go back to the accumulator in leakage
7 possibility during operation. I understand that you
8 can maintain level control through drainage, but how
9 do you maintain boron concentration, especially near
10 the end of life, if the in leakage is water with low
11 boron concentration, and if that is significant, then
12 the boron concentration in the accumulator would
13 change significantly.

14 How do you maintain boron concentration
15 within the accumulator within tech specs?

16 MR. PAULSON: Hamamoto-san may need a
17 translation, but the question is, boron concentration
18 -

19 MR. HAMAMOTO: How to maintain the boron
20 concentration, we make tech specs requirement for the
21 boron concentration. So we make sampling in
22 accumulator boron concentration. So we control the
23 boron concentration by sampling.

24 MEMBER ABDEL-KHALIK: So if you have this
25 leakage you bring the level down by drainage and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somehow you inject -

2 MR. HAMAMOTO: If over the limit, we drain
3 and if we can't control within tech spec requirement,
4 we need to shut down the plant. That's the
5 requirement of -

6 MEMBER ABDEL-KHALIK: So there is no way of
7 increasing boron concentration in the accumulator
8 during operation; is there or isn't there?

9 MR. HAMAMOTO: You are asking our
10 experience -

11 MEMBER ABDEL-KHALIK: Let me ask the
12 question in a more direct way.

13 Is there any way to increase the boron
14 concentration in the accumulator following a dilution
15 due to in-leakage through the check valve?

16 MR. HAMAMOTO: Through the check valve?
17 The reactor coolant systems are boron low. So we are
18 comfortable within the tech spec requirements by the
19 sample. If leakage occur, and deviate from tech spec
20 requirement, we try to control the boron
21 concentration. But even if we can't do the - keep
22 such a limit, we tech spec request to shut down the
23 plant.

24 MR. PAULSON: I think that is a good
25 answer. We can feed and bleed is the answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MAYNARD: That's the way the
2 current ones do. You can add, and you can drain, so
3 it's basically a feed and bleed operation. You may be
4 having to take an allowed outage time, you may be into
5 a tech spec action statement while you are doing that
6 evolution; you would have a certain amount of time.
7 But you can feed and bleed basically and change the
8 boron concentration.

9 MEMBER ARMIJO: Otto, that's during
10 operation? That's typical.

11 CHAIRMAN MAYNARD: During operation.

12 MEMBER ARMIJO: That's typical, so you can
13 add borated water to maintain whatever concentration
14 you want?

15 CHAIRMAN MAYNARD: Yes.

16 MEMBER ABDEL-KHALIK: And the injection
17 that is done for this feed and bleed operation is done
18 with which pumps?

19 MR. HAMAMOTO: From our safety injection
20 pump from the liquidating water feed.

21 CHAIRMAN MAYNARD: I don't know what their
22 design is, but the designs typically have a charging
23 pump available.

24 MEMBER ABDEL-KHALIK: That is why I asked
25 him.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HAMAMOTO: Generally we use feeder pump
2 is used by the safety injection pump. So the
3 concentration by the - if the change of the
4 concentration is very little we use the safety
5 injection pump. But if the concentration changes a
6 lot, we use charging pump.

7 MEMBER ABDEL-KHALIK: I'm just trying to
8 understand how gradual this process is. So if you are
9 using the safety injection pump in a situation like
10 this, in a feed and bleed operation, to adjust both
11 inventory and the boron concentration, so what is the
12 capacity of the safety injection pumps when the
13 discharge pressure is 640 psi?

14 MR. HAMAMOTO: It would depend - I need to
15 check.

16 CHAIRMAN MAYNARD: It usually exceeds what
17 your drainage line capability is for your accumulator,
18 and especially for this, and you are talking about a
19 very large accumulator, and your leak rates allowed
20 for check valve leakage is extremely low, so this is
21 not something that is going to happen quickly. You do
22 - are required to take chemistry samples periodically.

23 MEMBER ABDEL-KHALIK: Well, I'm concerned
24 about the opposite problem, where the flow rate of the
25 SI pumps may be significantly higher than the out-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 leakage rate, and then you get into a situation where
2 the pressure inside the accumulator would actually
3 oscillate up and down significantly, and may exceed
4 the design value of 750 psi.

5 CHAIRMAN MAYNARD: I think for a large
6 accumulator even with a higher psi pump load you still
7 have that nitrogen blanket. You are not going to be
8 changing pressure rapidly, and it is a very controlled
9 - I think those are good questions when we get into
10 the actual primary system design and the CVCS, the
11 chemical volume control system and how that works. I
12 think those are very good questions, and exactly how
13 that can be done.

14 MEMBER ABDEL-KHALIK: Thank you.

15 MR. PAULSON: And I think it's probably
16 done very similar to the way it's done on current
17 BWRs. An accumulator is an accumulator, and it's
18 about the same pressure.

19 CHAIRMAN MAYNARD: I would agree. We just
20 can't make that assumption.

21 MR. PAULSON: That's right. But they are
22 good questions.

23 MEMBER SIEBER: And the accumulator is not
24 used for reactivity control.

25 CHAIRMAN MAYNARD: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You have other systems.
2 (Simultaneous speakers.)

3 CHAIRMAN MAYNARD: Okay, do we have any
4 other questions for the open session here?

5 With that, according to our designated
6 federal representative here, we are going to end up
7 with a longer break here. We will come back at 10:30
8 I believe is what the schedule calls for, to see if
9 there is any public comment. And then right after
10 that we will go into the closed session.

11 (Whereupon 9:53 a.m. the proceeding in the above-
12 entitled matter went off the record and
13 resumed at 10:30 a.m.)

14 PUBLIC COMMENT

15 CHAIRMAN MAYNARD: Okay, I'd like to call
16 the meeting back to order, and we are on the agenda
17 for members of the public to make comments.

18 Do we have any members of the public who
19 would like to make comments? No comments?

20 Well if we have no comments from the
21 public then we are ready to move into the closed
22 session. So I would like our federal representative
23 and Mitsubishi to identify and make sure that we have
24 the room clear of anyone who doesn't have an
25 agreement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: How about the phone? Is
2 there anybody on the phone?

3 CHAIRMAN MAYNARD: is there anybody on the
4 phone?

5 MR. BROWN: No.

6 (Whereupon at 10:31 a.m. the proceeding in the above-
7 entitled matter concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



Overview of Staff Reviews of Mitsubishi Topical Reports

To:

Advisory Committee on Reactor Safeguards

By:

Ruth C. Reyes, Project Manager
U.S. Nuclear Regulatory Commission

October 23, 2008

Purpose

- Provide overview status of the NRC staffs' review of five US-APWR Topical Reports
- Address the Committee's questions

LOCA Mass and Energy Release

- Topical Report requests approval of methodology for calculating the steam, water and nitrogen releases from postulated reactor coolant piping breaks.
- The methodology in the topical report is based on previously approved methodologies
- Review focused on applicability of the previously approved methodologies to the US-APWR design

LOCA Mass and Energy Release (cont'd)

- Special features which would impact the discharge to the containment building during a LOCA include the advanced accumulators, the heavy neutron reflector within the reactor vessel and the in-containment refueling water storage pit
- Staff issued 4 RAIs, received timely and complete responses
- Revision 1 and 2 submitted in response to RAIs
- Draft Safety Evaluation Report prepared and provided to ACRS

US-APWR Advanced Accumulator (ACC)

- Topical Report requests approval of ACC design and the characteristic equations for large- and small-flow rates for safety analyses
- Review is focused on applicability of the scaled test data to full scale ACC
- RAIs issued, responses received and under review
- Revision 1 and 2 submitted in response to RAIs
- Safety Evaluation Report expected in June 2009

Fuel Design Criteria and Methodology

- Topical Report requests approval for the Mitsubishi fuel design criteria and methodology and the FINE fuel rod design code
- Review is focused on applicability of the empirical database to proposed fuel criteria and also on ability of FINE to model standard test cases
- RAI process underway
- Safety Evaluation Report expected in July 2009

FINDS: Mitsubishi Fuel Assemblies Seismic Analysis Code

- Topical Report requests approval for the Mitsubishi seismic analysis code, FINDS, for use in the DCD and also in the Fuel Design Criteria and Methodology topical report
- Review is focused on applicability of the empirical database to APWR fuel design and on obtaining additional test data to support the design
- RAI process underway
- Safety Evaluation Report expected in July 2009

Thermal Design Methodology

- Topical Report requests approval of VIPRE-01M, a Mitsubishi version of the approved VIPRE-01 code
- Modifications include addition of a DNB correlation and minor changes
- Review is focused on VIPRE-01M's applicability to PWR cores with MHI fuel
- RAI issued, responses received and under review
- Safety Evaluation Report expected in April 2009

Summary

- Four topical report reviews underway
- Draft Safety Evaluation Report prepared for LOCA Mass and Energy Release Topical Report