

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Materials, Metallurgy and Reactor Fuels
Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, April 3, 2007

Work Order No.: NRC-1512

Pages 1-155

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SUB-COMMITTEE ON MATERIALS, METALLURGY AND REACTOR

FUELS

+ + + + +

TUESDAY,

APRIL 3, 2007

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. J. Sam Armijo, Chairman, presiding.

MEMBERS PRESENT:

- J. SAM ARMIJO Chairman
- WILLIAM J. SHACK ACRS Member
- THOMAS S. KRESS ACRS Member

NRC STAFF PRESENT:

- RALPH CARUSO
- ANTHONY MENDIOLA
- SHIH-LIANG WU
- PAUL CLIFFORD
- HAROLD SCOTT

1 ALSO PRESENT:
2 CARL BEYER
3 ROBERT MONTGOMERY
4 ODELLI OZER
5 GARY DARDEN
6 NAYEM JAHINGIR
7 ROB SISK
8 BURT DUNN
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

Introduction and Opening Remarks	3
Updates to SRP Section 4.2 fuel design review staff guidance	7
RIA Interim criteria and guidance	16
Interim RIA Criteria - Industry Comments	81
Other SRP 4.2 Changes - Industry Comments	123
Anticipated Impact of Proposed SRP 4.2 On Industry	138

P-R-O-C-E-E-D-I-N-G-S

(8:29 a.m.)

CHAIRMAN ARMIJO: The meeting will now come to order. Do we have a -- is that our microphone there? Okay. Great. That's an improvement.

This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Materials, Metallurgy, and Reactor Fuel. I am Sam Armijo, Chairman of the Subcommittee. Subcommittee members in attendance are Bill Shack and Tom Kress.

The purpose of this meeting today is to discuss proposed staff revisions to the Standard Review Plan Section 4.2, "Fuel System Design." The Subcommittee will hear presentations by and hold discussions with the NRC staff, their contractors, and other interested persons regarding these matters.

The Subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions, as appropriate, for deliberation by the full Committee. Ralph Caruso is the designated federal official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on March 20, 2007. A transcript of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 meeting is being kept and will be made available as
2 stated in the Federal Register notice. It is
3 requested that speakers first identify themselves and
4 speak with sufficient clarity and volume so that they
5 can be readily heard.

6 I would also like to remind the Members
7 that the Committee has determined that speakers should
8 be allowed the first ten minutes of the presentation
9 time without questions from the Members. We have
10 received several requests from nuclear industry
11 organizations to make presentations, and they have
12 been included in the agenda for the day.

13 We will now proceed with the meeting, and
14 I call on Mr. Anthony Mendiola of the staff to begin.

15 MR. MENDIOLA: Thank you, sir. Good
16 morning, everyone. As a matter of introduction, my
17 name is Anthony Mendiola. I am the brand new Branch
18 Chief for the Nuclear Performance and Code Review
19 Branch.

20 I've only been in the job about a month
21 and still learning a lot of the things that we're
22 doing and in this case still learning a little bit
23 about the status and the history behind what we've
24 done with Standard Review Plan Section 4.2, "Fuel
25 System Design."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also, to let you know, I'm also suffering
2 a little bit from the hay fever, so excuse ahead of
3 time if I sniffle and/or my voice changes during the
4 course of the presentation.

5 The purpose for my part of the
6 presentation today is to introduce my staff, which
7 will be making the majority of the presentation. The
8 staff appears today in front of the Subcommittee to
9 perform an informational briefing, information update
10 on the staff actions thus far with the Standard Review
11 Plan 4.2 updates.

12 The Standard Review Plan SRP updates were
13 something that we as staff had considered for a period
14 of time but, of course, became much more of an
15 imperative in the last couple of years due to the fact
16 of the goal to have the SRPs updated in time for the
17 COL applicants, which are expected toward the end of
18 this fiscal year and have them in place six months
19 before those applicants came into the NRC with their
20 applications.

21 The presentation consists of two parts
22 today. The first part, of course, is a detailing of
23 the revisions to SRP Section 4.2, and the second part
24 is a conversation and information associated with the
25 reactivity-initiated accident interim criteria, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is Appendix B of the revised SRP. We will not have a
2 discussion about the changes associated with 50.46(b)
3 except its criteria, as research is still continuing
4 their work on those topics.

5 The revision to the SRP 4.2 basically is
6 to provide the staff guidance regarding the review of
7 new fuel system designs that have been updated to
8 capture a variety of lessons learned from a variety of
9 sources over the years. These sources are outlined
10 here on the slide, but most of them I'm sure most
11 folks in the room are familiar with.

12 Industry operating experience, various
13 fuel research programs, and the review of advanced
14 fuel designs and advanced cladding materials have led
15 us to revisit the material in SRP 4.2 and to basically
16 update it from the previous versions. As I mentioned,
17 it became the opportunity to revisit the criteria, and
18 the staff has developed RIA interim criterion
19 guidance to support the new reactor licensing that we
20 expect at the end of this fiscal year.

21 We've had industry comments. We've
22 received a variety of Industry comments based
23 primarily around the two public workshops that we had
24 at the end of 2006, and I'm certain we'll get
25 additional comments as we get closer and closer to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COL applications arriving at the NRC.

2 As I mentioned, SRP Section 4.2 Appendix
3 B specifies new restrictive fuel cladding failure
4 criteria, discusses core coolability criteria and the
5 radiological source term, and presentations later will
6 get into much more detail than I can offer at this
7 point. We are currently finalizing our criterion
8 guidance and will make the necessary revisions to the
9 Reg Guides associated with this part of the SRP.

10 That's fundamentally just an introduction.
11 I have two staff members that will be making the
12 presentation. The first part of the presentation will
13 be the revision of the actual SRP, and Dr. Shih-Liang
14 Wu will be conducting that part of the presentation,
15 and then when we discuss the RIA interim criteria, Dr.
16 Paul Clifford of my staff will be performing that part
17 of the presentation.

18 So, beyond that, if there's any questions,
19 I'd like to ask Dr. Wu to come up front.

20 And for everybody's information, of
21 course, there's handouts in the back of the
22 presentations the staff will be making today.

23 DR. WU: Good morning. My name is Shih-
24 Liang Wu. I have been working on SRP now for all
25 these years, so is the opportunity for me to present

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the new update in our -- the version of the --
2 the version in March of this year, the updated
3 version.

4 Let me just start. Now this slide, we're
5 just trying to run down, you know, the history of the
6 SRP, so we start with the July 1981 and then the April
7 1996 and then the March this year.

8 So the SRP 4.2 is based on the 1996
9 version, and then we tried to update, and then as
10 Tony, you know, mentioned earlier that we took this
11 opportunity to update based on the present feelings
12 with the industry lessons learned and research, you
13 know, data and also recent review of the advanced fuel
14 and design and also the new cladding material.

15 And then I just -- I tried to run through
16 in order a little bit quickly, because this is just a
17 structure that, you know, familiar with, that is
18 familiar with the way we design. You know, all these
19 are straightforward. The SRP is based on -- the
20 structure has design bases, description, and design
21 drawing and the design evaluation. And then design
22 bases has -- you know, there's three category, fuel
23 system damage and the fuel rod failure and the fuel
24 coolability.

25 And the fuel system damage has -- we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 listed eight items now, and from here on, okay, I will
2 only present those we changed. Those I do not present
3 in an item, that means we did not -- either we did not
4 make any changes, or there is little change, which it
5 means little change I mean there is some - there is no
6 significant, you know, technical change.

7 Okay. So the first item we made change is
8 the oxidation, hydriding and the crud, and now this
9 item is -- in the past, in our old SRP, we only
10 mentioned that you need to consider, you know, thermal
11 effect in the fuel performance, you know, in terms of
12 oxidation, but the current version we talk about a,
13 you know, unspecific limits, and then these limits has
14 to be based on mechanical testing to show, you know,
15 adequate strength and ductility.

16 Well, let me just say I know we understand
17 that oxidation and the crud is sometimes to difficult
18 to distinguish, so I understand the Industry usually
19 do not, you know, specifically specify how much the
20 oxidation, how much the crud, because there were these
21 measurements, so all these letters I would like to
22 just say early that all these are guidelines. That
23 doesn't means that you're strictly you had
24 distinguished and how much is oxidation, how much the
25 crud.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next slide shows, you know,
2 dimensional changes, and the same thing. The raw
3 growth and the irradiation growth are old items, and
4 then the third item, the fourth item, that means you
5 can see that this is the PWR recently about just, you
6 know, that recently we just -- our experience showed
7 the channel box can cause in the -- the channel box
8 causing the control plate insertion problem, and then
9 this channel box pole is causing differential
10 irradiation growth, and it showed corrosion and the
11 stress relaxation.

12 Especially this shadow corrosion is a new
13 phenomenon, and that's the reason that we include it
14 in this. So this is one example we use in -- we call
15 in our industry, you know, experience learned, lesson
16 learned, and so in this case we -- in the number four
17 we said in the PWR we may require in the future, you
18 know, testing of severity to ensure control clad
19 insertion pellet, but actually, my understanding is
20 the Industry already -- you know, BWR Owners' Group
21 has put out they call guidelines for period
22 surveillance.

23 And then the next item is the rod internal
24 gas pressure. The first -- the number one -- the
25 first one, it says fuel and burnable poison rod

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internal gas pressure remains below the system
2 pressure. This is a very old criteria.

3 Now the second one is rod internal
4 pressure is allowed to exceed the system pressure
5 based on these, you know, three conditions: no
6 cladding liftoff and no hydride reorientation and no
7 DNB propagation. And then based on these you can
8 allow it to exceed system pressure, and my
9 understanding is that most industry already, you know,
10 exceed system pressure based on the second, based on
11 these, you know, the criteria on the second item. So
12 this also say, demonstrate that all these, you know,
13 fuel criteria is evolved through all these years.

14 MEMBER SHACK: But if the old criteria is
15 number one, how do they proceed to number two before
16 you rewrite the guidance?

17 DR. WU: What is that? I'm sorry, I didn't
18 -- I'm sorry.

19 MEMBER SHACK: You know, the original
20 guidance is number one that you remain below the
21 system pressure, and yet you've said that, you know,
22 they already routinely exceed the system pressure,
23 although they meet these criterion. Was that reviewed
24 as a separate exception?

25 DR. WU: Yes. The older fuel vendors, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, they all supplied topical report to demonstrate
2 when they exceed the system pressure. Of course, now
3 there's a certain limit that you can exceed
4 indefinitely.

5 There's a certain, you know, a certain
6 limit that not even, you know, vendors, and then so
7 based on the, you know, the topical report, we review
8 them to satisfy all these three conditions, so then we
9 allow them to exceed system pressure.

10 MEMBER SHACK: Okay, so you're basically
11 systematizing something that you've done under a
12 topical report approval in the past?

13 DR. WU: Yes. Right. Yes.

14 CHAIRMAN ARMIJO: What are the limits on
15 the cladding liftoff? I mean, in principle, once you
16 have the internal pressure exceeding the system
17 pressure, there should be cladding liftoff.

18 DR. WU: No. No, because you are -- the
19 way the system -- in the case of the PWR, 2200 psi.
20 You need to exceed it in quite an amount in order to
21 force in cladding push and forcing the cladding push
22 away from the field, not immediately, right away.

23 CHAIRMAN ARMIJO: So there's a certain
24 delta-p that's allowable.

25 DR. WU: Right. Now I think usually the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rod number is about you had to go beyond 700 psi
2 beyond, you know, 2200 psi. Then you're starting --

3 CHAIRMAN ARMIJO: So around 3,000 psi or
4 something like that?

5 DR. WU: Yes, is about our range, yes.
6 Yes, that range. Then you starting seeing the
7 cladding starting move away from fuel, yes.

8 The next item, the control rod reactivity
9 and the insertability, and the first one the people
10 sees old story that, you know, we don't allow it to,
11 to leach away from the cladding, and then the
12 remaining - and the next item 2, 3, 4, and 5 is --
13 these are the new, okay.

14 The first one is changing control rod
15 configuration. We meant if you change the, you know,
16 geometry, the shape you change, and the new material,
17 it could be -- we're talking about any that you use
18 new absorbent material, and the next item is changing
19 electronic and the mechanical lifetime.

20 Now what this means -- this meant that if
21 you, with the current design, and then you're trying
22 to make a control blade, a control rod stay in the,
23 you know, in the reactor a longer time based on some
24 electronic -- based on your electronic, you know, core
25 design or based on some starting mechanical change,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then you need to justify it to prolong the lifetime,
2 you know, justify that.

3 And then the last item is a change in
4 mechanical design is if you -- what it means you're
5 changing the, you know, the basically the strand
6 nature, but I just -- from hindsight we think, you
7 know, the number 2 and number 5 should be, you know,
8 merged together, so this is the thing we can improve
9 in the futures.

10 Okay, so we're finished with the fuel
11 system damage, and then we go to the second item.
12 It's fuel rod failure, and then here we list is also
13 eight items. The same thing, I'll present only the
14 one we make change.

15 Now hydriding is in the past we only
16 specify, you know, the internal hydriding. This talk
17 about, you know, fuel rod, I mean, the fuel failure
18 should -- the moisture should be limited, and then we
19 add on external hydriding.

20 This is kind of new, but I want to
21 emphasize that, you know, emphasize that this external
22 hydriding we did not mean -- we didn't specify the
23 limit. We just think the source of hydriding can be
24 from internally, from internal and also from
25 externally. So in actuality, we didn't specify what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a external hydriding issue considered.

2 And next one is pellet/cladding
3 interaction, and here is the PCI of it is, you know,
4 we're all familiar with, and then we add on one PCMI,
5 you know, pellet cladding mechanical interaction, and
6 then this PCMI is, you know, strain driven affected,
7 you know, fuel pressure cladding, and then the causing
8 the cracking.

9 And then the one percent strain limit is
10 still same. The only things we add on that, you know,
11 mechanical testing to show that irradiated cladding
12 remain ductile to sustain the one percent strain
13 limit. This is new, and then we just -- well, this
14 meaning to deal with the high burnup effect that we're
15 concerned that when you go to high burnup, irradiated
16 cladding may not be able to sustain, you know, one
17 percent strain limit. And then the last item, no fuel
18 melting, that's same.

19 And then bursting, basically this still
20 the same thing, and we based on NUREG--0630, "Cladding
21 Swelling and Rupture Models," and then of the burst
22 you need to consider a flow blockage.

23 So the last item is new, because when we
24 allow, you know, raw pressure to exceed system
25 pressure, then we start a concern LOCA condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then LOCA accident you could have had, you know,
2 bursting causing the flow blockage. This is our
3 concern during one of our topical review so --

4 CHAIRMAN ARMIJO: What kind of non-LOCA
5 accident are you concerned about specifically? Just
6 give me an example.

7 DR. WU: Yes, sure. Paul?

8 MR. CLIFFORD: Hello. My name is Paul
9 Clifford, NRR. A good example would be the locked
10 rotor event. During that event, the certain number of
11 fuel pins would experience DNB. Clad temperatures
12 would increase, and cladding would creep out due to
13 the rod internal pressure.

14 DR. WU: So then the next category is fuel
15 coolability, and then there's five items. The first
16 one is cladding embrittlement, and then we didn't
17 change, you know, the others, 2200 and 17% ECR. The
18 third bullet is measuring -- we're planning a
19 rulemaking to implement performance-based acceptance
20 criteria. That's in the near future.

21 Well, this fuel rod ballooning is the
22 bursting, as we talked earlier, and that's finishing
23 the design bases, and then the one I go to, the right,
24 I mean, the last item is a design evaluation. We made
25 a couple changes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the section 3C. Analytical Predictions,
2 we add on cladding collapse and the fission product
3 inventory. Now this cladding collapse is the --
4 because, you know, we're dealing with a lot of fuel
5 design change, and then some of this cladding collapse
6 was overlooked, you know, with the last one submitted,
7 but the vendor did not or licensee did not really look
8 into the collapse.

9 Of course, this would not happen, but we
10 just somehow feel that this needed to be emphasized
11 that whatever, you know, your new design, you need to
12 go back to check your old approved code to make sure
13 that your new designs still remain valid for, you
14 know, for this particular cladding collapse analysis.

15 And then the last item is fission product
16 inventory based on, you know, 10 CFR 100. It's old,
17 and then the new one is -- and this is already in the
18 10 CFR. It's, you know, 50.34 is for new reactors,
19 and the 50.67 is for existing reactors, and then for
20 non-LOCA accident we even, you know, we allow to use
21 ANS 5.4 model.

22 I think that finish my talk. Any
23 question? Thank you.

24 MR. MENDIOLA: Continue on?

25 CHAIRMAN ARMIJO: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MENDIOLA: Okay. Honorary Dr. Paul
2 Clifford.

3 MR. CLIFFORD: Good morning. My name is
4 Paul Clifford. I've been with the staff for about
5 four years. This is my first opportunity to present
6 to the ACRS. Even though I've only been here for four
7 years, I feel like an old-timer with all the new
8 hires.

9 I always thought it best when making a
10 presentation to answer the fundamental questions, what
11 and why, and we'll get on to how and when. The what
12 is the reactivity-initiated accident. For people in
13 the room that aren't too familiar with it, these
14 events consist of the control rod ejection for the
15 PWRs and the control rod drawbacks for the BWRs.

16 The next question would be why. Why am I
17 here today? Why has the staff issued interim
18 criteria? And there's really two main reasons why we
19 decided to issue interim criteria for this category of
20 events. The first is for the licensing of the new
21 reactors. We expect many, many COL applications in
22 six months or so, and we felt it was time, and there
23 was a need to develop conservative acceptance criteria
24 and guidance moving forward with this next generation
25 of reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the second reason was really to
2 provide a good target for the Industry. The Industry
3 will be presenting material later on where they will
4 be discussing the implementation of new criteria for
5 the current operating fleet, and it takes -- it will
6 take time for the Industry to develop the methodology
7 and to develop a strategy for dealing with this much
8 more restrictive criteria, and providing interim
9 criteria gives them a good target.

10 It's difficult to develop methodology if
11 you don't know what you're shooting for, so we're
12 providing a target for the implementation of the
13 current --

14 CHAIRMAN ARMIJO: Now to make sure I
15 understand, the interim criteria are intended to apply
16 to new reactors, but when do they get applied to
17 existing reactors, or will they ever?

18 MR. CLIFFORD: The strategy we have, and I
19 can go to the next slide -- we have a two-stage
20 approach. As mentioned, the interim criteria will
21 apply to the new reactors, all the new reactors that
22 are coming in for licensing, and over the next 18
23 months we're gonna be doing a more rigorous evaluation
24 of the existing database, and there's also upcoming
25 testing that will hopefully provide us with a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valuable information that we can use to potentially
2 rethink and reune this criteria, and we would expect
3 that after 18 months we would be in a position where
4 we would finalize the criteria and guidance.

5 We would revise Reg Guide 177, Reg Guide
6 1.183, and Reg Guide 1.195, and at that point we would
7 perform a 5109 backfit analysis and determine the
8 implementation on the current fleet.

9 CHAIRMAN ARMIJO: Okay.

10 MR. CLIFFORD: That's really the last
11 slide, so I guess I started at the end.

12 CHAIRMAN ARMIJO: Yes, but it gives us the
13 whole picture.

14 MR. CLIFFORD: Right. It's important to
15 recognize as we go through the slides that NRR is
16 building upon Research's fine work in this area.
17 RIL0401 was issued in March of 2007, which provided an
18 assessment of the currently operating units and
19 concluded that there is overly conservative methods
20 being used in the field such that the consequences of
21 an event were it to occur would be acceptable. In
22 fact, they conclude that fuel cladding wouldn't even
23 fail during even the worst postulated accidents.

24 So we have an operability assessment in
25 our back pocket for the current operating fleet, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's really one of the main reasons why we feel we
2 can wait the 18 months to then fine-tune them and then
3 implement them to the current fleet.

4 CHAIRMAN ARMIJO: And you're thinking that
5 that conservatism might not exist in new plants?

6 MR. CLIFFORD: New plants could have
7 different fuel designs, different rod works. There
8 could be a lot of different fuel management
9 strategies, which could potentially make the event
10 worse. We don't have an analysis for all potential
11 new reactors, so there's really no way of saying that
12 we have time there.

13 CHAIRMAN ARMIJO: Okay.

14 MR. CLIFFORD: Yes. The agenda will
15 consist of two distinct areas, and it's always good to
16 identify that there are two distinct areas, because
17 there will be numbers being thrown around today, and
18 people have always gotten confused between 170, 280,
19 230, 200, and so I broke this up into two.

20 The first is the radiological
21 consequences. Now this is to satisfy Part 100. To
22 meet Part 100 doses, you need to know two things, how
23 many pins fail and what's the source term from each
24 pin that did fail.

25 So we are first -- in the first half going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be discussing what is the criteria or the threshold
2 at which fuel cladding fails. Then we will be going
3 on to what is the source term. What is the isotopic
4 population, say, that will be released that will need
5 to go into your dose calculation?

6 And then secondly and separately, we will
7 be talking about core coolability, and this
8 presentation will deal with meeting the requirements
9 of 10 CFR 50, Appendix A, GDC 28 requirements.

10 I have a format on these slides I want to
11 make sure that everyone is aware of. Pretty much
12 first I'm going to identify what the current criteria
13 guidance is. Then I'm going to identify what's wrong
14 with it, and then finally I'm going to propose or I'm
15 going to identify what the interim criteria is.

16 The current criteria for fuel cladding
17 failure is specified in the current SRP, or I guess it
18 was the previous SRP now, and it states that the for
19 BWRs a radial average fuel enthalpy greater than 170
20 calories per gram would result in cladding failure,
21 and if you exceed your fuel design limits, say DNBR,
22 for instance, then you would have to presume there was
23 cladding failure.

24 Now the problem with the current criteria
25 is it's based upon testing on very low and sometimes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fresh fuel rods, so the effects of high burnup or long
2 residence time and corrosion aren't really taken into
3 effect in the database that supports those current
4 criteria.

5 The 170 calories per gram is not always
6 adequate to protect rod integrity, and another thing
7 is that the presumption of fuel failure based upon a
8 steady-state critical heat flux correlation may be
9 overly conservative for a transient, which is over in
10 a matter of seconds.

11 It's important to identify the cladding
12 failure mechanisms, because there are several. The
13 first is the high temperature cladding failure, which
14 consists of post-DNB oxidation and embrittlement and
15 fuel rod ballooning. The second is PCMI, pellet-to-
16 cladding mechanical interaction, and the third would
17 be molten fuel expansion and plastic flow of the --
18 essentially melting of the cladding.

19 MEMBER SHACK: Very plastic.

20 MR. CLIFFORD: Yes, exactly. For the first
21 mechanism, which is the high temperature cladding
22 failure mechanism, this phenomena has been reported in
23 several of the RIA test programs that have been
24 conducted since the 1970s, and it is more limiting
25 than the PCMI failure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You have fresh fuel that has low
2 corrosion, lots of ductility left in it. Generally
3 that type of fuel can withstand the thermal swelling
4 of the pellet, but you can kind of get bit by going
5 into DNB and dry up.

6 The sensitivities of this failure
7 mechanism would be anything that affects the heat
8 transfer for the fuel rod and anything that affects
9 rod internal pressure, and it's sensitive to total
10 fuel enthalpy as opposed to a change in fuel enthalpy,
11 which we'll get to.

12 The next slide here shows the empirical
13 database to date for all of the tests, the reactivity-
14 initiated accident test programs, and here we have the
15 non-PCMI failures.

16 MEMBER SHACK: Why don't these show some
17 trend with burnup? You know, you tell me your
18 sensitivity is the fact there's the influence --
19 internal pressure and total fuel enthalpy, and yet I
20 see no -- at least, it looks like a shotgun here
21 against burnup.

22 MR. CLIFFORD: It would be tremendous
23 burnup effects, because --

24 MEMBER SHACK: There should be, yes, but I
25 don't --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: -- because in real life the
2 amount of power you would get from a high burnup rod
3 would be less. In other words, you would have
4 depletion of your fissile materials such that these
5 rods would be less likely to be the limiting rods.
6 However, in these test reactors, remember they're
7 driving the rods to a given power.

8 CHAIRMAN ARMIJO: I think -- maybe I
9 misunderstood.

10 MR. CLIFFORD: So it's not like -- you've
11 done an evaluation so that the high burnup rods, all
12 of them would be significantly higher fuel enthalpy in
13 the high burnup, so the low burnup would have high
14 enthalpy, and the high burnup would have low enthalpy.
15 Here they're all driven to a target enthalpy.

16 CHAIRMAN ARMIJO: But the capability of the
17 material is demonstrated by these tests. It says the
18 material can take -- will not fail by this mechanism
19 until you get to these high enthalpies.

20 MR. CLIFFORD: Right. This failure is not
21 driven by, for instance, the mechanical properties of
22 the cladding, so the effect of burnup on the cladding
23 doesn't drive this mechanism.

24 CHAIRMAN ARMIJO: Yes, what's the corrosion
25 failure?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: It's not a corrosion
2 failure.

3 CHAIRMAN ARMIJO: What kind of failure is
4 it?

5 MR. CLIFFORD: It's a DNB failure, or it's
6 a balloon rupture failure. It would be very sensitive
7 to fuel design, assembly design from a DNB
8 perspective, and it would be very sensitive to burnup
9 from a rod internal pressure perspective, because the
10 higher burnup fuel rod would have a higher rod
11 internal pressure, so it has the potential to balloon
12 more readily if it were to achieve high enough
13 temperatures.

14 MEMBER SHACK: But basically I can drive
15 raw in any of these burnups to this enthalpy is what
16 you're really arguing here.

17 CHAIRMAN ARMIJO: In the test reactor.

18 MEMBER SHACK: In the test reactor, and it
19 won't fit, so it has that capability.

20 MR. CLIFFORD: Right. Here the 170, the
21 red line, that's the current acceptance criteria in
22 the SRP, and I put it up here to illustrate that there
23 are situations where the 170 would not be
24 conservative, and I'll get to those. In these
25 particular cases -- well, we can talk about them now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These BGR rods had a high rod internal
2 pressure that exceeded the capsule pressure in the
3 test rig such that once they approached DNB and
4 dryout, they ballooned and failed in that manner, so
5 there is a -- there is some dependency on rod internal
6 pressure.

7 Here's a figure. I hope it shows up
8 better in your plot. Here's a figure that was
9 provided by EPRI during one of our public workshops,
10 and this is a plot of a lot of NSR low burnup data and
11 the Russian data from BGR and IGR, and it kind of
12 shows the sensitivity of failure with differential
13 pressure or pressure across the cladding.

14 We used this information in combination
15 with our own evaluation to come up with our first
16 criteria, and that's the bold criteria here.
17 Essentially, to determine cladding failure due to high
18 cladding temperature failure mechanisms, we've drawn
19 two lines in the sand.

20 The first one is 170 calories per gram,
21 and that is for any fuel rod where the rod internal
22 pressure is less than system pressure, and the next
23 line in the sand is at 150 calories per gram, and that
24 is to capture the balloon burst effects if you have a
25 rod internal pressure that's high.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second half of this paragraph states
2 that for intermediate and full-power conditions, there
3 is still the presumption of cladding failure of you go
4 into DNB. So essentially we have an empirically based
5 failure point at zero power, but once you reach power,
6 once you're at power, it's impossible to know -- or I
7 shouldn't say impossible to know.

8 There is a wide variety of fuel designs
9 and operating conditions, and at any point in the
10 fleet you could fuel designs that are, you know,
11 either this far from DNB or this far from DNB, so it's
12 difficult to say that a certain calorie per gram would
13 cause them to go to dry-out, so there are analytical
14 tools, and there is specific critical heat flux data.
15 Although it's probably a little overly conservative to
16 apply them in this case, it's still conservative, so
17 --

18 MEMBER KRESS: This database you have on
19 failures, non-failures due to RIAs --

20 MR. CLIFFORD: Yes, sir.

21 MEMBER KRESS: -- those come out of burst
22 test reactors, I presume?

23 MR. CLIFFORD: These are all of the -- this
24 is the test data from the RIA Program.

25 MEMBER KRESS: Those are test reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: CABRI.

2 MEMBER KRESS: Now I presume there's some
3 criteria on the amplitude and the width of the RIA
4 input that has to be mapped in order to be applicable
5 to the real RIA accident. I mean, I could see how you
6 could insert a given amount with a long time and a
7 short amplitude or short time and high amplitude. Is
8 there a criteria for the tests to meet that's based on
9 some sort of concept of --

10 MR. CLIFFORD: Well, let me start out --

11 MEMBER KRESS: I would guess the high
12 amplitude/low time would be more severe.

13 MR. CLIFFORD: Well, for this particular
14 failure mechanism, it's really a total length. It's
15 how much energy you put into the system so that you
16 can go into DNB. A short pulse, a high pulse, would
17 be worse for a clad strain if you wanted to pulse the
18 fuel pellet so that it pushed out on the cladding and
19 potentially failed it that way. Here's it's really
20 total length. It would be over a period of time that
21 causes you to go into DNB. And all of this
22 information here has been presented to the staff.

23 MEMBER KRESS: That presumes you don't lose
24 much of the heat.

25 MR. CLIFFORD: Oh, right. Right. There's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all sorts of -- there's all sorts of variables.

2 MEMBER KRESS: Yes.

3 MR. CLIFFORD: And each of these tests, as
4 was presented when RIL0401 was presented to the staff,
5 each of these test reactors has different conditions
6 which are non-typical of a power reactor. For
7 instance, some may -- the pulse width could go from --
8 I think they go from a couple hundred milliseconds to
9 three or four milliseconds, and some are done --

10 I mean, CABRI was done in a sodium loop,
11 which really doesn't give you a good DNBR relative to
12 water. Some were done in cold conditions. Some we
13 got atmospheric pressure. Some were depressurized, so
14 there's a lot of variables.

15 CHAIRMAN ARMIJO: These are just raw data.
16 They're not adjusted for system pressure, pulse width
17 --

18 MR. CLIFFORD: Correct.

19 CHAIRMAN ARMIJO: -- cladding temperature
20 or anything like that.

21 MR. CLIFFORD: Correct.

22 CHAIRMAN ARMIJO: Raw test reactor data.

23 MR. CLIFFORD: Raw data.

24 MEMBER KRESS: That may explain -- I was
25 trying to figure out how at a given burnup why there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is such a range of impacts in the test, actually.

2 CHAIRMAN ARMIJO: The open circles are non-
3 failures.

4 MEMBER KRESS: Oh, yes. I understand that.

5 CHAIRMAN ARMIJO: I mean, the only things
6 that failed are the filled-in symbols.

7 MR. CLIFFORD: Correct. Each of the
8 symbols is a different test specimen, so whatever they
9 were targeting for that particular test is what they
10 achieved. In other words, if they targeted a low
11 enthalpy, then maybe they didn't fail, and if they
12 targeted a high one, they failed.

13 MEMBER KRESS: Well, I was wondering, for
14 example, why the circles in the NSRR test at high
15 burnup never exceeded -- why the test never exceeded
16 the 170. It's probably because they can't get up
17 there, right?

18 MR. CLIFFORD: It is difficult to get the
19 higher burnup up there. It depends on the -- it
20 depends on the reactor. You know, also, another
21 reason might be that they were targeting a lower
22 enthalpy for the test, because they had seen PCMI
23 failures at a lower enthalpy for the higher burnup
24 rods, so there was -- if you were developing a test,
25 there's no reason to go to 170 if you think it's gonna

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fail at 70.

2 MEMBER KRESS: Yes, you're right.

3 MR. CLIFFORD: As I mentioned, this doesn't
4 have any of the PCMI failure data, though.

5 MEMBER SHACK: Just on this one --

6 MR. CLIFFORD: This one?

7 MEMBER SHACK: -- the previous statement
8 was that up to about 700 psi was, you know, you didn't
9 have to worry too much about this, but that looks
10 pretty generous here.

11 MR. CLIFFORD: Well, it's really -- okay,
12 during the rod design analysis, you calculate what
13 they call a critical pressure. At normal operating
14 conditions when your clad is only at about 700 degrees
15 Fahrenheit, that's probably the -- 700 to 600 degrees
16 Fahrenheit is where your cladding temperature is going
17 to be.

18 The critical pressure is going to be 1,000
19 pounds, roughly, higher than system pressure before
20 you would creep out, and that's based on material
21 strength, clad thickness, you know, fuel rod design.
22 There's a lot of things that influence how strong that
23 tubing is.

24 Here, as soon as you go -- as soon as you
25 elevate the temperature of that cladding during a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transient, all bets are off. Now you're really --
2 it's the creep properties as opposed to the strength
3 properties that they're going to cause it to swell and
4 burst, so, I mean, that's the difference.

5 Okay, so we talked about this first
6 bullet, which is the interim criteria for the high
7 cladding temperature failure mechanism, and next we're
8 going to proceed to the PCMI failure criteria.

9 MEMBER KRESS: Now does this criteria, does
10 is it good for the various new clads that are out
11 there?

12 MR. CLIFFORD: This criteria is not as
13 sensitive to the material properties of the cladding,
14 because it really is thermal hydraulics, how much heat
15 you get through it before you go into DNB sort of
16 criteria. That's a good question, and it really
17 relates more to PCMI, which is much more reflected by
18 the cladding properties.

19 Okay. PCMI. We have this. PCMI failure
20 has been reported at many of the RIA test programs,
21 and it's more limited than the high temperature
22 failure mechanism when you start to reach corrosion
23 levels, you know, above a couple cycles of burnup, and
24 it's sensitive to -- it's sensitive to the fuel
25 thermal expansion, anything that will influence the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel thermal expansion and the cladding material
2 properties, and it's driven by a change in fuel
3 enthalpy as opposed to total fuel enthalpy, and we
4 chose to develop separate lines, separate criteria for
5 BWRs and PWRs, and I'll get to the reasons why.

6 Here is the data that was -- most of which
7 was presented in RIL0401 back a year and a half, two
8 years ago. We've added a couple points when we've
9 received a couple of points, VA1 and VA2 from NSR, so
10 we've added it to the database. I think there was a
11 couple more, too.

12 And we drew a line that was similar to
13 what research had drawn in the RIL. The difference
14 between -- I have a slide. Well, let's talk about the
15 data set first before we talk about differences.

16 We initially anchored the failure criteria
17 to 150 calories per gram. Now that's changed. That's
18 an increase in calories per gram, 150, and that's
19 anchored out to a oxide-to-wall thickness of .04. Now
20 for a modern 17-by-17 PWR design, that's approximately
21 25 microns of oxide, and how long it takes you to get
22 to 25 microns of oxide depends on coolant temperature
23 and the cladding. Probably cladding has a first-order
24 impact, whether it's, you know, M5, ZIRLO, Zirc-4,
25 whatever it is. It's going to affect the time it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 takes you to get to 25 microns, and we chose to
2 normalize to wall thickness to account for the large
3 discrepancy in cladding thicknesses in the database.

4 CHAIRMAN ARMIJO: Why did you use oxide-to-
5 wall thickness for PWRs and hydrogen or hydrides for
6 BWRs? Isn't the mechanism pretty much the same as the
7 embrittling mechanism?

8 MR. CLIFFORD: The embrittling mechanism is
9 excess hydrogen. It is the hydrides that reside in
10 the cladding, and I can talk about it now. The best
11 approach is to relate the failure point directly to
12 hydrogen.

13 We didn't have much of the data to support
14 the -- for the PWRs on hydrogen. In other words, when
15 they collected the data, they would have had to have
16 done a test to determine what the hydrogen levels were
17 and they didn't necessarily to all those tests.

18 Secondly, the hydrogen pick-up fraction
19 and the hydrogen behavior on a PWR is pretty well
20 behaved. There's a lot of data out there for hydrogen
21 corrosion rates and corresponding -- I'm sorry, oxide
22 corrosion rates and corresponding hydrogen pick-up
23 fractions. There's a lot of data out there for PWRs
24 and it's pretty linear. The same can't be said for
25 BWRs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: Okay, so you're
2 comfortable that oxide thickness, wall thickness ratio
3 represents a well behaved hydrogen increase as a
4 function of burnup.

5 MR. CLIFFORD: I think as we move forward
6 and try to finalize the criteria we're certainly going
7 to investigate that further. There is a large
8 discrepancy between the alloys. In other words, alloy
9 A is going to have a different hydrogen pick-up than
10 alloy B, and that's going to have to be specifically
11 accounted for.

12 In other words, when a licensee uses this,
13 is going to implement this interim criteria, they're
14 going to have to determine what their corrosion rates
15 are as a function of burnup for their particular unit,
16 and then they're going to have to really cross-compare
17 that to, well, what's their hydrogen pick-up fraction,
18 and how does that differ from potentially the alloys
19 used in developing this line?

20 That's all going to have to be taken into
21 account, but, I mean, if it was up to me, I would love
22 to find the hydrogen data and re-plot this as a
23 function of hydrogen.

24 CHAIRMAN ARMIJO: That's ultimately what's
25 the controlling mechanism.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: Exactly.

2 CHAIRMAN ARMIJO: Okay.

3 MR. CLIFFORD: This oxide-to-wall is just
4 a surrogate for hydrogen.

5 MEMBER KRESS: What's the rationale for the
6 red line having some failures below it?

7 MR. CLIFFORD: Okay, we drew this line. At
8 the beginning here there's a few NSR points here.
9 There's a PBF. There's one PBF test. Well, first of
10 all, this is a pure empirically based line, and we
11 didn't feel initially that we needed to bound each and
12 every point.

13 MEMBER KRESS: Why not?

14 MR. CLIFFORD: Why not? Well, there was a
15 lot of non-prototypical conditions that are in this
16 test and certain points that are more questionable as
17 far as their applicability to the current fleet.

18 MEMBER KRESS: I gather from that you can
19 take every one of those points below it and point out
20 some reason why you can ignore it or discount it?

21 MR. CLIFFORD: I wouldn't say we would
22 ignore each point. It gets a little dangerous when
23 you start throwing away, when you have such a limited
24 database, when you start throwing away points, but,
25 for instance, the NSRR, which is the circles, the dark

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circles, those were slightly adjusted following what
2 the real methodology was, the RIL0401.

3 However, there's an expectation that there
4 is new data becoming available in the next 12 months
5 where the NSRR is going to be running hot tests.
6 These are all done at room temperature, 20 degrees
7 Celsius, and temperature has a more first-order impact
8 on cladding properties and ductility, and so it would
9 have a first-order impact on PCMI failure, and we
10 expect that when we see the results of the hot cell
11 program that we're going to be able to -- in addition
12 to putting more dots on the figure, we're going to be
13 able to calibrate or recalibrate those dots such that
14 they'll be above the line. So knowing that we had
15 this coming, we didn't want to be overly conservative.

16 MEMBER KRESS: The CABRI tests, those are
17 the ones you said were sodium-cooled?

18 MR. CLIFFORD: CABRI is sodium-cooled, but
19 they are --

20 MEMBER KRESS: That's a reason for maybe
21 discounting those diamonds?

22 MR. CLIFFORD: Well, for a pure PCMI
23 failure, the sodium bursts the water. It shouldn't
24 have that much of an impact. Certainly it had an
25 enormous impact on high temperature cladding failures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because of the heat transfer, the tremendous heat
2 transfer of sodium versus water, but for a pure PCMI
3 failure it should be less.

4 Now there will be more data when it comes
5 out in, oh, two years, three years, because CABRI is
6 supposed to be converting their loop to a water loop
7 such that they'll give us data that's more typical.

8 MEMBER KRESS: Is that red line slanted
9 above .08?

10 MR. CLIFFORD: .08 was one of the anchor
11 points.

12 MEMBER SHACK: But it has a slope is what
13 he's saying.

14 MEMBER KRESS: That seems a little strange
15 for empirical data of this type. I would have had
16 that a straight line. I can't envision the reason.

17 MEMBER SHACK: Where do you put the elbow
18 in what you picked for the slope?

19 MEMBER KRESS: Yes, those are questions I
20 would have about it, but --

21 MR. CLIFFORD: I think if I gave a raw plot
22 like this to everybody here, we would end up with --

23 MEMBER KRESS: You'd end up with different
24 --

25 MR. CLIFFORD: -- 45 different slopes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: You certainly would, yes.

2 CHAIRMAN ARMIJO: Now these are all for
3 cold tests, all of these data are.

4 MR. CLIFFORD: Not all of these data are
5 for cold tests.

6 CHAIRMAN ARMIJO: All the NSRR?

7 MR. CLIFFORD: Correct.

8 CHAIRMAN ARMIJO: Now if you go up to
9 higher temperatures, the expected cladding temperature
10 in a reactor, the hydrogen goes into solution. At
11 least part of it reads off.

12 MR. CLIFFORD: Part of it, about 100 ppm or
13 so.

14 CHAIRMAN ARMIJO: And how big an effect
15 would you expect just from that?

16 MR. CLIFFORD: Well, the -- I think the
17 solubility of hydrogen at normal operating temperature
18 is around 100 ppm, and that corresponds to -- in very
19 clad allow dependent, but for, say Zirc-4 it's
20 probably about 25 microns. What do you guys think
21 over there? Good guess? Say 25 microns, so up to 25
22 microns, which is approximately this -- where the 150
23 before it drops down. You would essentially have no
24 hydrides. They would all be in a solution.

25 MEMBER SHACK: So that accounts for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flat part of your curves then.

2 MR. CLIFFORD: Right.

3 MEMBER SHACK: And after that you're
4 exceeding the solubility, and so you're --

5 MR. CLIFFORD: Right. Now we're going to
6 get into -- when we get to BWRs, we're going to talk
7 about that very point, because the BWRs, they can be
8 at cold conditions when they start up.

9 CHAIRMAN ARMIJO: Right. I understand
10 that.

11 MR. CLIFFORD: So they have to take that
12 specifically into account.

13 CHAIRMAN ARMIJO: Right. Right.

14 MR. CLIFFORD: And I'll get to that in the
15 next slide or the next two slides, but this is the
16 reinforced, what we see here in the next slide. Here
17 is a comparison of the PCMI failures. The dotted
18 line, the blue dotted line -- excuse me -- the blue
19 dotted line is that of RIL0401.

20 MEMBER KRESS: So you're telling the
21 Research people that we don't believe that restrictive
22 is necessary?

23 MR. CLIFFORD: I would never say that. No,
24 the difference between the blue dotted line and the
25 red line is really that took a nose dive right at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 beginning, because it wanted to bomb some cold NSRR
2 data points that were on BWR Zirc-2 cladding, so the
3 difference we have here is we removed all the BWR
4 Zirc-2 cladding from the PWR.

5 MEMBER KRESS: Oh, those are BWR data?

6 MR. CLIFFORD: Yes.

7 MEMBER KRESS: That shows on the previous?

8 MR. CLIFFORD: No, no, no, no, no. The
9 previous slide is all PWR data, but --

10 MEMBER KRESS: Well, it looked to me like
11 they were trying to --

12 MR. CLIFFORD: If you would put the -- if
13 you go back and look at the RIL, there's a bunch of
14 data points here.

15 MEMBER KRESS: I see.

16 MR. CLIFFORD: And these are BWR data.

17 CHAIRMAN ARMIJO: You can't talk away from
18 the mic.

19 MR. CLIFFORD: I can't hear myself in this.

20 MEMBER KRESS: Just don't write on the
21 screen with the pen.

22 MR. CLIFFORD: It'll burn a hole in it.

23 Right here in the RIL there were several BWR Zirc-2
24 samples that were used in determining this line, and
25 by removing that cluster of BWR Zirc-2 when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determining the PWR line, it allowed us to move that
2 up.

3 Also, there were a lot of testing up above
4 this area that didn't show any failures. We haven't
5 seen a lot of or any failures when you had essentially
6 no corrosion and no hydrides. The cladding is very
7 ductile at that point, and it's able to withstand
8 that.

9 So here is the RIL0401, and here is my
10 projected line. As you can see, they're very similar
11 when they get out to this point here. The dotted line
12 is something that EPRI will be discussing later on,
13 and this, whereas these two lines are purely
14 empirically based -- in other words, you look at the
15 empirical data. Maybe you perform a little scaling,
16 whatever you feel comfortable with, but you go with an
17 empirical limit.

18 The dotted line represents a mechanistic
19 approach. Separate effects testing is used to a
20 mechanistic model, which is then used to determine the
21 point of failure, and they'll be presenting later on
22 that they believe that the points that I used to bring
23 this down here, the points right -- this family of
24 points here, they believe they can be either further
25 adjusted, or they can be dispositioned somehow, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they don't need to include them, and they've got valid
2 -- they've got some valid points, which you'll like to
3 hear, but we end up similar out here.

4 So the purpose of this slide is to show
5 that we do deviate from what Research presented us
6 with, but there's a reason for that, and even though
7 we're using what we feel a pretty conservative
8 approach, we don't differ that significantly from what
9 the Industry is proposing, and for an interim
10 criteria, you always want to err on the conservative
11 side.

12 MEMBER SHACK: Good writeup, because this
13 is in two colors which are absolutely
14 indistinguishable in my screen.

15 MR. CLIFFORD: What this slide represents
16 is the application of a corrosion-based criteria in
17 the field. In other words, to give a licensee or a
18 fuel designer corrosion-based criteria isn't really
19 useful, so they're going to have to convert that
20 corrosion-based criteria to a burnup-dependent
21 criteria, and they'll do that by evaluating hydrogen
22 pick-up percentage and their corrosion behavior, their
23 cladding at their operating temperatures, and they'll
24 come up with a different curve.

25 Here is two different curves. This would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be -- this would be a modern alloy like optimized
2 ZIRLO or M5 here where you have good corrosion
3 properties such that you're really not getting a lot
4 of oxide, and you're really not picking up a lot of
5 hydrogen, so you're not really paying the penalty of
6 it, whereas this would be more of a current Zirc-4.

7 CHAIRMAN ARMIJO: Now with your interim
8 criteria, do they get credit for use of the modern
9 material that doesn't pick up much hydrogen?

10 MR. CLIFFORD: Absolutely. Absolutely they
11 would be able to take that.

12 MR. CARUSO: Is that staff going to require
13 licensees to monitor oxidation film thicknesses in
14 order to verify that the fuel is performing as
15 modeled?

16 MR. CLIFFORD: That's a good question. We
17 generally already have approved corrosion models built
18 into the fuel performance analysis where they've
19 presented a lot of pool-side examinations where
20 they've done corrosion measurements, and then in
21 combination with out-of-cell hydrogen measurements,
22 there's enough data presented. Do I expect to see a
23 change over time? There should be enough information,
24 but because there's so much operating experience with
25 like a Zirc-4 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: There's also some operating
2 experience with surprises that have occurred because
3 people didn't control their chemistry.

4 MR. CLIFFORD: Well, certainly crud and the
5 effect of crud on corrosion is a wild card.

6 MR. CARUSO: So is the staff going to
7 require people to monitor their corrosion every
8 refueling outage to verify that the fuel is oxidizing
9 as the model is expected to oxidize, or are you just
10 going to be faith-based and --

11 MR. CLIFFORD: It's a good question.

12 CHAIRMAN ARMIJO: It would be pretty
13 impractical, I mean, to try and do it to that level.
14 You've got to have some level of confidence that the
15 database and the materials are well controlled.

16 MR. CARUSO: Some countries do that.

17 MR. CLIFFORD: Well, I think a problem, a
18 visit would probably be sufficient to identify whether
19 you had a crud problem.

20 CHAIRMAN ARMIJO: Or if oxide's falling or
21 something bad going on.

22 MR. CLIFFORD: Right, but to go in there
23 and take any current testing or any other means each
24 cycle, that would be -- that would add time to the
25 reloads, and we would get a lot of resistance on that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This I'm sure they would agree with.

2 CHAIRMAN ARMIJO: Okay. Well, this
3 encourages the development and application of modern
4 materials that address the hydrogen embrittlement
5 issue.

6 MR. CLIFFORD: Absolutely.

7 CHAIRMAN ARMIJO: And they would get --
8 they'd have a benefit if they applied that using these
9 criteria.

10 MR. CLIFFORD: Right. The Industry, when
11 the Industry first came in, they proposed criteria
12 where they did the conversion themselves using worst
13 case Zirc-4, and I thought that was too much of a hit,
14 you know, to not be able to take advantage of a modern
15 cladding alloy.

16 Okay, next we come to BWR, and as I
17 mentioned, we separated the BWR Zirc-2 NSR data from
18 the rest of the population, and we looked at it as a
19 subset, and here it's plotted with reported hydrogen
20 content, which is the first-order effect on ductility,
21 cladding ductility, and there's some uncertainty in
22 hydrogen measurements and variability of hydrogen
23 content in a given specimen, and that's represented by
24 these little dumbbells or whatever you want to call
25 them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so once again we maintained 150
2 calories per gram, which is -- we chose 150, even
3 though we didn't see a lot of failures above that,
4 even that, because that corresponds to the 170 that
5 we're proposing for the high temperature. If you take
6 the 170 high cladding temperature failure line, adjust
7 it for the fact that at hot zero power you could be at
8 20 calories per gram, you're at 150, so you can't --
9 even though you could have drawn this line,
10 potentially drawing it higher, it doesn't buy you
11 anything, because you're going to be limited by the
12 other failure mechanism, so there's no sense even
13 drawing it differently.

14 CHAIRMAN ARMIJO: What's the approximate
15 burnup for a modern Zirc-2 at the 150, you know, at
16 the knee of that curve, the 150 ppm hydrogen?

17 MR. CLIFFORD: That's a good question, and
18 the reason -- well, we wanted to go to hydrogen
19 content, because it is a first-order impact.

20 CHAIRMAN ARMIJO: Sure.

21 MR. CLIFFORD: But the need to go to
22 hydrogen for BWRs was that it is a shotgun when you
23 look at hydrogen content as a function of burnup and
24 hydrogen content even as a function of corrosion.
25 There is a wide variability, so, you know, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 developing the criteria, we really felt like we needed
2 to go right to the source, which was hydrogen, and 150
3 ppm, I mean, I would guess that that would be
4 relatively high burnup. I would guess that that would
5 be 40,000, 50,000 burnup. Guys, you got any input on
6 that?

7 CHAIRMAN ARMIJO: With that much
8 variability, what will the BWR people have to bring
9 you to satisfy you that they know what their hydrogen
10 is as a function of burnup for a particular fuel
11 design?

12 MR. CLIFFORD: Because it's less well
13 behaved, they're going to have to provide us with a
14 sufficient database of hydrogen content as a function
15 of burnup and then for them to then do that conversion
16 to a useful tool, and depending on the spread of the
17 data, I mean, you may be forced -- instead of using a
18 best estimate, you may have to take like a one sigma
19 or something. It just depends on the variability.

20 CHAIRMAN ARMIJO: Thank you.

21 MR. CLIFFORD: Okay, so the light one we
22 talked about earlier. Here we have the two PCMI
23 failure criterias. One is a function of function of
24 oxide-to-wall thickness. One is a function of
25 hydrogen, and those were put into the SRP update.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now next we get to -- well, now we have
2 new criteria, which are more restrictive for
3 determining when cladding fails. Well, we also looked
4 at what about the fission product inventory. In other
5 words, how much iodine is there in the -- or xenon is
6 there in the gap, or how much iodine is there
7 available for release if you do fail the fuel?

8 The current criteria is 10 CFR Part 100,
9 and the guidance for that is in Reg Guide 77, which
10 identifies the off-site doses must be within -- must
11 be well within.

12 MEMBER SHACK: Is that a factor of three?

13 MR. CLIFFORD: Oh, well within. I don't
14 know who created this, but there's some secret decoder
15 ring out there. Small fraction is equivalent to ten
16 percent of the allowable doses. Well within is
17 equivalent to 25 percent of the allowable doses, so
18 300 rem would go down -- which is the 100 percent of
19 10 CFR for, what's that, inhalation, two-hour
20 inhalation thyroid dose? Go from 300 down to 75.

21 The guidance on calculating doses is in
22 Appendix B of RG 1.77, and it's also in newer Reg
23 Guides. It's in Reg Guide 1.183 and Reg Guide 1.195,
24 and they all say roughly the same thing, that you
25 should assume that ten percent of your iodines and ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent of your nobles are present in your plenum
2 region of your fuel rod such that if you have a breach
3 in your cladding, that inventory is available for
4 release and must be accounted for specifically in dose
5 calculations.

6 The problem with that guidance is that
7 there's been a lot of fission gas measurements
8 following these test programs. They would take a test
9 that didn't fail, and they would go and do a puncture
10 test and measure the isotopic population that was
11 released, and what they noted is there's a lot of
12 fission gas there, and --

13 CHAIRMAN ARMIJO: More than these ten
14 percents?

15 MR. CLIFFORD: Right.

16 CHAIRMAN ARMIJO: Oh, okay.

17 MR. CLIFFORD: So you need to take that
18 into account, and what we have here, we first have to
19 look into the mechanisms. What's going on inside the
20 fuel room? Even though the cladding doesn't fail,
21 what's going on in there?

22 What's happening is over normal, routine
23 operation, you get a diffusion of fission gas, fission
24 products along the grain boundaries, out into the
25 plenum, and that is really a function of diffusion and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time and power and power history if you go through
2 some various power ramping, whatever you're
3 maneuvering, moving control blades, whatever you're
4 doing that can cause that diffusion to change.

5 But during this particular transient,
6 during this .05 seconds, what you can see is the
7 pellet itself is going through a very dramatic
8 transient. It's cracking. It's breaking. There is
9 grain boundary separation, and during that violent
10 transient, the pellet is releasing more fission gas.

11 I'm going to call that transient fission
12 gas release, and this transient fission gas release is
13 strongly depending on how much power that pellet sees.
14 It's strongly dependent on local power, and there's
15 also -- there would be potentially some burnup
16 effects, how much fission gas is available, and we've
17 looked at -- let me just jump right to the --

18 We've looked at all of this data, and we
19 looked at it as a function of pulse width. We looked
20 at it as a function of burnup. We looked at it as a
21 function of anything we could think of, and this was
22 the best correlation we could come up with.

23 There is -- all of this data represents
24 measured fission gas release, and if you plot it as a
25 function of the change in enthalpy that the specimen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saw, you see a pretty good correlation. In other
2 words, if you put 100 calories per gram change on a
3 fuel pellet, it's going to release somewhere around 15
4 percent of its fission gas in addition to what may
5 have resided in the plenum region before the transient
6 even started, so both of these factors need to be
7 combined to get your overall source term for your dose
8 calculation.

9 I think these points here -- if memory
10 serves me correctly, I believe that these points here
11 were high enrichment, and by high I mean above five
12 percent, and these were research reactor fuel rods
13 from Japan.

14 CHAIRMAN ARMIJO: So those weren't really
15 BWR?

16 MR. BEYER: No, they were commercial
17 reactor, but they might have been around five percent.
18 I can't recall the exact enrichment level, but they
19 might have been around five, but one thing you can say
20 about them is that they were of a different fuel type
21 than a lot of the points up there except for there's
22 a couple of points that are below the line that had
23 that same fuel type, so we're a little bit --

24 CHAIRMAN ARMIJO: There's a lot of
25 variability there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEYER: Yes, right, and those three
2 data points all came from one rod. Those came from
3 small sections cut from the same rod, and for some
4 reason they behaved significantly different than all
5 the rest of the data. We've got like, I don't know,
6 33 data points up there, and --

7 CHAIRMAN ARMIJO: Were these prefabricated
8 test panels?

9 MR. BEYER: Yes, they were prefabricated,
10 right.

11 CHAIRMAN ARMIJO: Yes, so a lot depends on
12 how --

13 MR. BEYER: Yes, theoretically you could
14 think about cracking due to refabrication of the fuel,
15 but a lot of these data points up there are
16 prefabricated, too, so, you know, you could argue that
17 that may not explain it, either, and it's kind of --
18 Robbie, do you have any opinion on those three data
19 points, because I know Industry has looked at this,
20 too.

21 MR. MONTGOMERY: Robert Montgomery from
22 Anatech. No, those three rods, which, like you said,
23 come from this come from the same father rod, do kind
24 of seem to be outliers in a way. They show a unique
25 behavior relative to all the data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They were fabricated with a different
2 pellet fabrication process than most of the other data
3 out there on that plot. It had to do with the type of
4 grain structure and things in that nature that could
5 affect the distribution of the fission gas in the
6 pellet. These had an interesting rem size variation,
7 so there may have been a different fission gas
8 inventory in the rem, which sees the largest amount of
9 temperature and the largest cracking in the pellet.

10 CHAIRMAN ARMIJO: Okay, so you've just
11 tended to discount those data points and say the line
12 represents the envelope or bounding --

13 MR. CLIFFORD: Well, I think, even if you
14 were to include those, you still want to fit the data,
15 and I think you would end up with pretty much the same
16 line.

17 MEMBER KRESS: This is just the transient
18 release in addition to the gap?

19 MR. CLIFFORD: Exactly.

20 MEMBER KRESS: These tests had the gap
21 inventory removed before you --

22 MR. CLIFFORD: Well, for many of the tests,
23 I mean, when you manufacture the specimen, you know,
24 when you're cutting, you're removing the fission,
25 whatever was there during the whole operation, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything you measure would be a product of the
2 transient, unless you had a segmented rod that was in
3 a reactor, which -- any of these actual segmented rods
4 that were radiated as specimen?

5 MR. BEYER: I can't remember if any of them
6 are segmented or not, but if they were segmented,
7 typically they usually had relatively small gas
8 release.

9 MEMBER KRESS: Were the clads purposely
10 failed in these tests?

11 MR. CLIFFORD: No, none of these are
12 failed.

13 MR. BEYER: No, all these were -- yeah.

14 MEMBER KRESS: Well, then how did you get
15 any release if they didn't fail?

16 MR. CLIFFORD: Well, I think what we're
17 showing is just the pulse, the power pulse on the
18 pellet itself. Whether that was enough to cause
19 cladding failure or not, it still resulted in -- it
20 was insufficient.

21 MEMBER SHACK: It's measuring the plenum.

22 MR. CLIFFORD: Yes.

23 MEMBER KRESS: Measuring the plenum.

24 MR. CLIFFORD: Oh, I'm sorry, yes.

25 MEMBER SHACK: They didn't release it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Okay, now I understand. So
2 essentially you remove the original gap inventory, and
3 then you measure what gets in the plenum due to a --

4 MR. CLIFFORD: That's correct.

5 MEMBER SHACK: This pulse.

6 MR. CLIFFORD: Right, so the guidance we're
7 providing is essentially that you would need to
8 combine the two effects, the steady state inventory
9 that would be there during the normal operation and a
10 calculated transient fission gas release, which we
11 provided this correlation.

12 MEMBER KRESS: And this is not a function
13 of burnup, or the burnup shows up in the database?

14 MR. CLIFFORD: We looked at it as a
15 function. I would have expected a much stronger
16 burnup dependence only because you have more fission
17 gas that's in your grain boundaries to start with, so
18 it wouldn't take as much of a pulse to --

19 MEMBER KRESS: And you've got the -- and
20 you've probably got more damaged fuel, more surfaces,
21 more rem effects.

22 MR. CLIFFORD: Right, exactly, but it
23 didn't fit as well as just looking at power.

24 MEMBER SHACK: And you really tried looking
25 at both of them? You know, you seem to have this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tendency to look at one variable at a time, but, I
2 mean, if you looked at the two of them, it didn't --
3 you know, burnup and enthalpy rather than, you know,
4 well, enthalpy is better then burnup but --

5 MR. BEYER: Well, what we --

6 MR. CLIFFORD: We tried looking at this,
7 but then breaking it up to coloring and, like, between
8 zero and 30 burnup, 30 and 40 burnup, 40 and 50 burnup
9 and then --

10 MR. BEYER: Yes, what we did is we'd apply
11 this correlation here just for the power effect and
12 then plot it as burnup then and see if we could see,
13 and in some instances a few tests looked like they
14 were a burnup dependence, and others didn't look like
15 there was any burnup dependent, so there was a lot of
16 scatter in the burnup effect.

17 MR. CLIFFORD: In the technical basis
18 document for the SRP updates there's a log there if
19 you guys want to come take a look at this.

20 MEMBER SHACK: Is this the one that gets
21 buried in the pdf file?

22 MR. CLIFFORD: Here, this shows -- this is
23 for --

24 MEMBER SHACK: Yes, and that's a different
25 one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: Maybe I don't have it in
2 here. I have a spreadsheet with tons and tons of
3 plots. This is fission gas for these versus pulse
4 width, the fission gas for these versus burnup.

5 MEMBER SHACK: Yes, but see, you need to do
6 what Carl suggested, which was to, you know, that way
7 you're hiding the enthalpy in that plot.

8 MR. CLIFFORD: Right.

9 MEMBER SHACK: What you need is to do the
10 enthalpy and then plot it against the --

11 CHAIRMAN ARMIJO: Color code them or
12 something for the burnups.

13 MEMBER SHACK: -- and see how they bounce
14 up and down.

15 MR. BEYER: We've done that, too.

16 MR. CLIFFORD: We've done that. We've done
17 that, and then we decided there wasn't as much of a
18 printer. During the break -- I'm sure I have the
19 spreadsheet on my disk. I could get that and check
20 following the break.

21 Okay, so ultimately we're saying that
22 there is another effect on fission gas release that's
23 not currently accounted for and needs to be.

24 CHAIRMAN ARMIJO: How do you know that if
25 you tested, let's say, segmented rods, already had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some fission gas release, already have poisoned the
2 gap and if -- well, how do you know that that wouldn't
3 actually make your transient fission gas release
4 during an RIA even worse?

5 MR. BEYER: Because it's not a thermal
6 effect.

7 CHAIRMAN ARMIJO: You're just saying this
8 is just a shattering of the pellet? It's not a
9 temperature change?

10 MR. CLIFFORD: It's not diffusion-related.
11 It's not time and temperature. It's instantaneous.

12 CHAIRMAN ARMIJO: Two separate mechanisms?

13 MR. CLIFFORD: Right.

14 CHAIRMAN ARMIJO: Okay.

15 MEMBER KRESS: It looks like a substantial
16 effect. You get up to 30 percent of the inventory.
17 You really, I mean, yes --

18 CHAIRMAN ARMIJO: If you take a sledge
19 hammer and smash into it, it's going to come out.

20 MEMBER KRESS: But the containment's still
21 intact.

22 MR. CLIFFORD: Absolutely.

23 MEMBER KRESS: So you compare these numbers
24 and see how far 100 to --

25 MR. CLIFFORD: Dose is usually not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limiting. Offsite dose is usually not limiting to the
2 this event.

3 MEMBER KRESS: Yes, I would guess not,
4 because normally 10 CFR 100 asks for inventories much
5 bigger than this to be put into containment.

6 MR. CLIFFORD: Well, you could consider,
7 even though your acceptance criteria is one-fourth
8 that of LOCA, the LOCA source here you dump the entire
9 core, assuming that the whole -- you have 100 percent
10 of your nobles and 50 percent of your iodides all just
11 dumped into containment.

12 MEMBER KRESS: Yes, that's in the
13 containment.

14 MR. CLIFFORD: And you survive that.

15 MEMBER KRESS: Yes.

16 MR. CLIFFORD: Even though your release
17 path is a little different, and your acceptance
18 criteria is lower, the inventory is significantly
19 lower than that of a LOCA, and also, it's a localized
20 event. The troja injection is a very localized event.
21 You're only going to have so many pins in that region
22 of the core that's going to get out.

23 MEMBER KRESS: Oh, yes, this -- you have to
24 count the number of pins.

25 MR. CLIFFORD: You've got to count the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of pins. This isn't core-wide. This is the
2 number -- this is the fission gas in a particular pin,
3 so if you only take six --

4 MEMBER KRESS: Yes, that can make a big
5 difference.

6 MR. CLIFFORD: If you only fail 1,000 pins
7 out of 50,000 pins, you can see that the source term
8 still isn't --

9 MEMBER KRESS: Yes, it's not really. Yes,
10 I've got you.

11 MR. CLIFFORD: Okay. That concludes the
12 first half of the presentation on calculating the
13 number of pins that fail and what's the source term
14 for your dose calculation. Next we're going to get
15 into the long-term cooling, which is GDC28, and the
16 reactive vessel integrity concerns.

17 CHAIRMAN ARMIJO: You've got about ten
18 slides, and we could -- we're ahead of schedule. We
19 could take a break now. It's ten minutes of 10:00, so
20 let's get back about five after 10:00, you know, a 15-
21 minute break, 10:05.

22 MEMBER KRESS: Which clock are you going
23 by?

24 CHAIRMAN ARMIJO: The official wall clock.
25 I have their -- well, you're right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Ten after.

2 CHAIRMAN ARMIJO: Ten after 10:00. We'll
3 recess for now.

4 (Whereupon, the foregoing matter went off the
5 record at 9:52 a.m. and resumed at 10:11 a.m.)

6 CHAIRMAN ARMIJO: Okay. We are resuming
7 the meeting, and if we can find Mr. Clifford -- okay.
8 All right. We're ready to resume.

9 MR. CLIFFORD: Right. What I pulled up
10 here during the break was this is just a plot of the
11 same data, and, as we were talking about, we wanted to
12 see if there was a burnup dependence. Here we have
13 the CABRI test data. Fission gas release is a
14 function of peak fuel enthalpy, and then we have three
15 different groupings, and it's similar down here with
16 the NSRR how we have two different groupings because
17 most of the fuel is likely it's going to burn up.

18 And we looked at this and decided, well,
19 you know, is it potentially two lines? Could there be
20 a line here and a line here based on burnup? And we
21 really didn't see it, so what we chose to do was to
22 group them all together and to kind of not bound all
23 the data but from the previous slide -- let me get
24 back. That's not it.

25 In the previous slide, we didn't bound all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the data, but we put it all into one population, and
2 then we put a line about a majority of the data, I'd
3 say. It's not a best estimate fit. I wouldn't call
4 it a one sigma, either.

5 MEMBER KRESS: You know, that all brings to
6 mind the question. You know, the obvious choices are
7 either a best estimate fit or a bound, and anything
8 that's different from those needs explaining, at least
9 it does in my mind, and so I don't understand. I
10 don't understand the line. I understand that a line
11 is a good thing to have there, but why not a binding
12 line or --

13 MR. BEYER: Well, what we did here is
14 originally we did have a best estimate line for UO_2 ,
15 and then we had one for MOX. The MOX one was a little
16 bit higher than the UO_2 one, and for the RIA, NRR just
17 decided to take the upper bound for MOX and use that
18 one.

19 MEMBER KRESS: The line is an upper bound
20 for MOX?

21 MR. BEYER: No, it's a best estimate for
22 MOX. It's a best estimate for MOX.

23 MEMBER KRESS: It's a best estimate for
24 MOX.

25 MR. CLIFFORD: It's a best estimate for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MOX, but it's not that significantly different than
2 the best estimate fit for the UO₂.

3 MR. BEYER: For the UO₂, right.

4 MR. CLIFFORD: So you just combine all fo
5 the data into one population and just choose which
6 line is a little more conservative.

7 CHAIRMAN ARMIJO: This is -- when you say
8 best estimate, is this just a least squares fit?

9 MR. CLIFFORD: That's all it was.

10 MR. BEYER: Correct. Correct. Right.
11 Right, and it was a best estimate fit through the MOX
12 data, and the UO₂ one was a little bit lower, but not
13 significantly lower.

14 MR. CLIFFORD: I think it's the -- can you
15 see? The pink, I believe, is the MOX, that data
16 point, that data point.

17 MR. BEYER: Correct.

18 MR. CLIFFORD: It's those two.

19 MR. BEYER: Yes, that's it, just two data
20 points.

21 MR. CLIFFORD: Those are the data points.

22 CHAIRMAN ARMIJO: Okay.

23 MEMBER KRESS: Two data points --

24 MR. BEYER: Yes. Right.

25 MEMBER KRESS: -- out of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: Let's make a line.

2 MEMBER KRESS: Connect the two.

3 MR. BEYER: Right. Right.

4 CHAIRMAN ARMIJO: You ought to -- you
5 should have gone through zero and those three points.

6 MR. BEYER: Yes, but the UO₂ one was
7 slightly below that for best estimate, and, yes, and
8 surprisingly they were both parallel together,
9 reasonably parallel. The UQ best obviously has a lot
10 more data and, you know.

11 MR. CLIFFORD: But I would say since we
12 added that last grouping of data as it became
13 available, there used to be a difference between the
14 UO₂ best fit and the MOX best fit, but that almost
15 disappeared when we added this grouping up here.

16 MR. BEYER: Correct. Correct, yes.

17 MR. CLIFFORD: Over the next 18 months
18 we're going to try to obtain further data and fine
19 tune this correlation.

20 MEMBER KRESS: I think you need a rationale
21 for why best estimate is appropriate for this kind of
22 regulation as opposed to bounding, and, you know,
23 normally conservative people use bounding approaches.

24 MR. BEYER: Well, you could add another
25 four percent or so to this line, and it would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially bounding.

2 MEMBER KRESS: Yes, it's not that it would
3 make enough of a difference to make me worry about it.
4 In fact, the whole release amount is not enough to
5 make me worry too much about it, but, you know --

6 MR. BEYER: But technically for a good
7 argument, huh?

8 MEMBER KRESS: -- you need a technical
9 rationale to it.

10 MEMBER SHACK: Except there is no such
11 thing as bounding. You can only bound the data, but
12 --

13 MEMBER KRESS: I know, so no matter what
14 you do, you'll probably have some confidence level in
15 it.

16 MR. CLIFFORD: Okay. The second of the
17 presentation we'll be dealing with coolability and
18 reactor vessel integrity, which, once again, is the
19 requirements to meet GDC28.

20 The phenomena at play during this
21 particular category of accidents is such that you need
22 to worry about a pressure pulse being generated by the
23 interaction between the fuel, either molten or near
24 molten fuel fragments as they're expelled into the
25 reactor coolant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Essentially, there is flow blockage due to
2 fission product-induced swelling of the fuel coupled
3 with cladding plastic deformation, fuel pellet and
4 cladding fragmentation and dispersal, and fuel rod
5 ballooning. These are the four phenomena that could
6 effect either long-term cooling or reactor vessel
7 integrity.

8 Here is a -- I wrote down what GDC 28
9 states. Basically it says that you cannot exceed
10 limited local yielding on your active pressure
11 boundary, and you must maintain core cooling
12 capability, and that regulation is disseminated within
13 Reg Guide 1.77, which defines the acceptance criteria
14 to meet GDC28, which states that the radial average
15 fuel at the beam must be less than 280 calories per
16 gram and that the maximum reactor pressure boundary
17 pressure cannot exceed Service Level C, which is
18 approximately 120 percent of design.

19 Now what's wrong with the current
20 criteria? As early as 1980, an evaluation was done by
21 a gentleman named MacDonald and friends, who did an
22 evaluation of the SPERT, TREAT and then recent PBF
23 test results, and he concluded that if you were to
24 subject a fuel rod to the 280 calorie per gram limit
25 that there was a good probability that you would lose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your fuel rod geometry and impair long-term cooling
2 capabilities, and had the NRC expressed the criteria
3 in fuel enthalpy versus total deposited energy, the
4 more appropriate limit would have been 230 calories
5 per gram. In addition, fuel fragmentation and
6 dispersal is not addressed, and fuel rod ballooning is
7 not addressed.

8 So what this slide states is that the 280
9 calories per gram is wrong. MacDonald, back in 1980,
10 determined that 230 was a more appropriate limit and
11 that there's other aspects of long-term cooling that
12 also need to be addressed that aren't part of the
13 current guidance.

14 The empirical database for loss of rod
15 geometry and molten fuel coolant interaction is based
16 upon SPERT and PBF test programs. The more recent
17 tests that were conducted in Europe and in Russia
18 didn't necessarily target a deposited energy which
19 would result in molten fuel.

20 They were targeting, determining the point
21 of clad failure, not the point of fuel melt. And fuel
22 fragmentation and dispersal has been reported at
23 several of these test programs. In addition, pressure
24 pulses have been measured at several of these test
25 programs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The staff has developed four interim
2 criteria. We'll first discuss the first two, which is
3 the first one is that radial average fuel enthalpy
4 must remain below 230 calories per gram, and this is
5 based on the 1980 finding by MacDonald, which is an
6 evaluation of SPERT, TREAT, and PBF. And the second
7 criteria is that fuel temperatures must remain below
8 incipient melt conditions, and the next slide shows
9 you graphically what this means.

10 The upper line here, the black, is the
11 current criteria, 280 calories per gram. The blue
12 line is what MacDonald proposed based on an evaluation
13 of the empirical data at the time. That's 230
14 calories per gram, and the green I have two
15 calculations of fuel melt temperatures. One's at a 20
16 millisecond pulse width. One's at a 10 millisecond
17 pulse width.

18 What you should take away from this slide
19 is MacDonald observed that you could lose coolable
20 geometry potentially below melting conditions, and
21 also melting -- the enthalpy required to achieve
22 melting temperatures reduces significantly with
23 burnup, and that's due to a decrease in conductivity,
24 fuel conductivity with burnup. That's due to a highly
25 edged pellet power distribution during the transient

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the rim region, and that's also due to a very high
2 burnup distribution in the rim region, which reduces
3 your melting point.

4 So the criteria from one and two combined
5 would be the lower of these lines, and it would be
6 expected that this line here, these green lines, would
7 be dependent on fuel design. So instead of trying to
8 come up with a single line, we would allow the
9 Industry to calculate using their specific fuel design
10 what their enthalpy is to achieve melt temperatures,
11 and that would be determined and submitted and
12 reviewed.

13 CHAIRMAN ARMIJO: Now the coolable geometry
14 in the low burnup range, is that ballooning? Is that
15 the issue there, yes, right in that region, the
16 MacDonald?

17 MR. CLIFFORD: This line here?

18 CHAIRMAN ARMIJO: Yes.

19 MR. CLIFFORD: MacDonald concluded that you
20 could, as you approach melting conditions, you can
21 have all of the fission product swelling, which can
22 result in cladding. He called it a loss of rod
23 geometry. Essentially your cladding started to melt
24 and flow plastically into the channels, so you had a
25 situation where you didn't have a rod type geometry,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so you couldn't guarantee cooling, in other words, if
2 this was to happen in a large region of the core.

3 CHAIRMAN ARMIJO: Okay, so it's literally
4 clad melting is the phenomenon that he's concerned
5 about.

6 MR. CLIFFORD: Right. When it's below,
7 yes. If it's at fuel melting, of course, when you get
8 fuel melting you get a volumetric expansion. You get
9 the fuel-coolant interaction and then an expansion of
10 the molten fuel into the channel, but --

11 MEMBER KRESS: This presumes a fixed value
12 for the melting temperature of UO₂?

13 MR. CLIFFORD: No. This would be
14 calculated assuming -- this is a localized
15 calculation. In other words, at a higher burnup, the
16 local burnup in the rim region would be significantly
17 higher, maybe a factor of two or three higher than the
18 average pellet burnup.

19 So say you're at 50,000 pellet average
20 burnup. You could be at 100,000 burnup, local burnup
21 in your rim region, so you would have to include the
22 decrease in burnup temperature with burnup at that
23 local area, and then you would also have to take into
24 account the tremendous edge power shape during the
25 transient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Of course, that's how you
2 calculate it. My question was do you assume UO_2 has
3 one melting temperature?

4 MR. CLIFFORD: No. It's burnup-dependent.
5 It's also dependent on other additives, but it's
6 burnup-dependent, 5080 minus, what is it, 60 per every
7 ten megawatts, something like that?

8 MEMBER KRESS: It this because you're
9 building in more plutonium and more fission products,
10 and it changes the character of the UO_2 ?

11 MR. CLIFFORD: Absolutely. That has to be
12 taken into account. That's the first two criteria,
13 and those criteria are more -- what's the word I'm
14 looking for? Those two criteria's numerical value,
15 it's very specific what it is. You calculate what
16 your fuel enthalpy is for your particular fuel design
17 to reach melting temperatures, and you have your two
18 280, I'm sorry, your 230 ceiling.

19 The next two criteria are really to
20 account for the effect of fuel coolant interaction.
21 Now we've already said there can't be molten fuel in
22 item 2, but there's still a potential to disburse
23 finely fragmented fuel particles that are approaching
24 melting temperatures, and the energy deposition or the
25 mechanical energy conversion of that dispersal needs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be accounted for in your pressure calculation. You
2 still can't exceed -- you don't want to blow apart
3 your reactor vessel. You have limits on pressure, and
4 you have to specifically account for the pressure
5 pulse generated by the dispersal of non-molten fuel,
6 and --

7 MEMBER KRESS: That means you have to know
8 how much fuel gets dispersed and what the heat
9 transfer mechanism is and what the particle sizes are
10 and things like that?

11 MR. CLIFFORD: Yes. I'll get to that in
12 the next slide. This area of the criteria is a little
13 more difficult to respond to, and the database for
14 fuel mechanical interaction is somewhat limited, and
15 we believe it needs to be accounted for, and the staff
16 is basically drawing a map, saying "Here are the type
17 of phenomena that have to be addressed, and we're
18 awaiting the Industry's response."

19 The fourth criteria is addressing the
20 effects of fuel pellet fragmentation and dispersal and
21 ballooning. This would be more flow blockage issues
22 with number 4. The empirical database is very -- is
23 limited with respect to fuel dispersal and mechanical
24 energy generated as a result of fuel dispersal.

25 Technical challenges, which will need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be overcome in dispositioning this regulatory position
2 would be that the flow channel blockage by the
3 fragmented fuel and cladding particles would need to
4 be quantified, and its effect on long-term cooling
5 would need to be qualified.

6 The same goes with fuel rod ballooning.
7 The fuel coolant interaction, mechanical energy from
8 the dispersal of the fuel would need to be evaluated,
9 and once again the pressure pulse, potential pressure
10 pulse that's generated would need to be qualified.

11 And finally, the transportation of
12 fragmented fuel particles throughout the reactor
13 coolant system needs to be assessed with respect to
14 the radiological source term, doses to the public and
15 workers, plant EQ, coolability, and potentially even
16 criticality.

17 CHAIRMAN ARMIJO: Now if this occurs during
18 -- presume that these events occur while there's full
19 reactor flow or partial reactor flow. Is that the
20 scenario we're addressing, or is that one of just
21 many?

22 MR. CLIFFORD: If you look at the TSARS for
23 the current operating fleet, whereas every other event
24 is analyzed for 30 minutes or longer, there's a
25 general requirement that the, say, a turbine trip,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they would run the event for 30 minutes. They would
2 then show that the reactor trip functions and the SFAS
3 systems were capable of mitigating the consequences of
4 bringing the transient to either a new plateau or a
5 decrease. In other words, temperatures were
6 decreasing. Pressures were decreasing. The event was
7 getting more benign with time.

8 This particular event is only analyzed for
9 five or ten seconds in all of the SRs. You don't have
10 that long-term plant response in the past where we
11 haven't requested it. It's really -- in the past
12 we've always focused on the first five or ten seconds.

13 How much fuel to you fail? Do you melt
14 fuel? And are you going to blow your reactor vessel
15 in the first five seconds? We never look at anything
16 past that.

17 CHAIRMAN ARMIJO: But coolable geometry, I
18 would think, would take -- is more than a five-second
19 problem.

20 MR. CLIFFORD: Right. Coolable geometry we
21 kind of get into the situations where we are LOCA.
22 You know, how do you evaluate, you know, what's going
23 on over a period of time? You have a requirement to
24 maintain a core coolability, but how do you
25 demonstrate that if you've got particulates of fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and cladding that's floating around in your RCS? It's
2 a difficult question to answer.

3 CHAIRMAN ARMIJO: Well, I hope the Industry
4 has some ideas on how to address these things, because
5 this is what you intend to evaluate in the
6 submissions.

7 MR. CLIFFORD: Correct.

8 CHAIRMAN ARMIJO: You want to see --

9 MR. CLIFFORD: We would like to see these
10 --

11 CHAIRMAN ARMIJO: -- documents that address
12 that.

13 MR. CLIFFORD: -- addressed and
14 dispositioned somehow. I mean, they may be able to --
15 for instance, like a PWR rod ejection is a break in
16 the upper head, so you may be able to disposition that
17 by saying the long-term transient, you know, after
18 five seconds, I going to be very similar to a LOCA,
19 because you have a break I the reactor vessel.

20 It's depressurizing. You know, you have
21 your ECCS system responding to the event as though
22 it's a small break LOCa, so maybe one of the
23 approaches would be to demonstrate that it is bounded
24 by a LOCA analysis so you don't have to go into any
25 further detail, but, you know, it depends on, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, what's presented to us. I guess we're just
2 identifying what needs to be dispositioned and then
3 allow them the flexibility of dispositioning it.

4 CHAIRMAN ARMIJO: Okay.

5 MR. CLIFFORD: Okay, the last slide is
6 implementation, and we talked about this at the very
7 beginning. The interim criteria was developed to
8 support the licensing of the new reactors, the next
9 generation of reactors and will be used by the staff
10 in their review of all the COL applications and design
11 certification documents.

12 Over the next 18 months or so, we will be
13 doing more rigorous evaluation and awaiting further
14 data from the Japanese test program and, if necessary,
15 revising the particulars of the acceptance criteria
16 and guidance.

17 Like maybe the curves will change slightly
18 if we get more data points, and maybe we'll adjust the
19 fission gas inventory as a function of pellet power,
20 and then we intend to finalize the criteria and revise
21 the impacted Regulatory Guides and probably again
22 revise the SRP to replace the interim criteria with
23 final criteria.

24 During this period, we'll also be issuing
25 -- I shouldn't say during this period. In the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two months, we intend to issue a RIS, which is a
2 Regulatory Information Summary, which is a vehicle for
3 NRR to communicate to the public and to the Industry
4 as to how we intend to implement this, because I know
5 there's a lot of concern.

6 There's a lot of confusion. Who's going
7 to implement it? When are they going to implement it?
8 You know, what's it going to look like? So we're
9 going to try to address all that in a RIS. That's our
10 plan right now and get that out on the street within
11 about two months.

12 And during this period -- as I mentioned,
13 there were two reasons why we were doing this in the
14 beginning. The first reason was to develop
15 justifiably conservative acceptance criteria and
16 guidance for the next generation of reactors, and the
17 second reason was to provide a target for the Industry
18 to use in developing a strategy for implementing the
19 final criteria, and we strongly encourage that the
20 licensees and vendors develop and submit new 3D core
21 neutronics methods and also develop a strategy for
22 dispositioning the long-term effects on coolability.

23 That's what I have.

24 CHAIRMAN ARMIJO: Okay. Any questions from
25 the Committee? Tom?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MENDIOLA: If I may, that concludes the
2 staff's presentation on this topic for today. I hope
3 it was informative, and I guess if there's any
4 suggestions on the material, how we could provide it
5 for the full Committee meeting later this week, it
6 would be helpful to understand where we could focus
7 our presentation.

8 CHAIRMAN ARMIJO: How much time do we have
9 on the agenda, Ralph, do you know, for the full
10 Committee?

11 MR. CARUSO: An hour and a half total.

12 CHAIRMAN ARMIJO: An hour and a half, so --

13 MR. CLIFFORD: That would include the
14 Industry, too?

15 CHAIRMAN ARMIJO: Yes, so it's going to
16 have to be pretty condensed.

17 MR. MENDIOLA: I mean, any suggestions you
18 may have or would like to provide us on where we
19 should focus that would be ideal, but we recognize
20 it's a very difficult topic to move quickly through
21 but just a suggestion. We can do that.

22 CHAIRMAN ARMIJO: I think we should talk
23 about that after we hear from Industry --

24 MR. MENDIOLA: Yes.

25 CHAIRMAN ARMIJO: -- and see how we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apportion the time and get some ideas what would be
2 the most effective way to get this across in some way
3 that it'll actually get finished. So if you don't
4 mind, we'll just hold off.

5 MR. MENDIOLA: That's fine.

6 CHAIRMAN ARMIJO: Since we're ahead of
7 schedule, let's keep going, and I'm assuming there's
8 no problem with continuing.

9 MR. CARUSO: No.

10 CHAIRMAN ARMIJO: We'll just keep rolling
11 through, and I think our next presentation would be
12 Dr. Ozer from EPRI and Montgomery from Anatech on the
13 interim RIA criteria.

14 DR. OZER: Good morning. My name is Odelli
15 Ozer, and I'd like to, first of all, thank the
16 Committee for giving us this opportunity to present
17 the Industry position. Also, I'd like to thank NRR
18 for having afforded us the opportunity to listen to
19 our concerns and afforded us an opportunity to express
20 them at a couple of workshops and interactions over
21 the phone, as well.

22 Even though this presentation and the
23 following presentations have either my name or Robert
24 Montgomery's name or Gary Darden's name, I'd like to
25 make the point that these are really presentations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that were prepared jointly by the working group of the
2 fuel reliability program, so they really represent not
3 just our personal views but the consensus view of the
4 working group.

5 EPRI has representation from all the U.S.
6 nuclear utilities as well as a large significant
7 number of overseas utilities, and we have all the
8 vendors participating, all the major vendors
9 participating in this, as well.

10 As far as the Industry perspective on the
11 interim criteria that were proposed by NRR, we
12 consider this criteria to be acceptable on an interim
13 basis. We are very grateful that a number of our
14 concerns have been addressed, namely the separate
15 treatment of the coolability limit. There were
16 concerns of the RIL0401 was proposing collapsing that
17 onto the failure limit, and there were a number of
18 other items, as well, that are important, and they
19 have been addressed.

20 The one problem we have is that a lot of
21 what I'm probably talking about will be based on the
22 two documents that we saw, the draft of the SRP 4.2
23 that was released early in February and the technical
24 basis document that was released in mid-January.
25 Since then, we've had a lot of discussions, and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 possible -- we anticipate that some of these changes
2 may occur in the final version of the SRP, but I will
3 be mentioning them here anyway, because we don't know
4 whether they will be there or not.

5 The areas that we feel our concerns have
6 been addressed include the recognition of the prompt
7 versus delayed pulses. This is particularly important
8 for cold BWR where the delayed pulse can be a
9 significant fraction of the total pulse.

10 So, you know, when you put a limit on the
11 BWRs, it really -- it's the prompt part that is
12 driving. The limit should be on the prompt part, not
13 on the total and things that, you know, similar things
14 with regards to clear definition of terms, but we feel
15 that there are several key areas where improvement
16 still is needed, but we think that that's really
17 something that we'll be working on for the final
18 criteria.

19 There are some issues, of course, about
20 the implementation. We had some questions about that,
21 whether these interim criteria will be implemented
22 towards the current fleet of plants, and I think that
23 has been addressed by Paul. We do have some, you know
24 -- again, because this was a question that was in
25 flux, we may be coming back to that again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But our main areas where we would like to
2 work involve the amount of conservatism that is
3 included in the failure threshold. We feel that the
4 RIL0401 still has exercised, you know, too much
5 influence on the failure, definition of the failure
6 threshold, and we are concerned about the extent of
7 work that will be needed to address the coolability
8 issue on an industry-wide basis, but we look forward
9 towards working with NRR toward development of these
10 improvements in time for the final criteria.

11 We are also a little concerned about the
12 timing. You know, if the final criteria are targeted
13 for 18 months from now, it really -- it's not much
14 time. We're concerned that there won't be much more
15 experimental evidence coming in within the next 18
16 months.

17 Our perspective on RIA. First of all, in
18 the last ten years since it became evident that high
19 burnup fuel may fail at a lower level than the
20 criteria that were present, the industry has invested
21 a considerable amount of R&D resources into this
22 issue. We studied it thoroughly, and I feel that we
23 obtained a very good understanding of the key
24 phenomenon that are in action here, and we feel that
25 the test results can be explained in terms of just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pellet-cladding mechanical interaction in the burnup
2 range that we are interested in, the time-temperature
3 history resulting from the energy pulse and the
4 cladding ductility.

5 Public expense puts pressure on the
6 cladding strain, and the question is whether cladding
7 will withstand or the cladding has enough ductility to
8 withstand that. There are no magic, no unanticipated
9 phenomena that are taking place at least, again, in
10 the burnup range that we're interested in and within
11 the enthalpy levels that we're interested in.

12 This is -- you know, we've been planning
13 this for the last few years. Most recently this has
14 been -- there has been a seminar, a workshop at CABRI
15 where this was really organized, I think, at the
16 recommendation of NRC that CABRI sits back and tries
17 to summarize the lessons learned from all the
18 experiments, and I have some backup slides in the
19 handout about what the lessons learned were from this
20 CABRI seminar. They are pretty consistent with what
21 we have been saying all along.

22 To obtain this understanding, we developed
23 a mechanistic methodology for the analysis and
24 predictions of both the experiments and what will the
25 response be in a reactor. It's rather

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 straightforward.

2 We used a fuel photomechanical code with
3 FALCON. It's a 2D final element methodology code, and
4 it's very simple. We just input the power pulse that
5 the test rod sees during the test and tried to
6 calculate what is going to be the pellet response.

7 Now this is a plot of half of the pellet.
8 This is the outside boundary, this is the cladding
9 region, and this is the center of the pellet, and
10 originally the temperature is low. The first thing
11 that we noticed is that it starts to rise in the rim
12 region here, and very quickly it rises way up while
13 the center of the pellet follows, and eventually the
14 rim temperatures decrease slowly while the center of
15 the pellet feels the impact of the energy pulse, and
16 long after the energy pulse is over we have a
17 parabolic distribution as before.

18 The thing to note here is that very early
19 on the cladding temperature is very low. It's down
20 here, and it heats up, eventually heats up, so the
21 question is do we have enough time to heat up the
22 cladding to improve its ductility. Very narrow pulse,
23 we don't have the time. You know, wider pulse, the
24 cladding heats up and has much more ductility.

25 CHAIRMAN ARMIJO: Now this preferential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heating at the periphery of the pellet, is that valid
2 for fresh fuel, as well as high burnup fuel?

3 DR. OZER: No, this is for high burnup
4 fuel. You have to have a rim.

5 CHAIRMAN ARMIJO: Okay.

6 DR. OZER: You have to have a rim, and, in
7 fact, I will be talking a little later about the
8 differences between UO₂ fuel, which has a rim, and MOX
9 fuel, which does not have a rim like the UO₂ fuel but
10 has many multiple rims around each of the plutonium
11 grains within the pellet.

12 Now, so we use this to -- this calculation
13 of temperatures and pellet expansions and pellet --
14 stresses that the pellet will exert on the cladding to
15 determine the cladding strains, and we compared those
16 to the measured strains. So this is a calculated
17 strain, and these are the measured points for EPRI
18 tests.

19 So this is, you know, a basic difference
20 between our approach and the approach that NRC has
21 used is that we start from basic principles, try to
22 calculate, see whether we can predict what's happening
23 in the experiments, and then we go to try to make a
24 prediction in a reactor, whereas -- you know, so we
25 use the experiments, the RIA simulation experiments,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 primarily to validate our approach, to give us
2 confidence that what we're doing is correct.

3 CHAIRMAN ARMIJO: Now just to make sure I
4 understand, is this one validation step that you've
5 gone through?

6 DR. OZER: This is just an example.

7 CHAIRMAN ARMIJO: Okay, but there's been
8 more? You've done it for more rods --

9 DR. OZER: That's right.

10 CHAIRMAN ARMIJO: -- and fed that back into
11 your model?

12 DR. OZER: Exactly, yes.

13 CHAIRMAN ARMIJO: Okay.

14 DR. OZER: And all of that has been
15 documented in a report, and we use this knowledge to
16 propose changes to the criteria. We found that we
17 obtained very good agreement with the measurement on
18 all non-failed cases.

19 We found that we -- you know, there is
20 something funny about the failed cases, and we went
21 and looked at them, and in every case they turned out
22 to be some unique characteristic. Either the tests
23 were done at room temperature, or in the case of
24 CABRI, they were done on severely spalled, and
25 cladding has really large hydride blisters, or they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were MOX fuel.

2 So we proposed criteria and several of
3 those were reviewed to NRC in a topical report in
4 April of 2002. You know, since submitting this
5 report, we also had several workshops to discuss the
6 technical approach that was used, the assumptions that
7 were used, and we provided NRC staff with training on
8 the use of the FALCON code. In fact, we offered them
9 the FALCON code so that they could try to duplicate or
10 try to do an independent evaluation of our results.

11 The topical that we submitted was not
12 accepted. We received a number of questions
13 indicating staff concerns. They were primarily with
14 how we treated the uncertainties in mechanical
15 properties. Again, we used the mechanical properties
16 to feed the code to calculate what happens in the
17 test.

18 Well, there is less scatter in the
19 mechanical properties, and we used the best estimate.
20 You know, they were suggesting different approaches,
21 you know, and we used a metric to determine when fuel
22 fails, which we call the strain energy density,
23 critical strain -- we use critical strain energy
24 density.

25 We could have used another metric. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could have used total, you know, plastic elongation,
2 and, in fact, you know, that was questioned that we
3 are using this new metric, and there were some
4 concerns with our coolability limit approach, as well.

5 One thing I'd like to point out about the
6 metric that we used is that you could use a different
7 metric, but if you use a similar approach, you end up
8 with pretty much similar failure occurs. This is the
9 plot that we took out from a presentation put together
10 by the Swedish authorities and presented various
11 places, ANS meeting and the CABRI meeting by Jan In de
12 Betou from the Swedish Nuclear Power Inspectorate,
13 and, you know, what he calls present study here is
14 really the Swedish study, which is this line here, and
15 he compares that to the line that we proposed, which
16 drops really below his estimate, and he also included
17 a calculation done by Battelle-Northwest using FRAPCON
18 and also total elongation, I believe.

19 Now, you know, yes, there are some
20 differences, but you can see that these all bunch
21 pretty much together. This is the staff research
22 proposed failure criteria proposing RIL0401. It's way
23 down. It's inconsistent.

24 MEMBER SHACK: Now on that best estimate,
25 as I recall that data, I mean, it was truly a shotgun.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OZER: Yes. It was. Well, there are
2 large variations, and we can treat them -- what we did
3 was to do a best estimate to that data and then tried
4 to use a very conservative burnup-to-oxide. You know,
5 we need to -- we tried to translate this to a burnup
6 space, you know, so this is burnup here.

7 So to go from, you know, to go to burnup
8 from, you know, the real variable, which is hydrogen,
9 and we were using oxide as the surrogate, to go from
10 oxide to burnup we used a very conservative oxidation
11 curve for Zirc-4, which should have really covered it.
12 And, yes, we --

13 MEMBER SHACK: Why didn't you just use a
14 conservative one for the failure criteria instead of
15 the best estimate? I mean, that would seem like the
16 logical place to put the conservatism, where you have
17 all the scatter.

18 DR. OZER: Yes, if we had done that and
19 used a conservative oxide-to-burnup approach, as well,
20 we would have predicted every surviving test to have
21 failed, whereas, you know, our predictions of the
22 surviving tests are pretty good. So, you know, that
23 would have been an overly conservative approach, but,
24 you know, what we could do is --

25 You know, since then, since we've received

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this feedback, we've been looking at different ways of
2 addressing the uncertainty issue, and we have done a
3 statistical approach. We tried to eliminate some of
4 the tests that were not that relevant to RIA, let's
5 say, focus on a burst test, for example. Just use
6 burst tests. Try to fit those and do, you know, a
7 statistical 95-95, whatever, approach.

8 We also even tried a Monte Carlo approach,
9 and, you know, we can get different results with
10 those. You know, some are lower, but they are still
11 higher than the RIL0401 guidance.

12 MEMBER SHACK: I notice you didn't --
13 there's a criticism of FALCON that it under-predicts
14 fuel temperatures. Is that something that you've
15 agreed with in the SCR?

16 DR. OZER: Robbie, can you comment on that?

17 MR. MONTGOMERY: I can comment on that,
18 yes. Robert Montgomery from Anatech. We didn't list
19 it on the slide. We've provided the staff with our
20 input on that. We don't believe it underestimates the
21 fuel temperatures.

22 DR. OZER: Now, you know, so this was a
23 comparison with RIL0401. As far as the interim
24 criteria is concerned, we did participate in their
25 development. We provided oral comments at NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 workshops and responded to, you know, provided
2 technical input for the written and oral and provided
3 written documents on the draft criteria.

4 Some of these have been incorporated into
5 the technical justification document, in particular
6 the improved definition of non-PCMI failure criteria,
7 the recognition of the prompt versus delayed pulse
8 effect, the consideration of the role of hydrogen,
9 particularly for BWRs, and we've identified areas for
10 further improvement.

11 Now as far as a summary of the remaining
12 that we have, they have to do with implementation, the
13 enhancement of the technical basis for the PCMI
14 failure criteria, and the definition of the approach
15 and methods needed to address the coolability issue.

16 Now as far as the implementation of the
17 current plans, you know, we were very concerned about
18 whether they would be -- the interim criteria would be
19 implemented to the current plants, and there was a
20 letter that was put together under NEI's auspices, and
21 that was submitted to NRC.

22 Essentially, the letter says that since
23 these are interim criteria, and final criteria are
24 expected only within, you know, a short time that we
25 should really be focusing -- you know, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implementation is to be considered, it should be on
2 the final criteria and should provide sufficient time
3 so that the appropriate methodology is developed, and
4 we felt that early, you know, too early implementation
5 may have a considerable impact on the core design
6 process.

7 As far as our concern with the failure
8 criteria are concerned, we feel that the failure
9 criteria still are a subjective lower bound of
10 adjusted RIA-simulation tests. Again, we have to
11 adjust the RIA tests to give us an idea of what that
12 fuel would have responded like if it was in a reactor
13 situation.

14 So you're taking room temperature rods,
15 rods that have experienced a four millisecond pulse,
16 and tried to translate those into, you know,
17 pressurized high temperature, or in the case of BWRs
18 we argue that if it's at room temperature the pulse is
19 much wider, so almost an order of magnitude wider.

20 MEMBER SHACK: Odelli, I'm getting
21 confused.

22 DR. OZER: Sure.

23 MEMBER SHACK: If you go back to your slide
24 7, this criterion, that's the thing. Now do you agree
25 with the comparison that they've made in the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis document between the interim criteria? I'm
2 assuming that your mechanistic one here you've --
3 everybody's plotting against different variables, so
4 I can't get a one-to-one comparison.

5 DR. OZER: Yes. Right.

6 MEMBER SHACK: Is their translation of your
7 criterion onto their plot, do you think they've done
8 it correctly?

9 DR. OZER: In what Paul has presented or --

10 MEMBER SHACK: What Paul presented.

11 DR. OZER: Yes.

12 MEMBER SHACK: That's really the -- we're
13 still talking about the same curve, or is that a
14 different curve?

15 DR. OZER: Go ahead.

16 MR. MONTGOMERY: The curve that Paul
17 plotted is a different curve than the one that was
18 submitted in 2002. That's in the -- that Odelli's
19 talking about and showing here on this curve.

20 MEMBER SHACK: Okay, so that's a different
21 curve still, so there's three curves floating around.

22 MR. MONTGOMERY: Yes, and that one has not
23 been finalized or submitted to the NRC for any review
24 or anything at this point. This is just --

25 MEMBER SHACK: How would this curve look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compared with this curve if I plotted them against the
2 same variables?

3 MR. MONTGOMERY: Dr. Shack, you'll have to
4 be a little more specific which is this curve and
5 which is that curve.

6 MEMBER SHACK: Paul's curve with -- he's
7 got fuel enthalpy rise and oxide wall thickness versus
8 this curve where I have radial average fuel enthalpy
9 and burnup.

10 MR. MONTGOMERY: Okay.

11 MEMBER SHACK: And I can't compare the
12 curves at all, because I've got different variables.

13 MR. CLIFFORD: If you look at my slide 14,
14 the green dotted line was what we call a 95 percent
15 lower bound. That's something they provided --

16 MEMBER SHACK: Since.

17 MR. CLIFFORD: -- since, but if you were to
18 take that point at 150 calories per gram and just draw
19 it out all the way to about .16 and then start
20 lowering it slowly, that would be more in line with
21 what the original entry was, yes.

22 MEMBER SHACK: The original plot. Okay.
23 Okay.

24 MR. CLIFFORD: You agree with that?

25 MR. MONTGOMERY: I would agree with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: And, you know, that curve,
2 again --

3 MR. MONTGOMERY: About .12 when it would
4 start to drop down. Is that what you said?

5 MR. CLIFFORD: I said .16.

6 MEMBER SHACK: He said .16, but close
7 enough.

8 MR. MONTGOMERY: I think closer to .12,
9 but, you know.

10 MEMBER SHACK: At least it gets us
11 somewhere in the same universe.

12 MR. MONTGOMERY: It should be noted, just
13 to finalize this or at least clarify this, it should
14 be noted that in the original proposal that's shown on
15 the figure here in terms of burnup, we did not
16 consider the effects of spallation. Spalled rods were
17 not considered in the development of that curve.

18 In the development process that we looked
19 at in the curve shown in Paul's slide, slide number 14
20 that says "EPRI mechanistic 95% lower bound," that
21 curve was developed considering the effect of
22 spallation, so there is a different-end approach that
23 we are currently exploring to consider the effects of
24 spallation and at least identify how they would impact
25 a statistical assessment, and then we can decide later

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on which approach we want to take, considering
2 spallation or not, so in the figure that's shown or
3 the curve that's shown on slide 14 in Paul's
4 presentation includes the effect of spallation, which
5 the previous study did not.

6 MR. CLIFFORD: Another important point is
7 you had mentioned earlier that why did they use a best
8 estimate fit and then put the conservatism in the
9 burnup talks like conversion. The slide here on 14,
10 the line here is a 95 percent lower bound, so it's not
11 the earlier best estimate fit.

12 MEMBER SHACK: Yes, but did you get the 95
13 percent from the Monte Carlo on all the uncertainties,
14 or is this just a 95 percent on the CSD?

15 MR. CLIFFORD: 95 percent of a Monte Carlo
16 of all the uncertainties.

17 MEMBER SHACK: All the uncertainties.

18 MR. CLIFFORD: That's correct.

19 MEMBER SHACK: Okay, which seems like the
20 way to do it.

21 MR. MONTGOMERY: Yes. Now you get into the
22 discussion of the data that you use and what you
23 consider in terms of spallation and that sort of
24 thing.

25 DR. OZER: Yes, that curve was -- again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've been working, trying to address the
2 uncertainties in different ways, and we did not
3 identify it in a formal topical report. That's --

4 MEMBER SHACK: That's not an official EPRI
5 curve.

6 DR. OZER: The concerns that we have with
7 the current, the proposed failure criterion for the
8 interim criteria is the use -- the adjustments that
9 were made to the data contain some really questionable
10 assumptions, and we question the applicability of
11 FRAPTRAN to this kind of RIA situation where it hasn't
12 really been very well validated, we feel.

13 As far as the assumptions, in order to
14 match the observed results, they have to assume that
15 the cladding gap for these high-burnup rods was of the
16 same magnitude as fabricated, fresh-cut. Otherwise,
17 you know, they could not predict the observed, you
18 know, strains.

19 And the assumptions that were made, that
20 there is no difference between UO₂ and MOX response,
21 that room temperature and hot-zero power cladding
22 ductility is pretty much the same -- it doesn't change
23 that much -- and that high corrosion cladding with
24 spalled and unspalled cases responded the same way,
25 and this results in a failure criterion that that is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, lower than it needs to be for moderate oxide
2 thicknesses due to these biases.

3 CHAIRMAN ARMIJO: As far as that gap issue,
4 if all of these rods were prefabricated before the
5 test, you know, how does anybody know what the gap is?
6 I mean, there's a lot of machining and drying out,
7 rewelding, refilling the gaps. How does anybody know
8 what the gaps are?

9 DR. OZER: In the RIA tests they are
10 conditioned. They run for a while, and, I mean, the
11 cladding is the same cladding, and they're just
12 putting encaps, so, you know, if the cladding has
13 collapsed, they will not pressurize it to the point
14 that it will, you know, expand again, so it will have
15 the gap that it has at the end of life, but, you know,
16 you may question whether they --

17 CHAIRMAN ARMIJO: Well, whether it's
18 fragmented fuel, whether it's relocated during the
19 cutting and the machining and welding end plugs, a lot
20 of things happen. I'm just wondering how.

21 DR. OZER: Well, all of those things will
22 tend to make the gap even smaller.

23 CHAIRMAN ARMIJO: Yes.

24 DR. OZER: So, you know, assuming that you
25 have initial gaps is really going the wrong direction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: Okay.

2 MR. MONTGOMERY: Dr. Armijo, I should also
3 point out that these are primarily high burnup rods,
4 so the residual gap is quite small to start with, so
5 even if there is some uncertainty, if it's five
6 microns versus ten microns, it's not going to be a
7 huge effect on the performance of the rod either in
8 the predictions or the test itself.

9 CHAIRMAN ARMIJO: So how does that compare
10 with the as-fabricated gap that was the adjustment
11 made by --

12 MR. MONTGOMERY: The as-fabricated gap
13 would be on the order of about 100 microns, 90 to 95
14 microns, so we're talking about a residual gap on the
15 order of five percent or less typically for these high
16 burnup rods.

17 CHAIRMAN ARMIJO: Okay.

18 DR. OZER: I would like to address all of
19 these points one by one. First of all, as far as MOX
20 versus UO_2 , it's very obvious that, you know, MOX
21 doesn't have a rim in the same sense as UO_2 . Instead
22 it has multiple rims around each of the grain, each of
23 the plutonium oxide grains, and that results in more
24 of the pellet responding to the challenge, and, in
25 fact, to produce the same amount of stress on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cladding that a MOX rod that is hit with 80 calories
2 per gram energy input, if you want to produce the same
3 amount of strain with a UO₂ pellet, you would have to
4 hit that UO₂ pellet with probably twice that amount of
5 enthalpy.

6 So, you know, they are pretty different,
7 you know, different types of fuel, and in countries
8 where MOX fuel is utilized extensively, they either
9 have implemented separate MOX criteria or are
10 proposing to use separate MOX criteria.

11 CHAIRMAN ARMIJO: And would those be more
12 conservative than the UO₂?

13 DR. OZER: Oh, yes. The MOX criteria would
14 be lower than UO₂.

15 CHAIRMAN ARMIJO: And specifically what's
16 that? Is that French or what? What country is it?

17 DR. OZER: The Swiss have, I believe,
18 implemented already. The French are proposing. The
19 Japanese, I don't know. Rob?

20 MR. MONTGOMERY: I can't speak to the
21 Japanese.

22 CHAIRMAN ARMIJO: Okay.

23 DR. OZER: There is also -- in RIL0401
24 there is the argument that there isn't really that
25 much improvement in the elasticity of the cladding as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you go from room temperature to high temperature to
2 operating temperatures. This is a bunch of NFIR burst
3 tests. These are at room temperature. These are at
4 operating temperature, 300, 350. There is a factor of
5 almost three improvement in total plastic elongation.

6 There is the claim that hydride blisters,
7 you know, don't play a role, and yet all the failures
8 that we see originate at hydride blisters. You have
9 brittle failure which then propagates by a tear. In
10 cases where you have non-spalled situation, you go to
11 an eight percent extension, and you finally fail here,
12 whereas when you have spalled oxide, one and a half
13 percent is sufficient because of the initiation of the
14 crack within the blister. Again, it's hard to see,
15 but this is the blister here, and here is a blister.

16 MEMBER SHACK: Well, the SCR says that the
17 cladding cracks were not associated with hydride
18 blisters or spalled locations.

19 DR. OZER: We disagree with the SCR.

20 CHAIRMAN ARMIJO: Well that's a -- you have
21 a factual disagreement.

22 DR. OZER: Well, I don't think that we are
23 the only ones to disagree with this. In fact, one of
24 the things that comes up from the CABRI symposium --
25 do you know what slide it is, what's the number of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MR. MONTGOMERY: 23 and 24.

3 DR. OZER: Here, these are the main
4 conclusions of the CABRI seminar based on the tests,
5 the CABRI tests. Hydride content distribution and
6 orientation is the main parameter leading to the
7 decrease in cladding ductility.

8 Non-spalled UO₂ rods have sufficient
9 ductility at 80 to 100 microns of oxide thickness to
10 survive up to 100 calories per gram. I mean, this is
11 the CABRI program participants' conclusion.

12 CHAIRMAN ARMIJO: That is a working group.

13 DR. OZER: It consists of the
14 representatives from regulatory agencies from all over
15 Europe and Japan. NRC participates in that, the
16 French, of course.

17 CHAIRMAN ARMIJO: So the question is
18 whether you have spalled rods in the power plants.

19 DR. OZER: Whether you -- it's not only --
20 spallation by itself is not sufficient. You have to
21 operate in a spalled mode for long enough to form a
22 hydride blister. It's the blister, the hydride
23 blister, that is reducing the ductility of the
24 cladding. Incipient spallation, it is questionable,
25 you know, what the effect will be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: Okay.

2 MEMBER SHACK: Just let me ask the staff if
3 they have any comment on that. I mean, your statement
4 is that the spalling did not cause early failure but
5 simply was a consequence of heavy oxidation that
6 performed, produced uniform hydrides, which degraded
7 ductility. So everybody agrees that having lots of
8 hydrogen and hydrides is bad. The question is whether
9 the blisters and the spallation itself played an
10 actual role.

11 MR. CLIFFORD: I'll defer this to Harold.
12 That position was developed by Research.

13 MR. SCOTT: This is Harold Scott from the
14 Office of Research. I guess we weren't prepared today
15 to rebut all of the industry items, but I don't think
16 you should assume that because we're not that we agree
17 with what they're saying.

18 As an example, in the CABRI tests there
19 were many cracks found in the PIE metallography that
20 were not associated with the blister. They just
21 didn't happen to be the one that cracked through
22 first. We don't know if it --

23 CHAIRMAN ARMIJO: No, but the primary crack
24 is what's of interest, the one that actually caused
25 the failure. There can be subsequent cracks that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not particularly interesting. You know, it's the one
2 that actually causes the thing to fail. If the
3 primary started at blisters, you know, we'd certainly
4 like to know that.

5 MR. SCOTT: I don't remember exactly, but
6 it seemed like in one of the tests there were several
7 cracks that actually went through the wall.

8 CHAIRMAN ARMIJO: It kind of makes --

9 MEMBER SHACK: There still is a debate
10 going on.

11 MR. SCOTT: There's a debate going on.

12 CHAIRMAN ARMIJO: But it kind of makes
13 sense that there's a lot more hydrogen in a blister
14 than there is in just a uniformly distributed rim, and
15 if hydriding is the mechanism, it's reasonable to
16 expect that the highest concentration of hydrides is
17 where you would have your minimum ductility.

18 MR. SCOTT: That would be true.

19 CHAIRMAN ARMIJO: So this kind of hangs
20 together, this argument that the blister is certainly
21 representative of spalled rods, and I certainly know
22 that spalled rods can exist in power reactors. Maybe
23 that's old fuel versus new fuel. I don't know, but I
24 wish -- I'd sure like to see the staff address that so
25 that we just aren't arguing that cracks don't form in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blisters or the cracks do form.

2 MR. SCOTT: Didn't.

3 MEMBER SHACK: You're testing the --

4 CHAIRMAN ARMIJO: Yes. This is an issue of
5 fact rather than judgment, and so I'd sure like to get
6 that cleared up so that we --

7 MR. SCOTT: The tests in the Japanese in
8 SRR were not spalling. They have cracking failure. So
9 go back to Odelli's slide of the strain, the uniform
10 elongation versus, yes, total elongation.

11 If we plot other data, it may not show
12 that strong a trend. It also, in the analysis that we
13 did, we found that making the assumption we did gave
14 a closer representation of the data and the analysis,
15 and this one would seem to give a -- spread the data
16 points apart after you adjusted them by using a
17 stronger temperature versus elongation.

18 CHAIRMAN ARMIJO: Okay, so we can conclude
19 there's a disagreement.

20 MR. SCOTT: Yes.

21 MEMBER SHACK: That much is clear.

22 CHAIRMAN ARMIJO: It's clear. Okay.

23 DR. OZER: To address the question of how
24 much spallation we would have to assume can exist in
25 current fleet of reactors, I'd like to note that none

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the advanced cladding have shown any indication of
2 having spalled. M5 cladding, you know, just doesn't
3 oxidize that much, and ZIRLO cladding, even at high
4 oxide thicknesses, the rod that was pushed to really
5 high oxide thicknesses in the vendor's reactor by
6 irradiating an extra cycle under rather high-duty
7 conditions did not spall.

8 So in keeping that in mind, you know, that
9 the cladding that's most susceptible to spalling is
10 Zirc-4, this is the current inventory in U.S. PWRs.
11 The red line here is ZIRLO, and it's almost, you know,
12 67 percent. M5 is 12.5 percent, so, you know, this is
13 80 percent of the total fleet is advanced cladding.

14 The only plants -- there's only 20 percent
15 of the inventory is Zirc-4, and this really tends to
16 be in plants that don't have a high-duty expectation,
17 so the probability of spallation is very small, and
18 this is really the trend is for these to go down and
19 these to go up, looking at just, you know, last year
20 versus this year and projected.

21 So, you know, we need to keep that in mind
22 when assigning weight to the spalled rods in
23 determining the --

24 MEMBER SHACK: But again, the proposed
25 criteria wouldn't penalize the ZIRLO, because it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to have a thick enough oxide to put you out on
2 that --

3 DR. OZER: You would have to develop --
4 yes, you would have to develop special criteria for
5 ZIRLO or justify ZIRLO can use a different set of
6 criteria. I think, you know, Paul showed a line that
7 --

8 MEMBER SHACK: Wouldn't his -- his criteria
9 with the oxide thickness, doesn't that kind of cover
10 ZIRLO, because it's going to have a thin enough oxide
11 that you're going to be down in that, the high energy?

12 DR. OZER: It will not cover ZIRLO. It may
13 cover M5.

14 MEMBER SHACK: M5 but not ZIRLO. Okay.

15 DR. OZER: But not ZIRLO, and ZIRLO should
16 not be penalized for spalling.

17 CHAIRMAN ARMIJO: You're saying ZIRLO
18 shouldn't be penalized for spalling if it's not
19 actually happening there.

20 DR. OZER: Yes. We have not seen any.

21 MEMBER SHACK: So ZIRLO is going to be
22 somewhere in this .12 range that you're concerned
23 about.

24 DR. OZER: Yes.

25 MR. MONTGOMERY: Actually, it's more like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 .8. Once you get to .08, you've kind of reached your
2 -- that's like 50 microns or so.

3 CHAIRMAN ARMIJO: As long as we're at it,
4 for the BWRs, Zirc-2, do you have something similar
5 for that? Is the improved Zircoloid 2 more resistant
6 to spalling than the older versions?

7 DR. OZER: I'm sorry, I don't have that
8 information.

9 CHAIRMAN ARMIJO: Okay.

10 DR. OZER: The areas where we would like to
11 see the BWR criteria improved is -- you know, Paul
12 showed you a curve that we fixed to NSRR data, and
13 those NSRR data were obtained with four-millisecond
14 pulses versus a 30-millisecond pulse that we would
15 expect in an actual BWR, so, you know, we're adjusting
16 the PWR data upwards to account for these differences.
17 We feel that the BWR data should be adjusted, as well.
18 So, you know, we just feel that those are
19 conservative. What has been proposed is conservative.

20 There is some concern about the
21 application of the interim criterion to hot-zero power
22 cases. We feel that when you allow the BWR cladding
23 to heat up, the criteria that we propose for PWRs
24 should be applicable at high temperatures, so, you
25 know, you should be able to switch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: You're saying the
2 cladding mechanical properties should be adjusted.

3 DR. OZER: Well, the criteria should be.
4 We should be allowed to use the PWR criteria for BWRs
5 at hot power.

6 MR. MONTGOMERY: Because of the improvement
7 in the mechanical properties of the BWR cladding, it
8 should go from room temperature to hot conditions.
9 It's because of the mechanical properties.

10 DR. OZER: And there is some concern about
11 the language that is being used, because, you know,
12 we're using the most conservative -- we're using the
13 lower amount of the experimental data, and that has to
14 be combined with the most limited accident analysis,
15 so it seems like we're piling up uncertainties all in
16 the same direction.

17 This is some data to show the improvement
18 in the BWR cladding mechanical behavior with
19 temperature. What we have here is EDC test,
20 elongation due to contraction tests, expansion due to
21 contraction tests. These are tests where irradiated
22 cladding segments or pre-hydrided cladding segments
23 are filled with a plastic core, and then the plastic
24 core is pushed to expand to simulate an RIA
25 experiment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what we have, what we see here is that
2 when you have zero hydrogen, you have quite a bit more
3 ductility than at room temperature, and then as you
4 heat up, it quickly goes up. These points are failure
5 points, so obviously the line has to be low all the
6 failure points. This is a surviving point.

7 Now if we have some -- if we have a
8 significant amount of hydrogen, like 250 to 350 ppm,
9 the initial ductility is lower already at room
10 temperature, and it takes longer for it to improve,
11 but eventually it does improve.

12 It improves at 150 degrees. If you have
13 300 to 500 ppm hydrogen, it takes still longer, but
14 still there is an improvement. Now we're not talking
15 about such high hydrogen concentrations.

16 So we feel that there are some potential
17 areas for improvement in the final failure criteria.
18 Both the newer experimental data will help, as well as
19 a fully qualified analytical approach to -- you know,
20 if we are going to use adjusted data, let's use
21 qualified, knowledgeable approach, and account for the
22 most severe loading from MOX, account for the improved
23 cladding ductility as temperature goes up, and the
24 improved cladding mechanical response if we don't have
25 spallation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And my next plot shows what I mean. This
2 is pretty much the data that -- the PWR data that has
3 the adjustments of adjusted RIA simulation tests.
4 These are the SRR tests. These are the CABRI tests,
5 and this is the CABRI MOX test, and the failure
6 criterion that has been proposed fits this, you know,
7 has been proposed to fit this data.

8 What we believe is that the adjustments
9 are not enough. These are just a temperature
10 adjustment. These points would move up here if they
11 were adjusted using -- you know, if this were to move
12 up here, this one would move up here.

13 CHAIRMAN ARMIJO: That's just a temperature
14 correction?

15 DR. OZER: Just a temperature difference.

16 CHAIRMAN ARMIJO: Okay.

17 DR. OZER: Now MOX. We go from here up to
18 here if we account for, again, the stress that would
19 be exerted by the UO₂ pellet on the cladding. So we
20 would propose to raise the failure criterion,
21 particularly in this range here, which is really the
22 most important range for operating the reactors, and,
23 you know, this would be taking into consideration the
24 spalled rods, and if we don't take into consideration
25 the spalled rods, we would have a curve like this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's really a shame that most of the
2 future experiments are focusing in this range of oxide
3 thicknesses, and, you know, these are beyond the
4 currently licensed oxide thicknesses, and we don't
5 expect to get there. We should be looking more in
6 this range, and we should be looking more at the
7 differences between MOX and UO₂,but, you know, we hope
8 that, again, using a better, more systematic approach
9 we can justify using this kind of a curve.

10 CHAIRMAN ARMIJO: Is there any chance of
11 convincing the funding agencies or sponsors of these
12 future tests to focus in the area of interest to
13 operating plants? I don't know who makes those
14 decisions, but that's where you'd put your money.

15 DR. OZER: Well, it's, you know, we may
16 have a chance with the CABRI experiments, especially
17 if we can get NRC's support. You know, we are both
18 participating in that, but again, it's we would have
19 to convince the other sponsors of the CABRI program
20 that this is a good approach, that this is where the
21 data is most needed.

22 We have less control over the NSRR
23 experiments, because they are sponsored by the
24 Japanese government, but again, we can try to convince
25 them. That's the only thing we can do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Excuse me. This is Harold
2 Scott. Could I just comment on -- since you moved
3 that MOX point so far, but you had a slide before that
4 said that the strain is primarily a function of the
5 thermal expansion. Well, the thermal expansion of MOX
6 is not twice UO_2 , so I don't know why that point moves
7 so far.

8 DR. OZER: To produce the same amount of
9 strain on the cladding that a MOX rod would produce
10 under 80 calories per gram, you would have to insert
11 150 or 140 calories per gram into a UO_2 pellet. It's
12 --

13 MR. SCOTT: Is it the neutronics? Is the
14 neutronics there not --

15 DR. OZER: It's not twice the expansion.
16 It's where, you know, where the expansion is
17 happening, you know, the rim being on the outside in
18 the UO_2 versus, you know, the entire pellet
19 contributing in the case of MOX.

20 MR. SCOTT: Well, that's one answer, I
21 guess. Okay.

22 MR. MONTGOMERY: Harold, let me see if I
23 can try to answer that question for you. The
24 conclusions from the CABRI seminar were only focused
25 on UO_2 , so the conclusion that -- UO_2 pellets, so the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusion that the primary driving force for clad
2 loading is from thermal, pellet thermal expansion,
3 only applied to UO₂, not MOX.

4 In MOX you have an additional component.
5 That could be the contribution of fission gas
6 expansion in the plutonium conglomerates that could be
7 expanding the pellet additionally above the thermal
8 expansion.

9 CHAIRMAN ARMIJO: So there's more than one
10 mechanism in play in MOX fuel.

11 MR. MONTGOMERY: That is the current
12 expectation, yes.

13 MEMBER SHACK: Yes, but that seems to be
14 counter to this one, that it takes so much more energy
15 to get another mechanism to drive it up.

16 MR. MONTGOMERY: What we're saying there is
17 that that rod failed at somewhere 100 calories per
18 gram as a MOX rod, but the cladding strain that it saw
19 was about -- which would be the expected amount to
20 cause it to fail. To get the same amount of cladding
21 strain in the UO₂ rod, you'd have to increase it to a
22 higher level. So that's the -- the hash symbols there
23 are the translated data point into a UO₂ space.

24 CHAIRMAN ARMIJO: Okay.

25 DR. OZER: As far as the coolability limit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is concerned, we see that there's a fair amount of
2 effort that will be required to disposition of it.
3 There are two concerns.

4 One is the short-term, the impact of hot
5 particles being released into the coolant and the
6 pressure pulse that may result from that, and ten
7 there is the longer term concern that Paul talked
8 about that the redistribution of the disbursed
9 material and the coolability questions, the ballooning
10 and so on.

11 I think what we would like to do in this
12 area is really try to see whether they can be -- to
13 what extent they can be addressed on a generic basis,
14 maybe provide a reference so that individual licensees
15 can decide whether they want to use that or whether
16 they need additional relief to do some additional
17 calculations of their own.

18 CHAIRMAN ARMIJO: Topical reports that
19 other people could reference --

20 DR. OZER: Yes.

21 CHAIRMAN ARMIJO: -- and justify applies to
22 their plants.

23 DR. OZER: Yes.

24 CHAIRMAN ARMIJO: Okay.

25 DR. OZER: So as far as the "final"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria is concerned, we look forward towards working
2 with NRC to reach consensus on these. We hope to
3 enhance the technical basis of the failure criteria
4 using the newer data and improved analytical methods
5 and develop approach to disposition the coolability
6 concerns.

7 CHAIRMAN ARMIJO: So you don't really --
8 your next-to-last slide, you're saying as far as the
9 things that needs to be addressed, you're not
10 objecting to that. It's just how to do it efficiently
11 --

12 DR. OZER: Yes.

13 CHAIRMAN ARMIJO: -- is your issue.

14 DR. OZER: I think they need to be
15 addressed. They need to be looked at.

16 CHAIRMAN ARMIJO: Okay. Thank you.

17 DR. OZER: Thank you.

18 CHAIRMAN ARMIJO: These are the backup
19 slides.

20 DR. OZER: Yes, the backup slides are the
21 conclusions from the CABRI seminar, and, you know, --

22 CHAIRMAN ARMIJO: It might not hurt to just
23 -- we've got a little bit of time -- just to --

24 DR. OZER: Well, I talked about the first
25 one, which is that the hydride distribution

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 orientation is the main factor and that non-spalled
2 rods can survive to 100 calories per gram, so we
3 expect the non-spalled limit to be about at that
4 range.

5 They concur that PCMI loading is primarily
6 pellet thermal expansion up to 110 calories per gram
7 and 75 gigawatt-days per to burnup, and that's the
8 range that we're interested. You know, beyond that,
9 you know, other things may happen, but --

10 The others are not that relevant, I think,
11 to -- yes, there is significant range in fission gas
12 release from the green-grounded gases. We know that.
13 They observed that there is up to 30 percent helium
14 release in the total fission gas release, and they
15 don't know why that is observed.

16 One thing that's kind of interesting and
17 has to be kept in mind is they observed that during
18 the transient, most of the CABRI tests lost their
19 oxide layer, and this did not happen in the NSRR test,
20 so they think that this may be a sodium effect. You
21 have the temperature differential between the cladding
22 and the sodium, and it contributes to the spallation
23 of the oxide during the test.

24 And I also would like to mention that once
25 a rod fails in CABRI, it should be inspected very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 soon, because sodium gets in there. It expands the
2 cracks, adds additional cracks, and, you know, if you
3 look at it three months later, you know, you don't --
4 you know, it's very difficult to determine where the
5 initial crack has occurred, and I think that's what
6 may be confusing research.

7 The rod that Harold was referring to was
8 looked at, I believe, twice, once shortly after the
9 failure and once, you know, much later on, and the
10 cracks were much larger, had propagated, so that's one
11 thing that has to be considered. And the last point
12 is that the fast pulse is ten milliseconds, are more
13 adiabatic, and lead to higher PCMI loading, less clad
14 heating -- that stands to reason -- and larger zone of
15 pellet fragmentation.

16 These are some slides to map out the MOX
17 versus UO₂ response. This is the -- during the test,
18 the amount of sodium that is ejected at a certain
19 point, take a snapshot, and the lower curve is full of
20 UO₂, and the upper curve is for MOX, the sodium that
21 is ejected from the test rig when the fuel enthalpy
22 reaches 70 calories per gram.

23 We have to cut it at a certain point,
24 because after that point, some of the ejection of the
25 sodium may be due to the expansion of sodium due to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat-up, so, you know, you have to catch it early on,
2 and we already see this big difference here.

3 CHAIRMAN ARMIJO: So this is thermal
4 expansion of the test rod itself?

5 DR. OZER: That's right.

6 CHAIRMAN ARMIJO: So it's the volume change
7 of the fuel rod.

8 DR. OZER: Pushing out the sodium out of
9 the rim.

10 CHAIRMAN ARMIJO: Okay, and you get more
11 with the MOX than with UO₂.

12 DR. OZER: Okay, this is just, I think, too
13 complicated.

14 CHAIRMAN ARMIJO: Yes, let's not --

15 MEMBER SHACK: Well, it's just nice to see
16 such universal agreement on a criterial.

17 CHAIRMAN ARMIJO: It just makes our job
18 easy

19 DR. OZER: Well, it's more of a historic
20 interest, I think.

21 I think the next presentation -- see, we
22 focused this presentation on just the Appendix B of
23 SRP 4.2, but there are some additional issues,
24 feedback that we would like to provide with the -- to
25 NRC concerning the current version that was released,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that will be addressed by Rob.

2 CHAIRMAN ARMIJO: Okay. Well, we've got
3 25, 20 minutes before lunch. Do you think you can get
4 your presentation?

5 MR. MONTGOMERY: I think so.

6 CHAIRMAN ARMIJO: Well, why don't we do
7 Robs, and then --

8 MR. MONTGOMERY: I have 13 slides.

9 CHAIRMAN ARMIJO: Well, we can run a little
10 over.

11 MR. MONTGOMERY: Yes, if we go to 12:15 --

12 CHAIRMAN ARMIJO: Yes, let's just do it.

13 MR. MONTGOMERY: It's only our lunch.

14 CHAIRMAN ARMIJO: It's our lunch. That's
15 right. We could afford to skip a meal once in a
16 while.

17 MEMBER SHACK: I have my Nutella right in
18 my bag.

19 CHAIRMAN ARMIJO: Do you have the slides?

20 MR. MONTGOMERY: Yes, they're out here.
21 Yes, they're in our C drive.

22 Okay, what I'd like to present today is a
23 summary of the industry's comments following our
24 review of the Standard Review Plan, Section 4.2,
25 Revision 3 revisions that were sent out in the March,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mid-March time frame.

2 This slide here just summarizes the
3 outline of my presentation. I'll briefly give you
4 some background on our views on what we've been doing
5 in this area. This is not an area -- this is an area
6 that we've actually been looking at primarily in terms
7 of high burnup effects on SRP 4.2, so we have already
8 done some of these reviews and identified some of the
9 changes that have been developed by the staff.

10 Then I'd like to go through some of the
11 concerns that we have on the revisions. I've kind of
12 grouped them in terms of general comments and then go
13 through the fuel system damage items, the fuel rod
14 failure items, and then fuel coolability items, then
15 analytical predictions, and then just a brief summary
16 of the some of the Appendix B criteria for RIA that
17 we've developed and actually communicated back to the
18 staff, and then just a brief summary.

19 So the objective of our review was to try
20 to determine the impact the revisions would have on
21 the fuel and core design processes and the methods.
22 We had previously gone through a review of SRP 4.2,
23 Reg 3 that was issued in 1996 and developed a set of
24 recommended changes for burnup extension applications,
25 primarily going beyond 62,000 gigawatt days, our lead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rod average burnup.

2 These were summarized in a topical report.
3 The EPRI number is there. That has been provided to
4 the staff in the last, I think, last year sometime,
5 and they identified a number of the same items or
6 issues that -- our review identified several of the
7 same items and issues that were changed by the staff
8 changes, so our recommendations are pretty consistent.

9 However, there are some comments,
10 additional ones that we'd like to make. Just for
11 applicability to future cores, we'd like all the
12 references to zircaloy to be changed to zirconium
13 alloy and allow us to cover M5, Zirlow, instead of
14 talking about zircaloy.

15 In addition, one of the key questions here
16 is we need some specification on how the new criteria
17 are going to apply to current operating plants, not
18 just in Appendix B, which we also talked about today,
19 but also the rest of the criteria that are -- guidance
20 is provided in the document.

21 Now what I'll do is I haven't gone through
22 the whole -- I won't be going through the whole SRP.
23 I'm just going to highlight where we identified
24 comments, so I'll identify the section, subsection,
25 and then paragraph where there are comments. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what this indication is here, section, subsection,
2 sub-subsection, and paragraph, I believe, of where our
3 comments are.

4 In terms of the fuel system damage
5 parameter related to oxidation, hydriding, and buildup
6 of corrosion products, there are two primary comments
7 we have. First is there's a definition there about
8 acceptable, should demonstrate acceptable strength and
9 ductility.

10 We expect that there needs to be some
11 better definition of what acceptable means. Would
12 that refer back to the strength and strain parameters
13 and other sections of the SRP, or is there something,
14 some other parameter there that's expected?

15 Secondly on that one, there is a focus on
16 primarily mechanical properties defining strength and
17 ductility, which seems to preclude the allowance of
18 alternative approaches to satisfying these criteria.
19 For example, thermal performance, the corrosion
20 thickness may need to be limited based on a thermal
21 performance and not a mechanical performance, or
22 design tolerances may require crud, limits on crud and
23 oxidation that don't have anything to do with
24 mechanical performance. It could be that there's a
25 fit difference.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now we're not talking just fuel rods here.
2 We're talking all the assembly components, including
3 guide tubes, grid spacers, nozzles, and things like
4 that. So when we're talking about defining limits on
5 oxidation, hydriding, and buildup of corrosion
6 products, for those other components, these other
7 parameters may need -- other performance parameters --
8 other thermal performance or design tolerances could
9 -- may define what the oxidation limits should be, so
10 some clarification there would be helpful.

11 In terms of the rod internal pressure,
12 this one, this particular paragraph has to do with rod
13 internal pressure. There is a specification for no
14 reorientation of hydrides in the radial direction in
15 the cladding, but there's no definition of what no
16 reorientation means.

17 For example, recrystallizing material
18 because of the crystalline nature of the cladding
19 material, the grain orientation, there is a tendency
20 to have radial hydrides form, even without a tensile
21 stress. So when you do a hot cell examination and we
22 look at a high burnup BWR rod, for example, we could
23 see some radial hydrides there.

24 Is that due to over pressurization? No,
25 it's not, but those aren't reoriented due to system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over-pressure. They were just there because of the
2 natural tendency of the material to form some radial
3 hydride. So how do we demonstrate compliance of this
4 guidance is going to be a little tricky, and we need
5 some clarification there.

6 In terms of the rod failure criteria or
7 the fuel rod failure criteria, on the hydriding where
8 it talks about both external and internal sources, the
9 primary focus of that section has been on internal
10 sources of hydriding related to sources coming from
11 the fuel or other components inside the cladding.

12 It doesn't really seem to be appropriate
13 to include external hydriding sources at this point in
14 the SRP, because it really just is kind of some
15 introductory comments, but there's no guidance given.
16 Most of the guidance appears to be given in the
17 section II.B.vi, which is the sources of external --
18 pellet-clad interaction.

19 That's where the external hydriding
20 comment or issues are addressed, and we feel that just
21 kind of some reorganization there and moving, just
22 sticking to internal hydriding in II.1.B.i would be
23 appropriate and then moving all the external hydriding
24 issues to the II.B.vi would be more appropriate.

25 We're going to now the pellet-clad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interaction section. First there's a -- just I think
2 this is probably more a typographical error than
3 anything, because Dr. Wu had it in his slide that it's
4 strain-driven, but in the document it says stress-
5 driven, so there just needs to be a, you know, this
6 needs to be corrected.

7 And then for -- there is a focus there in
8 that section on waterside corrosion as a surrogate for
9 hydrogen. It should be recognized that that may not
10 apply for BWRs, so the wording there may be -- it may
11 be more appropriate, instead of just referring to
12 waterside corrosion, adding hydrogen content
13 distribution and orientation as a measure of the
14 mechanical performance may be a better definition of
15 how to define that limit, the strain limit, instead of
16 defining it in terms of corrosion thickness.

17 And also, in terms -- again, this is
18 probably just a typographical thing. The mechanical
19 testing should demonstrate that ductility is well
20 above one percent strain criteria, not -- it says
21 within. Within would apply to me. It should be below
22 one percent. I don't quite understand that one.

23 Now here's one where there is some new
24 guidance provided here in the PCI interaction, the
25 pellet-cladding interaction section, and that has to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do with power maneuvering guidance. There's
2 discussion there about vendors have views or have
3 provided fuel design limits based on power
4 maneuvering.

5 Generally that's not considered a fuel
6 design limit such as a ramp rate or threshold powers
7 for power maneuvering, reactor startups or mid-power
8 cycle maneuvers, but there is some indication there
9 that that's now a fuel design limit, and I'm not -- it
10 doesn't seem clear to me that that's appropriate for
11 this particular section, anyway.

12 My suggestion would be to take this
13 paragraph and redefine it and move it into a
14 subsection unrelated to analytical predictions on
15 PCI/PCMI. It seems like the primary focus is to
16 define that there needs to be analytical calculations
17 done to demonstrate that you meet the one percent
18 criteria, and there should be some guidance on how
19 that PCMI calculation should be done.

20 And that's the purpose of that paragraph,
21 primarily, seems to me, and it should just be moved
22 into the analytical predictions section just like the
23 clad collapse was modified. Add a section on PCMI
24 analysis methods. So that's what I talk about, and in
25 that you could then remove the reference to the power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maneuvering guidance.

2 And then we have a second point, and that
3 is for AOO transients that are fairly short-term on
4 the order of half an hour or less, really gaseous
5 swelling is not really an issue, and so there is some
6 requirement there for treating gaseous swelling. For
7 postulated accidents, it's a separate story, but AOOs
8 adding a requirement for gaseous swelling seems to be
9 over specification.

10 Now let's move on to fuel coolability. On
11 the cladding embrittlement there, there is a statement
12 that says that the ECCS performance analysis must
13 satisfy the fuel design criteria. I believe that
14 really should be acceptance criteria in 50.46(b). I
15 don't believe that's fuel design criteria necessarily,
16 again, just trying to be consistent in our
17 terminology.

18 For fuel rod ballooning related to AOOs,
19 we believe that this is precluded already by other
20 fuel design criteria. It doesn't need to be
21 specified, and that would be in section II.1.C.iv,
22 where it talks about AOOs, because for AOOs we're
23 going to be limiting the cladding temperature to below
24 the DNB limit, so you're really not going to get
25 ballooning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You'll be below the temperature needed to
2 start ballooning, and you're also limiting the strain
3 to one percent strain from section on the pellet-
4 cladding interaction limits. So those two should
5 preclude DNB propagation during AOOs. That's our
6 interpretation on rod ballooning and DNB propagation
7 related to rod ballooning. It should be precluded by
8 the other two criteria.

9 Now if we just go into the analytical
10 predictions, there was again a section on fuel
11 temperature, stored energy calculations, which makes
12 a reference to the clad hydriding. As far as we're
13 concerned, clad hydrides play no role in the
14 calculation of stored energy.

15 This gets back to -- it was added
16 primarily to address PCMI-related calculations, and so
17 we recommend a new subsection that defines the PCMI
18 analysis methods and what the expected components
19 would be for that kind of calculation.

20 And then, again, for the analytical
21 predictions there's a reference in the mechanical-
22 water reaction rate definition where there's two
23 definitions of providing technical, appropriate
24 technical data to support the model, and we believe
25 that Reg Guide 1.157 already allows that best-estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reaction rate model to be provided.

2 You know, it doesn't need to be specified
3 twice. It's repeated a couple of times. It says you
4 can use either Reg Guide 1.157, or you can provide
5 your technical basis for the new model, and in Reg
6 Guide 1.157 it says you just need to provide your
7 technical basis for a model, so there's kind of
8 redundancy there.

9 On the NMRA criteria, these are the
10 comments that we had, and we've already communicated
11 these to the staff, and that is, first off, it wasn't
12 clear on what was meant by intermediate full-power
13 operations in the SRP. In the technical guidance
14 document that was provided that the SRP was based on,
15 it stated greater than five percent, so we want to add
16 rated power levels greater than five percent is what
17 was meant by intermediate and full power conditions.

18 In the fuel cladding failure criteria
19 related to PCMI, there were two clarifications that we
20 wanted to make sure got included, and that is that
21 first that they -- we were talking about the prompt
22 radial average fuel enthalpy when it talks about
23 radial average fuel enthalpy change. They were
24 talking about the prompt part.

25 And then also for the hydrogen content for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 BWRs, for hydrogen content to be above the solubility
2 limit when defining the criteria, and that recognizes
3 that -- it gives some recognition to the temperature
4 effects on cladding ductility and provides us an
5 option for hot-zero power BWR events to allow some
6 improvement.

7 It's not all the improvement. As Odelli
8 said, we believe there's additional improvement
9 related to temperature, but this at least gives us
10 some improvement in terms of the solubility limit
11 increasing.

12 And then finally, this one has not yet
13 been really communicated to the staff -- those three
14 were -- is the clarification on the requirement of no
15 fuel melting only applies to hot-zero power control
16 rod ejection or control rod drop accident events that
17 have the temperature peaking in the periphery region
18 where you have quick access to the coolant and that
19 fuel melting is still allowed for hot-full-power
20 events where the peak temperature occurs at the
21 centerline. We'd like to have that clarification.

22 This is already accepted. In terms of the
23 fuel melting, we already have for hot-full-power
24 events an accepted methodology that allows fuel
25 melting in the centerline of the pellet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: So this is a -- this is
2 a new comment that the staff hasn't received yet?

3 MR. MONTGOMERY: That's correct, and it
4 relates to the relationship to RIA. In the previous
5 comments before the RIA, we have not communicated
6 those to the staff yet. Just on the Appendix B have
7 we talked to the staff, but this one was not included
8 at that time on the centerline melt.

9 So our review says that there will be some
10 impact on the fuel rod and design process, core design
11 process of these new revisions. The impact has not
12 been fully assessed yet. We had some concerns that
13 we've identified, and we are going to submit those in
14 a letter to the staff. We have not done that at this
15 point. We will write all this up and submit it to the
16 staff in a letter, and I hope that we can work with
17 the staff to address these comments in the next
18 revision of the SRP.

19 CHAIRMAN ARMIJO: Okay. Any questions or
20 comments from Members or the staff?

21 MR. WU: Yes, I appreciate -- this is Shih-
22 Liang Wu. Yes, I appreciate. I have a comment. Yes,
23 this, yes, we admit that we're missing maybe a
24 technical error in terms of like, for instance, one
25 percent should be way above one percent, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's other editorial, I mean, error place like
2 acceptance criterial instead of field criteria.

3 But I have one comment is when you mention
4 the oxidation that we say that acceptable strength and
5 ductility, well, we will consider your situation, try
6 to look into that, you know, maybe better define, but
7 the other point is I would like to point out is
8 sometimes we start delivery -- not delivery.

9 I mean sort of make a kind of a little
10 vague, because that's why this different brand of
11 licensing can refer to different technology, and
12 that's, for example, in raw pressure, system pressure,
13 different vendor got different number. I just want to
14 try to explain that.

15 Sometimes we don't deliver it. We don't
16 specify. We just put a certain criteria and that the,
17 you know, the industry deliver their own basis here.
18 That's my comment.

19 MR. MONTGOMERY: Thank you.

20 MR. CLIFFORD: With respect to the notion
21 that you don't have to consider balloon or burst or
22 anything in AOO because you don't go into DNB, you
23 always have to consider the critical pressure from a
24 perspective of a depressurization event.

25 If you had an excess load event or a steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 geo tube rupture or anything which would drop RCS
2 pressure down towards your trip set points, you would
3 need to ensure that you wouldn't balloon or burst
4 during those events. That's why those words were put
5 in there, recognizing that those events are not in
6 DNB, but there's still the fact that the delta P
7 across the cladding is increasing as RCS pressure is
8 decreasing.

9 MR. MONTGOMERY: But ballooning and DNB
10 propagation consequencing from ballooning would have
11 to occur at cladding temperatures beyond DNB, 800 C-
12 type temperatures.

13 MR. CLIFFORD: Right. Right. There's two
14 mechanisms at play here. One's the rod internal
15 pressure. The other one is the creep properties of
16 the high -- the high temperature creep properties of
17 the material, and I'm saying if you were to determine
18 that no-clad liftoff during normal operation allowed
19 you to be at -- make up a number -- 3,400 pounds per
20 square inch --

21 MR. MONTGOMERY: Right.

22 MR. CLIFFORD: -- then you would have to
23 show that during an AOO that you wouldn't fail that
24 cladding because of RCSD pressurization. Now instead
25 of 3,400 minus 2,250, it's 3,400 minus 1,800. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 delta-P across the cladding is increasing during the
2 event. You'd have to ensure that your clad maintains
3 enough strength. Even though the temperature of the
4 cladding is at normal operating temperatures, you have
5 to make sure it maintains enough strength so it
6 wouldn't balloon or burst.

7 MR. MONTGOMERY: Okay. I see the
8 clarification. I think that you still would be
9 limited by -- I can see how you can disposition that
10 by showing that you won't balloon or burst at those
11 temperatures.

12 MR. CLIFFORD: Right. I didn't -- you
13 know, I'm sure you can disposition, but it's something
14 that just has to be looked into.

15 MR. MONTGOMERY: Right.

16 CHAIRMAN ARMIJO: All right. Well, if
17 there's no other comments from the staff, we're ahead
18 of schedule, which is good news. It's noon now, and
19 let's reconvene at 1:15.

20 (Whereupon, the foregoing matter went off the
21 record at 12:00 p.m. and resumed at 1:16 p.m.)

22 CHAIRMAN ARMIJO: Okay, gentlemen. We're
23 going to resume, and there have been a couple of
24 changes to the proposed schedule. The presentation
25 related to LOCA is not going to be given. We've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 completed the comments, industry comments on other SRP
2 4.2 changes, so we really, as far as I know, have only
3 one presentation left, and I don't know who the
4 speaker is going to be. Sorry.

5 MR. DARDEN: Okay. This is correct on
6 here. I'm Gary Darden from Dominion Generation, so
7 I'll be presenting this last presentation.

8 CHAIRMAN ARMIJO: Okay, Mr. Darden.

9 MR. DARDEN: All right. Thank you. I'd
10 like to thank the Subcommittee again for the
11 opportunity for myself and the rest of industry to
12 present at this gathering. This presentation involves
13 a discussion of some of the potential impact of
14 implementing the interim criteria and ultimately the
15 final criteria, you know, for operating plants in
16 particular.

17 The Industry and staff do concur, I think.
18 It's clear that there is not a safety issue with
19 regard to the criteria. That's stated in our staff
20 position, and the Industry does agree with that. As
21 was mentioned in one earlier slide, NEI did submit a
22 letter in early March to NRC staff for consideration
23 to determine a potential implementing schedule for the
24 RIA criteria, and that had two points which were
25 mentioned earlier, that the interim RIA criteria were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not proposed to be applied to existing plants, and the
2 final criteria when those are issued have an
3 implementation time frame of five years from release
4 for the operating plants.

5 Now based on what we have heard in the
6 presentations this morning, we believe the NRC staff
7 position is consistent with that, but it would be good
8 to have that guidance more specific in terms of if
9 that is the intent of not applying the criteria,
10 interim criteria, at all for the new plants and then
11 -- excuse me -- for the operating plants, and it would
12 be very helpful to have a specified time frame in
13 which the operating plants would be needing to
14 implement these criteria.

15 A major portion of this time frame that
16 would be required is to just allow methodologies and
17 assessments to be put in place that would support
18 compliance with the new criteria. I've listed four
19 key steps here that would be involved in such an
20 activity.

21 The vendors and licensees would have to
22 develop and license the criteria, the development and
23 validating of the criteria, which could take a couple
24 of years. The NRC first would typically conduct a
25 generic review of the methodology, and then plants on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a plant-specific basis would need to incorporate those
2 analyses for their plant and submit that in all
3 likelihood to NRC staff for review and approval.

4 So there would be a separate plant-by-
5 plant review activity that could be involved, and all
6 of this, you know, could very well take the five years
7 or potentially longer that I was suggesting.

8 CHAIRMAN ARMIJO: Now if these criteria are
9 applied to new plants, somebody is going to have to do
10 exactly all of those things to meet, to have the new
11 plants licensed, and I would expect that the Industry
12 would learn a lot from the work done on the new plants
13 and could significantly shorten this time.

14 MR. DARDEN: That's correct. I mean, these
15 same type of activities would be needed for the new
16 plant analyses and licensing, and there should be some
17 lessons learned from that, hopefully before that would
18 need to be applied to the operating plants. I mean,
19 that's the premise here, that the operating plants
20 would have somewhat longer to deal with this at all,
21 you know, then the new plants. That should be an
22 expectation from hopefully having gone through that
23 first for the new plant activities.

24 In the potential situation that the
25 interim criteria were implemented on the existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, you know, there are a couple of activities
2 here and concerns with that. We've just addressed the
3 methodological item. The current approved methods in
4 most all cases are just not adequate to meet the
5 expected limits that we have seen without some
6 potentially significant effects on the reload core
7 designs, at least for some of the plant fleet. You
8 know, this is not universal, but for some of them
9 there would definitely be some of these issues.

10 And another item, I think this was also
11 alluded to earlier, the implementation of the interim
12 criteria as it exists would preclude further benefit
13 that may be gained from additional test data that is
14 expected, and some of that data may very well allow
15 relaxation of the current interim criteria.

16 Another item is really just a resource
17 challenge. Should the Industry for the operating
18 plants, you know, first be required to implement the
19 interim criteria and then potentially perform
20 additional analysis for the final criteria. That
21 could be a real challenge to NRC and Industry
22 resources, so these are some of the reasons we're
23 suggesting the delay for the implementing of the
24 criteria for the operating plants.

25 The next two slides, and I won't highlight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this any longer. The next two slides do indicate some
2 of the particular issues that may exist in having to
3 meet the more restrictive limits. In general, the
4 strategies involve doing things in actual core designs
5 and placement of fuel assemblies that would reduce the
6 rod worths, that would then reduce the severity of the
7 calculated reactivity insertion accident, and the
8 values listed here for some of the plants could
9 involve impacts of ten to 20 percent increase in
10 number of fresh fuel assemblies that do need to be
11 loaded on each batch and potentially either separate
12 from that or in conjunction with that shorter cycle
13 lengths to try to accommodate the same objective.

14 In the course of loading new additional
15 fresh assemblies, just with limited space and
16 placement in the core, there may be the tendency of
17 needing to load some closer to the core periphery,
18 which would tend to increase the power that's seen in
19 those locations and could cause additional side
20 effects such as increases in vessel fluence, which is
21 a significant materials issue with vessels now in some
22 cases.

23 CHAIRMAN ARMIJO: Now you distinguish
24 between the impact on the BWRs and PWRs. What's the
25 main reason for that having a greater impact on BWRs?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DARDEN: A more significant impact to
2 BWRs, I don't personally have that information right
3 here. Is there someone else that would comment on why
4 the degree of the effect would be larger?

5 MR. JAHINGIR: I'm Nayem Jahingir from GNF.
6 For BWR, the criteria, the interim criteria proposes
7 on for core conditions, so BWR kind of -- the startup
8 is limited at the core geo power, and most of our
9 plants should be impacted with this proposed interim
10 criteria.

11 CHAIRMAN ARMIJO: Okay.

12 MR. DARDEN: Okay, the next slide shows a
13 few additional items. In loading more fresh
14 assemblies, of course there would be more discharged
15 irradiated assemblies, and that would lead to
16 potentially additional expenses in dry cask storage
17 and just logistics of handling additional fuel
18 assemblies.

19 The reduced rod worths, which are a desire
20 for meeting the rod ejection issues for BWRs, could
21 reduce some operational flexibility in BWR startup in
22 particular and possible PWR power maneuvering. So, in
23 general, we would anticipate for these potential
24 issues, some of which might be rather costly, you
25 know, minimal benefits in safety of implementing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interim criteria for the operating plants.

2 In conclusion, there have been some
3 impacts identified that would be associated with
4 implementing the interim criteria. There is a
5 concurrence, I think, with what, from the Industry,
6 with what we believe to be the NRC approach to
7 establish the final criteria, and in conjunction with
8 that it would be helpful once again to have a schedule
9 for implementation defined so that that would give the
10 Industry not just the benefit of the numerical target,
11 which was mentioned earlier of the interim criteria,
12 which we do appreciate, but also some certainty in
13 terms of what the implementing time frame would be
14 that we are also trying to target. In all, this looks
15 like a reasonable balance of resources and safety
16 considerations, but that specified time frame would be
17 very helpful to have.

18 MEMBER SHACK: But this sort of leaves the,
19 you know, the operating plants with the old criteria,
20 which we kind of all agree are not really right. How
21 about an Industry effort to follow your own criteria
22 as a middle ground?

23 CHAIRMAN ARMIJO: Technically, in the right
24 direction but not as --

25 MEMBER SHACK: Technically in the right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 direction.

2 CHAIRMAN ARMIJO: -- conservative as the --

3 MEMBER SHACK: Not as conservative.

4 CHAIRMAN ARMIJO: -- as the interim.

5 MEMBER SHACK: But, you know, it gets away
6 from the current criteria, which are clearly
7 unrealistic.

8 MR. DARDEN: Correct. No, they are not,
9 but that is something that, you know, could be taken
10 into consideration, I suppose.

11 MEMBER KRESS: It would be a waste of time
12 unless the NRC staff agrees that that's an acceptable
13 solution.

14 MEMBER SHACK: Well, they're currently
15 going to accept the current criteria.

16 MEMBER KRESS: Well, they had to agree to
17 accept that as some sort of --

18 MEMBER SHACK: Well, this is clearly more
19 conservative than that, so I'm assuming if they're
20 willing to live with the current criteria, they'll
21 live with anything that's more conservative than that.

22 MEMBER KRESS: Until what?

23 MEMBER SHACK: Until --

24 CHAIRMAN ARMIJO: Until the final criteria.

25 MEMBER SHACK: Until the final criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come out.

2 CHAIRMAN ARMIJO: It's really converging,
3 coming from two different directions.

4 MEMBER SHACK: I'm just a little concerned
5 that, you know, people are going to be doing power
6 uprates, all those sorts of things that are going on
7 out there manipulating this fuel, and, you know, these
8 guys get to work with something that we universally
9 agree is not right. Now, you know, maybe we can't
10 universally agree on what is right, but it just -- it
11 is a suggestion as an approach.

12 MR. DARDEN: Okay. The point is well taken
13 for that.

14 CHAIRMAN ARMIJO: I'm not sure that the
15 staff has said that they are going to -- well, I'm not
16 exactly sure what the staff has said as far as the
17 interim criteria. I'd like to hear it again.

18 MEMBER SHACK: And operating plants.

19 CHAIRMAN ARMIJO: What about the operating
20 plants? Is the recommendation from Industry
21 consistent with what you're thinking of doing, or are
22 you just not ready to say? Industry first.

23 MR. MENDIOLA: Fundamentally, our plan is
24 to apply the interim criteria to the applicants in the
25 design certifications and the COL applicants, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are well aware of most if not all of these issues that
2 the operating plants have about providing, addressing
3 these criteria to them, as well, and that seems to be
4 the rub is how to do this best and considering all the
5 time tables and not to have this terribly long time
6 period where you have two different sets of criteria
7 between the two different reactors, those being built
8 and those that are currently operating.

9 We hope to come up with a reasonable
10 solution in our still draft and yet to be issued
11 regulatory generic communication tool here, but we're
12 still wrestling with all the issues that you've just
13 heard the Industry speak of.

14 CHAIRMAN ARMIJO: So you haven't made up
15 your mind yet? You haven't taken a position yet on
16 when you would apply interim criteria or whether you
17 would wait until there is final criteria ready to go?

18 MR. MENDIOLA: We haven't had the highest
19 level of buy-in, I guess, is the best way to put it
20 among our management about that. Our position is to
21 staff's position. My branch's position -- let's try
22 it that way -- is to approach it with a -- just to the
23 design certifications and the COL applicants -- sorry,
24 my voice is changing -- and address the final criteria
25 on a -- address the final criteria on a schedule to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all plants for the deadline.

2 CHAIRMAN ARMIJO: But that schedule is yet
3 to be determined.

4 MR. MENDIOLA: Correct.

5 CHAIRMAN ARMIJO: Okay.

6 MR. MENDIOLA: That schedule is yet to be
7 determined.

8 CHAIRMAN ARMIJO: Okay. I think we know
9 where you stand. Paul, did you want to add anything?

10 MR. CLIFFORD: He is my boss.

11 CHAIRMAN ARMIJO: Okay, I got that. All
12 right. All right. So I think that's the best answer
13 we have right now on that, so any other questions from
14 the Committee? From the attendees? Industry?

15 Well, gentlemen, I think we are finished
16 for the day, and I'd like to thank the staff and
17 presenters from Industry, EPRI, Anatech, and also from
18 Dominion.

19 MEMBER SHACK: You don't even want to leave
20 a copy your LOCA slides?

21 CHAIRMAN ARMIJO: Believe me, we've got
22 a lot of LOCA slides. We can always have some more.
23 If you want to leave that, that would be fine. So
24 unless there's any other comments or questions. Okay.

25 MR. SISK: I want to pick up on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions.

2 CHAIRMAN ARMIJO: Okay. There's a
3 question.

4 MR. SISK: Yes, this is Rob Sisk with
5 Westinghouse.

6 CHAIRMAN ARMIJO: Okay.

7 MR. SISK: And I just want to clarify just
8 for completeness of evaluation that when we talk about
9 a new plant we need to make a distinction or
10 clarification between certified new plants and
11 uncertified new plants. 52.63 finality of design does
12 require some consideration for how they're going to
13 implement these SRP and these criteria for certified
14 designs.

15 CHAIRMAN ARMIJO: That's a very good point.
16 I think the Committees, this Committee or other
17 Committees, have asked that question before. Does a
18 certified plant really -- that's going to be built, is
19 it subject to the old criteria or the new criteria,
20 and that's something that the staff has to be made
21 clear. I think many in Industry would assume that
22 certified is certified, and that's it.

23 MR. CARUSO: It depends on what we're
24 certifying.

25 CHAIRMAN ARMIJO: Well, assuming --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: For some of the certified
2 designs, there was nothing certified about the fuel.
3 It was just the fuel was considered to be this product
4 line, and it would be dealt with in the future.

5 CHAIRMAN ARMIJO: You know, as long as I
6 have the NRR here, I could ask them the question.

7 MR. CLIFFORD: Yes, fuel design criteria is
8 a Tier 2 star requirement in the DCD process and
9 subject to change. It is kind of a gray area in how
10 you deal with something that was certified, you know,
11 with the understanding that this was in flux, but
12 ultimately, you want to make sure that the system that
13 is being designed, the actual hardware and the NSSS
14 design is capable of mitigating the consequences as an
15 end, whatever the acceptance criteria is.

16 MEMBER SHACK: I mean, this is a compliance
17 question, right? We have no new requirements here.
18 We're only arguing over what is necessary to
19 demonstrate that you've met those requirements.

20 MR. CLIFFORD: Well, you know, there's a
21 hurdle to jump when you go backfit. You know, when
22 you're going to send a Commission order to tell
23 somebody they need to change their license, that's a
24 big hurdle to, in a sense, forward fit. I know that's
25 not the correct term, but to address somebody before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they have a license issue is a much smaller hurdle.

2 CHAIRMAN ARMIJO: I totally agree with
3 you.

4 MR. DUNN: This is Burt Dunn from Areva.
5 It might help you all -- you know, the issue of rod
6 ejection accidents, et cetera, for the PWRs, at least,
7 has been very evidence for some period of time now,
8 and in the advanced reactors or the new reactors
9 coming down the street, at least for EPR, that's been
10 considered.

11 One of the things, a question asked
12 earlier, was won't you learn from these new ones.
13 Well, as it turns out, the EPR is designed with a
14 loosely coupled core. It's big, and the result of
15 that is much reduced rod work, so it's going to be
16 easier for us to comply with new regulations, and it's
17 probably true for various reasons across the new plant
18 spectrum.

19 CHAIRMAN ARMIJO: I don't know what the BWR
20 guys would do to just eliminate the rod drop accident,
21 but again a mechanical design might solve that problem
22 rather than all of this stuff.

23 MR. CLIFFORD: It's kind of a weird
24 situation, because, okay, say you say, "Well, you have
25 a design certification that doesn't need to comply,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it's already frozen. It's designed." Well,
2 two years from now, you issue final, and you do a
3 backfit. This backfit's going to be implemented years
4 before the plant starts up, anyways.

5 CHAIRMAN ARMIJO: Kind of mind boggling.
6 Well, it's something to think about, and I think it's
7 going to come up again, what the staff position is and
8 the Commission's position is on certified plants.

9 MR. CLIFFORD: We plan on writing a RIS,
10 and if nothing else, that will force management to at
11 least consider this and agree upon it before it gets,
12 you know, published.

13 MR. SISK: Rob Sisk, Westinghouse, again.
14 I do want to address -- I think the one question here
15 that goes across the board, whether it's operating
16 plant or certified design, we're talking about an
17 interim criteria here. There is a level of effort
18 that has to go into play every time we have to go back
19 and redo these analyses.

20 The question becomes do I have to do this
21 for a certified design one, two, three times, and the
22 question is when is the appropriate part? The same
23 for the operating plants that really have to consider
24 when the value in doing these analyses and how
25 frequently these analyses should be done in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interim.

2 MR. CLIFFORD: You know, on a side note, I
3 mean, the staff has been criticized by the ACRS pretty
4 frequently when we've come in here with a power
5 uprate, and it says 280 calories per gram on it.

6 MEMBER SHACK: Well, I was just going to
7 warn you that that's going to continue.

8 MR. CLIFFORD: So, I mean --

9 MEMBER SHACK: Don't resent that part of
10 the analysis.

11 CHAIRMAN ARMIJO: We want to have our cake
12 and eat it, too, so that's a problem. Okay, if there
13 are no other comments or questions, I think we've had
14 a good experience.

15 MR. SCOTT: This is Harold Scott from
16 Research again. I wanted to make the point that we've
17 tried to make sometimes in some of these other
18 meetings that you can either try to squeeze all of the
19 margin out of the criteria, or you can try to sort of
20 squeeze some of the analysis, and we don't think
21 enough effort has been put into the squeezing the
22 analysis part.

23 You know, I mean, we can probably --
24 Robbie Montgomery and I can argue for years about
25 cracking and whether the failure criteria or the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coolability criteria is X or Y or Z calories per gram,
2 but maybe it turns out that by some simple changes in
3 analysis, 3D kinetics, or even just the way they
4 operate the plants the rod worths aren't going to be
5 that high. Thank you.

6 CHAIRMAN ARMIJO: Okay. Well, with that,
7 we'll close the meeting, and I thank everybody for
8 their presentations.

9 (Whereupon, the foregoing matter was
10 adjourned at 1:37 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25