

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Subcommittee on Plant License Renewal

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, June 5, 2007

Work Order No.: NRC-1602

Pages 1-167

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 ACRS STAFF PRESENT:

2 MICHAEL JUNGE Designated Federal Officer

3

4 NRC STAFF PRESENT:

5 P.T. KUO

6 MICHAEL MODES

7 RICHARD CONTE

8 JONATHAN ROWLEY

9 LAMBROSE LOIS

10 JIM MEDOFF

11 ROBERT HSU

12 DUK NGUYEN

13

14 ALSO PRESENT:

15 TED SULLIVAN

16 JOHN DREYFUSS

17 PAUL JOHNSON

18 NORM RADEMACHER

19 DAVE MANNAI

20 ALAN COX

21 MIKE METELL

22 JIM FITZPATRICK

23 TED UNDERKOFFLER

24 LARRY LUKENS

25 JOHN McCANN

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALSO PRESENT: (CONT.)

JAY THAYER

SCOTT GOODWIN

JOHN HOFFMAN

DAVE LACH

GARRY YOUNG

MIKE STROUD

REZA AHRABIA

TED IVY

A-G-E-N-D-A

1		
2		<u>Page No.</u>
3	Opening Remarks, MARIO BONACA , ACRS	5
4	Staff Introduction, P.T. KUO , NRR	7
5	Vermont Yankee License Renewal Application,	12
6	TED SULLIVAN, JOHN DREYFUSS, et. al	
7	A. Application Background	
8	B. Description of Vermont Yankee	
9	C. Operating History	
10	D. Scoping Discussion	
11	E. Application of GALL	
12	F. Commitment Process	
13	SER Overview	117
14	JONATHAN ROWLEY, MICHAEL MODES, RICHARD CONTE	
15	A. Scoping and Screening Results	
16	B. Onsite Inspection Results	
17	Aging Management Program Review and Audits	132
18	Time-Limited Aging Analyses	134
19	Subcommittee Discussion	157
20		
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

10:28 a.m.

CHAIRMAN BONACA: Good morning. The meeting will now come to order. This is a meeting of the Plant License Renewal Subcommittee. I'm Mario Bonaca, Chairman of the Plant License Renewal Subcommittee for this plant.

ACRS members in attendance are William Shack, Otto Maynard, Said Abdel-Khalik, Sam Armijo, and John Barton. Michael Junge, of the ACRS Staff is the Designated Federal Official for this meeting.

The purpose of this meeting is to review the license renewal application for the Vermont Yankee Nuclear Power Station, the draft SER, and associated documents.

We will hear presentations from representatives of the Office of Nuclear Reactor Regulation, NRR, the Region 1 office, and Entergy Nuclear Operations, Incorporated.

The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed position and action as appropriate for deliberation by the full committee.

Rules of participation in today's meeting were announced as part of the notice of the meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 previously published in the Federal Register. We have
2 received no requests for time to make oral statements,
3 and we have received no written comments from members
4 of the public regarding today's meeting.

5 A transcript of the meeting is being kept,
6 and will be made available as stated in the Federal
7 Register notice. Therefore, we request that
8 participants in this meeting use the microphones
9 located throughout the meeting room when addressing
10 the subcommittee. Participants should first identify
11 themselves, and speak with sufficient clarity and
12 volume so that they can be readily heard.

13 We will now proceed with the meeting, and
14 before I call upon Dr. Kuo, of the Office of Nuclear
15 Regulation, to begin I would like to make a couple of
16 general observations regarding this application.

17 The first is really a recurrent theme, I
18 guess, and the question regarding GALL, and one thing
19 what we notice is that there is an increasing number
20 of exceptions being taken on the GALL, and this is not
21 an issue only for Vermont Yankee. We've seen it
22 coming, and I have raised a number of questions in the
23 past regarding whether or not GALL should be updated
24 to be less descriptive, and to incorporate some of
25 this that are really not exceptions, they are just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternatives. For example, in some cases to ASME code
2 on the report, and to have their views regarding, you
3 know, how do we reduce the number of exceptions being
4 taken. I mean, GALL was originally a cooperative
5 effort between the industry and the staff, to see that
6 there is, you know, 70 percent of the programs take
7 exceptions from GALL says something that has to be
8 looked at.

9 The second issue I would like to raise is
10 the one of the audit report. The audit report is
11 growing, and it's becoming almost a duplicate of the
12 portion of the SER, but it's not written the same way.
13 So, a reviewer, like the ACRS members, is puzzled by,
14 you know, what information is there in one that is not
15 in the other. Typically, there is none, but in some
16 cases there is. So, you know, is there any way in
17 which that two things can be meshed together and
18 become one document only in the future.

19 So, these are the two issues I would like
20 to raise, and again, the first one that I talked about
21 may be significant enough to deserve a meeting at some
22 point in the future, because it's not specific to
23 Vermont Yankee, it's more generic to GALL.

24 MR. KUO: Thank you, Dr. Bonaca.

25 I'm P.T. Kuo, the Director of the Division

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of License Renewal.

2 Your observation is actually very correct,
3 and very on the point. We have observed this same
4 phenomena also, and in the past that's why we tried to
5 update GALL, and in 2005 we updated GALL. The hope
6 was that we would be able to eliminate many of the
7 exceptions that we have -- you have been talking
8 about.

9 And recently, in a couple of the most
10 recent reviews, we find that, again, there were a lot
11 of exceptions, more than what we would like to see.

12 So, this is the one thing that we are
13 working on that. We will be working with the
14 industry. We will actually bring this very subject to
15 the industry and see if there's any ways that we can
16 reduce the number of exceptions.

17 With the number of exceptions we see right
18 now, it doesn't make sense anymore to have the GALL
19 report there with the program, and then, you know,
20 everybody is taking exceptions, and then why --
21 there's no reason for the GALL to exist anymore.

22 CHAIRMAN BONACA: For example, on the
23 containment issue, if I remember, there is a statement
24 that says exceptions are so many that there was no
25 point in listing them, otherwise it would have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confusing. Therefore, there is a description of the
2 problem separate from GALL.

3 So, that, to me, was a clear indication we
4 had to talk about where GALL is going.

5 MR. KUO: Yes, I fully agree with that
6 assessment, and like I said we plan to work with the
7 industry, and at some point we will come back to the
8 committee and give you a status report on this.

9 As far as the audit report, I think we
10 have come back to the committee about, I forget how
11 long ago, about a few months ago. We told you that we
12 are going to change from writing the 700 or 800 page
13 report to what we call database.

14 What the database is, really, is something
15 that when we go to the -- when the audit team goes to
16 the site and audits the on-site design basis document,
17 the applicant will create a question and answer
18 database, and this database is evolving during the
19 audit, so it's changing. Whenever we have a question,
20 they have an answer, and that database has got to be
21 revised.

22 But, at the end of the audit, we expect
23 the applicant to submit this database, question and
24 answers, to us, and their information, that becomes a
25 formal document. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then, the staff will take that database
2 and build on it to actually provide a write-up similar
3 to SER, basically, providing technical justification
4 to the database and the status, whether it is still
5 under discussion, open, or closed.

6 So, we are going to build, if you will, an
7 audit report on the question and answer database
8 submitted to us, and then provide the write-up on the
9 technical justifications, and every time we will
10 indicate what the status of that is.

11 So, that becomes, actually, the main body
12 of the future audit report.

13 At the end of audit, okay, when everybody
14 is ready to close out the audit status, then we will
15 put a very simple description on top of this database,
16 and then that becomes the audit report.

17 CHAIRMAN BONACA: Thank you, appreciate the
18 explanation.

19 MR. KUO: So, that's what we are doing
20 right now.

21 CHAIRMAN BONACA: Thank you. Okay.

22 So, I'll turn the meeting over to you, Dr.
23 Kuo, for the Vermont Yankee application.

24 MISS KIMBALL: Well, yes, we have completed
25 our safety evaluation, and we have an issue there to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report to you. About a month ago, you have it in your
2 hand, and I believe in that safety evaluation report
3 we have the four confirmatory items that is,
4 basically, about the boundary of the non-safety-
5 related structures over safety-related structures.
6 Okay. We were -- because of the spatial relationship,
7 we have asked our regional staff to help us to walk
8 down the plant, and so that they can have a better
9 assessment of that.

10 We haven't been able to get input from the
11 region yet, but this is something that we are going to
12 have it, so we make it the confirmatory item in the
13 report. As soon as we get input from the region, we
14 will be able to hopefully close that out.

15 Recently, it has caught our attention
16 about a dam, their own dam, and that, the issue, it
17 was closed in the SER, but we noticed lately that this
18 dam was owned by Trans-Canada, and because of the
19 different ownership there is a question who is really
20 responsible for the management of the dam. Okay. So,
21 we have some ongoing discussion with the applicant,
22 and I'm sure today they will address that, too. So
23 that, we think, is resolved, but we will treat it as
24 a confirmed item, too, so that is a new item added to
25 the original SER that you had.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, that is, really, the review status
2 right now. Right now I'm turning to the applicant to
3 make their application, and then the staff
4 presentation will follow.

5 With that, I turn to the applicant.

6 MR. SULLIVAN: Good morning, I'm Ted
7 Sullivan, I'm the 2nd Vice President for Vermont
8 Yankee, and I'd like to thank the ACRS for allowing us
9 to present the license renewal application here today.

10 I'd like to introduce John Dreyfuss. John
11 is the Director of Nuclear Safety Assurance at Vermont
12 Yankee, and he'll be lead presenter today, and I'd
13 like the Vermont team to introduce themselves, and
14 then I'll turn it directly over to John to make the
15 presentation.

16 Thank you.

17 MR. RADEMACHER: Norm Rademacher, I'm the
18 Director of Engineering.

19 MR. MANNAI: Dave Mannai, Entergy Vermont
20 Yankee Licensing Manager.

21 MR. COX: I'm Alan Cox with the Entergy
22 License Renewal Team.

23 MR. METELL: Mike Metell, Vermont Yankee
24 License Renewal Project Manager.

25 MR. FITZPATRICK: Jim Fitzpatrick, Vermont

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yankee Design Engineering & Civil Structural Group.

2 MR. UNDERKOFFLER: Ted Underkoffler, I'm a
3 Co-Program Engineer, I am the responsible individual
4 for the Section 11 Containment Inspection Program.

5 MR. LUKENS: Larry Lukens, Vermont Yankee
6 in Programs and Components Engineering Department.
7 I'm the Supervisor of Code Programs.

8 MR. McCANN: Good morning. My name is John
9 McCann. I'm the Director of Licensing for the Entergy
10 Fleet.

11 MR. THAYER: I'm Jay Thayer, I'm Vice
12 President of Operations for Entergy Nuclear. I'm on
13 loan to the Nuclear Energy Institute.

14 MR. GOODWIN: Good morning. I'm Scott
15 Goodwin, Entergy Design --

16 CHAIRMAN BONACA: You are going to have to
17 come to a microphone if we are going to go around the
18 room.

19 MR. GOODWIN: Good morning. I'm Scott
20 Goodwin, Entergy Vermont Yankee Design Engineer and
21 Civil Structural Supervisor.

22 MR. HOFFMAN: Good morning. My name is
23 John Hoffman. I'm currently retired from Entergy. I
24 was the previous Site License Renewal Project Manager.

25 MR. LACH: Good morning. My name is Dave

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Lach. I'm the Entergy Corporate License Renewal
2 Services Project Manager for the VY License Renewal
3 Project.

4 MR. YOUNG: I'm Gary Young with Entergy,
5 and I'm the Manager of the License Renewal Group for
6 Entergy.

7 MR. STROUD: My name is Mike Stroud with
8 the Entergy Corporate Group for License Renewal, and
9 I am the Electrical Lead for Electrical Programs and
10 Review.

11 MR. AHRABIA: My name Reza Ahrabia, I'm the
12 SI, Civil Structural Lead for License Renewal.

13 MR. IVY: And, my name is Ted Ivy, I'm with
14 the Entergy Corporate License Renewal Services Group.
15 I'm the Mechanical Lead.

16 MR. JOHNSON: I'm Paul Johnson at Vermont
17 Yankee. I'm Electrical Design Engineer.

18 MR. DREYFUSS: All right.

19 MEMBER BARTON: I'm glad you left somebody
20 there behind to run the plant. I was getting a little
21 nervous about that.

22 MR. DREYFUSS: Gentlemen, good morning,
23 John Dreyfuss, Director of Nuclear Safety Assurance
24 for Vermont Yankee. I'm responsible for, among other
25 things, the Regulatory, Compliance and Licensing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Group. I'm also the Project Sponsor for the License
2 Renewal Project for Vermont Yankee.

3 Where we are at right now, and we'll talk
4 about it a little bit as we go through recent plan
5 performance and current plan status, but we are, as we
6 speak, turning the moats switch after a refuel outage,
7 and we are going to plant start up.

8 So, we appreciate being here, thank you
9 for entertaining us here at the ACRS meeting.

10 I did want to point out a couple of quick
11 features here. Here's the Connecticut River. Here's
12 the plant. There's the stack back here. We have the
13 intake and the discharge. I think what you'll find is
14 that the plant has been very well maintained over the
15 years. We will talk about some of the capital
16 improvements that we have been making to the plant
17 over the years, in accordance with our long-range
18 plan, and a big investment by Entergy in the plant
19 over the last several cycles. We'll talk about that
20 as well.

21 We've done the introductions.

22 Agenda is, we'll talk a little bit about
23 the site description, touch on licensing history and
24 some of the big plant improvements that we have made
25 recently and over the years. We'll talk about recent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant performance and the project itself and team
2 composition. We'll also discuss the cost beneficial
3 severe accident management alternatives that we
4 identified during the course of license renewal. None
5 of them are age related, but they are interesting to
6 speak about.

7 Additionally, we have a number of
8 presentation topics we've prepared for you on the
9 containment integrity, both the dry well and torus
10 shell, and as P.T. Kuo mentioned, we will also discuss
11 the Vernon Hydroelectric Station.

12 One thing that we have done is in these
13 presentations we have put together an awful lot of
14 detail, and we also have some hyperlinks and back-up
15 slides. If at any point you want more information, we
16 can provide that for you. If you have seen enough in
17 the way of information, please say so, we will move on
18 to any topic that interests you.

19 And, of course, we'll entertain any
20 questions that you have during the course of the
21 presentation here.

22 Site description, the plan is a 125-acre
23 site on the banks of the Connecticut River. It's a
24 very lovely site. General Electric was the NSSS
25 vendor, and Ebasco was the AE and builder of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant. It is a BWR, Mark I containment. We'll be
2 discussing that a bit during the course of the
3 presentations here today.

4 The plant is now rated at 1912, 1912
5 megawatts thermal, with a 650 megawatt electric
6 output.

7 MEMBER BARTON: Is that original, or is
8 that an upgrade?

9 MR. DREYFUSS: That is, during the past
10 cycle we implemented a power uprate. We had put the
11 modifications in over the prior two cycles, and in
12 March of this year got the license up -- I'm sorry,
13 2006, got the license to do the 20 percent uprate.

14 MEMBER BARTON: Thank you.

15 MR. DREYFUSS: Very good.

16 The cooling is a hybrid cycle condenser
17 with forced draft cooling, cooling towers. You saw a
18 little bit of the cooling towers, we have a better
19 shot of that later as well in the presentation slides,
20 and we are currently at a staff of 650 people. That
21 includes our contractors of supplemental work force.

22 Here are some of the licensing highlights.
23 The plant did go on line in 1972, in March. The
24 expiration of the operating license is March 21, 2012.
25 Thus, we are here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I did want to point out, in July of 2002
2 the plant was acquired by Entergy from Vermont Yankee
3 Nuclear Power Corporation, and that really marked the
4 beginning of a number of substantial capital upgrades
5 and major projects, the power uprate project that we
6 talked about, the 20 percent power uprate, dry fuel
7 storage on site at the facility, as well as the
8 License Renewal Project kicked off after Entergy
9 acquired the plant.

10 I'll go through some of the major plant
11 improvements that we've had. We did replace core spray
12 piping back in 1978. We did the full bevy of
13 modifications to the Mark I containment in the '78 to
14 '82 time frame, new saddles, the hold downs, the
15 shortening of the downcomers to alleviate some of the
16 Mark I containment loading. All of that work was done
17 during that period of time.

18 In 1986, we replaced our recirc piping
19 with low carbon steel, 316 low carbon steel.

20 In 1998, we put in our new suction
21 strainers, resulting as a result of some of the
22 industry operating experience that was out there. We
23 also took that opportunity to recoat our torus. We'll
24 be talking about that a little bit later in the
25 presentation as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2001, we applied noble chemistry for the
2 first time at the plant, successful application. We
3 most recently reapplied or put our second application
4 on in the past refueling outage. Again, a successful
5 application. And, we've also gone to hydrogen water
6 chemistry, and, of course, those two in combination
7 really do provide for the asset protection and IGSCC
8 mitigation.

9 MEMBER BARTON: What's your hydrogen water
10 chemistry designed to protect? I mean, how much --
11 you know, it can vary on the amount of hydrogen
12 depending on what you are trying to protect in the
13 core internals. What are you trying to protect?

14 MR. DREYFUSS: We protect the full asset
15 and the recirc loop as well.

16 MEMBER ARMIJO: How do you monitor that?
17 Do you have online ECP monitoring, or just do it --

18 MR. RADEMACHER: This is Norm Rademacher.

19 Yes, we do have an online ECP monitor, and
20 we just -- as a matter of fact, as a result of this
21 outage we put in a new one just for ongoing cycling.

22 MEMBER SHACK: What fraction of the cycle
23 is it operable for?

24 MR. RADEMACHER: We are also investigating
25 other alternatives to the General Electric supplied

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ECP monitor, to improve the reliability.

2 MR. DREYFUSS: We have had them fail
3 after two months of operation. We have replaced them
4 as well. We've had them work for quite a while, and
5 we are working, as Norm said, on doing an upgrade.

6 MEMBER BARTON: What's your success rate
7 with operation of hydrogen water chemistry as a
8 system, 95 percent of the time? How much?

9 MR. RADEMACHER: 98 percent.

10 MEMBER BARTON: 98 percent of the time?

11 MR. RADEMACHER: That's correct.

12 MEMBER BARTON: Okay, good.

13 Thank you.

14 MR. ARMIJO: This is maybe a little bit off
15 base, but have you made any adjustment in your
16 hydrogen water chemistry when you went from 100
17 percent to 120 percent --

18 MR. DREYFUSS: Yes.

19 MR. ARMIJO: -- or did you notice an ECP
20 change?

21 MR. DREYFUSS: Originally, at the
22 previous license conditioning, we were running about
23 3 SCFM and now we are on a 3.5.

24 MR. ARMIJO: Okay.

25 MR. DREYFUSS: Not a substantial change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is not necessarily in the slide that
2 you have in front of you, but we thought it was
3 worthwhile to mention. We did implement zinc
4 injection at Vermont Yankee during this past cycle.

5 And, as far as power uprate, equipment
6 upgrades, I did want to talk some about that. Can we
7 go to the hyperlink there?

8 MR. ARMIJO: Before you go to that, you
9 didn't do zinc injection earlier, but you used to have
10 a brass condenser. Do you still have brass
11 condensers?

12 MR. DREYFUSS: That's correct. We have
13 the Admiralty brass condenser, and there is some
14 natural zinc that we do get as a result of the
15 condenser that we have.

16 MR. ARMIJO: But, you still keep the
17 Admiralty brass condenser, or have you changed that?

18 MR. DREYFUSS: We have not changed that,
19 that's correct.

20 MR. ARMIJO: Okay.

21 MR. RADEMACHER: It is in our long-range
22 plan after 2010 to change that up.

23 MR. ARMIJO: That would be titanium or --

24 MR. RADEMACHER: We haven't made the
25 selection of materials at this time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: Okay.

2 MR. DREYFUSS: I did want to touch on
3 some of the major equipment changes that we made that
4 we believe position us well for extended operation and
5 good plant reliability into that period.

6 We did a change out of the high pressure
7 turbine, the LP turbines were replaced earlier, prior
8 to our power uprate, not associated with the power
9 uprate, so that train is all new.

10 MEMBER BARTON: Was that the rotor cracking
11 issue?

12 MR. DREYFUSS: No.

13 MEMBER BARTON: Okay.

14 MR. DREYFUSS: No, we had a rotor -- we
15 had a rotor insulation issue.

16 MEMBER BARTON: Okay.

17 MR. DREYFUSS: And, we did fully
18 reinsulate the rotor to enable us to stay away from
19 any kind of thermal sensitivity and vibration on the
20 power train.

21 MEMBER BARTON: All right.

22 MR. DREYFUSS: We additionally replaced,
23 rewound the stader. That's all new copper, and
24 reinsulated the boiler as well.

25 Feedwater heaters, we do have new high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure feedwater heaters. We had replaced the LP
2 heaters in cycles previous to the power uprate
3 modifications.

4 Switchyard improvements, we, essentially,
5 replaced the switchyard. We put in lots of new
6 protective features and redundant protection schemes.
7 All of the 345, 3-4-5 KV breakers, are new. That was
8 not driven by uprate, that was driven by our long-
9 range plan as well.

10 We replaced a number of control systems,
11 feedwater, level control, the feedwater heater level
12 control system. The reactor pressure regulator has
13 gone to digital. We are digital on most of these
14 control systems, and they are working very fine for
15 us.

16 And, one of the other big challenges that
17 we had in going to power uprate was, we went from two
18 feed pump operation with one in standby, to three feed
19 pump operation, and we had to make a number of
20 modifications to be able to address in the event that
21 we would lose a condensate pump, what would happen to
22 the feedwater system, and this was an area of interest
23 during the power uprate proceedings. So, we put in
24 modifications to provide for auto tripping of a
25 feedwater pump in the event of a trip of a condensate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pump. Also, an automatic runback of our recirc
2 system, to maintain power, and additionally, a level
3 setdown, ultimately, very well analyzed and our goal
4 was, one, ensure, primarily, that we would maintain
5 feedwater flow to the reactor vessel, and that we
6 would not have an inadvertent scram on low level or a
7 high level trip on the turbine.

8 MEMBER BARTON: On the loss of feedwater
9 pump you runback or scram?

10 MR. DREYFUSS: Correct, loss of feedwater
11 pump will do a runback.

12 MEMBER BARTON: Runback.

13 MR. DREYFUSS: Right, and we did an
14 analysis using some sophisticated modeling.
15 Ultimately --

16 MEMBER ABDEL-KHALIK: What did you do to
17 the condenser? You didn't say.

18 MR. DREYFUSS: To the condenser, we did
19 some reinforcement in staking to avert any issues that
20 we might have with vibration, due to the higher flows.
21 We did take a look at the condenser this refuel
22 outage, and we see no issues with the condenser, as a
23 result of the power uprate.

24 This shows here, up top there is Wayne
25 Manning, one of our operator, as we did reach the new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power level. The slide below there, or the picture
2 below, is our Power Ascension Control Center. We did
3 a deliberate slow power ascension, never going
4 backwards, but methodical step by step changes in
5 power, at small increments, analyzed. At the very end
6 here we did a big integrated plant test, where we
7 actually did manually trip one of the condensate pumps
8 and this is the Power Ascension Control Center, the
9 brain of the power ascension operation, and all of us
10 sitting around watching the traces and transients.

11 If you are astute, you can see that the
12 rods remain out, and these are the traces here. Let's
13 go to that next slide. This was a really nice result.
14 We had great results from this transient test.
15 Classic quarter wave dampening on level, you can see
16 the tripping of a pump here, and the tripping of the
17 feed pump as far as the changes in feedwater flow, and
18 this test matched perfectly with our analyzed
19 projections for the test. So, a testament to, I
20 think, the engineering staff for the work that they
21 did in analyzing for this transient as well.

22 MEMBER SHACK: And, your secondary system
23 piping, has much of that been replaced, or is it still
24 all carbon steel?

25 MR. DREYFUSS: Go ahead, Norm.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADEMACHER: A lot of the high usage
2 areas, drains and such where they go back to the
3 condenser is chrome-moly. That was the original
4 design.

5 MEMBER SHACK: Oh, the original design.

6 MR. RADEMACHER: And so, we haven't had to
7 replace much of that.

8 MR. DREYFUSS: As far as recent plant
9 performance, current plan performance, current plan
10 status right now is, we are mode switch to start-up.
11 We will be withdrawing control rods for start-up from
12 our refueling outage.

13 Cycle 25, where we did the 20 percent
14 power uprate, was a 549-day safe, continuous run. We
15 had shut down for our prior refueling outage, did all
16 of the maintenance, did some additional power uprate
17 modifications, started the plant up, and it maintained
18 -- we maintained it in service during the cycle, as
19 well as doing the power uprate and power increase
20 during the wave. So, a good, safe run, and a
21 testament to the quality of the work that was done.

22 We started our refuel outage on May 12,
23 2007. Safe shutdown from that outage. We are starting
24 up as we speak.

25 And, for key outage summary, one thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I did want to say, as far as the power uprate
2 went, we were a full year operation at the extended
3 uprate level with no challenges to the operators and
4 good, safe performance of the unit.

5 A couple of key things as far the outage
6 summary goes, some of the big things that we got done
7 is, we did replace one of our large feedwater motors,
8 the size of a walk-in kitchen, I would characterize
9 it, pretty good size motor. That worked well, and it
10 was fine. We did replace the last of the 345 KV
11 breakers that we were seeking to replace. Again, that
12 was driven by our long-range plan. We have a 15-year
13 capital plan, and we have a large motor program, we
14 are replacing and refurbishing motors as we go, and
15 laying them out in a logical sequence based on
16 priority.

17 MEMBER BARTON: Does that include your
18 recirc motors as well?

19 MR. DREYFUSS: We are looking at the
20 recirc motors as well, and that's a relatively high
21 priority one for us as well. It's a big job.

22 MEMBER BARTON: Yes.

23 MR. DREYFUSS: The feedwater motor was a
24 big job, had to cut a hole in the turbine building,
25 cut a hole in the turbine building floor --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: Roof, yes.

2 MR. DREYFUSS: -- it was a big deal, but
3 very well done.

4 Service water, we replaced the discharge
5 valve and check valve on our service water D train,
6 our delta train of service water. Again, that was work
7 that we are looking to do. We have the other trains
8 laid out in our long-range plan that we'll be doing
9 over the course of the next several years.

10 We did replace a HPCI high pressure
11 cooling injection turbine exhaust and check valve,
12 that we had had some history with leak rating. We put
13 a new check valve in, it's working beautifully.

14 So, some of the highlights from the
15 outage.

16 MEMBER ABDEL-KHALIK: Now, you've been
17 operating with a MELLLA power flow limit line?

18 MR. DREYFUSS: We are, we are operating
19 under the MELLLA operating regime, and we are -- we
20 did some gamma scanning for this refuel outage in
21 support of the GE application for the MELLLA+.

22 MEMBER ABDEL-KHALIK: And, your operators
23 have had no problems operating with MELLLA in terms of
24 the range of control that they have?

25 MR. DREYFUSS: That's correct. There

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been no problems. Ideally, the MELLLA+ will
2 provide some additional operational flexibility, so
3 that we have a larger flow window, in particular, end-
4 of-cycle, so that we don't have to make as many
5 pattern adjustments to the --

6 CHAIRMAN BONACA: You say a larger flow
7 window, I mean, you have some flow window now?

8 MR. DREYFUSS: Yes.

9 CHAIRMAN BONACA: With the MELLLA?

10 MR. MANNAI: Yes, this is Dave Mannai, we
11 have about a 4 to 5 percent flow window. It's a
12 little bit larger than Brunswick's. We did some
13 industry comparisons with them when we were going to
14 implement uprate, and I'm pleased to report that over
15 the last cycle we had a number of rod adjustments
16 toward the end of the cycle, you know, as is typical,
17 but not having MELLLA+ at a full EPU condition we did
18 have to do more rod adjustments, but they are all done
19 safely with excellent focus on reactivity management
20 and performance. We had no issues as a result of
21 that.

22 MEMBER ABDEL-KHALIK: And, you can enter
23 into higher than 100 percent flow range?

24 MR. MANNAI: Yes, we implemented increased
25 core flow back in late '99, early 2000 time frame, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we went -- you know, we had the full 107 percent
2 increase core flow. As you implement power uprate you
3 lose some of that margin, so we went from 107 percent
4 down to about 104.5, so our flow window is from 99
5 percent to, roughly, 104.5 percent flow, so we had a
6 little bit more margin than one of the Brunswick
7 units.

8 MEMBER ABDEL-KHALIK: Thank you.

9 MR. DREYFUSS: As far as an overall
10 summary, excellent plant material condition. We did
11 do a lot of looking as a result of a power uprate and
12 the changes that we had made, and we found the plant
13 to be in excellent health. We'll talk a little bit
14 more about that.

15 We did not identify any significant
16 equipment issues, routine items, routine added out of
17 scope, and well managed and addressed. No generic
18 issues.

19 Outage items of interest, a lot of
20 interest from everybody on the steam dryer and its
21 performance, as well as the performance of flow
22 accelerated corrosion under the uprate power levels.
23 I'd like to talk a little bit about both of those
24 topics as well.

25 MEMBER MAYNARD: You said you are going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk more about your first bullet there, excellent
2 plant material condition?

3 MR. DREYFUSS: Yes, sir.

4 MEMBER MAYNARD: Okay, because that's an
5 easy -- that's a statement to make, but it doesn't
6 really give me a feel. You obviously have some issues
7 and some things that you are dealing with, I'd like to
8 get a feel for kind of what level of items that you do
9 have on your list of things to do.

10 MR. DREYFUSS: All right, very good,
11 thank you.

12 As far as the steam dryer went, during
13 start up from the last refuel outage we did do
14 extensive monitoring of the steam dryer to validate
15 that we are going to remain within the low profile,
16 code low profiles, and we did do that.

17 But also, during the course of the cycle
18 we did online monitoring to a high degree.
19 Additionally, during this last outage, lots of
20 interest in terms of the steam dryer condition as we
21 pulled it out of the vessel.

22 So, from an online monitoring standpoint,
23 we have been monitoring, we saw no changes in reactor
24 water level that we couldn't explain. Similarly, steam
25 dome pressure, no changes there that would prompt us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or kick us into any off-normal procedure that we have
2 for actual steam dryer issues.

3 Additionally, we do monitor moisture
4 carryover, and we had no unexplained changes with
5 moisture carryover. It tracked as predicted, with
6 changes in power or changes in rod sequences, which,
7 again, those were all anticipated.

8 MEMBER ABDEL-KHALIK: How is that measured?

9 MR. DREYFUSS: We use -- Norm, can you
10 speak to this?

11 MR. RADEMACHER: Sure. We use sodium-24
12 testing. The chemistry performs the testing, and use
13 a radioactive sample and verify. And, they do on a
14 weekly basis, and we monitor statistically and see if
15 there's any statistic changes, statistically unusual
16 changes, every week.

17 And, the performance of that has been --
18 you could see the change with our uprate, as we
19 increased steam flow you get more carryover, but then
20 it stays relatively constant through the rest of the
21 year for the cycle.

22 MR. DREYFUSS: It probably averages about
23 .12 percent.

24 MEMBER ABDEL-KHALIK: And, the uncertainty
25 in that is how much?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADEMACHER: I don't know the answer to
2 that question.

3 MR. MANNAI: We'll get that information and
4 get back to you.

5 MR. DREYFUSS: It's very predictable.
6 We'll get the numbers on the uncertainty for you.

7 For outage monitoring as well, we did take
8 a look and found that there were no fatigue
9 indications that have been seen elsewhere in the
10 industry. I happened to be at one facility when they
11 removed the dryer from the reactor vessel, and there
12 were obvious flaws in that steam dryer, in particular,
13 some of the areas where reinforcement and
14 strengthening modifications were made. We took a look
15 at all of those areas, and the steam dryer looks --
16 there were no indications, and the steam dryer is in
17 very good health.

18 MEMBER BARTON: Are there any cracks at all
19 in your steam dryer?

20 MR. DREYFUSS: There were some
21 indications that we identified as well. We'll talk a
22 little bit about that. We characterized them as IGSCC
23 as well --

24 MEMBER BARTON: Okay.

25 MR. DREYFUSS: -- and dispositioned them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with General Electric as use as is. I'll explain some
2 of those as well as we go forward.

3 MEMBER BARTON: All right, thank you.

4 MR. DREYFUSS: Go to the hyperlink here.
5 This is a shot of the steam dryer here, and we did
6 find -- these are the lifting lugs for the steam
7 dryer. We found that on a tap weld on two of these
8 lifting lugs, there's a structural weld underneath
9 here, that was fine, but the tack weld, that's,
10 essentially, anti-rotation for the lifting lugs, we
11 did find a couple of small indications there, and they
12 may be service-induced from lifting, lifting the
13 dryer.

14 Where we did find IGSCC is, this shows
15 here, we have two steam dams, and they are about half
16 an inch wide, 12 feet long, six inches high, and
17 during the visual inspection, we did very high-quality
18 visual inspections of this outage as well as last
19 outage, we saw three indications right along one edge
20 of the steam dam. They didn't turn the corner
21 whatsoever, and they look like classic IGSCC-type
22 indications, dispositioned as use as is. We concurred
23 with that in our Civil Structural Group, and we will
24 inspect them next outage.

25 CHAIRMAN BONACA: You didn't see them in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the previous outage?

2 MR. DREYFUSS: We did not see them in the
3 previous outage.

4 CHAIRMAN BONACA: So, this is indications
5 that developed over this period of operation.

6 MR. DREYFUSS: That's correct. What we
7 had done, in 2004, two cycles ago, is we did do some
8 strengthening modifications here, some weld build up
9 at this particular area, as well as putting in a
10 couple of gussets along the length of the steam dam to
11 improve its strength, and we found that in the heat
12 affected zone, where we did that work, that's where
13 the IGSCC showed up.

14 MR. ARMIJO: So, you believe it's residual
15 stress from your welding that caused the cracking to
16 initiate there?

17 MR. DREYFUSS: Yes, sir.

18 MR. ARMIJO: Do you have any micro
19 structural confirmation that it was IGSCC and not
20 something else?

21 MR. DREYFUSS: No.

22 MR. ARMIJO: So, it's just -- is there
23 water up there? How can you have a cracking in a
24 steam dryer? Is there liquid bays up there?

25 MR. MANNAI: A fraction of a percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LUKENS: It's very low moisture
2 content at that part of the dryer.

3 MR. ARMIJO: But, there was no
4 metallographic sample taken to verify its
5 intergranulars?

6 MR. DREYFUSS: That is correct.

7 MR. ARMIJO: So, it's an indication, and
8 you concluded with G.E. that it was IGSCC.

9 MR. DREYFUSS: Right, and we will again
10 look at it next outage to confirm that.

11 MEMBER MAYNARD: Can you explain to me what
12 you mean by a very high-quality visual inspection?

13 MR. DREYFUSS: Yes, the standard that we
14 used was G.E. SIL, Service Information Letter 644
15 requires visual examination. The technology that was
16 used, the cameras that were used, the speed at which
17 the cameras moved, the clarity of the water was very
18 high as well.

19 MR. RADEMACHER: And the lighting.

20 MR. DREYFUSS: And the lighting was very
21 good.

22 MR. RADEMACHER: It was almost EVT -- met
23 EVT standards, the enhanced visual requirements.

24 MEMBER SHACK: Now, how do you disposition
25 this curve -- crack? You know, what's the process?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What's the acceptance criteria for the dispositioning?

2 MR. RADEMACHER: General Electric evaluates
3 it. Well, first off, just to remind you, this is on
4 the end of the steam dam, it's a ½ inch wide, just on
5 the face of the steam dam.

6 Then they evaluate the condition, where it
7 is, and whether it impacts the structural capability
8 of the steam dryer, and then they provide a response
9 to us that is reviewed by our structural folks to
10 verify that it's acceptable.

11 And --

12 Larry, do you have anything to add to
13 that?

14 MR. LUKENS: This is Larry Lukens.

15 We spent a lot of time on the phone with
16 General Electric, both their metallurgist and their
17 analysis folks, on this particular set of indications,
18 and the cracks are consistent with IGSCC. The history
19 on this particular spot in the dryer is that in 2004
20 there were a number of welds that were put on because
21 of cracks found in structural parts in the vicinity of
22 that steam dam.

23 This particular spot in the steam dam is
24 not a structural part of the steam dam. It's about a
25 3-inch high piece of this 6-inch stainless plate, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these cracks are characteristic of stress relief.
2 And, in 2004, when the original indications in these
3 areas -- this area was identified, there was a lot of
4 discussion in that analysis about the stress induced
5 by the welding, by the original manufacturing process.

6 There are four symmetrical locations to
7 this specific spot, and only one of the four has these
8 indications.

9 MR. ARMIJO: So, G.E. dispositioned that by
10 saying, and correct me if I'm not saying what they
11 told you, but these cracks were caused by residual
12 fabrication stresses caused by the welding.

13 MR. LUKENS: That's correct.

14 MR. ARMIJO: And, they must have assessed
15 that these cracks wouldn't propagate and leave you
16 with a loose part.

17 MR. LUKENS: That was our big concern, yes.

18 MR. ARMIJO: Okay, and that's been reviewed
19 with the staff.

20 MR. LUKENS: No, the staff --

21 MR. DREYFUSS: Well, we did do a -- we
22 had a telecon with Tom Scarborough and a number of the
23 consultants that were involved in the steam dryer
24 work, as a courtesy call, and did explain to them what
25 we saw and what we had identified as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADEMACHER: And, in addition, we
2 forwarded our detailed report to the staff for their
3 review, as part of our license conditions, after each
4 inspection of the dryer wall, for the next -- this
5 cycle, as well as the next two refueling cycles, we'll
6 be continuing to monitor the steam dryer, and we'll
7 prepare a report for the staff for their review.

8 MR. LUKENS: That's a 60-day report.

9 MR. MANNAI: Yes, this is Dave Mannai. I
10 think it's worth noting, we had set up that courtesy
11 teleconference with the NRC staff ahead of time, even
12 before we noted these indications, and we discussed
13 those indications fully with the staff at that
14 telecon, and much of the questions that you are asking
15 now were similar to the questions they asked, and
16 staff, I believe, was satisfied at the end of that
17 teleconference. We owed them the formal reports in
18 accordance with our license condition, 60-day report.

19 MR. DREYFUSS: And, some of the industry
20 operating experience that we had followed is, there
21 were substantial flaws here along the lower plate,
22 along the gussets and shoes, as well as the gussets
23 pulling away from the actual base plate here. Again,
24 we looked at all of those areas, all of the preemptive
25 strengthening modifications that we had done, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 found them to be in good order, no indications there.

2 MR. RADEMACHER: We performed over 460
3 inspections, both inside and out, and there was no
4 change in any of the previously identified
5 indications, and just the new ones that we have
6 mentioned during our conversation here today.

7 MR. DREYFUSS: Any other questions on the
8 steam dryer?

9 CHAIRMAN BONACA: Just the question I had
10 was, you will inspect again at the end of the new
11 cycle, and for how long do you plan to do inspections?

12 MR. DREYFUSS: We will follow the SIL-644
13 guidance. However, we did have a license condition
14 that, rather than every other outage that we would do
15 three successive --

16 CHAIRMAN BONACA: Yes.

17 MR. DREYFUSS: -- full inspections of the
18 susceptible, accessible welds. So, this outage and
19 the next two, we will also do the same type of high-
20 quality visual inspection.

21 CHAIRMAN BONACA: So, the dispositioning
22 was, essentially, for a cycle length, or a disposition
23 that's acceptable for a cycle of operation.

24 MR. DREYFUSS: That's correct.

25 CHAIRMAN BONACA: And, they will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspected again.

2 MR. DREYFUSS: Inspect again next cycle,
3 correct.

4 CHAIRMAN BONACA: Thank you.

5 MR. RADEMACHER: In addition now, as part
6 of license renewal, we have an ongoing commitment to
7 meet SIL-644 for the license extension period.

8 MEMBER SHACK: And, it is sort of a rock in
9 a hard place. Every strengthening operation you make
10 to protect against fatigue just gives you a new ISSC
11 location.

12 MR. DREYFUSS: That was one of the
13 concerns that we had, in terms of the modeling that we
14 did on the steam dryer, to make sure that we had mesh
15 sizes small enough to really get a good understanding
16 of what the stresses were at those key locations.
17 That did prove to have been accurate, and we don't see
18 any indications.

19 MEMBER SHACK: Now, the fluids is up here
20 low enough, you don't have to worry about helium in
21 the stainless steel?

22 MR. DREYFUSS: Right, yes.

23 MEMBER ABDEL-KHALIK: Was the steam
24 pressure monitored during the power uprate to detect
25 any sort of high-frequency variations in steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure?

2 MR. DREYFUSS: Yes, we had highly
3 instrumented both the steam lines, feedwater lines as
4 well, and looked at steam dome pressure, and we
5 monitored any fluctuations there.

6 What we had learned from the industry is
7 that there were some signals, acoustic signals, that
8 were being brought from the main steam lines back to
9 the steam dryer, that's what we monitored.

10 MEMBER ABDEL-KHALIK: And, what were the
11 results of those monitoring activities?

12 MR. DREYFUSS: We stayed well within the
13 loads. We never -- it went as we predicted, and did
14 not approach the ASME loads.

15 MEMBER ABDEL-KHALIK: And, what were the
16 dominant frequencies?

17 MR. DREYFUSS: We had a frequency at 137
18 Hertz, and another one -- and we'll give you the exact
19 numbers, but a little bit -- I think it was 148, 148
20 Hertz, and they coincided with the SRB branch line
21 connections off the main steam lines. We had
22 predicted we would see a spike there, we did see it
23 there, it grew and then mitigated, and stayed within
24 the limits.

25 MEMBER ABDEL-KHALIK: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DREYFUSS: Okay. Flow accelerated
2 corrosion, this was another area that we paid
3 particular attention to under the uprate conditions.
4 We did increase the number of FAC inspections by 50
5 percent from what we typically do during outages. We
6 did do 63 inspections overall. They were satisfactory
7 and, in fact, they were consistent with your
8 analytical predictions that we use in our modeling for
9 FAC.

10 One area that, Jim, maybe you can talk
11 about, the cross-around piping inspection that we did.
12 It's one of the susceptible areas.

13 MR. FITZPATRICK: We've got one remaining
14 carbon steel cross-around. Jim Fitzpatrick. It's the
15 only thing left in the system that is still
16 susceptible, so we use that as an indicator, and we've
17 been doing visual inspections of that almost every
18 outage. And, it's, essentially, the same condition it
19 was in 1996, even with the power uprate.

20 We have visual marks on the inside, and
21 they are still there after this cycle.

22 MEMBER SHACK: Okay, that's how you do the
23 visual, it's still there.

24 MR. FITZPATRICK: Well, we did UTs, and we
25 have a mat on the inside, and you go inside the pipe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and see if it's still there.

2 MEMBER SHACK: There's no wall thinning.

3 MR. FITZPATRICK: No, and that's
4 surprising.

5 MR. LUKENS: This is Larry Lukens, maybe,
6 maybe the gentleman didn't completely understand what
7 you said, there were marks -- marks we put on the
8 inside --

9 MR. FITZPATRICK: Yes.

10 MR. LUKENS: -- to make sure that we
11 understood --

12 MEMBER SHACK: I was sort of wondering how
13 you were going to do the visual, you know.

14 MR. ARMIJO: Poke in your head.

15 MR. LUKENS: Actually crawl down the pipe.

16 MEMBER SHACK: No, but I mean, you have
17 marks, and if they are still there that's an
18 indication you are not losing metal, yes.

19 MEMBER MAYNARD: The 50 percent increase in
20 number of FAC inspections, is that just the number of
21 inspections, or did you also increase number of
22 locations that you are looking at?

23 MR. DREYFUSS: Jim?

24 MR. FITZPATRICK: A mixture of both. We do
25 repeat inspections. We do some new areas, try to mix

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it up, try to add more areas on the same system, look
2 at the models, get more data for the check-works
3 models we are using.

4 MR. ARMIJO: Now you used -- you have
5 chrome-moly most here.

6 MR. FITZPATRICK: In the extraction steam
7 system it's all chrome-moly. The heated drain
8 systems, everything downstream of the local control
9 valves are chrome-moly or stainless, except for the
10 lowest load pressure here.

11 MEMBER SHACK: Do you have a feel for the
12 amount of margin you have with this material compared
13 to the carbon steel, as far as FAC resistance?

14 MR. FITZPATRICK: EPRI publishes 34 times
15 more resistant than the carbon.

16 MEMBER SHACK: Order of magnitude at least,
17 huh?

18 MR. FITZPATRICK: Well, we are not seeing
19 -- we've done some monitoring in the past 15 years on
20 the chrome-moly and haven't seen anywhere at all.

21 MEMBER SHACK: And, this is 2-1/4 chrome-1-
22 moly or what?

23 MR. FITZPATRICK: Some 2-1/4, some 1-1/4,
24 EPRI rec -- even if you have a carbon steel that's got
25 more than .1 percent it works.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Going back to the 50
2 percent increase, what was the criteria used? I mean,
3 you looked for still susceptible locations, right?

4 MR. DREYFUSS: Go ahead, Jim.

5 MR. FITZPATRICK: Jim Fitzpatrick.

6 Just for planning, going to the power
7 uprate, we had pretty good confidence in what was
8 going on prior to power uprate, and we figured we'd do
9 50 percent more inspections to get more data, just to
10 get it back into the check-works models, and then at
11 the end of the three cycles we'll be assessing where
12 to go from there.

13 We've been on a trend of small in order
14 inspections over time, and most of the industry is,
15 too.

16 MR. DREYFUSS: Okay, and again, we'll
17 continue to do the increased scope of these
18 inspections for two more cycles.

19 Now, moving on to the license renewal
20 project itself. As you have heard from introductions,
21 we have a multi-discipline team, a good blend of
22 people from both our Corporate staff, as well as at
23 the site. At the site, we have personnel, not just
24 from the key engineering programs, programs and
25 components and system engineering, design engineering,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we also had operations, maintenance and other groups
2 participate, so that we would get that synergy and
3 make sure everybody sees what's coming here with
4 license renewal.

5 We did, as far as the Revision 1 to the
6 Standard Review Plan in GALL, it's noteworthy that
7 both Pilgrim and VY were the first to go that route,
8 and we are going to talk more about GALL exceptions.
9 I know you are interested in that, but general overall
10 -- over-arching philosophy on the GALL is that we
11 comply with the GALL.

12 There were a number of areas where there
13 -- I'd characterize them as technical exceptions for
14 the GALL that we needed to take, but we were
15 conservative in the development of the GALL, and I
16 think you'll find that these are relatively minor
17 exceptions, and we'll speak to them in detail as well.

18 Of course, we incorporated industry
19 lessons learned, both at Pilgrim and other fleet
20 plants that have undergone license renewal, and others
21 in the industry.

22 As far as the exception types, we have
23 overall 30 exceptions to the GALL. As far as the
24 types of exceptions, you know, for example, if we were
25 committed to a different version of an ASME code, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did take exception to the GALL. So, we've broken down
2 the exceptions that we took into six categories that
3 we'll describe to you, and I'd like to ask Alan Cox to
4 brief you on that.

5 MR. COX: These six categories -- this is
6 Alan Cox -- the six categories was our -- to try to
7 characterize these exceptions, and you can draw the
8 lines in different places, they are somewhat
9 arbitrary, I guess, and there's some overlap between
10 them. So, there's not a real clear-cut line.

11 The first category we've got there is
12 where an activity is not applicable to the plant
13 design. That was pretty straightforward. We may have
14 -- I think we took an exception to metal enclosed bus
15 program, where it talked about insulation between
16 phases, we didn't have insulation between phases. In
17 our bus, we had insulation -- or insulators that
18 supported the bus, but we didn't have any insulation
19 between phases.

20 So, we took, I guess, an overall
21 philosophy on these exceptions, we took a pretty
22 conservative or a literal interpretation of what was
23 in GALL. If it said do an inspection, we did have an
24 inspection, we tended to call that out as an
25 exception. I think if you compare applications from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant to plant you'll see that there's different
2 degrees of that, there's different levels of
3 conservatism or how literal you take things, so you'll
4 see differences in numbers probably because of those
5 factors.

6 The second category we've got there is an
7 alternative that's consistent with approved methods.
8 I guess one of the other philosophies that we took
9 was, if we had a -- as you know, GALL says that that's
10 one way of doing things, if we had an existing plant
11 program that had proven within the, you know, the
12 circumstances of our plant, our people, our training
13 programs, if that existing program had proven
14 effective over the years in dealing with that aging
15 effect, we didn't make the change in the program just
16 to say that we were consistent with GALL. We felt like
17 it was more important to use what's already in place
18 and what's establish and proven for our plant, for our
19 circumstances.

20 The third category is programs based on
21 different code --

22 MEMBER MAYNARD: Excuse me, alternative,
23 consistent with approved methods, from what I
24 understood you to say, I'm not sure what the approved
25 methods are. Is it approved method just because it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has worked for you, or is it other things in the
2 regulations that --

3 MR. COX: In some cases it's -- the most
4 obvious thing that comes to mind is the BWR VIP
5 program. A lot of times you have specifics there that
6 are -- maybe we've got an approved exception to the
7 BWR VIP program because of plant unique circumstances,
8 and we would take that approach.

9 MR. DREYFUSS: You know, Alan, we have an
10 example that we could go to here.

11 MR. COX: Right.

12 This is one that dealt with the frequency,
13 and we had approval of the Generic Letter 89-13, to do
14 things at a refueling frequency, and I think the GALL
15 report may have been more specific than that, it may
16 have said annually. In some cases it was not
17 practical to do it annually, you had the access to the
18 system, you had plans to do things during refueling
19 outages.

20 MEMBER BARTON: Your refueling outages are
21 how often?

22 MR. COX: Eighteen months.

23 MEMBER BARTON: Eighteen months?

24 MR. COX: Right.

25 MEMBER BARTON: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COX: That's an example of that
2 category. Again, there are others. There was, oh,
3 seven or eight examples I think that we had in that
4 category.

5 The third one, different ASME code
6 edition, that's pretty straightforward. There's been
7 a lot of discussion about that. There's was a handful
8 of things that fell in that category.

9 Again, this category met the equal to or
10 better than the NUREG 1801 method, that's a little bit
11 of, you know, the second category that we talked about
12 earlier is a little bit of the same thing, but we've
13 got an example of that -- can you click on the example
14 there?

15 MR. DREYFUSS: Yes, let's look at that.

16 MR. COX: The GALL analysis program, the
17 GALL program, you know, again, was a program that was
18 developed off of somebody -- some specific plant that
19 was reviewed and accepted. Well, it turns out that
20 that particular plant program had flashpoint testing
21 in there. We have a practice at VY to do a fuel
22 dilution test, which is considered to be a better
23 indicator of the contamination of the lube oil with
24 fuel oil than a flashpoint test. So again, it's an
25 alternative that's equally effective, if not better,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than what was in the NUREG, and it's a fairly minor
2 thing, it took pretty little interpretation and
3 decided that that was something we needed to flag as
4 an exception.

5 MR. DREYFUSS: Okay.

6 MR. COX: The experience justifies
7 exception.

8 MEMBER BARTON: That's a scary one.

9 MR. COX: It really kind of ties back in to
10 the philosophy that we were talking about earlier,
11 where you've got an established program that's been
12 proven effective under the plant specific
13 circumstances that it's applicable to, and just go and
14 click on the example of that, if you will.

15 Diesel fuel additives is specified in the
16 particular GALL program. At VY, there's a long
17 history of not requiring any additives beyond those
18 which are provided as part of the manufacturing
19 process by the fuel vendor, and we've had very good
20 operating experience with the existing process. We
21 didn't feel like it was appropriate to change that.

22 MEMBER BARTON: How about -- how about
23 containment leak rate tests ten to 15 years, where did
24 that one come from?

25 MR. UNDERKOFFLER: We presently -- Ted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Underkoffler -- we presently test containment on a
2 ten-year basis.

3 MEMBER BARTON: Right.

4 MR. UNDERKOFFLER: We are right in a five-
5 year extension right now.

6 MEMBER BARTON: About what?

7 MR. UNDERKOFFLER: On the analysis of the
8 uprate analysis. We did the extension for five years.

9 MEMBER BARTON: One time?

10 MR. UNDERKOFFLER: One time only, and we'll
11 be doing our integrated test in 2010.

12 MR. DREYFUSS: Go ahead.

13 MR. COX: I'd say there's only a couple
14 exceptions that we considered in that fifth category.

15 The final one is the NUREG 1801 method is
16 not feasible, and again, this examples that we had in
17 that category were all related to the BWR VIP program,
18 where the VIP program recognizes that some of the
19 inspections that they called for are not technically
20 feasible at this time, and, you know, they have some
21 allowances in there. Larry could probably speak
22 further to this, but that was -- all three of the
23 items we put into that category were BWR VIP items,
24 where the technology is not there to allow you to do
25 the particular inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LUKENS: This is Larry Lukens.

2 Probably the classical example of this is
3 the so-called P9 weld and the core spray shroud the
4 collar, the P9 weld is inaccessible, it's not visible,
5 can't get there. Several years ago, we got a technique
6 approved by EPRI to interrogate this weld by UT, and
7 that technique was subsequently disqualified because
8 nobody currently believes we can come up with a UT
9 technique to interrogate that weld.

10 So, that weld is inaccessible, and that
11 weld is redundant to other welds, which we can
12 examine, and which we have examined, we do examine
13 those at the frequency specified by the BWR VIP, so
14 that our inability to examine that weld doesn't affect
15 structural integrity of the connection, it is an
16 artifact of the way the plant was built, as all BWRs
17 we build.

18 MEMBER BARTON: I think the concern I've
19 got about this whole issue is that there were -- you
20 explained your reasoning for not complying with all
21 the GALL issues, but yet the audit team did find, when
22 you did divert to your own program for whatever reason
23 it was, that you did have to make additional
24 commitments to that program that you were using, even
25 though it wasn't a GALL program. So, that kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 says, hey, how smart was the NRC team that was there
2 that did the audit that picked these up that made you
3 do -- that you then did agree to do some additional
4 commitments to what you were doing. And, there were
5 several of those in this whole stack of exceptions,
6 and I guess that was the thing that was most
7 concerning to me. Suppose somebody didn't pick this
8 up, and you guys agreed to do additional things to the
9 program you were doing. And, I don't specifically
10 remember which ones they were, but there were a few of
11 those like that.

12 MR. LUKENS: This is Larry Lukens.

13 I remember a few of those.

14 MEMBER BARTON: Yes.

15 MR. LUKENS: They dealt, in my area they
16 dealt with things like frequency of inspections in
17 fire protection systems.

18 MEMBER BARTON: Yes, that's one.

19 MR. LUKENS: And, the intervals that we
20 have used are currently in our TRM, they were derived
21 from -- are the same intervals that used to be in tech
22 specs. They were the intervals that we've used
23 successfully for as long as we've had a fire
24 protection program.

25 And, we -- our preference would have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not to change those intervals. We were questioned
2 about that, and we decided that it's probably not
3 worth the effort to have the discussion, and decided
4 simply to revise the intervals.

5 MEMBER BARTON: Right.

6 MR. DREYFUSS: Hose inspections were an
7 example, I think.

8 MEMBER BARTON: There were a few of those,
9 yes.

10 MR. DREYFUSS: That's a good one. We were
11 doing them on an every two year basis, I believe it
12 was, and NFPA requirement was annual.

13 MEMBER BARTON: Yes. I think a couple of
14 them were in the fire protection area, if I remember.

15 MR. DREYFUSS: Right.

16 As far as additional reviews that were
17 done for the license renewal application, we did do a
18 peer review. They've become a standard part of the
19 review.

20 Additionally, we did both On Site and Off
21 Site Safety Review Committee reviews, had an
22 independent QA review. All of the comments from the
23 internal reviews were, of course, dispositioned and
24 comments resolved prior to our application.

25 As far as license renewal commitments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goes, and commitment tracking, during the entire
2 course of the license renewal process, and the audits,
3 and the inspections that occurred, as well as our own
4 internal work, we developed, and you'll find the
5 commitments that we would have to make under license
6 renewal.

7 We tracked them in a fleet program that's
8 been developed. They are using it at Fitzpatrick, as
9 well as Pilgrim. We'll all be using a similar type of
10 program for tracking.

11 Additionally, we have them tracked in our
12 fleet engineering work tracking program as well, and
13 intend to add them to the final safety analysis report
14 upon issuance of the license.

15 Aging management programs, we do have 39
16 aging management programs that we are committing to
17 under the license renewal program. Seventeen of them
18 are in place that don't require changes as reviewed.
19 There are an additional 13 in place that we will be
20 enhancing during this period of license renewal. We
21 have a phased-in approach, again, using fleet
22 initiatives developed, developing fleet standards for
23 these new programs. And additionally, we have nine
24 brand new programs that we've committed to as well.

25 So again --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Of the programs you have
2 in place, existing programs, of course, and, you know,
3 you already explained to us the exceptions, which
4 makes sense. The only thing that I hope the message
5 gets to the site, and to the people that, of course,
6 we've seen this in the past, it's important, okay,
7 hopefully, will support the programs of the future,
8 but the plant is getting older, so I'm saying that,
9 you know, I hope that some of the inspections are done
10 aggressively, with the understanding that you've got
11 to look for aging of this plant. I mean, things are
12 going to happen there.

13 And so, globally, the whole aging
14 management program has to be one that says, you have
15 to be alert to this issue of aging of these plants.
16 I mean, we are really going to walk into uncharted
17 territory. I mean, just, you know -- I didn't see any
18 of the exceptions that you made as being -- as saying
19 we'll stay with the past because it's been good
20 enough, and we don't need to be more aggressive. But
21 still, I'm only saying that that's an important
22 philosophy to instill in the people that manage the
23 aging.

24 MR. DREYFUSS: And, I appreciate that
25 comment, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. DREYFUSS: As we went into license
3 renewal, and even before then, as Entergy came in, and
4 we really got the long-term perspective for a capital
5 plan that went out for 15 years, it was a shift in
6 thinking that we made with our staff, our operators,
7 our mechanics, and our system engineers. And, we did
8 provide some of those key groups training in aging
9 management and the recognition out in the field.

10 We had a case where we had a control panel
11 wiring that we had seen was oozing some blue goo. The
12 guys went to the EPRI aging management document, the
13 little field book there, and they identified that. We
14 ended up replacing that cable, and it was an aging
15 mechanism that we saw.

16 So, what's important is to make sure
17 people see that it's important to look forward, get
18 things into a functioning, well-managed, long-range
19 plan, where we prioritize that work, and that is what
20 we are doing. So, we will continue those efforts as
21 well.

22 MEMBER BARTON: A couple issues on aging
23 management, if you look at your commitments, when you
24 are going to implement?

25 MR. DREYFUSS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: You have the same date,
2 which is when you start your 20-year extension. Now,
3 I don't believe that that's what you are doing, but
4 yet, the paper says that.

5 MR. DREYFUSS: Right.

6 MEMBER BARTON: The one-time inspection
7 program you are going to start the day you get the 20-
8 year license. I mean, that's --

9 MR. DREYFUSS: Right.

10 MEMBER BARTON: -- I hope you are going to
11 do some one-time inspections before that.

12 So, I was concerned when I saw that, that
13 you all are going to start everything there, but you
14 didn't -- there was no explanation in the material
15 that said, yes, we are doing this one earlier, we
16 started this one now, but, you know, I guess legally
17 or something we are going to implement it on 2010, or
18 2012, whatever.

19 MR. DREYFUSS: Right.

20 MEMBER BARTON: So, I really don't
21 understand where you are with those programs. For
22 example, you've got the program on -- a new program
23 you've got regarding, what is this one, oh, heat
24 exchange monitoring program.

25 MR. DREYFUSS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: Which you are going to
2 implement that.

3 But, as I understand, the industry now has
4 programs where you do monitor by water chemistry, heat
5 exchanger conditions, right?

6 MR. DREYFUSS: Right, yes.

7 MEMBER BARTON: Because I didn't read
8 anyplace that you were doing that, and I'm saying I
9 hope you are not waiting to 2010 to implement a
10 program that does that right now.

11 So, it wasn't clear that you guys are
12 doing some of these things now, and you are going to
13 start them in 2012, and it just didn't make a lot of
14 sense to me.

15 MR. LUKENS: John, could I talk about heat
16 exchangers just briefly? Larry Lukens.

17 Heat exchangers happen to report to me,
18 too.

19 We have, over the years we have maintained
20 heat exchangers as part of system engineering, so that
21 individual system engineers were responsible for
22 things like eddy current testing, and heat exchanger
23 cleaning, and performance testing.

24 MEMBER BARTON: Okay.

25 MR. LUKENS: The only thing that's new, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of heat exchanger monitoring program, is the
2 specific heat exchangers that are listed in the GALL.

3 MEMBER BARTON: Right.

4 MR. LUKENS: In fact, we have a heat
5 exchanger program where we have periodic cleaning, we
6 have periodic performance testing, we have periodic
7 eddy current testing. We maintain plugging maps. We
8 maintain plugging margins for all the safety-related
9 heat exchangers.

10 So, we are doing that now, and there is
11 now a fleet heat exchanger program making the rounds
12 in draft form, that we will be adopting as soon as
13 it's ready to adopt.

14 MEMBER BARTON: I thought you would be
15 doing that, because there are programs out there now
16 which you are supposed to be implementing. But, you
17 just don't get that from reading this.

18 MR. COX: Let me add this -- Alan Cox --
19 let me add one thing to what Larry said.

20 This program is not all heat exchangers,
21 there's a lot of heat exchangers that Larry has been
22 involved with over the years that are -- that we have
23 programs for 89-13, -- heat exchanger --

24 MEMBER BARTON: Right.

25 MR. COX: -- the new program that we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about here is kind of a catch-all of
2 miscellaneous stuff that's not covered by 89-13.

3 MEMBER BARTON: Right.

4 MR. COX: That didn't really have a home
5 anywhere else.

6 MEMBER BARTON: Okay.

7 MR. COX: So, that's an explanation for
8 that.

9 MR. RADEMACHER: We have in our corrective
10 action system schedules for each one of the new
11 programs that we're implementing.

12 MEMBER BARTON: When you are going to
13 implement them.

14 MR. RADEMACHER: When we are going to
15 implement them.

16 MEMBER BARTON: Okay.

17 MR. DREYFUSS: Let's go to the bullet
18 here, go to the hyperlink. What we committed to was
19 prior to the license renewal period, but as a fleet we
20 are taking an approach this way here, and this will
21 work for all of us. We will be phasing in various new
22 and enhanced programs over time, as well as
23 reinforcing the merits of the existing programs as
24 well.

25 MEMBER BARTON: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DREYFUSS: You are welcome.

2 CHAIRMAN BONACA: This is to allow the
3 varied piping inspection program.

4 MR. DREYFUSS: I'm sorry?

5 CHAIRMAN BONACA: Varied piping inspection
6 program? The question I have is, this is an example,
7 where you are committed to perform an inspection in
8 the ten years before the period of extended operation,
9 and then an inspection in the first ten years of the
10 period of extended operation, which means you could go
11 20 years, or 19 years, between two inspections.

12 Now, looking at the inspection report we
13 got from the NRC yesterday, it looked like you had an
14 inspection in 2003, actually, okay.

15 But, the question I have, again, it goes
16 to the, you know, how -- this is a long period of time
17 between inspections. Now, I'm not -- I'm not all
18 excited about digging and going after a pipe knowing
19 that you are going to probably create some problem,
20 but still, you know, how do you interpret the problem
21 in GALL?

22 MR. RADEMACHER: Dr. Bonaca, let me -- Norm
23 Rademacher -- I just want to let you know that Vermont
24 Yankee had a previous piping program that any time
25 that we would open an underground system that we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go and inspect, take samples, and so forth, and
2 monitor that.

3 In addition, part of it, this is one of
4 the ones that we had that we are in the process of
5 enhancing, and, for example, during this past outage
6 we did inspections of our alternate cooling system, to
7 our entire service water to the cooling tower, it's
8 all varied pipe, we did a special test to verify that
9 it flowed appropriately, and we did visual
10 inspections.

11 We normally do those inspections at a
12 refueling outage, so it's -- there are many systems
13 that are on a much higher frequency, and then what we
14 are going to do is enhance them to add the other
15 systems that we have.

16 CHAIRMAN BONACA: How frequently have you
17 had these opportunistic inspections, roughly, I mean,
18 every two years, every five years? I'm talking about
19 opportunistic inspections.

20 MR. DREYFUSS: Go ahead.

21 MR. METELL: Dr. Bonaca, this is Mike
22 Metell, I was the original service water system
23 engineer back in the '80s. We have done quite a bit
24 of investigative work. We've had many opportunities,
25 for example, we built a warehouse which required us to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do underground digging. We were able to inspect the
2 pipes at that time.

3 We also had some other piping that we
4 needed to physically dig up, to get the particular
5 point in time, so we were able to look at the mastics
6 that covered the lining, and it was in outstanding
7 shape. We typically found that, and again, this was
8 in the period of the '80s.

9 Norm had talked to later periods, and, you
10 know, in 1990-2000, so we've looked at this over the
11 time, it has been opportunistic. There's certainly
12 enhancements we can make to it, but we can tell you
13 now that, again, the mastics that protect the outside
14 of the pipe are in excellent shape, we've done UTs and
15 such.

16 CHAIRMAN BONACA: So, the answer is really
17 that you are performing opportunistic inspections with
18 quite a frequency.

19 MR. METELL: Yes.

20 CHAIRMAN BONACA: Because, I mean, when you
21 look at the application and the SER, you get to the
22 conclusion, since you have no information that you
23 could go as far as 19 years.

24 Now, I knew that you are digging in much
25 more often than that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. METELL: Yes.

2 CHAIRMAN BONACA: You know, when you talk
3 about operating experience it would be useful to know
4 that you are doing, in fact you are digging often
5 time, and then this becomes a non-issue.

6 MR. RADEMACHER: And, for example, another
7 excavation that we had this cycle was, we are putting
8 a new extension to our reactor building for dry fuel
9 storage, and as a result of that we had excavation for
10 fire protection piping, so we did inspections on that.

11 So, those, as we continue on that's
12 certainly our plan, and then to enhance the program to
13 do it more frequently and incorporate that into the
14 program.

15 CHAIRMAN BONACA: Thank you.

16 MEMBER BARTON: Can I ask a question about
17 service water piping? I read in the application -- I
18 forget where it was, that carbon steel unlined would
19 be an aggressive way to attack. I didn't see anyplace
20 that you have a program for monitoring, protecting or
21 doing something with service water piping. What am I
22 missing?

23 MR. METELL: This is Mike Metell again.

24 What we have are, there's two types of
25 tack, the aerobic bacteria attack, which make large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amounts of material, generally that attack slows down
2 after about three or four years, because after all the
3 areas are occluded and the bacteria can't continue.

4 We have, over the years, I ended my
5 inspection during the mid '80s, my predecessors have
6 continued that up and have verified, just by casual
7 conversation, indeed, the amount of pipe does not --
8 you know, pipe loss due to the aerobic bacteria has
9 not increased.

10 The anaerobes were found small in number,
11 and I think the kinetics on those are due to water
12 temperature. We don't suffer the same problems as
13 many of the southern plants do, because of the warmer
14 weather.

15 MEMBER BARTON: Right.

16 MR. METELL: So --

17 MEMBER BARTON: But, global warming is
18 going to get you, though, global warming is going to
19 get you. This isn't Al Gore.

20 MR. DREYFUSS: We've got that in the
21 long-range plan.

22 MEMBER BARTON: Good to hear that, John.

23 MR. METELL: We do have aerobic bacteria,
24 they over time do penetrate the pipe on just a pin
25 hole, it's happened on the thinner pipes, and our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system engineer right now currently is examining that,
2 and in the long-term plan, as John has said, is to
3 look at how we are going to approach that.

4 You know, you can do replacement that's
5 very difficult to challenge if underground.

6 MEMBER BARTON: Oh, yes.

7 MR. METELL: You have the inlays that you
8 can put in, which may work very well for this type of
9 situation, because there's no isolation valves.

10 MEMBER BARTON: I had the same problem one
11 time, so I just wondered what you guys were doing with
12 it. It sounds like you are monitoring it. Okay.

13 MR. DREYFUSS: We do have a draft safety
14 evaluation report, it's in hand. We worked very hard,
15 along with the staff, to ensure that we would resolve
16 all of these items and, ultimately, we have no open
17 items on the SER. It is clean. There are -- there
18 were six confirmatory items, it's our understanding
19 that two of them are now resolved, and we are working
20 with the staff to provide some additional clarifying
21 details to ensure that we have satisfactory resolution
22 of the four other items.

23 It's our understanding that there are no
24 outstanding technical issues associated with these
25 confirmatory items, strictly administrative to get the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional information. These are, specifically,
2 boundary issues, to provide some clarifying details on
3 that.

4 Cost beneficial, severe accident
5 management alternatives, again, none of them were age
6 related, but this was a really good part of the
7 process where we got to identify some additional
8 things that may improve the ultimate risk profile of
9 the plant. Five of them are procedures related, one
10 of them is a relatively small minor modification. Two
11 of the procedures related ones, to involve us getting
12 as generator.

13 What we have done is entered all of them
14 into our corrective action program, so that we can
15 prioritize them and review them for implementation in
16 accordance with our long-range plan.

17 CHAIRMAN BONACA: You have TRA.

18 MR. DREYFUSS: Yes.

19 CHAIRMAN BONACA: And, what's the core
20 damage frequency for Vermont Yankee?

21 MR. DREYFUSS: Do you know the specific
22 number, Mike?

23 MR. METELL: I do not.

24 MEMBER SHACK: 8×10^{-6} ?

25 MR. DREYFUSS: It's in that 10^{-6} realm.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: That's only internal
2 events or --

3 MEMBER SHACK: Yes, they multiply by 3.3
4 when they do the SAMAS to account for the external
5 events.

6 CHAIRMAN BONACA: Okay, which is pretty
7 much on line.

8 MEMBER SHACK: They compare it to the fleet
9 and they are not too far out of line.

10 CHAIRMAN BONACA: That's right. Okay.

11 MR. DREYFUSS: Okay.

12 MEMBER SHACK: Twenty-five person rem per
13 year for the societal risk.

14 MEMBER BARTON: Is he ACRS or is working
15 for these guys?

16 MEMBER SHACK: Thank you.

17 CHAIRMAN BONACA: Let me say that, you
18 know, around noontime we want to take a break for
19 lunch, and you tell me what is a good place to stop
20 and take a break.

21 MR. DREYFUSS: We are now at the point
22 where we are ready to go into the formal presentation
23 topics, both drywall shell and core shell. If this is
24 a good time, we can do that.

25 MEMBER SHACK: Let me ask you just an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interrupted question here, since you are sort of about
2 to change topics.

3 MR. DREYFUSS: Sure.

4 MEMBER SHACK: What is the actual condition
5 of your core shroud?

6 MR. DREYFUSS: We have tie rod repairs to
7 do.

8 MEMBER SHACK: Now, is that preventative,
9 or you are cracked to -- and you are holding it
10 together with these things?

11 MR. LUKENS: I'll take that one, Larry
12 Lukens.

13 That was preventative. We have four tie
14 rods, all of them were completely inspected all the
15 way from the baffle plate to the top of the tie rod,
16 this most recent outage, as a result of the hatch
17 experience.

18 We also did ultrasonic testing on the
19 design reliant vertical and horizontal welds, although
20 the tie rods bypassed most of the welds in the load
21 path, the design-reliant welds still remained the
22 verticals that hold the shell sections together, and
23 about 18 inches on either side of that intersection
24 with verticals in the horizontals, and that's to keep
25 the shroud from peeling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, we did ultrasonic testing on those
2 design-reliant welds this outage, and we found no
3 rejectable indications. So, our shroud really is in
4 very good shape.

5 CHAIRMAN BONACA: Is what?

6 MR. LUKENS: It is in really very good
7 shape.

8 CHAIRMAN BONACA: Okay.

9 MEMBER SHACK: How about your top guide,
10 any cracking up there?

11 MR. LUKENS: We found no cracking in the
12 top guide.

13 MEMBER SHACK: Never?

14 MR. LUKENS: Not ever, very low fluence
15 plant.

16 MEMBER SHACK: Right.

17 MR. LUKENS: It's a pretty low power --

18 MR. DREYFUSS: Yes, small core, large
19 vessel.

20 MR. MANNAI: This is Dave Mannai, just as
21 a point of reference, you know, we installed that
22 shroud back in 1996, so it's been operational 11
23 years.

24 MR. RADEMACHER: Also, the chemistry is
25 very good in the plant, it has been for many years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, that has made a big difference to the performance.

2 MEMBER BARTON: There are some other low
3 power BWRs that do have some top guide cracking.

4 CHAIRMAN BONACA: I think it is close
5 enough to noontime, I would propose we take a break
6 now. I think you are right about half through your
7 presentation, and we have scheduled time for the
8 completion of the presentation in the afternoon.

9 So, if nobody else has any questions
10 regarding this portion of the presentation, then we
11 will take a break for lunch and come back at 1:00.

12 (Whereupon, at 11:53 a.m., a recess until
13 1:00 p.m., this same day.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

12:58 p.m.

CHAIRMAN BONACA: Okay, let's start the meeting now, hear the second part of the presentation by the licensee, the other topics.

MR. DREYFUSS: Thank you.

Again, John Dreyfuss, Director of Nuclear Safety Assurance for Vermont Yankee.

A couple of quick housekeeping items here. There were three questions that were raised during the morning session I wanted to provide some updates to.

If you would please convey to Dr. Shack that he is correct, the baseline core damage frequency for Vermont Yankee is 8×10^{-6} per year.

Dryer frequencies I spoke to earlier, where we saw some of the acoustic resonant phenomenon, were as predicted at 137 Hertz, that is confirmed. I think I said 144 Hertz, it is 141 Hertz, and then there was a smaller, lower resonance peak at 115, 115 Hertz.

For moisture carryover uncertainty, we've recently performed an engineering change to review the accuracy of that calculation, and with a 95 percent standard deviation confidence the uncertainty is 0.0267 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Additionally, I said that the normal
2 average moisture carryover at full power is .12
3 percent. That is correct. We do see variation of .11
4 to .14, averaging to .12 nominally.

5 Moving on to the presentation topics for
6 the afternoon. We'll speak to both drywall and torus
7 shell integrity and the burning hydroelectric station.
8 I will move briskly through these. If you have any
9 questions as we go, please ask.

10 And, the next slide here, as we talk about
11 the containment, both the torus and drywall key points
12 that I wanted to bring out here is, showing the bullet
13 here, we'll talk about the refueling bellows area,
14 this is the area of interest here.

15 Additionally, the sand cushion region,
16 we'll have better graphics of this that we'll be able
17 to speak to, as well as the torus shell, and torus
18 thickness.

19 This shows the Vermont Yankee
20 configuration, I'd like to talk a little bit about.
21 Normally, this area here is dry, during refueling
22 evolutions we have communication with the moisture
23 separator pit and this area is flooded. We have a
24 stainless steel welded bellows here that goes the
25 circumference around the cavity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Additionally, a couple of features that I
2 wanted to point out here is, we are trying to keep
3 this region here dry, and it shows up a little better
4 on your slide, but this leads down to the sand cushion
5 region. We normally will drain this through this
6 drain here. If, in the event that we have a bellows
7 leak, there are a couple of features I'd like to talk
8 about.

9 First, there's a trough that again goes
10 around the circumference underneath the structure
11 here. Additionally, there's a 3-inch leakage
12 collection line that here is a flow switch. We surveil
13 this flow switch every refueling outage, and it will
14 alarm, in the main control room, at a value of 10 gpm,
15 and we do test that.

16 Additionally, you can see that this line
17 has, essentially, a trap feature to it, so if there's
18 a small amount of leakage the preferential path will
19 go this way. If the leakage is larger, it will come
20 this way. Ultimately, these two combine together,
21 they lead to a funnel in one of our heat exchanger
22 rooms. They go to reactor building sump, over to rad
23 waste, visible leakage that we can see, as well as
24 it's alarmed.

25 MEMBER BARTON: How do you know that line

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is clear, if there's no floating --

2 MR. UNDERKOFFLER: Sir, Ted Underkoffler,
3 it's a stainless steel syringe pipe --

4 MEMBER BARTON: Right.

5 MR. UNDERKOFFLER: -- full length, and
6 it's just the shell and the trough out there. I
7 believe it's clear because we hope to use these as a
8 tell-tale drain for another system which is our spent
9 fuel pool gates, and we've had no problems with this
10 since 1972.

11 CHAIRMAN BONACA: Do you experience
12 leakage?

13 MR. DREYFUSS: We've had no leakage from
14 either the fuel pool liner or the refueling bellows.

15 CHAIRMAN BONACA: You mentioned that the
16 alarmed volume in the control room is 10 gpm?

17 MR. DREYFUSS: That's correct.

18 CHAIRMAN BONACA: So, it's quite large.

19 MR. DREYFUSS: That is true. Again,
20 these do come to a funnel in our fuel pool heat
21 exchanger room.

22 CHAIRMAN BONACA: Yes.

23 MR. DREYFUSS: That funnel is visible
24 where the piping comes into it, and we observe that on
25 operator rounds as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADEMACHER: On daily operating
2 rounds.

3 MR. DREYFUSS: Correct. So again, the
4 barriers are the bellows, the leakage collection
5 trough, the leakage collection lines that can be
6 visually confirmed, and the flow switch associated
7 with the collection system.

8 This show in the event of a bellows leak
9 what the flow path would be and the alarm that we
10 would get.

11 Now, this is the area below there is the
12 sand cushion region, we do have an air gap here. The
13 insulation that was initially, or foam that was
14 initially in place, was removed during construction,
15 so we have a clear gap there.

16 The feature here is, any leakage that
17 would come down through the sand cushion we have eight
18 sand bed drains. These terminate sticking out of the
19 concrete about 14 feet in the overhead in the torus
20 room, directly beneath the vent headers.

21 MEMBER BARTON: How do you know they are
22 clear?

23 MR. DREYFUSS: We do inspections of
24 those. We've done three inspections of them since
25 1987. We did boroscopic inspection and verified that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are unobstructed.

2 MEMBER BARTON: Thank you.

3 MR. DREYFUSS: There is some gravel in
4 here. We have a screen over the top of this, and
5 again, we've sneaked in this way to take a look.

6 MEMBER BARTON: Okay, gotcha.

7 MR. DREYFUSS: Very good.

8 A couple of other things that I did want
9 to talk about, is we had seen that there's actually a
10 natural convective current that occurs from here, that
11 goes up through the gap. We've seen --

12 MEMBER BARTON: Chimney effect.

13 MR. DREYFUSS: -- yes, chimney effect,
14 based on the temperature.

15 MEMBER MAYNARD: Where does that come out
16 at? I mean, would that be through that drain line?

17 MR. UNDERKOFFLER: No, sir, Ted
18 Underkoffler, Entergy, throughout the bioshield wall,
19 the concrete on the outside, there are several
20 annulus' around all the different pieces of piping,
21 and that's where the air would typically exit.

22 MEMBER ABDEL-KHALIK: So, how would you --
23 how did you see natural conduction?

24 MR. LUKENS: We saw dust during the
25 boroscopic examination, this most -- just prior to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this outage. We had the boroscope all the way up to
2 the screen at the sand cushion area, and we could see
3 dust flowing past the boroscope on the screen. And,
4 we found that in at least six.

5 MR. UNDERKOFFLER: Six of the eight, that
6 was observable.

7 MEMBER BARTON: And, you might not see that
8 on all the boilers, because some of them still have
9 that insulation in them, right?

10 MR. LUKENS: Yes, that's right.

11 MEMBER BARTON: So, you don't -- you would
12 get the flow through there.

13 MR. DREYFUSS: Another feature I wanted
14 to point out is on the interior of the dry well shell,
15 with the concrete floor here, this is the moisture
16 barrier. We'll be talking about that as well a little
17 bit later here.

18 So, summary of the protective features is
19 that we do have a design that minimizes the potential
20 for undetected water intrusion into the sand cushion
21 region. There are diverse redundant methods for
22 identification of leakage.

23 We did formalize in our operator rounds,
24 we've been checking it on operator tours, these sand
25 bed rings, we've been checking that in the operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rounds. We formalized that as an adjunct to the
2 license renewal inspection that we had, the regional
3 inspection, to be more specific about having the
4 operators specifically check off those drain lines to
5 check them. And again, you'll see a picture of the
6 torus room floor and we have very easily detected
7 leakage in that area, should we have it.

8 And finally, corrosion potential is
9 minimized. We don't have any potential for wet
10 insulation or chloride formation that would accelerate
11 in corrosion.

12 I want to give you a few pictures of the
13 actual construction of the dry well here. A feature
14 I wanted to point out is, we did do an awful lot of
15 rebar here, because it's a very large project and a
16 number of pours, and the pours were done in sections,
17 so there is some cold joint work that's going on that
18 will play into another topic we'll discuss later, but
19 this is where the dry well shell is.

20 You can see here again a better shot of
21 the bottom of the dry well shell, the blast covers
22 here. You can see the torus structure. You can see
23 the vent header and the downcomers as well, as we're
24 lowering the torus into place.

25 This is the sand bed region down below

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, sand line drain or sand bed drain comes out
2 right here.

3 This is about where you'd see these guys,
4 the sand bed drain lines, come out right around here.
5 You can see the different concrete pours that were
6 done to erect the reactor building concrete around the
7 actual dry well shell.

8 MEMBER ABDEL-KHALIK: How and when was
9 that insulation removed?

10 MR. DREYFUSS: As they built up the
11 layers with the concrete pours, they pulled the
12 insulation out as they went, reapplied it on the next
13 level, did their pour, did their outer pour, took out
14 the insulation, and stepped it up as they went, is my
15 understanding of it.

16 MR. LUKENS: Yes, insulation may not
17 exactly convey what it was. It was just 2-inch
18 plastic foam.

19 MR. DREYFUSS: Yes.

20 MR. LUKENS: And, it was there to install
21 a 2-inch air gap and generate the gap. So, it
22 generated the gap.

23 And so, once the concrete was set the foam
24 was pulled and the gap was there.

25 MR. DREYFUSS: So key thing summary here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is, we have not had any bellows or liner leaks. We
2 have done these boroscopic inspections. We did do one
3 in 2007, it was observed by a member of the regional
4 inspection team.

5 Additionally, there was an awful lot of
6 discussion during the regional inspection about one
7 event that we had in 1991, again, not a bellows or
8 liner leak, it was a main steam line drain leak. The
9 total was a 10-gallon leak, in total, 10 gallons, and
10 we have fully investigated and analyzed that actual
11 leakage event and determined it to not have any impact
12 on the dry well shell.

13 MEMBER BARTON: Can you tell me how a main
14 steam line drain leak got into this area?

15 MR. DREYFUSS: I can. Let's go to the
16 slide here. This shows the RPB. Here's the main
17 steam line coming out. Here's the main steam line
18 drain, external to the reactor building concrete.

19 MEMBER BARTON: Right.

20 MR. DREYFUSS: This is a dry well
21 ventilation line, primary containment atmospheric
22 cooling for inertia. What happened is, we had a very
23 small wisp of a packing leak right here. We
24 identified that there was something going on,
25 actually, through the operator rounds. They saw,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through a shrinkage crack here, that there was some
2 water, just a little bit of moisture on the wall, and
3 a small amount of puddling. We kicked off a multi-
4 disciplined inspection and went after this, and we
5 identified that small packing leak here, right here on
6 this valve, that dripped down onto this line, which
7 had a unique configuration and was slanted towards the
8 primary containment.

9 MEMBER BARTON: Okay.

10 MR. DREYFUSS: It ran down this line, and
11 this actually shows the steam line drain. This shows
12 the primary containment air line, you can maybe see a
13 little bit of perspective of how it slopes down there.

14 MEMBER BARTON: Right.

15 MR. DREYFUSS: So, what ended up
16 happening is, it came down this line and dripped this
17 way, and looking at it in 2007 we believe that the
18 most probably path for it to get out to this torus
19 room area was to go through the cold joints from the
20 concrete pours and work its way out, rather than maybe
21 this way and then work its way out to the concrete, or
22 maybe --

23 MEMBER BARTON: But, you didn't see it
24 through the drain line, though.

25 MR. DREYFUSS: We didn't see it through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the drain line.

2 MEMBER BARTON: Okay.

3 MR. DREYFUSS: And, there was no water
4 beneath that drain line area.

5 MEMBER BARTON: I see. I understand.

6 Thank you.

7 MR. DREYFUSS: All right.

8 So again, 10-gallon leak, we don't believe
9 it had any impact on the dry well.

10 MEMBER ABDEL-KHALIK: What does the word
11 acceptable in the second bullet mean?

12 MR. DREYFUSS: That is clear of any gross
13 obstructions. We did see some small pebbles in the
14 line, but, ultimately, the function of those drain
15 lines is satisfied. We will be able to detect
16 leakage, and we have a clear flow path through the
17 drain line.

18 So, we can talk about the external
19 surfaces of the dry well, switching over to the
20 internal surfaces in 1999. First of all, we've always
21 inspected the dry well interior. In 1999, we
22 implemented the containment, ASME containment in-
23 service inspection program, the IWE section, to do a
24 dry well inspection in 2001.

25 During that 1999 inspection, we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify that that seal, if you can go to that seal
2 picture, do you have that one -- yes, this moisture
3 barrier here --

4 MEMBER ABDEL-KHALIK: Okay.

5 MR. DREYFUSS: -- during that initial IWE
6 inspection we identified that that was a little bit
7 degraded and needed replacement.

8 So, we planned the modification, go back
9 to the slide, please, we planned a modification in
10 2001, we took out that barrier, and replaced the
11 barrier.

12 We did do, at the time when we cleaned
13 that up, we did do UT inspections of the dry well
14 shell right at that floor junction, and that is, of
15 course, where that sand bed region is, where the
16 moisture would be, and we found nominal wall thickness
17 there. We didn't see any corrosion, or general
18 corrosion of any concern.

19 We also enhanced the moisture barrier
20 design and reapplied that. We can into any detail you
21 like on that, the new design, but, ultimately, the
22 picture is here that I'd like to leave you with,
23 because we have been watching and monitoring this
24 containment over the course of the years, it is in
25 good health. When we identify any issues, we correct

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them promptly, and that is what has allowed us to
2 maintain the good containment health that we do have.

3 Moving on into -- yes, sir?

4 CHAIRMAN BONACA: Just -- your inspection
5 was in that region right above the moisture barrier.

6 MR. DREYFUSS: Yes, sir, we excavated a
7 little bit here, in order to clear this moisture
8 barrier out. It varied a little bit, maybe up to an 1-
9 1/2 inches in some areas, a little bit less than that
10 in others, maybe a little more than that in a couple
11 of areas. It's sort of hard to tell now that the seal
12 is in place exactly how deep it went, but we did take
13 the UT measurements right here along that interface
14 region, matching up with that external region.

15 CHAIRMAN BONACA: And, you have no access
16 whatsoever from the outside in the sand cushion
17 region, there's no access.

18 MR. UNDERKOFFLER: That is correct.

19 MR. LUKENS: Just boroscopic.

20 MR. LUKENS: Right.

21 CHAIRMAN BONACA: Yes, no, I understand
22 boroscopic, but I'm saying, some other designs we've
23 seen there is a way to access the sand cushion region.

24 MEMBER BARTON: That's because we cored in
25 through the concrete.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MEMBER BARTON: Because we had that problem
3 with the liner.

4 CHAIRMAN BONACA: Right.

5 MEMBER BARTON: Otherwise you wouldn't have
6 that access.

7 CHAIRMAN BONACA: Right. Okay.

8 MR. DREYFUSS: The internal look was
9 good.

10 MEMBER ABDEL-KHALIK: What do you mean by
11 an enhanced moisture barrier design?

12 MR. UNDERKOFFLER: Sir, Ted Underkoffler,
13 Entergy, the original barrier was just in the last
14 order, we have placed in a grout with a membrane, an
15 epoxy seal, and then in the last I've been talking
16 about we've -- in 2001 I personally examined that
17 barrier for every refueling outage, as well as the
18 region inspected with us this last outage, and we
19 found that the flexible membrane is still flexible and
20 pliable. So, we are ensuring that there's no moisture
21 intrusion getting down there. There's no separation
22 between the steel and the epoxy that was placed in
23 there.

24 MEMBER MAYNARD: What was the condition of
25 the seal that you replaced? Was it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. UNDERKOFFLER: It varies depending on
2 who you talk to. It was there in a lot of areas, it
3 was --

4 (Whereupon, power outage, no loss.)

5 MR. UNDERKOFFLER: You are back up? Okay.

6 If I can continue, this is Ted
7 Underkoffler, Entergy, that seal was in an amount of
8 disarray depending on who you spoke with. It was not
9 adhering in some areas, there was some slight general
10 corrosion behind it. That was all removed, excavated,
11 cleaned, the metal was cleaned for six inches above
12 the joint, and resealed with the qualified coating
13 before we put the grout and the moisture barrier back
14 in place.

15 MEMBER BARTON: And, you don't have any
16 access underneath that embedded area, what assurance
17 do you have that moisture did not get down in that
18 area?

19 MR. UNDERKOFFLER: They cleaned out to the
20 point where we still had good concrete to metal on the
21 base, where it was close adhering at that point, and
22 that was one of the criteria, how far they had to go
23 down and clean, til they were assured that that
24 concrete and steel were still adhering, and before
25 they replaced it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DREYFUSS: I also inspected the seal
2 with our senior resident.

3 (Whereupon, loud feedback, nothing lost.)

4 MEMBER MAYNARD: Are you still up over
5 there?

6 THE REPORTER: Yes.

7 MR. SULLIVAN: Did you get that, though?

8 THE REPORTER: I got it.

9 MEMBER MAYNARD: How is that spelled?

10 MR. ARMIJO: Before you leave that --

11 MR. DREYFUSS: Yes.

12 MR. ARMIJO: -- did you ever find water on
13 the floor --

14 MR. DREYFUSS: No, of the torus room?

15 MR. ARMIJO: Other utilities have had that
16 problem from different areas.

17 MR. DREYFUSS: No, we have not seen water
18 on the torus room floor coming from other sources.

19 MR. ARMIJO: Okay.

20 MR. DREYFUSS: All right, next slide,
21 torus shell integrity and monitoring.

22 MR. ARMIJO: How about the containment
23 floor inside? Do you have a history of recirc pump
24 seal leaks?

25 MR. UNDERKOFFLER: John, can I take that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DREYFUSS: Sure, Ted.

2 MR. UNDERKOFFLER: The -- Ted Underkoffler,
3 Entergy -- we have had some standing water on the
4 floor when we've had leakage. The last outage we --
5 our floor drains had like .029 gallon per minute
6 leakage rate. The floors were dry when we went in this
7 outage, absolutely nothing, they were dry and dusty.

8 So, any standing water, standing water is
9 not typical, we may get it during a refueling outage,
10 but then it's cleaned before we restart the plant.

11 MEMBER BARTON: It's worse where it's
12 sloped, too.

13 MR. UNDERKOFFLER: Yes, I heard -- excuse
14 me --

15 MEMBER BARTON: There's a slope to it.

16 MR. UNDERKOFFLER: Yes, we have four floor
17 drains that go into the four drain sump. They are
18 sloped and it goes away when it's there.

19 MR. DREYFUSS: This is the actual torus
20 room here and the floor. I wanted to point this out
21 because we do rely upon our operator rounds for shift
22 daily rounds, to do inspections in this area. You can
23 get full 360 access in this area, and it's always this
24 clean and this neat. This is what it looks like.

25 These are pictures, actually, photographs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from our most recent refuel outage. So, if there is
2 any leakage, the operators are able to promptly
3 identify that, which is why we are able to identify
4 that 1991 event, and any other leakage that we do
5 have.

6 MEMBER MAYNARD: What's the level compared
7 to water level, is the water table below your plant
8 level?

9 MR. RADEMACHER: Connecticut River water
10 level is 242 and bottom basement floor is --

11 MR. UNDERKOFFLER: 213.

12 MR. RADEMACHER: -213.

13 MR. DREYFUSS: This shows the interior of
14 the torus. This was during our 1998 initiative here
15 to do some recoating. This is the before picture.
16 You can see the water line here, but, ultimately, when
17 we went in we found that the condition was in good
18 shape. We also took the opportunity, though, to do
19 some additional work, reapply the coating, make sure
20 that it was going to stay in good health. This shows
21 some of the after pictures.

22 MEMBER BARTON: In your inspections of the
23 torus coating in refuel outages, do you have any
24 experience with bubbling of that coating?

25 MR. UNDERKOFFLER: Can I take that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DREYFUSS: You are the IWE expert, go
2 ahead.

3 MR. UNDERKOFFLER: I personally walked the
4 ring header several times, our water clarity is to a
5 point that we've been able to see to the bottom of the
6 pool most outages.

7 We have seen -- we have not seen any
8 blistering, we have seen some staining coming through
9 in two areas, which we have gone out and done
10 examinations of that with UT examination to see if
11 there was any wall loss, and there was none.

12 So, we do not see bubbling as a general
13 rule.

14 MEMBER BARTON: This is just from the
15 platform from the walkway looking down, have you ever
16 put divers in there to really go --

17 MR. UNDERKOFFLER: At the present time, we
18 are scheduling 2008 to dive the torus to do the VT-3
19 examination of the wedded surfaces, and that will be
20 ten years from the time that we did the recoating.

21 MEMBER BARTON: Okay.

22 MR. DREYFUSS: Okay, so this was the as
23 left after the torus coating.

24 I wanted to talk a little bit, and this
25 was an area where we had a lot of questions during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regional inspection as well, regarding the torus shell
2 thickness and torus integrity.

3 First of all, the design pressure for the
4 torus is 56 psig. The design basis accident loads
5 that the torus will see is 27 pounds internal, so
6 there's substantial margin between the design and the
7 local loads that we see in the torus.

8 When we procured the plates, the
9 specification was with the numbers that you see there,
10 slightly bigger thickness at the bottom half, and that
11 is to account for the height of water in the torus as
12 well.

13 And, what a lot of the conversation
14 revolved around was that, per the design drawings,
15 there's a statement that says no excess metal
16 thickness provided, in particular, at the bottom of
17 the torus, the bottom center.

18 There's a lot of different ways to provide
19 margin. It was not provided through procurement of
20 very thick plates, beyond nominal. Again, we see the
21 margin in the design accident pressures.

22 But, this prompted a lot of discussion.
23 Let's go to the next slide and we'll talk a little
24 bit. First of all, from a coating standpoint, this is
25 one of our key barriers to prevention of corrosion and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintaining the margins that we have, is that torus
2 has always been coated, the interior surfaces, we've
3 got a zinc primer with this phenolic paint top coat.

4 We did reapply the top coat during that
5 period of time when we did all of the Mark I
6 containment MODs and put that new top coat on there.

7 In 1998, we did do a recoating of the
8 torus again. We took it down to the bare metal, and
9 put a qualified coating back in place there.

10 MEMBER BARTON: Same coating?

11 MR. DREYFUSS: Similar coating.

12 MEMBER BARTON: Okay.

13 MR. DREYFUSS: Again, a zinc and phenolic
14 top coat. It met the original design.

15 MEMBER BARTON: All right, gotcha.

16 MR. DREYFUSS: All right.

17 So, it's always been coated. We've
18 maintained the health of it, of the coating over the
19 course of the years, and that's what has preserved the
20 margin for us.

21 Going on, next slide, prior to our formal
22 implementation of the IWE we did do additional IWE
23 inspections at the period of time that we were doing
24 the torus coating. We applied the IWE standards at
25 that point in time. We found the condition to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 satisfactory. We did find some areas of localized
2 corrosion, we'll talk about that a little bit. That
3 kicked us off into extensive UT measurements. You see
4 2,800 measurements in a couple of the bays here that
5 were the worst-case bays that we had. We did
6 establish UT examination of 15 areas where we did see
7 some of this localized pitting.

8 Additionally, we have established an
9 ongoing surveillance program at permanent locations
10 where we take 286 measurements on an ongoing basis for
11 trending and tracking.

12 MEMBER BARTON: Ongoing means what, during
13 refueling outages?

14 MR. DREYFUSS: Yes.

15 MEMBER ABDEL-KHALIK: What was the reason
16 for that localized corrosion?

17 MR. DREYFUSS: Jim?

18 MR. FITZPATRICK: It was areas of -- Jim
19 Fitzpatrick -- it was areas of rust and coating
20 degradation identified in the pre-service IWE exams.
21 A lot of it was up near the water line, it could have
22 been damaged coating during the -- in the Mark I MODs,
23 we just identified the conditions and inspected the
24 wall, they just didn't show, we still had wall.

25 MEMBER ABDEL-KHALIK: So, primarily, just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coating degradation.

2 MR. FITZPATRICK: Probably.

3 MR. METELL: This is Mike Metell. I would
4 say it would be any coating, you always have that
5 potential for holidays, and it's always the threat of
6 coatings, and that's why you inspect those to see
7 where they might be.

8 The important piece here is that they were
9 low in number.

10 MR. DREYFUSS: Okay. Relative to --

11 MR. JUNGE: We're going to tie back into
12 the phone bridge. One second. Okay.

13 MR. DREYFUSS: So, to continue, as far as
14 margins go, we have significant margins for both the
15 design pressure accident loads and the Mark I DBA
16 loads.

17 Additionally, we were -- and that's for
18 localized thinning -- as far as generalized corrosion
19 goes we do have substantial margin again for the Mark
20 I deviated loads.

21 We remain, as we were, with limited margin
22 for general corrosion at the bottom of the torus. We
23 are not unique in this respect, this is typical of the
24 Mark I containments, but something that we looked at
25 during the regional inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Additionally, the staff did challenge us
2 on, how do you know what your corrosion rate is? And,
3 let's go to the next slide.

4 MEMBER ABDEL-KHALIK: What is that limited
5 margin?

6 MR. DREYFUSS: Jim, do you want to speak
7 to the margin?

8 MR. FITZPATRICK: We averaged the
9 measurements across the bay, 2 to 3 percent in places,
10 that's about the lowest, 2-1/2 -- 2 to 3 percent over
11 just taking static, what's ever required for the
12 design pressure, and what is there now.

13 MEMBER ABDEL-KHALIK: And, what is the
14 uncertainty in the measurement itself?

15 MR. FITZPATRICK: It's less than that, we
16 are not -- taking the measurement, .04 over .586, so
17 it's less than a percent, .04.

18 There's more fuzz in the UT, the
19 uncertainty in the UT, we are taking repeat
20 measurements from time to time. We are still seeing no
21 changes greater than the uncertainty in the UT
22 measurements. We have measurements nine years apart,
23 and, basically, the next slide will -- these will show
24 it here, but we are not seeing any real difference.

25 MEMBER ABDEL-KHALIK: Is the margin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comparable to the uncertainty?

2 MR. FITZPATRICK: At that one point, it's
3 actually larger, it's 2-1/2 percent of the wall
4 thickness is the margin, the last time we calculated
5 it. I just got the data down this week, 2-1/2 percent
6 was the minimum number for any one of the bays, and
7 the UT is .01 -- .04 inch taller and some .586,
8 whatever that number comes out. So, we are right in
9 there. We are tracking changes now. We took a
10 baseline set of measurements in 1998, and we took the
11 same set of measurements, the same techniques, in
12 2007, and we didn't see any significant change, and we
13 are going to keep monitoring it that way.

14 MR. UNDERKOFFLER: If I may add, the UT
15 measurement process will not provide us a resolution,
16 but we can discern what's happening here. It's that
17 insignificant is the change in the readings.

18 MEMBER ABDEL-KHALIK: How can you tell that
19 you still have margin?

20 MR. RADEMACHER: Well, we have significant
21 margin to the LOCA loads. It's the corrosion aspects
22 that we don't have. If you go back to the original
23 comment that John made, the torus was designed for 56
24 pounds of pressure, and our accident pressure for the
25 torus is 27, so there's a factor of two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: We are talking about
2 the corrosion margin.

3 MR. RADEMACHER: I understand. So, that's
4 why we wanted to get into this slide to kind of give
5 you the numbers from our UT measurements here in '98
6 and 2000, and maybe we could proceed on and then
7 address your specific concern right after that.

8 MR. DREYFUSS: And, that was one of the
9 challenges that we had from the staff, is how do you
10 know what your corrosion rate is, if your margins are
11 limited then it's really important to maintain good
12 knowledge of what your corrosion rate is.

13 We used a qualified coating, our
14 perspective on it was that we would not have
15 generalize corrosion as a result of maintaining a good
16 qualified coating.

17 However, we did perform additional UT
18 measurements, and what we did learn was that from an
19 average thickness standpoint, as well as the minimum
20 thickness standpoint, we saw very, very small changes
21 in the measurements. And, we calculate a general
22 corrosion rate of on the order of 10^{-4} for,
23 essentially, a very, very small corrosion rate,
24 insignificantly small corrosion rate.

25 However, we will be continuing to monitor,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because we recognize that this is a critical parameter
2 for us to continue to monitor, manage the aging of.

3 MR. ARMIJO: I guess I'm a little confused.
4 What was the as-built thickness at these locations, so
5 we know where you started from.

6 MR. FITZPATRICK: The first UT measurements
7 we took at these locations was 1998.

8 MR. ARMIJO: But, I mean, let's say --

9 MR. DREYFUSS: The specification number,
10 Jim, was?

11 MR. FITZPATRICK: .584, .585.

12 MR. ARMIJO: You lost very little wall
13 thickness to begin with, and you are saying -- so you
14 almost had probably less than 10 percent margin to
15 begin with as-built.

16 MR. FITZPATRICK: At the bottom, there's
17 more margin as you go up.

18 MR. ARMIJO: At the bottom, right. Right.

19 MR. FITZPATRICK: And, from data we took in
20 '98, the test strips, you can see the variation in the
21 rolls of the plates, where they were welded, and there
22 is a variance, but it's gradual along the plate.

23 MEMBER MAYNARD: I'm a little confused on
24 the margin here. You have the LOCA pressures are so
25 much lower than what the design pressure for it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm not sure why the corrosion margin is so small.

2 MR. FITZPATRICK: Corrosion margins for the
3 56 psi design pressure, that number came from entire
4 dry well flooded.

5 MR. DREYFUSS: I should have specified
6 that. 56 psig design limit is for a beyond design
7 accident containment full flooding, where you were
8 flooding the torus, venting the torus, flooding the
9 dry well. So again, beyond any kind of design basis
10 scenario.

11 When we look at the minimum required
12 thickness for the Mark I deviated loads, that minimum
13 thickness is .39 --

14 MR. FITZPATRICK: .392 for the general.

15 MR. DREYFUSS: -- so it's .392, we have
16 substantial margin to that, and that's what we talked
17 about -- I'm sorry, significant margin to that.

18 MEMBER MAYNARD: So, for Vermont Yankee's
19 design basis accidents, you have considerable margin.

20 MR. DREYFUSS: Correct.

21 MEMBER MAYNARD: It's only if you want to
22 maintain the original design margin that you have the
23 very limited.

24 MR. FITZPATRICK: Yes, that is correct.

25 CHAIRMAN BONACA: The dry well is in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPG, right?

2 MR. DREYFUSS: Correct.

3 CHAIRMAN BONACA: So, I mean, it's still
4 beyond design basis, but --

5 MR. DREYFUSS: It is beyond design basis,
6 however, we do have procedural controls.

7 CHAIRMAN BONACA: Procedural controls if it
8 would flood.

9 MR. DREYFUSS: That's why we want to
10 maintain that, correct.

11 CHAIRMAN BONACA: Okay.

12 MR. DREYFUSS: All right, any other
13 questions on this?

14 Okay, moving on. In conclusion, we do
15 fully satisfy our design requirements. We are not
16 seeing generalized corrosion, in particular, since we
17 are looking at it since this 1998 recoating, we have
18 not lost margin due to corrosion, and we will continue
19 to monitor this to assure appropriate material
20 condition. And, we will be doing UTs for the next
21 three refueling outages at a minimum, and ongoing, I'm
22 sure, beyond that.

23 I'll talk a little bit about the Vernon
24 Hydroelectric Station. I did want to point out,
25 here's a good shot of the cooling towers in service.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This here is the Vernon Hydroelectric Station. It's
2 a relatively unique configuration. It's within a half
3 a mile of the plant. The cabling goes, actually,
4 underground from the station to the plant. There's a
5 switch gear out here that is powered up. This line is
6 continuously energized, and the Vernon Station does
7 provide our station blackout source.

8 MEMBER BARTON: Does that picture show
9 where your spent fuel storage area is?

10 MR. DREYFUSS: It doesn't exactly. It's
11 on the other side of the reactor building.

12 MEMBER BARTON: On the other side of the
13 reactor building there?

14 MR. DREYFUSS: Yes.

15 MEMBER BARTON: Okay.

16 MR. DREYFUSS: So, the Vernon Hydro was
17 built in 1907. 2007, currently, it's undergoing some
18 major upgrades by its current owner, Trans-Canada.
19 I'll talk a little bit about that.

20 Here's the Vernon Hydro. It's our station
21 blackout source. It's got two units that provide that
22 blackout capability, 100 percent redundant cabling, as
23 well as this line here is continuously energized and
24 monitored in the control room. We can see that
25 there's voltage on the Vernon tie.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When needed, this breaker here can be
2 closed by the operators to power up buses here that
3 would provide station loads to enable us to safely
4 operate the plant and provide cooling for the plant.

5 The bottom line here is that the power
6 wheeling from the hydro station to Vermont Yankee is
7 all controlled by the New England Independent System
8 Operator Rules, as well as the operating entities in
9 that area. It's either contractually obligated or
10 obligated by law. They are a blackout source, and that
11 power does get wheeled on a prioritized basis to the
12 plant.

13 And, over the course of the years here,
14 since the 19 -- early 1990s, all of these components
15 have undergone significant upgrades, as well as the
16 cabling has been replaced.

17 Where we are at right now is, the hydro
18 unit is getting a major capital investment. There's
19 lots of money being spent to refurbish that unit.
20 It's being upgraded from a 22 to a 30 megawatt
21 station. It does provide us with the power of,
22 essentially, one diesel generator in the event of a
23 station blackout.

24 MEMBER BARTON: So, while it's going
25 through upgrades, what's your reliable station

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blackout power source?

2 MR. DREYFUSS: They are maintaining the
3 operability of this line right here, and the station
4 blackout units are not being -- are not being impacted
5 by the upgrades they are doing. They've got four --
6 a total of ten hydro units, four of them are not in
7 service at the present time. Those are the ones that
8 they are upgrading, and changing out water wheels, and
9 putting new copper, as well as cabling in.

10 MEMBER BARTON: Since this is a different
11 company now, what kind of contractual or written
12 agreement do you have with respect to coordinating the
13 operation, and when they do maintenance or whatever,
14 do you guys know it? I mean, how does that all fit
15 together with your two different companies that can do
16 their own kind of thing at different times? How do
17 you control what's going on at that end of the
18 business?

19 MR. DREYFUSS: We have quarterly
20 interface meetings that we participate in with the
21 local grid operators, as well as the local generators,
22 and we meet on a quarterly basis. We discuss and
23 demonstrate on an annual basis, the ISO is required to
24 demonstrate the performance of and capability of this
25 Vernon tie line. So, that's done annually.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Every cycle, we also do a test of the
2 Vernon tie unit. As far as the structural aging
3 management of it, we are taking credit for the FERC
4 inspections that are performed at the dam, and that is
5 no precedent setting that we are doing here, the FERC
6 inspections have been credited elsewhere, and that's
7 where we are relying on those FERC inspections. We
8 are confirming and working with the staff on how we
9 will be confirming that those inspections are taking
10 place.

11 MEMBER BARTON: Any work that's done by
12 this Hydro station, is it -- and I'm talking about,
13 you do your quarterly plannings or whatever, they have
14 a problem tomorrow, they've got to do maintenance or
15 something, is it coordinated through your control
16 room?

17 MR. DREYFUSS: Yes.

18 MEMBER BARTON: How does that work?

19 MR. RADEMACHER: Trans-Canada, their local
20 operator at Bellows Falls calls our control room and
21 says what they are doing with the Hydro Station.

22 MR. DREYFUSS: We talk to them every day.
23 We do have contractual agreements regarding -- they
24 also control the flow of water, cooling water, down
25 the river, so we talk with them every day about river

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flows.

2 In the event that this line is de-
3 energized, it's alarmed in the control room.

4 MEMBER BARTON: Okay.

5 MR. DREYFUSS: So, we will learn, you
6 know, if that line is out of service, we'll know about
7 it.

8 MEMBER BARTON: Do you have any actions
9 that you take at that point? Do you have any tech
10 specs on this?

11 MR. RADEMACHER: There is no tech spec,
12 however, we do have a TRM for a 15-day LCO we would
13 enter into, limited condition for operation.

14 MEMBER BARTON: Okay, thank you.

15 MEMBER ABDEL-KHALIK: Historically, has
16 this plant been out of service for an extended period
17 of time, due to drought, or equipment failure?

18 MR. DREYFUSS: No, this plant has a very
19 high reliability and it exceeds 99 percent, and we do
20 -- we have just recently just touched base with them,
21 and we calculated that, and it exceeds 99 percent
22 reliability.

23 MEMBER ABDEL-KHALIK: And, the 15-day
24 period in tech specs, how is that specified?

25 MR. DREYFUSS: Let me clarify that. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not a tech spec, we do have commitments that we have
2 made to the NRC, and we have administrative controls
3 established in our procedures that within 15 days we
4 will restore the Vernon tie to service. We will also
5 generate core shutdown, and we will generate a report
6 to the NRC identifying that we have lost the Vernon
7 tie, and inform them that way of the status of it.

8 MEMBER BARTON: And, that would require you
9 to shut down the plant at that point?

10 MR. DREYFUSS: Yes, it would.

11 MEMBER BARTON: All right.

12 MEMBER MAYNARD: Can you also get from
13 Vernon town-- you've got the feed from Vernon town on
14 that.

15 MR. DREYFUSS: Yes. Yes, we can, and --
16 go ahead.

17 MR. JOHNSON: We really can't get a supply
18 for the station blackout from the Vernon town, but
19 there are four additional 69 kv transmission lines
20 that feed the Hydro Station switchyard, and we can get
21 a feed from them.

22 MEMBER MAYNARD: Okay.

23 MR. DREYFUSS: And, that was Paul
24 Johnson.

25 MEMBER MAYNARD: Only a feed to Vernon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 town, it's not --

2 MR. DREYFUSS: Right. And, you know, we
3 very much encourage the upgrades that are going on at
4 that facility as well. It's been around since 1907,
5 nice to see that at the centennial mark they are doing
6 these major upgrades as well.

7 You know, to recap, we've got a 15-year
8 long-range plan. I think we've shown that we are
9 doing significant upgrades to the plant. We've done
10 that over the last several years, but the plant has
11 always been well maintained and well run.

12 We worked hard to have a clean
13 application. We worked with the staff to end up with
14 a safety evaluation report in draft that has no open
15 items, and we do believe that this plant is a strong
16 candidate for license renewal.

17 We'll take any other questions that you
18 have right now.

19 MEMBER MAYNARD: I don't have any
20 questions, a comment. I'll be interested to see what
21 the staff has to say. I do get nervous on some
22 things, a lot of terms were used here, excellent
23 material condition, everything is outstanding, high-
24 quality visuals, but those are things that I'd like to
25 get somebody else's perspective on besides your own

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 MEMBER BARTON: But, it was a high-quality
3 presentation, I'll say that.

4 MR. DREYFUSS: Thank you.

5 MR. ARMIJO: Before you leave, I have some
6 questions on fatigue, and the influence of environment
7 and fatigue usage factors, particularly, for uprated
8 plants, much longer life.

9 Could you just briefly kind of summarize
10 your plan to deal with that, to assure yourselves that
11 the usage factors are going to be acceptable, and what
12 you'll do in the event you find that you exceed those
13 usage factors?

14 MR. RADEMACHER: Norm Rademacher, we'll be
15 glad to address that. We have performed preliminary
16 analysis, and Jim Fitzpatrick will give the details,
17 but the bottom line is that our cumulative usage
18 factor at the end of life is less than one, and I'll
19 turn it over to Jim.

20 MR. ARMIJO: That's your goal.

21 MR. DREYFUSS: No, preliminary.

22 MR. RADEMACHER: We've done the
23 preliminary.

24 MR. ARMIJO: Okay, good.

25 MR. FITZPATRICK: We are committed to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff, the commitments stated are, evaluating
2 environmental fatigue for 60 years. First pass, we've
3 got a contract for the work out to have NUREG 6260
4 locations for the vessel evaluated for 60 years with
5 the environmental fatigue factors on there.

6 We looked at the lower shell and the
7 annulus plate and the core support plate, that's going
8 to the vessel, feedwater nozzle, core spray nozzles,
9 recirc inlet, recirc outlet, and we've done a Class 1
10 -- ASME Class 1 fatigue analysis of the feedwater,
11 recirc and RHR piping in the core spray area,
12 including the environmental factors.

13 The preliminary calcs, it's less than one,
14 I didn't want to publish a number because no one has
15 reviewed it internal yet.

16 But, we've taken our 40-year design
17 cycles, projected them out to 60 years, and we used a
18 design transient, not taken real data, because it is
19 still more conservative.

20 MR. ARMIJO: Are there any areas that are
21 of concern that you haven't looked at yet?

22 MR. FITZPATRICK: I believe not. We looked
23 at places -- feedwater nozzles is usually the critical
24 one on a boiler, because you are injecting everything
25 through there -- HPCI and RPCI go through feedwater.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, the outage mixing tee is included, so
2 the RHR injects into the recirc loop.

3 So, we've got everything -- we've got
4 industry people looking at or done the work for us
5 that have done this before, and we are using their
6 expertise on this.

7 MR. ARMIJO: Okay, thank you.

8 MR. COX: Let me add just a little bit to
9 that. This is Alan Cox. Of course, with power
10 uprate, they evaluated the transient, so they've got
11 the right magnitude of the temperature changes, that
12 sort of thing, and we are using, as Jim mentioned, we
13 are using the design basis number cycles, and what I
14 wanted to add was that in addition to that we've got
15 a fatigue monitoring program, we are tracking cycles,
16 the projections, whether they are high or low, we are
17 going to monitor those cycles with that program, and
18 the program has steps built into it to redo the
19 calculations as the design basis number cycles are
20 approached.

21 MR. ARMIJO: Okay, thanks. Thank you.

22 CHAIRMAN BONACA: I have a question just
23 regarding if that non-Class 1 fatigue, a statement is
24 made that you did a TLAA, and evaluated that the
25 projection -- you did not project that any component

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would have, you know, projected cycle exceeding 7,000.
2 And, the question I have is, what kind of margin do
3 you have in the evaluation, are you counting the
4 cycles? I don't think you are.

5 MR. DREYFUSS: Jim.

6 MR. FITZPATRICK: That's system cycles,
7 time you start up, that's a P31 non-piping.

8 CHAIRMAN BONACA: Yes, no Class 1 piping.

9 MR. FITZPATRICK: Right, well that isn't a
10 cycle, that's one time you start the plant and go
11 down, 7,000 would be --

12 CHAIRMAN BONACA: Okay, so what you are
13 saying is that for that particular -- so the margin is
14 huge.

15 MR. FITZPATRICK: Yes.

16 CHAIRMAN BONACA: That's why you don't need
17 to do that calculation. All right, I just wanted to
18 have a feeling for that.

19 MR. COX: Our experience on other projects
20 has been that the place where you get closest to that
21 number is if you have a sampling system, where maybe
22 you are sampling --

23 CHAIRMAN BONACA: Yes.

24 MR. COX: -- two or three times a week.

25 CHAIRMAN BONACA: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COX: And, we don't have that
2 situation, so it's more like the number at start up to
3 shutdown.

4 CHAIRMAN BONACA: Okay, thank you.

5 MR. DREYFUSS: Is there specific
6 information we can provide you on that?

7 CHAIRMAN BONACA: No, no, no, I just -- I
8 wanted to have a feeling, because, I mean, if you are
9 telling me that your margin is, you know, a factor of
10 ten, then I'm worrying about the fact that they had
11 25, the projected cycle, is that close to 7,000. If
12 it was close, then the question remains, you know, you
13 should be counting them.

14 MR. DREYFUSS: Yes, sir.

15 CHAIRMAN BONACA: Any other questions?

16 MEMBER ABDEL-KHALIK: Yes. Which stability
17 option do you have in the plant?

18 MR. RADEMACHER: Stability option delta.

19 MR. MANNAI: This is Dave Mannai, stability
20 option 1 delta.

21 MEMBER ABDEL-KHALIK: 1 delta, 1D.

22 Now, in your steam line frequency
23 analysis, have you detected any lower frequency
24 escalations at all, below 35 Hertz?

25 MR. DREYFUSS: I am going to have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consult with the experts on that, but as I recall
2 those very low frequencies we did not see anything in
3 that area, and there was a limit on the acoustic model
4 that it would not be accurate down in that region.

5 MEMBER ABDEL-KHALIK: Right.

6 MR. DREYFUSS: We did not see anything
7 from the CFD model that we performed.

8 MEMBER ABDEL-KHALIK: No, but I'm asking
9 about the data, not the model.

10 MR. DREYFUSS: Nothing that I recall, but
11 we'll specifically -- we'll get you an answer on that
12 before the end of the day.

13 MEMBER ABDEL-KHALIK: Thank you.

14 CHAIRMAN BONACA: Any other questions from
15 the members?

16 I'd like to thank you for the
17 presentation. It was very clear.

18 Now we will have the staff come up and
19 tell us about their review of the SER.

20 MR. KUO: While the staff is going to set
21 up for the presentation, I would like to make a little
22 bit of introduction. The presentation is going to be
23 led by Jonathan Rowley, who is the Project Manager for
24 the Safety Evaluation, and then we also will be joined
25 by Mike Modes, the Inspection Team Leader from Region

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1. And, to my extreme left is Rich Conte, who is the
2 Branch Chief from Region 1, and we also have in the
3 audience Marsha Gamboni, who is the Division Director
4 from Region 1. In addition, we also have various
5 staff members and audit team members sitting in the
6 audience, in case that you have any questions,
7 detailed questions, that they can answer.

8 So, Jonathan.

9 MR. RADEMACHER: Excuse me, Mr. Chairman.
10 I have Scott Goodwin from Entergy to answer that
11 question on the low frequency.

12 CHAIRMAN BONACA: Okay, please.

13 MR. GOODWIN: We didn't detect any low
14 frequency emanations from the strain gauge
15 measurements, and the susceptible areas of the dryer,
16 principally, the front vertical hood, we stiffened up
17 such that the natural frequencies in that area were
18 about 70 Hertz, so there would be no match and
19 amplification in that area.

20 CHAIRMAN BONACA: Thank you.

21 MR. KUO: In Jonathan's presentation, he's
22 going to go over the details for audit, and Mike Modes
23 is going to go over details of inspection. But, as a
24 brief summary, we have done three full weeks audits.
25 We have done three full weeks audits. One week for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scoping and screening, and two weeks for aging
2 management, and then we have done two days -- two two-
3 days additional audit to resolve issues, so a total of
4 four audits, two weeks -- four weeks, two times
5 partial audit for the safety review.

6 And, the region has done two four weeks
7 inspection. So, it is very extensive audit and
8 inspection combination, and they will go through the
9 details of it.

10 MEMBER BARTON: It's just not the number of
11 audits or inspections you do, it's the quality of
12 them.

13 MR. KUO: They will give you the details of
14 the quality of the audit.

15 MR. ROWLEY: Good afternoon, everyone.
16 Before I get started, I know P.T. introduced Marsha
17 Gamboni, but she just had to leave for a meeting, what
18 kind of a meeting was that, Mike?

19 MR. MODES: She extends her apologies, but
20 she had only stopped by to observe, she's on her way
21 to a FEMA meeting.

22 MEMBER BARTON: So, was she part of your
23 presentation that we are going to miss or what?

24 MR. MODES: No, she just wanted to extend
25 her apologies. Having been introduced, she then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 immediately gets up. She didn't want to appear
2 impolite to you, gentlemen. She wanted me to let you
3 know that she had a FEMA meeting to go to.

4 MEMBER BARTON: Oh, gotcha.

5 MR. CONTE: I'm responsible, since I work
6 for her. I work for her, so I'm responsible now.

7 MEMBER BARTON: You got the bag, Rich, all
8 right. All right.

9 MR. ROWLEY: Good afternoon, my name is
10 Jonathan Rowley. I, along with a contingent of NRC
11 staff, will discuss the staff's review of the Vermont
12 Yankee license renewal application as documented in
13 the Safety Evaluation Report, confirmatory items
14 related to the license renewal of Vermont Yankee
15 Nuclear Power Station.

16 I will begin with a brief overview of the
17 review. I will then turn the microphone over to Mr.
18 Michael Modes to lead the discussion on license
19 renewal inspections. At the conclusion of that, I
20 will discuss Sections 2 through 4 of the SER.

21 The license renewal application submitted
22 by letter of June 25, 2006, they discussed small point
23 containment, 1912 megawatts thermal, 650, megawatts
24 electric, and the license expires on March 21, 2012.
25 The plant is located in Vernon, Vermont, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about five miles south of -- north of Brattleboro,
2 Vermont.

3 The Safety Evaluation Report was issued on
4 March 30, 2007. They have a zero open item system for
5 inventory, and staff provided input into the SER with
6 the aid of 386 audit questions and 85 RAIs.

7 And, obviously, the audit team has
8 conducted various audits and activities at Vermont
9 Yankee during the periods as seen here on the slide,
10 and P.T. mentioned there was three weeks, as you see
11 on this slide.

12 And then, there were two partial weeks,
13 and in addition there was regional inspection
14 activities, and there were public meetings held to
15 discuss the status of our audits, as well as the
16 regional inspection, and those dates are on the slide
17 as well.

18 MR. CONTE: Just a minor clarification.
19 There was an additional inspection mid May, and that's
20 evident in our presentation shortly.

21 MR. ROWLEY: At this time, I'd like to turn
22 the microphone over to Mr. Mike Modes, and allow him
23 to take us through the license renewal inspection.

24 MR. MODES: Gentlemen, it's always a
25 pleasure to be here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have performed a two-week, on-site
2 inspection using one entire inspector week to take a
3 look at the then CFR 54.2(a) portions, non-safety/
4 affects safety, utilizing 19 aging management programs
5 we used 12 inspector weeks for the remainder.

6 Because we couldn't discern from the
7 records or from our interviews a complete
8 understanding of the inside sill seal and the
9 condition of the inside of the dry well, we deemed it
10 necessary to defer the exit and defer the report until
11 the outage when we could get an inspector in there.

12 VY was extremely accommodating. I think
13 the second person in the containment, as the outage
14 began, was, in fact, one of our inspectors.

15 That was a confirmatory inspection for the
16 internal base sill, which you've talked about earlier,
17 a confirmatory inspection of the dry well condition,
18 and we were very anxious to take a look at the follow
19 up on torus ultrasonic testing, and that is the reason
20 that this report came to you so late. We were
21 constrained by both your meeting and the beginning of
22 the outage.

23 As usual, the perfunctory PI chart, rather
24 than bore you with all the greens, I thought I'd just
25 highlight the one white. Don't ask me any questions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is H.P., but the H.P. inspectors said that the
2 white was a consequence of an advanced pressure
3 shearer being shipped from VY to Susquehanna in
4 August, which exceeded the contact radiation limit of
5 200 micro curies by 620. So, it was contact of 820.

6 He has taken a look at the corrective
7 actions. They seem to be good, but he is not planning
8 to follow up using our IP95001 until 7/9.

9 CHAIRMAN BONACA: You are going to tell us
10 about your inspection of the dry well, right?

11 MR. MODES: Yes, in the next slide.

12 CHAIRMAN BONACA: There it is. Okay.

13 MR. MODES: So --

14 CHAIRMAN BONACA: You mentioned it before,
15 and I thought --

16 MR. MODES: -- like I said, I thought I'd
17 get a green slide out of the way.

18 CHAIRMAN BONACA: That's great, okay.

19 MR. MODES: Okay. Our inspection noted a
20 number of weaknesses. One was in the Scoping and the
21 Turbine Building. The applicant didn't completely
22 embrace the idea of some of the non-safety/affects
23 safety. And, we had the benefit of having reviewed in
24 a similar approach at Pilgrim, so Pilgrim VY fits, and
25 so we are following through on these issues as they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come up.

2 They were very agreeable. They agreed
3 with us that if it applied at one plant of similar
4 design it ought to apply here, and it was corrected.

5 The containment management, let's talk
6 about that. There were a number of weaknesses that we
7 identified in the incontainment management program.
8 For example, visual examination acceptance standards,
9 there were none. They did examinations without a
10 procedural check list that would identify -- for
11 example, the inspector took a look at the boroscope
12 that they referred to, and asked those individuals
13 doing the boroscope, who were highly qualified VP
14 level threes, whom I've known on ASME committees for
15 very long periods of time, exactly what is the
16 acceptance standard, what about that indication, what
17 would you do if you saw this, and they, basically, had
18 no proceduralized checklist or acceptance standards.

19 They had no procedures in place for sand
20 bed drain monitoring. It was not a regular situation,
21 they didn't have tubing going down the catch basins,
22 et cetera.

23 MEMBER BARTON: They did have -- they did
24 have an observation program by operators' rounds,
25 right? MR. MODES: I believe so, but again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it was not a comprehensive program of monitoring for
2 the drain. In other words, we expected -- we expected
3 in an aging management program to see substantially
4 more than we did when we got there. Those weaknesses
5 were identified and corrected, and they do now have a
6 strong program in that area.

7 MEMBER ABDEL-KHALIK: So, when the
8 operators do their rounds, they don't have a checklist
9 with them?

10 MR. MODES: They didn't until we showed up.
11 The boroscope was being examined by, if you will, the
12 VT level threes, evidently qualified individual who
13 knows what he's looking for, they were depending on
14 that individual reporting anything that was untoward.
15 For example, the large pebble that was a blockage,
16 that certainly got into the system, it certainly was
17 reported, they certainly were doing an adequate job,
18 it was just not proceduralized. They didn't have
19 acceptance standards. They didn't -- they didn't go in
20 thinking, here's what we'll be looking for, let's test
21 our assumptions, that kind of stuff.

22 And, as Mr. Dreyfuss pointed out, we were
23 somewhat skeptical about the torus corrosion rate as
24 well, because it was a single point corrosion rate.
25 They had done it in '98, and, basically, the coating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being in good condition, they depended on that visual
2 examination, and that combination to come about with
3 a zero corrosion rate. And, as Dreyfuss pointed out,
4 there were a lot of questions. We spent a lot of time
5 on that subject, trying to understand how they got
6 from '98 to here.

7 And, as you can see, they have once again
8 completely remedied the situation. They have a valid
9 test, they've taken into account the corrosion rate.
10 They have a calculated two-point, and they've
11 committed to go forward accumulating more points so
12 that they can strengthen their position.

13 In addition, other weaknesses were noted
14 throughout. You probably noticed in our report a lot
15 of references to corrective actions that are being
16 taken on their part. One of the other examples was
17 the fire water system, they lacked a corrosion
18 monitoring and biofouling management program. These
19 are just illustrative of the many points in the report
20 where you refer to a corrective action, where
21 weaknesses were noted and were corrected.

22 So, what we did is a three-part exam. We
23 did the two weeks on site, and then we deferred until
24 the outage, we did a week, and we finally came away
25 with the inspection team concluded, as we did in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report, that the screening and scoping of non-safety
2 related system structures and components was
3 implemented as required, et cetera.

4 Any questions?

5 MEMBER MAYNARD: I'm trying to get a feel
6 for, it sounds like many of the things you are talking
7 about were not documented well, or criteria wasn't
8 established. In practice, they were doing a number of
9 these things, but it sounds like some of these things
10 might have been a combination, been both, it wasn't
11 part of the program and they weren't doing them.

12 MR. MODES: Right. I think what you are
13 getting at is, let me try to characterize this, I
14 would not -- if I went through the inspection and they
15 hadn't taken the corrective actions I don't think I
16 would have strongly questioned their program's ability
17 to do the job. It just lacked the kind of definition
18 that we would require for such a long extended period.

19 Does that help?

20 MEMBER MAYNARD: Yes, that was the
21 question.

22 MR. MODES: I'll turn it back to Mr.
23 Rowley.

24 MR. ROWLEY: Yes, thanks, Mike.

25 I'd like to begin the discussion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SER, the results we found in Section 2.

2 MEMBER MAYNARD: I'm sorry, I do need to go
3 back. I do want to ask my question. Your perception
4 overall, the material condition of the plant, with the
5 inspection being in there and stuff.

6 MR. MODES: I would not paint it as glowing
7 as they do, because, obviously, I don't own it, but it
8 was in pretty good condition.

9 MEMBER MAYNARD: Okay.

10 MEMBER BARTON: What do you mean?

11 MR. MODES: What do I mean, I don't own it?

12 MEMBER BARTON: No.

13 MR. MODES: I'm sorry.

14 MEMBER BARTON: What do you mean by pretty
15 good versus --

16 MR. MODES: It was in --

17 MEMBER BARTON: Do you think they have a
18 strong material condition program --

19 MR. MODES: Yes, they do. It is in good --
20 I was being a little bit --

21 MEMBER BARTON: Okay.

22 MR. MODES: -- I'm sorry, it is in pretty
23 good condition.

24 MEMBER BARTON: Not rust glowing and all
25 that stuff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MODES: No, no, no, no.

2 MEMBER BARTON: Leaks all over the place.

3 MR. MODES: No.

4 MEMBER BARTON: Okay.

5 MR. MODES: No.

6 MEMBER ABDEL-KHALIK: The pictures you --

7 MR. CONTE: The pictures reflect accurately
8 the condition of that plant. I was in the torus room
9 looking at the drain.

10 MEMBER BARTON: It looks like pretty good
11 material condition.

12 MR. MODES: Yes. He went in.

13 MEMBER BARTON: It's got to be, he wouldn't
14 go into a lousy place.

15 MR. MODES: I work for him, I wouldn't say
16 that.

17 MEMBER MAYNARD: I've never seen a
18 regulator say things were quite as good as the
19 licensee.

20 MR. MODES: No, never will.

21 Okay, am I done?

22 MEMBER BARTON: Yes.

23 MR. MODES: All right, thank you very much.

24 MEMBER BARTON: But, don't go.

25 MR. MODES: No, I'm not going.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROWLEY: Okay, Section 2, step
2 instructions and components subject to aging
3 management review, 2.1, methodology, staff concluded
4 that the methodology was consistent with the
5 requirements of 10 CFR 54.4 and 21(a)(1).

6 Section 2, plant level scoping, there was
7 no omissions found for system instructions and scoping
8 for license renewal.

9 Section 2.3 is scoping and screening
10 results of the mechanical systems. This is where the
11 six confirmatory items are located. There was not
12 enough information on the system drawings or the LRA
13 for the staff to determine scoping boundaries for
14 several systems.

15 Region 1 inspection team was asked to
16 verify these boundaries during its on-site inspection,
17 so we asked them to look at service water, augmented
18 off gas, circulating water and reactor water clean-up,
19 in terms of (a)(2), and for the components of the John
20 Deere diesel for things related to (a)(3).

21 Here are a list of the confirmatory items,
22 and they are -- I'm quite sure you've read them, they
23 are in SER, in your Section 1.6.

24 The other three confirmatory items, and
25 get to the confirmatory item stats.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Just a second. We have
2 to look at it.

3 MR. ROWLEY: Okay, sorry.

4 CHAIRMAN BONACA: Okay.

5 MR. ROWLEY: Of course, the status, the
6 regional inspection team provided us enough
7 information for us to close the concerns with the
8 augmented off gas system, and the John Deere diesel
9 system, but the issues remain for service water,
10 circulating water and reactor clean-up system, reactor
11 water clean-up systems, and those are under discussion
12 as Entergy has mentioned earlier. We've had various
13 calls over the past week. We have a path of
14 resolution, it's just a matter of getting that
15 documented and on the docket, and I think those four
16 items will be closed shortly.

17 Section 2.4, there were no omissions of
18 structures within the scope of license renewal, as
19 well as Section 2.5, there were omissions of illegible
20 instrumentation in control system components within
21 the scope of license renewal.

22 In summary, Section 2, the applicant's
23 scoping and screening methodology meets the
24 requirements of -- CFR 54.4, and 54.21(a)(1), and the
25 resolution of the confirmatory items the scoping and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 screening results for the system structures and
2 components within the scope will be satisfied as well.

3 Section 3 discusses the aging management
4 review results, 3.03 talks about all the aging
5 management programs. As the applicant said, there
6 were 39 AMPs, and here we have a slight delta. We'll
7 work on getting that worked out.

8 In SER, we have ten new programs and 29
9 existing, whereas, they said there were nine new
10 programs. So, we'll work with them to straighten that
11 out and determine what that delta is.

12 There were three new AMPs added as a
13 result of our review, bolting integrity, metal
14 enclosed bus, and bolting -- bolting cable
15 connections, and I will discuss those three as well as
16 the Vernon Dam program over the next four slides.

17 Originally, the applicant had credited
18 service water inspection and system walkdowns to
19 manage aging of bolting. The staff strongly disagreed
20 with that install AMP XI.M18 requires a more
21 comprehensive integrity program, and as a result of
22 our discussions with the applicant they have decided
23 to add the bolting integrity program into their
24 license renewal application, and that's one of the new
25 programs stated earlier.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also, with the metal enclosed bus
2 inspection program, it's in scope of license renewal
3 for the station blackout restoration path, GALL
4 requires that they have a program. The applicant
5 didn't, and now they do, as a result of our review.

6 The third new program added was the
7 bolting cable connections, XI.E6, it's a new program
8 that the applicant didn't have, and they have
9 committed to implement this prior to the period of
10 extended operation as well.

11 A program of interest was the structures
12 monitoring Vernon Dam FERC inspection program. We had
13 numerous discussions with the applicant over this,
14 concerns arose over -- third party status in this. We
15 know that with other applications the dam -- that
16 required a dam as a station blackout, they had part
17 ownership in it, so they could do some of the various
18 FERC-related activities. In this case, VY wasn't
19 doing those things, so that's where the discussion
20 came in, and are firm with the aging management of the
21 dam being done by FERC, as well as the dam owner, but
22 we are in discussions with the applicant on how they
23 can get them involved in this and show more
24 accountability for them, since we are regulating them
25 and no one else.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: I've got a question on
2 that.

3 MR. ROWLEY: Yes.

4 MEMBER BARTON: An AMP for the station
5 blackout generators, I read somewhere that the
6 applicant used redundancy as a reason for not
7 requiring an AMP for that equipment.

8 MR. ROWLEY: They attempted to do that.
9 That was in the early stages of this discussion, yes,
10 that was one of the arguments, but --

11 MEMBER BARTON: That was not accepted?

12 MR. ROWLEY: -- that was not acceptable.
13 We did not accept that argument.

14 MEMBER BARTON: Thank you.

15 MR. ROWLEY: And, they have decided to do
16 the XI.E6 program to deal with the illegible parts.

17 MEMBER BARTON: Thank you.

18 MR. ROWLEY: Any other questions before we
19 move on?

20 Section 4, where we have a discussion on
21 time-limited aging analysis, Section 4.2 is the
22 reactor vessel neutron embrittlement analysis, and
23 there were six TLAs inspected by this, and I will talk
24 about the reactor vessel fluence and the upper shelf
25 energy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Here's a chart of the quarter peak fluence
2 extrapolations performed by G.E. using NRC-approved
3 methodology. This incorporates the power uprate, and
4 due to power uprate it's lower in the core, which is
5 75 inches above the bottom of the active level versus
6 the 85, fluence below the active level in areas
7 circulating in that nozzle is slightly higher for the
8 60-inch curve, and a 19 percent correction is added in
9 here, as you can see on the chart, for uncertainties,
10 and they are within boundaries for reactor vessel
11 fluence.

12 Upper shelf energy, we see that VY falls
13 in the acceptable range for relocations that are the
14 most susceptible here, and they are projected to the
15 period of extended operation.

16 CHAIRMAN BONACA: This is at 54 acceptable
17 power --

18 MR. ROWLEY: I do believe. Lambrose? The
19 question was, is this for 54?

20 MR. LOIS: Yes.

21 MR. ROWLEY: Verified 54 EFPY.

22 MR. LOIS: Lambrose Lois, Reactor Systems,
23 the values that you saw previously --

24 CHAIRMAN BONACA: The question is, the
25 value calculated here are 54 acceptable power --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOIS: This is the upper shelf energy,
2 I'm only responsible for the fluence portion of that,
3 and the values we saw previously were the same value
4 across, it's a binding value, it's higher than they
5 calculated for the 54 EFPY, that's true.

6 Now, whether the upper shelf energy is
7 this value or not I do not know.

8 MR. KUO: Jim Medoff, Staff Audit Team
9 Member, might be able to answer that question.

10 MR. MEDOFF: I am Jim Medoff. I'm with the
11 Division of License Renewal, Section C Staff. The
12 relevant rule is 10 CFR, Part 50, Appendix G, for
13 upper shelf energies it requires that your end of life
14 upper shelf energy, in this case it would be the 54
15 EFPY value be greater than 50 foot pounds.

16 So, for the plate they met that criteria.
17 If you don't meet that criteria, what the rule
18 requires you do is do an equivalent margins analysis
19 to show that you still have equivalent margins of
20 safety equivalent to those required by Appendix G to
21 Section 11.

22 And, what we allowed is the VIP developed
23 some upper shelf equivalent margins analysis criteria
24 for the limiting plate, limiting weld materials, and
25 as you can see from the table it's 23-1/2 percent drop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 allowed for a limiting plate, and a 39 percent
2 allowable drop for a limiting weld. And, if you look
3 at the table you can see that they met those criteria.

4 They didn't meet the 50 foot bounds, but
5 they did meet the equivalent margins criteria.

6 MR. ROWLEY: Section 4.3 discusses the
7 metal fatigue analysis. Vermont Yankee has committed
8 to do one or more of the following to use prior to the
9 extended period of operation, to assure that their
10 cumulative usage factors is less than one, perform
11 aging management necessary or repair/replace the
12 affected locations.

13 And, Mr. Fitzpatrick, I think, talked
14 about the six susceptible locations in his discussion
15 earlier, as they relate to NUREG 6260.

16 The staff concludes that the metal fatigue
17 analyses are in compliance with 10 CFR, 5421(c)(1)
18 (i), (ii) and (iii).

19 MEMBER SHACK: I got here late, I guess,
20 was there a discussion over when you are computing the
21 FEN with the fatigue analysis that you use the oxygen
22 level corresponding to hydrogen water chemistry? Is
23 that accepted by the staff?

24 MR. KUO: Robert Hsu, the Audit Team
25 Leader, he will answer the question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HSU: This is Robert Hsu. I'm the
2 Audit Team Leader. As far as those FEN values,
3 actually, right now putting the NUREG, the limitation
4 is that 50 PVP, so 50 PVP, and then you have one way
5 to calculate it, and the rest of that.

6 Now, currently, at the time we do the
7 audit, several of the nine locations they are going to
8 redo the analysis to satisfy things are less than 1.0.
9 So, we are expecting, according to what they say, we
10 are expecting at the time they redo the analysis, they
11 will incorporate all those factor in there.

12 So, we think this is acceptable.

13 MEMBER SHACK: And, they will compute the
14 FEN with the --

15 MR. HSU: Put that a consideration, because
16 what we are asking is --

17 MEMBER SHACK: 100 PVP level, but I would
18 expect in normal water chemistry?

19 MR. HSU: Yes, whatever -- because we
20 cannot distinguish, okay, at the time they have normal
21 water chemistry and hydrogen water chemistry, at the
22 time they establish the hydrogen water chemistry we
23 know that's less than 50 PVP, but at the time we asked
24 that question, Entergy could not answer that question,
25 what was the use. They say when they did the re-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis they would incorporate all those correct
2 value in there.

3 And, at the same time, seven of the nine
4 components is greater than 1.0, we understand they are
5 going to use one of the commitment to redo the
6 analysis to satisfy this TLAA requirement.

7 MEMBER SHACK: Okay, but if they use the
8 lower value, they would then have to commit to using
9 hydrogen water chemistry, which most plants haven't
10 done for license renewal, as I understand it.

11 MR. HSU: Yes, that's right, because at the
12 time they are not quite sure what they used before,
13 the normal, because the fatigue is the whole 60 years
14 time period.

15 MEMBER SHACK: Right.

16 MR. HSU: So, we know what time period they
17 used the hydrogen water chemistry, and prior to that
18 time they need to figure out, okay, what kind of PVP
19 they are using. So, we point out that.

20 MEMBER SHACK: But, if they use the lower
21 factor going forward, that's going to mean they are
22 going to have to commit to hydrogen water chemistry.

23 MR. HSU: Yes.

24 MEMBER BARTON: Can the applicant address
25 this issue? I'm confused.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FITZPATRICK: Yes, we can.

2 MEMBER BARTON: Thank you.

3 MR. FITZPATRICK: Jim Fitzpatrick. We have
4 the preliminary calcs -- you weren't here for my
5 answer -- we have taken into account on normal water
6 chemistry operation, and then the hydrogen water
7 chemistry, and the different power levels, and going
8 through and calculating the same thing.

9 MEMBER BARTON: What do you do going
10 forward?

11 MR. FITZPATRICK: Well, we will -- how we
12 are operating now, we are projecting that going
13 through.

14 MEMBER BARTON: Okay, so that's a
15 commitment to use hydrogen water chemistry then.

16 MR. FITZPATRICK: Yes.

17 MEMBER BARTON: Thank you.

18 MR. ROWLEY: Any other questions on metal
19 fatigue? Okay.

20 Overall, there were 47 commitments in the
21 SER, and 27 in the original LRA, 15 as a result of our
22 audit activities, and five as a result of regional
23 inspection activity.

24 You might notice that there are maybe 49
25 in the SER, but two of them were deleted. Look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers, there are 49, but if you look at the actual
2 commitments there are 47.

3 MEMBER BARTON: Which ones were deleted?

4 MR. ROWLEY: There were two that were
5 rolled into one. I can't --

6 MEMBER BARTON: That's 48, how do I get to
7 47?

8 MR. ROWLEY: -- give you the numbers, like
9 34 and 35 might have been rolled into 37. I'm not 100
10 percent sure.

11 MEMBER BARTON: I don't know what -- those
12 are just numbers, I don't know what the issues were.

13 MR. ROWLEY: They all dealt with the Vernon
14 Dam commitments.

15 MEMBER BARTON: Okay.

16 MR. ROWLEY: I can look in the SER real
17 quick, if you'd like.

18 MEMBER BARTON: That's all right, I can
19 find it if it's in there.

20 MR. ROWLEY: Yes.

21 MEMBER BARTON: Thank you.

22 MR. ROWLEY: The basis of our review, we
23 think that the requirements of 10 CFR 5429 have been
24 met by the applicant.

25 And, questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: Yes, structures monitoring
2 program, Vermont Yankee, their inspection program for
3 crane rails, and girders, is not under the GALL AMP,
4 they claim that they are going to control this through
5 their surveillance of the preventative maintenance
6 program. My question is, did the NRC review the
7 surveillance and preventative maintenance programs and
8 assure themselves that they would do the job?

9 MR. ROWLEY: Yes, Robert Hsu looked at the
10 surveillance, and I would ask that he address that.

11 MR. HSU: Yes, okay, we did a review of the
12 surveillance and the preventative maintenance program,
13 and we find they did handle that consistent with GALL.

14 MEMBER BARTON: Okay.

15 CHAIRMAN BONACA: Any other questions from
16 Members?

17 MEMBER ABDEL-KHALIK: I understand that the
18 reactor vessel fluence numbers were done using
19 approved methods. Do we have any idea about the
20 uncertainties in those calculations?

21 MR. ROWLEY: Yes, Lambrose?

22 MR. LOIS: Again, this is Lambrose Lois,
23 Reactor Systems. The uncertainties acquired by the
24 methodology are plus or minus 20 percent one sigma.
25 However, and that was established way back in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 '80s, at the time that we instituted 10 CFR --

2 MEMBER BARTON: I can't hear you, I hear an
3 echo.

4 MR. LOIS: Okay, let me start again. The
5 original requirement for accuracy, which was 30 years
6 ago, was plus or minus 20 percent one sigma. However,
7 as time went on, all of the vendors have improved the
8 accuracy considerably.

9 So, the latest we have is something in the
10 neighborhood of about 10 percent. However, that's not
11 a legal requirement.

12 MEMBER ABDEL-KHALIK: Thank you.

13 MEMBER BARTON: I've got another one,
14 Mario, I've got another question.

15 CHAIRMAN BONACA: The question I have is
16 regarding this 47 commitments. So, the region, I
17 guess, will be inspecting the plant before it goes to
18 extended -- to the period of extended operation, to
19 verify that these 47 commitments have been
20 implemented?

21 MR. METELL: We are currently in the
22 process of taking a look at IP, Inspection Procedure
23 71003, in order to better understand how the
24 commitments play out, what level of inspection will be
25 required.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, although there is going to be a
2 commitments inspection, I would not blanket statement
3 it to say that we'll look at all 47.

4 CHAIRMAN BONACA: This is why I'm asking
5 this question, is that many of these commitments are
6 vague. They are a promise that something that has the
7 elements intended by the regulation, or by GALL, or
8 whatever else they are committed to, seeing they are
9 being prevented.

10 There is always an evaluation of adequacy.
11 If you review the implementation of something, you can
12 conclude that, yes, it is adequate, no, it is not
13 adequate.

14 I'm trying to understand to what extent
15 the verification is going to be made, because, you
16 know, we have discussed before the possible -- of
17 inspections and commitments, and what the NRC can
18 really deliver.

19 MR. KUO: Right, Dr. Bonaca, as Michael
20 mentioned, that we are currently revising or taking
21 another look at the IP-71003, and actually we are
22 going to revise the inspection procedure as we -- when
23 we are ready to do that.

24 Right now, we have met with our regional
25 representatives and Headquarters inspection folks, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to come to an agreement as to what is really
2 needed to ensure before they enter into the renewal
3 period we can say that all these commitments are being
4 satisfied.

5 CHAIRMAN BONACA: You may need again to
6 assemble teams as you have done here for audits.

7 MR. KUO: Right. How to carry that out,
8 the inspection, is the subject of discussion.

9 CHAIRMAN BONACA: Yes.

10 MR. KUO: How much resources is going to be
11 needing, that's another discussion.

12 So, we are looking at that, and as soon as
13 we are about ready we will issue a draft IP 71003
14 revised, and then issue it for public comments, and
15 eventually we will involve the industry actually to
16 look at this, just, you know, to work with them to
17 make sure that the inspection procedure is really
18 practical and make sure that all the commitments will
19 be able to be satisfied.

20 CHAIRMAN BONACA: Sure, and how the
21 commitment is going to be maintained.

22 MR. KUO: Right.

23 CHAIRMAN BONACA: The reason I'm asking
24 these questions is that as a reviewer, and, you know,
25 I'm sure that my colleagues have the same impression,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many of this review of some items end up with a
2 promise.

3 MR. KUO: Yes.

4 CHAIRMAN BONACA: But, it's an open promise
5 that doesn't say how the commitment is going to be
6 implemented. It says that we will manage aging during
7 the period of extended operation, and that means a lot
8 of things, like TLAAs.

9 MR. KUO: Right.

10 CHAIRMAN BONACA: And, decide if you are
11 going to manage aging during the period of extended
12 operation is like saying thank you very much, how do
13 you do that?

14 MR. KUO: And, especially, the one example
15 that we just looked at, like a fatigue --

16 CHAIRMAN BONACA: Yes.

17 MR. KUO: -- the commitment is that easier
18 to maintain, should have less than one, 1.0, or
19 provide an aging management program, which one are you
20 going to really take? I mean, that is like you say,
21 it's an empty commitment to me. It's very uncertain
22 in terms of interpretation.

23 So, we want to make sure, in this revised
24 71003, to really put some details there as to how we
25 are going to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay.

2 MR. CONTE: There will be a -- based on my
3 review of this draft procedure -- there will be an
4 operating principle on which the team will maintain
5 close contact with the License Renewal Division for
6 questions related to technical adequacy, in terms of
7 what was committed and what's acceptable, if there's
8 any grey area.

9 CHAIRMAN BONACA: And, hopefully, also
10 there will be some lessons learned and involvement
11 with NEI, I mean, the work with NEI was essential to
12 kick off the program, and good progress has been done.
13 But, at some point it's important that the industry is
14 involved in -- most of all in communicating experience
15 here about aging and how issues are going to be dealt
16 with.

17 MR. KUO: Right, that's definitely part of
18 this effort. We want to work with industry, you know,
19 get lessons learned, and whatever the thought they
20 have, and try to make it practical.

21 MR. CONTE: Many of these commitments are
22 a matter of public trust, and in some cases you just
23 can't risk -- so there is a deterministic aspect of
24 what we are planning on doing for these commitment
25 inspections, again, based on my review of the draft

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I've been working with License Renewal Division
2 on.

3 MR. KUO: And, if you are interested later
4 on, when we are ready we can come before the committee
5 and give you a brief on it.

6 CHAIRMAN BONACA: Yes, that would be
7 important.

8 The other issue that I would like to, you
9 know, mention this morning, is the issue of exceptions
10 to GALL and, you know, where are you going there? I
11 mean, that's an action to be done.

12 MR. KUO: Sure.

13 CHAIRMAN BONACA: What I would like to do
14 is, since we are close to the end of the meeting,
15 rather than taking a break, I would like to go around
16 the table and get a sense from the Members today of
17 what they've seen, and get their impressions.

18 MEMBER BARTON: Can I say something before
19 you do that?

20 CHAIRMAN BONACA: Please.

21 MEMBER BARTON: I'll never bring it up
22 again.

23 CHAIRMAN BONACA: Okay.

24 MEMBER BARTON: But, I'm hung up on fuze
25 holders, and I'll tell you why, when this first came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out there was a lot of, what do you, da, da, da, da,
2 da, and then some applicants came in, and if I
3 remember correctly, committed to do some kind of
4 program on managing fuze holders. I think I'm right
5 on that, right? Am I?

6 MR. DREYFUSS: Yes, you are right.

7 MEMBER BARTON: Okay. Now, the last few
8 applications I've been reviewing, people say no
9 program need, it's part of an active device. Well, you
10 know, guys, water and electrons they both flow, you've
11 got pumps, and you've got water runs through a pump
12 casing, through a loop for extra flow, you've got
13 electrons running through electrical circuit, and they
14 go through the fuze, and through the fuze holder, what
15 the hell is the difference? Why isn't the fuze holder
16 passive? Why isn't it included as part of a
17 management program, you've got to look at fuze
18 holders? Especially, you know, you are running 30-40
19 years, and you tell me you are not going to do
20 anything about assuring yourselves that the fuze
21 holders are not a problem?

22 CHAIRMAN BONACA: I'd like to hear from the
23 staff on that.

24 MEMBER BARTON: I am confused. I'll never
25 bring it up again, but I've got to understand where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you guys are on this.

2 MR. NGUYEN: Yes, my name Duk Nguyen, and
3 I'm from the License Renewal Branch, and I'm one that
4 did the audit.

5 When this issue come up, the regional
6 inspector go out there and look and say, fuze holder
7 is passive, why don't we need some type of aging
8 management program.

9 We look at that, and we hire a contractor,
10 BNL, Brookhaven National Lab, to look at the fuze
11 holder. We agreed that the fuel element is active,
12 because it changed stage when it actuate, so that
13 according to the rule this is not requiring the aging
14 management program, similar to circuit breaker. The
15 moving part or change state when actually the fuel
16 element is out of scope.

17 MEMBER BARTON: What's out of scope?

18 MR. NGUYEN: Because it's active element.
19 It's not required aging management review. It is
20 globalized in renewal, but they do not require the
21 aging management review because active elements.

22 MEMBER BARTON: Are you required to do
23 anything with them after 40 years or not?

24 MR. NGUYEN: Because, you know, the fuel,
25 when it blows, you know it, because it's active, okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUO: No, the fuel elements that is for
2 what Duk said, it is active, and that would be taken
3 care of by the maintenance rule, basically, we'd rely
4 on maintenance rule to taking care of -- to take care
5 of it.

6 MEMBER BARTON: Okay. So, everybody has it
7 in their maintenance rule programs, and you know that
8 for a fact?

9 MR. NGUYEN: I think that usually the fuel
10 inside the motor control center, inside a breaker, and
11 they have the preventative maintenance, every year
12 they have the preventative maintenance to look at that
13 load. Okay?

14 MEMBER BARTON: What do they do with fuzes,
15 the fuze holders, do you know if they do anything?
16 Have you looked at that?

17 MR. NGUYEN: This is a little bit tricky,
18 because if the fuze holder is inside at the assembly,
19 according to the rule we say that this does not
20 require the AMR in the maintenance rule. The only
21 fuze holder we worry about is the one that's outside
22 active.

23 MEMBER BARTON: Suppose they are in a panel
24 someplace, they are not in a motor control center or
25 in a control room panel?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: That control panel is supposed
2 to be maintained by the licensee during the
3 preventative maintenance, under maintenance rule,
4 because it's important to safety, but according to the
5 rule, license renewal, that assembly considered
6 active, so therefore we don't require the aging
7 management review.

8 MEMBER BARTON: Have you gone back to those
9 licensees that committed to do something and told them
10 they don't have to do anything, or are you going to
11 let them fall off the cliff and come up with a
12 program? Some people have said that they are going to
13 do something, I remember that.

14 CHAIRMAN BONACA: The early applications.

15 MEMBER BARTON: Yes.

16 CHAIRMAN BONACA: They ended up with
17 commitments on the passive element.

18 MEMBER BARTON: And, now you are saying now
19 you agree that you don't have to do anything. Well,
20 there's a bunch of people out there that are going to
21 try to come up with some kind of program.

22 MR. KUO: No, I don't think that that's
23 what Duk said. Yes, but they are fuze holders outside
24 of the control panel, okay, and it's really isolated,
25 it's just a fuze holder there, and then it is in scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and should have aging management program. That's what
2 the ISG talk about. It's a very limited -- actually,
3 when we had --

4 MEMBER BARTON: I get the impression that
5 people are now saying they are not going to do
6 anything with fuze holders.

7 MR. KUO: They don't have anything.

8 MEMBER BARTON: They don't have anything?

9 MR. NGUYEN: Most of the fuel holder inside
10 the NCC, inside the panel. Very, very few cases we
11 find it outside.

12 MEMBER BARTON: All right.

13 MR. NGUYEN: And, however, for the ones
14 that are outside --

15 MR. KUO: At the beginning we knew that
16 they were really a few fuze holders that might be
17 subject to aging management program, because we are
18 looking at only the isolated fuze holders. And, you
19 know, like this happened at Peachbottom, okay, that
20 was a big issue that the inspectors find that the fuze
21 holders were --

22 MR. METELL: Okay, what does that mean?
23 You all started to scare me when you say Peachbottom.
24 Yes, it was my inspection.

25 CHAIRMAN BONACA: Are you the cause of all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the problems?

2 MR. METELL: Yes, I am, thank you.

3 And, let me illustrate it in the case of
4 Peachbottom. Maybe it would --

5 MR. KUO: Thank you.

6 MR. METELL: I tried not to step into this,
7 they were doing just a good job.

8 In the case of Peachbottom, for example,
9 what they are trying to say is that -- here's how that
10 played out, so they did a search of all the fuze
11 holders in the facility.

12 MEMBER BARTON: Okay.

13 MR. METELL: And, they swept through and
14 found, if I recollect, 5,800 fuze holders, the pairs,
15 that required some kind of scoping.

16 Out of the 5,800 they then swept through
17 again and tried to find all of the ones that were part
18 of an active program, maintenance, motor control, et
19 cetera. So then, they eliminated those. Those were
20 being held -- those were being maintained as part of
21 an active program.

22 They then came up with a subset of fuze
23 holders that were not partitioned off by these other
24 constraints, they were not part of these other
25 programs. They then reviewed all of those fuze

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holders for any activities or any history in the past
2 for the fuze holder itself, including the kind of fuze
3 that is actually bolted down.

4 MEMBER BARTON: Yes.

5 MR. METELL: It includes that as well.

6 So, they went through and they looked at
7 all of the maintenance and history records for all of
8 those fuze holders, to see if an aging management
9 review was required, and they ended up with population
10 -- this goes back some time, don't hold me to the
11 numbers, 512. There were -- once you got from the
12 very large, there were very, very few programs, very
13 few fuze holders, that required an aging management
14 program.

15 And so, I can't speak to what you've heard
16 from other plants, but it wouldn't surprise me that
17 there are plants out there that you've heard, well, it
18 wasn't necessary for us to have the program, because
19 we don't have that small subset.

20 Does that help you, Dr. Barton?

21 MEMBER BARTON: I understand where you are
22 coming from. I just think you may have inconsistency
23 here in how people understand that, and some people
24 coming through with some kind of programs and others
25 not, and that's what I worry about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: But, we look at the design and
2 the technical justification, if the fuze holder --
3 that you have a -- fuze holder, and you never remove
4 the fuze element, and the problem with the fuze holder
5 we have found during the study, if people remove the
6 fuze these people talk about, you know, low voltage,
7 control voltage, where you move the fuze to re-
8 energize the circuit to do the maintenance.

9 If you have a circuit breaker, and the
10 design went to the energized circuit, you don't remove
11 the fuze, you open the circuit breaker, then the
12 fatigue and other aging effect.

13 So, it depend on each particular plan that
14 we look at.

15 MEMBER BARTON: I understand the breakers.
16 All right. I heard enough. I won't bring it up
17 again.

18 MR. KUO: Thank you, Mike. I know why you
19 are here.

20 MR. METELL: I'm sorry for ever having
21 brought it up in the beginning.

22 MEMBER BARTON: Well, at least I know whose
23 fault it is.

24 CHAIRMAN BONACA: All right, with that I
25 thank you, gentlemen, for a very good presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd like to ask the members again to give
2 me their views.

3 MEMBER BARTON: I'm sorry?

4 CHAIRMAN BONACA: I'd like to ask your
5 views of the application and what we heard today.

6 MEMBER BARTON: Well, my views of the
7 application and the SER, well, I guess the SER,
8 primarily, were I thought it was not a real good
9 quality document, did not have good technical
10 justifications for a lot of positions.

11 I think after today, hearing the
12 presentation by the applicant, that I feel a lot
13 better about, you know, the quality of this
14 application and the condition of the plant.

15 I don't really have any problems with the
16 application, and where I think the applicant is headed
17 with his long-term programs.

18 I do think that, my personal impression is
19 I think the NRC has got some work to do on the quality
20 of some of the documents they put out, especially,
21 from what I read in this application.

22 CHAIRMAN BONACA: You had some concern you
23 expressed before to me regarding exceptions to the
24 GALL.

25 MEMBER BARTON: Well, that's a tough one,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mario, because I think to try to eliminate the rising
2 number of exceptions, you know, and what happens is,
3 the people that are going to read Vermont Yankee's
4 application, and everybody is doing that, so the guys
5 that come down the pike say, well, they got away with
6 16 exceptions or something, I'll try for 24. I get a
7 little concerned about that.

8 What made me feel a little bit better
9 about the exceptions that Vermont Yankee had is, you
10 know, they classified them into four or five different
11 areas, all right, and they explained very clearly why
12 each exception was "legit." And, I understand that.

13 To go back and change GALL, I don't -- you
14 know, I guess we're halfway through the number of
15 applications, maybe it's worthy to go back and change
16 -- make some things -- some differences in GALL so you
17 can kind of eliminate the number of exceptions I think
18 that we are going to be seeing down the road.

19 Otherwise, we are going to be into this
20 same issue we had with Vermont Yankee here, and maybe
21 the next applicant is not going to come in and explain
22 them as well as here today.

23 But, I understand there are exceptions in
24 the categories, but I think we can do something with
25 GALL to try and eliminate that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay, thank you.

2 Otto?

3 MEMBER MAYNARD: I thought the
4 presentations by both the applicant and the staff
5 today were very good, very informative. I think they
6 had the technical back-up for the questions that were
7 asked, and I believe they were prepared for discussing
8 the questions that we could ask. I think it was very
9 well presented, and very prepared.

10 The only issues that I would have are more
11 generic in nature, gets back to GALL itself, and after
12 taking a look at them there are two generic trends
13 that I see. One is the increase or the number of
14 exceptions, and I don't know if GALL needs to be
15 changed, or whether we need to have a category where
16 we classify them as equivalent to, or whatever, just
17 so we can highlight which ones are truly exceptions to
18 GALL versus which ones are just maybe a slight
19 deviation to it.

20 So, I don't know if it's a matter of how
21 we characterize it or rewrite each procedure. It
22 would be good to get back to a point where we are
23 dealing with pure exceptions that are truly exceptions
24 to the methodology.

25 MEMBER BARTON: Which is really the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guideline document for license renewal. So, you don't
2 really want a lot of exceptions. I agree, Otto.

3 MEMBER MAYNARD: And, the other thing I see
4 is, we seem to continue to have a number of issues
5 with the boundaries, and I don't know, again, whether
6 that's because it's not clear as to what guidance is
7 out there for the applicants, or whether each
8 applicant's designs and drawings are so unique that
9 it's just very difficult to -- but it always seem to
10 be a number of questions come up on the boundaries
11 that have to be going back and forth.

12 I think it might be beneficial in the
13 future if we had a meeting with the staff, just on
14 GALL itself. We've had a number of license renewal
15 applications we've gone through and, perhaps, with the
16 industry, and with the staff coming in, and give us an
17 opportunity to see where they stand, and maybe for us
18 to provide some of our input on maybe what they could
19 or should be doing.

20 So, my comments are more generic along
21 that line. I think as far as this applicant's
22 presentation, the material and everything, satisfied
23 me.

24 CHAIRMAN BONACA: Good, thank you.

25 What about your impressions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: Well, just on the issue of the
2 exceptions, I think a lot of those exceptions are
3 borderline technicalities, and others are -- shouldn't
4 be labeled exceptions. If the staff believes they are
5 equivalent or better than what's in the requirements
6 for GALL.

7 So, I'm not so worried about the number of
8 exceptions, perhaps, better terminology would solve
9 that problem without having to go up and upgrade the
10 GALL.

11 The exceptions should really be limited to
12 things of substance, concern with the staff and the
13 applicant had had some hard discussions to resolve.

14 MEMBER BARTON: Yes, that would help, to
15 agree, you know, as to the basis for the exception,
16 and, you know, its equivalent, but it's not written in
17 GALL.

18 MR. ARMIJO: That's why it's satisfactory,
19 and we rule on or we take our position whether we
20 agree or not.

21 As far as the presentation, I focused on
22 the materials of the plant. I think Vermont Yankee
23 has done a very good job in the selection of
24 replacement materials. I think they've done a very
25 good job in assuring that the dry well shell and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 torus shell are in good shape.

2 I think their commitment to using the
3 hydrogen water chemistry technology to protect their
4 materials I think is the right way to go, and their
5 commitment to use that, that was something I heard
6 late in the presentation, but if you'll ask the
7 question I think that's a good commitment, and I hope
8 you stick with it.

9 We did talk about the fatigue, and I'm
10 satisfied that that can be handled more than one way,
11 and the applicant is going to do that. I don't think
12 there was very much detail in the application, and
13 maybe that led to some extra work that wouldn't have
14 been necessary otherwise.

15 Steam dryer cracking, I'm not -- it looks
16 pretty good. I'm still a little confused on why you
17 could get IGSCC up in a steam dryer, as opposed to a
18 fatigue crack, but as long as something doesn't come
19 flying loose, and create a loose particle problem.

20 MEMBER BARTON: I don't know, what's the
21 quality of steam up there? Is it slightly super
22 heater, or what steam up there?

23 MR. ARMIJO: They'll be some liquid, that
24 was the testimony, but I don't know how long it could
25 be there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BARTON: Okay.

2 MR. ARMIJO: And, if these IGSCC cracks
3 were found after that first cycle of 20 percent
4 uprate, if it formed that quickly I tend to believe
5 it's more fatigue than a stress corrosion crack.

6 MEMBER BARTON: Right.

7 MR. ARMIJO: But, in either event, as long
8 as they've done a loose parts analysis and says
9 something won't come apart, it's not really a big
10 problem.

11 Overall, I think it's a very good package.

12 CHAIRMAN BONACA: Okay. Said?

13 MEMBER ABDEL-KHALIK: I really have nothing
14 to add beyond what my colleagues have said. I'd like
15 again to congratulate the applicant and the staff on
16 a clear presentation.

17 CHAIRMAN BONACA: Bill?

18 MEMBER SHACK: Just coming back to this
19 exceptions thing, you know, most of the exceptions I
20 saw were, I thought, fairly trivial. The one that was
21 substantive, that sort of caught my eye, was the
22 notion that you were going to do without the visual
23 inspections on the ID of the core shroud, and, you
24 know, staff negotiated that around with the licensee
25 so that, in fact, they would follow the BWR VIP 76.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, I mean, that was a serious exception to GALL,
2 which I think was resolved properly.

3 The other ones, you know, I can't lose too
4 much sleep over.

5 CHAIRMAN BONACA: Yes. I, for one, believe
6 the presentations were very good, I appreciate the
7 attention of the applicant, and for the staff.

8 I agree that the exceptions don't seem to
9 be substantive, most of them. I think it is more the
10 cosmetics maybe of what they convey regarding GALL.

11 Certainly, the last thing I would like to
12 do is to have GALL become obsolete as to the
13 exceptions, and I think, you know, again, that the
14 burden probably is on GALL, and whoever maintains it,
15 and I think that the industry and the NRC should at
16 some point try to revisit that, and put into GALL the
17 kind of latitude that is required to be more accepting
18 of a variety of programs, and not -- it's nobody's
19 fault, but at the beginning clearly we have had
20 whatever experience we have reviewed.

21 Now, you know, they are doing so much more
22 experience in power plants that, you know, should
23 allow us to put that latitude inside the document to
24 be more applicable to all the plants that we have, and
25 that would reduce those number of exceptions that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to take.

2 I agree totally on the issue of boundaries
3 for scoping. We've seen it time and time again, and
4 we have to deliver that 50 percent of the plants that
5 come through still boundary issues.

6 I think one of the issues is actual
7 drawings, to what level you have drawings that would
8 describe systems in certain areas. That's not -- we
9 have found that that's a challenge, and, you know, I
10 was hoping that with the inspections we have on site
11 that we should be able to solve it, and I think it is,
12 ultimately, to come to an agreement. But, they have
13 to physically get to it.

14 And, you know, I must say that I was
15 impressed by the conditions of the plant. I mean,
16 those pictures convey, you know, the measures of the
17 torus in good shape, and dry well in good shape, too,
18 and I think that's important, because it conveys a
19 message about how the plant is being maintained.

20 And, with that, I have no further
21 comments, except thanking all the industry and Vermont
22 Yankee people and the staff for their support for the
23 meeting.

24 Anymore questions, comments, on the part
25 of Members or anybody else?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JUNGE: What do you want to see for the
2 full committee meeting?

3 CHAIRMAN BONACA: For the full committee
4 meeting, I expect to -- first of all, I would like to
5 have -- the meeting is to be a couple of hours.

6 MR. JUNGE: Okay.

7 CHAIRMAN BONACA: Hour and a half, okay,
8 and I think that much of the presentation from Vermont
9 Yankee was very informative. I think that, you know,
10 with some maybe reduction, maybe, in volume, I
11 wouldn't talk too much, you have three portions to
12 your presentation. The first portion was more general
13 about complying with improvements you've done, and so
14 I would condense that somewhat.

15 The part on the license renewal is
16 condensed enough, along with the slides, if I
17 remember, so you don't want to condense it any
18 further.

19 The information on the dry well and torus
20 is very important, because they have been the object
21 of our progress in other plants, and it gives us a
22 clean situation. So, again, condense it to the level
23 of the time that you have, but I think that's
24 important to maintain, how you present that.

25 And, the staff pretty much what they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presented was very much to the fact.

2 MR. JUNGE: Thank you.

3 CHAIRMAN BONACA: So, are there anymore
4 questions? No comments?

5 If not, I will adjourn the meeting. The
6 meeting is adjourned.

7 (Whereupon, the above-entitled matter was
8 concluded at 2:59 p.m.)