

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Meeting of the Subcommittee on Reliability  
and Risk Assessment

Docket Number: (None provided)

Location: Rockville, Maryland

Date: Friday, March 23, 2007

Work Order No.: NRC-1498

Pages 1-157

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

+ + + + +

MEETING OF THE SUBCOMMITTEE ON RELIABILITY AND  
PROBABILISTIC RISK ASSESSMENT

+ + + + +

FRIDAY,

MARCH 23, 2007

+ + + + +

The Subcommittee convened at 8:30 a.m. in  
Room T-2B3 of the Headquarters of the Nuclear  
Regulatory Commission, 11545 Rockville Pike,  
Rockville, Maryland, George E. Apostolakis, Chairman,  
presiding.

MEMBERS PRESENT:

GEORGE E. APOSTOLAKIS, Chairman

SAID ABDEL-KHALIK

MARIO V. BONACA

THOMAS S. KRESS

OTTO L. MAYNARD

WILLIAM J. SHACK

STAFF PRESENT:

MAITRI BANERJEE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A-G-EN-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

**OPENING REMARKS**

Chairman Apostolakos . . . . . 3

**GENERAL OVERVIEW OF RMTS INITIATIVE 4B,  
GUIDELINES DOCUMENT, NEI 06-09**

Mr. Tjader . . . . . 5

**PRA, CRMP & LICENSE AMENDMENT REQUIREMENTS FOR RMTS**

Mr. Howe . . . . . 32

**STP AUDIT RESULTS**

Mr. Howe . . . . . 77

**HRA MODELS FOR US IN PRA/PRA TRANSITION INTO THE CRM  
TOOL**

Mr. Canavan . . . . . 100

**CRM TOOLS/STP PERSPECTIVE OF 4B PROCESS**

Mr. Hess . . . . . 109

Mr. Phelps . . . . . 116

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:25 a.m.

CHAIRMAN APOSTOLAKIS: The meeting will now come to order. This is a meeting of the Reliability and Probability Risk Assessment Subcommittee of the ACRS.

I am George Apostolakis, Chairman of the Subcommittee.

ACRS Members in attendance are Dr. Said Abdel-Khalik, William Shack, Tom Kress, Otto Maynard and Mario Bonaca.

The purpose of this meeting is to review the industry guidance document on the safety evaluation prepared by the NRC Staff on the risk managed technical specifications 4B. We will hear presentations from representative of the Office of Nuclear Reactor Regulation and Nuclear Energy Institute and the Electric Power Research Institute.

RMTS Initiative 4B proposed to rely on probability risk assessment and risk monitors to calculate technical specification completion time for returning structures, systems and components to operable steps.

The Subcommittee will gather information, analyze relevant issues and facts and formulate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 proposed position and action as appropriate for  
2 deliberation by the full Committee.

3 The rules for participation in today's  
4 meeting were announced as part of the notice of this  
5 meeting previously published in the *Federal Register*  
6 on March 5, 2007. We have received no written  
7 comments or requests for time to make oral statements  
8 from members of the public regarding today's meeting.

9 A transcript of the meeting is being kept  
10 and will be made available as stated in the *Federal*  
11 *Register* notice. Therefore, we request that  
12 participants in this meeting use the microphones  
13 located throughout the meeting room when addressing  
14 the Subcommittee. Participants should first identify  
15 themselves and speak with sufficient clarity and  
16 volume so that they can be readily heard.

17 The ACRS Subcommittees on Reliability and  
18 PRA and on Plant Operations were jointly briefed on  
19 April 28, 2006 by the NRC and the industry on the  
20 status of this initiative. And, of course, at that  
21 time we provided comments and raised some questions.  
22 And the Staff indicated at the time that the guidance  
23 document was not complete and pilot plant visits were  
24 scheduled to review the on site programs during the  
25 summer months of last year before preparing a safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation report.

2 We requested that the Staff brief us again  
3 after completing their safety evaluation report. And  
4 that's why we're here today. And the staff will brief  
5 us, the subcommittee today. And we have scheduled  
6 time for the full Committee to be briefed at the next  
7 meeting at the beginning of April. And the staff is  
8 asking a letter from the ACRS. Of course, they would  
9 prefer it to say that the Committee agrees with the  
10 Staff's endorsement of the RMTS guidelines.

11 So we will now proceed with the meeting.  
12 And I call upon Mr. Tjader of the Office of Nuclear  
13 Reactor Regulation to begin.

14 Bob?

15 MR. TJADER: Thank you, Dr. Apostolakis,  
16 ACRS Members.

17 Today we're reporting once again on this  
18 management tech spec initiative for the risk-informed  
19 completion times.

20 Today we will discuss the risk management  
21 tech spec guidance document, NEI 06-09 which you have  
22 received in final form. That document contains the  
23 process for determining risk-informed completion  
24 times, the requirements, the limits and overall  
25 guidance for implementing risk-informed completion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 times.

2 The document has been developed,  
3 negotiated and evolved over many years. The Staff  
4 believes that this document is acceptable for  
5 implementing risk-informed completion times and that  
6 it enhances safety and is an improvement in operating  
7 with technical specifications.

8 The Staff's acceptance is reflected in the  
9 near complete safety evaluation that has been provided  
10 to you. Once any comments from industry and the ACRS  
11 are received, if any, and once they're addressed and  
12 incorporated a final safety evaluation will be  
13 developed and be provided to the full ACRS prior to  
14 the full ACRS Committee meeting in April.

15 That safety evaluation, final safety  
16 evaluation will reflect some differences from the  
17 version that you have, but nothing of significance in  
18 way of technical application or implementation of it.  
19 There are some editorial changes, some consistency  
20 changes to be consistent with operability  
21 determination process and there is some discussion of  
22 the degree to which examples should be included in the  
23 document. And we're working out those final details,  
24 but the essence of the safety evaluation provided to  
25 you is in its final form.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In addition to the guidance document which  
2 I Andrew Howe, the lead reviewer from the PRA Branch  
3 will discuss, we'll also provide you some related  
4 information which you requested at prior meetings such  
5 as human reliability, uncertainty and a discussion of  
6 the audit which Andrew Howe will provide you.

7           And as you mentioned, Dr. Apostolakis, we  
8 do seek the Commission's support for this with this  
9 initiative in validating the effort.

10           Next slide.

11           The purpose of the risk management tech  
12 specs initiatives and this initiative 4B as we call  
13 our support completion time are to be consistent with  
14 the Commission's policies to utilize risk information  
15 and decision making both in changes to tech specs and  
16 in implementing, such as this one, the technical  
17 specifications using risk information to do the  
18 correct and safe thing. To take the correct action.

19           The initiatives are consistent with --  
20 this initiative and others are consistent with the  
21 maintenance rule and established guidance such as Reg.  
22 Guide 1.174 and 1.177 and NUMARC guidance that we  
23 utilize and, to some degree, have endorsed.

24           CHAIRMAN APOSTOLAKIS: Now Reg. Guide  
25 1.174 refers to permanent changes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. TJADER: Correct. 1.174 is the  
2 overall application of risk of applying risk in  
3 decision making processes. 1.177 is the specific  
4 application of technical specifications.

5 CHAIRMAN APOSTOLAKIS: But the main idea  
6 behind 1.174 was really the permanent changes. And you  
7 do make a connection with it even though the changes  
8 are temporary. And I'd like at some point to have a  
9 discussion on that one. We don't have to do it now.  
10 At the appropriate time. But you state that  
11 periodically that we'll have to calculate the increase  
12 in risk and go back to 1.174. I think that's an  
13 interesting comment.

14 But 1.177 is the main one that really  
15 drives this?

16 MR. TJADER: The specific application of  
17 utilizing risk --

18 CHAIRMAN APOSTOLAKIS: Right.

19 MR. TJADER: -- in technical  
20 specifications. And to some degree you're right.  
21 They're dealing with AOT and 3.C changes that to some  
22 extent are permanent. But these decisions are  
23 consistent with that and are not in anyway superseding  
24 or overruling those guidance documents.

25 MR. HOWE: That is the main. 1.177 is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tech spec change that's permanent.

2 MR. TJADER: 1.177.

3 MR. HOWE: 1.777, right. This is now a  
4 floating kind of change.

5 MR. TJADER: An extension of that. An  
6 extension.

7 CHAIRMAN APOSTOLAKIS: Right. But it's  
8 1.177 that really deals with incremental quantities as  
9 opposed to 1.174.

10 By the way, is the fire document that we  
11 have received included in all of this.

12 MR. HOWE: I'm not familiar with our  
13 document.

14 MR. TJADER: It's the EPRI fire document--

15 CHAIRMAN APOSTOLAKIS: It's not? You have  
16 not reviewed this? It's not part of your review --

17 MR. HOWE: We have not reviewed the EPRI  
18 fire methodologies.

19 CHAIRMAN APOSTOLAKIS: Okay.

20 MR. TJADER: It is an example of  
21 methodology that would be utilized for applying it to  
22 a PRA.

23 CHAIRMAN APOSTOLAKIS: But that will be  
24 reviewed at some future time?

25 MR. TJADER: Well, I mean PRA Reg. Guide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 1.200 does not yet incorporate fire in it. At some  
2 extent it will, and then that will be an actual review  
3 of PRAs in the application of 4B. What we do now, and  
4 what we have done last summer with South Texas is  
5 we've gone to them and the PRA staff has reviewed that  
6 PRA and they extensively reviewed how fire is  
7 reflected in the PRA. And, in fact, your report deals  
8 with that for several paragraphs.

9 And so until Reg. Guide 1.200 is in place  
10 and its application is incorporated we will review the  
11 incorporation of fire in the PRA --

12 CHAIRMAN APOSTOLAKIS: So one major  
13 criterion or -- I don't know, in this case is that  
14 unless the PRA has been developed according to 1.200,  
15 you're not looking --

16 MR. TJADER: I'm sorry.

17 MR. HOWE: Let me --

18 CHAIRMAN APOSTOLAKIS: The fire is not  
19 part of 1.200?

20 MR. HOWE: That's right. Today Reg. Guide  
21 1.200 only addresses internal events.

22 CHAIRMAN APOSTOLAKIS: Right.

23 MR. HOWE: It has some high level  
24 requirements for fire, but no standard has been  
25 enforced. Our position is that until those standards

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are in place, we will have to: First of all, license  
2 these must quantitatively addressed fires and afford  
3 the application, and the Staff has to review how they  
4 are doing that. If they have a fire PRA, we'll have  
5 to do a fairly extensive review of how it was  
6 developed, how screen criteria was applied, et cetera.  
7 If they use bounding analyses or other more  
8 conservative, we'll have to review those to see that  
9 they are appropriate for a 4B application. But once  
10 Reg. Guide 1.200 is revised to endorse the standard  
11 and whatever grace has expired, licensees will be  
12 expected if they're implementing 4B to have a fire PRA  
13 to address the significant risk --

14 CHAIRMAN APOSTOLAKIS: Well, there is an  
15 EPRI document we received titled "Methodology For Fire  
16 Configuration Risk Management."

17 MR. HOWE: Right.

18 CHAIRMAN APOSTOLAKIS: This is not part of  
19 what you have reviewed?

20 MR. HOWE: We have not reviewed that and  
21 we have not endorsed that. In fact, our SE  
22 specifically states that that we have not endorsed  
23 that. That is not to say that a licensee couldn't  
24 come forward and say we would like to use this in 4B,  
25 and then we would review it. But at this point we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 haven't.

2 MR. TJADER: And as I said before, the  
3 underlying purpose of these initiatives in Initiative  
4 4B is to enhance safety, enhance the operator focus on  
5 safety to ensure that the appropriate safe action is  
6 taken and that knee-jerk actions such as shutdown are  
7 not necessarily taken.

8 Next slide.

9 Just going very briefly over risk-informed  
10 completion times it is, as you stated, a real-time  
11 determination or calculation of a completion time  
12 based upon the plant configuration and its associated  
13 risk. It extends the existing completion time.

14 If a licensee within the existing  
15 completing time of the tech specs determines that they  
16 may not be able to restore the condition to operable  
17 status within the existing completion time, within  
18 that completion time they will perform a risk  
19 assessment to determine what would be an appropriate  
20 risk-informed completion time up to a maximum backstop  
21 of 30 days.

22 The guidance document includes the  
23 decision making process. It includes requirements,  
24 guidance, requirements for PRA, technical adequacy,  
25 configuration risk monitoring tool, requirements,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documenting requirement, training requirements.

2 South Texas is the pilot plant that is  
3 your approval. The PRA audit was completed last  
4 summer, you have the report. We expect to issue their  
5 license amendment this summer, Fort Calhoun later in  
6 the year.

7 Next slide.

8 The risk-informed completion time benefits  
9 are that they take into account integrated  
10 configuration risks. It does take into account when  
11 you're in a risk-informed completion time multiple  
12 component outages both tech spec and non-tech spec  
13 systems that are reflected in the PRA.

14 It allows for decision making on a real-  
15 time basis with risk insights, utilizing risk  
16 insights.

17 Next slide.

18 The risk management guidance document NEI  
19 06-09, the methodology document will be incorporated  
20 into the administrative controls section of the tech  
21 specs under the configuration risk management program.  
22 So the requirements and limits within this document  
23 will become tech spec requirements and limits.

24 The organization. Section 2 has the  
25 absolute requirements and limits within it. Section

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 3 has the overall guidance and an explanation of those  
2 limits. 4 deals with PRA. And there are other  
3 sections on documentation and training incorporated  
4 within.

5 Next slide.

6 This is a good example of how it will  
7 work, the completion time can confirm completion time,  
8 the risk-based or risk-informed completion time up to  
9 a maximum of 30 days.

10 Next slide.

11 Just a generic tech spec example, which is  
12 in the guidance document as an example. You would have  
13 a system that is inoperable. You're going to have to  
14 restore it within 72 hours. Of the licensee  
15 determines that they can't restore it within 72 hours,  
16 they must do the qualified risk assessment as  
17 prescribed by the guidance document to determine what  
18 the appropriate risk-informed completion time is. That  
19 must be done within the 72 hours.

20 CHAIRMAN APOSTOLAKIS: Wait a minute. The  
21 72 hours is the frontstop?

22 MR. TJADER: That's true. That's the  
23 frontstop. That's existing. That's just --

24 CHAIRMAN APOSTOLAKIS: That comes from  
25 1.177?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TJADER: No, no.

2 MR. HOWE: No, the PRA. But it's most  
3 probably the deterministically derived completion that  
4 exists --

5 CHAIRMAN APOSTOLAKIS: Oh, it is. Yes.

6 MR. HOWE: There's nothing -- with 72  
7 hours. It could be whatever it is in the specs. It  
8 could be 4 hours, it could be 7 days. It's whatever  
9 it's.

10 CHAIRMAN APOSTOLAKIS: It's the frontstop.

11 MR. TJADER: It's the frontstop. Whatever  
12 that frontstop is if the licensee determines that they  
13 need to go beyond that to restore the system, they  
14 perform a quantified risk assessment within the  
15 frontstop and determine what the appropriate risk-  
16 informed completion time. Then they have to  
17 periodically reperform that when there are  
18 configuration changes, emergent conditions, SSCs  
19 become inoperable, SCCs are restored it will be  
20 updated.

21 MEMBER SHACK: Has anybody actually used  
22 1.177 to change their tech specs?

23 MR. TJADER: Extensively. They've come in  
24 frequently to extend their existing -- and  
25 surveillance frequencies. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN APOSTOLAKIS: Right. I believe  
2 their diesel generator AOT at South Texas is now 7  
3 days or 14?

4 MEMBER MAYNARD: Fourteen days.

5 CHAIRMAN APOSTOLAKIS: Fourteen?

6 MR. TJADER: Fourteen.

7 MEMBER ABDEL-KHALIK: Has there been any  
8 situation in which the opposite was found to be true  
9 where the frontstop has been found to be inadequate?

10 MR. TJADER: I'm not aware of any. The  
11 frontstops were originally deterministically derived  
12 by the engineers that designed and developed the  
13 plant. And they were very conservatively derived. And  
14 they were also, keep in mind, focused just on that  
15 system and the inoperability of that system. So the  
16 numbers are very conservative in nature. And if in  
17 the application, of course, of Initiative 4B it is  
18 found that a frontstop is not conservative, it would  
19 follow whatever completion time you derive from risk-  
20 informed completion time when you're in there and then  
21 it would be incumbent upon the licensee, it would be  
22 the prudent thing to do, the appropriate thing to do  
23 to come in with a license amendment request make it  
24 conservative and appropriate. But I don't think we've  
25 found a frontstop that's not conservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now keep in mind it is with respect to  
2 just that one system not multiple inoperabilities when  
3 you could then encounter a situation where perhaps the  
4 risk-informed completion time could be less than some  
5 of the frontstops.

6           CHAIRMAN APOSTOLAKIS: What does IAW stand  
7 for?

8           MR. TJADER: In accordance with.

9           CHAIRMAN APOSTOLAKIS: In accordance with?

10          MR. TJADER: Yes.

11          MEMBER BONACA: Now, say that you're  
12 having a 30 day calculated completion time and now  
13 you're having an emergent condition, as you mentioned  
14 before, is there a specific time within which you have  
15 to perform an evaluation?

16          MR. TJADER: Subsequent analyses have to  
17 be performed within the shortest of the existing  
18 completion times or 12 hours, whichever is shorter.

19          MEMBER BONACA: Okay. So either 12 hours  
20 or the 72 hours?

21          MR. TJADER: No, no. The 72 is just an  
22 example of an example of an existing frontstop.

23          MEMBER BONACA: I understand.

24          MR. TJADER: The guidance document says  
25 that completion time have to be calculated within the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 existing frontstop completion times.

2 MEMBER BONACA: Okay.

3 MR. TJADER: Whatever they are; 7 hours,  
4 4 hours or 12 hours whichever is shorter.

5 MEMBER BONACA: Whichever is shorter?  
6 Okay.

7 CHAIRMAN APOSTOLAKIS: Where did the 12  
8 hours come from?

9 MR. TJADER: I'm sorry?

10 CHAIRMAN APOSTOLAKIS: Where did the 12  
11 hours come from?

12 MR. TJADER: Well, a couple of years ago  
13 you probably don't remember the slide up there said 24  
14 hours and there was a lot of discussion whether that  
15 was too long of a time. And we discussed it and we  
16 thought that 12 hours was a time in which -- in  
17 reality, 12 hours for the operator is plenty of time  
18 to chug and plug the numbers in his configuration risk  
19 management tool. What the 12 hours does is permit  
20 administrative processes within the plant to proceed  
21 in order -- in case they come into a configuration,  
22 for instance in South Texas a case that may not be in  
23 the database, that's not yet analyzed, it gives them  
24 time to at least to attempt to address that  
25 configuration, that 12 hours. Twenty hours instead of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 24, we went back to 12 because 12 hours is, for the  
2 most part, is -- what do you call it -- a watch  
3 cycle.y

4 CHAIRMAN APOSTOLAKIS: So let me  
5 understand. The system is down -- the subsystem is  
6 down. The 72 hour limit starts running, right? They  
7 have to --

8 MR. TJADER: The clock starts as soon as  
9 you find an inoperability.

10 CHAIRMAN APOSTOLAKIS: They realize 5  
11 hours into the 72 hours that they cannot complete it  
12 by 72 hours. That's when the 12 hour limit starts?

13 MR. TJADER: No, no, no. If they realize  
14 within the 72 hours they can't restore the system,  
15 okay?

16 CHAIRMAN APOSTOLAKIS: Yes.

17 MR. TJADER: They can then perform a risk-  
18 informed completion time analyses within that 72  
19 hours. That can be done anytime in the 72 hours. Then  
20 they're going to come up with a risk-informed  
21 completion time. And that risk-informed completion  
22 time is going to be independent of that 72 hours.  
23 That's going to be whatever the configuration of the  
24 plant dictates.

25 CHAIRMAN APOSTOLAKIS: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TJADER: Okay. The clock starts at  
2 the inoperability, whatever your completion time is.

3 CHAIRMAN APOSTOLAKIS: I understand that.  
4 So the 12 hours, where is the 12 hours?

5 MR. TJADER: Well, that is when you have  
6 an emergent --

7 CHAIRMAN APOSTOLAKIS: When you have an  
8 emergent condition?

9 MR. TJADER: You have a new inoperability.  
10 I see.

11 MR. HOWE: The bottom line is this: Until  
12 the licensee has calculated a valid risk-informed  
13 completion time he has to comply with his existing  
14 specs. So when 72 hours is reached, the licensee does  
15 not yet have a valid RICT calculated, he beings the  
16 shutdown process. At the point in time when he has  
17 that valid RICT and he knows he can continue to  
18 operate, he could continue to operate.

19 If an emerging condition emerges while  
20 you're in a risk-informed completion time --

21 MEMBER BONACA: It means an other  
22 component?

23 MR. HOWE: -- maybe you're in a 2 hour LCO  
24 or four hour LCO, at the point of time when you reach  
25 that limit if you don't have a new valid RICT that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reflects that new emergent condition, you start  
2 shutting down. When you have the RICT and it allows  
3 you to continue to operate, then you may continue to  
4 operate.

5 MEMBER BONACA: Well the reason why I  
6 asked the question was because I was wondering whether  
7 12 hours is an adequate time. And it seems to be a  
8 short time. But you said that you feel that it's  
9 plenty sufficient?

10 MR. TJADER: Yes.

11 CHAIRMAN APOSTOLAKIS: Let's see again.  
12 We'll go down. The clock starts. At 60 hours there is  
13 an emergent condition. By that time they were  
14 estimating they could complete it by the 72 hours. So  
15 they only have 12 hours now. Let's make it 65 hours.  
16 They only have 7 hours.

17 Now they can go back to a preexisting  
18 configuration with a new situation and say "Oh, now we  
19 have a RICT of, you know, 90 hours." If they don't  
20 have already -- they have to figure out what to do in  
21 the remaining 7 hours?

22 MR. HOWE: I'll come back to this. Until  
23 you have a valid risk-informed completion time you  
24 must comply with your existing specs --

25 CHAIRMAN APOSTOLAKIS: So they can have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certain amount?

2 MR. HOWE: If the existing specs during a  
3 RICT and the existing specs are allowing you to --  
4 they're not restrictive, you have 12 hours to  
5 determine. At the end of 12 hours if you're not sure  
6 your RICT is valid, then you follow the existing  
7 specs. You're out of the risk-informed, you're back to  
8 the existing specs.

9 MEMBER BONACA: For most --

10 MR. HOWE: It's a grace period.

11 MEMBER BONACA: For most significant  
12 components it seems to me by reading this that they  
13 already have calculated RICT time, right? I mean they  
14 already have -- so then they'll have to, you know, in  
15 the 72 hours -- I mean, they can see whether or not  
16 they can stay within 72 hours or immediately go to  
17 their configuration? I mean, it is not --

18 MR. TJADER: It should not take -- the  
19 actual argument said the plugging and chugging of the  
20 numbers should not take 12 hours.

21 MEMBER BONACA: Yes. Yes. Now, the reason  
22 I asked about an emerging situation, it means that  
23 there is another component. And so now I know that  
24 they have calculated -- they have a matrix with  
25 probably you have several components that you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considered already in your matrix. And so they really  
2 have also a way to immediately accommodate that?

3 MR. TJADER: Right.

4 MEMBER BONACA: I would expect that it is  
5 difficult to find multiple components that have not  
6 been considered, I mean if they have already several  
7 thousand combinations. Okay.

8 MEMBER MAYNARD: Where's the 12 hours  
9 going to be? Will that be in the tech specs or is  
10 that part of the guidance documents. What implies that  
11 as the requirement?

12 MR. TJADER: It is in section 2 of the  
13 guidance documents, both in the guidance document will  
14 be a requirement in the admin control section of the  
15 tech spec in the configuration risk management program  
16 maybe that requirements they'd have to follow.

17 Next slide.

18 What this is is this is a tabular form of  
19 section 3-1. I'll just quickly go through it.

20 Figure 3-1 in the guidance document gives  
21 you a flow chart of the logic that we did.

22 Basically, it has a tech spec, it's been  
23 entered that allows the use of risk-informed  
24 completion times. The licensee when he comes in will  
25 define specifically which tech specs, Initiative 4B,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 risk-informed completion times can comply to. If the  
2 answer is no, well you apply the current tech specs  
3 and the current tech spec completion time limits.

4 If it's yes, then the next question is is  
5 the frontstop expected to be exceeded, you expect to  
6 need to extend that completion time. If it's yes,  
7 then you do the calculation. And you do it, the  
8 completion time is calculated to an ICDP of 10 to the  
9 minus fifth and that gives you the time that you have.

10 There is a ten to the minus sixth point,  
11 which we call a risk management action time. And that  
12 time the licensee must consciously evaluate and  
13 ascertain what management actions, compensatory  
14 actions must be taken for the sake of safety and plant  
15 appropriateness.

16 If you don't expect to go beyond the  
17 frontstop, then you do not need to apply 4B.

18 CHAIRMAN APOSTOLAKIS: You mentioned that  
19 a major element in this is Regulatory Guide 1.200.

20 MR. TJADER: PRA quality.

21 CHAIRMAN APOSTOLAKIS: But 1-200 refers to  
22 PRA quality for standard PRAs. And here it seems to  
23 me you're not using the PRA. You have to modify the  
24 PRA.

25 MR. HOWE: We'll be talking more about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that one later.

2 CHAIRMAN APOSTOLAKIS: Later?

3 MR. HOWE: Yes, sir.

4 CHAIRMAN APOSTOLAKIS: Okay.

5 MR. HOWE: We know that's an issue you  
6 wanted to hear about.

7 MR. TJADER: If any of the completion time  
8 limits have been reached, if you're within the  
9 frontstop and your reach completion time, if you're in  
10 the risk-informed completion time, you reach the  
11 completion time limit or the backstop completion time  
12 has been reached, whichever is applicable, then you  
13 take the appropriate subsequent tech spec action. In  
14 other words, you haven't been able to comply with that  
15 action you're within, you take the subsequent one,  
16 which is in all likelihood get out of the mode of  
17 applicability, shutdown.

18 And then have the actions been existed?  
19 If you're in a risk-informed completion time and you  
20 have to come out of it, then you apply the subsequent  
21 tech spec required requirements shutting down. If you  
22 haven't existed, you're still within a completion  
23 time, then you continue to apply risk management  
24 actions, updating, recalculating risk-informed  
25 completion time depending on emergent conditions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Next slide. Basically the limits that the  
2 risk-informed completion time is calculated to, the  
3 risk management actions are calculated to an ICDP of  
4 one to the minus six or ten to the minus seven.  
5 Either the -- or ten to the minus fifth ICDP or ten to  
6 the minus six ILERP and any instantaneous core damage  
7 frequency of the ten to the minus third and ten to the  
8 fourth LERF puts you into immediate out of the  
9 completion time into the required actions.

10           CHAIRMAN APOSTOLAKIS: The NRC, though,  
11 you state does not endorse whatever. You take no  
12 position in the ten to the minus three?

13           MR. TJADER: Oh, yes, we do.

14           CHAIRMAN APOSTOLAKIS: Don't you say  
15 somewhere that this is --

16           MR. TJADER: We take no position on the  
17 ten to the third or ten to the minus fourth ==-

18           CHAIRMAN APOSTOLAKIS: Yes.

19           MR. TJADER: --instantaneous limits.

20           CHAIRMAN APOSTOLAKIS: Yes.

21           MR. TJADER: There are voluntary  
22 restrictions on this program by industry, but the  
23 Office of NRR has not stated that that's the  
24 acceptable limit or that we may not come up with  
25 limits ourselves sometimes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: That's what I'm  
2 saying.

3 MR. TJADER: But in the meantime they do--

4 CHAIRMAN APOSTOLAKIS: This is not part of  
5 your approval?

6 MR. TJADER: The ten to the minus fifth  
7 and ten to the minus sixth numbers are.

8 CHAIRMAN APOSTOLAKIS: Yes, I know.

9 MR. TJADER: Not the --

10 CHAIRMAN APOSTOLAKIS: Right.

11 MR. TJADER: I'm walking this fine line  
12 here as previous safety evaluations said about the  
13 instantaneous risk on this. They were proposed at  
14 NUMARC 93-01.

15 CHAIRMAN APOSTOLAKIS: I know.

16 MR. TJADER: The Staff said we accept them  
17 but we don't endorse them. I'm saying the same thing.

18 CHAIRMAN APOSTOLAKIS: And they're  
19 accepted. And you're saying if you want to do it, do  
20 it, but we have no position.

21 MR. TJADER: In our guidance -- the  
22 guidance -- as a review in NRR is in Reg. Guide.1.177,  
23 1.174 as well as what's been endorsed in NUMARC 93-01  
24 for configuration -- I'm applying that to this program  
25 to reach acceptability. Okay. These aren't part of my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reg guidance.

2 CHAIRMAN APOSTOLAKIS: What I'm saying is  
3 that this slide should say we approve everything and  
4 except that we take no position on relying not to  
5 exceed ten to the three and ten to the minus five.

6 MR. TJADER: Yes, if they find that  
7 acceptable.

8 CHAIRMAN APOSTOLAKIS: If they don't  
9 object.

10 MEMBER MAYNARD: For this application for  
11 this process you're accepting that that's going to be  
12 a limit. But you're not relying --

13 CHAIRMAN APOSTOLAKIS: Even if it is  
14 exceeded, you are not going to action because it's  
15 not--

16 MR. TJADER: In parts of Initiative 4B and  
17 when a licensee comes in and adopts this program and  
18 we approve it, they will have this guidance document  
19 incorporated in their tech specs. This guidance  
20 document in section 2 sets certain limits and  
21 thresholds. One of those thresholds is if you got a  
22 CDF, ten to the minus three, LERF ten to the minus  
23 four, no voluntary action and -- what it may not have  
24 here -- but also it says is not only is there no  
25 voluntary action, basically what it is says is that if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a configuration due to an emergent event, implement  
2 the appropriate risk management actions.

3 CHAIRMAN APOSTOLAKIS: Who says that?

4 MR. TJADER: That's in the guidance  
5 document which they will --

6 CHAIRMAN APOSTOLAKIS: But you say in the  
7 SER the Staff neither endorses nor disapproves of the  
8 ten to the minus three and the ten to the minus four  
9 values. That's a very statement.

10 MR. HOWE: Exactly what was said about the  
11 original guidance and I took those same words, the  
12 endorsement.

13 CHAIRMAN APOSTOLAKIS: And this is also  
14 the current guidance?

15 MR. HOWE: Right. My management basically  
16 said to me you can't use that as an acceptance basis  
17 for this because that's not --

18 CHAIRMAN APOSTOLAKIS: Exactly. So why are  
19 we making a big deal out of it? It's very clear. You  
20 neither endorse nor disapprove? In other words, they  
21 cannot come to you with an argument that's based on  
22 ten to the minus three unless you want to review the  
23 argument and Staff, you know, okay. That's very  
24 simple.

25 MR. HOWE: But I'll point this out. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they reach that and they say well even though the  
2 guidance document says I shouldn't do that, I'm going  
3 to because the NRC hasn't said that. No, they were  
4 committing to that guidance document, and we accept  
5 that. That's fine.

6 MS. BANERJEE: And we can write  
7 violations, right?

8 MR. HOWE: Yes. It's part of the  
9 document, hopefully. It's a tech spec limit.

10 MS. BANERJEE: Well, it becomes part of  
11 tech spec.

12 MR. TJADER: A tech spec limit.

13 MR. HARRISON: Yes. This is Donnie  
14 Harrison from the PRA Branch.

15 What's happening here is the industry is  
16 voluntarily opining this to themselves, if you look at  
17 it that way. So i'm agreeing with your, Dr.  
18 Apostolakis. It is --

19 CHAIRMAN APOSTOLAKIS: Is it part of the  
20 tech spec?

21 MR. HARRISON: It becomes part of the tech  
22 specs because it's endorsed in the guidance, but not  
23 endorsed by us. It's being done by the industry to  
24 themselves.

25 CHAIRMAN APOSTOLAKIS: Well, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interesting. We neither endorse nor disapprove, yet  
2 it's part of the guidance. Well, that's very  
3 interesting.

4 MR. TJADER: I think we've discussed it  
5 adequately. I think quickly just go to 15 and then  
6 16. What they do is they show the documentation  
7 requirements that when you go within a risk-informed  
8 completion time things that must be documented. And  
9 then 16 is some of the training prior to a plant  
10 implementing this. We envision what personnel have to  
11 be trained.

12 Let me turn it over to Andrew Howe of the  
13 PRA Branch and he will now discuss the PRA aspects of  
14 the limits.

15 MEMBER SHACK: Just one question. Those  
16 incremental limits on the ICDP, what other guidance  
17 documents are those from? I mean, that's a new  
18 position here, isn't it?

19 MR. TJADER: It's consistent with 1.177.  
20 Reg. Guide 1.182 endorsed those limits with the  
21 exception of the instantaneous limits from 93-01 in a  
22 specific revision. I don't remember exactly. Section  
23 11 and --

24 MEMBER SHACK: Okay. So 1.177 doesn't?

25 MR. TJADER: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SHACK: It has a different set of  
2 incremental limits?

3 MR. TJADER: That's correct. But that  
4 applies to permanent change.

5 MEMBER SHACK: That's permanent changes.  
6 Okay.

7 MR. TJADER: That's different.

8 MEMBER SHACK: Okay. The 1.182 on the  
9 maintenance stuff gives you this particular limit.  
10 Okay.

11 MR. HOWE: That's where they come from,  
12 yes. And we're applying them to be consistent with  
13 maintenance rule.

14 So, good morning. I'm Andrew Howe with the  
15 Division of Risk Assessment. And I've been the primary  
16 reviewer from PRA License Branch for about the last  
17 year and a half for this risk-informed tech spec  
18 initiative.

19 And the first presentation will be to  
20 discuss the quality requirements of the PRA, the CRMP  
21 and what a license needs to provide to us for our  
22 review of the licensing amendment 4B program.

23 I'm going to discuss the requirements for  
24 PRA technical adequacy, the implementation of CRMP,  
25 license amendment submittal and review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is going to be fairly abbreviated  
2 because I know we presented this fairly often before  
3 to you.

4           Basically the PRA needs to be a full scope  
5 addressing the significant contributors. Obviously,  
6 internal events would have to be included. We require  
7 quantitative treatment of fires and other external  
8 events also must be included in the PRA or  
9 quantitative capability unless it's justified by the  
10 licensee that that particular source of risk is not  
11 significant for configuration risk management.

12           An example there would be if you had an  
13 external event that went directly to core damage like  
14 a large plug. Certainly not relevant what equipment  
15 is in or out of service. Therefore, you could exclude  
16 that from the scope of the 4B PRA.

17           It must address core damage frequency and  
18 large early release frequency, both metrics are  
19 applied in the 4B document.

20           Shutdown risk is not in scope. It is  
21 specifically excluded in NIE 06-09 at this time. So  
22 mode 5 and mode 6 for PWRs and I think mode 4 and 5  
23 for BWRs are not in scope.

24           Next slide.

25           Regarding specifics for the different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PRAS. The internal events PRA model must comply with  
2 Reg. Guide 1.200 Rev. 1 which was issued, I believe,  
3 late January of this year and be consistent with  
4 capability category 2 of the latest standard.

5 There is also the requirement that we  
6 impose that PRA system success criteria needs to match  
7 with your design and license basis. So that's  
8 something that we need to look at for technical  
9 accuracy of the internal events PRA.

10 In regards to fire, Reg. Guide 1.200 Rev.  
11 1 does not yet endorse a standard but it does provide  
12 some high level requirements. You must treat fires  
13 quantitatively but you can use a conservative bounding  
14 calculation if you don't have a plant specific fire  
15 PRA of some sort at this point.

16 CHAIRMAN APOSTOLAKIS: But the  
17 conservative calculations, I mean I remember the five  
18 methodologies from EPRI. Essentially it's a screening  
19 method. It eliminates occasions.

20 MR. HOWE: Right. Right. That would not  
21 be--

22 CHAIRMAN APOSTOLAKIS: So how would that  
23 be useful to anyone who wants to do this?

24 MR. HOWE: I don't think that would be  
25 useful.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: It would not be  
2 useful? So conservative you mean --

3 MR. HOWE: When I say conservative --

4 CHAIRMAN APOSTOLAKIS: -- you may  
5 identify your PRA, but in some cases where you don't  
6 have the numbers whatever, you can make it  
7 conservative assumptions?

8 MR. HOWE: Right. You bound the risk of  
9 the different configurations that you want to go to.

10 CHAIRMAN APOSTOLAKIS: Okay.

11 MR. HOWE: And you show the risk-informed  
12 completion time --

13 CHAIRMAN APOSTOLAKIS: Right.

14 MR. HOWE: -- legally would not be less  
15 conservative than you were using.

16 CHAIRMAN APOSTOLAKIS: And I think the  
17 same would apply to the seismic margins?

18 MR. HOWE: For plants where seismic is  
19 very significant, yes. I think some plants where it's  
20 really not a big deal --

21 CHAIRMAN APOSTOLAKIS: Oh, no, I  
22 understand that. Yes. I mean if you do the bounding  
23 evaluation and you declare that that particular event  
24 irrelevant, I understand that. Because those bounding  
25 calculation always bother me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: In all honesty as a reviewer,  
2 I think it would be a high hurdle to cross for a  
3 licensee to come in and say I don't have a fire PRA,  
4 but here's a way I'm doing it.

5 CHAIRMAN APOSTOLAKIS: Right. Right.

6 MR. HOWE: We'd have to review that pretty  
7 extensively to be able to conclude that it could be  
8 acceptable. Maybe if you're only apply, you know, a  
9 4B program to a limited subset of systems that really  
10 aren't in the safe shutdown path for fire, you could  
11 justify that. But if you're a full scope plant,  
12 you're really going to need some kind of fire PRA.

13 CHAIRMAN APOSTOLAKIS: Very good. I'm glad  
14 you said that.

15 MR. EDAWAR: Mr. Chairman?

16 CHAIRMAN APOSTOLAKIS: Yes.

17 MR. EDAWAR: May I ask a question?

18 CHAIRMAN APOSTOLAKIS: Of course you may.  
19 You have to come to the microphone, though. Identify  
20 yourself, please.

21 MR. EDAWAR: My Zouhair Edawar. I'm the  
22 presenter from the HRA group. And I am on the  
23 Configuration Risk Management Forum Committee.

24 My question is about match PRA system  
25 success criteria with design basis. This is extremely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 restrictive requirements on PRAs. The PRA success  
2 criteria are almost never a design basis success  
3 criteria.

4 MR. HOWE: Well, let me clarify that  
5 position a little bit. What I should have said was  
6 maybe not match, but present us what the differences  
7 are.

8 What our concern is here, I'll use an  
9 example is probably the best way to illustrate this.  
10 Let's assume that a licensee wished to apply a 4B  
11 program to their accumulator tech spec. They come in  
12 and say, yes, we model accumulators in our PRA, but we  
13 only use them for small LOCAs where we have this  
14 problem and we're depressurizing them. We don't care  
15 about them for large LOCAs and all that.

16 Well, then your PRA really isn't  
17 reflecting the tech spec requirements for those  
18 accumulators. Therefore, for a 4B plant they may need  
19 to either assess what will be the impact of the LCOs  
20 they're proposing to use and show that it wasn't  
21 important or they may need to modify their PRA to put  
22 those accumulators in as a requirement, or make some  
23 argument as to why what they had was adequate.

24 MR. TJADER: Or take the accumulators off  
25 of the applicability of this program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. HOWE: The fundamental thing we want  
2                   is we want the reviewer to make sure if he has a  
3                   thorough understanding of what the tech spec design  
4                   basis is that they're proposing to apply 4B to and how  
5                   the PRA models those systems in the success criteria.  
6                   Understand the differences, if any, and assure  
7                   ourselves that the risk-informed completion time that  
8                   are being calculated are reasonable and reflect not  
9                   only the risk but also the tech spec function that  
10                  we're hoping.

11                  MR. EDWAR: Would you mind if you had one  
12                  more example that I will bring, if I may, like the  
13                  success criteria for auxiliary feedwater. A design  
14                  basis may be 2000 gpm, but my thermo-hydraulics  
15                  analysis will indicate 700 is enough to prevent core  
16                  uncovery. The PRA will be based success criteria on  
17                  700 gpm. Will that be objectionable to by this bullet  
18                  here?

19                  MR. HOWE: Very possible. It very  
20                  possibly would be. If it caused a -- let's say that  
21                  your design basis said I needed two of three pumps but  
22                  your PRA said one of three is acceptable? We want to  
23                  have an understanding of why there should be a  
24                  difference? Why can't you change your tech spec?  
25                  What are the differences that are driving such a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant change between the design basis success  
2 criteria --

3 MR. TJADER: And once we understand that,  
4 and once we understand that the PRA is more relaxed,  
5 that doesn't negate the fact that the licensee has to  
6 follow the tech spec requirement. The system will be  
7 inoperable and they have to be in the required actions  
8 for that inoperability. However, in determining what  
9 an appropriate completion time is, if it is determined  
10 that the system -- the feed water system or whatever  
11 system it is that's designed in you example, that you  
12 only need 700 to provide the safety function gallons,  
13 not the 2000, if the PRA reflects that, then there is  
14 nothing that should prevent and nothing in this  
15 program that would prevent -- in fact they're allowed  
16 to utilize that capability in determining a completion  
17 time for the required actions and the spec that  
18 they're in.

19 So they would still be inoperable.  
20 There's nothing that changes what that inoperability  
21 is for that system. What this does is allows you to  
22 reflect that the actual capability of the system is if  
23 it's reflected in the PRA to determine an appropriate  
24 completion time..

25 MR. HOWE: I discussed fire. Other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 external events is the same basic way. Reg. Guide  
2 1.200 provides high level guidance which we would  
3 review. And if external events were significant to the  
4 4B process, we provide appropriate level of review  
5 until standards are endorsed.

6 Next slide.

7 I just wanted to talk about the issues  
8 regarding translation of the baseline PRA to the CRMP  
9 that you mentioned earlier.

10 The NEI 06-09 identifies the key areas  
11 that ourselves and industry have come up with as what  
12 needs to be looked at just to make sure that the CRMP  
13 has been correctly interpreted and translated from the  
14 baseline PRA model.

15 To highlight these issues. Basically the  
16 configuration impact of initiating events. For  
17 example, if I'm taking out a service water pump where  
18 I have three, does that effect the frequency of a loss  
19 of service water initiator year and does the CRMP  
20 properly account for that?

21 Truncation levels. If the baseline PRA  
22 model uses a different truncation level than the CRMP,  
23 that would need to be reviewed to make sure that we're  
24 satisfied that it cannot adversely impacted risk-  
25 informed completion times.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have a requirement for benchmarking.  
2           That is, they need to demonstrate consistency by  
3           actually running cases in the CRMP to the baseline  
4           model and show that they could get in either identical  
5           or consistent results, that we can understand the  
6           differences if any.

7           PRA models are average risk models. So  
8           there may be events that are dependent on what time  
9           year you're in or what point in the operating cycle,  
10          like the unfavorable or moderate temperature  
11          coefficient. Typically PRAs treat those as fraction  
12          of a years, and that's acceptable. But in a CRMP it  
13          may matter whether I'm in the beginning of the cycle  
14          or the end of cycle based on my configuration.  
15          Therefore, that's another aspect we look at to make  
16          sure it's either treated or as in the case of our  
17          pilot plant, it's treated conservatively. It's simply  
18          assumed that they're always in the most conservative.

19                  CHAIRMAN APOSTOLAKIS: There is another  
20          average, and I thought that's what you're referring  
21          to. For standby systems the average on availability  
22          between tests is one-half the interval between tests  
23          times the failure rate.

24                  MR. HOWE: Yes.

25                  CHAIRMAN APOSTOLAKIS: Which is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 average.

2 MR. HOWE: Yes.

3 CHAIRMAN APOSTOLAKIS: Now the actual one  
4 of course one minus E to the minus number T, but  
5 nobody wants to work with that. But that average  
6 remains.

7 MR. HOWE: We're accepting that. We're  
8 not requiring to say how many days --

9 CHAIRMAN APOSTOLAKIS: Okay.

10 MR. HOWE: may to. So that's sliding  
11 under a liability.

12 CHAIRMAN APOSTOLAKIS: Now the other thing  
13 is this -- your baseline is no maintenance, right?

14 MR. HOWE: Yes.

15 CHAIRMAN APOSTOLAKIS: The CDF starts  
16 counting from the moment you take anything out?

17 MR. HOWE: It's the delta between the zero  
18 maintenance case and what the actual configuration is,  
19 yes.

20 CHAIRMAN APOSTOLAKIS: All right. And now  
21 with online maintenance being done, I don't know the--  
22 what fraction of the year is the plant in this  
23 configuration where nothing is out for maintenance?

24 MR. HOWE: Well, during my past history  
25 from the Shearon Harris plant, I don't think we were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ever in a condition where nothing --

2 CHAIRMAN APOSTOLAKIS: Yes. Right. IS  
3 that correct? Does anybody want to --

4 MR. GRANTOM: Yes. Pretty much.

5 This is Rick Grantom from South Texas  
6 Project.

7 We reached a zero maintenance state.  
8 Usually by the end of the work week we try to return  
9 everything back to service after the work week. Now  
10 we can sometimes are used for surveillance. So  
11 there's some aspect of that. But there's a mark to get  
12 back to the zero maintenance tech before we start the  
13 next work week.

14 CHAIRMAN APOSTOLAKIS: End of work week?  
15 You mean Friday? Is that what you mean?

16 MR. GRANTOM: Yes. Yes.

17 CHAIRMAN APOSTOLAKIS: So during the  
18 weekend you're saying it's zero maintenance? Is that  
19 essentially what you're saying?

20 MR. GRANTOM: Yes, except with the  
21 exception of sometimes we're having surveillance that  
22 are being done during that time.

23 CHAIRMAN APOSTOLAKIS: So then most of the  
24 year you are already above the zero maintenance  
25 condition, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: I would say normally --

2 MR. GRANTOM: Yes. During any given  
3 regular Monday through Friday we'll be in some  
4 maintenance state for planned maintenance activities  
5 as part of a 12 week rolling preventative maintenance  
6 cycle.

7 CHAIRMAN APOSTOLAKIS: Therefore these you  
8 just work with allowed average time that you have  
9 already determined. No big deal because this is  
10 planned?

11 MR. GRANTOM: Correct.

12 CHAIRMAN APOSTOLAKIS: But if anything  
13 happens during that time, then you start thinking this  
14 way, perhaps.

15 MR. GRANTOM: This would give us an option  
16 to be able to deal with this differently now. Yes. If  
17 we had an emergent condition.

18 CHAIRMAN APOSTOLAKIS: Okay.

19 MR. HOWE: Sometimes I forget I'm a  
20 regular now and not a utility guy. I probably should  
21 correct the record of Shearon Harris where I worked.

22 If there was a radiation monitor broke or  
23 some relatively insignificant thing, but major safety  
24 systems, you know, it's routinely that we were in the  
25 zero maintenance with regards to important systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So I don't want to cast on my prior pilot plants.

2 MEMBER MAYNARD: I think it should also be  
3 pointed out that you do a number of systems, number of  
4 components and plants. So, yes, there may be work  
5 going on. All the safety systems are tracked and you  
6 have goals on the amount of time that they're  
7 unavailable. In fact, there's performance indicators.  
8 It's also part of the maintenance rule. And there's  
9 some, you know, fairly low limits for safety system  
10 unavailability.

11 So just not all maintenance out there is  
12 taking systems to an inoperable state, too.

13 MEMBER BONACA: I still have a question.

14 MR. HOWE: Sure.

15 MEMBER BONACA: The frontstops are really  
16 -- that you presented were deterministically the set--

17 MR. HOWE: They are what they are to the  
18 plant.

19 MEMBER BONACA: That's right. But I mean  
20 the plant could use Reg. Guide 1.174 to modify those,  
21 too, right? 1.177.

22 MR. HOWE: Yes, sir.

23 MEMBER BONACA: Okay. That seems to be  
24 what you've done at South Texas.

25 MR. GRANTOM: This is Rick Grantom again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes, we have had some allowed outage time  
2 extensions, notably diesel generators 14 days, which  
3 is now the frontstop.

4 MEMBER BONACA: That's the frontstop. You  
5 know, conceptually it makes the -- I would like to see  
6 that change. I mean because of the issue that we  
7 discussed before. I mean, you're going from a  
8 deterministically based frontstop and then you are  
9 going to a PRA based completion time. And so it's  
10 okay. But, again, the significant changes of the  
11 frontstop.

12 CHAIRMAN APOSTOLAKIS: I mean it's called  
13 existing AOPs deterministically determined. I mean,  
14 that's another statement. It was a judgment of a bunch  
15 of people. I don't think it was --

16 MEMBER BONACA: Judgment, absolutely. But  
17 on occasions it was --

18 CHAIRMAN APOSTOLAKIS: Other things were  
19 deterministically, I can grant you that.

20 MEMBER BONACA: Yes.

21 CHAIRMAN APOSTOLAKIS: But this one was  
22 really what do you think, what do you think, what I  
23 think, let's do it this way.

24 MEMBER BONACA: Oh, yes. No, not even  
25 this Committee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Not even this  
2 Committee.

3 MEMBER BONACA: I will know how they say  
4 that at the first plant. But I think that after the  
5 first plant sets those to their own tech specs, it was  
6 like a cascading --

7 MR. HOWE: We've been doing pretty well  
8 over the years, though. I mean, we've been doing them  
9 for 30 some years without --

10 MEMBER BONACA: Very conservative values,  
11 too.

12 MEMBER SHACK: I mean somebody went  
13 through this process with the OOS, I mean if you  
14 hadn't already done the 1.177 would be all set up to  
15 go back and look at his frontstops

16 CHAIRMAN APOSTOLAKIS: Sure.

17 MEMBER SHACK: I would think.

18 MR. TJADER: I think once a plant  
19 implements 4B the only thing they might want to do is  
20 take a look at some of the very short frontstops and  
21 say well can I adjust by a longer time to allow me  
22 better time to --

23 CHAIRMAN APOSTOLAKIS: Yes. It adds  
24 flexibility.

25 MR. HOWE: Yes. I wouldn't expect somebody

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to come in to a 4B plan and say well I want my 72  
2 hours to go out to 14 days so I don't have to do any  
3 of this. No. This is the process we think is  
4 appropriate. We would prefer everybody to go to this  
5 rather than to use 1.177.

6 MR. TJADER: Yes. I think docket 4B we  
7 would be very skeptical about subsequent (4)(a)  
8 applications. And of course if they've had (4)(a)  
9 applications now, then obviously if they went to 4B  
10 then the implementation of the risk-informed  
11 completion time with respect to those systems that are  
12 (4)(a), it would be obviously less margin or less  
13 additional time that they could get from the  
14 frontstop.

15 CHAIRMAN APOSTOLAKIS: Is it true that --  
16 my impression is that for plants that have extended  
17 the frontstop using Regulatory Guide 1.177 that the  
18 probability that they will get into this is very low.

19 I mean, South Texas I remember your diesel  
20 generators, you have 14 days but you never really  
21 reach 14 days, is that correct?

22 MR. PHELPS: This is Jay Phelps, South  
23 Texas Project.

24 Really the extended allowed outages that  
25 are currently just out of Reg. Guide 1.177 are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 frequently utilized either. Those are longer time  
2 frames. The value in the Initiative 4B is not going  
3 to be for those single system outages. It's going to  
4 be for the unplanned event for that opposite train  
5 component while you have its fellow component out of  
6 service is where this would actually be utilized.

7 CHAIRMAN APOSTOLAKIS: Well then this  
8 would be fairly infrequent?

9 MR. PHELPS: Yes.

10 MEMBER BONACA: No. The reason why I asked  
11 the question is that the frontstop, I use the word  
12 deterministically, but in the back of your mind for  
13 example an aux feed pump you have the accident  
14 analysis. And you think about in the accident analysis  
15 you're presenting a level of conservatism that is  
16 different from what you are assuming in your success  
17 criteria in the PRA. So there isn't any consistency  
18 there.

19 And if you change that frontstop, you  
20 would get a different value that is more coherent with  
21 this initiative.

22 CHAIRMAN APOSTOLAKIS: Coming back to the  
23 translation -- go ahead.

24 MR. TJADER: Let me just clarify something  
25 that Jay Phelps just said there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think he's taking you from a South Texas  
2 perspective. Basically South Texas is a very unique  
3 case where for many systems they have three trains  
4 where other plants have two. And therefore, their  
5 risk-informed completion times for many systems could  
6 be extensive.

7 And when he's saying that the application  
8 would be when the other train is out, that is for when  
9 they still have a capability, i.e, it's a two train  
10 spec, they have three trains; they still have a third  
11 train there available ready to go. So those tech  
12 specs are overly conservative.

13 What this explicitly does not do is permit  
14 not for inoperabilities of all trains of a system, it  
15 does not permit extension which relate to loss of  
16 safety function.

17 So that implication I wanted to wipe off  
18 the board for those that were concerned about it.

19 CHAIRMAN APOSTOLAKIS: That's okay. So  
20 back to the translation.

21 MR. HOWE: I mentioned time here or time  
22 in cycle.

23 Recur reactions are also another elements  
24 of the PRA that may be applied without regard to  
25 looking at specific configurations. So there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirement to make sure that if there are recovery  
2 actions that maybe shouldn't apply to certain  
3 configurations, that you address that.

4 And one I think is very important is the  
5 user interface. If you want to apply 4B to a certain  
6 tech spec, your CRMP, you should have a very easy way  
7 for the operator to identify how he tells the CRMP  
8 that this equipment is out of service to get that  
9 time. He shouldn't have to fumble around and try and  
10 figure out he needs to maneuver his computer to give  
11 him the tech spec answer that he needs.

12 CHAIRMAN APOSTOLAKIS: Now all of these  
13 are really requirements when you want to develop a  
14 risk monitor, is that correct? Because a risk monitor  
15 is not based directly on the PRA. You have to modify  
16 the PRA.

17 MR. HOWE: In these --

18 CHAIRMAN APOSTOLAKIS: Because the risk  
19 monitor is a real-time basis monitor.

20 MR. HOWE: Correct. And these are what we  
21 consider to be the things that need to be monitored.

22 CHAIRMAN APOSTOLAKIS: So if you already  
23 have a risk monitor on your plant, you presumably have  
24 done these things or if you develop --

25 MR. HOWE: No, not necessarily. I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that -- I don't think there are specific -- how do I  
2 want to say this?

3 I don't think we have specific rules and  
4 requirements that are as detailed as this for the  
5 maintenance rule risk monitors.

6 CHAIRMAN APOSTOLAKIS: We don't.

7 MR. HOWE: It really is a tool to say oh  
8 on average what's the risk and -- this is where you  
9 want to run your tech spec completion times based on  
10 the output of this. And we are getting much more  
11 specific on what you have to do.

12 CHAIRMAN APOSTOLAKIS: No. But you're not  
13 regulating risk monitors. But what I'm saying is if  
14 a plant has a risk monitor for its own use, they have  
15 gone through this. Otherwise, it's not a risk  
16 monitor.

17 MR. HOWE: And what I'm telling you from  
18 my experience is, no, we didn't take a look, for  
19 example, at time in gear and time in cycle; we just  
20 accepted the average. So from a maintenance rule  
21 maybe early in cycle some of our risk inputs for  
22 maintenance rule are not exactly what they should be,  
23 but they give you a feel for it. But for the CRMP for  
24 4B plants you're going to use that risk monitor.

25 CHAIRMAN APOSTOLAKIS: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: You're going to have to go  
2 back and make sure that you have addressed these or  
3 address them.

4 CHAIRMAN APOSTOLAKIS: Yes. Correct. Yes,  
5 the time year may be some special case. But if you  
6 want to have a risk monitor, you really have to watch  
7 -- how -- how are you handling common-cause failures  
8 here? You have one component down --

9 MR. HOWE: Right, I understand.

10 CHAIRMAN APOSTOLAKIS: -- extra risk  
11 management actions to make sure that the other --

12 MR. HOWE: Yes.

13 CHAIRMAN APOSTOLAKIS: -- one is not  
14 susceptible?

15 MR. HOWE: We discussed this pretty  
16 extensively about a year and a half ago. Should you--  
17 when you have an emergent failure where a component is  
18 part of a common-cause group, should you adjust the  
19 risk-informed completion time until you are sure there  
20 is no common-cause. What we have decided is that the  
21 existing requirements for operability determination  
22 and assessment of extended condition are adequate for  
23 plant safety to date. And that modifying the risk-  
24 informed completion time conservatively on common-  
25 cause for emergent failure was a burden didn't give us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a commensurate safety benefit.

2 What we agreed to was that if you have  
3 emergent failure and you are in a risk-informed  
4 completion time, while you are still evaluating that  
5 extended condition to absolutely assure yourself that  
6 the other components are not in anyway effected by it,  
7 you would simply assess risk management actions that  
8 may be appropriate and implement then while you're in  
9 the RICT.

10 In other words, all you're already  
11 required to do an immediate op pump operability  
12 determination for redundant component and you're  
13 already required to do a thorough review of the  
14 extended condition. And this program doesn't relieve  
15 you of that burden. But we didn't think it was  
16 beneficial to require changing the numbers for the  
17 RICT based on the emergent failure. It was more  
18 appropriately handled by risk management issues.

19 CHAIRMAN APOSTOLAKIS: All right.

20 MR. HOWE: Okay.

21 Final bullet, there are administrative  
22 controls. The CRMP I think it's obviously has to be  
23 under software QA. There needs to be configuration  
24 controls so as to reflect the as-built as-operated  
25 plant. Users have to be trained in any procedures. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be under the corrective action program to  
2 assure that the tool is maintained "operable."

3 And that's what I have to say about the  
4 CRMP implementation.

5 Next I want to get into a license  
6 amendment review. What are we proposing for a licensee  
7 to submit and how are we going to conduct our reviews  
8 with the 4B plants. These aren't in any particular  
9 order, it'll just give you a flavor for what we are  
10 going to focus our reviews on.

11 The first thing is licensee must identify  
12 exactly which tech spec actions they want to apply  
13 risk-informed completion time to. So they need to  
14 identify what functions those systems provide in the  
15 design and licensing basis and how were they modeled  
16 in the PRA. You can't apply this to a system that's  
17 not in the PRA. This is a risk-informed use of the  
18 PRA. So applying it to a radiological ventilation  
19 system which it doesn't mitigate core damage, would  
20 not be appropriate.

21 I mentioned before, and I used the  
22 improper words ago so the same argument applies, if we  
23 want to see what the differences are between the  
24 success criteria and the design and licensing basis  
25 versus the PRA and understand those differences and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 make sure we're satisfied that it's appropriate for  
2 the 4B program.

3 And, again, exceptions to that would be  
4 either justified or appropriate restrictions applied  
5 to their 4B program.

6 The licensee will assess against Reg.  
7 Guide 1.200 for the quality of their PRA models.  
8 Right now it's just internal events, but later for PRA  
9 we're going to look at a lot of detail about that. We  
10 expect to go to each site and do it all, just like we  
11 did South Texas. And this is one of the prime areas  
12 we would focus on.

13 If certain external events are excluded,  
14 we want to review why they've been excluded and make  
15 sure that justification is appropriate.

16 Next slide.

17 Most licensees only have at power PRA  
18 models. So in modes 1 and 2 are power and start up  
19 operation that are covered. And if they wish to apply  
20 risk-informed completion times to lower modes, again  
21 not in cold shutdown but the transition modes, they  
22 would have to justify whether PRA tools are  
23 appropriate. So that's another area we would look at.

24 We want to see their programs and  
25 procedures that assure that the PRA models and CRMP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are kept current with the plant.

2 And as I mentioned before, we'll look at  
3 the configuration risk management program in the areas  
4 we talked about for translating the PRA model to the  
5 CRMP, the admin controls, the scope and so forth.

6 And again, that last bullet we focused on  
7 how easy it is for the operator to use that CRMP tool.  
8 Does he really understand it? Because that's how he's  
9 going to comply with the tech specs.

10 Next slide.

11 We'll look at key assumptions and sources  
12 of uncertainty. Basically we're going to focus on how  
13 do they identify with them, how do they disposition  
14 them through sensitivity studies, were there any  
15 impacts on the 4B program and how would they propose  
16 to be handled.

17 That last bullet on cold shutdown out of  
18 scope, it's inappropriate. T should have been carried  
19 without a previous slide.

20 And we're going to look at their  
21 implementation, their program procedures, their staff  
22 responsibility for this and their decision process for  
23 risk management action. Typically when you extend the  
24 tech spec they could propose what comp measures they  
25 might put in place for an extended CT. Here it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really just a program and a process to assess and put  
2 in place. So we want to understand that.

3 That is what we will be looking at when we  
4 review a 4B program.

5 CHAIRMAN APOSTOLAKIS: I have a couple of  
6 questions.

7 MR. HOWE: Sure.

8 CHAIRMAN APOSTOLAKIS: Let's see if I can  
9 find them.

10 This business of going back periodically  
11 but most every 24 months and compare with 1.174. I  
12 find that a little intriguing.

13 MR. HOWE: Okay. That was actually Bob's  
14 presentation, not mine.

15 MEMBER APOSTOLAKIS: But you will have to  
16 answer.

17 MR. HOWE: Pardon me?

18 CHAIRMAN APOSTOLAKIS: You will have to  
19 answer that. I don't think Bob should open his mouth.

20 But let me see if I can find my comment  
21 here.

22 You're saying in the SER here which I'm  
23 looking at -- there it is. A period assessment of the  
24 risk incurred due to the extensions of CTs is also  
25 required. This is an evaluation of the calculated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 change in risk after implementation of our RMTS to  
2 assure that the guidance in Regulatory Guide 1.174 for  
3 delta CDF and delta LERF are met. If the RG limits  
4 are exceeded, then corrective actions must be  
5 implemented.

6 Let me tell you how I understand this and  
7 maybe you have comment. You have a licensee who takes  
8 advantage of this three or four times a year. And they  
9 do this on a regular basis. Then at some point even  
10 though the whole thing is based on the assumption of  
11 an increment in risk, which is temporary, at some  
12 point you wonder. You say wait a minute now, this  
13 temporary thing is way too permanent. They do this all  
14 the time. So if I calculate now the total risk for the  
15 three years, or whatever, including those incremental  
16 risks, I should have the delta CDF which I would treat  
17 as permanent. I should have delta CDF that should be  
18 less than ten to the minus five; that's really what  
19 you're saying here? Otherwise the guy has increased  
20 the risk permanently using a tool that is supposed to  
21 be for temporary increases. Is that the thinking here?

22 MR. TJADER: Yes. But I'm not sure then to  
23 the minus is the right five is the right number. I  
24 think, what is it --

25 CHAIRMAN APOSTOLAKIS: Well, it says

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here--

2 MR. HOWE: Well, I was confused. Because  
3 you were looking at him but you told me to answer the  
4 question.

5 CHAIRMAN APOSTOLAKIS: I am reading from  
6 the document. It says "To assure that the guidance of  
7 Regulatory Guide 1.174 for delta CDF (ten to the minus  
8 five per year)," this is the upper bound in that CDF  
9 on the Regulatory Guide where above ten to the minus  
10 five is the normal acceptable region. Most of the  
11 time it's below, ten to the minus six, right? And  
12 then delta LERF is consistent, ten to the minus six.  
13 And this is, in fact, on page 4 it says. Page 4.

14 I mean, believe me, I wouldn't lie.

15 MR. HOWE: I think I understand --

16 CHAIRMAN APOSTOLAKIS: Do you have it?

17 MR. TJADER: Go ahead, Andrew.

18 CHAIRMAN APOSTOLAKIS: Oh, you don't have  
19 the important documents with you? Do you find it on  
20 page 4?

21 MEMBER BONACA: At the bottom of page.

22 MR. HOWE: In the SE?

23 CHAIRMAN APOSTOLAKIS: Yes, in the SE.

24 The numbers are correct. I mean, I don't know why you  
25 are surprised. I mean, it is ten to the minus five.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: Well, I'm good with it.

2 As the SE writer, let me tell you --

3 CHAIRMAN APOSTOLAKIS: Yes, please.

4 MR. HOWE: The direct implementation of  
5 any particular 4B LCO extension is to us a temporary  
6 change in risk. Therefore, the guidance in Reg. Guide  
7 1.177 and especially in 1.177 which is a five E minus  
8 seven ICCG limit, associated LERF limit, don't apply  
9 because it's not a permanent change to the tech specs.

10 CHAIRMAN APOSTOLAKIS: Correct.

11 MR. HOWE: You assess it each time based  
12 on the actual risk. Therefore, that's why we applied  
13 the guidance in NUMARC 93-01 endorsed by Reg. Guide  
14 1.182 because that's how they normally would assess  
15 configuration risk and maintenance rule space applying  
16 the tech spec LCO on top of that. This initiative is  
17 intended to make those consistent, and that's probably  
18 comparable.

19 We interpret, however, that the overall  
20 implementation of the program however many times you  
21 will use extended LOCs, once a year, once a month or  
22 whatever, as proposed by industry is consistent with  
23 Reg. Guide 1.174 in that it should only result in  
24 either zero or small increases in risk. But the  
25 problem for me as --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Permanent  
2 decreases, though?

3 MR. HOWE: Yes. As the program determines  
4 -- that's our distinction. We say that each individual  
5 application is temporary, but you're putting it as a  
6 permanent program change to your tech spec. So we want  
7 to look at overall as you implement these risk-  
8 informed completion times sporadically what is it  
9 doing to the risk profile plan? We can't predict  
10 that. As Mr. Phelps indicated at South Texas mostly  
11 it's going to be for emergent failures that they can't  
12 predict.

13 So what we decided to do, what was  
14 proposed by industry and we've accepted in our safety  
15 evaluation, is that periodically not exceed I believe  
16 two operating cycles --

17 CHAIRMAN APOSTOLAKIS: Twenty-four months  
18 in the backstop.

19 MR. HOWE: -- or a two year -- I'm sorry?

20 CHAIRMAN APOSTOLAKIS: The backstop is 24  
21 months.

22 MR. HOWE: Okay. All right. That they  
23 would go back and look at the past history of how they  
24 applied individuals and assess what was the  
25 incremental risk. In other words, they would have been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limited by their frontstop CT, but now they have this  
2 flexibility we've granted them so they incur an  
3 additional amount of risk temporarily. And maybe that  
4 gets offset by improved performance of the equipment  
5 or they didn't have to do --instead of doing five  
6 small outages, maybe they did one big one. So that's  
7 where you make it back to zero.

8 CHAIRMAN APOSTOLAKIS: Right. So --

9 MR. HOWE: But they're required to  
10 directly assess that, compare it to the 1E minus five  
11 CDF change and assure that this not being abused.

12 CHAIRMAN APOSTOLAKIS: Right.

13 MR. HOWE: And if they find in fact that  
14 the way we're implementing this program is causing  
15 risk creek, if I can use that term, they're required  
16 to go back and assess why is that happening, what can  
17 we do to change our program and get it back to as it  
18 was originally proposed.

19 CHAIRMAN APOSTOLAKIS: So I think I  
20 understood it correctly more from what you're saying.

21 MR. HOWE: Okay.

22 CHAIRMAN APOSTOLAKIS: That you don't want  
23 the people to use this and over the years to  
24 effectively decrease their CDF even though this --

25 MR. HOWE: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN APOSTOLAKIS: But another point  
2 that I maybe should be making clear here is that this  
3 delta CDF is not the delta CDF that is used in this  
4 4B. This delta CDF in 1.174 is from the average CDF  
5 over the year that includes all sorts of maintenance  
6 activities and so on. It's not the zero maintenance.

7 MR. HOWE: The delta CDF that I'm looking  
8 for is I operate my plant in a configuration and I  
9 calculated that risk when I look beyond the frontstop.  
10 So I know how much extra risk I accumulated when I see  
11 that --

12 CHAIRMAN APOSTOLAKIS: Yes, extra risk.

13 MR. HOWE: -- I never would have  
14 accumulated by using a 4B plan.

15 CHAIRMAN APOSTOLAKIS: And you subtract  
16 that from what? Not from the zero maintenance.

17 MR. HOWE: I don't strike anything. That  
18 is the delta right there in my opinion.

19 CHAIRMAN APOSTOLAKIS: No.

20 MR. HOWE: No?

21 CHAIRMAN APOSTOLAKIS: No. Because that  
22 comes from the zero maintenance. You are measuring  
23 from the zero maintenance. 1.174 doesn't do that. It  
24 says here is the average CDF, five ten to the minus  
25 five, your delta CDF for primary changes is ten to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minus five, so you increasing it. They are two  
2 different baselines. And you have to be careful with--

3 MR. BRADLEY: Biff Bradley, NEI.

4 Just to clarify. The risk you're  
5 measuring that Andy's speaking of is not above zero  
6 maintenance. It's above the frontstop. You don't start  
7 accumulating that risk until you've exceeded the  
8 frontstop. So you're looking at the delta of this  
9 application from the current tech specs to having 4B  
10 in place. That's the incremental risk.

11 CHAIRMAN APOSTOLAKIS: Well, that's not  
12 the same as the one in 1.174. 1.174 I look at the  
13 plant and I do a standard PRA that says, you know,  
14 these components are periodically tested. They are  
15 repaired and all these activities, human actions, it's  
16 an average estimate of the CDF over the year.

17 MEMBER BONACA: Unavailabilities included.

18 CHAIRMAN APOSTOLAKIS: Unavailabilities  
19 included, everything.

20 MEMBER BONACA: That's right.

21 CHAIRMAN APOSTOLAKIS: It has nothing to  
22 do with frontstops or zero --

23 MR. GRANTOM: This is Rick Grantom.

24 George, you're correct, Dr. Apostolakis.

25 When we look at a rolling 52 week average, is kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we're talking about here in this, the way we look  
2 at that is we do it in a zero maintenance state. But  
3 we normalize it against the average annual estimate of  
4 CDF. And so what we're measuring is if our average  
5 estimate is 1E minus five, then on the graph --

6 CHAIRMAN APOSTOLAKIS: The PRA result.

7 MR. GRANTOM: Yes. Our average is 1E minus  
8 five, we'll call that one and then we'll look at  
9 normalize it. Two is twice that amount. Three is --  
10 and so we measure the rolling 52 week average and we  
11 take a look at our actual risk when we're looking at  
12 rolling 52 week averages are. And we look at that  
13 against the average. What does the actual risk do  
14 against the average. Because you're correct. We have  
15 average maintenance durations for planned and  
16 unplanned, average frequencies in the average model.  
17 And then we look at our actual configuration risk  
18 against that and are we within a band around that.

19 CHAIRMAN APOSTOLAKIS: Well, that's the  
20 application you're doing. I'm talking conceptually  
21 now. I'm trying to understand this and make sure that  
22 we're all on the same page.

23 When I implement the 4B we have agreed  
24 that I measure risk from the zero maintenances. So I  
25 assume there's no maintenances. Or if something is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out, it's out, right? The clock's started.

2 MR. HOWE: The differential to the zero  
3 maintenance.

4 CHAIRMAN APOSTOLAKIS: The differential.  
5 Exactly. Started. And using now my changes, I  
6 calculate backstops and so on and so on. And I that  
7 for a number of times over the year, always from zero  
8 maintenance.

9 Then I calculate the average risk I guess  
10 from these calculations over the year, right? And  
11 this will be the average increment from the zero  
12 maintenance risk CDF. But that's not the difference  
13 I have to go and apply to 1.174. I will have to take  
14 that extra and subtract from the average CDF that a  
15 normal PRA gives me that includes inavailabilities, it  
16 includes everything.

17 MR. BRADLEY: And I think it's simpler  
18 than that. You're just looking at the delta due to  
19 this application. Okay. So you're looking at the risk  
20 that you accumulate beyond the frontstop.

21 MEMBER SHACK: It's a different delta.

22 CHAIRMAN APOSTOLAKIS: And that's what I'm  
23 saying.

24 MEMBER BONACA: It's a different delta.

25 Yes, it's a different delta.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BRADLEY: You're not comparing it to  
2 an average model. All we're doing is every time you  
3 enter RMTS you're keeping track on how much risk above  
4 the frontstop you've accumulated. You add that up and  
5 that's your delta.

6 CHAIRMAN APOSTOLAKIS: In 4B I do that.

7 MR. BRADLEY: Right.

8 CHAIRMAN APOSTOLAKIS: But then on top of  
9 it every two years I have to go to 1.174. And I'm  
10 saying that's not the appropriate delta now.

11 MR. GRANTOM: This is Rick Grantom again.

12 You could look at two averages. One  
13 average that you said was the average of the  
14 configurations that occurred. And then there's the  
15 average annualized model which has average assumptions  
16 in there for lots of different things in there.

17 Okay. So there's an average that's  
18 associated with that. There is an average of the  
19 configurations that have occurred, and you can measure  
20 that value also. Now, whether one would take the  
21 delta between the average of the configurations and  
22 the average annualized model is, I think, what Dr.  
23 Apostolakis is talking about versus looking at the  
24 average CDF model and it's basically what I was saying  
25 with the rolling 52 week average. We're looking at a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rolling 52 week average of the configurations against  
2 the average annualized model to see if it comes within  
3 a band.

4 So when I was discussing this rolling 52  
5 week average here is basically what I was  
6 communicating was I think almost the same thing that  
7 you were talking about.

8 CHAIRMAN APOSTOLAKIS: I suspected it was  
9 the same thing. But let's put it in a different way.  
10 One more way.

11 In 1.174 there is nothing like zero  
12 maintenance. We don't mention anything there like  
13 that, right? So we're saying that the baseline CDF,  
14 let's call it the baseline CDF, right, which is a  
15 result of a standard PRA assuming all kinds of things,  
16 whatever happens to the plant. Then you propose a  
17 change permanent, like extending the diesel outage  
18 time to 14 days, you do your calculations. Find the  
19 new CDF and you subtract it from that baseline, and  
20 that's now the measure of whether it's acceptable.  
21 That's one case.

22 If I didn't want to use 1.174, I have to  
23 use the baseline CDF and deviations from it.

24 In your case, though, your baseline CDF is  
25 not the PRA CDF, it's a zero maintenance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: It's lower.

2 CHAIRMAN APOSTOLAKIS: Exactly.

3 MR. HOWE: Which is lower.

4 CHAIRMAN APOSTOLAKIS: Which is lower.

5 So you do your calculations there. Within  
6 the 4B everything is fine; self consistent, we  
7 calculate the accumulative risk and all that. But then  
8 you have the extra requirement that every 24 months I  
9 have to take some of these results and go back to  
10 1.174. And what I'm saying is when you go back make  
11 sure that you're using your baseline CDF now to  
12 calculate the delta CDF. Because that's what 1.174  
13 says. That's all.

14 MR. HOWE: Actually, these were limiting.  
15 We make sure that we say -- and with from help for Dr.  
16 Perry -- I understand what you're saying.

17 I believe that if the licensee were to  
18 assess forget about Reg. Guide 1.174 for a minute. If  
19 you were to assess the actual delta risk that you  
20 accumulated greater than the frontstop, you just said  
21 my delta from the zero risk for the time that is there  
22 is this amount of risk. I believe that would be a  
23 conservative estimate for you to take the extra  
24 unavailability he got from his equipments, put it in  
25 his baseline CDF and calculate it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So it's a conservative way to bound  
2 themselves to the Reg. Guide 1.174. But I think it  
3 would be acceptable to say for the last 24 months I've  
4 been using 4B. Here's my new unavailabilities of the  
5 equipment. I put those in my PRA and I don't see a  
6 difference, or my difference is within -- I think that  
7 would be --

8           CHAIRMAN APOSTOLAKIS: It seems to me that  
9 this should be clarified.

10           Gareth, do you have a comment?

11           DR. PERRY: Yes. This is Gareth Perry,  
12 NRR.

13           I think this is really -- I think what  
14 they're doing, and if I understand what Biff is saying  
15 correctly, that you really only are looking at the  
16 delta between the frontstop and the rest, what you're  
17 really doing is you're taking a sample of what the  
18 average risk would look like if you traced it through  
19 the year and then taken the difference between that  
20 and what the actual is, having added on the extra. So  
21 I think in the limit if you added up all the years you  
22 would get exactly to the Reg. Guide 1.174 calculation.

23           So I think this is just a -- it's a sample  
24 approach to getting at the difference. And I think if  
25 you also look at it as a practical way of implementing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 principle 5 of Reg. Guide 1.174, which is to monitor  
2 the change, it's a way of doing that.

3 CHAIRMAN APOSTOLAKIS: I think you maybe  
4 right, and right now I can't follow the argument.

5 There are two or three delta CDFs in this  
6 safety evaluation that mean different things in my  
7 view. Some clarification would be useful. And if  
8 your argument is correct, which I'm sorry right now  
9 it's difficult to follow, then so be it. I mean, but  
10 just put it down; that's all I'm saying. Because if  
11 I go back -- for example, the tables that Bob showed  
12 us where, you know, neither endorse or accept or  
13 whatever, not disapprove, you had a delta CDF there,  
14 no? No. It was CDF. CDF. But again, those were --  
15 I mean, was it from assuming zero maintenance or the  
16 average CDF? No, it was instantaneous. So it assumed  
17 zero maintenance, right?

18 MEMBER BONACA: The text does not specify  
19 that.

20 CHAIRMAN APOSTOLAKIS: That's what I'm  
21 saying. It's confusing. Well, I mean, I've read it.

22 MEMBER BONACA: It says what you have to  
23 do.

24 CHAIRMAN APOSTOLAKIS: Sure. Sure.

25 MEMBER MAYNARD: Well, I'm not sure. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think you have to be careful with this evaluation  
2 we're talking about. And it may be good to take a look  
3 and for a sanity check, but if you have two identical  
4 plants side-by-side and you have one that's using this  
5 process and one that's not, one may have to take a  
6 system out twice to get something done where the other  
7 one can get it done within using this process.  
8 Actually in a shorter time than it may exceed  
9 frontstop, but he only has to take it out once instead  
10 of twice.

11 So I don't think the fact that you exceed  
12 the frontstop is necessarily in itself means that  
13 you've increased the overall risk. You may have  
14 actually decreased it by not having to take something  
15 out two or three times or maybe by having to live with  
16 degraded equipment.

17 So I think it's good to maybe look at it,  
18 but I think we have to be careful that we're not  
19 saying that this is definitely a definitive increase  
20 in risk --

21 CHAIRMAN APOSTOLAKIS: I think that we're  
22 discussing two or three different things now. But the  
23 point you just raised, Otto, is whether this is worth  
24 doing and if you do it, what conclusions do you draw,  
25 which is one point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER MAYNARD: Yes.

2 CHAIRMAN APOSTOLAKIS: My point is more  
3 mechanical. That when you calculate the delta CDF and  
4 the delta LERF make sure you are doing it consistently  
5 with the regulatory guide you're using. If you use the  
6 4B, it's one calculation, clearly stated. If you use  
7 1.174 in my mind it's another calculation unless  
8 somebody proves otherwise.

9 So there are two issues. One is what you  
10 just said. I mean, having done it correctly, what  
11 conclusion do I draw now, which is a valid point.

12 MEMBER BONACA: But what I'm saying here  
13 is that paragraph is not correct. It's a correct  
14 statement.

15 CHAIRMAN APOSTOLAKIS: It's incomplete.  
16 It's incomplete.

17 MEMBER BONACA: What I'm saying is -- yes,  
18 but you want to have the recipe with, you know, how  
19 many tablespoons of this and whatever --

20 CHAIRMAN APOSTOLAKIS: No. No. I want this  
21 paragraph to continue and put a statement as to what--  
22 or alert the user to the fact that these delta CDF now  
23 is the 1.174 delta CDF. Why is this a big deal?

24 MEMBER BONACA: That is not a big deal.

25 MR. HARRISON: Dr. Apostolakis, Donnie

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Harrison from the PRA Branch.

2 CHAIRMAN APOSTOLAKIS: It shouldn't be.

3 MR. HARRISON: We'll take that comment and  
4 go back and reread the text. And if we're talking  
5 about different delta CDFs and how they're being used,  
6 we'll clarify that in the SE.

7 CHAIRMAN APOSTOLAKIS: Yes. Yes. That's  
8 all I'm saying.

9 MR. GRANTOM: And, Dr. Apostolakis, this  
10 is Rick Grantom.

11 If I might add there, that that's in fact  
12 how we're doing. I call it the rolling 52 week  
13 average, but every data point is the average of the  
14 actual configurations from the previous 52 weeks we've  
15 been in. So it is in fact measuring what you're  
16 talking about.

17 CHAIRMAN APOSTOLAKIS: Yes. And again, the  
18 issue is not really how the pilot is doing. It's what  
19 we're going to do in the future.

20 MR. HARRISON: And I think it's worth  
21 clarifying that so that we don't have the confusion,  
22 as well as point out as Dr. Perry pointed out, which  
23 is this is a way of implementing the fifth principle  
24 performance monitoring to make sure that the decisions  
25 you're making are being maintained. And that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Now our lives are  
2 run by 1.174.

3 MR. HARRISON: Okay.

4 CHAIRMAN APOSTOLAKIS: There is always a  
5 principle that applies to what kind of breakfast I'm  
6 going to have.

7 Are you okay now? Are you fine. Okay.

8 MR. HOWE: I understand your comment. I  
9 guess my words are misleading in the SE --

10 CHAIRMAN APOSTOLAKIS: I'm not saying  
11 they're misleading. They just need to be clarified.

12 MR. HOWE: The licensee who implements 4B  
13 needs to do the calculation properly to assure they're  
14 in compliance.

15 CHAIRMAN APOSTOLAKIS: I think that's a  
16 very smart thing that you require them to do, as long  
17 as you put two -- clarify two things here. One is the  
18 mechanics of doing it and second what Mr. Maynard just  
19 said, what conclusions do you draw from this. Be  
20 careful. That's all. Okay.

21 MR. HOWE: Okay.

22 CHAIRMAN APOSTOLAKIS: So you think we're  
23 going to have that by the full Committee? I mean,  
24 it's just a line?

25 MR. HOWE: Absolutely. Sure. Sure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yes. Very good.  
2 Thank you.

3 MR. HOWE: That concludes my first  
4 presentations. I'm ready not to discuss the South  
5 Texas audit results and what we --

6 CHAIRMAN APOSTOLAKIS: Yes. And we're  
7 close to an hour and a half. So following my  
8 principle 1.174, we will break for 15 minutes. We  
9 will reconvene at ten minutes past.

10 (Whereupon at 9:48 a.m. a recess until  
11 10:06 a.m.)

12 CHAIRMAN APOSTOLAKIS: Okay. We're back  
13 in session.

14 MR. HOWE: Thank you. My second  
15 presentation is on South Texas Project audit that we  
16 performed in June.

17 Next slide.

18 Talking about the purpose of the audit and  
19 what we found.

20 Our logistics of this, we have four  
21 experienced PRA analysis including two of our current  
22 senior leadership positions in PRA, Dr. Perry and Mr.  
23 Steve Laur. We also had the senior reactor analyst  
24 from the Region who was -- what was his name? I don't  
25 know. Had some tech spec expertise, Bob Tjader. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we also have the South Texas Project Manager Mr.  
2 Thadani there. So we had a pretty well experienced  
3 team looking at a variety of different aspects of  
4 their 4B program.

5 We spent 3½ days on sight in late spring.  
6 The weather was beautiful.

7 We had a prewritten audit and review plan  
8 that was developed by the reviewers prior to the  
9 visit, and that was shared with the licensee so they  
10 could be well prepared to have the information  
11 available to us.

12 The purpose of the audit, and I just  
13 quoted from our audit plan, was to provide assurance  
14 that the PRA model configuration risk management  
15 program and supporting activities are adequate to  
16 conclude that the implementation of the proposed RMTS  
17 amendment request will not challenge public health and  
18 safety. That's a pretty high level goal. We also  
19 looked at a lot of details that would support that  
20 statement.

21 MR. TJADER: Mike Runyan was his name.

22 MR. HOWE: What was that?

23 MR. TJADER: Mike Runyan.

24 MR. HOWE: Mike Runyan, yes. He was the  
25 senior reactor analyst.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The scope of the audit was to establish  
2           the technical adequacy of the licensee's PRA models  
3           where we didn't have standards. This was specifically  
4           the fire, the seismic and external events.

5           South Texas had submitted the high level  
6           information required by Reg. Guide 1.200. This was a  
7           more detailed look to make sure we were satisfied that  
8           those models could support a 4B program.

9           We wanted to look at the development  
10          implementation of the CRMP to address the issues we  
11          talked about earlier.

12          We wanted to look at the status of the  
13          licensee's training and their procedures for their  
14          personnel to support RMTS' implementation because this  
15          is a very significant change in tech spec compliance  
16          philosophy.

17          And going along with that, we wanted to  
18          look at the overall plant safety and risk culture of  
19          their organization. And this is a soft thing, but  
20          really what we're looking for here is if we're going  
21          to use the PRA for tech spec compliance, does the line  
22          management at the site really understand PRA and to  
23          the extent and we were going to believe it and say,  
24          yes, that's a good way to run my plant.

25          Just briefly the overall conclusion was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that the South Texas PRA models, their configuration  
2 risk management program and tools and their procedures  
3 and their training appear sufficient in scope and  
4 detail to support the license amendment request. So  
5 we didn't find any outstanding issue that would be a  
6 show stopped, if you will.

7 I'm going to go into some of the details  
8 now of what was looked at and some of the findings.

9 The first area was the fire PRA. And the  
10 fire PRA at South Texas was developed, I believe, in  
11 the late 1980s and it was reviewed by Sandia National  
12 Labs documented in a NUREG.

13 They identified it was updated in 1994 due  
14 to fire barrier issues. And that they use a successive  
15 screening approach. This was reviewed in some detail  
16 by our reviewers. In fact, that was really the main  
17 focus area; are we screening fire scenarios that for  
18 certain configurations could be risk significant, and  
19 therefore those need to be put back into the model. In  
20 fact, one of the findings that -- discusses, they  
21 needed to go back and kind of take a look at some of  
22 those and assure themselves that it wouldn't be  
23 appropriate to maybe include more of the site  
24 scenarios in their fire PRA.

25 It also identified that there was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 suppression credit or credit given for fire  
2 suppression pumps, but it was adjusted based on  
3 whether pumps were available. I think they had two or  
4 three -- three pumps. Thank you. And if one was out  
5 of service, they changed the credit they would give.  
6 And that's a positive aspect of this for configuration  
7 risk management.

8 Sort of kind of just a brief flavor for  
9 what was looked for the fire PRA. And there was  
10 probably a good day spent by two reviewers, of two  
11 SLs, as a matter of fact looking at that in some  
12 detail.

13 With regard to the seismic PRA, South  
14 Texas is in a low seismicity zone, so it's not  
15 something that we considered to be significant. They  
16 do also assume that failures from seismic events are  
17 100 percent correlated. So if you get an event that's  
18 of sufficient size to fail one component, it's going  
19 to fail all the components that are similar to that.  
20 So it's a conservative analysis and we didn't find any  
21 issues there.

22 Some time was spent on the internal events  
23 because we do have a standard for that. Fundamentally  
24 we found that we can agree that they meet capability  
25 category II of the existing ASME standard. There was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some additional detail we felt was necessary in their  
2 documentation to make sure they clearly state that  
3 they meet capability category II as opposed to just  
4 meeting the standard.

5 We also did review some instances where  
6 the PRA model scope really wasn't complete enough to  
7 match up with tech spec functions. And this lead to in  
8 their resubmittal after the audit some of the tech  
9 specs that were in scope originally were removed from  
10 scope. They now realized or decide that their PRA  
11 model at this time didn't support it. But they may  
12 have to go back and add those systems into their PRA  
13 and make a later submittal. So there were some  
14 changes that came out as a result of the internal  
15 events review.

16 Next slide.

17 Prior to the South Texas CRMP their  
18 program, as we've said, is a database look up of pre-  
19 solved configurations. This is convenient in terms of  
20 translating the model because you're not putting the  
21 model in place for online user manipulation. You're  
22 simply pre-solving it, getting it numbers and they  
23 simply have a database that they're checking to see  
24 what their configuration risk is.

25 They identified that there are QA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirements that review these results. Obviously,  
2 with 20,000 cases you're not going to a thorough  
3 review of every single case, but you do the up front  
4 checks on the process to make sure that what you're  
5 getting should be reasonable.

6 They identified that there was no credit  
7 given for any repairs of out-of-service equipment for  
8 the CRMP, which is appropriate.

9 And with regard to time dependent  
10 variables and cycle dependent variables they simply  
11 assumed the most conservative time of year/time in  
12 cycle as opposed to assessing it. So that's acceptable  
13 for 4B.

14 We did find some issues with is there an  
15 easy association between what tech spec I'm in versus  
16 how I maneuver the CRMP. And South Texas took that and  
17 is looking at their procedures and programs. And  
18 based on their last submittal we're satisfied with  
19 their consolidation.

20 Next slide.

21 Uncertainty analysis was another we looked  
22 at. This was not yet completed. South Texas was just  
23 finishing up the final revision of their PRA and was  
24 getting ready to do the uncertainty analysis. So we  
25 couldn't look at results. That's been done subsequent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as part of an RAI. But they did make a presentation  
2 to discuss what they plan to do. And we had a meeting  
3 to give us an opportunity to provide them some  
4 feedback and our insights on what we think how they  
5 ought to be accomplishing this task.

6 MEMBER ABDEL-KHALIK: Can we go back to  
7 the previous slide, please?

8 MR. HOWE: I'm sorry. Absolutely.

9 MEMBER ABDEL-KHALIK: The comment about no  
10 time dependent variables assuming the most  
11 conservative value. Are there any future core designs  
12 that would violate this?

13 MR. HOWE: Are you talking about the  
14 moderate temperature coefficient?

15 MEMBER ABDEL-KHALIK: Right.

16 MR. HOWE: I can't speak for South Texas  
17 Project.

18 MEMBER ABDEL-KHALIK: You know, say for in  
19 general.

20 MR. GRANTOM: I can tell you right now  
21 that our current tech specs don't allow a positive  
22 moderator temperature coefficient, which would be the  
23 one variable that would be considerably different.  
24 We're always required by our current tech specs to  
25 have a negative zero or negative moderator temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coefficient.

2 MEMBER ABDEL-KHALIK: But you're using the  
3 less negative value as of now, I guess?

4 MR. GRANTOM: This is Rick Grantom.

5 We assume the most conservative throughout  
6 the whole year for everything.

7 MEMBER ABDEL-KHALIK: Up to this point,  
8 meaning up to the core design, things you have  
9 documented so far. I mean, you still can come up with  
10 a core design that would not violate the positive MPC  
11 requirement and yet would be more restrictive than  
12 whatever you've been doing so far?

13 MR. GRANTOM: In terms of the PRA  
14 translation of that, though, we would assume the most  
15 restrictive most conservative assumptions in the risk  
16 analysis relative to that.

17 MEMBER ABDEL-KHALIK: Okay. I thought  
18 these were all pre canned?

19 MR. GRANTOM: They are, and the criteria in  
20 the analysis assumes the most conservative value with  
21 regard to things like moderator temperature  
22 coefficient.

23 MEMBER SHACK: But if you had a whole new  
24 core design, you'd have to rerun these?

25 MR. GRANTOM: Right. If we had the core

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design that did that, that would impact that, yes we  
2 would have to update it at that point in time.

3 MR. HOWE: Just to follow on to that, this  
4 was a snapshot audit of where they are today. But the  
5 other thing we looked at is their programs and  
6 procedures that required them to access, are you're  
7 mentioning. If they make design changes on anything  
8 that could effect the CRMP look up cases, their  
9 programs and procedures require them to update. That's  
10 a feature that we look for in a 4B plan.

11 MEMBER ABDEL-KHALIK: Thank you.

12 MR. HOWE: Going to this one.

13 Okay. So in their presentation the  
14 licensee identified or basically presented their  
15 plans, which is they're going to identify the key  
16 uncertainties using industry -- I think they were  
17 draft documents at that time, as guidance for how they  
18 would identify those key sources.

19 They would assess those key uncertainties  
20 impact on any of their configurations where the time  
21 was already less than the 30 backstop. In other words  
22 if you have one that's already 100 and some days, it's  
23 still unlikely that uncertainty could significantly  
24 impact that. And we felt that was reasonable.

25 They were going to perform any sensitivity

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 studies required. And per NEI 06-09, if necessary,  
2 they would implement any program restrictions or comp  
3 measures necessary to address those key sources of  
4 uncertainty.

5 CHAIRMAN APOSTOLAKIS: Now you have a  
6 statement in Safety Evaluation Report that the Staff  
7 has not reviewed this document and the NRC neither  
8 endorses nor disapproves its methods?

9 MR. HOWE: Yes. The same version we used  
10 for the ten minus three, ten minus four.

11 CHAIRMAN APOSTOLAKIS: It starts with  
12 review each individual licensee's process for  
13 identifying assessing key uncertainties. Why haven't  
14 you reviewed this document?

15 MR. HOWE: I haven't personally reviewed  
16 it. The NRC is in the process of reviewing it. In  
17 fact if they doesn't mind, I'll ask Dr. Perry to  
18 comment ont he uncertainty document.

19 CHAIRMAN APOSTOLAKIS: Do we have that, by  
20 the way? Does the ACRS have this document?

21 DR. PERRY: This is Gareth Perry, NRR.  
22 I doubt it. We've seen draft versions of  
23 it.

24 MEMBER SHACK: We had a presentation on  
25 it, though, didn't we? I don't remember.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. PERRY: Well, you had a presentation--

2 MEMBER SHACK: Their in engineering.

3 DR. PERRY: -- on an early -- yes,

4 before.

5 MEMBER SHACK: Oh, way back. Yes.

6 CHAIRMAN APOSTOLAKIS: That was more than

7 a year ago.

8 DR. PERRY: That was a long time ago.

9 MEMBER SHACK: Yes.

10 CHAIRMAN APOSTOLAKIS: But is it possible

11 for us to get it?

12 DR. PERRY: I think you should probably

13 ask Ken Canavan from EPRI.

14 MEMBER SHACK: But they've submitted it as

15 a license --

16 MR. CANAVAN: Mr. Chairman, if you would

17 like it --

18 CHAIRMAN APOSTOLAKIS: If I would like it?

19 No. Does it look like I don't like.

20 MR. CANAVAN: Ken Canavan from EPRI.

21 Mr. Chairman, we can make the documents

22 available to you.

23 CHAIRMAN APOSTOLAKIS: Thank you.

24 Since you're here now, I was reviewing two

25 documents from EPRI, they're pdf. And somehow you do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something to them and we cannot mark them, we cannot  
2 highlight anything. Why? This makes it so  
3 inconvenient. I mean as long as you give us the  
4 document, what's the point of not allowing us to  
5 highlight or to make comments on it?

6 MR. CANAVAN: It's not my personal  
7 decision to lock the pdf. What they do is lock the  
8 pdfs.

9 CHAIRMAN APOSTOLAKIS: Yes.

10 MR. CANAVAN: The point is to protect  
11 copyright. So it's our publications.

12 CHAIRMAN APOSTOLAKIS: I don't understand  
13 how copyright is protected that way since you are  
14 giving it to me.

15 MR. CANAVAN: I'm not sure either.

16 CHAIRMAN APOSTOLAKIS: Can you tell  
17 someone over there that this is very inconvenient?

18 MR. CANAVAN: I will register your point.

19 CHAIRMAN APOSTOLAKIS: Thank you very  
20 much.

21 It's so inconvenient.

22 MR. HOWE: I hope the document we provided  
23 in pdf will unlock.

24 MEMBER SHACK: NRC doesn't know how to  
25 lock the documents.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Oh well.

2 So can you give us an example of an  
3 uncertainty that was identified and how it was  
4 handled?

5 MR. HOWE: I remember one of the key  
6 source of uncertainty was the ventilation systems for  
7 the switch gear and control room, Bob.

8 Mr. Grantom could probably give you one.

9 MR. GRANTOM: This is Rick Grantom.

10 One of our key sources of uncertainty is  
11 loss of electricity auxiliary building HVAC, the  
12 heating, ventilating, air conditioning at South Texas  
13 Project. And this particular initiating event is  
14 uncertain because we don't really know exactly at what  
15 point in time if you lose fans to these rooms, these  
16 rooms house safety related electrical switch gear, the  
17 motor generator sets for the rod control systems in  
18 there. So high heat load in some of these rooms and we  
19 lose van cooling, what's the heat uprate, how long  
20 does it take, what are the thermal fragilities of the  
21 equipment in there and recovery actions that we may be  
22 able to do?

23 So we conservatively modeled it as an  
24 initiating event and also within a time constraint.  
25 And it cascades itself eventually to an internally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generated station blackout. Even though you have  
2 power on the grid, you can't get it through the switch  
3 gear rooms to do anything. And so it cascades itself  
4 to an internally generated station blackout which  
5 causes an importance to determine generator auxiliary  
6 feedwater pumps. We have an alternate reactor coolant  
7 pump seal injection capability with the positive  
8 displacement pump powered diversely from a technical  
9 support system centered diesel generator. And so it  
10 causes these components to be somewhat important. But  
11 that's an area of uncertainty that we've tried to  
12 examine and look at that. And it's still a large area  
13 of uncertainty.

14 HVAC being taken out of service has a big  
15 impact on the results when you assume that being out  
16 of service. And it's driven by common cause failure of  
17 the fans. So that's one area that's --

18 MR. HOWE: I remember it, I don't know if  
19 there were uncertainties.

20 MR. GRANTOM: -- that we have a high area  
21 of uncertainty.

22 The reactor coolant pump seal LOCA, we  
23 used both models and the different seal LOCA models  
24 over there to try to address that issue on the  
25 uncertainty about the seal LOCAs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Human error is another large area of  
2 uncertainty, as it is with everybody.

3 The steam generator bypass where you have  
4 a bypass of a the tube rupture going to a larger  
5 release, the fraction of that release is another large  
6 uncertainty that we do analysis on that area.

7 And those are really the kind of big ones.

8 The last one on the stup tubes is  
9 uncertainty because it effects a larger release  
10 frequency at that point in time. And in fact, this is  
11 a dominant contributor now based on the analysis what  
12 we have.

13 CHAIRMAN APOSTOLAKIS: So the general  
14 approach was to be conservative and assume the worst?

15 MR. GRANTOM: Generally be conservative.  
16 We were conservative that we assumed that the motor  
17 generator sets are going to overheat, the plant's  
18 going to trip on loss of electrical auxiliary HVAC.  
19 So now once we have a trip, now we have an initiator  
20 or now the plant's going to go. And if there is not  
21 any means by which to remove heat from the rooms or  
22 from the building, then we predict that conservatively  
23 that all the equipment is going to fail. This is why  
24 we cascade and switch conservatively to an internally  
25 generated station blackout. Pretty severe that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't allow any equipment at that point in time, other  
2 than these other ones that I talked about.

3 CHAIRMAN APOSTOLAKIS: These sound to me  
4 like are all of model uncertainty type.

5 MR. GRANTOM: Yes. This would be --

6 CHAIRMAN APOSTOLAKIS: I mean parameter  
7 uncertainty really is irrelevant here, is it not?

8 MR. GRANTOM: In this regard, yes, for  
9 this application parameter uncertainty is pretty much  
10 irrelevant. This is an epistemic uncertainty, a  
11 modeling uncertainty that's associated with South  
12 Texas Project. And it's driven in a sense because of  
13 where we are in South Texas. It does get quite hot.  
14 And we tried to evaluate the room, heat up of the  
15 systems, but all that's based on having fans, some  
16 motive power to move air through rooms. And when you  
17 calculate through the PRA, ultimately you find it's  
18 common-cause failure of the fans that drive the  
19 results.

20 CHAIRMAN APOSTOLAKIS: Yes.

21 MR. GRANTOM: So these fans right now are  
22 extremely important in the risk modeling and our  
23 ability to deal with that. So, yes, in a sense we  
24 handled it conservatively.

25 CHAIRMAN APOSTOLAKIS: Very good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: Just to finish up, the NRC team  
2 listened to their presentation, had some  
3 recommendations based on our visit here at the site.

4 CHAIRMAN APOSTOLAKIS: So at some point  
5 you would see something about NEI 06-09? It is under  
6 review now?

7 MR. HOWE: Not 06-09. That's our  
8 guidance. You talking about the EPRI document?

9 CHAIRMAN APOSTOLAKIS: Yes. And the EPRI  
10 document is different from NEI 06-09?

11 MR. HOWE: Yes. Yes.

12 DR. PERRY: Yes. This is the guidance  
13 document for tech specs.

14 CHAIRMAN APOSTOLAKIS: So the EPRI  
15 document is 1009652.

16 DR. PERRY: Okay. Something like that.

17 CHAIRMAN APOSTOLAKIS: Which is referenced  
18 by NEI 06-09?

19 DR. PERRY: That's correct. Yes. And to  
20 clarify that, that's one of the documents that we're  
21 supposed to be reviewing in the forthcoming NUREG on  
22 uncertainty analysis.

23 CHAIRMAN APOSTOLAKIS: Okay. So all this  
24 is one effort?

25 DR. PERRY: The --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: We are told that  
2 there is already a good draft of this NUREG report on  
3 uncertainty events.

4 DR. PERRY: Okay.

5 CHAIRMAN APOSTOLAKIS: We are told that  
6 there is already a draft.

7 DR. PERRY: There is a draft.

8 CHAIRMAN APOSTOLAKIS: Okay.

9 DR. PERRY: And I can tell you that we do  
10 have some concerns about the EPRI document. Not so  
11 much the process, but the details.

12 CHAIRMAN APOSTOLAKIS: The what?

13 DR. PERRY: The details.

14 CHAIRMAN APOSTOLAKIS: Okay. But  
15 ultimately it would be the NUREG report that really  
16 will be used in these cases?

17 DR. PERRY: That's right, yes. Well, that  
18 would be the one that would provide the NRC's position  
19 on the EPRI documents.

20 CHAIRMAN APOSTOLAKIS: And we will hear  
21 about it some time in the near future?

22 DR. PERRY: You need to talk to Ms.  
23 Gillian about that.

24 CHAIRMAN APOSTOLAKIS: Okay.

25 MR. HOWE: Next slide. Oh, I'm sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 That's all I had to say about uncertainty.

2 We also looked at the human reliability  
3 analysis. South Texas was in the process of finishing  
4 up their update to use the EPRI calculator, which is  
5 they're going to use a more robust method. They  
6 currently were using the FLIM, which I've written down  
7 what these acronyms mean just in case somebody wanted  
8 to know.

9 A peer review was identified as being  
10 required by the ASME standard because they are  
11 changing methodologies. And the Staff made some  
12 observations regarding the methods used in the  
13 supporting t/h analysis.

14 MEMBER ABDEL-KHALIK: What does FLIM stand  
15 for?

16 MR. HOWE: You're going to ask me that.  
17 Failure or likelihood index method. Now you know as  
18 much about it as I do.

19 MEMBER MAYNARD: And what gave the  
20 opportunity to --

21 MR. HOWE: Just, you know, cause-based  
22 decision tree, human cognitive reliability operator  
23 reactor experiments. And now I've covered all my  
24 acronyms.

25 CHAIRMAN APOSTOLAKIS: So we had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everything on this yesterday.

2 MR. HOWE: Well you should all know all  
3 about it then.

4 CHAIRMAN APOSTOLAKIS: Never heard of it.

5 MEMBER MAYNARD: I've gone through the  
6 EPRI notes and not used the -- I wanted to ask.

7 MR. HOWE: Okay. On CRMP implementation,  
8 we reviewed the implementing procedures. We found them  
9 to be consistent with the RMTS guidance and have  
10 identified the four procedures that we reviewed, which  
11 included the actual program, operations program for  
12 configuration risk management, the risk management  
13 actions procedures which they used to determine what  
14 comp measures might be used during a risk-informed  
15 completion time as well as their software QA and how  
16 they maintain configuration control.

17 We also attended ongoing operator training  
18 for RMTS. And I personally found this very useful to  
19 me as a reviewer. It helped me see how the operators  
20 were really understanding their role in the RMTS  
21 program, the RICTs. And I was favorably impressed  
22 with the knowledge level. They seemed to understand  
23 it and accept it. I asked some tough questions, as I  
24 recall. They were handled fairly well by the South  
25 Texas PRA staff. But my overall impression was they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand core damage and LERF and their tools and  
2 they're very comfortable using them from a textbook  
3 compliance point of view. And that's what we were  
4 looking for.

5 MEMBER MAYNARD: Is this part of their  
6 continuing training? Do they train their operators on  
7 this or have a session --

8 MR. HOWE: I'll have to defer to South  
9 Texas.

10 MR. PHELPS: This is Jay Phelps.

11 Yes. Actually we have included risk  
12 managed tech spec training in our licensed operator  
13 continuing requal training program for the last four  
14 cycles. Probably have included about five hours of  
15 classroom training to date just on this in addition to  
16 some additional hands-on training that we'll be  
17 performing during this upcoming refueling outage with  
18 someone from Rick's group coming over there using the  
19 tool as it's finally being modified. And a little  
20 later on I'll show you some screen shots of how that  
21 tool looks and how that works for us.

22 MEMBER MAYNARD: Okay.

23 MR. HOWE: Next slide.

24 Finally, the risk and safety culture. We  
25 took a look at how risk management is used in plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operations, how it's an element of the plant safety  
2 culture and the overall risk and safety culture.

3 Interviews were conducted with an I&C technician on up  
4 through several strains in management. Again, the  
5 overall finding was that risk assessment management is  
6 really integral to daily operation of the South Texas  
7 Project, which is something they've been telling us  
8 for some time during our reviews, and we confirmed  
9 that.

10 Finally, conclusions. Again, overall STP  
11 appeared to be on the right track to implement RMTS.  
12 There were some areas that were considered in the  
13 request for additional information as part of the  
14 license amendment request. Again, as I mentioned, to  
15 justify that the screening applied to fire scenarios  
16 was appropriate and that they were going to go back  
17 and reread some of that.

18 Some of the fire PRA data was a little bit  
19 dated and maybe consider that in the uncertainty  
20 analyses.

21 They need to update their Reg. Guide 1.200  
22 assessment and provide some more details. And, again,  
23 go back and take a look at some of the tech specs and  
24 matching them up to the CRMP to make sure the operator  
25 really can implement for each of those tech spec of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this program.

2 And that was the result of findings of our  
3 audit. That's all I have.

4 CHAIRMAN APOSTOLAKIS: Any problems, any  
5 questions?

6 Thank you very much.

7 MR. HOWE: Thank you. Appreciate it.

8 CHAIRMAN APOSTOLAKIS: The next  
9 presentation is from Mr. Canavan on the HRA models for  
10 use.

11 MR. CANAVAN: I brought my electronic  
12 brain, my laptop.

13 Good morning. I'm Ken Canavan. I'm with  
14 the Electric Power Research Institute. And I'm the  
15 Program Manager for their Risk and Assessment  
16 Management Programs at EPRI.

17 Thank you for the opportunity to speak in  
18 front of you. I kept my presentation extremely short,  
19 two slides. And feel free to ask as many questions as  
20 you'd like.

21 I understand there were two topics. The  
22 first topic was human error probability treatment in  
23 4B. I know you've heard a lot about human errors in  
24 the last couple of days, which is one of the reasons  
25 why I kept the slides relatively short.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In general, the human error reliability  
2 treatment or the human error probability treatment in  
3 tech spec 4B is fairly straightforward. In general,  
4 there are no changes made to the HEP values or  
5 performance shaping factors or the actions.

6           This treatment is generally slightly  
7 conservative, the reason being when you do an HEP for  
8 the average plant in the average model there's a  
9 little bit more uncertainty associated with what  
10 condition the plant's truly in. And in this case, the  
11 configuration is well known by the operators. So we're  
12 in a situation where I think they understand more  
13 adequately where the plant is in terms of its  
14 configuration. And in addition, there are risk  
15 management actions for certain configurations that  
16 fall into either a medium or a high risk type area. So  
17 there's even more controls and more understanding of  
18 the actual plant configuration.

19           And in the case of STP, I just thought I'd  
20 mention, and actually it was on one of the previous  
21 slides, they are currently using the HRA Calculator,  
22 primarily a THERP-based methodology. Since you've  
23 heard so much about that in the last few days I  
24 thought I'd --

25           MEMBER SHACK: Yes, but we got a different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one in the last slide.

2 MR. CANAVAN: Yes. They were using FILM,  
3 but they were transitioning to the HRA Calculator. So  
4 on the last slide they were saying "transitioning to,"  
5 and I believe that that's transition been completed.  
6 And I see Rick shaking his head yet.

7 MEMBER SHACK: But it wasn't THERP they  
8 were transitioning to?

9 MR. CANAVAN: No. Transition to THERP  
10 from FILM.

11 MEMBER SHACK: Oh. That's not what he said  
12 in the previous slide.

13 MR. CANAVAN: Take a look.

14 MEMBER SHACK: It said you were using, you  
15 know, the empirical-based one, HCRORE and cause-based.

16 CHAIRMAN APOSTOLAKIS: I think most people  
17 use that.

18 MR. CANAVAN: Yes. Maybe they are going to  
19 -- you can use those methods within the Calculator.

20 MEMBER SHACK: Yes. I go from one slide to  
21 the next slide, it just catches your attention. That's  
22 all.

23 MR. CANAVAN: Yes.

24 MEMBER SHACK: Which one are we using?

25 THERP or --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PERRY: Maybe I can answer this, Rick.  
2 I think you're using both. Because you're using the  
3 CBDT for the cognitive part and THERP for the  
4 execution.

5 MEMBER SHACK: Ahhh.

6 MR. CANAVAN: There's two parts of the --

7 DR. PERRY: Yes.

8 MR. CANAVAN: Right. Okay.

9 And my second slide, again, I'll start  
10 with sort of the generic approach to the treatment of  
11 uncertainty in tech spec 4B. In the case of  
12 parametric uncertainty it's performed for the base  
13 model as it's normally performed. And in this  
14 particular case for a delta risk type calculation,  
15 there's generally no significant change. I believe  
16 the Chairman had indicated it was generally  
17 irrelevant, which is true. So there's nothing in  
18 particular in general done for parametric uncertainty.

19 And in the case of modeling uncertainty  
20 the EPRI guidance documents weren't available at the  
21 time of the development of this particular submittal.  
22 They were in draft. But the general process of  
23 treating modeling uncertainty in tech spec 4B is to  
24 perform the base case methodology for the base case  
25 PRA. And I can put up the flow chart. You saw that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 about a year ago and it has not changed since then.

2           And the applications guide takes you  
3 through doing a set of series of what I call CANDOR,  
4 CANDOR or standard sensitivity cases looking at HRA  
5 and CCF, the no maintenance model and data. So it  
6 looks at your database -- it uses those standard  
7 sensitivity cases to bound many of the sources of  
8 uncertainty that you may come across in your model. So  
9 when you just find a source of uncertainty that fits  
10 within one of the generic cases, you may just move on.  
11 In cases where it doesn't fit within the generic case,  
12 you may do a specific sensitivity case for that source  
13 of uncertainty where the risk achievement worth of  
14 that source of uncertainty is greater than two. And  
15 that can be SSEs -- source of uncertainty can be SSEs  
16 and individual SSEs. It can be a phenomena or other  
17 items that are sources of uncertainty. And there's a  
18 process that gives you a set of generic sources of  
19 uncertainty and then you can augment that with plant  
20 specific.

21           And there's a new focus in the uncertainty  
22 guide, and they're going to be revised based on some  
23 of the Staff's concerns on the methodology. And that  
24 is to put a new focus on new sequences or new  
25 phenomena that doesn't appear in the original base

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case model. So as you go do an application if you  
2 create new sequences, that's actually in the  
3 methodology now but it's certainly not emphasized.  
4 And the Staff would like us to consider increasing the  
5 emphasis on that. So that's one of the changes.

6 We're also in some discussions of the  
7 criteria.

8 So the overall methodology isn't really  
9 changing, but there are some details that we're  
10 working on to improve its applicability.

11 And in the case of STP they did not  
12 initially use the EPRI applications documents  
13 uncertainty, primarily because they were in draft at  
14 the time. But they went back and did a consistency  
15 check with those draft documents. So they were  
16 certainly consistent with the methodology.

17 And the Chairman has asked if he can get  
18 copies of those documents. There are actually two.  
19 The first one is the *Guideline For The Treatment of*  
20 *Uncertainty In Risk-Informed Applications*, it's a  
21 technical basis documents. That's 350 pages of  
22 everything you ever wanted to know about uncertainty,  
23 so the technical basis sort of covers the full range  
24 of technical issues. That was published in December of  
25 2004. And that's the document you refer to 10096523.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The    *Guideline For The Treatment of*  
2    *Uncertainty In Risk-Informed Applications* is the  
3    applications guide with two pilots of that  
4    applications guide. That was completed in October of  
5    2006. And the number of that report is 1013491.

6           We probably will be, based on comments  
7    that we received both from the industry and from the  
8    Staff, revising those documents to change the criteria  
9    and some of the emphasis within those reports to  
10   stress --

11           CHAIRMAN APOSTOLAKIS: But you think you  
12    can send us copies?

13           MR. CANAVAN: You had indicated you would  
14    like them, yes, I will send them to you.

15           CHAIRMAN APOSTOLAKIS: Thank you.

16           MR. CANAVAN: I'm not sure I can get  
17    publications to let you comment in the pdf --

18           MEMBER SHACK: We'll take care of that.

19           CHAIRMAN APOSTOLAKIS: Oh boy. You really  
20    take away a lot of the usefulness of the electronic  
21    document.

22           MR. CANAVAN: Well, lawyers do that.  
23    That's their job.

24           And that actually concludes my  
25    presentation. I intended to be brief because I thought

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that there would be a lot of overlap, and there indeed  
2 was.

3 CHAIRMAN APOSTOLAKIS: Very good.

4 Any questions?

5 Thank you.

6 MR. CANAVAN: Well, thank you.

7 CHAIRMAN APOSTOLAKIS: So now we are  
8 moving on to what? To --

9 MEMBER SHACK: Just coming back to that.  
10 Now a particular case that Rick was talking about,  
11 would that come out when you were doing these RAW  
12 things, when you were looking at components that had  
13 risk achievement? In this process is that where you  
14 would find something like that or you just knew that  
15 to begin with and it wasn't part of this process?

16 MR. GRANTOM: What are you referring to?

17 MEMBER SHACK: You know the EPRI treatment  
18 says we go through these things where we look at RAWs  
19 and I was asking, you know you brought up a particular  
20 case that was sensitive for you. And I just wondered  
21 if that would come out of this study or you just knew  
22 that?

23 MR. CANAVAN: It is a direct result of the  
24 study. You might also know that one of the things  
25 that we learned from the pilots we did is a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these you already know. You know, loss of off site  
2 power is an important contributor to the profile.  
3 Therefore, things that relate to that --

4 MEMBER SHACK: Well, I was thinking of the  
5 HVAC.

6 MR. GRANTOM: Yes, we do a lots of  
7 different sensitivity studies and look at both risk  
8 achievement worth and fossily and look for those kinds  
9 of impacts of what drives those areas. Part of that  
10 is part of diagnoses and error finding, but another  
11 piece of that is just to learn what are the dominant  
12 contributors and why they're there and understanding  
13 that type of thing. So we do see a lot of those  
14 things. That's why we saw the fact that EOD frag was  
15 such a dominant contributor in this and understanding  
16 the reasons why that is. Then you see losses of off  
17 site power and the other types of contributors.

18 And when we put together a whole risk  
19 profile of initiating events you see that -- when you  
20 group them together loss of EAB is there, but we still  
21 have the LOCA spectrums of things that have a  
22 percentage contribution, tube ruptures, loss of off  
23 site power is one of our largest contributors. And  
24 then we have separated out EAB HVAC separately from  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Steve?

2 MR. HESS: Thank you. For those who don't  
3 know me, I'm Steve Hess with the Electric Power  
4 Research Institute. And following my manager's lead,  
5 I too intend to be brief.

6 We were requested to talk about  
7 configuration risk management programs and tools. It's  
8 going to be a two part presentation. I'll talk in  
9 general and give an overview and then we have Jay  
10 Phelps, whose the Operations Manager from South Texas  
11 will provide a briefing on what they're doing down in  
12 South Texas now, they plan to implement. I'll defer  
13 most of my time to Jay because I think a picture is  
14 usually worth a thousand words, and he's got some good  
15 pictures.

16 In general, industry configuration risk  
17 programs have been around a long time. They are  
18 mature. They are effective at controlling risk,  
19 configuration risk in your normal operational  
20 conditions. They have been around and are an integral  
21 part of the industry's implementation in meeting the  
22 current regulatory requirements, particular Section  
23 (a)(4) of the maintenance rule.

24 Those programs have matured over the past  
25 decade and a half or so, and the tools that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry used to implement the requirements have  
2 matured along with them.

3 CHAIRMAN APOSTOLAKIS: Excuse me.

4 MR. HESS: Yes?

5 CHAIRMAN APOSTOLAKIS: Just a point of  
6 clarification. Do I really need the CRM program for  
7 the maintenance rule? I don't think so, do you?

8 MR. HESS: For (a)(4) implementation.

9 CHAIRMAN APOSTOLAKIS: Find me what (a)(4)  
10 is?

11 MR. HESS: That's essentially you  
12 effectively control risk --

13 CHAIRMAN APOSTOLAKIS: Set in the goals?

14 MR. HESS: No, no, no.

15 MEMBER SHACK: The applicable components  
16 are the service --

17 MR. GRANTOM: This is Rick Grantom, South  
18 Texas

19 Maintenance rule (a)(4) of assessing the  
20 cumulative effects of equipment out of service from  
21 risk.

22 CHAIRMAN APOSTOLAKIS: So I need the PRA?

23 MR. GRANTOM: No, not necessarily. The  
24 industry guidance does allow other quantitative  
25 approaches to be able to assess that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But I don't need  
2 these particular CRM configuration risk management  
3 tools, do I, for that?

4 MR. GRANTOM: You don't absolutely have to  
5 be required by it, but if you want to be more  
6 technically correct, you will use a PRA with a CRM.

7 CHAIRMAN APOSTOLAKIS: Heaven forbid I be  
8 allowed to do that.

9 No, I'm a little surprised by the  
10 statement you know, that plant CRM programs are  
11 mature. Throughout the industry are they mature  
12 really?

13 MR. HESS: Yes. And along those lines,  
14 it's a very focused and important industry function.  
15 All plants have configuration risk management  
16 programs. Some are more aggressive in terms of the  
17 amount of online maintenance and the degree to which  
18 they do take systems out of service at power and do  
19 maintenance and the like. But they all have formal  
20 programs to manage it. Basically all use the PRAs  
21 that they have in place to assess risk during those  
22 conditions.

23 CRM programs do augment the PRA type of  
24 evaluations with additional defense-in-depth  
25 evaluations throughout power configuration risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 management.

2 There is an annual industry forum that  
3 we've done for the past I think six years that brings  
4 up issues and helps further development of methods and  
5 tools.

6 And, by the way, there is significant  
7 amount of industry and Staff interaction at that  
8 forum. Typically, as long as you're not operating in  
9 a continuing resolution, there's a number of NRC staff  
10 that come to the forum and the interchange between  
11 industry and staff is mutually beneficial. And I know  
12 folks on the PRA Staff actually look forward to coming  
13 down. Plus, Florida in January is not a bad excuse.

14 But, in fact, the programs and tools are  
15 mature. And via the EPRI research and Staff  
16 interaction with EPRI and industry and the forum we  
17 continue to advance the technologies and the  
18 capabilities.

19 MEMBER BONACA: But I hear that some  
20 licensees do not use really risk information. They do  
21 evaluations, et cetera?

22 MR. BRADLEY: Can I clarify that?

23 MR. HESS: Yes.

24 MR. BRADLEY: There's actually two  
25 regulatory drivers for CRM now, even before 4B. One

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is (a)(4) of the maintenance rule and the other is  
2 plants that have done AOT extensions using Reg. Guide  
3 1.177 have a CRMP requirement as part of that. And  
4 that's why we've been doing this for a number of  
5 years.

6 In 1995 the original maintenance rule had  
7 (a)(3), which was a recommendation to have this. It  
8 was changed to a requirement in 2000 with the  
9 promulgation of (a)(4).

10 While our guidance allows plants to use  
11 non-quantitative methods, all plants use PRA informed  
12 methods for (a)(4).

13 4B is an extension of the existing (a)(4)  
14 methods that everyone's using. The 4B imposes a lot  
15 more rigor on the elements of those methods. But as  
16 Steve says, all plants have got a lot of experience  
17 using these methods already.

18 MR. HESS: Okay. Thank you, Biff.

19 And I think the three sub-bullets there on  
20 the bottom are very important benefits that plants,  
21 regardless if you would do 4B or not, have achieved  
22 and obtained from their configuration risk management  
23 programs. And as Biff said, for certain things in  
24 (a)(4), things like compensatory risk management  
25 actions and things like that are requirements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Specifically within the implementation of  
2                   4B the implementation guidance is very specific  
3                   requirements, of which these are just very high level  
4                   groupings of what are there for the plant  
5                   configuration risk management program and tools,  
6                   particularly ensure that your CRM program and tools  
7                   are faithful reproduction of the PRA model. And that's  
8                   a bigger concern and issue for those people who use  
9                   CRM tools that are on demand type PRA calculation  
10                  engines as opposed to the approach that, for example,  
11                  South Texas has where it's a direct just static  
12                  database of the PRA results.

13                  There are specific quality assurance and  
14                  quality control requirements on the CRM programs and  
15                  tools. And there are specific configuration control  
16                  requirements both on the front end in terms of  
17                  ensuring the CRM tool and program is a faithful  
18                  reproduction of the PRA and on the backend as you make  
19                  changes to the facility that those get implemented and  
20                  in an appropriate manner and in a timely manner.

21                  My last slide is just a bit of a recasting  
22                  of the first slide and the first two bullets. But in  
23                  terms of the tools, there are basically four tools  
24                  used within the industry. They fall into two  
25                  categories. One is a presolved PRA type look up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 databases, the RASCaL and the RICTCaL approaches that  
2 South Texas are using fall into that category. A lot  
3 of the plants use the Sentinel tool, which is a  
4 presolved PRA type of tabular approach.

5 Also there is on demand configuration PRA  
6 solvers. Those are the EOOS and the safety monitor  
7 tools and it's probably roughly a third, a third, a  
8 third split between EOOS safety monitor and Sentinel  
9 right now.

10 All of those tools also provide provisions  
11 to do additional defense-in-depth type analysis to  
12 make sure the risk is sufficiently analyzed, and  
13 particularly for communicating to work week management  
14 and shift personnel provides a new characterization  
15 tool.

16 And with that, I'll let Jay talk about  
17 what--

18 MEMBER SHACK: Are they using these same  
19 tools now for their shutdown management or they still  
20 have other tools for that?

21 MR. HESS: Most people for shutdown  
22 management use the ORAM tool.

23 MEMBER SHACK: ORAM.

24 MR. HESS: There's a lot more work in  
25 approaching defense-in-depth as opposed to specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PRA type modeling. And obviously there's an A&S  
2 standards committee working on a PRA standard. So we  
3 expect that that will evolve over the next few years.  
4 But even within that defense-in-depth is still going  
5 to be an important element of shutdown. And I'll go  
6 back to what Andy said, you know, specifically for 4B  
7 it's geared toward that power type AOC extensions.

8 MR. PHELPS: I'm Jay Phelps. I am one of  
9 the division managers for STP in the operations  
10 department and hold a senior reactor operators license  
11 on that facility, and have since 1991.

12 I'm going to talk to you a little bit  
13 about the South Texas Project's readiness to implement  
14 the risk-informed tech specs.

15 I want to thank you for the opportunity  
16 here for the vision that has come out of both the  
17 Committee, out of the NRR and as well as the ACRS'  
18 receptiveness to our discussions on this area.

19 Got just a few desired outcomes. Want to  
20 make sure that that's going to meet what your needs or  
21 what information you'd like out of me. We're going to  
22 just provide a brief overview of our online risk  
23 assessment tools. We'll talk a little bit about our  
24 risk-informed completion time calculator, those  
25 attributes and how that's applied at the South Texas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Project. And then we want to talk about the risk  
2 management tech spec implementation at the South Texas  
3 Project.

4 Is there anything else we're going to want  
5 to talk about or would that cover your needs? Okay.  
6 All right.

7 Currently with the risk-informed  
8 completion time calculator it's based on our existing  
9 configuration risk management tool. You may have heard  
10 the term RASCal. This calculation's been using.  
11 That's for the implementation of maintenance rule  
12 (a)(4). So we're for each plant configuration we're  
13 able to take a look at the actual risk associated with  
14 those configurations.

15 The other part of it does meet the NEI 06-  
16 09 guidelines. We were fortunate as Andy and the team  
17 from the NRC came down to South Texas Project. You saw  
18 they did have some feedback for us. And actually we'll  
19 end up with a better risk management as a result of  
20 that audit that we had performed.

21 Steve mentioned South Texas uses presolved  
22 maintenance states. Currently there are about 20,000  
23 of those that are identified. They've got core damage  
24 and larger other release are prequantified in there.  
25 And it's a user friendly interface developed in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cooperation with the users, primarily that's been our  
2 work control organization and our licensed operators.  
3 They've been intimately working with Drew Richards out  
4 of risk management program to make sure that the tool  
5 works for those in the control room that are going to  
6 have to implement this as we move along.

7 MEMBER ABDEL-KHALIK: Let me just repeat  
8 a question that I asked earlier.

9 MR. PHELPS: Yes.

10 MEMBER ABDEL-KHALIK: As a result of this  
11 work with 20,000 sort of pre-canned states, have you  
12 found any frontstops that are currently in tech specs  
13 to be inadequate.

14 MR. PHELPS: I'll let Rick answer that one  
15 for you.

16 MR. GRANTOM: This is Rick Grantom.

17 No, we haven't.

18 MEMBER ABDEL-KHALIK: Okay. Has it been  
19 logical in the long term to replace all  
20 mechanistically based frontstops with results of these  
21 risk based assessments?

22 MR. GRANTOM: I can help with that, too,  
23 a little bit. But I think it really kind of comes  
24 down to a strategy at this point in time. We have  
25 already in the past extended some of our allowed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 outage times, like diesel generators. With RITS 4B,  
2 you know, the consequences of an administrative  
3 shutdown due to a frontstop has been reduced. However,  
4 we may find it appropriate in the future here to take  
5 a look at some of the very short type of frontstops  
6 that we may have, the ones that are on the order of  
7 hours and maybe determine if those might should be  
8 extended out, the frontstops of those be extended out.  
9 But that's work that's yet to be done that we've not  
10 really evaluated right now. I mean, right now we have  
11 this before us and we're working on this, but it may  
12 lead eventually to something like that for things that  
13 have really short allowed outage time.

14 MEMBER ABDEL-KHALIK: I was just looking  
15 for conceptual consistency and if we're using this  
16 process, you know, why not use the same process to  
17 establish a much more defensible set of frontstops?

18 MR. GRANTOM: I take that as a very good  
19 comment, and I will use it as the basis as I go  
20 forward with my licensing people to in fact to be able  
21 to push this argument. Because I've had this argument  
22 before as to why do we have to do anything within an  
23 hour? I mean, what is so magic about an hour?

24 MEMBER ABDEL-KHALIK: If I may? Staff  
25 objected to that position before. They said that once

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you had the 4B you didn't need (a)(4). They  
2 discouraged (a)(4)

3 MR. HOWE: This is Andrew Howe.

4 To clarify what I think I said, which is  
5 we wouldn't anticipate a licensee coming in and asking  
6 for a 14 day OT when he already had 4B. But if he had  
7 some very short times, he may want additional, maybe  
8 12 hours instead of one to give him the time to  
9 implement the 4B process. That's what we would  
10 entertain.

11 We can't say we wouldn't entertain those  
12 things, because obviously licensees can submit what  
13 they wish. But once we've gone through the process of  
14 granting a 4B license then we would think we would  
15 think they pretty much got the flexibility they need.

16 MR. HEAD: This is Scott Head of South  
17 Texas.

18 Let me state that is the position. We  
19 view this to happen rarely enough that for our  
20 resources and NRC resources to go back through and  
21 change all those frontstops, that that's not in the  
22 benefit of either STP, NRC or the industry. It would  
23 be much better to go and look at some other ones that  
24 are either not in risk managed tech specs and take  
25 those from one hour to 12 hours or something like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that; that would be much more of a significant  
2 benefit.

3 MEMBER ABDEL-KHALIK: Well, I fully  
4 understand if this process involves the use of a lot  
5 of resources that you can direct somewhere else, but  
6 at the same time if during this process you can  
7 identify inadequate frontstops, then that would be  
8 critical to know.

9 MR. HEAD: Absolutely. We would agree  
10 with that. But right now for the vast majority of the  
11 work weeks and the work that we do, the frontstops are  
12 adequate. It's on those occasions, like in December  
13 we had two enforcement discretion that we were granted  
14 by the NRC. Risk managed tech specs would be how we  
15 would have addressed those.

16 MEMBER ABDEL-KHALIK: But how would you  
17 know that the current frontstops are adequate if you  
18 have not gone through the process of systematically  
19 evaluating them.

20 MR. HEAD: Because we do it on a weekly  
21 basis. We see the risk of each of these systems taken  
22 out on a weekly basis and we understand -- we see the  
23 risk impact on a weekly basis. And they've never come  
24 close to challenging the frontstops or the risk limits  
25 we have here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: This is Andrew Howe again with  
2 DRA.

3 My slides were necessarily brief, but let  
4 me be a little more elaborate.

5 One of the things that we've identified in  
6 the SE is a requirement to be submitted is an  
7 evaluation of the tech specs you're proposing to apply  
8 risk-informed tech specs to and to tell us what the  
9 typical risk-informed completion times would be. So  
10 if you had an example where the frontstop should be  
11 more restrictive, if you will, I mean that would be  
12 immediately apparent to us as reviewers and we would  
13 have to question whether 4B was appropriate for that  
14 tech spec given that the frontstop was already  
15 nonconservative. So that is being looked at in the  
16 context of 4B license applications.

17 Thank you.

18 MR. TJADER: This is Bob Tjader.

19 And South Texas provided that information,  
20 too, in a tabular format addressing each and every  
21 system that 4B is applying to and what would  
22 conceivably the AOT be extended to.

23 MR. PHELPS: Steven, if you'd go to the  
24 next slide, please.

25 Did we answer your question?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HEAD: I agree with all that. I don't  
2 think it really addresses Said's question. Because  
3 you're not submitting for those that you're not asking  
4 for the 4B to be applied to.

5 MR. PHELPS: Right.

6 MEMBER ABDEL-KHALIK: So you really don't  
7 know?

8 MR. HESS: Well, if I may hazard just, I  
9 guess, more of an opinion than anything. Most of the  
10 tech specs that were provided and developed and even  
11 the standard tech specs that were approved under the  
12 ITS program were done with quite a bit of engineering  
13 analysis and conservatism in terms of the decision  
14 making setters. We don't reasonably expect that we  
15 would find a lot of instances, if any, of what you're  
16 questioning.

17 Theoretically it's possible, but I think,  
18 again, with a qualitative high degree of confidence we  
19 can say based on the analyses done that set in 4B  
20 space is the frontstop is a conservative time frame  
21 that does not have any significant risk impact. So  
22 the expectation is we wouldn't find very many of them,  
23 if we find any. And South Texas and other plants'  
24 experiences I think are very similar that the  
25 configuration would be very, very rare where an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 existing frontstop would be unacceptable.

2 MR. GRANTOM: This is Rick Grantom.

3 I'd like to add a little bit more to what  
4 you're talking about.

5 When you look at the entire technical  
6 specification scope there is some technical  
7 specifications that are amenable to this type of  
8 evaluation and there are some that certainly aren't.  
9 Some that are associated with safety limits and set  
10 points are clearly out of scope. Things that are  
11 associated with core design, core limits those kinds  
12 are out.

13 But I'll go back to again a sense of what  
14 I said before. We have done a systematic look at every  
15 frontstop that could potentially -- potentially be  
16 modeled in a PRA. We have selected this scope as a  
17 whole plant pilot, which is a pretty extensive scope  
18 here. But I do feel that in the future this could be  
19 an area that we could look at to find out are there  
20 overly restrictive allowed outage times, and I'm  
21 talking tech spec items that may be on the order of  
22 hours for some punitive type of LCO action, you know  
23 to shutdown and those types of things.

24 MEMBER BONACA: But that, I expect that  
25 you find those. Not the opposite. I mean all tech

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specs I know that are very conservative.

2 MR. GRANTOM: But I'll tell you part of  
3 the reason why that doesn't necessarily happen is  
4 because of the structure of tech specs right now.  
5 They're all done on single systems and single trains  
6 or channels within systems. You find the information  
7 where the LCO may not necessarily be so restrictive  
8 when you start looking at configuration risks and  
9 combinations of things and trains for which current  
10 tech spec methodology clearly can't do.

11 MR. BRADLEY: Yes. If I could add one more  
12 thing. That's one of the reasons that (a)(4) is a  
13 requirement today is to facilitate the risk management  
14 of tech spec. So you have (a)(4) for all plants today  
15 whether you implement 4B or not you're required to  
16 assess the risk of those configurations. And using  
17 the same metrics we're using here.

18 So I think someone said earlier you would  
19 know if you're doing this. Well we've been  
20 implementing 4B or (a)(4) for seven years now and  
21 there's a considerable experience that demonstrates  
22 that.

23 MR. GRANTOM: Right. Even in the  
24 maintenance rule if you see -- I mean, part of the  
25 reason that we're sensitized, and this is one of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 good things that happened about using risk approaches.  
2 For example, our functional equipment, we do our  
3 maintenance by functional equipment groups. During the  
4 early days when we first started risk profiling, we  
5 would challenge our threshold, the 1E minus 6  
6 threshold quite often. And as we got to examining that  
7 it really just came down to what components were  
8 included in specific functional equipment groups. And  
9 they did some shuffling around of that and brought the  
10 risk down quite considerably where we rarely challenge  
11 or even come close to that 1E minus six threshold.  
12 And that was strictly from a scheduling basis. So we  
13 were able to see that type of thing.

14           Once you can visualize these things, it  
15 does drive in a sense improvement.

16           Now some of the other areas that you may  
17 be addressing are areas where there's not normally  
18 online maintenance performed on these components. And  
19 there, you know, we are possibly in a situation where  
20 I would tend to think that it'll be more the case that  
21 I talked about that we'll find that the LCO was too  
22 restrictive than what it is, rather than the case  
23 where we find for a single train or a single channel  
24 of a single system level function that the LCO is not  
25 adequate in that regard. Now, that's a personal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 opinion there but based on our experience that we've  
2 had, I've not ever seen that.

3 So I would probably just say that this is  
4 an area, you can call it phase 2 or call it something  
5 else, but it's certainly an area that we haven't  
6 started to get into yet when we're trying to refine  
7 tech specs.

8 I hope that helped to answer part of the  
9 question.

10 MR. TJADER: If I could just say two  
11 things.

12 Number one, that was a question that came  
13 up very early on in the process. You know, well are  
14 there any frontstops that are currently  
15 nonconservative. And to be quite frank about it, I  
16 don't think we've found any at all, you know, that  
17 came up in the standard specs or anything like that  
18 where we think that we're nonconservative on just that  
19 single system basis. And I think in the application,  
20 as Scott said, in the daily application of Initiative  
21 4B it would certainly come to the fore if there were  
22 a nonconservative frontstop. It would be readily  
23 apparent. And then I think then that it would become  
24 incumbent upon the plant and I think they would do the  
25 right thing and change that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I think there's another aspect of your  
2 question, and that was raised too earlier in the  
3 process, and that was why not just go to a 4B process  
4 period and do away with frontstops? And conceptually  
5 that can be done, but practically it poses problems.  
6 And some of those problems are what if you find that  
7 you have a degradation in the tool itself, what then  
8 process do you have to cope with that on an immediate  
9 online basis type thing.

10 And some of those things can be addressed,  
11 but they are a phase in the future that can be  
12 addressed.

13 MR. PHELPS: All right. Does that answer  
14 the question? Come close? A good dialogue on that.

15 Okay. Moving on to just application. It's  
16 going to primarily be used by the operations staff.  
17 They'll be handling any emergent issues that come up.  
18 We're going to have a planned work week that our  
19 maintenance planners come in. They're figure out what  
20 sequence of equipment to remove from service that's  
21 going to result in the lowest risk and allow the work  
22 to be completed. Operations will have that loaded in  
23 and any changes in that plant configuration as  
24 equipment comes back to service to where it's operable  
25 again, or if some other piece of equipment is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 necessary to take out, the tool that I'll show you in  
2 a moment is what is going to be used to do that.

3 Like I said, we use the look up table so  
4 we got a risk management group that if it's a  
5 nonquantified configuration, something we haven't  
6 looked at before, we've made an easy tool for the  
7 operators to be able to contact that group, show them  
8 exactly what that configuration is, and then allow  
9 them to come out and quantify that, put that into the  
10 program so that the numbers and the allowed outage  
11 time will easily make very clear to the operations  
12 staff.

13 Real quick, this is really the first  
14 screen the operator will come to when he's in the  
15 control room. This is going to allow him to enter  
16 whatever the inoperable systems. We kind of  
17 preprogrammed a few components in there; safety  
18 injection, common alpha, chilled water alpha,  
19 essentially cooling water alpha train. And then we  
20 added a new bug in here. Said, okay, what happens if  
21 the bravo diesel generator was made inoperable? So  
22 the operator enters all this in there. He can time  
23 stamp it with what comes in. He simply comes up to the  
24 RICTCal button, hits that. And as that's going on,  
25 these calculations are taking place, and this is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 screen that comes up. I really want to focus on a  
2 couple of areas there. And we're working on the words  
3 over here, so we'll try to explain them.

4 Backstop, this is really looking at what  
5 is the completion time based on that plant  
6 configuration.

7 The words that are up here now say  
8 "regulatory." That would be the 30 day backstop  
9 limit, if you will.

10 The calculated value is going to say at  
11 what threshold, at what point do we pause the E to the  
12 minus five for what that risk-informed completion  
13 time. The one labeled CP down here is going to  
14 actually plug in the value that's the most limiting of  
15 those two values. That's what the operator will now  
16 have for his allowed outage time. That's the time  
17 that equipment has to return to service or be shutdown  
18 for what we're doing there.

19 You can see there's lots of other values  
20 and stuff that's really the focus area. It tells you  
21 what the configuration is. It's within the PRA. And  
22 what the completion time is for the operator.

23 MEMBER SHACK: Doesn't he need to know,  
24 why isn't this RMAT thing kind of highlighted over  
25 there, too?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PHELPS: Well, it's not highlighted  
2 there, but you're right that is one of the other key  
3 attributes of the risk-informed tech specs. That  
4 prior to exceeding that E to the minus six, or if you  
5 planned on doing that, the risk management actions  
6 have to be in place identified and documented showing  
7 what you're going to do to support that risk-informed  
8 completion time.

9 Just one more quick --

10 MR. HEAD: Jay, could you just clarify for  
11 everybody?

12 This is Scott Head.

13 The top, I guess, four were the planned  
14 activities for the week.

15 MR. PHELPS: That is correct.

16 MR. HEAD: And when essential cooling  
17 water goes out, the diesel goes out also. And so  
18 breaking the diesel we're in an unplanned  
19 configuration. And it is sort of interesting to see  
20 that basically almost seven hours into that we need to  
21 have some risk management actions now because we're on  
22 a much steeper slope now than we would have been  
23 before.

24 MR. PHELPS: Yes.

25 MR. HEAD: And so everything is available

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to us, the operators, to make the decisions.

2 MR. PHELPS: That's correct.

3 All right, thank you, Scott.

4 MEMBER SHACK: A huge difference between  
5 your safety limit and your RMAT limit?

6 MR. HEAD: Absolutely. And it's meant to  
7 be that way.

8 MR. PHELPS: And you can see, I mean we  
9 even have what the hourly rate is based on the  
10 durations for what that change in core damage  
11 probability is as time's clicking out.

12 Okay. Go one more. I'll just give you a  
13 quick example. Adding on to that, now we also had an  
14 additional problem crop up that showed the qualified  
15 display processing system bravo was made inoperable in  
16 there. You can see it just comes up just backgrounded  
17 in red. That indicates, you can tell by that the key  
18 on the bottom, that that's a nonquantified state.

19 To make it simple, all we have to do is  
20 you notice notify risk management admin if there's  
21 nonquantified states. The operator just clicks that  
22 button. An email goes out to all the individuals that  
23 are in Rick's group that have the ability to come on  
24 out or sit at their home computer to prequalify that.  
25 It'll show up all of this information on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 electronic mail system that goes out to them. And he  
2 can sit there at home with the actual whatever tool  
3 they use to come up with that quantified state.  
4 Program that in there so that it'll go ahead and fill  
5 in what the calculated, what the completion times.  
6 And that's the expectation, we do that within 12  
7 hours.

8 I just want to point to you the LERF. The  
9 values aren't in there. We simply haven't loaded that  
10 information in yet. That will be a part of this tool  
11 so that that will be identified so that you know  
12 whether you're working off of a LERF restrictive value  
13 or whether you're working off of a core damage  
14 probability value.

15 So those are the tools we've implemented  
16 for the South Texas Project to implement this at this  
17 time. And, like I said, we've got some hands-on  
18 training with that tool again during this outage where  
19 someone from Rick's group will be working with all of  
20 our senior reactor operators working through the  
21 various procedures that we have in place that are  
22 ready to go.

23 And the bottom line is, is when this is  
24 approved and we get the SE resulting from the South  
25 Texas Project application, South Texas Project is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ready to implement this new process and appreciate the  
2 opportunity to discuss that.

3 Any more questions for me?

4 MEMBER MAYNARD: For South Texas, it  
5 sounds like the way you're doing it, the operators are  
6 the ones who is going to plug in the numbers and  
7 determine what the completion times, allowed outage  
8 time are. It's a final say as with the operators  
9 there?

10 MR. PHELPS: Yes, sir. That is correct.

11 MEMBER MAYNARD: And you only have to go  
12 to the risk management group or if you have  
13 unqualified number?

14 MR. PHELPS: That is correct. Yes.  
15 Anything that's already presolved and basically any  
16 configuration we have found ourselves in up to this  
17 time, Rick and them have turned that into one of those  
18 look up values on that table. So it would be  
19 someplace we hadn't been before, and they'd have to  
20 out there and solve that one so that they could go  
21 into the table, recognize that current plant  
22 configuration to calculate whatever the risk-informed  
23 completion time would be for that specific  
24 configuration.

25 MR. HESS: And if I may talk about for CRM

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tools in general for the industry, the paradigm and  
2 the way it's done at South Texas it standard pretty  
3 much across the industry. Work week managers and on  
4 shift supervisors all have training, knowledge and  
5 capability of how to run the order. It's EO, Sentinel,  
6 safety monitor or in your case RASCaL and RICTCaL.  
7 Those tools are robust and user friendly and training  
8 is provided to those people as part of their job  
9 function.

10 MEMBER MAYNARD: And I have no problem  
11 with the operators doing it. My question really gets  
12 more into a jurisdictional and whose from a license  
13 standpoint, who is the one making the final decision  
14 and doing the work. And that's why I'm asking. Not as  
15 to any other reason.

16 MR. PHELPS: No doubt. The on shift SRO is  
17 going to make the determination of inoperability and  
18 when that component can be returned to an operable  
19 status.

20 MR. GRANTOM: Which you would expect with  
21 tech specs.

22 MR. HESS: Having been an ex-SRO that is  
23 always function of the person who holds the operating  
24 license.

25 MEMBER ABDEL-KHALIK: I'm just trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 understand this process. You're going to go through  
2 and do this and you come up with a date. And  
3 presumably this date is going to go on a work order so  
4 that whoever is doing the repair work knows what the  
5 deadline for completion of this task should be?

6 MR. PHELPS: It's actually tracked in the  
7 control room log. But if a new work order does come  
8 up, we do have a place just in our process where we do  
9 stamp the required return to service time for those  
10 individuals on --

11 MEMBER ABDEL-KHALIK: Now, let's say  
12 something else crops up and you have a work order out  
13 there with that date stamped on it, how does that date  
14 change based on the new result?

15 MR. PHELPS: Well, physically we would not  
16 go out and grab that work order and change that. That  
17 would be communicated through the various management  
18 meetings that we have on what the required return to  
19 service dates are. They're published in our normal  
20 daily work status meetings, if you will, for the  
21 normal management team. Because those dates can  
22 change, you're right. They're different than what  
23 current tech specs on frontstops, but they pretty much  
24 stay set, if they will. But if that changes due to  
25 something else breaking in the interim, that just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       communicated it through the station to the responsible  
2       manager in that organization to say now you only have  
3       two days to complete that --

4               MEMBER ABDEL-KHALIK:   And how is that  
5       documented? How is that documented for the people who  
6       are actually doing the work?

7               MR.   PHELPS:   Documented for people  
8       actually doing the work?  It's just contained in the  
9       station log.  We utilize a process called the  
10      operability assessment systems, that's the official  
11      record for tech spec tacking at the South Texas  
12      Project where that information is documented.  As far  
13      as an individual work group's work package that's  
14      maybe working on some component, it is not documented  
15      on their work package.

16              MEMBER MAYNARD:   Well, first of all, it  
17      really isn't any different than the process without  
18      this.

19              MR.   PHELPS:   Right.

20              MEMBER MAYNARD:   Because you can have the  
21      same thing occur under the current tech spec --

22              MR.   PHELPS:   Correct.

23              MEMBER MAYNARD:   And typically anything  
24      that has a tech spec system out of service, you have  
25      somebody specifically assigned and following that.  And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the control room is following up on that, too. So not  
2 all plants are going to stamp anything on the  
3 document.

4 MR. PHELPS: Correct.

5 MEMBER MAYNARD: The workers, and in fact  
6 you don't always not necessarily want them working  
7 under a time pressure. They're to do a job. You have  
8 other people managing the project that have to be  
9 minding the --

10 MEMBER ABDEL-KHALIK: Yes. But my concern  
11 is, you know, if there's a piece of paper out there  
12 stamped that says this work has to be done by 3/27/07  
13 and then suddenly something else happens that requires  
14 the work to be done earlier than that, there is a  
15 document out there that says it has to be done by  
16 3/27/

17 MR. HEAD: This is Scott Head.

18 As Jay said, our process is the  
19 communications process, even if you want to go down to  
20 something we call a 30 minute rule on informing  
21 individuals of changes in the station, that  
22 information will quickly get to the management  
23 structure or maintenance and all the way out to the  
24 field to the people that say, oh boy the way, you know  
25 we're under a new situation now. But I have to agree,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's not at that point in time then to transfer  
2 schedule pressure, and is one of the aspects of this  
3 that's I think appropriate is that we have a new  
4 completion time. The station is area of it. With  
5 respect to the people doing the work, it's still  
6 almost irrelevant. They're going to get the work done  
7 based on the schedule that they have that has been  
8 transferred to them.

9 So the processes are set up to deal with  
10 this within the station. And that piece of paper that  
11 was out there before won't impact that.

12 MEMBER MAYNARD: Well, people who have to  
13 know it are the operators in the control room.  
14 Because they're the ones who is going to have to take  
15 action if it's not returned to service within that  
16 time.

17 MR. HESS: If I may, and this allows me to  
18 actually reemphasize a point I made that Dr.  
19 Apostolakis challenged me on, is our CRM programs  
20 mature.

21 All plants' CRM programs -- plants have  
22 processes and procedures in place with appropriate  
23 personnel, typically the work week manager. When an  
24 issue like this comes up, whether you're a 4B plant or  
25 just regular now with maintenance rule that this is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normal course of business and it gets handled within  
2 that framework of the configuration risk management  
3 program. And, you know, in even broader context. You  
4 know if there are issues that come up that do not get  
5 addressed well during the week, there are formal  
6 debriefs and look backs and lessons learned that go in  
7 the corrective action program to address these. And  
8 in instances where we don't address them maybe in an  
9 ideal manner, those lessons get learned and allow for  
10 continual improvement.

11 So this is standard fare for plant  
12 configuration risk management programs.

13 MEMBER MAYNARD: I guarantee everyone  
14 knows if you're getting close to a completion time,  
15 not that this would be a deterrent.

16 MR. PHELPS: Station processes and  
17 procedures are pretty robust about communicating the  
18 needs for return to service equipment even as plant  
19 configuration changes --

20 MEMBER MAYNARD: And doing it without  
21 putting pressure on the workers to rush.

22 MR. PHELPS: Right.

23 CHAIRMAN APOSTOLAKIS: Any other comments  
24 or questions? Yes?

25 MR. EDWAR: This is Souhair Edawar. I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from Palaveri Incorporated.

2 Since you work from presolved cases, if  
3 you have to encounter something that is not in there  
4 among the presolved cases, do you feel 12 hours is  
5 adequate for you during a night shift to bring a PRA  
6 engineer and solve the specific case for you?

7 MR. PHELPS: Yes, I would say we were  
8 pretty intimately involved with the actual development  
9 of that guidance. And in our case we feel very  
10 confident that 12 hours we can easily accomplish that.  
11 And the other side is that if you can't do it within  
12 that 12 hours, the right thing is probably to shut the  
13 unit down if you can't get --

14 MR. EDARWAR: Well, I mean in the a night  
15 shift where you have to bring somebody from home and  
16 do it, PRAs are usually -- I feel that's not enough--

17 MR. GRANTOM: Well, this Rick Grantom.

18 We have a duty risk engineer on duty 24  
19 hours a day that rotates through my staff. And they  
20 are on call. And if they get the call to do this,  
21 we've given them the capability to quantify an  
22 unquantified maintenance state either at their home or  
23 at the site. But if it's at their home, they've got  
24 the ability to update the maintenance state database  
25 remotely and transmit that back to the control room

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operator all under software quality assurance programs  
2 to do this. And, in fact, they can do it like within  
3 an hour in many cases. A couple of hours. I mean  
4 usually it's just the amount of time to get them on  
5 the phone. So we've done this.

6 And we have been doing this for many years  
7 already to do unquantified maintenance states and turn  
8 these things around within hours. So we, in fact,  
9 have been doing it for ten years already.

10 MEMBER MAYNARD: I have one other question  
11 for South Texas since you're the first one going  
12 through this. Staff identified that there were a  
13 couple of the tech specs that you had identified that  
14 you took out of the process as a result of the audit.  
15 And I'd just like to have South Texas' perspective on  
16 whether they think the process is being too stringent  
17 or whether there are things that need to be taken out?

18 MR. GRANTOM: No, absolutely not. We  
19 believe that interaction was appropriate. And what  
20 it's, I guess, given us is a strategy moment is that  
21 to move forward in some of those that was taken out,  
22 we're going to have to put them in the model more  
23 effectively. And so when I call on site, and I've  
24 talked to our senior management about, is phase 2 that  
25 if we want that stuff, those components to be embedded

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in risk management tech specs, then we're going to  
2 have to go back and more effectively model them in the  
3 PRA.

4 Now, in many cases they're not there  
5 because they don't have much of a risk impact. I mean  
6 they're not there for a logical reason, but for us to  
7 want to be able to take advantage of this, putting it  
8 back in is the logical place to go. So that is what  
9 we're calling phase 2. Once we get past this, we  
10 might envision here a couple of years from now we come  
11 in with another submittal where we have put more  
12 systems back in. But to do that they'll have to be  
13 modeled and they'll have to be able to meet NRC's  
14 expectations in those areas.

15 CHAIRMAN APOSTOLAKIS: Any other comments?

16 Well, thank you very much, gentlemen.  
17 Appreciate your coming here.

18 There are two things we need to do. One is  
19 to give advice to the Staff as to what they should  
20 present to the full Committee. I've drafted here  
21 something, and then maybe the members can add or  
22 subtract.

23 We have an hour and a half in April. We  
24 also have several members who are new to the  
25 Committee. So it would be nice for you to give an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 overview of what 4B is all about, a little more detail  
2 than today, in other words.

3 I like that example with the actual curve  
4 that is in the document that shows, you know, how  
5 assuming one component is down the risk starts going  
6 up and then there is an emergent condition, it goes  
7 up. That goes a long way towards explaining what this  
8 whole business of backstops and risk-information  
9 completion time. That's figure 3-3 or something  
10 similar.

11 You have used in the past.

12 MR. TJADER: Yes. I know what you're  
13 talking about.

14 CHAIRMAN APOSTOLAKIS: But I think it's  
15 worth repeating.

16 I would like to see included this issue of  
17 uncertainties, especially what Mr. Grantom mentioned,  
18 the specific examples that you found. Because this is  
19 language that most members understand what kind of  
20 uncertainty we're talking about and how it was  
21 handled.

22 I would like to see, you know, the issue  
23 of how Regulatory Guide 1.174 enters into this and the  
24 delta CDF/delta LERF. And maybe change also as  
25 appropriate the SER.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And also, Mr. Maynard's comment as to what  
2 conclusions one would reach by comparing with the  
3 regulatory guide so we have the mechanics of it and  
4 plus the conclusion.

5                   And my understanding is that what you are  
6 asking the ACRS to do is to write a letter endorsing  
7 your approval of NEI 06-09, that's really what it is?

8                   MR. TJADER: Yes, sir.

9                   CHAIRMAN APOSTOLAKIS: Now is there  
10 anything else that the members would like to add to  
11 their presentation?

12                   MEMBER MAYNARD: Well, one other thing I  
13 would like to see in there, just a brief thing, but  
14 this whole presentation kind of comes across as just  
15 a way to have a system out of service longer. One of  
16 the real benefits also is to the NRC and the  
17 regulatory because of the way things that are handled  
18 now, you end up with a problem that would otherwise  
19 shut you down. You have to go into enforcement  
20 discretion. You're talking about late night calls,  
21 perhaps, and the NRC being put in a position of having  
22 to make a decision for enforcement discretion.

23                   This kind of eliminates that process for  
24 these things.

25                   CHAIRMAN APOSTOLAKIS: Sure. Yes, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 benefits from these --

2 MEMBER MAYNARD: The benefits, yes.

3 CHAIRMAN APOSTOLAKIS: -- both to the  
4 industry and to the agency.

5 I don't know, are you gentlemen planning  
6 to come or is it only the Staff.

7 MR. TJADER: Yes, we'll be here.

8 CHAIRMAN APOSTOLAKIS: You'll be here.  
9 Okay.

10 MR. HOWE: They don't trust us to be here  
11 alone.

12 CHAIRMAN APOSTOLAKIS: They also like the  
13 ACRS.

14 MR. GRANTOM: Jay Phelps will be on night  
15 shift. And Rick will be on night shift, but he might  
16 be here. We'll see.

17 CHAIRMAN APOSTOLAKIS: You think your  
18 issue should be addressed at the full Committee  
19 meeting of nonstops and all that or are you satisfied?

20 MEMBER ABDEL-KHALIK: No, I think  
21 conceptually that's fine.

22 CHAIRMAN APOSTOLAKIS: You are satisfied?

23 MEMBER ABDEL-KHALIK: Right.

24 CHAIRMAN APOSTOLAKIS: Bill or Mario?

25 MEMBER BONACA: Well, I think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentations were very clear.

2 CHAIRMAN APOSTOLAKIS: Yes.

3 MEMBER BONACA: I mean, with a few  
4 clarifications.

5 CHAIRMAN APOSTOLAKIS: Yes.

6 MEMBER BONACA: Plus they were pretty  
7 condensed anyway, so that it will fit well in a hour  
8 and half.

9 CHAIRMAN APOSTOLAKIS: Okay. Great.

10 Now, can we go around the table and have  
11 the members give me some advice as to what to put in  
12 the letter or should I just draft a letter and have  
13 you slobber it?

14 MEMBER BONACA: I think, you know I mean  
15 I am very positively impressed by the progress made in  
16 this area.

17 CHAIRMAN APOSTOLAKIS: Okay.

18 MEMBER BONACA: I think there are great  
19 benefits to the use of this tech specs, as I was  
20 saying. And it is really a coherent step with  
21 everything we have done in risk-informed in the  
22 regulation. I think that's it.

23 CHAIRMAN APOSTOLAKIS: So if we approve  
24 this, you will not come to the ACRS again requesting  
25 another else? 4B is done, right, if we say fine and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Commission says fine?

2 MR. TJADER: I don't envision us needing  
3 to come back again. The reason that we want this is  
4 validation.

5 There are, perhaps you've encountered it  
6 in what you do for a living, but I know that on the  
7 Staff we encounter it frequently, that there's a lot  
8 of skeptics. Okay. And I think that it would be  
9 beneficial to have the ACRS weigh in positively,  
10 obviously not negatively, on this. And I think it  
11 would be helpful in us being able to justify going  
12 forth on this. Not that we aren't doing that already,  
13 not that we haven't fought a lot of internal battles  
14 and been successful in it.

15 Andrew just brought up thing that perhaps  
16 -- I don't know I have to think it -- you can think  
17 about it.

18 One of the things that we currently I've  
19 come to grips with and I think that we've satisfied  
20 the Staff that it's adequately addressed, and that is  
21 that applying this to systems where there's a loss of  
22 function. And conceptually the way it works is that--  
23 and I feel comfortable with the way it works. And I  
24 think the industry does. But I know that on the Staff  
25 there's some discomfort to applying this in general.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The way it conceptually works in tech  
2 specs is that if there is a loss of function, if there  
3 is an inoperability which causes two trains to go  
4 inoperable and you've lost function, you cannot apply  
5 a risk-informed completion time. An we agree with  
6 that.

7           Where the controversy comes in is where  
8 you have inoperabilities of both trains on a two train  
9 plan. Okay. And then you retain some of its capability  
10 in its safety function area. And then being able to,  
11 when you're to apply that, that capability that is  
12 reflected in the PRA to extend the completion time we  
13 feel is a perfectly justifiably thing to do. But we  
14 find great resistance from the Staff in doing that.

15           And I think after we explain it a little  
16 bit, they become more comfortable with it. But  
17 conceptually it's something that has to be overcome.

18           CHAIRMAN APOSTOLAKIS: Would you please  
19 include that in your presentation?

20           MR. TJADER: Next time?

21           CHAIRMAN APOSTOLAKIS: This issue. Yes.

22           MEMBER MAYNARD: It goes along with what  
23 was mentioned about the no add and the benefit.

24           CHAIRMAN APOSTOLAKIS: But make sure that  
25 you include it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the issue is you have a two train  
2 system.

3           MR. HOWE: But both trains are declared  
4 inoperable but you think there is still --

5           CHAIRMAN APOSTOLAKIS: -- function --

6           MR. TJADER: Well, you don't necessarily.  
7 Just because a train is declared inoperable, it  
8 actually necessarily sometimes need to effect the  
9 function of it why it's inoperable.

10          CHAIRMAN APOSTOLAKIS: I see.

11          MR. TJADER: And plus if you have backup  
12 capabilities that provide function that are not  
13 reflected in the specs, then it could cause you to  
14 take that shutdown action when there still is some  
15 functional capability remaining.

16          MR. HOWE: I think where the real issue  
17 comes in for the other staffers is -- and I'll say  
18 these words -- don't take any offense licensees, but  
19 trusting licensees to make the decision that something  
20 still has capability when it's declared inoperable.  
21 The mind set, which is perfectly legitimate, is once  
22 you declare something inoperable you're supposed to  
23 shut the plant down as you've lost both trains.

24          MEMBER BONACA: Often times it's purely  
25 the degree or it's purely -- there is cases where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're sure of functionality.

2 MR. HOWE: Right.

3 MEMBER BONACA: The question is the degree  
4 of assurance that you have functionality. That's the  
5 big question.

6 MR. HOWE: And it hard to write a document  
7 that really nails that down specifically. I think  
8 we've done a pretty good job.

9 MR. TJADER: Yes. The document is written  
10 very conservatively. The problem is always there's  
11 shades of gray. You know, the document is written  
12 decisively that if you do not -- if you're uncertain  
13 about the functionality, you take the conservative  
14 action.

15 CHAIRMAN APOSTOLAKIS: I remember seeing  
16 something like that in the document. Tell me where it  
17 is, so I can go. Is it easy for you to tell me right  
18 away? That's in the SER?

19 MR. TJADER: There are two places.  
20 Functionality is addressed in the reg. guide in -- not  
21 the reg. guide, the NEI 06-09 area. It's stressed,  
22 for instance in the --

23 MEMBER MAYNARD: Page 5.

24 MR. TJADER: In section 231 paragraph 11.  
25 Okay. PRA functional assessment. And then we have in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the SE, we have -- now let me give you something else.  
2 What I said opening the presentation this morning is  
3 that the essence of our SE has not changed. What has  
4 changed is the wordsmithing to satisfy some of these  
5 concerns. And now is the time I guess -- I didn't  
6 know that I would need to, but here are -- this is the  
7 area in the SE which has been changed.

8 CHAIRMAN APOSTOLAKIS: Regarding this  
9 issue?

10 MR. TJADER: Regarding this issue.

11 CHAIRMAN APOSTOLAKIS: Okay.

12 MR. TJADER: This is where we've had to  
13 address that issue.

14 MR. HARRISON: I would suggest if we're  
15 going to actually present that topic, that we give it  
16 as an example so you can understand exactly through  
17 the example what's going on.

18 CHAIRMAN APOSTOLAKIS: Rephrase it anyway  
19 so the members will have an opportunity to first  
20 understand it.

21 MR. HARRISON: As a background.

22 CHAIRMAN APOSTOLAKIS: And second, comment  
23 on it.

24 MR. TJADER: I think when you read this,  
25 you'll see that really you compare it to what you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 given. And there aren't significant differences. But  
2 internally just these changes have involved days worth  
3 of discussion and argument, and compromise and so  
4 forth. So it may not seem like a lot, but this is an  
5 area which internally the Staff has voiced  
6 considerable concern.

7 CHAIRMAN APOSTOLAKIS: Okay. Very good.  
8 Thank you.

9 Any other comments from the members?

10 MEMBER MAYNARD: I believe it's a process  
11 that benefits safety, it benefits the NRC and I think  
12 it benefits the licensee. And I think overall it's a  
13 good process and a much better way of doing business  
14 than what was originally the way we did the tech spec.  
15 So I think overall it's the right thing to do.

16 I think from what I've heard and what I've  
17 seen that it has the right constraints in it and the  
18 right processes involved. So overall, I think it's  
19 something we should endorse.

20 MS. BANERJEE: I'm Maitri Banerjee. I'm  
21 ACRS staff.

22 I was wondering if you would like staff to  
23 talk about any items for inspection follow up like the  
24 resident inspections at the plant. I mean, they're  
25 going to be writing a TI inspection guidance, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TJADER: I've prepared a draft  
2 inspection procedure. I think internally I'm somewhat  
3 behind, but Andrew and I have prepared a draft. I  
4 prepared it, he's edited it somewhat. We've given it  
5 to our inspection branch. I need to pursue and push  
6 it along so that when it hits South Texas that we have  
7 something in place for the residents.

8 But if you want, I can -- two weeks is a  
9 very short time to --

10 MS. BANERJEE: Not the whole guidance.

11 MR. TJADER: Just some words? I could put  
12 something in there.

13 MS. BANERJEE: Some important aspects that  
14 needs to be followed up or will be followed up or the  
15 guidance. Is that of any help?

16 MR. TJADER: Okay.

17 MEMBER MAYNARD: That would be helpful.  
18 Fine.

19 MR. TJADER: Just a few words.

20 MEMBER MAYNARD: Okay, as long as we don't  
21 get diluted so much --

22 MEMBER SHACK: Yes. I mean I'm a little  
23 worried here that we're going to cover the waterfront  
24 here. You know, an hour and a half -- especially for  
25 the new members that sort of need to go back to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fundamentals of this.

2 CHAIRMAN APOSTOLAKIS: Yes.

3 MEMBER SHACK: Three hours of the hour and  
4 a half are already covered.

5 MEMBER MAYNARD: I think this may be  
6 something to be prepared if a question or something  
7 comes up.

8 MR. HEAD: This is Scott Head.

9 We can discuss. As we have briefed to the  
10 Region, we have briefed to the resident. We talked  
11 about it before. This is tech specs and so on their  
12 morning visit to the control room, they will know this  
13 has been implemented and they will be able to pursue  
14 it within their tech spec modules they already have  
15 available to them. And even their (a)(4) modules. So  
16 there's a lot of aspects that are already built into  
17 the program that would allow them to look and evaluate  
18 this.

19 So I recognize a TI could come out to help  
20 in that, but I mean this is something the residents  
21 can get engaged in immediately.

22 MR. TJADER: I can make it a backup slide  
23 to the next presentation.

24 CHAIRMAN APOSTOLAKIS: If necessary, yes.

25 MEMBER SHACK: Even, George, even your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 1.174 issue I just look at as something that could get  
2 us going down the road for a long time. It's kind of  
3 a small piece of this.

4 CHAIRMAN APOSTOLAKIS: Oh, not quite.  
5 They're asking them to do it every 34 months as part  
6 of the --

7 MEMBER SHACK: But you didn't hear any  
8 objections from anybody.

9 CHAIRMAN APOSTOLAKIS: What do you mean?

10 MEMBER SHACK: Of doing it, you know.

11 CHAIRMAN APOSTOLAKIS: No. And I don't  
12 object either. It's just how it's done.

13 MEMBER SHACK: Well, as we try to explain  
14 this, I can just see this barreling out of control in  
15 the meeting.

16 CHAIRMAN APOSTOLAKIS: I'm Sub Chairman,  
17 you will be Chair --

18 MEMBER SHACK: Well, I'll be Chair. Right,  
19 the gavel will be handed.

20 MR. HOWE: Can I have a gavel, too?

21 CHAIRMAN APOSTOLAKIS: Are we okay?

22 MR. TJADER: Okay.

23 CHAIRMAN APOSTOLAKIS: So I guess it's  
24 favorable impression.

25 Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SHACK:  If the South Texas PRA is  
2                   just barely adequate for this purpose, I'm not sure  
3                   for the rest of the world.  But that's okay.  It's one  
4                   PRA at a time.

5                   MR.  TJADER:  You have a point,  
6                   unfortunately.  We had a couple of pilots that needed  
7                   to upgrade their PRAs.  And due to related issues, they  
8                   had to withdraw.

9                   CHAIRMAN APOSTOLAKIS:  Okay.  Thank you  
10                  very much.  This is very informative.  And we'll see  
11                  you in a couple of weeks.

12                  (Whereupon, at 11:38 a.m. the Subcommittee  
13                  meeting was adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

