

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena
Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, February 27, 2007

Work Order No.: NRC-1437

Pages 1-374

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

THERMAL HYDRAULIC PHENOMENA SUBCOMMITTEE

+ + + + +

TUESDAY,

FEBRUARY 27, 2007

+ + + + +

The meeting was convened in Room T-2B3
of Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 8:30 a.m., Dr. Sanjoy
Banerjee, Chairman, presiding.

MEMBERS PRESENT:

- SANJOY BANERJEE Chairman
- GRAHAM B. WALLIS ACRS Member
- THOMAS S. KRESS ACRS Member
- SAID ABDEL-KHALIK ACRS Member

1 NRC STAFF PRESENT:

2 ERVIN GEIGER

3 TONY SHAW

4 ROB TRAGONING

5 PAUL KLEIN

6 MIKE SCOTT

7 PAULETTE TORRES

8 JOHN LEHNING

9 WILLIAM KROTIUK

10

11 ALSO PRESENT:

12 JOHN BUTLER

13 TOM MICHENER

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

OVERVIEW/INTRODUCTION 3

S. Banerjee (ACRS)

E. Geiger (RES)

NUREG-1861, PEER REVIEW OF GSI-191 CHEMICAL EFFECTS
RESEARCH PROGRAM 53

P. Torres (RES)

BREAK 110

SURROGATE TESTING PROGRAM 110

E. Geiger (RES)

LUNCH 170

NUREG/CR-6917, EXPERIMENTAL MEASUREMENTS OF PRESSURE
DROP ACROSS SUMP SCREEN DEBRIS BEDS 171

W. KROTIUK (RES)

NUREG-1862, DEVELOPMENT OF PRESSURE DROP CALCULATION
METHODS

FOR DEBRIS-COVERED SUMP SCREENS IN SUPPORT OF
GSI-191

W. KROTIUK (RES)

CONCLUSION 337

DISCUSSION 338

ADJOURN

P-R-O-C-E-E-D-I-N-G-S

(8:33 a.m.)

CHAIRMAN BANERJEE: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Thermal Hydraulic Phenomena. I'm Sanjoy Banerjee, Chairman of the Subcommittee. Subcommittee members in attendance are ACRS Members Graham Wallis, Tom Kress, Said Abdel-Khalik.

The purpose of this meeting today is to discuss the NRC Staff's progress involving research activities on chemical effects associated with the resolution of NUREG safety issue 191, PWR sump performance. The subcommittee will hear presentations by and hold discussions with the NRC staff and other interested persons regarding these matters. The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate for deliberation by the Full Committee. Ralph Caruso is the Designated Federal Official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal Register* on January 30th, 2007, and February 15th,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 2007. A transcript of the meeting is being kept, and
2 will be made available, as stated in the *Federal*
3 *Register* notice. It is requested that speakers first
4 identify themselves, and speak with sufficient clarity
5 and volume so that they can be readily heard. I would
6 also like to remind the members that the committee has
7 determined that speaker should be allowed the first 10
8 minutes of presentation time without question from the
9 members.

10 MR. WALLIS: Was that ever really decided?

11 MR. KRESS: I don't remember voting on
12 that.

13 MR. WALLIS: This is a Ralph Caruso
14 inquisition.

15 MR. KRESS: Did we vote on that, or didn't
16 we?

17 MR. CARUSO: We did, back a long time ago.

18 MR. KRESS: I think the P&P Subcommittee
19 just imposed that.

20 MR. WALLIS: But it's never been
21 implemented.

22 MR. CARUSO: It was tried several times.

23 CHAIRMAN BANERJEE: What do you think,
24 should we, or shouldn't we?

25 MR. KRESS: I think we ought to play it by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ear.

2 CHAIRMAN BANERJEE: All right.

3 MR. KRESS: If you have a burning
4 question, you ought to ask.

5 CHAIRMAN BANERJEE: I think we'll play it
6 be ear then. And I don't have any real comments to
7 make, except that let's try to stick to the time, and
8 I'll introduce Mr. Geiger of the staff to begin the
9 presentation.

10 MR. GEIGER: My name is Ervin Geiger.

11 MR. KRESS: Do you have anything to do
12 with the Geiger counter?

13 (Off the record comments.)

14 MR. GEIGER: I'm with the Office of
15 Nuclear Regulatory Research. I usually talk with a
16 soft voice. I'd just like to thank the subcommittee
17 today for giving us the opportunity to present the
18 final research or research activities. We're
19 providing an overview of the research program. The
20 program has been going for quite a long time, and we
21 have completed the research projects that were
22 originally slated, so I'd just like to present an
23 overview of what we have accomplished so far, and go
24 into some other presentation.

25 MR. WALLIS: You're going to speak about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all the projects?

2 MR. GEIGER: Well, I'm just going to -- I
3 understand that this is a chemical effects, but I just
4 thought I would brush up over some of the other
5 issues.

6 MR. WALLIS: Are you going to speak about
7 the Pacific Northwest experiments, for example?

8 MR. GEIGER: Yes.

9 MR. WALLIS: You will. Okay.

10 MR. GEIGER: Yes, this afternoon, because
11 I was under the impression that the subcommittee was
12 very interested in the Northwest Laboratory tests, and
13 also Bill Krotiuk's correlation NUREG, so I thought it
14 would be proper to present this at this time, since it
15 hadn't really been discussed before in its details,
16 since it was just completed at the end of this year,
17 if the committee has no objection.

18 MR. XIAO: Erv, can I just interject for
19 one thing?

20 MR. GEIGER: Right.

21 MR. XIAO: My name is Tony Xiao. I'm the
22 Branch Chief of the Mechanical and Structural
23 Engineering Branch in Research. It's under my branch
24 this research work has been conducted for the past
25 several years, and the purpose of today's meeting, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Chairman described earlier, was really to
2 summarize the work we have done so far. We have
3 completed all the planned research work associated in
4 support of Resolution GSI-191. And so Erv will
5 provide the overview, and we have some change of
6 personnel, as you recall. Dr. Rob Tragoning was the
7 Program Manager for the past couple of years. He will
8 join us shortly, but today - since then, Erv had taken
9 over as the Program Manager for the overall project as
10 we were winding down. As you will hear later from Mr.
11 Geiger, we have published, or are about to publish a
12 total of 15 NUREG reports and letter reports, and
13 NUREG/CR reports. In the detailed discussion, as you
14 will see from the agenda, will include the work, as
15 Dr. Wallis referred to earlier, the PNNL work, and the
16 head loss correlation by Bill Krotiuk in the
17 afternoon. After Mr. Geiger's summary and overview,
18 Ms. Torres will also describe in more detail the peer
19 review process we have employed to ensure the quality
20 of the research work. So this is overview as we're
21 coming to the end of this research program, to wrap it
22 all up, and to make a presentation to you before the
23 Full Committee. Thank you.

24 CHAIRMAN BANERJEE: Now let me ask a
25 question. The peer review, if I understand, was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mainly on chemical effects.

2 MR. XIAO: Yes, it was. Yes.

3 CHAIRMAN BANERJEE: So is the focus of the
4 discussions today going to be chemical effects, or is
5 it going to be the whole program? It seems that Mr.
6 Krotiuk will present correlations and so forth, which,
7 perhaps, have nothing to do with chemical effects.

8 MR. GEIGER: Well, no it does not in that
9 respect, no. The chemical effects research had been
10 presented in previous subcommittees to a great extent,
11 mostly include the ANL that was presented in great
12 detail in past ACRS meetings, so I didn't feel that
13 there was any additional information that we could
14 really offer the subcommittee at this point. All the
15 contracts had lapsed, they had been completed. There
16 was no budget remaining to bring in any of the
17 contractors to discuss any additional wrap-up issues
18 that they might have, so what the object -- and since
19 we had not really presented Bill Krotiuk's research,
20 the PNNL research, and the head loss correlation, we
21 thought this would be an opportunity to present that,
22 and that would be this afternoon.

23 MR. WALLIS: Well, chemical effect we
24 learned could be very big.

25 MR. GEIGER: Well, if --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: We also learned that we
2 didn't have a quantitative way of predicting them.
3 Are you going to tell us how you faced this sort of
4 situation?

5 MR. GEIGER: Where we are right now with
6 the research is that -- the intent of the research
7 initially was to inform GSI-191 problem. We did some,
8 as you know, the ICET test to see what kind of -- to
9 prove to the industry that there was an issue with
10 generating all those precipitates and chemical
11 products that could effect sump. And then in
12 conjunction with that, the ACRS recommended that we
13 investigate the chemical effects research.

14 When we finished the ICET, and the ICET
15 had no -- part of the ICET program did not include any
16 testing of head loss; therefore, we went on did the
17 ANL testing, we did some testing at PNNL, and at ANL,
18 to determine what the effects were. Now at ANL, the
19 tests we ran, we determined that even small quantities
20 of these chemicals, aluminum oxyhydroxides caused a
21 great deal of -- as soon as there's even a small
22 amount precipitated, it created head loss across the
23 screens, across the fiber bed that were really -- the
24 pressure drops were excessive, and really exceeded the
25 allowables at many of the plants, if not most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants. Okay? We know that, right? So where we are
2 right now is -- and the industry, at the same time,
3 had done similar tests, and they came up with the same
4 conclusion. So at this point, what the industry is
5 doing is they're re-evaluating their entire program on
6 how they're going to assess or address the head loss
7 issue across the --

8 MR. WALLIS: The real question would seem
9 to be what is industry doing when you have found out
10 there are large effects?

11 MR. GEIGER: Yes.

12 MR. WALLIS: You know you have to now be
13 aware of that, but the real question is how do we
14 determine whether or not they occur in plants, and if
15 they do occur, how big they are? Those are questions
16 that industry is presumably answering, so really we
17 need presentations from those folks.

18 MR. GEIGER: Well, they are doing testing
19 on that. Unfortunately -- well, Research is not in
20 direct communication with the vendors; therefore,
21 Research has no mechanism for actually going out and
22 asking the industry as to how they are -- what they
23 are doing. We've had meetings with not EPRI, but -
24 I'm sorry - NEI, yes, thank you. We had meetings with
25 NEI, we had many meetings with NEI. They have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provided presentations where the industry is going.
2 And, actually, I have some of that at the end of this
3 presentation as to what the industry is doing to
4 alleviate the problem with the chemical effects on the
5 fiber bed.

6 At this point, we have no direction
7 exactly which area we should research. The
8 possibilities of researching all these different
9 chemical effects, as outlined even in the peer review,
10 the field is so great that we would be evaluating all
11 of these different, from different concentrations, to
12 different temperatures. We could be looking at this
13 for a long period of time, so if we can narrow down
14 the parameters that are of consideration, then we may
15 have a better chance at getting the right answers,
16 knowing what to do.

17 So I guess my answer is, this is not like
18 a university research project where somebody wants to
19 see what the effects of a certain chemical is on a
20 certain thing.

21 MR. TRAGONING: Hey, Erv, I'm sorry. I
22 think Paul could maybe add some information to address
23 Dr. Wallis' comment, in terms of -- I'm sorry. This
24 is Rob Tragoning from Office of Research. Paul Klein
25 from NRR can add some more specific information in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of what the industry is doing, and how they're
2 approaching the problem, and sort of what our stance
3 is with respect to evaluating the industry's -- their
4 proposed approach.

5 CHAIRMAN BANERJEE: So can we have him
6 address this at some point today? Do you want to do
7 it now or later? Let's do it at the end of his talk.

8 MR. KLEIN: I guess maybe I'd add a few
9 comments, at this point, if I could. I'm Paul Klein
10 from NRR. Just to provide some broader perspective.
11 Initially, the question was raised by ACRS about
12 chemical effects. There was a joint NRC-Industry
13 sponsored test that identified chemical products could
14 form. And then the question became what do these
15 precipitates mean in terms of head loss, so the NRC
16 sponsored a number of tests to try and understand not
17 only what they mean in terms of head loss, but also
18 how parameters such as temperature, pH, and other
19 important things that vary within a post LOCA pool
20 could affect head loss, so we sponsored a number of
21 tests that evaluated that parameters.

22 We certainly don't have all the answers at
23 this point, but I think we identified a number of key
24 parameters. And at the same time, our management made
25 a decision that it really was at a point in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding that industry needed to address the
2 issue, so they are aggressively working the issue.
3 They have a number of different strainer vendors that
4 are conducting head loss tests. The staff observes a
5 number of these tests. We visited the facilities, we
6 have periodic meetings with industry about every other
7 month where they provide us status update and describe
8 some of their test results. They are working on a
9 generic chemical model that would be used to try and
10 predict what might form in the sump.

11 There's a number of activities underway.
12 It's quite possible on the back end of this, once NRR
13 has a better understanding of how industry is
14 proceeding to try and resolve chemical effects. We
15 might need independent research on the back end to
16 confirm what's been observed in industry tests, and to
17 help us evaluate the licensee submittals.

18 MR. TRAGONING: Rob Tragoning again from
19 Research, if I could just add a little bit to what
20 Paul stated. One of the things that we definitively
21 learned is, I would agree with Paul, is we learned in
22 many cases the effect of important variables, and we
23 have some ideas of some cases where we saw very large
24 effects due to chemical precipitants, and some where
25 we saw either little or no effect. But one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other things that we learned was that the plant-
2 specific conditions are very important, in terms of
3 not just the materials that are existing at individual
4 plants, but also their containment pool conditions in
5 terms of temperatures, pH, and, again, other materials
6 that are within that sump pool environment. So
7 really, when we see the individual submissions coming
8 in, and we've stressed this to industry time and time
9 again, that an understanding or a characterization of
10 their unique mix, and their unique conditions is
11 really important.

12 I think at the end of the day, when we see
13 the submissions from industry, there'll be a certain
14 percentage that we look at the conditions, and based
15 on the research that we've already done, we'll be able
16 to pretty clearly state well, there's probably not
17 concerns. There will be other areas where we may have
18 specific concerns that have been highlighted by the
19 research that we've already done, and then there'll be
20 other areas that we may have some gaps, or that we may
21 not know if there are issues that need to be addressed
22 for that specific set of plants that have a particular
23 mix of materials and conditions that we may have some
24 concerns about. And if that's the case, at that
25 point, it would be particularly appropriate to embark

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on some possible additional confirmatory research to
2 validate the work that the industry is doing.

3 CHAIRMAN BANERJEE: What is it that you
4 would like the ACRS to do? I mean, this is a
5 subcommittee meeting, and then we are going to go to
6 a Full Committee meeting next week. What is the --

7 MR. GEIGER: Well, let me say that right
8 now the industry is planning all of their tests, so
9 they have not -- they have done some preliminary
10 testing. They've come to the same conclusion that we
11 have, that there are some serious issues that need to
12 be resolved. Now, like Rob said, the different plants
13 are pursuing different strategies, and the additional
14 -- these strategies and tests will not be in place
15 until this summer, so they really will not have any
16 resolution to this until late into fall, probably,
17 when they will know exactly what the modifications
18 are, because they're putting in larger screens, and in
19 some cases the larger screens may -- in addition to
20 the larger screens, they may need to do other things,
21 like remove the materials that are problematic.

22 Okay. The question posed as to what I
23 would like the ACRS to do, at this point, I think my
24 impression was that the ACRS was interested in our
25 progress, and the status on what we have learned today

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in areas other than also just chemical effects. I
2 guess if I misread the subcommittee's intent, I
3 apologize.

4 MR. WALLIS: I guess we could talk a lot
5 about this. I mean, you've told us that you stopped
6 work, and if you went on, it would take you years to
7 sort of really solve the problem. And then you've
8 told us that each plant has a specific situation which
9 has to be worked out. Now is that plant going to
10 spend years working on that specific situation before
11 it's got an answer?

12 MR. XIAO: Dr. Wallis, this is Tony Xiao
13 again from Research. We would like to request that
14 ACRS at the subcommittee today, as well as the Full
15 Committee in March would look at what we have done so
16 far up to this point. As I stated earlier, the
17 purpose of this meeting and the March meeting is to
18 present the overall view of the program we have
19 completed so far. We have no plans to do any
20 additional research unless the industry has done
21 something like Paul and Rob alluded earlier, that we
22 feel it's necessary to do additional confirmatory. At
23 this point, we have no plans to do any more, so we
24 would like to request that ACRS look at this whole
25 package of the research and the reports we've done so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 far given the context of the condition and the timing
2 we have, so that this is sufficient research for us to
3 be able to support the regulatory decision in making
4 sure the industry is doing this properly in an
5 engineering manner that's appropriate to resolve these
6 issues. As far as plant specific, that has to be
7 seen, so to request ACRS just to write a letter to see
8 what your review is as far as the research work done
9 so far.

10 MR. WALLIS: We've already done that, and
11 we're not going to learn much more today. It's been
12 commented on a year or so ago.

13 MR. SCOTT: Graham, can I answer your
14 question directly about the industry's intent? This
15 is Mike Scott, NRR. I would say a couple of plants
16 have largely completed their chemical testing. We
17 know of at least one that states, and have provided us
18 data to indicate that they are complete with chemical
19 testing.

20 As was said, a lot of the rest of the
21 chemical testing will go on this spring and summer,
22 and the intent of the industry is still to show a
23 solution set to GSI-191 by the end of this calendar
24 year. Now if you do the time line on that, and
25 they're doing the chemical testing in the summer, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be very challenging for a number of them to
2 perhaps react if they have trouble with their first
3 solution, to come up with a different one, and then
4 test that, so it's going to be tight. But we don't
5 anticipate that this is -- I think you referred to an
6 out there multi-year effort by the industry to do this
7 testing. The testing is to happen in calendar year
8 2007; and, hopefully, that will allow the industry to
9 provide us the responses to Generic Letter 2004-02
10 that are due by the end of this year.

11 And we, NRR, plan to come talk to you in
12 May about the status of the issue then, and we'd be
13 happy to tell you at that point whatever we know about
14 the chemical effects results that are available to us.

15 MR. WALLIS: Well, I know all that. The
16 thing -- we're taking this high-level view. The thing
17 that's a bit of concern is that all the steps forward
18 in understanding these problems so far seem to have
19 been made by NRC. And, originally, there was no
20 concern with chemical effects, and so there was some
21 concern, and then some work was done, and it was
22 discovered that yes, indeed, there are. And then it
23 was discovered that yes, indeed, they can have huge
24 effects on pressure drop. All this was discovered by
25 the NRC. I'm a little concerned about having the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going out of the business of discovering what's going
2 on, leaving it all to industry.

3 MR. BUTLER: Dr. Wallis?

4 MR. WALLIS: Yes.

5 MR. BUTLER: John Butler, NEI. I object
6 to that characterization that it's the NRC who is
7 discovering this. The discovery of the effect of
8 chemical effects came out of the ICET program, which
9 was a industry-NRC jointly sponsored program. Now you
10 could argue - in fact, I would argue that it was
11 industry who put forward that program, and invited NRC
12 to participate in that program.

13 MR. WALLIS: I thought that industry was
14 telling the ACRS there weren't any chemical effects,
15 before eventually you were persuaded to do this.

16 MR. BUTLER: That is correct, yes. But,
17 actually, it was ACRS who was putting forward that
18 there were chemical effects, and both NRC staff and
19 industry were saying we did not believe that. But on
20 the ACRS urging, give yourself credit, then
21 investigated whether or not there were truly any
22 chemical effects.

23 MR. WALLIS: Maybe we should include some
24 other ideas about effects in that case.

25 MR. BUTLER: But the point I want to argue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with you against is the characterization that it's NRC
2 who is always finding these issues, and that industry
3 is always responding. That has not been the case.

4 MR. WALLIS: Okay. Thank you. Maybe I
5 misrepresented it. History is something we can always
6 investigate if we want to, but we don't have to go
7 there today.

8 MR. XIAO: This is Tony Xiao again from
9 research. I just want to make it very clear to the
10 committee that we are not going out of business on
11 this research. All we're saying right now is we've
12 planned out the research in the past few years working
13 with the NRR, and in some cases working with industry,
14 like John pointed out. But we are -- all we're saying
15 right now is at this point we believe we have done
16 enough research to be able to really understand the
17 issues, and identify some issues, to let the industry,
18 given all the technical knowledge we've gained from
19 the past few years, to move forward, come up with
20 their specific solutions, if necessary. And we are
21 going to continue to monitor through NRR the industry
22 resolutions. And like Mike said earlier, whenever
23 there's need, we'll jump back in and do the research.
24 All we're saying, at this point we have no plans to do
25 any more, but we're not going out of business.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Let me just summarize
2 what I think, just to summarize my understanding.
3 What you're looking for from the ACRS then is to write
4 a letter saying that at the moment, we feel that the
5 research done has been adequate for its purposes, has
6 identified some issues, and now this has been handed
7 over to NRC, I mean, to the industry to deal with.
8 And then --

9 MR. WALLIS: I think we've written that
10 letter already.

11 CHAIRMAN BANERJEE: Yes, so I'm wondering
12 what is it that you really want from us? Do you want
13 us to say we don't -- we see it's fine that you stop
14 research until the industry does something, and then
15 come back, and then you'll do whatever is needed to
16 validate or verify, or whatever? What is it that you
17 want?

18 MR. GEIGER: Okay. Well, let me say to
19 the point - at this point, we feel that the research,
20 the need for the research identified to-date has been
21 completed. And I know Dr. Wallis agrees with this
22 position, but right now, we have sufficient
23 information on all the sump pool chemistry issues to
24 at least realize that there is a significant problem
25 at some plants, and they may be making modifications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to mitigate those conditions. And I was going to
2 present some of the issues in this presentation about
3 what some of these are, but at this point, I thought
4 the - like you said, I would hope that the
5 subcommittee would conclude that, for the time being,
6 what we have done, including the PNNL work, is
7 adequate to sort of wrap-up this phase of the
8 research. And in the event that other issues arise to
9 this chemical testing, it would be handled on an as
10 issues arise basis.

11 CHAIRMAN BANERJEE: So the real thing that
12 you're -- the real questions you're putting to us is,
13 are you -- is the ACRS in agreement that research
14 should be stopped? I mean, that's what it amounts to.

15 MR. WALLIS: You've already wrote a letter
16 that said research should not be stopped. You wrote
17 this letter. We reviewed all these programs already,
18 and we looked at the major effects discovered, and we
19 said that we were not sure that it was a good idea to
20 stop research, because there were still -- these
21 questions were not resolved to the point where you
22 could quantify many of the effects, and so on. And I
23 don't see what we could add to that, unless you add
24 something substantial today that we didn't know when
25 we wrote the previous letter. I don't know why we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should write another letter.

2 MR. TRAGONING: Let me jump in here a
3 little bit. Rob Tragoning from Research. Let me
4 relive a little bit of the history and try to get at
5 why we're here today, and try to address your comment,
6 and Dr. Banerjee's comment, as well.

7 The last time we were in front of you, I
8 believe was June, and then prior to that was maybe
9 last February or so. And during each of those times,
10 we've been presenting the status of the research to-
11 date. And at the time, in both February and June, it
12 was ongoing. Okay? What the purpose of today is, is
13 we've had activities in June that have subsequently
14 finished, and we had activities in June that we hadn't
15 -- that were preliminary that we didn't provide
16 results, so what Erv and the rest of the presentations
17 today are structured to do is to present information
18 that either indicates programs that we haven't
19 presented to you in the past; for instance, the peer
20 review report, okay? That information we have not
21 presented to ACRS in the past, because in June it was
22 still in development and preparation. It wasn't
23 mature enough to present to the committee.

24 There are several other areas that were
25 not quite finished in June; for instance, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 development of the head loss correlation. That work
2 has been completed, as well as some of the - I think
3 the PNNL testing was done. In fact, that's not being
4 presented today, is it?

5 MR. GEIGER: Just some follow-on testing
6 that we did in response to the initial findings.

7 MR. TRAGONING: So all today will do will
8 fill in the gaps, and provide additional information
9 for other programs that we haven't previously
10 presented. Now if you choose, based on that
11 information, to go back and revisit any of the
12 positions that you've stated in previous letters, then
13 that would be particularly appropriate. If you choose
14 not to, I think that might be particularly
15 appropriate, as well. If you learn something, or we
16 say something from the peer review comments, for
17 instance, that triggers some additional thoughts that
18 you'd like to capture, that would be appropriate. But
19 other than that, I don't know that we're specifically
20 asking for a letter, as much as we're providing
21 status, and continual update of the programs that
22 we've previously presented in the past. I know
23 there's been a bit of a confusion, but hopefully that
24 will -- hopefully we can come to some agreement.

25 MR. WALLIS: Met with the commission, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forget exactly what the date was.

2 MR. TRAGONING: July, maybe, or August.

3 MR. WALLIS: After we had met with you in
4 June, and I remember saying that we had our say, that
5 the staff knew what to do. And really, it was
6 something they had to work out between NRR and
7 industry, and we would sort of follow events, but we
8 were not - we had our say. We're not sure we could
9 add anything. Essentially, that's what I was saying
10 at that time, and I think I feel the same today. I
11 mean, this is deja vu, what I've seen in the reports
12 is simply a collection of what we already knew. And
13 the peer review simply confirms, I think what we
14 already thought.

15 MR. TRAGONING: Right. There are some
16 interesting ideas in the peer review that may need
17 some discussion, and possible consideration. But
18 again, I look at this meeting as simply - as filling
19 out and providing an update on the research that we've
20 done, as well as giving you an opportunity. We've
21 essentially dumped a number of these reports on the
22 committee, and we wanted to use this vehicle to
23 address any comments or questions that you may have
24 had as a result of reviewing those reports.

25 MR. WALLIS: I'm sorry to get in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion. I read this stuff, and I'd like to say
2 that the Pacific Northwest report - now the most
3 interesting thing they discovered was that the order
4 in which you put the stuff in can make an enormous
5 difference to the pressure drop. Having discovered
6 this in one series of tests, they were told to stop
7 their work. And then Argonne discovered that yes, you
8 could get these enormous pressure drops with certain
9 chemicals. Now you think the rational thing to do is
10 to say ah-hah, those are important effects. Now I
11 want it done right, so I understand what's going on.
12 Instead of that, the attitude of RES is stop the work.
13 We said this before.

14 CHAIRMAN BANERJEE: And one thing pointed
15 out in the peer reviews is that at least some of the
16 peer reviewers felt there were a number of issues
17 which warranted more work. And, in fact, there was a
18 suggestion that the work be on a smaller scale. They
19 felt these very large experiments were very expensive,
20 and didn't add - perhaps in the beginning they were
21 useful, but to investigate some of these effects at
22 relatively smaller scale, less expensive program
23 looking at some of the issues raised by them would be
24 useful. In particular, some of the peer reviewers
25 raised the issue that development of simulation tool

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was based on existing tools were, perhaps, not
2 the right direction to go. There were different
3 suggestions made. And, in fact, some sort of
4 confirmatory or predictive tool which would actually
5 look at some of the non-equilibrium thermal dynamics
6 was suggested, as this was not an equilibrium process.
7 I hope those issues are going to be addressed. You're
8 not just going to talk about the peer review, but
9 actually tell us what you're going to do about the
10 issues we raised.

11 MR. GEIGER: All I can say to that issue
12 is that it was a very good comment, and we looked at
13 four different --

14 CHAIRMAN BANERJEE: None of them really --

15

16 MR. GEIGER: And none of them really gave
17 us anything.

18 CHAIRMAN BANERJEE: -- did the job.

19 MR. GEIGER: So then my question to you
20 is, is what would it take to actually develop those
21 programs. I mean, these industry programs out there
22 have been out there for a long time, so what would it
23 take to complete those to where we could use them?
24 And when you're looking at the time spent, and when we
25 have to resolve this issue, by the time those models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or programs proposed would be completed to the
2 satisfaction where they would be useful, it would be
3 too late for this effort, so maybe we could use them
4 for some other effort at some other time, but that's
5 really not the objective of this project.

6 CHAIRMAN BANERJEE: That was not the
7 feeling that -

8 MR. GEIGER: So what we decided is we're
9 not going to use --

10 CHAIRMAN BANERJEE: That was not the
11 feeling that some of the people in the peer review
12 panel had. I mean, they felt that those tools were
13 not appropriate that was used, but that there were
14 appropriate tools. And I can go through all the
15 comments, I read them in detail.

16 MR. TRAGONING: But I don't know that we
17 had consensus on that issue. We had a number of
18 different views. We had some views that essentially
19 -- I think it was universally realized, and we agree
20 that the method, or the tools that we were using
21 weren't particularly appropriate. However, in terms
22 of what the path forward was, I would argue that there
23 was no consensus. We had five different peer
24 reviewers, and we had comments raising from the
25 development of codes may not be a very useful exercise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for this instance. We had some comments that said we
2 could use thermal dynamic codes and, essentially,
3 calibrate our the kinetics to use existing codes. And
4 then we had some comments that said no, you have to
5 fully develop a kinetic code to really address these
6 issues, so I don't know that we had any consensus from
7 the peer reviewers on path forward with that
8 particular issue.

9 CHAIRMAN BANERJEE: What would be useful,
10 I think, is when you deal with the peer reviews, to
11 summarize their comments, and to tell us what the NRC
12 thinks about it. I mean, you may or may not agree
13 with the peer reviewers, and some of them have written
14 reports which are almost as long as your reports.

15 MR. GEIGER: Yes.

16 CHAIRMAN BANERJEE: So it would be nice to
17 hear the main issues that there is, and what the NRC
18 wants to do with it.

19 MR. GEIGER: Unfortunately, I'm not really
20 qualified - I'm not a chemist, or at least I'm not
21 qualified to respond to all of those peer review
22 issues at this point, and I guess we could --

23 MR. WALLIS: Well, you could skip all the
24 lists of all the reports, and go to your slide where
25 you talk about what the results are, and what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 learned from them. And we should stop interrupting
2 you, perhaps.

3 MR. GEIGER: No. I understand.

4 CHAIRMAN BANERJEE: It was useful to know
5 what we are being asked to do.

6 MR. GEIGER: Well, I guess what I was
7 trying to point out, though, is that if you look,
8 we've done - we have six NUREG --

9 MR. WALLIS: You've produced a lot of
10 paper. All right. Now what useful results came out
11 of it?

12 MR. GEIGER: What useful?

13 MR. WALLIS: You produced a lot of paper.

14 MR. GEIGER: Paper, yes.

15 MR. WALLIS: Now what useful results came
16 out of the work?

17 MR. GEIGER: Well, NIS --

18 MR. XIAO: We said earlier -- you also
19 mentioned, Dr. Wallis, and that, first of all, we have
20 confirmed some of the, for example, chemical effects.
21 That's brought up by ACRS and we have confirmed that,
22 and industry also right now is taking action on that.
23 And there a lot of useful results came out of all this
24 research. I would say that there are other head loss
25 correlation, that's also a new one. You look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 6224 correlation several years ago, we realize there
2 are deficiencies in there, so Krotiuk in his contract
3 started to work on that.

4 MR. WALLIS: Are they going to stand up
5 and say that we discovered that there was an effect
6 with aluminum oxhydroxides. We did a computer
7 research program. We understand the chemistry, we
8 know how to predict when these things happen. We know
9 how to predict what the effects are, we know that
10 there's a critical level of concentration before
11 there's any effect on head, we can predict that for
12 any plant. You're not going to give that kind of a
13 nice crisp presentation.

14 MR. XIAO: No, we're not.

15 MR. WALLIS: That's what I'd like to see.

16 MR. XIAO: That's a very --

17 MR. WALLIS: Are we ever going to get it?

18 MR. XIAO: That's correct, I don't think
19 we're ever going to get there, to be able to tell you
20 categorically, or anybody say hey, we've got developed
21 this tool, we understand completely. Nobody has to do
22 tests, or I can tell you exactly how to solve the
23 problem. I don't think we'll ever get there.

24 MR. WALLIS: Right.

25 MR. KRESS: The other way it could go is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rely on the plant-specific tests for a relatively
2 clean resolution of the issue on a temporary basis,
3 based on your insights, and then to do confirmatory
4 research to develop this integrated overall predictive
5 model, which I would like to see, also. And use that
6 to say did we do it right? And that could be the --

7 MR. WALLIS: Otherwise, you may be
8 revisiting this problem forever.

9 MR. KRESS: Yes. That could be the
10 comment we'd like to make.

11 MR. WALLIS: Well, we made that comment
12 before.

13 MR. KRESS: Yes, we've done that before.
14 That's not original with me.

15 MR. WALLIS: Okay.

16 MR. GEIGER: Okay. I'm sorry. Is there
17 where you want me to go?

18 CHAIRMAN BANERJEE: Do you have any
19 information you could give us about what industry is
20 actually doing? Because if they're doing a number of
21 ad hoc tests, they may or may not be addressing the
22 issues. And we have no idea what they're doing in
23 response to this. For example, the peer reviewers
24 bring up issues related to temperature changes that
25 you can basically set up a mass transfer loop, where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're redissolving and depositing stuff. Now there
2 are a whole lot of things which they discuss which
3 weren't addressed up to now, and could be addressed,
4 they think, in relatively small-scale tests. So what
5 is industry doing? I mean, these are reviews that the
6 peer reviewers are making now. If you give the
7 industry work sort of equivalent peer review, the
8 issues would still be there.

9 MR. KLEIN: This is Paul Klein from NRR.
10 I think in the May meeting we'll try to provide you a
11 good summary of industry tests, what's going on, what
12 results they're seeing, and NRR's perspective on those
13 test results. From my viewpoint, the research has
14 been very helpful, because as we go out and we try to
15 understand the plant-specific testing that's underway,
16 trying to understand the effects of some of these
17 parameters, and to see the effects of different
18 buffers that have shown to be different, and the
19 research results have been very valuable to us, and we
20 have provided feedback to different industry vendors
21 on their test techniques, and probably asked better
22 questions about how they're conducting their tests as
23 a result of the information we've learned from
24 research.

25 CHAIRMAN BANERJEE: Well, let's go on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: Okay. So as part -- well,
2 this is a summary of what we've learned. So we
3 learned that we can form a gelatinous material in
4 certain post LOCA environments. We've learned that
5 Nukon with sodium hydroxide buffer environments
6 produce a white precipitate that deposits and causes
7 head loss. We've also learned that Nukon with TSP
8 buffer produced a precipitate which deposited on
9 insulation fibers, which meant that now people with
10 TSP and Nukon are going back to see how they can
11 resolve this interaction. Nukon cal sil with a TSP
12 buffer produced a white precipitate, again, which
13 coated the inside of all the piping and so on, which
14 could lead to the mass transfer, as Dr. Banerjee has
15 just mentioned. That is actually a downstream effect
16 that research has not really been involved in, that's,
17 I guess, the --

18 MR. WALLIS: Presume that these
19 precipitates were all different, because they had
20 different chemicals involved?

21 MR. GEIGER: Yes.

22 MR. WALLIS: What were the precipitates
23 then? They were all white, but what were they?

24 MR. GEIGER: Well, we had calcium
25 phosphates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Were they actually analyzed?
2 I mean, you don't say.

3 MR. GEIGER: All of these were covered in
4 previous --

5 MR. WALLIS: But if you'd say what the
6 precipitate was, that might help us.

7 CHAIRMAN BANERJEE: Some of these have
8 reverse solubility effects.

9 MR. WALLIS: Right. You heat them up,
10 they -- right.

11 CHAIRMAN BANERJEE: Heat them up.

12 MR. TRAGONING: Yes, we provided all this
13 information.

14 MR. GEIGER: This has all been --

15 MR. WALLIS: You don't put it on the
16 screen. If you just say white precipitate, that's
17 sort of vague.

18 MR. TRAGONING: I agree.

19 MR. GEIGER: I'm sorry. I was trying to
20 limit to a one-hour --

21 MR. WALLIS: Would it produce phosphates
22 of calcium?

23 MR. TRAGONING: Yes, calcium phosphates in
24 the TSP.

25 MR. WALLIS: Which has a reverse

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 solubility, doesn't it? You heat it up, and it
2 precipitates, or is that --

3 CHAIRMAN BANERJEE: Some of them.

4 MR. WALLIS: Some of the calcium salts do,
5 so you put them through the core, they're going to
6 precipitate in the core. Is that right?

7 MR. TRAGONING: Well, that's not a
8 specific effect that we had looked at in our research.

9 MR. WALLIS: Yes, but this is raised by
10 many of the peer reviewers.

11 MR. TRAGONING: No, I understand.

12 MR. GEIGER: That's an issue that's being
13 evaluated by the PWR Owner's Group, and their
14 evaluation of effects within the core is that issue of
15 calcium precipitation.

16 MR. WALLIS: So it's all someone else's
17 work, someone else's responsibility to figure it out?

18 MR. GEIGER: No, I don't think that's an
19 accurate characterization. I think that industry has
20 a role in this, and NRC does, as well.

21 MR. WALLIS: All right.

22 MR. GEIGER: So what we have done, the
23 effect of this research was to prompt industry to
24 investigate alternatives to resolve some of these head
25 loss issues, and there are plants that are looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changing their buffers. Some plants are removing or
2 relocating problematic materials, like aluminum items.
3 They're installing debris interceptors to keep
4 insulation fibers and things from going towards the
5 sump. They're reducing latent debris, installing jet
6 shields to minimize the amount, or to reduce the zone
7 of influence so that they don't have as much debris
8 generated which could then react in the sump pool.

9 MR. WALLIS: Do you have shields?

10 MR. GEIGER: Yes.

11 MR. WALLIS: You know where the LOCA is
12 going to be, so you put a shield there?

13 MR. GEIGER: Well, you know where the LOCA
14 is going to be, yes. It's on the RCS pipe, typically,
15 so you would either put deflectors or something like
16 that to protect. And it's commonly done, if you don't
17 want insulation to come off, you'll put a structure in
18 front of it.

19 MR. WALLIS: Between the pipe and the
20 insulation.

21 MR. GEIGER: Yes. But these are all
22 things that utilities are looking at to mitigate some
23 of these issues.

24 CHAIRMAN BANERJEE: One of the issues the
25 peer reviewers raised was the organic materials that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were there in the insulation, and their reactions.
2 Right?

3 MR. GEIGER: Yes. Are you talking about
4 the binders in the insulation?

5 CHAIRMAN BANERJEE: Yes, yes, yes.

6 MR. GEIGER: Well, the organics in the
7 fiberglass insulation, the part that's close to the
8 surface will burn-off. Right? And as the temperature
9 decreases across the gradient of the insulation, the
10 outer layers may have some organics. But my
11 experience has been with plants that operate for a
12 long time those temperatures also eventually
13 volatilize a lot of those, so I don't know how much of
14 those have been --

15 CHAIRMAN BANERJEE: But we haven't seen
16 any assessment.

17 MR. GEIGER: No, we have not. No.

18 CHAIRMAN BANERJEE: But in the --

19 MR. GEIGER: What we have done is in the
20 tests we've used some of these Nukon blankets with
21 this material on it, so in that respect it has been
22 simulated. Are you going to add something, Rob?

23 MR. TRAGONING: Yes, we did have those
24 organic components within the ICET.

25 MR. GEIGER: Now there are other issues we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looked at, like how about lubricants, like the reactor
2 coolant pump waste oil tank, and that sort of thing,
3 that may add some issues. Now we haven't discounted
4 that that would happen, but typically, there isn't
5 that much, other than the reactor coolant pumps, there
6 aren't any other lubricated - they're usually lifetime
7 lubricated bearings and that sort of thing in the
8 rotating equipment, so you wouldn't expect a lot of
9 oils and things to be in containment, especially since
10 they're a source of fire, so fire protection practices
11 keep plants from putting any lubricants and things in
12 containment.

13 Now it was brought up, like I said, that
14 the reactor coolant pump waste oil tank would spill
15 water into the pool, but it typically has a gooseneck
16 vent on it so that it would prevent the oil from
17 coming out. There's a trap, and they would also have
18 to be submerged in a pump. Now I agree that we've
19 sort of looked at that and said well, really, that may
20 not be a real problem, but we haven't really
21 investigated in any real detail.

22 Other carbon parts, I don't know. I guess
23 they're in the LOCA, you could have things come off
24 the insulated cables and things, that sort of thing,
25 but we did not look at that. Well, I'm not sure the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ICET didn't.

2 CHAIRMAN BANERJEE: Well, this at least be
3 put to bed in the sense that an issue will address
4 that, or --

5 MR. GEIGER: What's missing, and I agree
6 with you --

7 CHAIRMAN BANERJEE: Assessment.

8 MR. GEIGER: What's missing is a real
9 answer-by-answer. And we've sort of answered them in
10 general, and some of the things, as the research was
11 going on. Part of the problem is that the peer review
12 was going concurrent with the research, so when the
13 research was at a certain point, it might not have
14 been possible to incorporate a lot of these things
15 into existing research. Now some of the other things
16 they recommended, we may look at. You're right, we
17 probably should come up with a point-by-point
18 response. We have not done that.

19 MR. KLEIN: Erv, if I could add to that -
20 Paul Klein from NRR. In some of the industry tests to
21 support their chemical model that are in the WCAP that
22 was submitted to NRC, they evaluated fiberglass that
23 both had binder and did not have binder, and they did
24 not see a significant effect between the two different
25 types of material, as far as what was released into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the test solution.

2 CHAIRMAN BANERJEE: Well, in a more
3 general way, the peer review, which we are going to
4 hear about was, I think, a very useful exercise, and
5 NRC should be complimented on subjecting themselves to
6 this. And some of these peer reviewers are pretty
7 expert at what they did. Now they made some comments,
8 and I think we should tabulate them, would be my
9 suggestion, and say what we are doing about it, if
10 anything. We can say industry is doing this, or this
11 is not important, we don't feel this is - but at least
12 we should somehow - the value of this peer review
13 process is very high, I think, and if you don't
14 respond to something, I think you should say we choose
15 not to respond to it. Okay? That's fine.

16 MR. GEIGER: I agree with you, and
17 unfortunately, we have not done that on a point-by-
18 point, like I said, as we went along. But
19 historically, since I can't speak to all of the -- how
20 they were incorporated in different research projects,
21 because I was not involved at that time, and my intent
22 for bringing this issue up in this meeting was I
23 figured that somehow a lot of those comments needed to
24 be addressed. And, quite frankly, when I got into it,
25 I realized I was overwhelmed by the number of comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and how it went.

2 CHAIRMAN BANERJEE: But you could maybe
3 categorize them and say okay, we have evidence that
4 organics are not a problem. This is what industry has
5 already done. They have shown that it's not, we had
6 them in the ICE test, or wherever, so that we've dealt
7 with these in a systematic way. And, actually, they
8 have some comments which you say could lead to a need
9 for additional work, which we are not prepared to do
10 right now. I mean, may as well be straightforward
11 about, and say well, we just don't have the money or
12 something.

13 MR. WALLIS: Well, another thing is take-
14 up of CO2. Several reviewers talked about take-up of
15 CO2 from the containment --

16 CHAIRMAN BANERJEE: And the aging of
17 concrete.

18 MR. WALLIS: Some carbonizing things,
19 which hasn't been part of the discussion so far at all
20 of chemical effects. The thing that surprised me a
21 bit was there were some really interesting comments by
22 reviewers about things being misleading, or erroneous,
23 or totally inadequate and so on, and so on, and then
24 in the introduction someone presumably from NRC said
25 that the principal objectives have been met, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewers confirm the technical adequacy of the
2 research programs. It's hard to see from some of the
3 comments of reviewers that that was true.

4 CHAIRMAN BANERJEE: Maybe the overall gist
5 of it may be that way, but --

6 MR. WALLIS: As long as it was very
7 preliminary, as long as this was just try it and see
8 what happens, I think you could say that you did meet
9 your objections, but then there was no follow-up. It
10 was all left to industry to follow-up.

11 CHAIRMAN BANERJEE: Well, even if we leave
12 it to industry, it would be valuable to convey to them
13 the issues that came up in the peer review, and what
14 the disposition of these issues was.

15 MR. WALLIS: How about CO2 take-up? Are
16 we now going to require that industry do that?

17 MR. GEIGER: Well, when you model the sump
18 screens and you do these flow tests, it's open to
19 atmosphere because they're done at atmospheric
20 conditions in these test facilities, so they would --
21 unless you put a spray to it that would increase the
22 CO2, it would replicate pretty much what you see in
23 containment for the duration of the accident, except
24 for the first initial spray. Now how much CO2 is in
25 the volume of the containment, that would affect what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happens. I guess I can't really make a judgment on
2 that. I would think that there's negligible CO2,
3 looking at what the percentage of CO2 would be.

4 MR. WALLIS: Well, someone actually did
5 the quantitative analysis.

6 MR. TRAGONING: Rob Tragoning, and let me
7 comment because Professor Banerjee and Professor
8 Wallis have both raised some good ideas for path
9 forward here. And the other piece of information
10 that's missing, as part of this peer review, while we
11 had all the experts together, we also conducted a PRT.
12 Now we're not going to -- we haven't finalized or we
13 haven't summarized the results of the PRT. We're not
14 going to summarize that today; although, many of the
15 peer review comments you might imagine came back up
16 again in the PRT. But the idea behind the PRT, we got
17 - because of the volume of peer review comments that
18 we got, we wanted a way to try to prioritize and rank,
19 and get some idea, at least from the peer reviewers'
20 perspective, which comments were, they felt, most
21 important or appropriate for future consideration. So
22 one of the exercises that we're doing is we're
23 continuing to evaluate the PRT responses, and evaluate
24 which of those, again, issues the peer reviewers felt
25 were most important. And my expectation would be that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an outcome of that would be that the PRT results would
2 be shared with both the industry and NRR, and there
3 would be some consensus, or some joint resolution that
4 we would try to address those and figure out which
5 ones of these we feel are issues, and which ones we
6 feel like we've appropriately addressed. So that's
7 the other piece of missing information that we're not
8 going to have today, but I think it ties into some of
9 the path forward issues or direction that you've been
10 discussing.

11 CHAIRMAN BANERJEE: Okay. That's good.

12 MR. GEIGER: Now depending on what actions
13 the plants take, a lot of these may be moot, a lot of
14 these suggestions. It depends on how much fiber we
15 end up with in which plants, so it's going to be very
16 plant-specific. And I agree, at the point when
17 certain plants make certain decisions, we need to have
18 the capability to evaluate what they're doing. And,
19 perhaps, that's what we need to look at. But I also
20 take your suggestion on actually tabulating all of
21 these peer review comments and coming out with some
22 sort of either resolution and why we did it, why we
23 didn't do it, or what needs to be done. That's a
24 point well taken.

25 CHAIRMAN BANERJEE: It would also be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 useful if all of you took an impartial look at it and
2 said that well, should we really - in spite of what
3 management says, should we really have, as some of the
4 peer reviewers suggested, a relatively small scale
5 program in place to look at some of these effects? So
6 I think it would be nice to divorce this a little bit
7 from what management wants, and what is actually
8 required. They're two different things.

9 MR. GEIGER: Okay.

10 MR. TRAGONING: Again, that's not trivial.
11 Let's go back over the history. We started the
12 chemical experience with conducting a very large
13 number of small scale tests, and the immediate
14 feedback we got from that is they were too simplistic,
15 and we need to conduct multi-scale integrated testing
16 so that we could look at the synergism of all these
17 various variables. So now we're at that point where
18 we did the multi-scale, larger scale testing, and we
19 did find out some things, some combinations that were
20 particularly appropriate.

21 Now I think what the peer reviewers were
22 recommending to say okay, at that point, now you
23 potentially need to go back and do some additional
24 smaller scale tests, focusing on the effects that were
25 identified in the integrated test to try to get a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better understanding of what the effect is of key
2 variables on the specific precipitates. And if I look
3 at some of the work we've done, as well as some of
4 industry's work, there's certainly been a move back to
5 more small scale experiments. Now it's not clear to
6 me yet what additional small scale experiments may be
7 needed, as well as what additional integrated tests
8 may be needed. And I think that's where the
9 industry's research that they're doing now to identify
10 what issues really remain once the specific mitigation
11 procedures were developed, I think it's just
12 particularly appropriate and important to determine
13 which way we really need to go at this point.

14 CHAIRMAN BANERJEE: Okay.

15 MR. XIAO: This is Tony Xiao from
16 Research. Let me just add to what Rob said.
17 Consistent with what I said earlier, we're not going
18 out of business. What we will do is to work with NRR
19 very closely. We will watch, we will monitor what
20 industry's implementation plans are in resolution of
21 these issues. And based on that, we'll make a
22 decision down the road as to what - any research would
23 like to do small scale.

24 MR. GEIGER: And as Rob mentioned, we
25 started out with a small scale, and then this is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue, and I've always faced this quite often, is that
2 you do the small scale - well, how do you know it's
3 really representative of what the macro is doing, so
4 then you do macro tests to actually simulate - and
5 I've worked at the utilities where we've done tests,
6 put in the parameters of our plant and we test it, and
7 this is what we have. There's no budget assigned to
8 do esoteric research and things, we try to solve the
9 engineering problem at-hand. So, I guess, that's why
10 I'm so used to, but when somebody does a small scale
11 test, how does it look on a macro? And if you do
12 macro, then well, how about if we do calculations to
13 calculate it. You do calculations, well, you have to
14 demonstrate it with some tests, so it's a circle. You
15 do your test, then your calculations, so on, so it
16 ends up that you have to do all three. And I think
17 we've pretty much done all three of those things.
18 We've done the small scale, and I'll go later on into
19 some additional testing that we did at ANL, the next
20 presentation. We did some testing at ANL at the
21 request of NRR to investigate the surrogate
22 recommended by the WCAP, and also then we looked at
23 some --

24 CHAIRMAN BANERJEE: What is the surrogate?

25 MR. GEIGER: The aluminum oxyhydride, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way they produce it.

2 MR. XIAO: That's scheduled. We'll start
3 that at 10:50 this morning.

4 CHAIRMAN BANERJEE: Okay.

5 MR. GEIGER: Okay. And that was done by
6 Dr. Shack. Unfortunately, he's not here. Since the
7 budgets for the research had sort of lapsed and the
8 contract's run, I didn't feel I could impose on him to
9 make a presentation, so I'm presenting his paper
10 today. I'm sorry. But we scheduled for today. And
11 I'm sorry if I misread the subcommittee's intent on
12 what you wanted to see today, but when I present some
13 follow-on studies and chemical effects head loss
14 research done at ANL, and then -- well, the peer
15 review, which, after discussing with you, I think
16 we've already discussed the peer review, and we know
17 where it's going. This afternoon we'll have a
18 presentation on the pressure drop research done, and
19 then the correlation down at --

20 CHAIRMAN BANERJEE: But these two, will
21 they take into account chemical effects, or they're
22 just the --

23 MR. GEIGER: These are done with - and
24 this is the one where Dr. Wallis had said that the -
25 we found out that the sequence of addition of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things - but there are no chemicals. These were done
2 using fiberglass calcium silicate, and then we did
3 some coating chips to see what coating chips would
4 affect. It was basically a particulate --

5 CHAIRMAN BANERJEE: And these -- I
6 remember Mr. Krotiuk's previous presentations.
7 Refresh my mind as to whether it takes the sequence of
8 deposition into account, or not?

9 MR. GEIGER: Yes, it does.

10 CHAIRMAN BANERJEE: It does.

11 MR. GEIGER: It was a topic from the last
12 meeting, I understood the subcommittee was interested
13 in.

14 MR. WALLIS: So it would appear that
15 you're asking ACRS to give you feedback on these four
16 items that you're going to present?

17 MR. GEIGER: Yes.

18 CHAIRMAN BANERJEE: And what will you
19 present to the main committee next week? Right?

20 MR. GEIGER: Well, I'm not sure how the
21 main committee meeting was scheduled. I'm not sure
22 what I'm going to present to the main committee at
23 this point. I don't know if anybody has any
24 suggestions.

25 MR. XIAO: At this point - this is Tony

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Xiao from Research. I assume we'll present the same
2 material, unless you have other ideas, or the main
3 committee wants to do something. It's the same
4 material.

5 MR. WALLIS: Until we see it, we won't
6 really know.

7 MR. KRESS: Normally, we try to give some
8 guidance on what we want to hear.

9 MR. WALLIS: Well, I guess you've got to
10 do better than you did in the first hour today.

11 MR. XIAO: We certainly hope so.

12 CHAIRMAN BANERJEE: All right.

13 MR. WALLIS: Okay. So are we going to the
14 South Sea somewhere here?

15 MR. GEIGER: Yes, that would be good, but
16 a day like today with the weather out there. Is
17 Paulette here?

18 MR. TRAGONING: She's getting her memory
19 stick. Do you have your presentation?

20 MR. GEIGER: It's on here, unless she
21 changed something.

22 CHAIRMAN BANERJEE: Well, actually --

23 MEMBER WALLIS: Are there slides?

24 MR. GEIGER: Yes.

25 CHAIRMAN BANERJEE: How did you select the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 peer reviewers? It was a very --

2 MR. GEIGER: Well, maybe Rob could respond
3 to that.

4 CHAIRMAN BANERJEE: In fact, you made a
5 comment that you got suggestions from ACRS and staff.

6 MR. GEIGER: We looked at -- well, experts
7 in various fields that were related to the power, like
8 radiation.

9 CHAIRMAN BANERJEE: The point that was
10 weak in the peer review was the pressure loss parts.
11 The chemistry was strong, but we didn't get enough
12 feedback on the pressure loss.

13 (Off the record comments.)

14 MR. CARUSO: I have one more piece of
15 information. Mr. Scott from the staff told me this
16 morning that the staff had sent out a letter regarding
17 the Research use of the information from -- the use of
18 this research information, and although I'm on the CC,
19 I don't recall receiving it, and I'll pass it out
20 right now. So we're still waiting for --

21 CHAIRMAN BANERJEE: Should we switch
22 around the two presentations? Someone said she went
23 to get her memory stick, but I have it here.

24 MR. WALLIS: Are we on the record with all
25 this discussion here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Why don't we take a little --

2

3 CHAIRMAN BANERJEE: Yes. If she's not
4 here, then --

5 MR. CARUSO: Why don't we take a little
6 break here.

7 CHAIRMAN BANERJEE: Okay. Let's go off
8 the record, take a small break.

9 (Whereupon, the proceedings went off the
10 record at 9:38:38 a.m., and went back on the record at
11 9:45:44 a.m.)

12 CHAIRMAN BANERJEE: Okay. Let's go back
13 into session. Are you ready, Paulette? We're back in
14 session.

15 MS. TORRES: Good morning. My name is
16 Paulette Torres, and I represent Office of Research,
17 Division of Civil Engineering and Radiological
18 Research. I am the --

19 CHAIRMAN BANERJEE: Bring that a little
20 closer.

21 MR. WALLIS: Is the mic on?

22 MS. TORRES: Peer review of GSI-191
23 Chemical Effects Research Program. The purpose of
24 this presentation is to primarily present the
25 reviewers' significant key findings. NUREG-1861

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 described the Chemical Effects Peer Review assessment
2 process, and summarized the reviewers' significant
3 findings. NUREG-1861 also compiles the formal review
4 reports received from each peer reviewer. The final
5 assessment reports of the peer reviewers are included
6 as appendices to NUREG-1861.

7 The Chemical Effects Peer Review consisted
8 of five members, and it is important to mention that
9 this review is not a consensus review. Each reviewer
10 was asked to provide an individual evaluation based on
11 their particular area of expertise, and the Peer
12 Review NUREG-1861 was published December 2006.

13 The objectives of the review are to assess
14 the technical adequacy of research activities related
15 to the chemical effects in pressurized water reactor
16 sump pool environments, to have the peer reviewers
17 recommend improvements to research programs in the
18 area of chemical effects, and to identify additional
19 important technical issues that should be addressed.
20 And to attempt to gain a thorough understanding of the
21 relevancy of these chemical effects in the post LOCA
22 environment.

23 The research project addressed by the peer
24 review included the integrated chemical effect testing
25 at Los Alamos National Laboratory, the ICET follow-up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing and analysis, also known as the aluminum
2 chemistry research, also conducted at Los Alamos. The
3 chemical speciation prediction, also known as the
4 Thermal Dynamic Simulation, conducted at the Center of
5 Nuclear Waste Regulatory Analysis, and the chemical
6 effect head loss research conducted at Argonne
7 National Lab.

8 This table, you have seen it before, but
9 we wanted to, again, present that the chemical effect
10 consisted of five members selected from industry and
11 academia, and they were selected for their diversity
12 and their affiliations, and technical expertise. The
13 review group participated in kick-off meetings and
14 final meetings, which promoted the discussion, and
15 enabled the members to exchange information, and
16 address questions.

17 The members developed individual
18 preliminary reports, as well as individual final
19 reports, and those were provided as appendices to the
20 NUREG, that provided the formal assessment of both the
21 prior and ongoing research activities. Next slide.

22 I just want to say that the summary of key
23 findings - they are part of the NUREG, and I just want
24 to highlight them, because there were a lot. I'm just
25 going to highlight the ones that we thought were very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important to share.

2 MR. WALLIS: It's strange. I mean, bullet
3 one and bullet three seem to be in disagreement.

4 MS. TORRES: For bullet one --

5 MR. WALLIS: You've simulated the
6 principal variables, and yet the ones which you
7 haven't simulated maybe have the most impact. It
8 doesn't seem to make any sense.

9 MR. GEIGER: Those were the findings, so
10 I guess -- I mean, this -- in other words, what this
11 states is there are different reviewers, there are
12 five reviewers and different reviews --

13 MR. WALLIS: Okay. So that's two
14 different people speaking. Right?

15 MR. GEIGER: Yes.

16 CHAIRMAN BANERJEE: I guess, again we come
17 back to how you might want to present this, that when
18 you have something like that on a slide it really begs
19 the question. I mean, if you put it as individual
20 reviewer comments, and Reviewer 5 said this, and
21 Reviewer 2 said that, that would be --

22 MR. GEIGER: Well, it wasn't a consensus
23 so there wasn't a vote, but yes. Okay.

24 MR. WALLIS: Number two is the vaguest
25 possible conclusion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: What you are showing
2 is the texture of the reviews here. All right.

3 MS. TORRES: Well, to support number one,
4 bullet one, I got that they agree on the type of
5 materials that were presented in the research testing,
6 and they said that they have been appropriately
7 selected.

8 MR. WALLIS: Well, my summary of the key
9 findings is that they all agree there's a long way to
10 go before you have much understanding of what happens
11 chemically in a sump.

12 CHAIRMAN BANERJEE: Wouldn't that be
13 better to say here? I mean, that --

14 MR. GEIGER: Would we be done then?

15 MR. WALLIS: That's really what they say.
16 They talk about all kinds of species which could
17 happen, and all kinds of other effects which could
18 occur, and so on. There's a long way to go before you
19 really have confidence and you know what's happening.

20 CHAIRMAN BANERJEE: And then you could say
21 why you don't agree with that. That's fine.

22 MR. GEIGER: Well, it's interesting,
23 because if you look at this comment, the third bullet
24 --

25 MR. WALLIS: Which says - now, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reading, I'm quoting from the report here.

2 CHAIRMAN BANERJEE: Yes.

3 MR. WALLIS: I think this is the summary
4 written by you guys. The reviewers agree that the
5 methods used within the ICET program were not
6 sufficient to characterize and analyze chemical
7 byproducts. That's a statement in the peer review
8 report, and I think it's in the summary, so it must
9 come from you folks. That doesn't seem to agree with
10 what you put up here.

11 MR. KRESS: That's probably the source of
12 the fourth bullet.

13 MR. WALLIS: But the top one says,
14 "inadequately simulated", and here it says, "the
15 methods used were not sufficient."

16 MR. KRESS: Contribute that first bullet
17 to one reviewer.

18 MR. WALLIS: One reviewer. Okay. All
19 right. I'll -- maybe we should move on then.

20 MR. KLEIN: Paul Klein from NRR. I think
21 the first bullet also might address things like the
22 ICET tank represented containment materials, the boron
23 level approximated the equilibrium temperature of the
24 pool, so I believe it's related more to those parts of
25 the test.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. TORRES: For bullet two, the reviewers
2 suggest a comprehensive evaluation of the physical and
3 chemical properties of the observed precipitates,
4 along with a detailed evaluation of all the data to
5 better understand the product formation. And they
6 agree that the temperature has a significant effect on
7 solubility and the types of compounds that will form,
8 and also recognize that temperature is a difficult
9 aspect to model, and they recommend further work.

10 MR. KRESS: Well, in that fourth bullet,
11 they seem to be concerned about particles and particle
12 sizes. But I've been under the impression that these
13 chemical effects are due to gels, gel-like substance.
14 I'm not quite sure I understand what they're focusing
15 on there. Could you comment on that?

16 MR. GEIGER: Well, part of the -- because
17 we looked at also the particles that could affect the
18 insulation debris bed, and the particle size as far as
19 the property of the coagulate and so on that forms.
20 I'm not sure these are particle sizes actually or just
21 in a different molecular structure and size of the
22 molecules.

23 MR. KRESS: Yes, you might get some of the
24 molecules out of an x-ray, but transmission would have
25 to -- okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: Paul Klein from NRR. I
2 believe the comment on particle size probably came
3 from Dr. Woo Chin who specializes in filtration, and
4 part of his comments were that the particle size is
5 important for trying to understand the impact to head
6 loss.

7 MR. WALLIS: Well, I think what you got
8 from that was that - you can't just talk about a
9 precipitant. In some experiments, they got a heavy
10 snow, and in some cases they got very, very, very
11 fine, some cases they got precipitate you couldn't see
12 at all, yet it was clogging up the screen, so it's not
13 good enough to just say we have calcium phosphate
14 precipitate. It's very important what its physical
15 nature is. And this isn't something which I think
16 anyone has really researched in these programs. They
17 just got precipitates, and they've taken whatever
18 they've got, but they haven't said what were the
19 conditions that gave us a coarse one, or a fine one,
20 or an unrated one.

21 MR. KRESS: Well, if you're going to try
22 to understand the effect on pressure drop, you'll
23 probably need that.

24 MR. WALLIS: You need that.

25 MR. KLEIN: I think ANL did a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 studies trying to evaluate the effects of different
2 parameters on the size of precipitate that formed, and
3 whether it was amorphous, or crystalline. And Mark
4 Lasky at LANL did try to evaluate things like the
5 amount of hydration, so that work has been done.

6 MR. WALLIS: Yes, there were some
7 observations, there were some observations, but I
8 don't think there was a predictive capability that
9 said in a sump, if you know what your sump is, this is
10 going to be the size of your precipitate.

11 MR. KLEIN: I agree with that statement.

12 CHAIRMAN BANERJEE: I think one of the
13 things the reviewers pointed out was that we didn't
14 take into account the effect of the very high
15 radiation fields in --

16 MR. WALLIS: It's on the next page.

17 CHAIRMAN BANERJEE: Oh, is it?

18 MR. WALLIS: It's on the next page, yes.

19 CHAIRMAN BANERJEE: Okay.

20 MS. TORRES: For the chemical fixation
21 prediction program, the reviewers agree that this
22 program does not explore the existing capabilities of
23 the selected host to their full advantage. Two
24 physical effects in that model were the radiation
25 field from the fuel, and the layer of corrosion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 products on the interior surface of the RCS. And
2 reaction rates, also known as kinetic, are not handled
3 well by the modeling software.

4 MR. WALLIS: What does the NRC think about
5 number two? I mean, has there been an assessment of
6 the effects of radiolysis, or has there been an effect
7 -- assessment of the effect on these ferritic
8 corrosion, or iron basis interacting with what's in
9 the sump? Has there been an assessment of that, or is
10 it just comment that the reviewer made?

11 CHAIRMAN BANERJEE: Well, this is a
12 comment which is common to a lot of the reviewers.

13 MR. WALLIS: So is somebody following up
14 on that?

15 MR. KLEIN: Paul Klein from NRR. Yes, Dr.
16 Wallis, we are. We've asked those questions of
17 industry as part of the RAI that went out with WCAP
18 1650NP, so we'll be following that up with industry.
19 And, ultimately, we trying to get a contract in place
20 to bring in some more technical expertise to help us
21 on a number of issues, including this one.

22 MR. KRESS: This has to do with
23 recirculation to the core?

24 CHAIRMAN BANERJEE: That's one shield, but
25 gamma, high gamma field --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Gamma is not going to do it to
2 the sumps.

3 CHAIRMAN BANERJEE: No, but there --

4 MR. KRESS: Recirculation to the core.

5 CHAIRMAN BANERJEE: -- is also a concern
6 about any releases would lead to alphas, which have a
7 short range effect, and they could then have an effect
8 on the sump. I mean, it's a complicated business, and
9 also got to do with any released fission products.

10 MR. KLEIN: And we'd also have to look at
11 how much shielding is afforded by the sump pool, so
12 what kind of radiation you're looking at.

13 CHAIRMAN BANERJEE: Yes. I think Digby
14 points out iodine.

15 MR. KRESS: Yes, but we're -- in this
16 problem, we're only dealing with what's possibly in
17 the gap of a fuel element, and this is not --

18 CHAIRMAN BANERJEE: Right.

19 MR. KRESS: Fission products aren't a
20 problem.

21 CHAIRMAN BANERJEE: Yes. I think you
22 really need to address the issue and put it to bed, if
23 necessary. They're concerned about peroxide as well,
24 right? They're also concerned about hydrogen peroxide
25 forming.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: Yes, they mentioned hydrogen
2 peroxide generation, yes, and its reaction.

3 CHAIRMAN BANERJEE: Well, there's so much
4 -- I mean, we are coming back to the point that I
5 think you really need to address this in a more
6 systematic way than you're doing here. I think you
7 need to tabulate them, take the remarks, see what your
8 response is. If you don't know, just be honest. Say
9 it needs to be further assessed.

10 MR. GEIGER: The question is how would we
11 publish that, what kind of a document would have that?
12 Maybe another NUREG --

13 CHAIRMAN BANERJEE: Well, maybe just
14 internally to present to us. If you come in front of
15 the main committee next week, I think it would be
16 useful to summarize what the three or four main
17 comments each reviewer made, and what your response,
18 and what are common, or something like that, what are
19 the issues. And some you can address, some you can't,
20 some you're giving to industry to address, whatever
21 action you're taking on it, that would be useful.

22 MR. GEIGER: Point well taken. Should we
23 finish this?

24 MR. WALLIS: Well, there's an interesting
25 peer review by Brian Sheron in the preface, which says

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, "This work provides initial understanding and
2 insights." I agree with that, but that sort of raises
3 the question, where do you go from here, if anywhere,
4 if you've just got an initial understanding and
5 insight.

6 CHAIRMAN BANERJEE: I guess you're coping
7 with the feeling that ACRS had, and we put in our last
8 letter, that some research should continue. And
9 looking at this peer review, the peer reviewers seem
10 to feel the same way. Now if you say that you're
11 going to turn all this over to industry, as you've
12 done, then I think some justification --

13 MR. GEIGER: Be provided.

14 CHAIRMAN BANERJEE: Yes, should be
15 provided saying we don't believe that we need to do
16 this, but industry can do it, and we'll monitor it.
17 Something happens, we'll take care of it then. There
18 has to be some specific response to each of these
19 points.

20 MR. GEIGER: Well, if you look at the
21 reports, there's well over 100 different points going
22 paragraph by paragraph on the different, and we did
23 not address them because, one, a lot of these -- as
24 the research developed, and this peer review was done
25 pretty much after we had some research, so a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times it's difficult to go back. And where we could,
2 we went back, because the reviewers also were involved
3 with the labs. So, in the end, we got the product we
4 got.

5 CHAIRMAN BANERJEE: But now in retrospect,
6 we can look at these and divide them into major
7 comments or minor comments. You can see the minor
8 comments, we don't need to worry about too much. Here
9 are some of the major comments. Some of these were
10 addressed during the research, some of these were not,
11 then what do you intend to do about this? If you
12 think they're important, it's also your judgment call.
13 You guys have been doing the research.

14 The part of the peer review which I
15 thought was not particularly strong was related to
16 pressure losses compared to the chemical part of it,
17 and the interpretation of the pressure loss
18 experiments, and what to make of it, for what it's
19 worth. Let me give you my feel for it.

20 MR. GEIGER: Because I guess the experts
21 we had were more in the other fields, and really were
22 not hydraulics-type people, so that didn't catch their
23 interest as much as the chemistry that was occurring
24 in the pool.

25 CHAIRMAN BANERJEE: All right. So there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one whole set of experiments which were --

2 MR. GEIGER: Well, because that's --

3 CHAIRMAN BANERJEE: You asked them to look
4 at three sets of experiments - sorry, one study which
5 was simulation, the other was the ICET tests, and then
6 the pressure loss tests. And the pressure loss didn't
7 get the same --

8 MR. GEIGER: Review.

9 CHAIRMAN BANERJEE: -- examination.

10 MR. GEIGER: I guess, not to be simplistic
11 or something, but I guess originally the GSI-191
12 started out as effects on ECCS performance. Correct?
13 So we did all this chemical testing and so on, and the
14 particulate testing to see what the products were.
15 And then at the end when we plugged them into some
16 head loss test, we realized we had a problem, so we
17 sort of demonstrated what the issue was. Now I
18 understand that's sort of simplistic, and it's not a
19 holistic research approach, but right now we know that
20 there are some issues with these chemicals going to
21 the sump, so now it's up to the industry to show that
22 either these chemicals or the blast doesn't get to the
23 sump, or whatever. And then if, at that point, there
24 are issues that still are out there that we need to
25 look at, then I think we would look at it. Again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting back to the thing, even with this peer review
2 and all these recommendations, at this point we sort
3 of felt that --

4 MR. WALLIS: And these aren't just
5 recommendations, they're statements they are quoting.
6 Shannon says, "There is a high possibility that the
7 sump screen will encounter head loss problems during
8 post LOCA recirculation. It's a statement, quotable
9 statement. And he says, "The total suspended solids
10 were in the range in which rule of thumb expects
11 plugging in a few days, one to three days." This is
12 what he says, right? He makes these statements, and
13 they're in a published NUREG, so I'm not quite sure
14 how the agency handles things like that.

15 MR. KLEIN: Paul Klein from NRR. I think
16 from our perspective, we understand the issue, but
17 keep in mind the one thing that the peer review panel
18 did not have access to, is industry's response to some
19 of these issues. And you'll find that for a number of
20 plants that have problematic materials, or a bad
21 combination of buffering materials, they're taking
22 action to try and prevent the problem from occurring,
23 rather than show that they can accommodate the head
24 loss, because the test results from both NRC sponsored
25 and industry sponsored testing have shown that it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't take a whole lot of hydrated amorphous
2 precipitate to cause problems in head loss space.

3 There is a number of things that are being
4 done to try and not put yourself in a position to have
5 a continuous fiber bed, and have amorphous hydrated
6 precipitate impinge upon that in a post LOCA
7 situation.

8 CHAIRMAN BANERJEE: Well, what --

9 MR. WALLIS: Does this happen very often?
10 Sorry.

11 CHAIRMAN BANERJEE: Go ahead.

12 MR. WALLIS: I was just thinking that this
13 is an interesting situation, because so much of these
14 technical problems get resolved between the NRC and
15 industry, and the public, all the experts apart from
16 the ACRS don't sort of get involved in the process.
17 And here you've got an open process where you've
18 solicited peer reviews from people not involved
19 directly in the problem, or in the regulatory
20 framework, and they've written this report. This is
21 sort of an outsider's comment on what's going on.
22 Just reading it like that, it raises all the questions
23 about what's going on. Are we just going to leave it
24 there in that context, or is it going to be food --

25 MR. GEIGER: Well, I think --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: -- or what is it?

2 MR. ABDEL-KHALIK: I think you heard Rob
3 Tragoning earlier speak about a PRT that was done with
4 the peer review panel, and a ranking of issues was
5 done by the peer review panel themselves. And I
6 believe he commented that he owed, or not he, but
7 research was planning on developing that further, and
8 bringing it forward for review.

9 MR. GEIGER: Getting back to the specific
10 comment where the statement was made that there's not
11 particulate to create clogging within a couple of days
12 he said. Right? Well, that right there is a
13 conclusion. I'm not exactly sure what you're looking
14 for for research to do with that, or -- I mean, right
15 now that's out in the public --

16 MR. WALLIS: Well, if I were a lawyer, if
17 I were a contesting party's attorney, I would use
18 these quotes. I'd ask for a response.

19 MR. GEIGER: From NRC or from?

20 MR. WALLIS: From the agency.

21 MR. GEIGER: And I think we can say that
22 we are responding.

23 MR. WALLIS: You're lucky I'm not a
24 lawyer, or don't intend ever to be one.

25 MR. GEIGER: Well, right now -- these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports are all public, and everybody is aware of
2 them, so industry --

3 MR. WALLIS: Which is good.

4 MR. GEIGER: We're getting back to the
5 same thing, is that we have -- actually, you have to
6 give the NRC a lot of credit in that they have
7 demonstrated that there are some of these issues that
8 are real. All right? That's where we are. And now
9 we're trying to cope with the real issues. That's
10 where it's all at. And the bottom line is going to
11 be, and what is occurring is that individual plants
12 are doing testing based on their sump designs, their
13 chemicals, their buffers and the insulation, and
14 whatever else they have to come up with a viable sump
15 screen design so that they meet the minimum MPSH
16 requirements. That is basically where the whole thing
17 is right now. And it's in industry's hands to develop
18 that, and that's all we can offer. We can't go and
19 design their sumps for them or anything.

20 CHAIRMAN BANERJEE: Of course, but on the
21 other hand, some issues raised here go a little bit
22 beyond that, because we were aware of these issues
23 with downstream effects. But, clearly, there is an
24 issue with deposition in the core, solubility, all
25 these things have been brought up by the peer review.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: And these are supplemental to
2 the original task or scope of the whole GSI-191, I
3 think, because they were sump, ECCS. Right? Now
4 we're into the core, which right now - because
5 research is not involved in downstream effects. As
6 Paul had mentioned, there are a lot of efforts within
7 NRR to address downstream effects, and I can't really
8 speak to any of those. I just know there's some
9 analysis being done --

10 CHAIRMAN BANERJEE: Well, I realize you're
11 not involved with temperature gradient effects, but
12 that has been brought up as one of the main - one main
13 issue.

14 MR. GEIGER: I guess what it is, is we
15 need to address that.

16 CHAIRMAN BANERJEE: Yes, one way or the
17 other.

18 MR. GEIGER: We need to address that, yes.

19 MR. WALLIS: Well, how will you address
20 it? You will require that industry do experiments
21 with heat transfer surfaces and chemical effects?

22 MR. GEIGER: Well, I guess we need to get
23 together with NRR to see how that would work.

24 MR. WALLIS: How are you going to simulate
25 the core environment with a very high radiation? Are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you going to do that? That's not an easy experiment
2 for industry to do unless they put it through a real
3 core.

4 MR. GEIGER: I guess one of the things we
5 would have to look at is how much calcium really is
6 there? See, these are issues. My experience with
7 plants is that calcium - if there's very little
8 calcium by insulation that's exposed. I would be
9 surprised if any number have a significant --

10 MR. WALLIS: Well, there's concrete dust.

11 MR. GEIGER: And there's concrete dust.
12 And, typically, the concrete and everything is painted
13 to facilitate decontamination. It all has many layers
14 of epoxy on it, so now there are some plants that may
15 have bare concrete. But, see, all of these are very
16 specific items, specific to certain plants. Now if
17 one plant has all this concrete, yes, we need to - I
18 guess we need to look at it, because then they would
19 have a problem. But until it's shown that there's
20 really a lot of bare concrete, I guess it would be
21 something that NRR would need to address with the
22 different utilities, whether there's an issue. I
23 think we need to discuss that within NRR.

24 MR. TRAGONING: And if I could just add to
25 that a little further, I think the WCAP testing showed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the contribution of total calcium from concrete
2 was relatively small compared to contribution from
3 things like cal sil, or even insulation. And the peer
4 review agreed with the assessment that the
5 contribution from concrete would be relatively small.

6 MR. WALLIS: I think they also said it's
7 been around a long time. It's going to be carbonate
8 by the time --

9 MR. GEIGER: That's correct.

10 MR. CARUSO: Well, it's interesting, we
11 have this letter that Mr. Scott sent out on the use of
12 this information, and for the peer review it says,
13 "The staff will apply insights from the NUREG in
14 evaluating uncertainties. The staff has also used the
15 insights to assess generic industry approaches.
16 However, the overall applicability of the peer review
17 comments to the staff's regulatory implementation in
18 GSI-191 is limited." What does that mean?

19 MR. GEIGER: Well, that's an NRR letter,
20 but I think what it -- do you want to respond to that?

21 MR. KLEIN: I'll take a crack at it. What
22 we tried to communicate in that letter was that there
23 was good information within the peer review panel.
24 We've taken some of the issues that were identified by
25 the peer review panel, and we haven't put our heads in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sand. We've asked industry, in some cases, to
2 address some of these issues. I think I mentioned
3 earlier, we're trying to get a contract in place to
4 bring in additional technical expertise on some of
5 these issues to help us out. The last part of your
6 statement that you read, though, was intended --

7 MR. XIAO: Not my statement.

8 MR. KLEIN: I'm sorry. The last part of
9 the statement that you read was intended to get the
10 thought across that the peer review panel comments by
11 themselves didn't provide regulatory direction for us,
12 that they identified issues, or important parts of the
13 research that we would consider, but it was not a
14 direct link to, for example, reviewing Generic Letter
15 20004-02 Supplemental Response.

16 CHAIRMAN BANERJEE: What is the point of
17 having that last sentence in your regulatory use of
18 peer review? It seems superfluous to me. "However,
19 the overall" - also seems a bit God-like. "However,
20 the overall applicability of the peer review comments
21 to the staff regulatory implementation of GSI-191 is
22 limited." Why add that?

23 CHAIRMAN BANERJEE: I don't understand
24 what is limited here.

25 MR. KLEIN: I think the limitation is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 - and you take any of this research, and it might
2 identify important parameters, or key issues, but it
3 does not always provide a direct link to a plant-
4 specific problem, and so that's the limitation that
5 we're trying to identify.

6 CHAIRMAN BANERJEE: Is that what you mean,
7 that some of these comments do not apply to plant-
8 specific problems?

9 MR. SCOTT: This is Mike Scott. As we've
10 said a number of times, one of the constraints of the
11 resolution of GSI-191 is the tremendously plant-
12 specific nature of this issue, and every aspect
13 related to it. And so what Paul was trying to get at
14 is that a lot of this research information - and
15 you'll see this theme in that memo in several places -
16 a lot of this information is intended to support the
17 staff in reviewing what the industry turns into us
18 plant-by-plant. And because it's plant-specific, a
19 generic statement about a particular problem may or
20 may not apply to each of these plants. And the method
21 that's been chosen, and we understand you have
22 concerns with it, is to identify the problem to the
23 industry, and review what the industry does in
24 response to it. And then based on what the industry
25 does, or maybe does not do, we might consider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional research. And that's the path that's been
2 taken, and that memo is intended to speak to that.

3 MR. WALLIS: Well, there's a question -
4 let's take anything, like this business of corrosion
5 products on the vessel, the layer of oxides of iron.
6 A question has been raised by these reviewers. It may
7 well be that industry doesn't do anything about this.
8 What are you going to do? Are you doing to do
9 anything about it, or just leave it out there as a
10 question?

11 MR. SCOTT: If there are unanswered
12 questions at the end of this process that we're going
13 through now, which will wind up presumably next year,
14 since the responses come in towards the end of this
15 year - if there are unanswered questions, and there
16 undoubtedly will be, then we will have to assess for
17 each of those questions whether they are significant
18 enough that they need to be followed up in some
19 manner. And if they need to be followed up in some
20 manner, what that manner is.

21 MR. WALLIS: Someone has to go through all
22 the peer review, and look at all the questions raised,
23 and at some point, decide on your response to it.

24 MR. SCOTT: We have to look at the
25 questions that are out there at the time. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know that we have signed on --

2 MR. WALLIS: I don't know what that means.

3 MR. SCOTT: Let me finish. I don't know
4 that we have signed on to go through each peer review
5 comment. That's a good suggestion that we'll
6 certainly consider.

7 MR. WALLIS: When you say a question
8 arises, now whose question, is it your question, the
9 reviewers' question, industry's question?

10 MR. SCOTT: Ultimately, in the resolution
11 of the generic letter, it's the staff's question.

12 MR. WALLIS: It's your question, so if you
13 choose not to ask a question that a peer reviewer
14 asks, you've got to have, probably, some justification
15 for that, it would seem.

16 MR. SCOTT: It would certainly seem
17 reasonable that if a question has been raised by a
18 knowledgeable source that we should have an answer to
19 it, yes.

20 MR. CARUSO: Now you said also that this
21 peer review points up the fact that the resolution is
22 very plant-specific, yet the staff has told the
23 committee on several occasions that it only plans to
24 sample some of the licensee responses, and does not
25 plan to review each individual plant response. How do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you fit those two concepts together?

2 MR. SCOTT: I don't recall having made
3 that statement, Ralph. What we are going to do, and
4 we are doing, as I've said in past meetings, is we are
5 auditing a sample of plant responses to the generic
6 letter. We are attempting to get two samples from
7 each vendor's solution set; so that is, we'll do two
8 plants that use AECL as a vendor, for example, two
9 plants that use General Electric, and so on. And from
10 that sample, we are providing the information to the
11 industry to say here are the issues that are
12 identifying. I did not say earlier, at least I didn't
13 intend to say, that we're not going to look at the
14 generic letter responses that come in from the
15 individual plants, because we are. The question of
16 the depth of review of the individual plants will
17 largely be based on what we find in the audits that
18 are ongoing.

19 MR. WALLIS: Well, there is a question not
20 just of what the chemicals do in the sump, but what
21 the chemicals do in the core, isn't there? What they
22 do in the whole part of the -- the whole circulatory
23 system.

24 MR. SCOTT: Yes.

25 MR. WALLIS: Is that part of your concern?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Do you know the questions to ask in that regard?

2 MR. SCOTT: We are working on - I should
3 say working with the industry. They are planning to
4 turn in a topical report on downstream effects, both
5 in vessel and ex-vessel. The ex-vessel report is in-
6 house, the in-vessel report is not yet in-house.

7 MR. WALLIS: It did include chemical
8 effects, right?

9 MR. SCOTT: I believe that's correct, yes.
10 That reported is expected to come in-house in May, but
11 it's going to be really tight getting that review to
12 support the December 31st deadline for the generic
13 letter.

14 MR. WALLIS: Does this material boil when
15 it goes through the core in recirculation phase?

16 MR. SCOTT: Does what material boil?

17 MR. WALLIS: The coolant, the recirculated
18 coolant containing all this stuff.

19 MR. SCOTT: There will be boiling in the
20 core, yes.

21 MR. WALLIS: It will boil. So,
22 presumably, you need to know something about what
23 happens to it when it boils?

24 MR. SCOTT: And the concentration that
25 occurs to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Do you guys know anything
2 about what happens to this soup when it boils?

3 MR. SCOTT: These questions have been
4 asked of the industry in conjunction with their soon
5 to be submitted topical report.

6 MR. WALLIS: So my question was, do you
7 folks know anything about what happens when it boils?
8 I wasn't asking what industry might know.

9 MR. TRAGONING: I think we do know what
10 happens with some of these materials as they're
11 heated. I don't believe we've run a specific test, or
12 we've taken it to boiling and continued to boil it for
13 a long period of time.

14 MR. WALLIS: You're very dependent then on
15 what industry tells you.

16 MR. TRAGONING: Our currently planned
17 resolution process depends on the industry to resolve
18 the issues that have been identified to them, yes. If
19 that approach does not result in success at the end of
20 the day, then we'll come up with a different one,
21 which might, as we've said several times, might
22 involve additional research.

23 MR. WALLIS: Is there any historical
24 precedent of a major technical issue that was resolved
25 solely by industry?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAGONING: I believe you've asked
2 that question before, Dr. Wallis, and --

3 MR. WALLIS: Well, we're still thinking
4 about that. I mean, in the old days it seemed to me
5 that almost all the key research was done by NRC, but
6 that was when there was all the money for it.

7 MR. TRAGONING: I'm afraid I'm not going
8 to be able to answer that one.

9 CHAIRMAN BANERJEE: Shall we move on then?

10 MR. WALLIS: Yes, we should move on.

11 MR. GEIGER: Where are we? I guess my
12 whole presentation from here on changes a little bit.

13 MR. KLEIN: Before you leave this slide,
14 could you give us specific examples about some key
15 findings or recommendations that were, in fact,
16 incorporated into the research?

17 MR. GEIGER: This statement is based on
18 conversations I had with people who previously had
19 some of these projects. I don't have any specific --

20 MR. WALLIS: I haven't found any examples.
21 That's a good question.

22 MR. XIAO: I think in some of the chemical
23 speciation modeling, they did additional work that
24 reflected the reviewers' comments, and you'll see that
25 in some of the peer review panel comments. I know one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the things that was evaluated at ANL was use of
2 sodium aluminate instead of aluminum nitrate to
3 produce the precipitate based on a peer review panel
4 comment, so there were a few things that were done.

5 MR. GEIGER: Also, I'm sorry, I do not add
6 on a CMWRA, thermal dynamic simulation. Some comments
7 were taken into consideration, additional analyses -
8 so that much I know.

9 CHAIRMAN BANERJEE: When did the peer
10 review finish, in June last year, actual work of the
11 --

12 MR. GEIGER: About that time.

13 CHAIRMAN BANERJEE: Around that time? And
14 when did the research program sort of finish?

15 MR. GEIGER: About the same time.

16 MR. WALLIS: Well, there was comments, for
17 instance, on the use of calcium chloride to simulate
18 the solution of cal sil, give unrealistically high
19 concentration and fails to provide other solutes, such
20 as blah, blah, blah, blah. I'm not aware that
21 anything was done afterwards to change the way in
22 which --

23 MR. GEIGER: I can't answer that either.
24 I guess the point - we've taken the point from the
25 ACRS that we should do an accounting of the comments,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which we have not done a thorough accounting, so
2 perhaps we can leave it at that.

3 CHAIRMAN BANERJEE: In a more generic way,
4 what this points up is that while you should be
5 commended in having this peer review process, which I
6 think was very valuable, the earlier it can be in a
7 research program in terms of interactions, the better.
8 A different view point.

9 MR. GEIGER: Well, the sequence is how do
10 you set it up, because you have to have a certain
11 amount of something done so they critique it. Right?
12 And then when they critique it, what do you do, you go
13 back and redo everything again? So it's a dilemma, I
14 think. I'm not sure exactly -- if you have a
15 suggestion how you could work around that problem
16 without doing things twice, and anything --

17 CHAIRMAN BANERJEE: I guess it's a more
18 iterative process than --

19 MR. GEIGER: It's difficult to go back and
20 tell LANL that now you've got to redo all these tests
21 and put some pathways --

22 MR. WALLIS: Well, the good thing is that
23 all the peer reviewers involved in the planning and
24 execution of the program.

25 MR. GEIGER: I think what we were hoping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that we had a certain test program out there. We
2 ran it a certain way. We came up with some results,
3 and then the peer review basically did an assessment
4 of whether that was done correctly, was it valuable,
5 or could more have been done? So I guess my main
6 question is, or my consideration is what we have done,
7 is it adequate to inform the question at hand? And
8 you may disagree with me, but at this point, I would
9 say that other than downstream effects and effects on
10 plating out on the core and that sort of thing, which
11 we have not really looked into at all, or plating out
12 on the RHR heat exchangers and so on, where constantly
13 there were temperature fluctuations and things. Other
14 than that, I think we have gotten information that
15 pretty well defines what happens in the sump pool
16 itself, and how it affects the sump strainer. And it
17 points to certain issues that are being dealt with via
18 - by NRR via the industry. I don't know what else I
19 could offer to that. Now, we could --

20 CHAIRMAN BANERJEE: You've got indications
21 of where the problems are.

22 MR. GEIGER: I guess what we could do --
23 the peer review indicates where you could have done
24 more, where problems are. I mean, the statement Dr.
25 Wallis quoted about clogging the strains in four days,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well, that's a fact. Right? That's a statement. Now
2 I guess we could look into whether -- we could either
3 do some looking into it to see if we agree with that,
4 or if we could counter it. That may be -- maybe it's
5 not as serious as that reviewer thinks it is. We have
6 not done that, and I guess your point is well taken,
7 that perhaps we should maybe address each --

8 MR. WALLIS: I think we're spending so
9 much time on this because, in general, we like the
10 idea, I think collectively, of having peer reviews.
11 It provides a useful check on what you're doing. You
12 have some outside eyes, and maybe they see things that
13 you didn't see yourselves.

14 MR. GEIGER: Yes.

15 MR. WALLIS: Very useful. And the
16 question which you're asking here is well, now you've
17 got this thing, which is a huge document, much bigger
18 than the original research they're reviewing, what are
19 you doing to do with it? I wouldn't want this to be
20 a bad experience where you decided we'll never have a
21 peer review again. It should be a good experience,
22 and you should benefit from it.

23 MR. GEIGER: Well, I guess my answer would
24 be to that, is if there was something glaring in the
25 peer review, we should deal with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: That's nice to hear.

2 MR. TRAGONING: Well, it's a valid
3 question, certainly, that if points are raised in a
4 peer review, what are you going to do about them? We
5 certainly understand your point.

6 MR. GEIGER: Let us get back to you on
7 that. Okay?

8 CHAIRMAN BANERJEE: Yes. Also, let's say
9 some of us submit a report or a paper to a journal
10 where it's peer reviewed, you will get comments like
11 this. Okay? And then before you are able to publish
12 it, you have to actually respond to each comment and
13 do something about it. It's not that you can just
14 pass it off. No, there's no way. All right. Let's
15 go on.

16 MR. GEIGER: I don't know if there's any
17 point. I just may embarrass myself if I go further on
18 this, because you're not going to agree with some of
19 these things. The comments on the ICET, again - the
20 initial objective of the ICET program was to simulate
21 the sump pools in representative plants, and we tried
22 to cover the bases with the materials that we expected
23 to see. We polled the industry to see what
24 constituents they had and we ran tests on that. And
25 based on that, we identified the compounds that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 formed, and it's a very -- it's a seven volume report.
2 It's a huge report, and I don't know what else we
3 could add to that. It's all completed now. I guess
4 we could, if need be, we could resurrect some of the
5 testing, but at this point, I think the ICET program
6 accomplished what it was intended to do, which was to
7 identify the chemical products that are formed --

8 MR. WALLIS: I've got a question. Will
9 there be chemical products? And the best conclusion
10 from the point of view of what one had to do would be
11 that nothing happened, unfortunately or fortunately,
12 whatever. And, realistically, things did happen, and
13 you did identify some major products, which then led
14 to some work at Argonne. That's fine. It's useful.

15 MR. KRESS: This could be considered your
16 response to the first three bullets on --

17 MR. GEIGER: Right. That was the --

18 MR. WALLIS: But claiming that this thing
19 really simulated what happens in a real sump pool is
20 quite a big step, and I think that quite a few
21 reviewers said this isn't really a real sump pool.
22 Other things are going on.

23 MR. GEIGER: Well, okay. There's
24 Radiolysis, which we really couldn't --

25 CHAIRMAN BANERJEE: You could have added

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some hydrogen peroxide, for example.

2 MR. GEIGER: I guess we could have.

3 CHAIRMAN BANERJEE: Anyway, I think we're
4 only quibbling over the word "sufficient". I think if
5 you say it is the staff's opinion that the tests
6 provide insight into some of the chemical processes --

7 MR. WALLIS: Some of the major processes,
8 or something.

9 CHAIRMAN BANERJEE: Yes.

10 MR. WALLIS: Yes.

11 CHAIRMAN BANERJEE: I think that would be
12 more modest and more accurate. "Sufficient" is a very
13 strong word there. Perhaps, I mean, you don't want to
14 overstate your case. It doesn't do anybody any good.

15 MR. GEIGER: Well, I would like to, I
16 guess, not get too deep into this, but I will go back
17 and --

18 MR. WALLIS: What it told you is that you
19 had to pay attention to chemical effects. That's
20 really what you learned from it. So the question then
21 was what's the next best step?

22 MR. GEIGER: In the chemical speciation,
23 again I'll state that, the primary purpose of that
24 program was - well, there were actually two of these
25 CNWA programs, one was there were some tests run

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simulated to identify what type of constituents we
2 should include and the quantities in the ICET test,
3 and to see if temperature was a concern, and should we
4 run at elevated temperatures or fluctuate, so these
5 tests were, I guess, to inform that. And then the
6 follow-on additional chemical speciation prediction
7 was intended to give us a tool, to see if we could
8 find a tool that we could use to then just do an
9 analysis of simple chemistries and predict what the
10 chemical products would be, and so on. So the outcome
11 of that was that it had some benefit, but it was --
12 the database used in the predictions was not, I
13 guess, wide ranging enough to be able to provide us a
14 tool that we could consider.

15 CHAIRMAN BANERJEE: The two most
16 knowledgeable reviewers in this direction seem to feel
17 that these programs were rather inadequate for
18 handling the sort of problem that arose here where
19 there was a lot of kinetics, and metastable states and
20 stuff like that. And as far as I know, much of these
21 programs were associated with just thermal dynamics.
22 There wasn't any significant -- so why do you say
23 kinetic prediction there?

24 MR. GEIGER: Well, because what happened
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: They didn't do any
2 kinetics.

3 MR. GEIGER: They didn't. That's why I'm
4 saying, there wasn't any capability there.

5 CHAIRMAN BANERJEE: Yes.

6 MR. GEIGER: Okay? Which is what --

7 CHAIRMAN BANERJEE: Third would be to
8 determine if these could do thermal dynamics, really.
9 So the word "kinetics" shouldn't even be there.
10 Unless I'm missing something, these quotes couldn't do
11 kinetics.

12 MR. GEIGER: No, they couldn't.

13 CHAIRMAN BANERJEE: Yes.

14 MR. GEIGER: And I guess that was my point
15 in the comment is that they really couldn't, so what
16 was missing, so to predict the rates and so on, how
17 long when these things precipitates actually.

18 CHAIRMAN BANERJEE: I just want to be
19 enlightened on this a little bit. In the chemical
20 industry, obviously, everything is dependent on
21 kinetics. There are packages around which obviously
22 do kinetics. For example, Dow, one of the consultants
23 you had there, I know uses kinetics packages all the
24 time. Why do you feel that kinetics cannot be done?
25 Is it that it's the specific problem rather than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemical reactors we're talking about?

2 MR. GEIGER: Unfortunately, I'm not a
3 chemist, and I guess my chemistry goes --

4 MR. CARUSO: I think part of the big
5 problem is there was not a lot of boric acid data.

6 CHAIRMAN BANERJEE: Pardon?

7 MR. CARUSO: There was not a lot of data
8 about boric acid range.

9 CHAIRMAN BANERJEE: Okay. So the database
10 was -- the kinetics. The kinetic database wasn't
11 there.

12 MR. KRESS: Well, the first thing you have
13 to do is identify reactions will occur between --
14 identify your reactants. You may have for a problem
15 like this, you may have 100 reactions going on, and
16 you have to have the reaction rate coefficients. They
17 don't exist. Some of them do, but not all of them,
18 and so it gets very difficult to do a kinetic code if
19 you've got a bunch of species involved.

20 MR. CARUSO: I think one of the kickers
21 was that the key player was boric acid, and there's
22 not data about boric acid reacting with all these
23 other --

24 MR. KRESS: There's not, there's not a
25 lot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: That's correct. I think the
2 peer review panel comments thought that there'd need
3 to be development of a whole new database, along with
4 testing to inform that database in order to get to a
5 point where you might have a code that could be more
6 reliable than the existing codes.

7 CHAIRMAN BANERJEE: But we are talking
8 about bent scale experiments to do kinetics
9 parameters.

10 MR. KRESS: Oh, yes. Absolutely.

11 CHAIRMAN BANERJEE: I mean, these are very
12 small, so it's not a very expensive program we're
13 talking about, necessarily.

14 MR. GEIGER: I don't think it's a trivial
15 job to try and develop a database that includes
16 kinetics, and trying to account for all the different
17 possible materials and combinations of temperatures
18 and pHs.

19 MR. KRESS: And, in fact, if you're going
20 to have this overall integral predictive model that we
21 talked about, you really have to have that as part of
22 it. That, to me, is almost a prohibitive part of it,
23 that you're not going to be able to put it together.

24 CHAIRMAN BANERJEE: The impression that is
25 left here is that you can do some thermal dynamics to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see what are the equilibrium states, possibly.
2 Unlikely that a system in the short term we build will
3 do anything on the kinetics, so you'll have to depend
4 quite heavily on empirical evidence, what's going on.

5 MR. KRESS: Which means the integral tests
6 that the industry did have to be pretty good
7 simulations.

8 CHAIRMAN BANERJEE: Yes.

9 MR. KRESS: And that's what worries me.
10 I think that's where Cordini - I'm sorry, not Cordini,
11 but a recently departed member from Ohio State had a
12 problem with it.

13 CHAIRMAN BANERJEE: Rich Denning.

14 MR. KRESS: Rich Denning, yes.

15 MR. WALLIS: Well, there's a problem of
16 defining the problem. I mean, some of the viewers
17 said that there are other things going on. I mean,
18 there's fine particulates which you only know about,
19 which are in suspension, which affect the
20 heterogeneous nucleation. Now these are washed down
21 from the building. You don't really know what they
22 are. There are all sorts of things which - small
23 quantities, but finely divided can have a huge effect
24 on the transient precipitation. Just defining the
25 problem is difficult.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: This is what the PRT
2 is supposed to do. Right? What state is the PRT in?

3 MR. GEIGER: The PRT, it's about half - I
4 think the reviewer comments were all tabulated and
5 they went back to the reviewers and they ranked them
6 in significance, and so on, but that's about --

7 CHAIRMAN BANERJEE: Is the PRT panel the
8 same as the peer review panel, or is it a different
9 panel?

10 MR. GEIGER: Well, I think a lot of them
11 are the same, yes.

12 MR. XIAO: No, the PRT was done with the
13 peer review panel.

14 CHAIRMAN BANERJEE: Okay.

15 MR. GEIGER: So a lot of the same things
16 appear. They're pretty much parallel.

17 CHAIRMAN BANERJEE: But it does what
18 Professor Wallis is saying, that tries to give at
19 least their ranking of the phenomena --

20 MR. GEIGER: Yes.

21 CHAIRMAN BANERJEE: -- to a first
22 approximation. That would be valuable for us to see
23 at some point, I think. When is that going to be
24 finished, or is it already finished?

25 MR. GEIGER: Well, it's not -- Rob

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Tragoning is working on it, and he sort of --

2 CHAIRMAN BANERJEE: He said June or
3 something. If I look at my notes, let me just see.
4 Rob's probably gone now, but he said that this might
5 be possible to talk about in June.

6 MR. GEIGER: Yes.

7 CHAIRMAN BANERJEE: Is my notes correct on
8 that? So you'd come back to us with a review of the
9 PRT at that time, or what?

10 MR. GEIGER: Would that be viable? Would
11 you like a presentation on it? Is that --

12 CHAIRMAN BANERJEE: Well, it seems that
13 where we are is sort of intermediate position right
14 now. We've got these comments, which I think are very
15 valuable. You've got a program which is more or less
16 finished. You're going to respond to this in some
17 way, hopefully, and show -- it's not just the peer
18 review comments. I think you should also have your
19 own comments on this as to where the program has
20 identified things which are valuable which NRR can
21 use, and where some areas are still open issues, which
22 may or may not be resolved by you, but may be resolved
23 by industry. And I think in understanding the
24 importance of these issues, the PRT would be very
25 valuable, because at least you'd have the feedback

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the reviewers as to what is important and what is
2 not, which is also essentially what we're asking you
3 to do in some independent way. But if you interact
4 with the PRT, that's fine. I mean, it's not a bad
5 thing at all. You bring your own insights, and the
6 PRT insights, give us some sense of -- because these
7 reviewers are not as close to the problem as you are,
8 in some sense, they're not necessarily - the Dow
9 person is not a nuclear engineer.

10 MR. GEIGER: Well, this committee
11 participated in some of these PRT, one PRT meeting, I
12 guess the final one where it was basically a
13 brainstorming session type thing, where a lot of ideas
14 were thrown out, and they were all basically captured
15 and put down, and then put in the tables, and it went
16 out for rating and so on, so that -- I think that's --

17

18 CHAIRMAN BANERJEE: You got the ratings
19 back now.

20 MR. GEIGER: Yes, the ratings are back, so
21 that's pretty much where we are. We need to
22 consolidate it, so I'll have to talk to Rob to see
23 when we can finish that.

24 CHAIRMAN BANERJEE: Give us a hint, what's
25 the most important issue?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: Radiolysis seems to play an
2 important role on the radiation exposure, and also the
3 CO2 was brought up. Other than that, I'm trying to
4 think what else would be -- I can't think of anything
5 at this point right now, but I think radiation was
6 one.

7 CHAIRMAN BANERJEE: Okay.

8 MR. GEIGER: Of course, I'm sorry, carbon
9 also from - which I mentioned before - lubricants, and
10 then we discussed if there was any freon-type things
11 inside, but typically there aren't any chemicals like
12 that in containment. So I think it was the carbon,
13 the other I mentioned, radiology.

14 MR. WALLIS: Can we move to the next
15 slide?

16 CHAIRMAN BANERJEE: Yes, let's go on.

17 MR. GEIGER: Okay. As far as the
18 recommendation on using the small-scale testing, and
19 I think we covered that. Small-scale tests were done
20 as bench top tests in beakers, and then somebody said
21 well, we need to look at a bigger test. And, also,
22 like the ANL test which his comment was - it consisted
23 of two pages. One, it was to identify the chemical
24 reactions and precipitates, and the other one, they
25 actually did some head loss testing, so I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scale of the equipment, which was a 6-1/2 inch ID was
2 fairly representative.

3 MR. WALLIS: This is a very strange
4 conclusion. I mean, this simply says that the
5 facility was adequate. It doesn't say anything about
6 the work was adequate, the results were adequate.

7 MR. GEIGER: I'm sorry?

8 MR. WALLIS: It says the facilities were
9 adequate. It doesn't say that the results were
10 adequate.

11 MR. GEIGER: Oh. Well, the comment --

12 MR. WALLIS: They may have done no work at
13 all except build a facility.

14 MR. GEIGER: Well, the comment was - I'm
15 addressing the comment - that we should do small-scale
16 bench testing instead of large tests.

17 MR. WALLIS: Yes, but if you look at the
18 comments - I mean, I don't want to quote these at you
19 because they'll be on the record, but there's a lot of
20 comments about the limitations of these tests and
21 their results, and the reviews, and you don't put that
22 in your conclusions here.

23 CHAIRMAN BANERJEE: Well, one of the
24 comments was they could be too conservative, these
25 tests.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Some of them might be too
2 conservative.

3 CHAIRMAN BANERJEE: Yes.

4 MR. WALLIS: Right.

5 CHAIRMAN BANERJEE: So in some sense, it
6 would be to the benefit of --

7 MR. WALLIS: Using a horizontal screen
8 that collects everything is very conservative.

9 CHAIRMAN BANERJEE: So you make --

10 MR. GEIGER: Yes, but at the same point,
11 if you had a vertical screen, you'd have to have a
12 pretty good large screen to observe debris falling or
13 spaulding off, which again, the - is how the industry
14 tests are being done. And their designs have a
15 variety of designs where some are horizontal, some are
16 vertical of this type, so it's --

17 MR. WALLIS: So is the ANNL testing any
18 use at all for evaluating those industry tests which
19 have completely different geometries?

20 MR. KLEIN: Certainly it is. I think,
21 keep in mind, the ANL tests were to try and identify
22 some of the head loss consequences, and also to
23 evaluate how changes in things like calcium
24 concentration, or pH, or temperature could potentially
25 impact head loss. The intent of the ANL head loss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program was never to take those tests, and then use
2 that to identify the head loss that you might see
3 within a plant-specific situation with a complex
4 strainer, but to have a fundamental understanding of
5 what are important things we should be considering as
6 we go out and observe industry testing.

7 MR. LEHNING: Could I follow-on to that,
8 Paul? My name is John Lehning in NRR, as well, and no
9 test can simultaneously satisfy all the criteria we
10 might want to have out there, and so these small-scale
11 tests were sort of a first step to let us understand
12 the phenomena that are out there. For instance, had
13 we done larger scale tests, then there would have been
14 other questions, did the stuff transport, did it
15 settle out somewhere in the flume, and how do you know
16 you got the right head loss, and how do you know
17 you'll understand why it wasn't as you predicted. So
18 yes, those are very valuable in helping us understand
19 what happens in the larger tank. And we didn't
20 answer, necessarily, every question you might ask on
21 some of the large-scale tests, but they are very, very
22 helpful.

23 MR. WALLIS: Well, what they taught you
24 was that calcium phosphate can, under certain
25 conditions, completely block a screen, essentially.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Pressure drop goes up orders of magnitude. They also
2 taught you that hydroxides of aluminum or
3 oxyhydroxide, whatever they are, could completely
4 block a screen under certain conditions, and that's
5 what they taught you, those two things. Really,
6 that's it, because the conditions were not
7 investigated enough for you to say what those
8 conditions had to be in order for this to happen.
9 They just showed that it could be made to happen.

10 MR. KLEIN: I would argue that they did
11 more than that. I mean, they certainly -- I would
12 argue that they did do that, but I think they did
13 more. They didn't definitively identify every
14 condition, but we did look at a number of different
15 scenarios, and I would especially say with respect to
16 calcium phosphate formation, we looked at a lot of
17 different effects in terms of pH, phosphate
18 dissolution time, calcium concentration, debris
19 loading timing and sequence, a number of variables
20 that we knew were important in terms of the formation,
21 and we're able to ferret out, in my opinion, some of
22 the more important ones for consideration.

23 MR. WALLIS: But then let's look at
24 predictability, which was a question raised by quite
25 a few reviewers. Even in the tests where you had no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemical effects, you had this cal sil and Nukon, they
2 did one, which I think was 15 grams of each or
3 something, which they did five or six times, and if
4 you look at those tests, the pressure drop for a
5 certain velocity was ranges from .4 to something like
6 2.8, or 2.9, or something, and there's a spread, it's
7 .4, .6, 1.2, 1.4. In the same test, there's a range
8 of a factor which is, I don't know, eight or something
9 from the minimum to the maximum, and the data points
10 are scattered all along. This tells you something
11 about repeatability of the tests, even with no
12 chemical effects. Now chemical effects are more
13 whimsical than these physical effects, so presumably
14 repeatability of the chemical tests would need to be
15 investigated. They didn't have any money to do that.
16 They just did the tests. They didn't repeat the whole
17 series.

18 MR. KLEIN: Well, again, I think those
19 baseline tests were really in line with the types of
20 results that we've seen at PNNL and other places.
21 Variability is not unexpected, especially due to --

22 MR. WALLIS: But that's with no chemical
23 effects, at all.

24 MR. KLEIN: Of course, of course. But in
25 some cases, and you have to look at how those effects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 form, and what the timing of those effects are.

2 MR. WALLIS: So now you're not going to
3 require - since you know there's a huge variability in
4 the Argonne tests, are you going to require that
5 industry do 20 tests of each condition in order to get
6 the variability and uncertainty, or something? You
7 have to make some decisions based on what you learned,
8 some of which is qualitative. I think you have very
9 interesting questions raised about how you're going to
10 make decisions. Is one chemical effects test going to
11 be adequate, when they did a test and nothing much
12 happened, and they said well, wait a minute, suppose
13 we wait for four days, and gee whiz, something did
14 happen.

15 MR. KLEIN: This is Research's opinion,
16 and NRR is going to jump in and contradict this
17 opinion. And I shouldn't even say it's Research's
18 opinion, it's my opinion. Let me be particularly
19 honest here. I think there's certain conditions,
20 certain plant-specific conditions that they'll
21 probably be able to make a very easy case that
22 chemical effects are not important either through
23 analysis, or through a limited number of tests.
24 There'll be other conditions, and this is - again,
25 this is my expectation - that will be much more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult to make that case. Now what strategy we try
2 to go down in that road will depend on a number of
3 considerations. One consideration and one particular
4 path forward would be to do exactly what you've
5 suggested, to try to get a handle on specific
6 uncertainty and variability associated with that
7 particular mix of conditions that's of particular
8 concern to either that certain plant, or a subset of
9 plants. That's one particular possible path forward.

10 Another path forward would be to look at
11 other mitigative approaches which would alleviate the
12 concerns through other measures, either by removing
13 materials, ensuring that you've got sufficient
14 mitigative strategies even under worse case
15 conditions. There are other ways that you could still
16 tackle and address the problem, other than trying to
17 have a definitive characterization of uncertainty or
18 variability. So which way we go, I think, will depend
19 on many different considerations, and it will be a
20 function of, again, the possible severity concern, the
21 ease of doing some of these other mitigative
22 approaches, and that'll determine how much we really
23 have to understand a particular mix.

24 MR. KLEIN: And I'd like to add to that -
25 Paul Klein, NRR. There may be cases where a licensee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goes out and performs a number of tests to evaluate
2 repeatability. We just observed some testing in New
3 Jersey where they ran a number of repeat tests to try
4 and get an understanding of uncertainty. In other
5 cases, a licensee may do much less testing, but then
6 they need to demonstrate to us that limited number of
7 tests were conservative, that for whatever reason by
8 the amount of precipitate that was added, or other
9 testing decisions that they've made, they've done a
10 bounding-type test.

11 MR. WALLIS: It's very difficult to show
12 conservativeness, whatever the right word is here. If
13 you look at PNNL, this business of how the stuff comes
14 to the screen, and the order in which it comes, makes
15 a difference of three orders of magnitude in the
16 pressure drop. Now how do you show a condition which
17 is conservative?

18 MR. KLEIN: Well, I think from a chemical
19 effects perspective, you look at how they modeled what
20 might form within their particular plant-specific
21 environment. In some cases when they apply the WCAP
22 model, they assume that everything that goes in to
23 solution forms a precipitate, and we know from our own
24 testing that that's a conservative assumption. So in
25 some cases, that model drives plants into hundreds and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hundreds of pounds of chemical precipitate, and it
2 seems to be a conservative number.

3 MR. WALLIS: And then if you assume that
4 all of that forms a thin layer on top of the fiber
5 stuff because it goes through the reactor and comes
6 around later, the way that they did at PNNL, then you
7 get a huge pressure drop, which is also unrealistic.
8 I mean, you can push this conservative thing to
9 absurdity extremes, but you don't know how extreme
10 you're being if you don't have a picture of the
11 severability of things.

12 MR. KLEIN: And I think that's a challenge
13 that we're all facing right now, and what we're seeing
14 from some of the response from industry is that if
15 they have the option, they would prefer not to address
16 uncertainty, they would prefer to take other steps,
17 such as removing a sufficient amount of fiber so that
18 they don't have a covered screen, or evaluating
19 potentially a back-flush system to try and assure
20 themselves if they were to get high head loss
21 situation, they could accommodate that, so there's a
22 lot of work trying to find engineering solutions,
23 rather than quantify the uncertainty.

24 MR. WALLIS: That appeals to me very much,
25 and I think we've said that in our letter, too; that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you could find a way of getting around this messy
2 problem, that's far better than trying to confront all
3 the uncertainties. I'm just surprised at this slide.
4 It doesn't say anything about the conclusions and the
5 usefulness of the work.

6 MR. GEIGER: I guess that was not the -- I
7 was just responding to the comments.

8 MR. WALLIS: Okay.

9 MR. GEIGER: The conclusions?

10 MS. TORRES: Well, the objectives were
11 met, but we need to do some follow-up.

12 MR. WALLIS: Well, the first one, I mean,
13 they did a peer review. Again, objectives should
14 include what kind of response you expect to make to
15 the review, not just the fact that it was done. In
16 that sense, I'm not sure you've really thought through
17 the objectives of the peer review, and the objectives
18 of the peer review should presumably be to get
19 comments, and then respond to them in some way.

20 CHAIRMAN BANERJEE: Well, I guess one
21 objective would be if the peer review had just blessed
22 everything, it would be the defamation of the program.
23 And if they bless it in general, but have some
24 specific issues, which is, I think, more or less the
25 state, overall. They like the program, but they point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out some things that need to be taken care of.

2 MR. WALLIS: And number three is just a
3 hopeful statement. I think we read from NRR that they
4 have limited value, or whatever the quote was that the
5 Chairman made.

6 CHAIRMAN BANERJEE: But they qualified
7 that.

8 MR. WALLIS: Now it's great value?

9 CHAIRMAN BANERJEE: Plant-specific.

10 MR. WALLIS: Show me the value, show me
11 one instance of a value.

12 MR. GEIGER: Well, I think the fact that
13 the statement said that they were limited use, was the
14 fact that they're relying a lot on individual vendor
15 testing --

16 MR. WALLIS: Show me one - what's the
17 great value? Is there anything that they raise which
18 you found of great value? Give me an example.

19 MR. KLEIN: If I might jump in - Paul
20 Klein from NRR. I believe it's great value they
21 raised the question of effects of radiation on
22 everything. We did not identify that as part of the
23 ICET or head loss protocol, and it's a valid issue
24 that needs to be addressed.

25 MR. WALLIS: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAGONING: Yes, there were several
2 things, and I think the peer review - people have
3 questioned the timing of the peer review, but one
4 thing I will say is that the research that we had
5 conducted provided a good technical basis for most of
6 -- for the peer reviewers to have a better
7 understanding of the types of interactions that can go
8 in these environments. And lacking that, I think the
9 comments wouldn't have been as focused as some of them
10 were, on specific things to address, so there were a
11 number of things. I mean, he brought up the effect of
12 radiation, crud release at the beginning of a LOCA,
13 that was another one that was something that we hadn't
14 really considered in any great detail, so there were
15 a number of specific comments that came out that we
16 thought were particularly important for future, at
17 least, consideration.

18 CHAIRMAN BANERJEE: So then you can add to
19 your table these are of regulatory significance, we
20 think. All right. Are we done?

21 MR. GEIGER: Yes.

22 CHAIRMAN BANERJEE: So do you think we
23 could take a break now? So let's go off the record,
24 unless any of you have comments, and we'll reconvene.

25 (Whereupon, the proceedings went off the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 record at 10:59:27 a.m., and went back on the record
2 at 11:14:11 a.m.)

3 CHAIRMAN BANERJEE: So you're going to
4 tell us about the surrogate testing program now.

5 MR. GEIGER: Yes. Okay. At the request
6 of NRR to help evaluate the use of the Westinghouse
7 surrogate, we asked ANL to do some additional testing
8 on surrogates, actually just one surrogate.

9 MR. WALLIS: Is this something new that we
10 haven't seen, or is this --

11 MR. GEIGER: Yes, it is, and I apologize.
12 I just received the report last week from Dr. Shack.
13 It's in the form of a letter report. It should be
14 probably in Adams today, or maybe yesterday. I
15 finally signed it off yesterday.

16 MR. WALLIS: So they spent their money on
17 this rather than coming here to tell us what they did?

18 MR. GEIGER: Yes. We had allocated - we
19 found some money after our last meeting with NRR, you
20 expressed some concern about doing some additional
21 testing. We had, at that time, committed to looking
22 at some additional - looking at the surrogate, and
23 doing some other testing with some funds, so we did
24 find some funds to do this.

25 MR. KLEIN: If I could just add for one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minute here - this is Paul Klein. I think this is an
2 example of the type of research that we might envision
3 moving forward to. In this case, NRR staff had a
4 question about how the WCAP generated precipitate may
5 behave relative to what we had observed in the
6 precipitate that we saw in ICET, and that we generated
7 ourselves in ANL test loop, so we had asked the Office
8 of Research to do two main things for us. One was to
9 try and evaluate the WCAP precipitate, and then the
10 second part, given that earlier tests had compared the
11 head loss behavior in a number of buffers, we observed
12 that sodium tetra borate appeared to be more favorable
13 than some of the other buffers. Since we, at the
14 original time, didn't have enough funds to do the
15 amount of research that we would have hoped for, we
16 went back and requested some additional testing with
17 sodium tetra borate to both evaluate it from the head
18 loss perspective, and also in terms of what we might
19 see with aluminum solubility within sodium tetra
20 borate environments.

21 CHAIRMAN BANERJEE: So what indications
22 did you have that sodium tetra borate would be better?
23 Was that from the ANL tests?

24 MR. KLEIN: It was from the earlier ANL
25 tests. They had looked at both sodium hydroxide,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trisodium phosphate, TSP, and sodium tetra borate. We
2 spent a lot of time trying to evaluate the TSP, cal
3 sil interaction, since it was important to a number of
4 - about a half dozen or so plants that had that
5 existing combination. We also tried to look quite a
6 bit at sodium hydroxide since about 30 plants had that
7 as a buffering chemical. Sodium tetra borate is
8 currently the least commonly used of the three, but in
9 the earlier round of tests, looked like at certain
10 levels of dissolved aluminum, we saw no head loss
11 response at all, so we wanted to follow-up on that.

12 CHAIRMAN BANERJEE: Now if I recall, and
13 my memory may not serve, but the sodium hydroxide was
14 a problem when you had aluminum around in large
15 quantities. Right? Or in some quantities. There was
16 no aluminum sodium hydroxide, it was not that much of
17 a problem, was it?

18 MR. KLEIN: Yes, the sodium hydroxide
19 because it -- currently with plants, it tends to drive
20 you to a higher pull pH, also has greater aluminum
21 corrosion, so it tends to produce more dissolved
22 aluminum within the pull.

23 CHAIRMAN BANERJEE: Right. But if you
24 take the aluminum out, and this was mainly scaffolding
25 and stuff like that, what was the -- where did the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aluminum come from?

2 MR. KLEIN: It comes from a number of
3 different components, a lot of fan coolers and other
4 type components within containment contain aluminum.
5 Part of the question with plants is trying to have an
6 exact understanding of how much aluminum is in
7 containment. In many cases, plants relied on hydrogen
8 calculations that were known to be conservative on the
9 amount of aluminum in containment, but the degree of
10 conservatism wasn't really known, so unless the plant
11 goes and actually does inventory of aluminum, they
12 tended to default to the higher levels, which in
13 chemical effects space gives you much more precipitate
14 to deal with.

15 CHAIRMAN BANERJEE: Okay.

16 MR. GEIGER: Okay. The objectives were to
17 evaluate the head loss performance of the WCAP
18 surrogate precipitates relative to the precipitates
19 generated during the earlier NRC-sponsored tests, as
20 mentioned by Paul.

21 MR. WALLIS: The question is what's the
22 real -- what's reality?

23 MR. GEIGER: What's reality? Correct.
24 How do we know we have -- these surrogates actually
25 reflect what's reality?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I think many of the peer
2 reviewers mentioned that what happens in the sump may
3 not be the same as ideal tests.

4 MR. GEIGER: Actually, with these
5 oxyhydroxides the reality could be anything. It
6 varies so much, and it's the size of the molecules,
7 and so on, and how to coagulate.

8 MR. WALLIS: The conclusion may be that
9 the Westinghouse surrogate is too conservative. It
10 just blocks everything in sight.

11 MR. GEIGER: Correct. I guess you went to
12 the end there, so these were --

13 MR. WALLIS: Well, these are important.
14 We've been saying this all along, that you can't just
15 talk about precipitate. It depends very much on the
16 conditions under which it's made. And this may be a
17 temperature history and all kinds of things that
18 affect how precipitate forms.

19 MR. GEIGER: So, I mean, these are just
20 some, and --

21 MR. WALLIS: So what are you going to use?
22 What are you going to use as a standard precipitant?

23 MR. GEIGER: These tests were done at ANL
24 by Bill Shack, and I just -- these are taken out of
25 the letter report, so --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: So he just shows that how you
2 make it influences what it is.

3 MR. GEIGER: He shows you like different
4 concentrations at the top, and then at the bottom you
5 can see after 20 hours how much had settled out based
6 on --

7 MR. WALLIS: It says "denser and more
8 compact." Did he do some particle size analysis or
9 something?

10 MR. GEIGER: These he just --

11 MR. WALLIS: Just looks at them.

12 MR. GEIGER: Yes, I mean it's -- you can
13 see it's actually compacted a little bit over the
14 other ones, and there's not much product.

15 MR. WALLIS: That's the only test he did?
16 He didn't do particle size analysis, or something
17 else?

18 MR. KLEIN: No, I believe they did more
19 tests than just -- I believe the intent of that slide
20 that shows the pictures was to highlight that if you
21 get -- in this case they were looking at the WCAP
22 surrogate. If you get outside the bounds of the
23 recommendations within the WCAP, you can form
24 something that looks not representative like the other
25 three beakers to the left. So they were trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assess, in this case, how sensitive the preparation
2 technique was to the precipitate that formed, and I
3 believe they did particle sizing as part of that
4 assessment.

5 MR. GEIGER: My intent of this
6 presentation is not to present the total research and
7 all the slides that were prepared, just sort of a
8 summary of the research and what the finding --

9 MR. WALLIS: Well, it's like a lot of
10 these tests, it shows there is an effect. But then if
11 you really wanted to quantify it, you'd probably have
12 to do another research program to quantify it
13 thoroughly.

14 CHAIRMAN BANERJEE: So remind us briefly
15 about the recommended procedures in WCAP for preparing
16 the surrogates.

17 MR. GEIGER: Do you have that, Paul? I'm
18 not that much --

19 CHAIRMAN BANERJEE: Just briefly.

20 MR. KLEIN: I think in the WCAP they added
21 aluminum nitrate to de-ionized water, and then they
22 add sodium hydroxide which produces precipitate,
23 aluminum hydroxide-type precipitate. The question the
24 staff had was whether that precipitate that formed
25 with that sequence was representative of what we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen in ICET and what we believe we had reproduced
2 during the ANL head loss testing. Since a lot of the
3 strainer vendors were going to subsequently perform
4 tests using that surrogate as their standard material,
5 we thought it would be important to benchmark that
6 relative to what we had seen during some evaluations
7 ANL did in support of their head loss testing.

8 CHAIRMAN BANERJEE: These tests you're
9 talking about, what is the objective?

10 MR. GEIGER: The objective is to see that
11 the particles formed in size and structure are
12 representative of what you would see over a long term,
13 lower concentration chemical reactions in the sump
14 pool.

15 CHAIRMAN BANERJEE: So they're going to
16 compare this with ICET, or the -- what is the
17 benchmark for comparison?

18 MR. KLEIN: I think the question that we
19 asked research to evaluate for us was to try and
20 understand the head loss response of these
21 precipitates versus what we had benchmarked as part of
22 the ANL head loss test program, because the ultimate
23 question that NRR had is if we ran - I'm sorry - if
24 industry ran strainer vendor tests with this
25 precipitate and had whatever level of head loss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measured, how would we evaluate that relative to the
2 database that had been established in ANL, so we were
3 trying to understand if these precipitates would
4 produce the same degree of head loss as was done
5 previously in the ANL test.

6 CHAIRMAN BANERJEE: How were the previous
7 - remind me again how the previous tests were done.

8 MR. KLEIN: In the previous tests at ANL,
9 it was very similar in how the precipitates were
10 produced, but I think the major difference was that
11 sodium hydroxide was added first so that the
12 precipitate formed in an alkaline solution, rather
13 than adding the sodium hydroxide second, such that you
14 were -- essentially had an acidic solution that then
15 became buffer to an alkaline. And some of the earlier
16 tests that ANL had done, we had questioned whether the
17 WCAP sequence of producing a precipitate would form an
18 amorphous precipitate, and so part of their assessment
19 was to look at that. And then also, more importantly,
20 to look at the precipitate in terms of head loss.

21 MR. WALLIS: Well, that first bullet - is
22 that an ANL conclusion?

23 MR. GEIGER: That's an ANL conclusion,
24 yes. That's right.

25 MR. WALLIS: They're concluding that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can do all this stuff with the surrogate, but it's a
2 test of the surrogate, it's not necessarily a test of
3 reality.

4 MR. GEIGER: Well, the question was
5 whether these surrogates would give you head loss. It
6 may not be reality compared to the long term.

7 MR. WALLIS: That wasn't the question they
8 were asked, really. The question was do some tests,
9 wasn't it? Were they asked to assess the validity of
10 using this surrogate at all, which is what the first
11 bullet addresses.

12 MR. CARUSO: What were they asked to do?

13 MR. KLEIN: They were asked to evaluate
14 the WCAP precipitate relative to the precipitate that
15 they had generated in their own facilities for -- with
16 respect to how much head loss does this precipitate
17 produce in your test loop.

18 MR. WALLIS: The first bullet addresses a
19 bigger question than that.

20 MR. KLEIN: Well, that was -- really, that
21 question was partly addressed in some of the original
22 program, and somewhat in this program, but the other
23 question that was on the table was the WCAP surrogate
24 produce a precipitate that's similar to what we had
25 produced at ANL during earlier testing. If you look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the WCAP, their goal in their surrogate precipitate
2 is to try and simulate the settlement rate and the
3 head loss properties of the precipitate that might
4 form in a post-LOCA environment.

5 MR. WALLIS: But you see the problem with
6 the first bullet here.

7 MR. GEIGER: The fine precipitates? Is
8 that what you're --

9 CHAIRMAN BANERJEE: No, under conditions
10 that might occur in the sump.

11 MR. WALLIS: Right. I mean, is -- you're
12 saying that there is some other basis for choosing the
13 WCAP parameters for making decisions? Because if it's
14 not representative of precipitates in a sump pool, why
15 do the work at all?

16 MR. KLEIN: Let me elaborate on that first
17 bullet. I believe the first bullet - one of the
18 things that ANL had done to try and understand what
19 type of precipitate they were forming with their
20 protocol was to look at the response of temperature
21 and pH. And because of that, because of the
22 differences in solubility of crystalline aluminum
23 hydroxide versus amorphous aluminum hydroxide, ANL
24 believed that the precipitate formed by ANL in the
25 head loss loop was an amorphous aluminum hydroxide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That first bullet, I believe, is intended to say that
2 the WCAP didn't go to that level of demonstration, nor
3 did it claim to. I think the WCAP was trying to say
4 here's a surrogate precipitate that we believe is
5 representative in terms of how quickly it'll settle.
6 And, also, in how it will impact head loss across the
7 debris bed.

8 CHAIRMAN BANERJEE: So do you want to
9 speak to the second bullet now?

10 MR. WALLIS: That's the next slide, shows
11 some graph.

12 MR. GEIGER: So this is the next slide,
13 where they've taken --

14 MR. WALLIS: They put the stuff in and the
15 pressure drop immediately goes up by two or three
16 orders of magnitude, essentially because the flow rate
17 comes down, the resistance goes up.

18 MR. GEIGER: Here's the pressure drop in
19 the red line here. I mean, as you can see --

20 MR. WALLIS: How does this compare with
21 what they had done with the ANL precipitate? How does
22 this compare with a similar experiment using their
23 precipitate? I thought that was the purpose of the
24 test, was to compare this with what they've done.

25 MR. KLEIN: That's correct. And I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address, that Erv.

2 MR. GEIGER: Yes, go ahead.

3 MR. WALLIS: Do you have a similar plot
4 for their previous experiment?

5 MR. KLEIN: I don't know if --

6 MR. GEIGER: I don't have that.

7 MR. KLEIN: -- he has that in his package,
8 but if you look at earlier presentations that ANL has
9 provided to the subcommittee, I think you'll see that
10 once you reach the situation where you had precipitate
11 in the loop that was beyond a saturation level, you
12 saw a very rapid head loss increase with time,
13 although nothing quite as dramatic as what's shown in
14 this particular slide.

15 MR. WALLIS: I don't understand this
16 multiple consecutive additions, because it seems to be
17 in the plot here, it's all in one shot.

18 MR. GEIGER: Well, that's just - what it
19 is, is that as soon as they added a little bit, before
20 they ever got to the rest of it, they already --

21 MR. WALLIS: Okay. So it's the first
22 little bit they added that did it?

23 MR. GEIGER: Yes. I mean, as soon as they
24 had the equivalent of 5 ppm --

25 MR. WALLIS: So it's 5 percent of 5 ppm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that did it?

2 MR. GEIGER: No.

3 MR. KLEIN: NO, I don't think that's
4 correct.

5 MR. GEIGER: It's not the 5 ppm. This is
6 --

7 MR. WALLIS: I want to know how does this
8 5 ppm compare with some experiment they did. I
9 thought they had 100 ppm or something before they got
10 an effect.

11 MR. KLEIN: Well, it's dependent on the
12 environment.

13 MR. WALLIS: Yes.

14 CHAIRMAN BANERJEE: I think it's the 5
15 ppm, which is the 5 percent of the total.

16 MR. KLEIN: The 5 ppm should be considered
17 5 ppm over saturation level such that you had the
18 equivalent of 5 ppm dissolved aluminum in the loop
19 transformed to precipitate. And I think in the
20 earlier tests where they ran for a period of time, you
21 would see either delayed kinetics, or you would run a
22 period of time until you reach some type of saturation
23 level. Once you exceeded that and precipitate started
24 to form, we observed that you did see rapid increase
25 in head loss.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: See, if you look at their
2 experiments, there's one here I'm looking at where
3 they add 50 ppm, nothing happened, and then they added
4 some more to bring up to 100 ppm, and suddenly the
5 pressure drop went way up. How does that compare with
6 this sort of experiment here?

7 MR. KLEIN: That's a sodium tetra borate
8 test. And I think what -- the way to compare that
9 particular result --

10 MR. WALLIS: NaO3 added. Again, it's
11 aluminum nitrate which then reacts, so it's not the
12 same kind of aluminum as this surrogate, is it?

13 MR. KLEIN: Well, the way I would
14 interpret that particular test relative to this one,
15 at 50 ppm we don't believe you're forming precipitate
16 in the sodium tetra borate environment, and so you see
17 no head loss response. Once you added 100 ppm, you
18 exceeded the solubility, and you did see precipitate
19 probably greater than the 5 ppm equivalent shown in
20 this particular chart right now. But the head loss
21 response was the same. You saw a very rapid increase
22 in head loss that exceeded their capability.

23 MR. WALLIS: But quantitatively, how does
24 this compare with the ANL precipitate? Is this a more
25 effective screen blocker? Does it occur at a lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentration of aluminum? How does it compare with
2 what ANL did, with their aluminum?

3 CHAIRMAN BANERJEE: This is also ANL.

4 MR. GEIGER: This is also ANL. Yes, I
5 don't have the --

6 MR. WALLIS: Are they duplicating a test
7 which is in their report here, ICET-1W?

8 MR. KLEIN: No, they're not duplicating a
9 test, because --

10 MR. WALLIS: So how can you compare it
11 with all the stuff that they did?

12 CHAIRMAN BANERJEE: To answer your
13 question, really.

14 MR. KLEIN: The WCAP protocol, you
15 generate precipitate, you can do the actual head loss
16 test in a environment that's, for instance, potable
17 water. Okay? The WCAP protocol does not necessarily
18 call for a head loss test using pH buffered borated
19 water environment. Based on that WCAP assertion, the
20 staff had a concern that some of the strainer vendor
21 tests might not be conservative when you just add the
22 precipitate, so the idea was to try and go to the ANL
23 test loop where we had generated head loss in a number
24 of different environments, and add, in this case, a
25 small amount of WCAP surrogate within just a potable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water environment to see what the head loss response
2 would be.

3 The way that we tried to compare it back
4 to the existing database was to look, given some of
5 the solubility information that we knew for some of
6 these environments, like sodium tetra borate, compare
7 how much over a solubility limit we were when we saw
8 head loss response, and then compare the head loss
9 response relative to what we saw with the WCAP
10 surrogate. I think the overall conclusion was that
11 the WCAP surrogate was at least as effective, or maybe
12 more effective at head loss for a given amount of
13 precipitate.

14 MR. WALLIS: It's very hard to compare
15 with ANL. I mean, they had this 375 ppm, and then
16 they had to cool the stuff down to make a precipitate,
17 but then they were able to make a precipitate with 100
18 ppm. They didn't really explore the exact conditions
19 necessary to make a precipitate, so I'm not quite sure
20 how you compare this work with the work that ANL had
21 already done.

22 MR. KLEIN: Some of the follow-on ANL
23 research that you haven't received yet looked at
24 solubilities in sodium tetra borate, and tried to
25 determine at which level you might - once you exceed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, you would start to produce precipitate, and then
2 within the letter report, there's an attempt made to
3 compare that delta on the amount of precipitate that
4 might form over the solubility limit with the amount
5 of precipitate that was added using the WCAP surrogate
6 technique. And when they made that comparison, they
7 thought that the amount of head loss for the WCAP
8 surrogate was at least as high, or it produced head
9 loss equivalent or greater than what was observed with
10 the ANL-generated precipitate.

11 MR. WALLIS: Why are you talking about
12 sodium tetra borate? I think they just put in lithium
13 hydroxide and boric acid, and NUKON. Then they put in
14 aluminum nitrate solution. I don't see any sodium
15 tetra borate.

16 MR. KLEIN: There's, I guess, two
17 different tests that I'm referring to. The WCAP
18 surrogate test was not done with sodium tetra borate.
19 The way that we tried to compare the head loss
20 response relates to ANL testing in its sodium tetra
21 borate environment.

22 MR. WALLIS: So all I learned from this is
23 that the surrogate, the WCAP surrogate can block a
24 screen in very small amounts.

25 MR. KLEIN: Correct. And that seems to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with what we had seen at earlier ANL
2 testing. There might be time to which you'd form
3 precipitate, but once precipitate began to form within
4 that loop, it appeared like you didn't need a whole
5 lot in order to block the loop.

6 CHAIRMAN BANERJEE: This had no fiber,
7 nothing.

8 MR. WALLIS: Yes, it had NUKON --

9 MR. KLEIN: This test had a NUKON fiber
10 bed.

11 MR. WALLIS: They filled the fiber bed
12 first, NUKON added.

13 CHAIRMAN BANERJEE: Oh, NUKON added.
14 Okay.

15 MR. GEIGER: Now we had more tests
16 planned, but when they ran this first test, it was
17 obvious that it did the job of what they said it would
18 do, so we didn't really go into investigating --

19 CHAIRMAN BANERJEE: But sodium hydroxide,
20 or sodium tetra borate? What test was this?

21 MR. KLEIN: The WCAP surrogate test was
22 done without a buffer.

23 CHAIRMAN BANERJEE: Without a buffer.

24 MR. KLEIN: Yes. It was to try and run a
25 test that would be similar to what the WCAP protocol

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be.

2 CHAIRMAN BANERJEE: Potable water.

3 MR. KLEIN: Yes, or they might have used
4 de-ionized, I'm not sure.

5 CHAIRMAN BANERJEE: All right. So there's
6 not pH buffer.

7 MR. KLEIN: There is not a pH buffer in
8 this case.

9 MR. WALLIS: Okay. So it made a smooth
10 top coating, so it made a very thin layer on top of
11 the NUKON.

12 MR. KLEIN: Last time we put some varnish
13 over it.

14 MR. WALLIS: We're back to the thin bed-
15 type thing.

16 MR. ABDEL-KHALIK: Now what is the
17 expected range of concentration? Is 375 ppm within
18 the range of concentration that you would expect
19 during a LOCA?

20 MR. KLEIN: We would expect 375 to be on
21 the high end of dissolved aluminum concentration in a
22 post-LOCA containment pool.

23 MR. WALLIS: Only in some plants that have
24 enough aluminum available.

25 MR. KLEIN: Probably occur with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 combination of a plant that had a significant amount
2 of aluminum, and also a pH controlling chemical, such
3 as sodium hydroxide, that would be on the higher pH
4 end to drive aluminum corrosion. As a benchmark, the
5 staff looked at a license amendment from Fort Calhoun
6 to switch from trisodium phosphate to sodium tetra
7 borate, and as part of that license amendment, they
8 ran the WCAP chemical model with sodium tetra borate
9 to try and estimate what the dissolved aluminum
10 concentration would be in their particular plant
11 specific pool, and I think it was on the order of 22
12 parts per million.

13 CHAIRMAN BANERJEE: And if you had sodium
14 hydroxide, how much would it have been, was there such
15 a number?

16 MR. KLEIN: You could generate that
17 number. They did not, since they didn't have sodium
18 hydroxide, but the --

19 CHAIRMAN BANERJEE: They had the
20 trisodium?

21 MR. KLEIN: Yes, they had trisodium
22 phosphate, but they're also a high calcium silicate
23 plant, so they had an incentive to switch from TSP.

24 MR. ABDEL-KHALIK: So the 375 ppm is a
25 real outlier, as far as expected concentrations. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what would be the probable range that people ought to
2 concentrate on in terms of running experiments, rather
3 than looking at outliers?

4 MR. KLEIN: Well, I think within the
5 research done at ANL, we tried to look at a range of
6 concentrations from as low as 50, up to as high as
7 375.

8 MR. ABDEL-KHALIK: And now Fort Calhoun
9 you said came back with an expected concentration of
10 22.

11 MR. KLEIN: Yes.

12 MR. ABDEL-KHALIK: So what would you do in
13 that situation, if you're outside the range?

14 MR. KLEIN: Well, in their particular
15 case, given that we had a fair amount of data that
16 indicated at 50 ppm dissolved aluminum with a sodium
17 tetra borate environment, there was no head loss
18 response. We felt comfortable that being less than
19 half of that, they would probably not see a head loss
20 response from a aluminum hydroxide-type precipitate.

21 MR. WALLIS: I don't know what I conclude
22 from this. Well, I conclude you can do all sorts of
23 different tests with these surrogates. ANL did some
24 stuff, and when they used the Westinghouse stuff, they
25 got a screen clog, but there was quite a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precipitate, clogged in a different way, looked
2 different. I just don't know what this has to do with
3 reality. It seems to me that you can construct all
4 kinds of surrogate experiments, all of which are
5 different, and what do you conclude?

6 MR. KLEIN: I think the question we
7 raised, and we're trying to address was if licensees
8 were to use the WCAP precipitate in a test that tried
9 to measure head loss across a plant-specific debris
10 load, would that surrogate behave in such a manner
11 that it would produce head loss that was equivalent to
12 what we thought might be a more representative
13 precipitate? And the answer appears to be that very
14 small amounts of the WCAP precipitate induces high
15 head loss.

16 MR. WALLIS: If they're added after a bed
17 is there.

18 MR. KLEIN: Well, there's been tests done
19 within industry where they've evaluated the relative
20 timing of addition of chemical precipitate and debris.

21 MR. WALLIS: Well, this seemed to be the
22 worst case, where you make the bed first, and then you
23 put in the fines, and they make a cake on top of the
24 bed. That's the worst case, it seems. Even in the
25 PNNL, that was the same.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Eventually, they'll
2 recirculate around.

3 MR. GEIGER: These will recirculate,
4 eventually come around.

5 MR. WALLIS: They'll recirculate, but
6 these are deposited on the surface of the --

7 MR. KLEIN: Yes.

8 MR. WALLIS: -- which I think was the PPNL
9 worst case, too.

10 MR. KLEIN: Well, when we evaluated
11 calcium phosphate precipitate in the ANL test loop, we
12 saw that the timing of the precipitate addition
13 relative to debris seemed to affect the amount of time
14 that it took for the head loss to reach the high
15 level. But, ultimately, you got to the same answer -
16 the head loss reached a very high level whether you
17 introduced the precipitate first, or the debris first.
18 But it did impact how quickly you achieved that high
19 head loss.

20 CHAIRMAN BANERJEE: What goes through
21 eventually comes back.

22 MR. GEIGER: Comes back, yes.

23 MR. ABDEL-KHALIK: Can we go back to slide
24 three? Okay. Let's look at the first objective.

25 What do you mean by the word "evaluate"? Do you mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compare?

2 MR. GEIGER: Yes.

3 MR. ABDEL-KHALIK: So what is the result
4 of that comparison, now that this study has been
5 concluded?

6 MR. KLEIN: We believe that the WCAP
7 precipitate can produce head loss as effectively as
8 the precipitate that we generated as part of the ANL-
9 sponsored head loss test.

10 MR. ABDEL-KHALIK: Sure. You put enough
11 of anything, you'll generate head loss that's
12 comparable. The question is, how does it compare at
13 the same concentration?

14 MR. KLEIN: I think the -- one of the
15 things that we can probably do is provide a copy of
16 the technical letter report, where they tried to make
17 a comparison of equivalent amounts of ANL surrogate to
18 WCAP surrogate. It's difficult to make the exact
19 comparison, but there's some discussion in there that
20 tries to compare the amount of precipitate that you
21 might expect based on being above the saturation
22 amount with the amount that was added in the WCAP.
23 And the conclusion was that the WCAP surrogate for the
24 same amount is as effective at producing head loss,
25 and maybe more so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: This looks a bit like some of
2 these other programs, where as soon as you get an
3 interesting effect, stop the funding. This is
4 something which seems to have been investigated in a
5 very preliminary fashion, and there's no quantitative
6 comparison between WCAP and earlier responsive tests.
7 It's just a sort of qualitative conclusion.

8 MR. KLEIN: I would agree that this was a
9 very small scale effort.

10 MR. WALLIS: It's a very interesting
11 result that you do get; and, therefore, it cries for
12 a more thorough investigation.

13 MR. GEIGER: As to why?

14 MR. WALLIS: No, as to what happens if you
15 have different concentrations, or different
16 temperatures, or whatever.

17 CHAIRMAN BANERJEE: I mean, all this just
18 to prevent having to use pH buffered solution
19 experiments, industry experiments.

20 MR. KLEIN: I think you look at the
21 industry experiments, they tend to be very large-scale
22 tests, and it's probably more difficult for them to
23 run elevated temperature borated water pH buffered.
24 That's not my decision to make, but I guess from my
25 perspective, we need to be able to evaluate what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they've done relative to what we know, and so that was
2 the incentive for trying to do at least a small-scale
3 effort to compare the WCAP surrogate to what we had
4 some test knowledge on the surrogate that was produced
5 as part of the ANL test programs.

6 MR. WALLIS: Can we move to the next
7 slide? I don't understand why we have on our slide a
8 big black square with no numbers at the bottom right-
9 hand side.

10 MR. GEIGER: The copy machine somehow --

11 MR. WALLIS: It's very useful to have
12 numbers.

13 MR. GEIGER: I'm sorry, yes.

14 MR. WALLIS: Black squares designed to
15 obliterate the number.

16 MR. GEIGER: The copy that I printed off
17 had numbers, but when I ran it through the xerox --

18 MR. WALLIS: It's just visible if you're
19 very careful. Okay.

20 MR. GEIGER: The copy machine made them
21 darker. I apologize.

22 MR. WALLIS: So here we conclude that the
23 two surrogates are different, the ANL surrogate, and
24 the Westinghouse surrogate are different things.
25 They look different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: Yes. Well, they appear
2 different, but they --

3 MR. WALLIS: They're different in color.

4 MR. GEIGER: The question is why the color
5 variation? There was no real explanation. We didn't,
6 you know --

7 MR. WALLIS: When it says "the layer was
8 impervious", that means no water could flow through it
9 at all?

10 MR. GEIGER: Correct. They had to drain
11 the water by --

12 MR. WALLIS: Really blocked up, it was
13 painted. They painted it.

14 MR. GEIGER: It was painted, yes. They
15 had to open the pressure caps to let the water out.

16 MR. WALLIS: Westinghouse surrogate paints
17 an impervious layer on top of a fiber bed?

18 MR. GEIGER: I wish Dr. Shack would be
19 here to address some of these things, but I was
20 planning on him to be here.

21 MR. KLEIN: I think that's correct. As
22 Erv described, they needed to disconnect the
23 transducer in order to drain the loop.

24 MR. WALLIS: How did it get to be 2
25 millimeters thick if there was so little of it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Is that the total bed
2 thickness?

3 MR. KLEIN: I think that's what -- he's
4 describing a golden colored layer. I don't know if
5 they tried to separate, or if they could separate the
6 precipitate from the underlying NUKON that probably
7 added part of the golden color to the layer.

8 MR. WALLIS: Well, I guess we have to go
9 on.

10 CHAIRMAN BANERJEE: Are these tests now
11 completed?

12 MR. GEIGER: Yes. Yes.

13 MR. WALLIS: Number two is getting at my
14 question. I mean, here you've raised a very
15 interesting question, and so you deem that there's no
16 benefit, and stop experiment. This is the whole basis
17 of industry work, is the WCAP surrogates, isn't it?

18 MR. GEIGER: Well, and what we've done is
19 we demonstrated that if you use the surrogate --

20 MR. WALLIS: Couldn't industry conclude
21 the same thing?

22 MR. GEIGER: And they did, yes.

23 MR. WALLIS: They're not going to use the
24 WCAP surrogate?

25 MR. GEIGER: About the same time we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this, they came up with that, so I'm not -- I think
2 they're approaching --

3 MR. WALLIS: What are they going to use?

4 MR. KLEIN: Paul Klein, again. I'd like
5 to add some perspective to that second bullet. When
6 we originally started - when we asked research, and
7 then they asked ANL to evaluate the WCAP precipitate,
8 we thought that we would do a series of tests where we
9 incrementally added additional precipitate over time
10 to evaluate the head loss response, much as we had
11 done with some of the earlier testing at ANL. We saw
12 with the WCAP surrogate was that at very low levels of
13 precipitate addition, it produced high head loss, so
14 the feeling was rather than try to evaluate greater
15 than 5 ppm, we knew what the answer would be. To try
16 and evaluate less than 5 ppm, we didn't want to try
17 and split hairs to that level or degree, because it
18 seems like what the results were telling us is that a
19 small amount of precipitate is effective at producing
20 head loss.

21 MR. WALLIS: It's not ppm that matters,
22 really, it's the total amount of precipitate in the
23 loop, isn't it?

24 MR. KLEIN: That's correct.

25 MR. GEIGER: I'm sorry. It was gauged on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a ratio, right - so surface area to what was expected.

2 MR. KLEIN: When we say 5 ppm, that --

3 MR. WALLIS: Now this first conclusion is
4 unwarranted. I mean, you could simply say the WCAP
5 aluminum surrogate produces highly unpleasant results.
6 There's no conservative relative to what? I mean,
7 conservative relative to what's really going to happen
8 in the sump? You have no basis for making that
9 statement. And then the second one is extraordinary.
10 I mean, because the surrogate produces an undesirable,
11 highly unpleasant head loss, we're going to stop doing
12 any work with it. That's a strange conclusion.

13 CHAIRMAN BANERJEE: Is industry continuing
14 to use this surrogate?

15 MR. KLEIN: Industry went through some
16 initial tests with the surrogate. They've had
17 unpleasant results, as well. I think they've gone
18 back, and there's probably within the five strainer
19 vendors, there's a divergence of opinion on whether to
20 continue with the surrogate, or try another testing
21 approach.

22 MR. WALLIS: But if this stuff clogs the
23 screen, which it does, it would seem this is a key
24 thing to understand and investigate, and all its
25 dimensions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: So what would industry
2 do, I mean, try to find a surrogate which is less
3 unpleasant?

4 MR. KLEIN: I will attempt to address
5 that. I hate to speak for industry, so John Butler,
6 if you're still here, and I misrepresent industry,
7 please jump in, but I think industry is looking at
8 this from a broad perspective, and they're trying a
9 number of different things. Some vendors have plants
10 that are able to reduce the amount of fiber, such that
11 they don't get a fiber covered strainer, and that is
12 one way to try and address it, because it seems like
13 one of the consistent test results we've seen is that
14 the precipitate by itself has not been clogging the
15 strainer.

16 Other people are looking at a number of
17 different options, potentially changing buffers to
18 reduce the amount of precipitate that forms.
19 Westinghouse is trying to go back to some of the
20 initial assumptions in the WCAP model, and look at
21 whether those assumptions were too conservative. For
22 example, aluminum corrosion was all assumed to be
23 commercially pure aluminum, when, in fact, the plants
24 have alloyed aluminum that might have corrosion rates
25 that are much less than commercially pure under the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given environment, so there's a number of things that
2 are being looked at in the model to try and remove
3 conservatism, if it's warranted. And then there's a
4 number of test approaches that are looking at can we
5 do other things, such as try to get a bare strainer,
6 or try to incorporate some type of back-flush that
7 would help us get around the chemical effects issue.

8 CHAIRMAN BANERJEE: But they will not
9 continue to use this surrogate for their testing, or
10 will they continue to use it?

11 MR. KLEIN: I believe that some of them
12 will continue to use this surrogate.

13 MR. GEIGER: Well, let me ask - if the
14 surrogate represents the behavior of what you would
15 expect to find in the sump pool, wouldn't it indicate
16 that as soon as you start - you reach the saturation
17 limit, you have precipitates, you would start to
18 affect your fiber bed across the screen? So at levels
19 as low as 5 ppm with the surrogate, you would block
20 the screen. I would consider that to be a
21 conservative test, because let's say, if the real
22 precipitates went at 10 ppm or 20 ppm, then I've
23 under-predicted how much head loss I have.

24 MR. WALLIS: But this is subject to
25 temperature, as the sump cools down during the long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 period of recirculation --

2 MR. GEIGER: More and more precipitates,
3 yes.

4 MR. WALLIS: Then you get more and more
5 precipitate.

6 MR. GEIGER: Yes.

7 MR. WALLIS: And this would seem to
8 indicate that eventually you're going to clog the
9 screen, because the screen has already got its fibers
10 and stuff on it.

11 MR. GEIGER: Yes.

12 MR. WALLIS: And now as the stuff cools
13 down, this new precipitate is going to land on top of
14 that fiber layer and make this impervious layer.

15 MR. GEIGER: So the question is at what
16 stage do I get precipitation of --

17 MR. WALLIS: Then, of course, because you
18 can't cool the core, things heat up and you dissolve
19 it again.

20 MR. GEIGER: I'm running for 30 days, do
21 I come down to 60 degrees, or do I just come down to
22 80 degrees? If I come at 80 degrees, and I still
23 don't have any precipitate, then I'm happy. If, for
24 some reason - but I do get precipitate, then it has to
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Well, isn't this another case
2 where a small experiment done by NRC raises a new key
3 important question?

4 MR. GEIGER: As to?

5 MR. WALLIS: Well, it seems to me to be an
6 important question about whether or not you're going
7 to block screens with aluminum precipitates.

8 MR. GEIGER: Yes. That's a question, I
9 agree. And I think that's why --

10 MR. WALLIS: Since it's so effective, you
11 seem to decide that there's almost no defense against
12 it, if you've got a fiber layer there already.

13 MR. GEIGER: What we were saying here is
14 we were looking to see how the surrogate precipitate
15 would behave, to see if it would affect, or how it
16 would compare to pressure drop --

17 MR. WALLIS: The preliminary conclusion is
18 it's very bad stuff.

19 MR. GEIGER: And we found that was very
20 bad stuff, so I'm not sure exactly where we would go
21 from here at this point, as far as --

22 MR. WALLIS: Discontinue the work, right?

23 MR. GEIGER: Well --

24 MR. TRAGONING: This is a good example of
25 a case where industry had initiated and was conducting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some work. Okay? We had some issues, or some
2 concerns that we had, and one of the concerns was,
3 okay, they're creating a surrogate for this aluminum
4 oxyhydroxide, and the question was how well does that
5 surrogate represent the type of product we saw in the
6 ICET? So there was a very specific concern, so that
7 led to this targeted testing. The targeted testing
8 showed that well, the surrogate probably, in some
9 cases, or in many cases, may not be a very good
10 surrogate of aluminum oxyhydroxide. So the result of
11 that is this information is being used to - and,
12 again, John Butler will, I'm sure, jump in if I
13 mischaracterize - has been used to inform the industry
14 path forward on this in terms of how they want to
15 utilize this surrogate, and how they want to
16 characterize the results they get from this type of
17 testing.

18 MR. WALLIS: But because of the
19 uncertainties about what's happening in the real sump,
20 you couldn't rule out that something like the WCAP
21 surrogate actually appears in the sump.

22 MR. KLEIN: That's correct. I think the
23 reason we requested the additional tests from the
24 Office of Research, if a strainer vendor, for example,
25 were to conduct a test with a debris bed, and add the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amount of surrogate that's predicted by the WCAP
2 chemical model, and were to achieve a test that
3 demonstrated a head loss that was acceptable, how
4 would the NRR staff review it? And so that's, I
5 think, where we were trying to head with some of this
6 additional targeted research.

7 MR. WALLIS: What is it that makes this -
8 it's the NaOH that makes these hydrogen --

9 MR. KLEIN: It's a combination of aluminum
10 and --

11 MR. WALLIS: It's probably difficult to
12 ban aluminum from power plants, but you can ban sodium
13 hydroxide, couldn't you?

14 MR. GEIGER: Well, you're going to try to
15 prevent the formation of aluminum oxyhydroxide.

16 MR. WALLIS: Right.

17 MR. GEIGER: That's what you need to do,
18 or eliminate fiber, or reduce the amount of fiber, or
19 increase your sump size to the point where the fiber
20 does not totally coat the strainer. And these are all
21 issues that --

22 MR. WALLIS: Maybe you can coat all the
23 aluminum surfaces, or something?

24 MR. GEIGER: Well, it depends - that's up
25 to plants, but if you're looking at -- first of all,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it was brought up that there was a lot of aluminum in
2 the plant. Well, on the coils, the air coolers and so
3 on, they're at a higher elevation, so they're only
4 going to see this spray for the duration that the
5 containment sprays, a couple of hours, and then there
6 won't be any more. So those will not be submerged
7 continuously in this soup, so we have to look at
8 what's actually on the floor. And I understand that
9 fiberglass insulation has aluminum in it, and all
10 these things. I mean, so there are other sources of
11 aluminum. The question is how much, and how much
12 leaches out? And those are all things that other
13 research has to follow. I mean, what we've proven is
14 that the aluminum surrogate used by Westinghouse, or
15 the recommended surrogate, is very effective at
16 causing head loss on a fiber bed. I don't know how
17 much further we could take it, unless we could prove
18 that well, this stuff doesn't really look like the
19 other.

20 MR. ABDEL-KHALIK: The point is not
21 whether it is effective at producing head loss. The
22 point is whether it is a true representative of what
23 actually happens. That's what the word "surrogate"
24 means. And go back to slide 3, what is the answer to
25 that question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Well, whatever question it
2 is, it probably is we don't know.

3 MR. ABDEL-KHALIK: That's the first
4 objective. The first objective of the research,
5 evaluate the head loss at performance.

6 MR. GEIGER: Actually, we're evaluating
7 the head loss performance is what we did. Now the
8 question you raised is yes, is it really the right
9 surrogate? That's the question.

10 MR. WALLIS: What you really seem to have
11 concluded is it's so bad, you don't want to
12 investigate it any more.

13 MR. GEIGER: Now I would think that
14 industry, Westinghouse would need to determine if this
15 really is -- but is it likely that this form of
16 surrogate could form in your sump?

17 MR. WALLIS: So you think they're going to
18 come up with a different surrogate?

19 CHAIRMAN BANERJEE: Well, they got there
20 because they didn't want to use the pH buffered water.
21 Right? I mean, how many options do they have? Not
22 that many.

23 MR. GEIGER: I think what most of the
24 plants are doing is increasing their screen size to
25 the point that when they take the fiber loading, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does not load.

2 CHAIRMAN BANERJEE: I don't mean what the
3 plants are doing to cope with the problem, I'm saying
4 what options do they have with the surrogate, not that
5 many.

6 MR. GEIGER: Not that many, no, unless
7 they want to do the actual chemistry thing.

8 CHAIRMAN BANERJEE: Yes. So the issue
9 really is, does this give you a high pressure loss
10 over a variety of screen designs? Because I imagine
11 what these people will do is they'll try to change the
12 screen designs and so on, so that you don't get --

13 MR. WALLIS: So you have some open area.

14 CHAIRMAN BANERJEE: Yes, have some open
15 area.

16 MR. GEIGER: Well, that's what they're
17 looking at, is to create so you don't have a uniform
18 coating over the entire mesh or the screen area.

19 CHAIRMAN BANERJEE: Yes, so you try to
20 take it out.

21 MR. WALLIS: Well, you could have a design
22 where you actually have a screen which you can open up
23 when you've caught all the fibers on the other screen,
24 then you open it up to let the surrogate through.

25 MR. GEIGER: I'm not familiar with all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different --

2 CHAIRMAN BANERJEE: I'm sure there are
3 lots of thinking going on here.

4 MR. GEIGER: And I think these tests are -
5 and also, the one industry did, because it was pretty
6 much a parallel, about the same time, they came up
7 with the same conclusions that we came up with
8 surrogate.

9 MR. WALLIS: Are you telling the
10 Commission about this, briefing the Commission about
11 this result? I think you are, aren't you?

12 MR. KRESS: Today.

13 MR. WALLIS: Today.

14 MR. CARUSO: I think that's more of a
15 programmatic briefing, than a technical briefing.

16 MR. KLEIN: I don't believe that the TA
17 briefing will be to this level of detail.

18 MR. WALLIS: Well, do we have to tell the
19 Commission about your results?

20 MR. KRESS: If we think it's a safety
21 issue.

22 MR. WALLIS: That sort of puzzled me about
23 this whole program, is that we write our letters, and
24 we usually put in a lot of stuff about what you guys
25 have discovered, but really the path shouldn't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through us, it should be directly. And I assume there
2 is a direct path, which is more efficient than going
3 through us.

4 CHAIRMAN BANERJEE: Well, I guess we add
5 a layer of comment.

6 MR. WALLIS: The Commission doesn't like
7 surprises, especially from us. It seems to be a
8 significant observation. Am I somehow off base here?
9 I mean, this seems to be a very significant
10 observation, what's being used by industry as a
11 surrogate for aluminum hydroxides is extraordinarily
12 effective at blocking screens. It may well be overly
13 conservative.

14 MR. KLEIN: Well, I think the precipitate
15 that we generated is effective at blocking screens.
16 The difference in the tests was that there's a
17 solubility component that wasn't involved in this
18 test. In this test you generate the precipitate
19 outside the loop, and you add it to the test. In our
20 test, we added aluminum nitrate within the loop until
21 we exceeded a solubility limit. Once we did that and
22 precipitated a material, we saw very high head loss
23 response.

24 MR. WALLIS: You also do it by cooling
25 down by the loop.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: You could also do it by adding
2 a constant level and dropping the temperate to affect
3 solubility. But the feeling was that equivalent
4 amounts of WCAP precipitate and the that was generated
5 using the ANL protocol both drove head loss high, and
6 maybe the bigger picture was that if you do have these
7 type of precipitates, it doesn't take a whole lot
8 across the debris bed to impact head loss.

9 MR. WALLIS: Now when industry was here a
10 few months ago talking to us about their experiments,
11 we asked about chemical tests, and they said - some of
12 them said that they had done tests, and the results
13 were unacceptable. Are these -- was it using this
14 kind of surrogate that led to unacceptable pressure
15 drop result?

16 MR. KLEIN: I missed part of that
17 question. Did you say that they indicated their
18 results were acceptable or unacceptable?

19 MR. WALLIS: We asked about chemical
20 tests. They said they had done a few chemical tests,
21 and the results gave unacceptable head loss. Was it
22 this surrogate, or some other surrogate for some other
23 particulate matter that gave unacceptable head loss?

24 MR. KLEIN: It would have been dependent
25 on the particular strainer vendor that you heard --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I don't know which ones they
2 were.

3 MR. KLEIN: Well, I believe you heard from
4 Allianz Science and Technology, who have used the WCAP
5 surrogate, and they had unacceptable head loss
6 responses.

7 MR. WALLIS: It was the one we're talking
8 about today.

9 MR. KLEIN: Yes.

10 MR. WALLIS: And what are they doing about
11 it?

12 MR. KLEIN: In their particular case, they
13 are considering a new testing approach that might go
14 back to an ICET-type approach, rather than a WCAP
15 surrogate approach.

16 MR. WALLIS: They make the chemical in the
17 loop?

18 MR. KLEIN: They would be -- this is
19 preliminary, so I don't want to provide too many
20 details, but I think they would be looking at what
21 might be generated within a loop given a
22 representative post-LOCA temperature, and pH, and
23 buffered environment.

24 MR. WALLIS: Well, we could write a letter
25 that said we've told you all of it before, except now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have this new result, which indicates that we were
2 right, that doing research is worthwhile, continuing
3 to do is worthwhile. Write about two paragraphs, and
4 that would be it, because this seems to be a
5 significant result. If you hadn't done this
6 experiment, we wouldn't be reaching some of these
7 conclusions. Very valuable, let's use the word
8 "value" we used before, a very valuable experiment,
9 isn't it, or not?

10 CHAIRMAN BANERJEE: Well, it's certainly
11 valuable in telling industry not to follow this path,
12 and try to find an alternative.

13 MR. KRESS: Well, I'm not so sure. If I
14 were interested, and I run a test with this surrogate,
15 and found out that my screen had acceptable flow
16 through it for the ECCS, I would assume I solved my
17 problem. My screen is acceptable to NRC. That's one
18 route to go. Now if they don't get that result, it
19 plugs up their screen, then they've got to do
20 something else.

21 CHAIRMAN BANERJEE: Which is maybe the
22 sort of test.

23 MR. KRESS: Yes, and then you've got to
24 evaluate those. But I think this is a valuable
25 result. It says if you use this stuff and get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptable results, it's acceptable to us. I think
2 that's --

3 MR. KLEIN: That was the motivation behind
4 our request to try and evaluate the WCAP surrogate
5 within ANL head loss loop.

6 MR. KRESS: I think that's a reasonable
7 conclusion.

8 MR. ABDEL-KHALIK: But if the head loss is
9 dependent on the particle size distribution, and this
10 surrogate has a certain particle size distribution
11 that you can get around by redesign so that you can
12 get some acceptable results, what is there to tell us
13 that the actual stuff that's going to deposit will
14 have the same size distribution, so that this design
15 around solution that you came up with would actually
16 work in the real case?

17 MR. LEHNING: This is John Lehning in NRR.
18 I guess the way that I see it for most of the plants
19 that I think that we've looked at, this was sort of a
20 binary situation, that either you got the chemical
21 effects, and you had a fiber bed, and then you had a
22 really high head loss, or you didn't have the
23 threshold where you're going to get a chemical effect,
24 or you didn't have a fiber bed and you didn't get it,
25 so some of the details of modeling this surrogate with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high fidelity would come into play more in the middle
2 ground of is the head loss such and such, or is it
3 twice as much? But if you can say it's either a zero,
4 or it's too high for you to handle, then all those
5 details aren't quite as important, and you're really
6 talking about what are the thresholds at which that
7 effect occurs. And that's what we really need to
8 understand, more so than I think all of the fine
9 points on that surrogate.

10 Just to follow that a little bit, there
11 may be some plants out there where a certain plant
12 might need more information on that size distribution
13 if they're in a middle ground, and then that would be
14 a valid question to ask for those plants, I think.

15 CHAIRMAN BANERJEE: So in this surrogate
16 a precipitate is added, not made.

17 MR. KLEIN: In the WCAP testing protocol,
18 the precipitate is made typically outside of the test,
19 and then added to the test, rather than generating it
20 within the test loop.

21 CHAIRMAN BANERJEE: Well, the precipitate
22 is made like those little bottles.

23 MR. GEIGER: Made in a bucket, and poured
24 in, yes.

25 CHAIRMAN BANERJEE: Poured in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: It says no precipitate was
2 visible in the water?

3 MR. GEIGER: Correct.

4 MR. WALLIS: So the stuff that you add is
5 invisible, too? You have a bottle of it, and it's
6 invisible, and you drop it in?

7 (Laughter.)

8 MR. KLEIN: When you mix it, you typically
9 see a milky white solution.

10 MR. WALLIS: You see a milky white
11 solution, but when you put it in the loop, it's so
12 dilute you don't see it? But then it says no build-up
13 was visible. How about this yellow impervious layer
14 that you found? I mean, that's --

15 MR. KLEIN: That was observed after the
16 test loop had -- well, it had cold, and probably sat
17 overnight and was drained the following day, so it was
18 not --

19 MR. WALLIS: The yellow layer didn't
20 appear until the next day?

21 MR. KLEIN: They did not observe a layer
22 at the time the test was terminated, I believe. And
23 that is consistent with some of the tests that ANL had
24 conducted with sodium hydroxide, where they saw a head
25 loss response, but no chemical bed was visible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Do you have any more
2 slides? Are you done? A little depressing, but --

3 MR. WALLIS: Maybe there's another
4 surprise.

5 MR. GEIGER: Well, they did some sodium
6 tetra borate buffer testing just to, I guess, gain
7 some additional information on the solubility at
8 different temperatures.

9 MR. WALLIS: So you observed very small
10 translucent precipitate particles?

11 MR. GEIGER: Which eventually - yes.

12 MR. WALLIS: Am I jumping ahead here, or
13 where am I? I'm on 13, I'm sorry.

14 MR. GEIGER: You're on 13?

15 CHAIRMAN BANERJEE: Well, what do you have
16 to say about the previous slide? Go back to where you
17 were.

18 MR. WALLIS: Yes.

19 CHAIRMAN BANERJEE: What is the key
20 finding on this slide?

21 MR. GEIGER: Okay. What we're trying to
22 do here is that we created a solution - two sets. One
23 is, we created these at two different temperatures,
24 and what we did was we started at 10 ppm, and in
25 intervals we added 10 ppm, increased the concentration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by 10 ppm, trying to determine when the saturation
2 limit would be reached. And then we had another set
3 at 80, 100, and 120 degrees that we had aluminum
4 concentration of 400 ppm that we let set for a long
5 time.

6 MR. WALLIS: Were you trying to find out
7 if the sodium tetra borate affects the precipitation
8 of aluminum?

9 MR. GEIGER: Yes.

10 CHAIRMAN BANERJEE: Then why do you have
11 TSP there in the last --

12 MR. GEIGER: Oh, did I misspell it? I'm
13 sorry.

14 CHAIRMAN BANERJEE: But you didn't add
15 trisodium phosphate. Right?

16 MR. KLEIN: That's a typo.

17 CHAIRMAN BANERJEE: Oh, that's a typo.
18 All right.

19 MR. WALLIS: It should be sodium tetra
20 borate, rather than TSP?

21 MR. KLEIN: STB.

22 MR. WALLIS: STB. It's rather confusing.
23 STB.

24 CHAIRMAN BANERJEE: Right. Okay. So we
25 know what --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: And we had - this is the test
2 setup, basically. That just shows a sample of the two
3 of them. They were immersed in an oil bath to keep it
4 at constant temperatures.

5 MR. WALLIS: It's a beaker. And what did
6 you find?

7 MR. GEIGER: Okay. Observations for the
8 solubility test at the 80 degree F, small translucent
9 particles are formed. And as we increased the
10 aluminum concentration from 50 to 55 percent is when
11 it started to form, and then at concentrations of 90
12 ppm, the overall solution --

13 MR. WALLIS: Now when you put in more
14 aluminum, you get less precipitation?

15 MR. GEIGER: Well, the other -- it
16 actually dissolved a little bit, but --

17 MR. WALLIS: But the 50, 55 - it looked as
18 if 50 was a critical one, because when you increased
19 from 50 to 55, you got precipitate. When you went up
20 to 90, it went transparent again?

21 MR. KLEIN: There's a couple of different
22 things that are going on here. At each addition they
23 go to a certain level, and then they hold it over
24 time, and then they look to see if anything drops out
25 of solution, and then they add additional aluminum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nitrate over time to increase the level. I think the
2 conclusion was overall the solution was clear,
3 although they did see some precipitation that started
4 to form at a certain level shown here, and then the
5 amount of precipitate that appeared to show up and
6 drop to the bottom increased with increase in
7 concentration.

8 CHAIRMAN BANERJEE: The solution remained
9 transparent, but that doesn't mean that you didn't
10 find the precipitate.

11 MR. GEIGER: Right.

12 MR. KLEIN: Correct.

13 CHAIRMAN BANERJEE: Okay.

14 MR. WALLIS: So we should conclude that
15 with TSB, you also get precipitates of aluminum.

16 CHAIRMAN BANERJEE: Over 50 ppm. Right?

17 MR. KLEIN: Yes. And that's consistent
18 with their earlier head loss tests where we saw at 50
19 ppm dissolved aluminum, no head loss response. When
20 they went to 100 ppm, we saw a very rapid head loss
21 increase, so that the objective of these additional
22 tests was to try and evaluate that level between 50
23 and 100 ppm to see if we could determine a threshold
24 level which we might see precipitation, and also head
25 loss response.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Did you do head loss response
2 with this, too? Presumably not, if it was just mixed
3 in a beaker.

4 MR. KLEIN: I think some of the follow-on
5 slides are going to discuss at what concentrations
6 they observed head loss.

7 CHAIRMAN BANERJEE: Go back, don't go so
8 fast. Now you're going to discuss the 100 and 120
9 cases, what happened there?

10 MR. GEIGER: Well, these - the ones that
11 were 400 ppm solutions, after about nine days
12 sediments formed and settled, showing that the 120
13 degree F showed no visible sign of sedimentation by
14 day 20 of the test.

15 CHAIRMAN BANERJEE: These were still,
16 there was no stirring, nothing.

17 MR. GEIGER: No, these were all still.

18 MR. WALLIS: Some of the stuff stays in
19 suspension for days?

20 MR. GEIGER: Yes.

21 CHAIRMAN BANERJEE: Well, it's not clear
22 that the precipitate forms immediately either. Right?

23 MR. GEIGER: Well, they were somewhat
24 cloudy in the beginning, but then --

25 CHAIRMAN BANERJEE: All of the tests?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GEIGER: Yes, because these were all
2 at 400, yes.

3 CHAIRMAN BANERJEE: All right.

4 MR. WALLIS: Why does it stay in
5 suspension? Is it charged?

6 CHAIRMAN BANERJEE: It could be fine.

7 MR. WALLIS: It could be fine.

8 MR. GEIGER: I guess maybe somebody will
9 hit the slide on the --

10 MR. WALLIS: But now Argonne got blockage
11 of the screen when they couldn't see anything in the
12 water at all.

13 CHAIRMAN BANERJEE: I guess you could do
14 some light scattering and see what the size of the
15 particles were. Right?

16 MR. KLEIN: Let me add some additional
17 information here. I think that the objective of these
18 tests was to supersaturate the solution at 400 ppm
19 dissolved aluminum at different temperatures, and then
20 evaluate over time what type of equilibrium dissolved
21 aluminum you might have in the supernate, such that
22 you would try to evaluate, eventually get to the
23 solubility limit at these given temperatures for this
24 system, so that was the objective. And what Erv is
25 describing is that for a number of these, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supersaturated the solution, and precipitate formed
2 and it remained in solution over time, the solution
3 remained cloudy.

4 MR. GEIGER: And I believe that even after
5 the -- at the end of the test they still had not
6 reached equilibrium. And then we did some head loss
7 tests with STB buffer. And this head loss test was -
8 the loop was filled with de-ionized water, and boric
9 acid and lithium hydroxide were added to the loop.
10 And then sodium tetra borate was added to obtain a pH
11 of 8.3, and the loop was operated for 15 minutes just
12 to mix all the chemicals. And then debris fiberglass
13 NUKON was added, allowed to form on a perforated
14 plate, and the temperature of the loop was raised to
15 140 degrees F, and the aluminum nitrate was added to
16 provide a final aluminum concentration of 50 ppm.

17 MR. WALLIS: Is there a theoretical
18 solubility limit under these conditions?

19 MR. GEIGER: Yes, I'm sure there is, but
20 I didn't include it here.

21 MR. WALLIS: 50 ppm, are we dealing with
22 a solubility limit, or is it supersaturated, or what
23 is it?

24 MR. GEIGER: I'm sorry. At 50 ppm, or --

25 MR. WALLIS: Well, I mean, presumably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a theoretical solubility limit for aluminum
2 with this buffer, and the pH and everything, and
3 temperature. I'm just wondering is that around 50, or
4 is it 10, or 5, or 100? Can you identify 50 as being
5 the solubility limit, or is it just --

6 MR. KLEIN: Well, I think we can give you
7 observations based on testing that ran for a number of
8 days. Whether that's a true solubility limit, it's
9 probably difficult to comment, but in a number of
10 these cases the tests ran on for a long period of
11 days.

12 MR. GEIGER: Twenty-one days.

13 MR. KLEIN: Well, even beyond 21 days.

14 MR. TRAGONING: I wouldn't say these are
15 inconsistent with, because there were solubility
16 calculations that were done, obviously. But there's
17 a number of assumptions that go into those, and as
18 we've seen throughout these experiments and these
19 conditions that they're very sensitive. The actual
20 solubility is very sensitive, the actual conditions
21 you have for a given test, so I wouldn't say they're
22 inconsistent, but I wouldn't want to also say that
23 they are exactly equivalent to either. I mean, 50 was
24 some initial, again, very crude solubility
25 calculations was a pretty good ballpark estimate of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when we expected to start seeing --

2 MR. WALLIS: The peer review talked about
3 other particles, very small particles acting as
4 nucleation centers and things. That would be true if
5 you had a supersaturated solution, but if you're not
6 saturated, then presumably they won't produce
7 precipitates, will they?

8 MR. GEIGER: If there's nothing nucleate,
9 then yes.

10 MR. TRAGONING: Unless they provided
11 nucleation sites that wouldn't otherwise be available.

12 MR. WALLIS: Is this going to be a
13 regulatory requirement that you say as long as you
14 keep your pool under 50 ppm, you don't have to worry
15 about it, if you have to STB you don't have to worry
16 about clogging your screen?

17 MR. KLEIN: I think we're still trying to
18 determine what the right regulatory guidance should be
19 in the chemical effects area, and our intent is to
20 have some draft guidance by the fourth quarter of this
21 fiscal year.

22 MR. WALLIS: This is just a very
23 preliminary experiment. Before you have any guidance,
24 you'd want to be pretty sure, presumably.

25 MR. GEIGER: Well, would we provide this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance, or is this something industry would propose,
2 and we would - because it depends on buffers and so
3 on, what they do.

4 CHAIRMAN BANERJEE: This is true in sodium
5 tetra borate.

6 MR. GEIGER: Yes.

7 CHAIRMAN BANERJEE: Is it true if it is
8 buffered in a different way?

9 MR. KLEIN: No.

10 MR. GEIGER: No. This is specifically for
11 --

12 CHAIRMAN BANERJEE: Specific. And what
13 happens if it's buffered differently, is it a lower
14 number?

15 MR. KLEIN: Well, I think it would depend
16 on the buffering agent.

17 CHAIRMAN BANERJEE: Well, let's say it was
18 TSP.

19 MR. KLEIN: With TSP, the concern tends to
20 be more calcium species, formation of calcium
21 phosphate.

22 CHAIRMAN BANERJEE: Right. Right.

23 MR. GEIGER: You don't have calcium, yes.

24 MR. KLEIN: Not aluminum.

25 CHAIRMAN BANERJEE: And with sodium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hydroxide?

2 MR. KLEIN: I would want to go back and
3 review the literature on sodium hydroxide before I
4 threw out numbers.

5 CHAIRMAN BANERJEE: So this 50 ppm is very
6 specific to the system you're talking about.

7 MR. KLEIN: Yes.

8 MR. GEIGER: We're trying to evaluate what
9 happens if we held it at 50 ppm for a certain number
10 of days, would we get a precipitation eventually, and
11 the kinetics of it. And so we ran it for 21 days at
12 80 degrees, with no significant pressure drop in the
13 loop. And after 21 days, we increased the aluminum
14 concentration by 10 ppm increments. After we ran it
15 at 10 ppm for a couple of days, then we increased it.
16 By this time, we were running out of time and budget,
17 but we were trying to see how long we could maintain
18 this loop and test increasing the concentration to see
19 what the -- at what point we would start to create
20 head loss across the screen.

21 Then what this says here is that "a
22 nominal 70 ppm dissolved aluminum, a notable increase
23 in the pressure drop was observed, indicating that
24 some precipitation was starting to form." And this is
25 a graph of the time history versus -- and shows where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we added aluminum at different points.

2 CHAIRMAN BANERJEE: All this is in the
3 letter report you're talking about.

4 MR. GEIGER: Yes, it is.

5 MR. KLEIN: And the head loss response was
6 not inconsistent with what we saw in some of the bench
7 top tests. At 50 ppm, we observed no head loss
8 response at all. It wasn't until we got to a 70 ppm
9 dissolved aluminum concentration, and at that point,
10 head loss started to increase, and they added an
11 additional 10 ppm dissolved aluminum, and it started
12 to climb rather rapidly towards the end of that test.

13 MR. GEIGER: Small dips in solubility are
14 due to the increased temperature when it was added, so
15 the conclusion, that precipitation kinetics at long-
16 term loop test all suggest that the concentration of
17 50 ppm aluminum can be maintained in STD and boric
18 acid solutions with a pH of 8.4. And 70 to 80 degree
19 for periods of 20 days. That's the limit of the test.
20 So, I mean, this just sort of informs his plants want
21 to switch to TSB to evaluate.

22 CHAIRMAN BANERJEE: So how was the -- this
23 test was with aluminum hydroxide being formed in the
24 solution itself. Right?

25 MR. GEIGER: Well, they added --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Added.

2 MR. GEIGER: No, they added the --

3 CHAIRMAN BANERJEE: It was added.

4 MR. GEIGER: Yes, it was added.

5 MR. WALLIS: Why was it added?

6 MR. KLEIN: You're correct. It would have
7 been formed within the loop.

8 CHAIRMAN BANERJEE: Yes.

9 MR. GEIGER: Yes.

10 CHAIRMAN BANERJEE: Okay.

11 MR. WALLIS: How was it added?

12 CHAIRMAN BANERJEE: It wasn't.

13 MR. KLEIN: Aluminum is added as an
14 aluminum nitrate solution.

15 MR. GEIGER: Nitrate, yes. I'm sorry.

16 CHAIRMAN BANERJEE: Yes, but the
17 precipitate was --

18 MR. KLEIN: The precipitate would form in
19 the loop.

20 MR. GEIGER: It was added at a top,
21 opening at the top.

22 CHAIRMAN BANERJEE: Okay. All right. So
23 I think -- are you done with your slides?

24 MR. GEIGER: Yes, I am.

25 CHAIRMAN BANERJEE: Then we should go for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lunch now. Let's take a break until, let's see.

2 MR. WALLIS: 1:30?

3 CHAIRMAN BANERJEE: 1:30 sounds good.

4 Okay. We will adjourn.

5 MR. KRESS: Not adjourn, that means we go
6 home.

7 CHAIRMAN BANERJEE: Oh, sorry.

8 MR. ABDEL-KHALIK: Recess.

9 CHAIRMAN BANERJEE: Recess.

10 (Whereupon, the proceedings went off the
11 record at 12:28:38 p.m., and went back on the record
12 at 1:33:49 p.m.)

13 CHAIRMAN BANERJEE: All right. We'll come
14 back into session, and we'll hear from Dr. Krotiuk.

15 MR. KROTIUK: Now previously at the
16 previous meeting that we spoke about this subject, I
17 had presented some preliminary results of the testing
18 and modeling. All that effort is completed now, so
19 what I want to do is just summarize everything that
20 was done for both the testing and the modeling.

21 You've seen some of these slides before.
22 This is just to reiterate the objectives of the
23 testing, so I'll talk about the testing first. The
24 objectives were to look at the pressure drop on the
25 sump screen due to debris composition, debris

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution in the bed, fluid temperature effects,
2 and PNNL built a test facility that was able to make
3 in situ bed thickness measurements. They were able to
4 control temperature of the liquid, and we also, I'll
5 talk about this more, were able to measure the
6 constituent masses of the two types of materials in
7 the bed itself. This testing was all done primarily
8 with NUKON and cal sil.

9 MR. WALLIS: You're presenting PNNL 16-
10 313?

11 MR. KROTIUK: Yes. I'm presenting the
12 6917, which is PNNL's effort, and then I'll be going
13 into the modeling effort. I didn't remember the
14 number, I had to look at it.

15 And as previously indicated, we wanted to
16 do additional testing really to look at the effects of
17 the cal sil addition with mixture with other debris
18 types. We want to address concerns that the ACRS had
19 indicated that they had, and essentially to support
20 regulatory applications. Testing --

21 MR. WALLIS: You seem to have contracted
22 the test matrix, and they're originally intended to
23 have really thick beds, and higher velocities and
24 things.

25 MR. KROTIUK: That was changed as time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 went on, and we originally had higher velocities, but
2 --

3 MR. WALLIS: Had 18 inch beds that they
4 originally planned.

5 MR. KROTIUK: No, we did --

6 MR. WALLIS: The advantage there is that
7 you can really see the compression of the bed.

8 MR. KROTIUK: Yes. We did not go that
9 thick, because we were modifying the matrix, and I'll
10 show you the matrix, as we were going along. And it
11 ended up we test in beds that were --

12 MR. WALLIS: There are some industrial
13 reactor situations where I understand the screen gets
14 completely buried in insulation, so you do get very
15 thick beds.

16 MR. KROTIUK: That's true, but we looked
17 at -- remember the purpose of the testing was really
18 to come up with a correlation that was defended by the
19 test data, use the data to develop the correlation.
20 If you have too thick of a bed, I don't know how much
21 information you will get, because you may not have
22 much flow. We tried to -- we iterated on the matrix,
23 and I'll show that in a minute. We iterated on the
24 matrix a lot, and you'll see what we finally ended up
25 with, but it wasn't 18 inches, as you indicated. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was thinner than that.

2 Okay. Let me just describe the test loops
3 a little bit. Basically, at PNNL, we had two test
4 loops, what we called the large test loop was really
5 the test facility where almost all the testing that
6 had the fine data, the bed height measurements, the
7 composition of the bed, that's where we did all the
8 data that we used basically to develop the
9 correlation. But we also had bench top loops, which
10 were smaller diameter loops that we could just run
11 quick little sensitivity studies, so that we could use
12 that as a basis --

13 MR. WALLIS: Even this is a fairly big
14 loop, though. It's four inches out of six, and it's
15 got a lot of piping and stuff, so --

16 MR. KROTIUK: Yes. But the 4 inch loop,
17 we were able to -- we didn't have as fine, like we
18 weren't as concerned about having real, real accurate
19 delta P measurements and everything else. It was done
20 for more of a sensitivity study so that we knew how we
21 should maybe modify the conditions in the large loop
22 to get the best data, so that's the purpose of the
23 smaller bench top loop. But you're right, it was
24 still pretty big.

25 CHAIRMAN BANERJEE: Well, it was less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instrumented.

2 MR. KROTIUK: It was less instrumented,
3 yes. And data wasn't as good as the large loop. We
4 did a lot of work in the large loop to make sure that
5 the data was as best as we could get.

6 On the large loop we had temperature
7 control up to 90 degrees C. We were able to measure
8 the bed heights in situ so that we could use an
9 optimal triangulation technique. We were able to
10 pressurize the loop to 150 psi to maintain gaseous
11 solution so we didn't have two-phase flow. That's
12 something that wasn't in the smaller loop. And we
13 also had a filtration system to remove small suspended
14 particles, so we knew what we had flowing in the loop.

15 Now, let's see. This on the right here is
16 the picture of the test section itself. This is the
17 screen here. We have a clear section here, and the
18 flow basically comes down, so that's this section
19 right here. This is the test section, so the flow
20 would come down. You have delta P measurements across
21 the test section. You have a flow sensor here. This
22 is the filter. It's in parallel to be able to filter
23 out particulates in the loop, the pump, temperature
24 controller, and then it continued like this, and
25 connected up here. The debris in the case of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUKON and the cal sil, and other tests that we did, we
2 were able to add it, but in this area on the top of
3 the loop, and we also had an external pressurization,
4 as I said, to 150 psi to prevent gas from coming out
5 of solution.

6 MR. ABDEL-KHALIK: Now that filter, what
7 size particles can this filter stop? Is it a micron
8 filter?

9 MR. KROTIUK: Yes.

10 MR. ABDEL-KHALIK: Or a sub-micron?

11 MR. KROTIUK: Ten micron.

12 MR. ABDEL-KHALIK: Ten micron. Now in a
13 real case, wouldn't you expect some particles to be
14 within flow much larger than that?

15 MR. KROTIUK: Yes. This was done just for
16 testing reasons. As you add the debris into the test
17 loop - let me go to here - say we added in this
18 location here, and we started building the test bed in
19 the test section here, we could - even as it's
20 building, there's still suspended particles.

21 MR. ABDEL-KHALIK: Right.

22 MR. KROTIUK: So the intent of the
23 filtration was really just to take any of these
24 suspended particles out after we decided to start the
25 test, so that we didn't have - the bed didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continually start building. We had a set bed that we
2 did the tests on. That's the only reason the
3 filtration system is there.

4 MR. ABDEL-KHALIK: Okay.

5 MR. KROTIUK: The testing was done with
6 two types of screens, one was a perforated plate, and
7 one was a five-mesh screen. And then this is - you
8 saw this last time - this is just the way it was
9 mounted in a ring here, so I won't - I don't think
10 I'll pass it around because you saw that previously.
11 The interesting thing is that the specifications on
12 both the plate and the five-mesh screen were specified
13 basically after consulting with NRR, and this is the
14 flow area that they said to be using, and basically
15 the diameter of the holes in the plate, and the square
16 openings in the screen itself.

17 CHAIRMAN BANERJEE: Let me ask you one
18 thing. The correlation which we've heard about also
19 as it's been developing, remind me if it's only for
20 PWR sump screens, or does it apply to more general in
21 filter - I mean, also in the BWR?

22 MR. KROTIUK: It is a correlation to
23 calculate pressure drop over a porous medium debris
24 bed, so it could be --

25 CHAIRMAN BANERJEE: Doesn't matter which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one.

2 MR. KROTIUK: Doesn't matter which one.
3 As long as you have the properties, that's the key
4 thing, and I'll get to that. You have to know the
5 properties of the debris.

6 Okay. Let me just go a little bit,
7 describe a little bit how the testing was done in the
8 large loop, because, as I said, that's where most of
9 the data came from. We prepared the debris
10 constituents before it was introduced into the loop,
11 and previously at a previous presentation, Carl
12 Enderlin went through a whole elaborate description of
13 how it was prepared, so I'm not going to go over that
14 again.

15 For the bulk of our testing, there were a
16 few exceptions to this, we formed the bed at .1 feet
17 per second. We started the flow, we added the debris,
18 and then we kept it at .1 feet per seconds, and built
19 the debris bed on the screen, and basically kept it
20 running for, as you said, about an hour, or seven
21 circulations in this entire loop so that we could
22 build the bed.

23 MR. WALLIS: Now this -- when you do that,
24 I would think that the big stuff, the long fibers get
25 caught the first time. They don't go through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holes.

2 MR. KROTIUK: That's probably right.

3 MR. WALLIS: So then as you build the bed,
4 the top of the bed you're building is going to be made
5 of finer fibers than the bottom.

6 MR. KROTIUK: That's correct.

7 MR. WALLIS: And if you have very fine
8 particles, maybe they go around seven times or
9 something before they settle.

10 MR. KROTIUK: That could definitely --

11 MR. WALLIS: So you're not producing a
12 homogeneous bed.

13 MR. KROTIUK: That's absolutely right.

14 CHAIRMAN BANERJEE: This correlation is
15 supposed to take that into account.

16 MR. WALLIS: You're going to predict the
17 structure of the bed in your correlation?

18 MR. KROTIUK: That's what I have attempted
19 to do, with some success. It's not 100 percent
20 successful, but it's some success.

21 MR. WALLIS: You're going to show this,
22 the sort of concentration of fines and long fibers as
23 a function of depth in some way?

24 MR. KROTIUK: Yes.

25 MR. WALLIS: Because there's no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correlation that industry uses that I know of that
2 tries to do this.

3 MR. KROTIUK: That's correct. In fact, I
4 didn't find --

5 CHAIRMAN BANERJEE: In fact, you showed us
6 the approach you were taking last time.

7 MR. KROTIUK: I showed the approach, and
8 it was still being developed at the time.

9 CHAIRMAN BANERJEE: Well, tell us.

10 MR. KROTIUK: Yes. One other thing is
11 that we measured the constituent debris mass, for
12 instance, of the NUKON and cal sil before we injected
13 it into the loop, and then after we retrieved the
14 debris bed, we dried it and then measured the weight,
15 so we knew how much was added, and how much was
16 actually deposited on the debris bed.

17 MR. WALLIS: I'm surprised how much got
18 lost.

19 MR. KROTIUK: I'm going to discuss that.
20 I have a slide that specifically shows how much got
21 lost.

22 CHAIRMAN BANERJEE: When were these tests
23 conducted, and when did they finish?

24 MR. KROTIUK: We finished them in, I think
25 it was early - last September. And they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conducted for about eight months, ten months,
2 something like that, something of that nature.

3 CHAIRMAN BANERJEE: So they finished
4 September 2006.

5 MR. KROTIUK: And if we had a debris bed
6 that was composed of say NUKON and the cal sil, we
7 wanted to know how much of that debris was NUKON, and
8 how much of it was cal sil, so we used a post test
9 chemical dissolution technique to dissolve out the cal
10 sil so we could know the weight of the constituents in
11 the bed.

12 MR. WALLIS: Talking about circulation
13 time, I had a problem with the small scale loop,
14 because they gave the circulation in gallons per
15 minute, and they gave the volume of the loop, and I
16 couldn't make that agree with the circulation time.
17 Maybe someone needs to check that at some time.

18 MR. KROTIUK: Well, we could check that.

19 MR. WALLIS: May be a typo or something.

20 MR. KROTIUK: Yes. Nothing is - you know,
21 could be an error in there. I'll check on that.

22 MR. WALLIS: That was the small-scale
23 loop?

24 MR. KROTIUK: No, the seven circulations
25 were for the large --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: No, but I was saying the
2 problem I had was with the small scale.

3 MR. KROTIUK: Okay. Now, again, this was
4 for the bulk of the testing that was done. We took
5 steady-state pressure drop measurements across the
6 debris bed, and we started - we put it through a
7 series of velocities. We changed velocities, and then
8 ran it enough that we got a steady-state pressure.
9 And we started out, as I said, built a bed at .13 per
10 second, and then --

11 CHAIRMAN BANERJEE: You added the cal sil
12 at that point?

13 MR. KROTIUK: You added the cal sil at .1
14 foot per second, so we added all the NUKON and all the
15 cal sil at .1 feet per second, built a bed. Then we
16 would - I'll describe it a little - then we typically
17 would let it circulate for that seven times around the
18 large loop. Then we would open up the bypass
19 filtration system, filter out any of the other
20 particles that may be floating around so that we now
21 have a bed without any - as much as we could --

22 CHAIRMAN BANERJEE: A stable --

23 MR. KROTIUK: A stable situation without
24 particles moving around. We closed off the
25 filtration, and then we started doing the testing, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changed the velocities, and measured pressure drop.

2 MR. ABDEL-KHALIK: So you actually never
3 collected transient data for pressure drop while
4 you're building the bed, during that one-hour period.

5 MR. KROTIUK: In actuality, pressure drops
6 were continually monitored and recorded, and it's all
7 - it is there on the raw data files, but I didn't use
8 that. I only used the steady-state --

9 MR. ABDEL-KHALIK: The transient data can
10 help you sort of at least get an idea what the bed
11 structure is, if you know how things change with time.

12 MR. KROTIUK: That could be interesting.
13 I mean, we have the data. I just didn't really look
14 at it from that point of view.

15 MR. WALLIS: Now although you cycled the
16 velocity, you didn't seem to get the results that
17 University of New Mexico got with some of their tests,
18 where they go along, pressure drop behaved very nicely
19 with flow rate, and suddenly leap up by a factor of 7
20 or something.

21 MR. KROTIUK: I did get a few of those.
22 I'll show you.

23 MR. WALLIS: You did get a few of those?

24 MR. KROTIUK: Yes.

25 CHAIRMAN BANERJEE: And there was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hysteresis effect, of course.

2 MR. WALLIS: They got a bit of hysteresis,
3 but not so much.

4 MR. KROTIUK: Not so much, yes. But I did
5 get a few of those.

6 MR. WALLIS: Okay.

7 MR. KROTIUK: This is just a summary of
8 all the testing that was done. In the large loop, we
9 did testing without debris, with the five-mesh screen
10 and the perforated plate, just to measure the pressure
11 drop for that, for an unclogged or a plate or a screen
12 without any debris on it, so we did five of those
13 tests. We did testing of cal sil only, NUKON only,
14 NUKON and cal sil combined, both in the large and the
15 bench top loops, and you could see that there were a
16 fair number of tests done, 11 cal sil only tests, 90
17 NUKON only tests, and 45 NUKON cal sil tests. Then we
18 did some additional testing with coatings, primarily
19 in the large loop, but that was a very small number of
20 tests. There was only four tests done.

21 MR. WALLIS: But you never seem to build
22 up much of a bed of coat.

23 MR. KROTIUK: I didn't include any
24 discussions under coating, because I wanted to
25 concentrate on the NUKON and the cal sil, but yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was not - if you read the report, there was --

2 MR. WALLIS: Didn't seem to be enough
3 coating to really make a bed.

4 MR. KROTIUK: Right.

5 CHAIRMAN BANERJEE: But if the coating was
6 involved, wouldn't some of the other insulation be
7 involved?

8 MR. KROTIUK: You know --

9 MR. WALLIS: Yes, it would be.

10 MR. KROTIUK: We came up with a test
11 matrix and investigated the NUKON and the cal sil, and
12 then we started adding some additional testing with
13 the coatings, and basically we ran out of time, and
14 money.

15 CHAIRMAN BANERJEE: Otherwise, you would
16 have done some with --

17 MR. KROTIUK: I would have done some - I
18 had like a huge matrix that I was working trying to
19 fill, and one of them was to combine it with the
20 coatings, but I never was able to get there.

21 CHAIRMAN BANERJEE: What about the paint
22 flakes and things?

23 MR. KROTIUK: That's included in the
24 coatings. The coatings were done with paint flakes
25 and paint particles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Now did you sort of blindly
2 follow a test matrix? I remember when you did the cal
3 sil only, for instance, you didn't form a debris bed,
4 but you almost did. I mean, the photos show that you
5 almost got a debris bed.

6 MR. KROTIUK: Almost.

7 MR. WALLIS: You've even got a few holes
8 in it.

9 MR. KROTIUK: Right.

10 MR. WALLIS: It seems to indicate that
11 with just a little more cal sil, you would have got a
12 debris bed.

13 MR. KROTIUK: We looked at that to a very,
14 very large degree. We ran, gosh, in the small and the
15 large loop maybe a dozen or so tests where we
16 constantly were increasing the mass of cal sil.

17 MR. WALLIS: You didn't report those?

18 MR. KROTIUK: They are in the final
19 report, yes.

20 MR. WALLIS: And you always got blow-
21 through or something?

22 MR. KROTIUK: Yes, and I don't remember
23 the number. I think two slides from now I'll show how
24 much we added, and how much was actually deposited.
25 And it came out that only about 10 percent of cal sil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on its own was collected.

2 MR. WALLIS: I think - was it, again, LANL
3 or somebody, was able to make, I think, one bed that
4 was only cal sil.

5 MR. KROTIUK: Right. That's correct.

6 MR. WALLIS: So it could happen.

7 MR. KROTIUK: It could happen, but we
8 tried very hard to build it, and we just were not able
9 to.

10 MR. WALLIS: Well, there are fibers in cal
11 sil.

12 MR. KROTIUK: Yes, there are, in
13 somebody's list in 10 percent of the mass is fibers.

14 MR. WALLIS: You catch the fibers first,
15 then you could build your bed.

16 MR. KROTIUK: We kept on trying to
17 increase the mass hoping to do that. Okay.

18 I'm showing the testing that was done, as
19 I said, on the large loop, and I broke it up into
20 Series I and Series II. And so this is just the first
21 testing that we did. Just to identify this, when it
22 says "SO", this was done with a screen, so SO stands
23 for screen only. NO stands for NUKON only, NC is
24 NUKON cal sil. This is the date in the front, as you
25 could see from my little label here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The thing that I wanted to point, as you
2 indicated earlier, is that, for instance, let's look
3 at this NUKON test right here. We added - wait a
4 minute, that's probably not a good one. Let me just
5 go to a clean one. Okay. We had some problems, just
6 to tell you this, is that the first series tests,
7 like, for instance, we added in this one 165 grams per
8 meter squared. I'd always like to do it grams per
9 meter squared because then that's comparative to
10 whatever kind of loop you were doing testing with. So
11 if you notice that in this situation, we actually
12 ended up with a little bit more mass than we actually
13 put in, and what had happened this one, on the first
14 Series I test, we had ordered a valve, and the valve
15 turned out to be a bad valve, so we had to scrounge -
16 we ordered a replacement valve, but we had to scrounge
17 around for a valve, and the valve we put in had rust
18 particles in it, so some of these tests, as indicated
19 by the asterisks here, had problems because there was
20 some additional rust in the debris bed.

21 But the thing I really wanted to point out
22 - like, for instance, on this one right here, we added
23 99 kilograms per meter squared. The bed was only
24 formed at .92, and so that there was only 93 percent
25 of the mass that was added in the NUKON into the loop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 onto the bed. And when it came to the cal sil for
2 these NUKON cal sil beds, even a small amount of what
3 was added was deposited into the bed.

4 CHAIRMAN BANERJEE: And you took some of
5 it out with the filter, didn't you?

6 MR. WALLIS: That's at the end,
7 presumably.

8 MR. KROTIUK: That's - yes, some of it
9 would have been taken out, but that would really be --

10

11 CHAIRMAN BANERJEE: The fine particles.

12 MR. KROTIUK: The fine particles, yes.

13 CHAIRMAN BANERJEE: So there was some
14 mass.

15 MR. KROTIUK: There was some mass that was
16 lost there, yes. We originally would go - actually,
17 we have the data. We didn't look at it too closely,
18 but we actually made some measurements about what went
19 into the filter, and so we actually know how much was
20 deposited in the filter after every test.

21 MR. WALLIS: And did the cal sil get
22 deposited in the rest of the loop?

23 MR. KROTIUK: I'm sorry?

24 MR. WALLIS: Did the cal sil get deposited
25 in the rest of the loop?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: We looked at that during
2 these first tests, the Series I tests. PNNL actually,
3 after doing the NUKON cal sil tests, they actually
4 took parts of the loop apart to look at if there was
5 deposition in the loop itself, and they didn't find -
6 there was some, but not an extreme amount. I don't
7 remember the numbers off-hand.

8 CHAIRMAN BANERJEE: So where did they go?
9 Where did the mass go?

10 MR. KROTIUK: Well, there was -- oh, I see
11 what you're saying. Yes. There was deposition in the
12 loop, but - that's a good question.

13 CHAIRMAN BANERJEE: On the bed, you're
14 only deposited --

15 MR. KROTIUK: Yes.

16 MR. WALLIS: If it stayed in the water,
17 you would --

18 MR. KROTIUK: Yes, some stayed in - let's
19 see. Some had to be deposited, some stayed in the
20 water, and some, when we had the filter system
21 working, some was deposited in the filter. That's the
22 three locations that it could be at. That's a good
23 question.

24 CHAIRMAN BANERJEE: You never arrived at
25 a mass balance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: You know, I should have done
2 that, and I didn't include that. That's a good
3 comment.

4 MR. KRESS: How did you weigh these?

5 MR. KROTIUK: Okay. You mean the debris
6 bed itself?

7 MR. KRESS: Yes.

8 MR. KROTIUK: We took the debris bed out
9 of the test section.

10 MR. KRESS: The circular, whole thing.

11 MR. KROTIUK: This whole thing with the
12 debris bed. I'll show pictures of it.

13 MR. KRESS: Re-weighed it, and subtract
14 out the original weight of the --

15 MR. KROTIUK: Right.

16 MR. KRESS: There could be some errors
17 there.

18 MR. KROTIUK: Yes. There were some errors
19 in there. We had plus or minuses on the measurements,
20 also. But we made sure we dried it.

21 MR. WALLIS: You dried it?

22 MR. KROTIUK: I was just going to say, we
23 made sure we dried it.

24 CHAIRMAN BANERJEE: You would expect the
25 errors, however, to err on the side of having a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more weight than it should have, because some water
2 might be still there. Nonetheless, I mean --

3 MR. KROTIUK: We put a plus or minus on
4 the measurements.

5 CHAIRMAN BANERJEE: But still, the effect
6 is large enough that --

7 MR. KRESS: I think with that way, you're
8 taking two big numbers and subtracting to get a small
9 one, and your measurement errors could multiply that
10 way.

11 MR. KROTIUK: And especially in the NUKON
12 cal sil bed, remember what I said, is that the way we
13 determined the cal sil mass is that we would measure
14 the weight of the entire bed, then use the chemical
15 deposition - chemical dissolution, I'm sorry, to leach
16 out the cal sil, and then we weighed it again, so the
17 weight of the cal sil was a difference of the total
18 weight minus the weight of the NUKON. So there was
19 errors in there, also.

20 MR. KRESS: So you could see where the
21 errors in that --

22 MR. KROTIUK: Yes.

23 MR. KRESS: But they may not be really
24 important, because what you really want to know is how
25 thick the bed was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes.

2 MR. KRESS: And how much was on it.

3 MR. KROTIUK: Let me just go to the next
4 slide, because this is --

5 MR. WALLIS: Well, the thicker bed seems
6 to retain higher percentage of the cal sil, in
7 general. It looks like it.

8 MR. KROTIUK: Yes. Yes. It seemed to be
9 that.

10 CHAIRMAN BANERJEE: And the mass balance
11 --

12 MR. WALLIS: Does this enable you to
13 predict how much cal sil will go into the reactor, and
14 not be filtered out?

15 MR. KROTIUK: I don't know if you could
16 predict it, but it would give you an indication.

17 MR. WALLIS: Gives you an indication.

18 MR. KROTIUK: It should give you an
19 indication. This is the Series II test, and this was
20 run with a perforated plate. The first two are plate
21 alone, this is a cal sil only test, these are NUKON
22 only tests, and these are NUKON cal sil tests. This
23 did not have the problem with the dirty valve in it.
24 The valve was replaced for this test, so the
25 measurements are pretty good in terms of what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 added, and what we measured.

2 MR. WALLIS: Even with NUKON you've got
3 only 78 percent in one case left on the bed?

4 MR. KROTIUK: That's right.

5 MR. WALLIS: Well, it must depend on how
6 you shredded it.

7 MR. KROTIUK: You know, that - Carl had
8 done a lot of stuff on shredding it, and yes,
9 shredding it does affect not only deposition, but also
10 affects pressure drop.

11 MR. WALLIS: PNNL did quite a bit on leave
12 shredding, and blenders, and trying to get the
13 standard --

14 MR. KROTIUK: Yes. And they basically
15 standardized the way --

16 MR. WALLIS: What does this have to do
17 with what happens in a LOCA? You don't have leave
18 shredders in a reactor, so what -

19 MR. KROTIUK: You don't, but -

20 CHAIRMAN BANERJEE: We visited this one
21 day extensively.

22 MR. KROTIUK: Yes. We had to shred it in
23 some fashion, and the ultimate aim was to make sure
24 that we shredded it continually the same way so that
25 we could make comparisons, otherwise you can't compare

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one delta P measurement to another delta P
2 measurement.

3 MR. WALLIS: Well, how are you going to
4 predict something for - probably depends on which
5 blender you use, what you get for a result.

6 CHAIRMAN BANERJEE: Or which steam jet, or
7 whatever.

8 MR. KROTIUK: That's a very valid
9 question, and I don't have --

10 MR. WALLIS: Unless there's something like
11 surface volume or something that is a factor that
12 correlates everything.

13 MR. KROTIUK: I have not been able to --

14 CHAIRMAN BANERJEE: You'll see how many
15 free parameters --

16 MR. WALLIS: Well, that old NUREG
17 correlation - I forget the number.

18 MR. KROTIUK: 6224.

19 MR. WALLIS: That sounds like it. That
20 has some sort of surface area imputed volume, wasn't
21 it, in there?

22 MR. KROTIUK: Yes.

23 CHAIRMAN BANERJEE: It's just a fudge
24 factor.

25 MR. WALLIS: Well, it gives you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristic dimension, that's fine.

2 MR. KROTIUK: But that's called the SV,
3 specific surface area, and that's a very standard way
4 to measure pressure drop across --

5 CHAIRMAN BANERJEE: In fact, the way it
6 was adjusted, if you recall, was --

7 MR. KROTIUK: Yes, absolutely. Because it
8 was like --

9 MR. KRESS: And they could --

10 MR. KROTIUK: It was like 600 for a thick
11 bed, and 800, 900 - I'm sorry, 650,000 feet to the
12 minus one for a thick bed, and 800, 900,000 for a thin
13 bed, something like that.

14 CHAIRMAN BANERJEE: It was all over the
15 place.

16 MR. KROTIUK: Yes, so I'll address that
17 when I get to the modeling section. Okay.

18 Just what I wanted to show is that this
19 just summarizes for all those tests, this shows how
20 much of the NUKON that was added was actually ended up
21 being deposited.

22 MR. WALLIS: 3 percent is right. I guess
23 it is, yes. Well, that's a very small amount of cal
24 sil?

25 MR. KROTIUK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: No, it looks like the same
2 experiment done twice. In one case it's 11 percent,
3 another case it's 3 percent.

4 MR. KROTIUK: Let me just take a quick
5 look.

6 MR. WALLIS: You've probably got the same
7 amount of NUKON and cal sil added, but you've got much
8 less captured in --

9 MR. KROTIUK: Yes, they were duplicate
10 testing.

11 MR. WALLIS: Right.

12 MR. KROTIUK: But the interesting thing on
13 that is that if you notice, this bed - for instance,
14 these three tests here, they all had the same amount
15 of NUKON and cal sil added, but in this case the bed
16 was built at essentially 20 degrees C, this was about
17 55 degrees C, and this one was around 80 degrees C.
18 Because we wanted to see the effect of temperature.

19 MR. WALLIS: Is it the temperature effect,
20 or just bad reproducibility?

21 MR. KROTIUK: My personal opinion is that
22 it's not related so much to temperature, as it is to
23 just a variance.

24 CHAIRMAN BANERJEE: Because here it's
25 complicated. You have to take the NUKON out, or the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cal sil, and then -- it's a mixed bed. Right?

2 MR. KROTIUK: Yes, it's a mixed bed. It's
3 NUKON cal sil.

4 MR. WALLIS: So these are all the tests,
5 these tables?

6 MR. KROTIUK: These are all the tests that
7 were highly instrumented that were run in the large
8 loop. If you saw --

9 MR. WALLIS: It doesn't look like many
10 data points on which to build a theory then.

11 MR. KROTIUK: Yes. I'm not going to argue
12 with that.

13 MR. WALLIS: I think you have a
14 repeatability problem.

15 MR. KROTIUK: Yes. I'm not going to argue
16 with you on that.

17 CHAIRMAN BANERJEE: But building the
18 theory also - I mean, each of these tests you've
19 cycled velocity many times.

20 MR. KROTIUK: We could only do so much as
21 we could do.

22 CHAIRMAN BANERJEE: I think Said's point
23 about looking at the build-up of the bed is
24 interesting.

25 MR. KRESS: That would be interesting to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see, anyway.

2 MR. WALLIS: Did you monitor the pressure
3 drop as you built up the bed? It said no.

4 MR. KROTIUK: Yes.

5 MR. WALLIS: And in their report, they
6 said this was a different question, or something.

7 MR. KROTIUK: Yes, but it was - I'm going
8 to repeat again. I said this, but maybe it wasn't
9 clear. What we measured in the report was all the
10 stead-state pressure drop values. However, we
11 continually measured pressure drop, and we have it on
12 the data files.

13 MR. WALLIS: Yes, but there was a
14 statement in the report saying that it was not part of
15 this report, so we don't have it.

16 MR. KROTIUK: Right. We just didn't
17 report it. That's it.

18 CHAIRMAN BANERJEE: They have it.

19 MR. KROTIUK: We have it. We have the raw
20 data. Okay. And just -- this is just to show you
21 samples of the beds that were built. This one on the
22 left here is a very thin bed. It's NUKON only, and
23 the one on the right is a NUKON cal sil bed with
24 indicated loadings, and I notice that the plus or
25 minuses didn't come out, but it's a plus or minus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing.

2 MR. KRESS: When I envision triangulation,
3 I envision three receivers and time of flight
4 differences. Are you talking about time of flight
5 differences for light waves going to receivers? What
6 is this triangulation --

7 MR. KROTIUK: Okay. Let me see. Maybe
8 this will -- let me go back just to show you. And I'm
9 going to -- I'm not the one who developed this, PNNL
10 developed this, so I'll try to describe it the best
11 way I know how. Basically, there was a camera set up
12 here, and then a light source here. And the light
13 source would put a grid pattern on the top of the
14 debris bed.

15 MR. KRESS: A grid pattern?

16 MR. KROTIUK: A grid pattern. Okay.

17 MR. WALLIS: Well, that wasn't clear from
18 the description.

19 MR. KROTIUK: Sorry if it wasn't. So,
20 anyway, --

21 MR. WALLIS: A grid pattern?

22 MR. KROTIUK: It puts a grid pattern on
23 it, and then you come up with --

24 CHAIRMAN BANERJEE: Is that the grid
25 pattern we're seeing there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes. It's not very -- oh,
2 right. Here it is, see the grid? Right. There it
3 is, that's the grid pattern. And this is actually, as
4 it's expanding and contracting.

5 MR. WALLIS: If you look at it from an
6 angle or something.

7 MR. KROTIUK: Yes, we're looking at it
8 from an angle. And you basically standardize it on a
9 zero thickness, and then you could come up with a
10 conversion to different thicknesses. So the net
11 effect of this is that you are actually able to
12 develop --

13 MR. WALLIS: Could we look back at that?

14 MR. KROTIUK: Sure. I was just going to
15 show the --

16 CHAIRMAN BANERJEE: So you have a grid
17 pattern normal to the bed.

18 MR. KROTIUK: Grid pattern - yes.

19 CHAIRMAN BANERJEE: So that as the bed
20 moves it blocks.

21 MR. KROTIUK: Right.

22 MR. WALLIS: Now you showed some debris on
23 this bed, and it was red and yellow. Why is it two
24 colors? Is the red stuff denser or something, or
25 what? The stuff that's near the screen is redder than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the yellow stuff, or does that mean anything there?

2 MR. KROTIUK: I'm not -- I don't think the
3 color means anything, because if you look at this
4 debris bed here, it's really pretty homogeneous in
5 color.

6 MR. WALLIS: Well, it's not in depth,
7 though. Homogenous from top to bottom, not from side
8 to side.

9 MR. KROTIUK: Right. I see what you're
10 saying down here.

11 MR. WALLIS: Redder there. Anyway, it's
12 elastic.

13 MR. KROTIUK: It's elastic, yes.

14 MR. WALLIS: But then it has a set. It's
15 elastic, but if you keep on squishing it, it becomes
16 more squished.

17 MR. KROTIUK: Right, becomes more
18 squished, but --

19 MR. WALLIS: Doesn't rebound so much.

20 MR. KROTIUK: Right.

21 MR. WALLIS: Like a felt in felting
22 process.

23 MR. KROTIUK: I'm not familiar with a
24 felting process.

25 MR. WALLIS: Felt, you start with a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluffy wool and you keep sort of pushing it together
2 until you get a felt, which is the wool squished down
3 to --

4 MR. KROTIUK: Okay.

5 MR. WALLIS: That's thinner, but denser.
6 Push the fibers into each other, and it's denser.

7 MR. KROTIUK: Okay. Sounds similar.

8 MR. WALLIS: You're doing that here,
9 felting in a way.

10 MR. KROTIUK: This is just a sample of the
11 readings that we get say for a particular velocity.
12 I didn't indicate it here, but we would have a rim
13 thickness, a body center thickness, an average body
14 thickness because from the optical triangulation grid
15 we could actually come up with a contour, so we
16 actually had a contour of the surface of the debris
17 bed, itself.

18 MR. ABDEL-KHALIK: How do you maintain
19 constant flow? Is this a PD pump?

20 MR. KROTIUK: Tom, do you know what kind
21 of pump it was?

22 MR. KRESS: You need to come to the
23 microphone.

24 MR. KROTIUK: This is Tom Michener from
25 PNNL. And I don't remember the type of pump so --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MICHENER: I'll repeat that. Tom
2 Michener from PNNL. I wasn't the lead PI on this, but
3 as I recall, that was the type of pump they had on
4 there. They did a pretty good job on maintaining the
5 flow rates, and the pressure, so it wasn't -- where
6 the problem occurred is at the really low velocities.
7 It was hard to keep -- that wasn't our original intent
8 when we hooked up the pump that we used, and so when
9 we went to lower and lower velocities, that became
10 more of a challenge.

11 MR. ABDEL-KHALIK: So this was a positive
12 displacement pump, control the flow by controlling the
13 pump speed.

14 MR. KROTIUK: Right. Yes, we controlled
15 the pump speed. Correct.

16 MR. ABDEL-KHALIK: And you got whatever
17 pressure drop you got.

18 MR. KROTIUK: Right.

19 MR. MICHENER: Right. And we had constant
20 read-out of what the flow rate was.

21 MR. WALLIS: It didn't fluctuate. In some
22 of the other labs, the flow rate fluctuated a fair
23 amount.

24 MR. KROTIUK: I wanted to make sure that
25 we had a constant flow rate, so that we would adjust

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the speed of the pump if we had to.

2 MR. MICHENER: Our loop was highly
3 controllable. We had -- it was pressurized. It
4 wasn't an open loop. We had temperature feedback
5 controls. Like you said, the positive placement pump.
6 We could dial-in what we needed to do, repeatability
7 testing. We had a statistician on board telling us
8 which tests to repeat.

9 MR. WALLIS: So your report gave a lot of
10 results, didn't have very much of the raw data so we
11 could look at how much the things fluctuate and all
12 that. You just sort of presented a result, and we had
13 to believe it was steady-state. We didn't know how
14 you approached the steady-state and all that.

15 MR. KROTIUK: That's correct. The report
16 itself is pretty - is what, 500 pages long.

17 MR. WALLIS: Yes, but it doesn't -- is
18 that the one you gave us?

19 MR. KROTIUK: There were two reports.
20 There was a report that was 500 pages long, that's the
21 testing report.

22 MR. WALLIS: Oh, that's not the one I was
23 reading then.

24 MR. CARUSO: We've got it though, I'm
25 pretty sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Well, it's also -- it's one
2 of the other ones that I haven't looked at yet.

3 MR. KROTIUK: And then there's the 175
4 pages, which is the --

5 MR. WALLIS: Gave the results? That's the
6 one I looked at.

7 MR. KROTIUK: Yes, that's -- there's a lot
8 more data, obviously, in the testing report.

9 MR. WALLIS: Okay. Thank you.

10 MR. KROTIUK: This is the -- you've seen
11 this one before, but I just wanted to emphasize
12 something here. This was head loss or pressure drop
13 versus the screen velocity for the -- approach
14 velocity for a case where we had a screen. And what
15 we did here, just to reiterate, is that if we mix the
16 NUKON and cal sil before time and added it to the
17 loop, we had delta Ps as a function of velocity in
18 this area. If we formed the NUKON bed, and then added
19 cal sil after the bed was formed, we actually got a
20 higher pressure drop for equivalent velocity. And
21 then the worst case, which we call the Case-1 case,
22 was that cal sil was added to the loop, and then 30
23 seconds later, NUKON was added. The NUKON --

24 MR. WALLIS: The cal sil was still going
25 around the loop.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right, so that the cal sil
2 started depositing into the debris bed as it was being
3 formed, and that gave the highest pressure for
4 particulate velocity.

5 MR. WALLIS: Well, was it as it was being
6 formed? It seemed as if you had a long delay time, so
7 you had the cal sil going around, and the NUKON bed
8 was probably formed before the first cal sil arrived,
9 I would think. It wasn't quite clear.

10 MR. KROTIUK: When I went down and I was
11 looking at the testing, after you added the cal sil
12 and the NUKON, the debris period, it didn't -- the
13 debris seemed to travel at a different velocity, so
14 you had kind of a long area. It wasn't just all in
15 one area, it was a couple of feet long where there was
16 debris traveling around.

17 MR. WALLIS: Well, I should think so, yes,
18 because of the velocity turbulence, and the velocity
19 profile and everything. But still, the cal sil was
20 sort of in the loop when you added the NUKON.

21 MR. KROTIUK: That's correct.

22 MR. WALLIS: And then it came around
23 later.

24 MR. KROTIUK: Then it came around later.

25 MR. WALLIS: So it's rather like the NUKON

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first experiment.

2 MR. KROTIUK: It's similar, but that -- we
3 were trying to show the dependence upon injection of
4 it.

5 MR. WALLIS: This was the most interesting
6 part of the work, to me, and with the most practical
7 implication, and yet it seemed to be stopped here with
8 no more investigation, and that surprised me.

9 MR. KROTIUK: Let me go through the next
10 slide.

11 MR. WALLIS: Yes, but there wasn't much
12 more.

13 MR. KROTIUK: There wasn't much more.
14 Because --

15 MR. WALLIS: This is a really key thing.
16 I mean, the way in which you make the bed has three
17 orders of magnitude difference, they said, which I
18 agree with on the pressure drop. This has an enormous
19 effect and it's worth understanding. You can worry
20 about getting a 25 percent error in a very controlled
21 correlation or something, but if you have three orders
22 of magnitude depending on how you make the bed, that
23 swamps everything.

24 MR. KROTIUK: It's a valid point. The one
25 thing is that there's a repeatability when you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing --

2 MR. WALLIS: Yes, but that's because
3 you're trying to get a correlation, but if you're
4 trying to represent reality, you've got this huge
5 variation, and you want to know is your reality to the
6 right or to the left.

7 MR. KROTIUK: Yes.

8 MR. WALLIS: Where are sumps on this plot?

9 MR. KROTIUK: I tried -- I'm sorry, what
10 was it?

11 MR. WALLIS: Where are real sumps on a
12 plot like this?

13 MR. KROTIUK: And that's a good -- I can't
14 answer that question. I don't know where real sumps
15 are.

16 MR. WALLIS: So you've got a factor of
17 1,000 of uncertainty on what's going to happen in a
18 sump?

19 MR. KROTIUK: Well, one thing I tried to
20 do, and if you read the modeling report, is that - and
21 I'll address this a little bit more later, is that I
22 tried to be able to predict the worse case debris
23 distribution in the bed to come up with an upper
24 limit. And then, similarly, a lower limit for a
25 debris bed, and that would be --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: A factor of 1,000 difference?

2 MR. KROTIUK: It was factor -- I'll show
3 the plots in a while. And I have three sample cases
4 that I plotted here, but there was substantial
5 differences. I don't know if it's -- I don't think it
6 was 1,000. Okay?

7 MR. WALLIS: You get three orders of
8 magnitude, you have to extrapolate your right-hand
9 data down to the origin, but linear is the worst case.
10 I mean, if it's curved, you get less pressure drop, so
11 that's conservative to use a linear extrapolation.
12 And that does give you a factor about 1,000 between
13 the highest and the lowest. That three orders of
14 magnitude statement in the report is okay.

15 MR. KROTIUK: Well, when we looked at this
16 Case-1, and something that I did not report on
17 previously when I presented this, when this plot was
18 presented, is that we wanted to see what the
19 distribution of the debris was in the debris bed for
20 this case, so, basically, we did this. This is - I
21 have two cases where we actually -- PNNL developed a
22 methodology where they took a debris bed, they encased
23 -- they injected it with epoxy, hardened it, and then
24 were able to see the distribution of the debris at
25 various locations in the bed. And this is through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed, flow would have been in this direction, so this
2 is the top of the bed, and this is the sort of --

3 MR. WALLIS: Arrow on top.

4 MR. KROTIUK: Right. So you could see
5 what happened here is that in the center region, the
6 bright white lines here are NUKON, and as you could
7 see, these gray areas is the cal sil, and you could
8 see just here and there in this area a little - here's
9 a little blob of cal sil here, but the bottom line of
10 all this is that all -- that the primary distribution
11 of the cal sil is on the surface of the bed. So this
12 is why I - later on when I was developing the model,
13 I said well, let me look at a case where I have cal
14 sil concentrated on the bed surface. That's what I
15 was trying to define as an upper limit.

16 CHAIRMAN BANERJEE: Now you have Case-1
17 was the cal sil followed by NUKON. Is this Case-2?

18 MR. KROTIUK: I'm sorry, this is Case-2.
19 I said the wrong thing.

20 MR. WALLIS: It's very confusing, because
21 Case-1 is actually Case-4C, and 4B is - one means
22 different things in the --

23 CHAIRMAN BANERJEE: Yes.

24 MR. KROTIUK: That could have been my
25 fault for labeling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Very confusing.

2 MR. KROTIUK: Yes, I labeled it wrong.
3 I'm sorry. That's my fault. That's Case-4. That
4 should have been Case-4. I put the label on
5 incorrectly.

6 CHAIRMAN BANERJEE: That's Case-4.

7 MR. WALLIS: But the text is confusing
8 about this, too.

9 MR. KROTIUK: I'm sorry, but if you look
10 at the labels, the labels are correct. Forget the
11 case, the labels are correct.

12 MR. WALLIS: We have what's written on the
13 graph.

14 MR. KROTIUK: And the definition here is
15 correct, complete nucleate formed before adding cal
16 sil. Yes, I did label it wrong.

17 CHAIRMAN BANERJEE: So what is Case-1A,
18 1B?

19 MR. KROTIUK: There were --

20 CHAIRMAN BANERJEE: Which ones are those?

21 MR. KROTIUK: Okay.

22 MR. WALLIS: Those are the ones in the
23 middle, NUKON followed by cal sil.

24 MR. KROTIUK: NUKON bed formed, then cal
25 sil added.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: All the cases on the figure
2 are wrong.

3 MR. KROTIUK: That is -- I made an attempt
4 to try to label it, and I did a bad job of it.

5 CHAIRMAN BANERJEE: So Case 1 and 2 on the
6 upper, is the middle.

7 MR. WALLIS: The bar across the top is
8 correct.

9 MR. KROTIUK: Yes, the bar across the top
10 is correct.

11 CHAIRMAN BANERJEE: All right.

12 MR. KROTIUK: I tried to do some labels to
13 --

14 CHAIRMAN BANERJEE: That's fine. We can
15 figure it out.

16 MR. KROTIUK: Okay.

17 MR. WALLIS: I think it's confusing,
18 because I think in the text there's something like
19 case and run number, or something, and they're
20 different things.

21 MR. KROTIUK: In the test report, there is
22 a whole section that discusses this, and I read that -
23 this is the report that was done by PNNL, and I took
24 that - this figure from that report. And I tried to
25 annotate it a little, but I believe that it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correctly labeled in the report.

2 CHAIRMAN BANERJEE: Okay. So in your next
3 figure, it should be really Case-4 that you're talking
4 about.

5 MR. KROTIUK: NUKON bed formed before -
6 yes, okay.

7 CHAIRMAN BANERJEE: The next figure, not
8 this. That's okay, yes.

9 MR. KROTIUK: Case-1. Right.

10 MR. WALLIS: But when you did the same
11 sort of thing in the large scale, you didn't get these
12 extreme things. You said when you did the large scale
13 head loss result --

14 MR. KROTIUK: All the testing in the large
15 loop was done with premixed NUKON cal sil.

16 MR. WALLIS: All done with premix.

17 MR. KROTIUK: That's correct.

18 CHAIRMAN BANERJEE: So this case now,
19 which is the --

20 MR. KROTIUK: The label is correct, forget
21 this.

22 CHAIRMAN BANERJEE: No, it should be Case-
23 4 Right?

24 MR. KROTIUK: Yes, should be Case-4.

25 MR. MICHENER: Tom Michener from PNNL. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wanted to correct something. I just got a hold of
2 Carl. It was not a positive displacement pump. We do
3 have those, so I had to - that's why I wasn't sure.
4 We were using a centrifugal pump, but we had it
5 attached to a variable frequency drive, so we would
6 just alter the frequency, so that's how we were
7 maintaining it.

8 MR. KROTIUK: Okay. Thank you. Didn't
9 remember that. This was the second case that we did
10 the sectioning on, and it's similar to the first one
11 in that you could see the center of the region had
12 mainly NUKON, and the surface had the concentration of
13 cal sil.

14 MR. WALLIS: But when it's premixed, it's
15 quite a complicated problem because the first cal sil
16 that gets to the screen finds no NUKON there and goes
17 right through. And then you begin to build up NUKON
18 bed, which begins to catch some cal sil. But you've
19 still got a lot of cal sil going around the loop, and
20 coming in on top, so modeling that is quite a task, I
21 would think.

22 MR. KROTIUK: Agreed.

23 MR. WALLIS: Just because it's premixed
24 doesn't mean it's a homogeneous bed.

25 MR. KROTIUK: That's correct. And it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definitely was not a homogeneous bed.

2 CHAIRMAN BANERJEE: But it seems to give
3 you lower pressure drop.

4 MR. KROTIUK: It gives you the lowest -
5 the premix gives you the lowest pressure drop.

6 CHAIRMAN BANERJEE: Now why -- these two
7 beds you're showing us for Case-4 and Case-1 and 2,
8 they look somewhat similar. Right?

9 MR. WALLIS: I think they are.

10 CHAIRMAN BANERJEE: This case and the next
11 one.

12 MR. WALLIS: If you add cal sil afterwards
13 --

14 CHAIRMAN BANERJEE: It doesn't seem to
15 matter what order you --

16 MR. WALLIS: As long as it's --

17 MR. KROTIUK: The cal sil seems to collect
18 on the surface of the NUKON bed.

19 CHAIRMAN BANERJEE: The order doesn't
20 matter.

21 MR. WALLIS: Well, if you add it and then
22 let it go around the loop, it comes in. In fact, it's
23 coming in later. It's gone around the loop.

24 MR. KROTIUK: That's right.

25 CHAIRMAN BANERJEE: But the curious thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that the two cases, when you reverse the order of
2 NUKON and cal sil --

3 MR. WALLIS: It doesn't matter, because
4 it's stuck in the loop.

5 CHAIRMAN BANERJEE: Yes, but then when you
6 premix it, you get a much lower pressure drop.

7 MR. KROTIUK: Yes. And my hypothesis on
8 that is that the thickness of that layer may be
9 different.

10 MR. WALLIS: You caught more of the cal
11 sil in the premixing case earlier. You caught some of
12 the cal sil in the bed before it's gone around the
13 loop and deposited on the top.

14 MR. KROTIUK: So that it's the
15 distribution of the constituents in the bed that is
16 changing.

17 CHAIRMAN BANERJEE: And what's the
18 circulation time of the loop?

19 MR. KROTIUK: Well, as indicated earlier,
20 one hour was about seven circulations.

21 CHAIRMAN BANERJEE: Oh, okay. So by
22 adding the cal sil and then following 30 seconds by
23 NUKON, the cal sil has all just flown through and it's
24 come back one hour later, or one-seventh of an hour
25 later. So the two cases are almost similar.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: There is some similarity.

2 MR. WALLIS: Now in the real sump, you
3 don't turn on recirculation right away.

4 MR. KROTIUK: No.

5 MR. WALLIS: The debris goes down there
6 and settles.

7 MR. KROTIUK: Yes.

8 MR. WALLIS: It's quite different, and
9 then it has to be stirred up in order to go through
10 the screen, or is it still in suspension when you turn
11 on the pumps, or what?

12 MR. KROTIUK: That's a good --

13 CHAIRMAN BANERJEE: How long after you
14 turn on the pumps?

15 MR. KROTIUK: Typically, I mean, I did
16 some calculations, and like for one PWR that I
17 remember it was like 1,200 seconds.

18 MR. WALLIS: 1,200 seconds allows the
19 stuff to settle then.

20 MR. LEHNING: This is John Lehning from
21 NRR. Some of that debris may end up settled there on
22 the floor of the containment, but it depends, some of
23 that debris may be eroding with time, or some of it
24 may be falling down, it may be blown up.

25 MR. WALLIS: Washed down by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recirculation.

2 MR. LEHNING: That is correct, so it's not
3 clear. I mean, there's a fraction of it doing
4 probably each of those things.

5 MR. WALLIS: Now what are you going to do
6 about it?

7 CHAIRMAN BANERJEE: What's the reason your
8 pressure loss is higher in this case than the other
9 case?

10 MR. KROTIUK: My hypothesis is that you
11 get a larger concentration of the cal sil on the
12 surface, and that's giving you the higher pressure
13 drop.

14 MR. WALLIS: Well, why?

15 CHAIRMAN BANERJEE: But why?

16 MR. WALLIS: Because it's arriving -
17 essentially arriving on top of the NUKON in both
18 cases. That's why I didn't -- it cries for more
19 investigation, really. And just you guys decided to
20 stop.

21 MR. KROTIUK: I did as --

22 MR. WALLIS: As soon as you discovered
23 something really significant and important.

24 MR. KROTIUK: I did as much as I could do.

25 MR. ABDEL-KHALIK: Is there any way from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your data that you can get local values of porosity or
2 permeability of the bed?

3 MR. KROTIUK: Not off the top of my head,
4 I can't think of any.

5 MR. ABDEL-KHALIK: So these SEM images
6 could not determine --

7 MR. KROTIUK: Wait a minute. Wait a
8 minute. Wait a minute. I guess you can. Yes, you
9 can - just I was thinking about it, from the bed
10 thickness. You know the mass, and you know the
11 thickness of the bed, so you have some idea of the
12 porosity.

13 MR. ABDEL-KHALIK: That gives you an
14 average value, but I was more interested in local
15 values, and whether that - the variation of the local
16 values is dependent on the order in which the various
17 materials are deposited.

18 MR. MICHENER: Tom Michener from PNNL. We
19 actually had originally, if there was time, had
20 planned to use some of these pictures to grid up a
21 lattice Boltzman code where you do know the bulk flow,
22 and look at some of the velocities through the bed,
23 and what was happening on there, but there just wasn't
24 time or money to be able to do that.

25 CHAIRMAN BANERJEE: You have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reconstruct the porosity anyway.

2 MR. MICHENER: I mean, you have enough
3 information - we've done that before in similar
4 problems like this one.

5 CHAIRMAN BANERJEE: You have only a 2-D
6 structure there. You'd have to slice at several
7 locations to --

8 MR. MICHENER: We could do that.

9 CHAIRMAN BANERJEE: Yes, sure. I mean,
10 people do that with tumors all the time, they do 64
11 cuts through it and they reconstruct the porosity.

12 MR. WALLIS: Then you've got a bed which
13 although it's got more stuff in it, is thinner, too.
14 I mean, the bed thickness is different, B-1 and B-2.
15 That goes the wrong way. You've got more stuff, and
16 yet it's thinner. There's some kind of interplay
17 between the pressure drop, and the compression, and
18 everything else.

19 MR. KROTIUK: And the distribution of the
20 constituents. And, remember, this is the retrieved
21 bed thickness while it's being tested. That gives you
22 just an idea of what it is. You'd have to know the
23 thickness during testing.

24 MR. WALLIS: It raises a lot of questions,
25 doesn't it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes. Okay. What I wanted
2 to just indicate here was, just some basic
3 sensitivity. This is just a plot of three NUKON only
4 tests, pressure drop versus approach velocity for
5 several steady-state velocity points, and this is -
6 since it's all NUKON, it's for three different
7 loadings on the NUKON.

8 MR. WALLIS: Are these three different
9 tests, or are they cycles within the same test?

10 MR. KROTIUK: Yes, three different tests.
11 The black, the red, and the green are three different
12 tests.

13 MR. WALLIS: But why are the three curves
14 in the green? Is that because of cycling?

15 MR. KROTIUK: Yes. That was cycling.

16 MR. WALLIS: Well, this isn't a
17 repeatability, this is just a cycling. If you do
18 another experiment with 1.245 NUKON, you might get a
19 different curve from the green curve.

20 MR. KROTIUK: For the NUKON only test, the
21 repeatability was very high. We were able to
22 duplicate that curve within, I don't know what
23 percentage, but there was a fair amount of
24 repeatability, because we did do that.

25 MR. ABDEL-KHALIK: If you didn't know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where sort of the balance of the particles ended up,
2 it would be kind of a hit and miss that are
3 duplicating the 1.245 loading. Right?

4 MR. KROTIUK: Yes, but that's why we
5 measured the weight of the debris bed itself, because
6 we wanted to know what was in the debris bed, not what
7 was added to the loop, what was in the debris bed.

8 MR. ABDEL-KHALIK: So if they wanted to
9 duplicate the experiment, they would have no idea how
10 much to add to get exactly 1.245.

11 MR. KROTIUK: Yes, but what we did is that
12 we actually duplicated tests, and we would maybe have
13 1.245, and 1.251, which was close enough that you
14 could make some conclusions.

15 MR. ABDEL-KHALIK: Okay. Fair enough.

16 MR. KROTIUK: You're not going to hit it
17 exactly all the time.

18 MR. WALLIS: What happens if you do an
19 experiment with .576, and cycle it a few times, and
20 then add some more until you come up to 1.245, does it
21 lie on top of it then?

22 MR. KROTIUK: I can't answer that
23 question. We didn't look at that.

24 MR. WALLIS: That's the thing. I mean,
25 they had such an opportunity to explore all kinds of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things there. I think they should have been given a
2 bit more carte blanche, rather than being stuck with
3 a test matrix.

4 MR. KROTIUK: Well, you know, there's
5 arguments on both sides of that, because you have to
6 have a test matrix to begin with. You know, we were
7 doing a lot of testing in the bench top loop trying --

8 MR. WALLIS: You have a different
9 attitude. In the university we tell a student go and
10 investigate this thing, and then if something
11 interesting shows up, you investigate more what's
12 interesting. You guys have a test matrix, and do this
13 willy nilly, whether it's interesting or not.

14 MR. KROTIUK: That's not true, because
15 generally, all the testing that we did in the large
16 loop, which is the highly instrumented case, before we
17 did it in the large loop, we did it in the bench top
18 loops.

19 MR. WALLIS: You explored things.

20 MR. KROTIUK: And we explored things, and
21 we do some sensitivity studies. That was the intent
22 of the bench top loop, to look at these sensitivities,
23 and then we said okay, now we want to run this case
24 here, and let's put it in the large loop so that we
25 have good instrumentation, and get data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Okay. So you did do some
2 exploring of things.

3 MR. KROTIUK: Yes, but it was just
4 beneficial to do it in a bench top loop, because we
5 could turn around what, about three, four tests a day.
6 In the large loop because it was so large, and there
7 was temperature control and all, we could maybe get
8 one, maybe a maximum of two tests a day.

9 CHAIRMAN BANERJEE: I think your next
10 slide will be of interest.

11 MR. KROTIUK: Yes, this is what you were
12 talking about.

13 MR. MICHENER: Just an aside, Bill, real
14 quick. You mentioned earlier the small scale loop was
15 4 inches, and large scale was 6 inches. And it's not
16 simply a ratio of the square of the radiuses, because
17 the amount of piping that was connected to the large
18 scale was a lot more than for the small scale, so
19 that's why we could do so much more on it, because it
20 was a lot less volume involved.

21 MR. WALLIS: Still had a pretty long delay
22 time in the small loop.

23 MR. KROTIUK: Yes, but it was much shorter
24 than for the large loop.

25 MR. MICHENER: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ABDEL-KHALIK: If I were to just go
2 back one slide, slide 20. If you go to these sets,
3 any one set, does time always go from low delta P to
4 high delta P?

5 MR. KROTIUK: I'm sorry, repeat that
6 again?

7 MR. ABDEL-KHALIK: I mean, you're running
8 these, essentially repeating measurements while you're
9 running at the same flow rate. And the question - for
10 the same bed, and the question is, the later
11 experiments, do they always produce higher delta P?
12 I mean, is this a random error, or is it a systematic
13 error always indicating that later experiments give
14 you higher delta P for the same loading?

15 MR. WALLIS: I think it's the second.
16 Every time you do the experiment, you make
17 commentation.

18 MR. KROTIUK: You mean for these different
19 cyclings.

20 MR. ABDEL-KHALIK: Right.

21 MR. KROTIUK: Okay.

22 MR. WALLIS: It works its way up. It
23 ratchets its way up.

24 MR. KROTIUK: Right.

25 MR. ABDEL-KHALIK: Does it, or are these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 random differences?

2 MR. KROTIUK: There is -- in all the tests
3 that we ran, we would say for the first cycle we would
4 be down here, second cycle would there, and the third
5 would be there, or first, third, second. First was
6 always lowest.

7 MR. ABDEL-KHALIK: Oh, interesting.

8 CHAIRMAN BANERJEE: That's probably
9 explainable, isn't it?

10 MR. KROTIUK: There's a certain amount of
11 - you know, some of the references that I read of
12 define this is what I used at the first compression
13 was non-elastic, and the following compressions were
14 elastic.

15 MR. WALLIS: But you may still be catching
16 some fines that are going around the loop, too.

17 MR. KROTIUK: But that's why we had the
18 filtration system, to try to get rid of those fines,
19 as much as we can. We tried to, and that's - there
20 have been some that didn't get captured. I won't deny
21 that, but we tried to eliminate it.

22 MR. WALLIS: The next one is interesting.

23 MR. KROTIUK: Yes, that's why I put that
24 here. This is for three loadings, which are -- I
25 tried to look at three cases that had about the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUKON loading, but had different cal sil loading. And
2 the thing I wanted to point out here is that the lower
3 cal sil loading had a higher pressure drop than the
4 higher cal sil loading. This is something that was
5 interesting.

6 CHAIRMAN BANERJEE: But those loading
7 numbers could be fairly inaccurate. Right? Because
8 of the way you determined them.

9 MR. KROTIUK: There is a plus or minus --

10 CHAIRMAN BANERJEE: The loading on the bed
11 itself.

12 MR. KROTIUK: This is the loading on the
13 -- so this is just a mass on the bed divided by the
14 area of the screen.

15 CHAIRMAN BANERJEE: Right.

16 MR. CARUSO: Is it possible that lower
17 loading --

18 MR. WALLIS: Could be a hole in the bed.

19 MR. CARUSO: Yes, a hole in the bed. I'm
20 just trying to figure out how that would work.

21 MR. KROTIUK: Well, we continually
22 monitored the bed, because there was a camera on it
23 continually, and we would have known if there was a
24 hole. And definitely, after testing you would have
25 seen that hole.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: But you had to remove
2 this stuff chemically.

3 MR. KROTIUK: Right. There is -- that
4 probably had the greatest inaccuracies, since we were
5 removing the cal sil chemically.

6 MR. WALLIS: And the top group, the
7 triangles there, presumably that's cycling.

8 MR. KROTIUK: Yes, it started here, and
9 then the first cycle was here, and then this was a
10 later cycle.

11 MR. WALLIS: So it lapped off after --

12 MR. KROTIUK: Yes.

13 MR. WALLIS: So how are you going to
14 predict all this with a theory?

15 MR. KROTIUK: With great difficulty, as I
16 said. This is what I tried to relate this phenomena
17 to the distribution of the debris within the bed.

18 MR. WALLIS: But the business of the .05,
19 .025, .082, that sequence, the only way that could be
20 realistic would be if for some reason the .005 makes
21 itself very, very effective by concentrating in a th
22 in layer.

23 MR. KROTIUK: That's right.

24 MR. WALLIS: Why should that happen
25 particularly with that experiment, and not with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 others?

2 MR. KROTIUK: I don't have a good answer
3 for that. I think there's a lot of randomness in
4 this, too.

5 MR. WALLIS: If you're going to predict
6 these, you have to know.

7 MR. KROTIUK: Excuse me?

8 MR. WALLIS: If you're going to predict
9 these, you have to know that.

10 MR. KROTIUK: Right.

11 MR. WALLIS: You have to know why it does
12 it.

13 MR. KROTIUK: Well, I hear what you're
14 saying, but the approach I took, I tried to define
15 maximums and minimums, and tried to bound it, because
16 I thought -- I really believed that the -- looking
17 into the details of what was going on was too complex
18 of a problem for me to handle within the time frame
19 that I had.

20 MR. WALLIS: Now are these kind of data
21 repeatable? If you do the experiment again with .005,
22 do you get the same result?

23 MR. KROTIUK: Not necessarily.

24 MR. WALLIS: No, I don't think you
25 necessarily would.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Go back to some of those
2 shots you had of the surface of this, the debris bed.

3

4 MR. KROTIUK: Those?

5 MR. CARUSO: No, back further, further.
6 That one. I'm just looking at that one on the right
7 there, and it looks like you have some, what I would
8 call rocks. And if you had one of those rocks
9 embedded in the debris bed holding open a pathway, it
10 wouldn't look like necessarily a hole, but it would be
11 opening up a flow path which would give you a larger,
12 or a lower pressure drop than you otherwise might see.

13 MR. WALLIS: Or a cluster of rocks, maybe.

14 MR. CARUSO: Or a cluster of rocks like
15 that.

16 MR. KROTIUK: There's a lot of randomness.
17 I mean --

18 MR. CARUSO: Ahh.

19 MR. WALLIS: Are they rocks, or what are
20 they?

21 MR. KROTIUK: They're not rocks, they're
22 clumps of probably NUKON --

23 MR. WALLIS: Why are they on top? I would
24 think they would settle out first.

25 MR. CARUSO: I mean, when you grind up the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUKON, you're going to get a distribution.

2 MR. KROTIUK: Right, yes. And, in fact,
3 we did -- distribution measurements, I didn't include
4 it here, but we did make distribution measurements on
5 the size of the cal sil particles, so we actually had
6 distribution measurements, size distribution.

7 MR. WALLIS: Are those cal sil rocks then?

8 MR. KROTIUK: I mean, I can't answer that.
9 I don't --

10 MR. WALLIS: They don't look like fibers.

11 MR. KROTIUK: It could be clumps of
12 fibers, though. Without looking at it more closely,
13 I mean, we have all these --

14 MR. WALLIS: You really pulverized the cal
15 sil, didn't you? You wouldn't have rocks like that.

16 MR. KROTIUK: Yes, but sometimes a
17 conglomerate could --

18 MR. WALLIS: Conglomerates again.

19 MR. KROTIUK: Yes, yes.

20 CHAIRMAN BANERJEE: Well, let's go back to
21 the slide you were at.

22 MR. KROTIUK: Okay. Let's go to the next
23 one.

24 CHAIRMAN BANERJEE: How are we doing for
25 time right now?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: He's got the whole afternoon.

2 MR. KROTIUK: I have all afternoon.

3 CHAIRMAN BANERJEE: Okay.

4 MR. KROTIUK: Okay. The other --

5 CHAIRMAN BANERJEE: We do want to finish
6 this afternoon.

7 MR. KROTIUK: Right, and I'll finish. I'm
8 a little bit less than halfway there.

9 CHAIRMAN BANERJEE: Okay.

10 MR. KROTIUK: The other thing that I
11 wanted to look at was temperature sensitivity. So
12 this is when you were saying repeatability. What we
13 tried to do, for instance, we looked at this NUKON,
14 three NUKON cases, and we put the loadings as close as
15 we can. We used the same loadings, and then we
16 measured what was actually deposited in the bed. And
17 you could see the variation, 1.245, 1.251, 1.191. But
18 the difference is that this first bed here was formed
19 at about 20 degrees, this was formed at 54, this was
20 formed at 82. And then we took two NUKON cal sil
21 cases, and with the same loadings that again resulted
22 - same - debris addition that resulted in slightly
23 different loadings on the bed. We formed it at 20
24 degrees, 54, 82, and then similarly, 20 and 54 for
25 these other loadings. Then we similarly went through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we call LP-1, LP-2, LP-3, because we ran a cycle
2 here, then we upped the temperature, ran a cycle here,
3 upped the temperature, ran a cycle here to try to get
4 some sort of indication of what was going on.

5 MR. WALLIS: And what happened?

6 MR. KROTIUK: I'm going to go to the next
7 square. Okay, this is for the NUKON only case, and
8 this is the head loss versus the approach velocity,
9 again for the three cases which are close in terms of
10 loading.

11 MR. WALLIS: It makes a difference?

12 MR. KROTIUK: The temperature makes a
13 difference. The lower the temperature, the higher the
14 pressure.

15 MR. WALLIS: The viscosity effect?

16 MR. KROTIUK: That's a viscosity effect.
17 This was one of the questions that I think we probably
18 had discussed it at some point.

19 CHAIRMAN BANERJEE: Yes. The inertial
20 effects here are less if you take an Ergun-type
21 equation.

22 MR. KROTIUK: Right.

23 MR. WALLIS: Except that the curves cross
24 down at the .02. That doesn't seem right. Something
25 is wrong down at the extreme left there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes. It's pretty low,
2 though. There is some slight differences in the
3 loadings, too.

4 MR. WALLIS: They shouldn't cross.

5 MR. KROTIUK: Okay. So that's, again, the
6 NUKON, since it was a --

7 MR. WALLIS: Does this correlate properly
8 with velocity, with viscosity or not? I mean, it
9 doesn't look quite right.

10 MR. KROTIUK: I'll address that during the
11 modeling. I actually --

12 MR. WALLIS: I would expect they're more
13 like equally separated, but you've got the two green
14 ones in --

15 MR. KROTIUK: I reproduced this plot later
16 on with predictions, so if we could just hold off
17 until I get to that point.

18 MR. WALLIS: I mean, the viscous effect
19 should predominate at lower velocities. Then there
20 should be similar, more of the same at higher
21 velocities. It doesn't seem to be that way around.

22 CHAIRMAN BANERJEE: We'll flag this as --

23 MR. WALLIS: He's going to explain it.

24 MR. KROTIUK: Now for the NUKON cal sil
25 cases, it was somewhat similar for this one, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have another one which I'll show after this. Again,
2 the loadings are not exactly the same because we added
3 the same mass to the loop, but what was ended up
4 deposited in the bed was slightly different. But,
5 again, you had the - it was formed at three different
6 temperatures. And then let me look at this one, it's
7 kind of interesting.

8 MR. WALLIS: This one is backwards.

9 MR. KROTIUK: Yes, this one is backwards.
10 And in this case, the higher pressure was for the
11 higher temperature, and the lower pressure was for the
12 lower temperature, which doesn't fit the theory of
13 viscosity. And what we postulated, this is due to the
14 fact, is that it's the distribution of the debris
15 within the bed. In other words, as you do -- you have
16 your flow temperature, temperature differences, the
17 components in the bed could redistribute, specifically
18 say the cal sil within the NUKON itself.

19 CHAIRMAN BANERJEE: But did you have any
20 evidence, like core sections, to show that?

21 MR. KROTIUK: Not of these. Part of the
22 thing was that if we did the sectioning, we couldn't
23 do - measure the masses. It was one or the other, so,
24 you know - because once you did the sectioning, you -
25 once you did, say the cal sil measurements, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't do sectioning, because you destroyed the cal
2 sil, and so we tried to use similar tests. But this
3 was interesting because it showed a different behavior
4 than what I expected to occur just from straight
5 theory Ergun-equation type of unit.

6 MR. ABDEL-KHALIK: If these had the same
7 exact distribution, and let's say the same conditions,
8 the same geometry within the bed, would the difference
9 on loading account for going from .6 to .69, account
10 for that much difference?

11 MR. KROTIUK: That's - I mean, I'm sure
12 that that had an effect, also, but we could only get
13 as close as we could get, so yes, that enters into the
14 equation, also.

15 MR. ABDEL-KHALIK: In this regime, would
16 delta P be proportional to the thickness, or the
17 square of the thickness?

18 MR. KROTIUK: I think it's proportional to
19 thickness is probably most closest, but it's not --

20 CHAIRMAN BANERJEE: Well, the pressure
21 gradient doesn't have to be linear, if there is a
22 pressure gradient. I mean, it's really more like
23 pressing on one side.

24 MR. KROTIUK: You're right. The pressure
25 gradient is not linear, but I'm just thinking of - I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to think of - coming up with some sort of just
2 guidelines, and I would say that it's closer to
3 linear.

4 MR. WALLIS: You're going to predict all
5 this. Right?

6 MR. KROTIUK: I'm not going to predict at
7 all. I made a good effort.

8 CHAIRMAN BANERJEE: You know, again going
9 back to Said's original point, you might get a clue to
10 what's happening if you look at the initial build-up
11 of the bed.

12 MR. KROTIUK: That's very valid. Again,
13 we have the data. We just didn't look at it.

14 CHAIRMAN BANERJEE: I mean, different from
15 the other data, in that we reverse the role of
16 temperature, so you're trying to explain this by some
17 form of debris distribution in the bed. However, in
18 this case, the conditions are not all that different
19 from the others, so why is the debris distribution so
20 different? You're getting NUKON followed by cal sil,
21 right?

22 MR. KROTIUK: This was all done premixed.

23 CHAIRMAN BANERJEE: This is all premixed.

24 MR. KROTIUK: This is all premixed.

25 CHAIRMAN BANERJEE: But what's different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about this than the other ones, which --

2 MR. KROTIUK: The previous --

3 CHAIRMAN BANERJEE: Yes.

4 MR. KROTIUK: Loading, the loading was
5 different.

6 CHAIRMAN BANERJEE: How much?

7 MR. KROTIUK: Well, let's take a look.
8 That was -- this loading had NUKON of around say .2
9 kilograms per meter squared, so the last case had
10 about .6 something.

11 MR. WALLIS: Yes, but it had very
12 different cal sil.

13 MR. KROTIUK: Different cal sil loadings.

14 MR. CARUSO: What's the ratio?

15 MR. KROTIUK: I tried to purposely give a
16 range of ratios to not have --

17 MR. WALLIS: Well, why didn't - when you
18 were investigating temperature, why didn't you keep
19 the NUKON and cal sil the same?

20 CHAIRMAN BANERJEE: He did.

21 MR. WALLIS: He did, but what he got on
22 the screen was different? Is that what happened?

23 MR. KROTIUK: I mean, like for these
24 three cases, we added the same mass --

25 MR. WALLIS: What you put in was the same.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right. But what --

2 MR. WALLIS: What you got is very
3 different. I mean, you got four times as much cal sil
4 in one case as in another.

5 MR. KROTIUK: That's right.

6 MR. CARUSO: But you don't know where the
7 rest of it went.

8 MR. KROTIUK: Well, in these case these
9 were the later tests, so some was filtered out, some
10 was deposited in the loop, but probably not a lot.

11 MR. WALLIS: If I were your professor, I'd
12 say I want more evidence now. I want you to redo that
13 test.

14 MR. KROTIUK: We would have liked to redo
15 it.

16 CHAIRMAN BANERJEE: I guess, again,
17 there's a concern with the uncertainty in the
18 measurements of the bed content. Right? Because you
19 were using a chemical --

20 MR. KROTIUK: Yes. I mean, that's the
21 greatest uncertainty.

22 MR. WALLIS: You can measure that some
23 time later so you don't immediately get the evidence,
24 which says you now go back and redo the test. These
25 numbers, presumably, came from injection of epoxy and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing --

2 MR. KROTIUK: No, these numbers came from
3 just weighing the bed --

4 MR. WALLIS: And then boiling away, and
5 dissolving away the cal sil.

6 MR. KROTIUK: Dissolving away the cal sil,
7 and then weighing --

8 MR. WALLIS: Is that done immediately or
9 much later?

10 MR. KROTIUK: It's done as soon as the
11 beds are dry.

12 MR. WALLIS: So you get the evidence right
13 away.

14 MR. KROTIUK: Within a couple of days.

15 MR. WALLIS: So you could look at it and
16 say this is anomalous, let's do it again.

17 MR. KROTIUK: Yes.

18 CHAIRMAN BANERJEE: Just look at the ratio
19 of the cal sil to the NUKON. It's of the order of 10
20 percent or less. Right? So when you dissolve this
21 stuff away, you're left with maybe 90 percent of the
22 original mass. You're dissolving the cal sil away,
23 right?

24 MR. KROTIUK: Right.

25 CHAIRMAN BANERJEE: So you're taking the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference between two large numbers.

2 MR. KROTIUK: Yes. That's why I said, it
3 has the --

4 CHAIRMAN BANERJEE: It's quite tricky, the
5 dissolving process.

6 MR. WALLIS: And you're predicting it to
7 three significant figures, so --

8 MR. KROTIUK: Well --

9 CHAIRMAN BANERJEE: That's just PNNL.
10 Right?

11 MR. KROTIUK: PNNL and me, both.

12 CHAIRMAN BANERJEE: You won't pass the
13 buck.

14 MR. KROTIUK: But you're right, that has
15 the greatest band of error.

16 CHAIRMAN BANERJEE: Yes.

17 MR. KROTIUK: Okay? Okay, so I'm just
18 going to summarize the testing, then I'll go into the
19 modeling. As I said before, the NUKON only debris bed
20 had relatively repeatable results. And complete -
21 just to make a note here - the complete debris bed, we
22 would generate loadings of .017 kilograms per meter
23 squared. That's the lowest that we did a test at.

24 As indicated, I can go into it in detail
25 now, is that debris preparation can influence pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drop; however, loading sequence of the NUKON cal sil
2 debris bed has much stronger influence on pressure
3 drop. As an indicated by one of the graphs that we
4 showed, the increases in cal sil mass in the NUKON cal
5 sil bed did not necessarily yield increases in
6 pressure drop. And I'm attributing this to
7 distribution of constituents in the bed.

8 This is a picture of a cal sil only debris
9 bed. We added - this is what was added to the loop,
10 4.352 kilograms per meter squared. I don't remember
11 what that number was, it was pretty high, like 17
12 grams or something. I don't know. And of that, even
13 with this high loading, we were not able to form a
14 complete bed of cal sil. You could see in these -
15 this is a picture of the debris bed in the test
16 section before it was taken out, and this is a picture
17 after it was taken out. You could see all the holes
18 in the bed itself.

19 MR. MICHENER: Tom Michener from PNNL. As
20 I recall when we were doing these, what would happen,
21 and it was like it had no strength. It would build
22 up, and then you'd see these little bursts where they
23 go through and a hole would be formed.

24 MR. WALLIS: You're forcing water through,
25 anyway, with this, so it's got to go somewhere, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually makes holes, and you see puffs of stuff
2 coming through?

3 MR. MICHENER: Yes, you'd see little puffs
4 coming through.

5 MR. KROTIUK: When I was there for one of
6 the tests, you actually - it was interesting to note,
7 because you'd actually see puffs underneath the debris
8 bed. And, finally, the debris bed does contract and
9 relax with changes of approach velocity. I didn't
10 present any of this, but the screen in the perforated
11 plate testing, they produced comparative results
12 because the flow areas are about the same, and the
13 correlation for the pressure drop for just the screen
14 in a perforated plate agreed with standard, as
15 expected, agreed with standard correlations.

16 MR. WALLIS: To go back to that cal sil
17 picture, where you see little holes all about the same
18 size, indicate there's one hole in the screen, those
19 little round holes, are they about the size of a
20 screen hole?

21 MR. KROTIUK: Yes. This is the perforated
22 plate.

23 MR. WALLIS: They're about the size of a
24 perforated plate hole, those white holes you see
25 there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: That's probably right.

2 MR. WALLIS: And one would suspect that
3 they were.

4 MR. KROTIUK: Yes. I mean, we were
5 postulating that the fibers in the cal sil never got
6 enough to say bridge it, bridged a hole to close it
7 off so that --

8 MR. WALLIS: Once you've got a hole, it's
9 probably difficult to bridge it, because the stuff
10 gets oriented to go through the hole.

11 MR. ABDEL-KHALIK: What would be the
12 thickness of this bed, .4 roughly kilograms per square
13 meter?

14 MR. KROTIUK: It's in the report. I don't
15 remember.

16 MR. ABDEL-KHALIK: What is that, quarter
17 inch, five millimeters?

18 MR. KROTIUK: Quarter of an inch, to a
19 half an inch.

20 MR. WALLIS: Size of the perforation,
21 isn't it?

22 MR. MICHENER: A little bit more than a
23 quarter of an inch.

24 MR. KROTIUK: And then my last bullet here
25 just was indicating that in most cases the pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drop decrease would increase temperature, but the
2 results that the measurement of pressure drop can be
3 affected by the bed history, flow temperature, and
4 ultimately, the distribution of the debris in the bed.

5 Okay. Do you want to -- I finished under
6 testing. Should I just keep on going?

7 CHAIRMAN BANERJEE: I think keep going for
8 a little while.

9 MR. KROTIUK: Okay.

10 CHAIRMAN BANERJEE: And we'll take a
11 break. You tell me roughly when you have a turning
12 point.

13 MR. KROTIUK: Okay. I have a total of 59
14 viewgraphs, so --

15 MR. WALLIS: My word.

16 CHAIRMAN BANERJEE: You won't be able to
17 get through 59.

18 MR. KROTIUK: No, I won't be able to get
19 through 59.

20 CHAIRMAN BANERJEE: Get through only the
21 important ones.

22 MR. KROTIUK: Okay.

23 CHAIRMAN BANERJEE: Let's take a half an
24 hour more of this and then we might take a break.
25 Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Okay.

2 CHAIRMAN BANERJEE: Go on.

3 MR. KROTIUK: Objectives, I won't go much
4 in detail, except I wanted the model to predict
5 pressure drop at the compression, effects of the bed
6 itself. Motivation - one of the important things was
7 to evaluate the sensitivity to particulate insulation
8 - debris beds composed of particulates and fibers, and
9 regulatory applications, basically to support
10 assessments here at the NRC.

11 Okay. I have completed this effort right
12 now, and I published a NUREG 1862, which you have a
13 copy of. Okay. Now let's talk about the modeling
14 technique. Something that I sort of described
15 previously. What I tried to do is to come up with a
16 methodology of bounding the upper and lower limit of
17 measurements of pressure drop for a given velocity.
18 So I used a homogeneous debris bed for the lower
19 limit, and a two-control volume for heterogenous
20 debris bed to calculate the upper limit, upper
21 pressure limit, pressure drop. And let me elaborate.

22 CHAIRMAN BANERJEE: Before you go on, you
23 show us why these are the limits at some point?

24 MR. KROTIUK: Let's see.

25 CHAIRMAN BANERJEE: It's not intuitively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 obvious.

2 MR. KROTIUK: Okay. Let me discuss the
3 homogeneous limit. From comparisons of the
4 homogeneous equations, which I'll show in a while,
5 comparing that to test data - say, for instance, if I
6 looked at an all NUKON debris bed, which is basically
7 homogeneous --

8 CHAIRMAN BANERJEE: Permeated with cal
9 sil.

10 MR. KROTIUK: Not, let me just talk about
11 NUKON only, first.

12 CHAIRMAN BANERJEE: Okay.

13 MR. KROTIUK: So that's completely
14 homogeneous, and correlation would work pretty
15 decently with that, maybe over-predict it a little
16 bit. For the NUKON cal sil debris bed, what I found
17 from doing the calculations, if I assume that the cal
18 sil was evenly distributed in the NUKON, in the debris
19 bed and compared that pressure drop to test data, it
20 always was -- we had test data that was at that value,
21 or above it. It seemed to always indicate a lower
22 limit for the homogeneous mixture of NUKON and cal
23 sil. And this is just comparing --

24 CHAIRMAN BANERJEE: That's test data.

25 MR. KROTIUK: This is just comparing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 test data.

2 CHAIRMAN BANERJEE: How do you know the
3 test data was homogeneous?

4 MR. KROTIUK: Well, no, I did not know
5 that it was homogeneous. When I said that the test
6 data was --

7 CHAIRMAN BANERJEE: Oh, your model.

8 MR. KROTIUK: No, I looked at the test
9 data - let's see if I have it.

10 CHAIRMAN BANERJEE: Let me ask my question
11 a little better.

12 MR. KROTIUK: Okay.

13 CHAIRMAN BANERJEE: Do you have any test
14 data where the cal sil is homogeneously, or nearly
15 homogeneously distributed in the NUKON, after you look
16 at the sections --

17 MR. KROTIUK: No.

18 CHAIRMAN BANERJEE: You do not.

19 MR. KROTIUK: Because we couldn't do a
20 sectioning if we calculated the mass of cal sil. If
21 we calculated the mass -- if we determined the mass of
22 cal sil, we couldn't do a sectioning, because one or
23 the other destroyed the bed, so we never had all the
24 information for one bed.

25 CHAIRMAN BANERJEE: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: But there are some data from
2 tests that we believe that the cal sil was somewhat
3 evenly distributed in the fiber bed, and in those
4 situations, the measured pressure drop are close to
5 the homogeneous calculations.

6 CHAIRMAN BANERJEE: I see, and they give
7 you less pressure drop than when you have the two beds
8 separated.

9 MR. KROTIUK: When I have the situation
10 where I have a concentration of cal sil in a given
11 part of the debris bed.

12 CHAIRMAN BANERJEE: Is that because they
13 pack better with the -- I mean, each phase, think of
14 it as two phases, almost. Is that the cal sil then
15 forms a more dense bed than it would if it was
16 dispersed in the --

17 MR. KROTIUK: Yes. And that's what I
18 tried to show by the SEM pictures that I showed
19 earlier, is that if you looked at the bottom of that
20 viewgraph, I gave an indication of the volume percent
21 of the different particulates, the fiber and the
22 particles, I'm sorry, in the sections, and you'll see
23 that in the surface area there was a larger
24 concentration of material than in the center region.

25 CHAIRMAN BANERJEE: Okay. Fine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: So based on that thinking,
2 there is four conditions that I postulated could
3 exist. One is that you have a homogeneous, what I
4 call unsaturated particle or fiber bed, or particle
5 and/or fiber bed. In other words, it's all fiber, all
6 particle, or the particles are distributed evenly
7 within the fibers. And this is -- the calculational
8 method for this is a one-volume approach, and I'm
9 postulating that this is the -- would you give you the
10 lower bound delta P for beds with two debris types,
11 and give you a pretty good estimate of the delta P for
12 a bed with one debris type.

13 MR. ABDEL-KHALIK: What does the word
14 "saturated" refer to?

15 MR. KROTIUK: Okay. What I'm postulating
16 is that if I look at this case here, the second case,
17 if I have a fiber bed, the amount of particles that
18 could be trapped within that fiber bed has an upper
19 limit, upper practical limit, let's put it that way,
20 but an upper practical limit that would give me the
21 highest pressure drop, and so I'm calling that a
22 saturated particles within the fiber bed.

23 MR. WALLIS: Depends on how much the
24 fibers are compressed. If the fibers are compressed
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes, right.

2 MR. WALLIS: -- then you get less void
3 fraction in there to put the particles into.

4 MR. KROTIUK: Yes.

5 MR. WALLIS: So the saturation must be
6 somehow related to the compression of the matrix.

7 MR. KROTIUK: It is related to the
8 compression of the bed, yes.

9 MR. WALLIS: If you have one that's
10 already saturated, then presumably it can't be
11 compressed any more. Is that right?

12 MR. KROTIUK: No, it can be compressed,
13 because notice I said practical upper limits. I mean,
14 if you look at an ideal upper limit, it's going to be
15 that you have fibers and the particles completely
16 packing it, and you have no flow. It's just all
17 solid.

18 MR. WALLIS: Well, there's still some flow
19 passages through the particles.

20 MR. KROTIUK: Right, yes, but I'm saying
21 a practical upper limit says that there is some flow
22 passages. I'm not looking at a theoretical real --

23 MR. CARUSO: How much does that depend on
24 the relative geometrical characteristics of the fibers
25 and the particles?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: That's a good question, and
2 I don't really know the answer to that.

3 MR. CARUSO: I'm not even sure what you
4 would use as the geometrical representation for the
5 particles, because if they're long and thin but break
6 apart, or they deform and wrap around, and if they
7 break when they run into a particle, that -- I mean,
8 there's all sorts of different --

9 MR. KROTIUK: Yes, I did not try to answer
10 that question, because I thought it was kind of too
11 difficult question to get my hands around, so I tried
12 to look at the test data and try to come up with a
13 methodology that would give me reasonable upper and
14 lower bounds of the test data, and that's why I'm
15 saying practical.

16 CHAIRMAN BANERJEE: I guess the word
17 "saturated" being used there is not really accurate,
18 because when you think of a saturated porous media,
19 that means all the pores are completely filled by
20 whatever it is, so you're always unsaturated.

21 MR. KROTIUK: I'm always unsaturated, but
22 I'm at a practical upper limit.

23 MR. WALLIS: What he means, I think, is
24 that the void fraction available between the fibers is
25 filled with particles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Well, if it is, then
2 there's no flow.

3 MR. KROTIUK: Then there's no flow.

4 MR. WALLIS: There's gaps between the
5 particles.

6 CHAIRMAN BANERJEE: Oh, yes, so it's not
7 saturated.

8 MR. WALLIS: Yes, it is. You've got as
9 many particles in there as can get in there.

10 CHAIRMAN BANERJEE: Without deforming the
11 fiber.

12 MR. WALLIS: Yes, without deforming the
13 fibers or the particles.

14 CHAIRMAN BANERJEE: Yes, or the particles.

15 MR. ABDEL-KHALIK: But like Ralph said,
16 this is a geometry problem. It depends entirely on
17 geometry.

18 MR. KROTIUK: But it's the form of --

19 MR. CARUSO: Right. I mean, it's like I'm
20 going back to my heritage, a bowl of spaghetti and
21 meatballs, how does the sauce get through? It all
22 depends on what kind of pasta you use.

23 MR. KROTIUK: I like ziti.

24 (Laughter.)

25 CHAIRMAN BANERJEE: But why do you need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make this distinction? More to the point, I mean --

2 MR. KROTIUK: What I was trying to do is

3 --

4 CHAIRMAN BANERJEE: There's no practical

5 way of determining if there's a saturation limit,

6 because --

7 MR. KROTIUK: Right, and so this - what I

8 used is the test data to try to come up with this

9 practical upper limit.

10 MR. WALLIS: I think you could do it

11 geometrically. Forget about cal sil, you could take

12 very fine glass beads, and you could take fibers, and

13 you could geometrically work out what --

14 CHAIRMAN BANERJEE: If they don't deform.

15 You could take needles and spheres, and you could find

16 a --

17 MR. WALLIS: Take spaghetti and spheres.

18 CHAIRMAN BANERJEE: No, spaghetti and

19 spheres make it very difficult.

20 MR. WALLIS: Well, it's still doable, at

21 least experimentally.

22 CHAIRMAN BANERJEE: Maybe, but not

23 theoretically.

24 MR. WALLIS: Caviar and spaghetti, if you

25 ever want to eat something like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Well, let's do this.
2 Let's run through this, because your definition of
3 saturated is --

4 MR. WALLIS: We're going to run through
5 it, right?

6 MR. KROTIUK: Okay.

7 CHAIRMAN BANERJEE: -- going to make it
8 difficult.

9 MR. KROTIUK: Just remember, you're right.
10 Saturated doesn't mean - really it's a practical upper
11 limit. I was trying to point a terminology.

12 CHAIRMAN BANERJEE: Saturated porous media
13 has a clear meaning.

14 MR. CARUSO: How about closely packed?

15 MR. KROTIUK: Well, not fully packed. You
16 don't want to say - if it was fully packed, it would
17 mean there's --

18 CHAIRMAN BANERJEE: He said closely
19 packed.

20 MR. CARUSO: It's like crystalline packed
21 structures, crystals.

22 CHAIRMAN BANERJEE: I doubt if there is a
23 practical upper limit. If you go on, let's say you
24 took a bed which you call saturated and you compressed
25 it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: You can't compress it,
2 because the particles are not compressible.

3 CHAIRMAN BANERJEE: Well, but the -- oh,
4 are you meaning that if you -- so if you're saying
5 that there's a practical way of determining this, you
6 go on putting particles in a bed until you can't
7 compress it any more. Is that how you're --

8 MR. KROTIUK: That's what -- well, part of
9 it, because there is a calculation of compressibility.
10 I mean, as you --

11 CHAIRMAN BANERJEE: I think just
12 practically.

13 MR. KROTIUK: It's a practical limit.

14 CHAIRMAN BANERJEE: So I go on loading
15 this thing up with particles.

16 MR. KROTIUK: Right. Yes.

17 CHAIRMAN BANERJEE: And then when I
18 increase the pressure on it, the bed doesn't compress
19 any more.

20 MR. KROTIUK: Because that's what I was
21 trying to show here, is that this is a situation where
22 the particles and the fibers are at that upper limit,
23 and if you add any more particles to this, you're
24 going to get this situation, where you have a
25 saturated - I'll just use that terminology - of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particles and fibers, but then the rest of the
2 particles, if it collects, is just going to be
3 collected on top of the bed.

4 CHAIRMAN BANERJEE: All right. Let's look
5 at what happens. Let's continue.

6 MR. KROTIUK: And then these two are
7 homogeneous one-volume calculations, and the two-
8 volume, and the heterogeneous are two-volume
9 calculations, so I actually did pressure drops across
10 two control loads. I mean, in actuality, you could
11 use hundreds of control --

12 MR. WALLIS: Compress the fibers by the
13 pressure drop through the top stuff.

14 MR. KROTIUK: Yes. This is the basic form
15 in the --

16 CHAIRMAN BANERJEE: Your equations are
17 very difficult to read. Maybe you should just use
18 normal PowerPoint.

19 MR. KROTIUK: Oh, geez, it really did come
20 out bad.

21 CHAIRMAN BANERJEE: Yes.

22 MR. KROTIUK: Yes, sorry about that. The
23 Power Point --

24 CHAIRMAN BANERJEE: You should use black
25 and white.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes, PowerPoint did - let me
2 just see if it's bad. Well, let me just - consistent
3 with the Ergun equation is a viscous term and a
4 kinetic term. One of the things that I wanted to
5 point out is that I derived this, and I didn't present
6 the derivation here, but it's in the report - is that
7 there's viscosity, velocity. This is that specific
8 surface volume of the - whatever it is - fiber,
9 particle. This is - X is a void ratio, and there's
10 this one thing called $K(X)$, which is the -- so there's
11 a permeability relationship. And it basically --

12 CHAIRMAN BANERJEE: What is X ?

13 MR. KROTIUK: Void ratio.

14 CHAIRMAN BANERJEE: Defined how?

15 MR. KROTIUK: My mind has just gone blank.
16 Just give me one second.

17 CHAIRMAN BANERJEE: Epsilon is the
18 porosity.

19 MR. KROTIUK: Epsilon is the porosity.
20 This is the void --

21 CHAIRMAN BANERJEE: That's the void
22 fraction.

23 MR. KROTIUK: It's a --

24 CHAIRMAN BANERJEE: It's a void to the --

25 MR. WALLIS: Why is there a viscosity in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the kinetic term? That's a correction factor that --

2 MR. KROTIUK: That's because -- okay, I'll
3 get to that. Just give me a minute.

4 MR. WALLIS: A Reynolds number effect or
5 something?

6 MR. KROTIUK: Yes, that's a Reynolds --

7 MR. WALLIS: Fairly weak effect, isn't it?

8 MR. KROTIUK: The whole kinetic term, as
9 I indicated, is listed 8 percent of the total pressure
10 drop.

11 MR. WALLIS: Even though the curves curve
12 up?

13 MR. KROTIUK: Because this $K(X)$ is non-
14 linear. X is volume of the void over the volume of
15 the solid, so it's Epsilon over one-minus Epsilon.

16 MR. WALLIS: So it's the fraction of the
17 void filled by the particles. Is that what it is?
18 Voids in the fibers. And X tells you something about
19 how much - what's the volume of particles filling that
20 void in-between the fibers?

21 MR. KROTIUK: That's the ratio of the
22 volume of the void over the volume of the solid.

23 MR. WALLIS: Well, that's what I mean.

24 MR. KROTIUK: Okay.

25 MR. WALLIS: So it tells you how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particles there are filling in the holes in the
2 fiberglass.

3 MR. KROTIUK: Okay.

4 MR. WALLIS: How much --

5 CHAIRMAN BANERJEE: Depends how you are
6 defining void here. Are you defining void as the
7 fibers plus the particles, or --

8 MR. KROTIUK: No, void is void, nothing
9 there.

10 CHAIRMAN BANERJEE: No, I mean when you're
11 talking about --

12 MR. KROTIUK: When I talk about solid,
13 it's the particles plus the fibers.

14 CHAIRMAN BANERJEE: So one minus Epsilon
15 is particles plus fibers.

16 MR. WALLIS: One minus Epsilon - oh,
17 that's the total solids?

18 CHAIRMAN BANERJEE: The total solids.

19 MR. KROTIUK: Total solids, right.

20 CHAIRMAN BANERJEE: Really, what you have
21 are three parameters. In some sense, you have the
22 volume fraction of the particles, the volume fraction
23 of the fibers, and the volume fraction of the voidage.

24 MR. KROTIUK: Right.

25 CHAIRMAN BANERJEE: How would you put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Epsilon - one minus Epsilon being equal to the total
2 solids.

3 MR. KROTIUK: You know, one thing I have
4 to say is that I presented this equation in this form
5 to try to show the similarity to the Ergun equation.
6 I actually - and I didn't present this in the report -
7 but this could actually be simplified to something
8 that eliminates a lot of these duplications of the X,
9 of the void ratios and the porosities, and all that.
10 I just tried to present it in this form, because of
11 familiarity.

12 CHAIRMAN BANERJEE: Okay.

13 MR. KROTIUK: Now to talk about this
14 kinetic term, this term here with this exponent is
15 really something that I came out - it's a semi-
16 empirical impression that's used to -- it was derived,
17 and I don't remember the reference, but it's for metal
18 screens of weaves, and they specified whether the
19 weave was cross, or this way, different type of
20 weaves, but this is for something that related to any
21 weave. And it also could be applied to beds composed
22 of spherical particles.

23 MR. WALLIS: Some correlations don't have
24 that factor in at all.

25 MR. KROTIUK: Right. But --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Which case, the pressure drop
2 becomes independent of the thickness of the bed,
3 because it doesn't matter whether it's thick. It's
4 the total amount of stuff there that gives you the
5 pressure drop.

6 MR. KROTIUK: But, again, I didn't really
7 investigate this too much, because when I started
8 doing comparisons with test data, this term turned out
9 to be so small. Typically, 8 percent was really an
10 upper limit. It was more on the order of 1 to 2
11 percent of the total pressure drop, so I wasn't really
12 too concerned with this term.

13 MR. WALLIS: Well, that can't give you the
14 moving up of the pressure -- then you'll be linear,
15 pressures will be linear with the velocity.

16 MR. KROTIUK: No, because of the $K(X)$
17 factor, which is non-linear.

18 MR. WALLIS: Well, the $K(X)$ has velocity
19 in it?

20 MR. KROTIUK: You have --

21 CHAIRMAN BANERJEE: I thought $K(X)$ only
22 has the porosity in it.

23 MR. KROTIUK: Okay. I have --

24 CHAIRMAN BANERJEE: If you make $K(X)$ a
25 factor of velocity, then it's a non-linear term.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I don't think it is, is it?

2 CHAIRMAN BANERJEE: No, I don't know his
3 model yet.

4 MR. KROTIUK: Let me just -- all right,
5 that's all. I wasn't really going to say more on the
6 model, so let me just go to one of my -- okay. These
7 are -- it's called a Happel Free Surface Model, and
8 these are the relationships for $K(X)$, so it's a
9 function of void ratio.

10 MR. WALLIS: It's nothing to do with
11 velocity. It's linear with velocity.

12 CHAIRMAN BANERJEE: As you would expect in
13 creeping flow type of problems.

14 MR. WALLIS: What are we doing here?

15 MR. KROTIUK: Yes, that's something that
16 you don't have. I just put it there because I thought
17 maybe someone would ask. I'm going back.

18 MR. WALLIS: I think that thing about age,
19 or about 20 significant figures.

20 MR. KROTIUK: That's a curve fit. We'll
21 get to that.

22 MR. WALLIS: Okay. So the sum effect of
23 permeability, which is messy.

24 MR. KROTIUK: And if I applied that
25 relationship to a NUKON and cal sil mixture in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris bed, basically I divided the total pressure
2 drop into pressure drop due to the NUKON, pressure
3 drop due to the cal sil. This is the viscous term and
4 the kinetic term.

5 MR. WALLIS: This is something really new,
6 of adding together these --

7 MR. KROTIUK: Yes. And then, of course,
8 in addition there was exit and entrance effects.

9 MR. WALLIS: Which are small.

10 CHAIRMAN BANERJEE: So now that is more
11 close to what we were saying, that basically you've
12 superimposed these two.

13 MR. KROTIUK: That's right. It's the best
14 thing I could come up with, that seemed to match.

15 MR. WALLIS: But there's no theoretical
16 basis, is there, for adding together the two Kozeny
17 terms like that?

18 MR. KROTIUK: It's a question of parallel
19 --

20 MR. WALLIS: If you've got two things in
21 series or something?

22 MR. KROTIUK: Parallel -- a series
23 approach, I mean, you know.

24 CHAIRMAN BANERJEE: Well, these aren't
25 series though. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: I mean, I tried both, to
2 tell you the truth.

3 CHAIRMAN BANERJEE: They would be in
4 series, according to this.

5 MR. KROTIUK: Right. This is --

6 MR. WALLIS: Not in series, they're
7 actually mixed together.

8 MR. KROTIUK: I tried both approaches, and
9 the parallel approach did not -- I couldn't get
10 anywhere.

11 MR. WALLIS: The particles are inside the
12 voids in the fibers, that's the problem.

13 CHAIRMAN BANERJEE: So what's the
14 difference between this and having them in two layers
15 then?

16 MR. KROTIUK: This equation --

17 CHAIRMAN BANERJEE: This is like having
18 them in two layers.

19 MR. KROTIUK: This equation is applied to
20 each layer.

21 CHAIRMAN BANERJEE: I know. But, I mean,
22 if you look at this equation, it is like you're just
23 having two layers, one of the cal sil, and one of --

24 MR. KRESS: They both have the same
25 thickness.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: They have the same
2 thickness.

3 MR. KRESS: It's the thickness of the full
4 bed. That's the difference.

5 CHAIRMAN BANERJEE: Yes. And this is the
6 thickness of the full bed.

7 MR. KRESS: Yes. That makes it look
8 strange to me, but if this is like a porous bed where
9 the loop lets you do surface tension-like effects,
10 then you could rationalize something like this.

11 CHAIRMAN BANERJEE: So let's say the basis
12 for using this at the moment is empirical. Let's see
13 where it leads.

14 MR. KRESS: Okay. Good approach.

15 MR. KROTIUK: Okay. Now talk about the
16 compression and expansion. The references that I
17 looked at seemed to have the best match-up by -- the
18 best approach to the compression/expansion of the
19 porous media was to assume that, as I said previously,
20 that the first compression with a velocity increase
21 was a non-recoverable, irreversible process, and then
22 all the other compressions were elastic with constant
23 compressibility.

24 MR. WALLIS: It doesn't recover when you
25 decrease the velocity?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: First --

2 CHAIRMAN BANERJEE: Not completely.

3 Right?

4 MR. KROTIUK: Not completely. I mean, the
5 references that I read, in actuality what happens is
6 that you have the first one, first say compression
7 will be some fraction, like 90 percent non-reversible,
8 10 percent reversible. Then it'll come back down,
9 come back up, and then you may 60 percent non-
10 recoverable, so there's no real cutoff. This is just
11 a calculational approach, and from the references that
12 I read, it seemed to indicate that this was a
13 reasonable approach.

14 MR. WALLIS: Well, the first one is sort
15 of a standard for in the filtration business.

16 MR. KROTIUK: Right.

17 CHAIRMAN BANERJEE: It's sort of like what
18 --

19 MR. WALLIS: That's right.

20 MR. KROTIUK: Yes, I forgot the reference
21 now.

22 MR. WALLIS: It's in my book, so it must
23 be right.

24 MR. KROTIUK: Yes.

25 MR. KRESS: It must be out of date.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: It's not entirely, because
2 the difference is that this is X, not L.

3 MR. WALLIS: Well, that's strange. Did
4 the particles effect the compressibility of the
5 fiberglass?

6 MR. KROTIUK: Yes.

7 MR. WALLIS: If you take fiberglass and
8 squeeze it mechanically, you can do this test.
9 Mechanically, no fluid there at all.

10 MR. KROTIUK: Right. That's how they --

11 MR. WALLIS: Put particles in there, does
12 it make a difference? I think it must eventually,
13 because if you squeeze it too much, you're actually
14 coming up against the particles.

15 MR. KROTIUK: The reference is from the
16 AICHE Journal, and it's by Johnson & Johnson. It's
17 actually a husband and a wife team.

18 MR. WALLIS: It goes back to --

19 MR. KROTIUK: They actually -- yes, right.
20 They reference it, but they actually did those
21 experiments where they compressed.

22 MR. WALLIS: Right.

23 MR. KROTIUK: And they said that this
24 looks like a reasonable approach.

25 CHAIRMAN BANERJEE: So, I mean, phrasing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it in terms of X, rather than L, simply changes N.
2 Right?

3 MR. WALLIS: N is always about one, two,
4 three, six.

5 MR. KROTIUK: It's the same number that
6 you came up with, about that order of magnitude.

7 MR. ABDEL-KHALIK: Can we go back to the
8 previous slide?

9 MR. KROTIUK: Sure.

10 MR. ABDEL-KHALIK: How are these
11 individual porosities defined? Epsilon cal sil, for
12 example, what is the definition of that?

13 MR. KROTIUK: Cal sil is only considering
14 the presence of cal sil --

15 MR. ABDEL-KHALIK: The other material
16 doesn't exist.

17 MR. KROTIUK: Does not exist, right.

18 CHAIRMAN BANERJEE: Is the volume of cal
19 sil over the total volume?

20 MR. KROTIUK: Yes.

21 CHAIRMAN BANERJEE: If I understand what
22 you're doing.

23 MR. KROTIUK: Volume of cal sil over the
24 total.

25 MR. WALLIS: But it's not layered, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if they were in series there would be different
2 volumes.

3 CHAIRMAN BANERJEE: One minus. At least
4 that's how I understand your --

5 MR. WALLIS: It's somewhat strange.

6 MR. KROTIUK: It is. And, I agree, I was
7 trying different things, and basically trying to use
8 parallel and series approaches.

9 MR. WALLIS: It's a bold step forward,
10 which works fine if it's only cal sil, and only --

11 MR. KROTIUK: Yes. Right.

12 CHAIRMAN BANERJEE: You know, what I said
13 earlier was let's assume this on an empirical basis
14 for now and see where it leads. Clearly, the equation
15 has almost no justification.

16 MR. WALLIS: My feeling about this was it
17 was very promising, but it really needed a much
18 broader experimental base in order to verify the
19 equation.

20 MR. KROTIUK: I used experiments that --
21 actually, in the NUREG, I compare this to not only
22 the PNNL data, but to the ANL data, and to LANL data,
23 so there's a lot of comparisons.

24 MR. WALLIS: Okay.

25 MR. KROTIUK: I'm only presenting a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limited number of cases here.

2 MR. WALLIS: This compression equation is
3 very interesting, because if P is zero, then X is
4 infinite.

5 MR. KROTIUK: Yes.

6 CHAIRMAN BANERJEE: The problem, of
7 course, that you face is that if you look at your
8 Ergun equation, it doesn't care how the porosity is
9 distributed. And when you put your fibers and your
10 particles in there, you're effecting the tocquicity,
11 or whatever the hell it's called. And that's what
12 affects the pressure drop. I mean the fluid dynamics
13 of it is just getting different sort of flow path than
14 you --

15 MR. KROTIUK: Yes, in the paper by Johnson
16 & Johnson, what they actually did is that they used an
17 equation similar to this, but they actually divided up
18 their debris bed into a fairly large number of control
19 volumes. They would go - not just two - I forget, 10
20 or 20, or something like that, so that they could
21 predict the pressure drop distribution within the bed,
22 because it's non-linear, as I said earlier. And I
23 just thought that for a practical application, it was
24 not reasonable to do that, so I was trying to come up
25 with a hand calculation that would give me upper and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower limits.

2 MR. WALLIS: That's what Ingmanson does.
3 The bottom of the bed is compressed much more than the
4 top.

5 MR. KROTIUK: Right.

6 MR. WALLIS: And so you get a different
7 pressure going into the bottom than the top.

8 MR. KROTIUK: Yes, you get a whole
9 distribution.

10 MR. WALLIS: And you can get some
11 solutions- if it's linear like this, you can get some
12 form solutions, as long as Epsilon isn't too big.

13 MR. KROTIUK: Yes. It was an approximate
14 approach that I was trying to --

15 MR. ABDEL-KHALIK: Going back to the
16 definition of these Epsilons.

17 MR. KROTIUK: Yes.

18 MR. ABDEL-KHALIK: So let's say Epsilon
19 cal sil, that is as if you've taken the NUKON and
20 replaced it with liquid.

21 MR. KROTIUK: Right. That's correct.

22 MR. ABDEL-KHALIK: You have a composition,
23 so that's physically what this picture looks like.

24 MR. KROTIUK: That's correct.

25 CHAIRMAN BANERJEE: You have to think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about this.

2 MR. ABDEL-KHALIK: Right.

3 MR. KROTIUK: Yes.

4 MR. ABDEL-KHALIK: Because you really can
5 combine all the Epsilon and X terms, and come up with
6 just one function in terms of Epsilon. It turns out
7 to be one minus Epsilon cubed divided by Epsilon, a
8 product of the two X cubed times one minus Epsilon
9 squared divided by one plus X squared times Epsilon
10 cubed, that's just one minus Epsilon cubed --

11 MR. WALLIS: I think you have a problem if
12 there's no cal sil there at all, because then Epsilon
13 is zero.

14 MR. KROTIUK: That's right. There is a
15 problem, yes.

16 MR. WALLIS: It doesn't make any sense.

17 MR. KROTIUK: No. And one of the things
18 when I was looking at this equation, I was trying to
19 look at the extremes of all NUKON and all cal sil.

20 MR. WALLIS: Maybe X cal sil cancels
21 Epsilon cal sil, or something. There has to be
22 something there.

23 MR. KROTIUK: Again, in the -- I recognize
24 that. Okay? I recognize that there's a problem at
25 one of the upper limits, and in --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: The real problem, you have
2 nothing there has an infinite effect.

3 MR. KROTIUK: And there are -- what
4 happens -- there's a couple of things that happen.
5 One is that in the actual application that's outlined
6 in the NUREG, there are upper limits extremes, but
7 what happens also is that the $K(X)$ value also feeds
8 into it, and the $K(X)$ value becomes very large at one
9 point, so that you're dividing by a large number, and
10 it becomes --

11 MR. WALLIS: Zero over zero.

12 MR. KROTIUK: Yes, so you have to -- I
13 tried to specify it very much in the application
14 section of the NUREG to say what happens when you
15 approach upper limits, and what to use at those upper
16 limit values.

17 CHAIRMAN BANERJEE: So what is the second
18 equation? The first one we have some understanding
19 of.

20 MR. KROTIUK: This equation came from, as
21 I said, Johnson & Johnson in an AICHE paper, in an
22 AICHE Journal, and they derived this equation in
23 there, and I used it just the way they derived it.

24 CHAIRMAN BANERJEE: So this is to account
25 for the sort of non-linear --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: This is to account for the
2 elastic range.

3 MR. WALLIS: I'm tempted to say that
4 Johnson & Johnson manufacture band-aids.

5 (Laughter.)

6 CHAIRMAN BANERJEE: So they got this by
7 dividing the layer into many thin bits, and
8 integrating with something.

9 MR. WALLIS: Anyway, we can move on, I
10 think. There's some basis for this one.

11 MR. KROTIUK: You want me to --

12 CHAIRMAN BANERJEE: Well, where are we
13 going now?

14 MR. KROTIUK: Well, I was just going to --

15

16 MR. WALLIS: Break, aren't we?

17 CHAIRMAN BANERJEE: Yes, but what is the
18 next few slides about?

19 MR. KROTIUK: The ones are just coming up
20 with the various --

21 CHAIRMAN BANERJEE: That is your equation.

22 MR. KROTIUK: That's basically the
23 equation. And, as I said, there's a lot of derivation
24 in the paper. I didn't want to present the whole
25 derivation. It goes on for about 20 pages.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: And you're going to
2 apply this to --

3 MR. WALLIS: A whole lot of stuff.

4 CHAIRMAN BANERJEE: -- the two separated
5 layers, and all this sort of stuff.

6 MR. WALLIS: He's going to show us it's
7 better than CR6224.

8 CHAIRMAN BANERJEE: And show us how it
9 agrees.

10 MR. KROTIUK: I'm sorry?

11 CHAIRMAN BANERJEE: How it agrees with the
12 data.

13 MR. KROTIUK: How it agrees, or doesn't
14 agree.

15 CHAIRMAN BANERJEE: Doesn't agree. All
16 right. So this is a good time to take a break then.
17 Okay. So we take a break for 10 minutes, so back at
18 20 to 4.

19 (Whereupon, the proceedings went off the
20 record at 3:32:37 p.m., and went back on the record at
21 3:46:08 p.m.)

22 CHAIRMAN BANERJEE: Okay. Back in
23 session. So perhaps we could try to finish up about
24 4:30.

25 MR. KROTIUK: I think that's possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: All right.

2 MR. KROTIUK: As I said before the break,
3 what I want to do now is just indicate some of the
4 values that are in equation and what I determine the
5 value should be. One is that from the test data, one
6 of the things that you needed to know was the specific
7 surface area of the NUKON and cal sil fibers. And,
8 also, for any fibers in the cal sil that's included in
9 the cal sil. And looking at the test data, and seeing
10 what fit and everything else, and pluses or minuses,
11 I did a fairly detailed assessment of that, and these
12 are the numbers that I came up with.

13 For comparison, just so that you know,
14 this 300,000 number for the NUKON, what 6224
15 recommends is a number around 171,000. However, the
16 cal sil number of 650,000 is about the right order of
17 magnitude, which the 6224 correlation uses, which is
18 600,000. The densities for the NUKON and cal sil
19 fibers, they agreed with what was previously presented
20 in the various NUREGs, and what PNNL did is they
21 actually did measure the densities of the fibers, and
22 the particles, so they agreed.

23 One of the things that has to be -- sorry.
24 One of the things that has to be known to apply the
25 methodology I've developed is the initial thickness of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the debris bed, so what I did is that since we formed
2 the debris bed at .1 foot per second which I termed as
3 a relatively low velocity, it's not super low, but
4 relatively low, I looked at all the test data, and
5 derived this relationship for the initial total bed
6 thickness relating the void ratio of the NUKON, the
7 area, masses of the NUKON mixed with cal sil, the
8 densities indicated up here. And the question is, is
9 what value for the void ratio of NUKON and cal sil
10 would match the test data? And, basically, looking at
11 the test data and backfitting it, these are the
12 numbers that I came up with. And let me just show you
13 the plot.

14 For instance, on this plot here, the
15 circles are the calculation. The solid diamonds in
16 blue, and the pink also are the measurements of the
17 actual bed thickness at .1 foot per second. The only
18 one that differs is this one happens to be at .2 feet
19 per second.

20 MR. WALLIS: Now if it were at a different
21 velocity what would be the difference?

22 MR. KROTIUK: It will be different.

23 MR. WALLIS: Well, that depends on the
24 pressure drop, doesn't it? If you're worried about
25 compression, the pressure drop has got to come into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, too, not just velocity.

2 MR. KROTIUK: Well, if you look at the
3 relationship, the only thing I have in here is the
4 masses, the densities, and the area and these
5 empirical value for the void ratio. I actually
6 derived this. This is derived from --

7 MR. WALLIS: Assuming no compression. Is
8 that what it is?

9 MR. KROTIUK: Assumes no compression, yes.

10 MR. WALLIS: So your compression theory
11 has a pressure in there.

12 MR. KROTIUK: Yes.

13 MR. WALLIS: At the initial thickness, but
14 there's no pressure here.

15 MR. KROTIUK: No, there is a pressure -
16 I'm sorry. There is a pressure at this thickness, and
17 that's--

18 MR. WALLIS: You have to calculate that?

19 MR. KROTIUK: I mean, there is -- excuse
20 me?

21 MR. WALLIS: You have to calculate that
22 from your theory or something?

23 MR. KROTIUK: There is an iteration
24 process in the calculation whereby you would calculate
25 this PM prime, which is the starting point. But to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, you need the thickness. As I said, I don't want
2 to go through the whole application methodology, but
3 there is an iteration process. You have to know the
4 initial thickness, and then there's iterative process
5 to calculate the PM prime at that thickness.

6 MR. ABDEL-KHALIK: I mean, going back to
7 the question I asked earlier about how thick those cal
8 sil beds. If I use your density, and for a .45
9 kilograms per meter squared loading, I end up - if I
10 were to assume that I have a solid layer of cal sil
11 with that loading, it would end up being .25
12 millimeters thick.

13 MR. KROTIUK: This material density is the
14 density of the material.

15 MR. ABDEL-KHALIK: Right, density of the
16 solid. Right.

17 MR. KROTIUK: Yes.

18 MR. ABDEL-KHALIK: Now when you say that
19 the actual height of the bed --

20 MR. KROTIUK: Is larger.

21 MR. ABDEL-KHALIK: -- is six millimeters,
22 roughly a quarter of an inch, that means this is a
23 very, very highly voided layer.

24 MR. KROTIUK: Yes.

25 MR. ABDEL-KHALIK: Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes.

2 MR. WALLIS: Just cal sil?

3 MR. ABDEL-KHALIK: Right. Which, to me,
4 is very surprising, given the fact that cal sil is
5 very, very small particles.

6 MR. KROTIUK: And the only thing, as I
7 said, I did a lot of -- I looked at a lot of the data
8 at the .1 feet per second for NUKON and NUKON cal sil,
9 and I had no data for cal sil alone, so I back -- I
10 could come up with this parameter here for the NUKON
11 because I had NUKON only data, but this one had to be
12 backed out of basically the NUKON cal sil data, this
13 value here.

14 MR. ABDEL-KHALIK: But if I were to just
15 use his observation that the thickness of this layer
16 in that case was roughly a quarter of an inch, I would
17 get a ratio about 25 for cal sil only.

18 MR. KROTIUK: Well, I have to admit that
19 that was - the value for the cal sil was a weakness in
20 my derivation, and if I had cal sil data, I could have
21 come up with something. This was the best thing I
22 could come up.

23 MR. MICHENER: Tom Michener from PNNL.
24 Also, it wasn't really what we called a formed bed
25 either with the holes in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes, that was --

2 MR. ABDEL-KHALIK: Looking at the
3 pictures, there are only a few holes. When you say --

4
5 MR. MICHENER: There was quite a few
6 holes.

7 MR. KROTIUK: Quite a lot of holes.

8 MR. MICHENER: Quite a few holes, and it
9 just depended on when you stopped, too. Because, like
10 I said, it just kept bursting through. But yes, we
11 never did what we call form an official cal sil only
12 bed, as I recall.

13 MR. KROTIUK: No. Closest we came was in
14 a bench top, which was better than the one in the
15 large loop, but it still had holes in it.

16 MR. ABDEL-KHALIK: The point I was trying
17 to make is that all you need to come up with a value
18 for X for cal sil is to come up with a thickness, an
19 actual measured thickness, or average thickness in a
20 loading and that gives you a value of X.

21 CHAIRMAN BANERJEE: You don't even have to
22 have a sieve, you just have to load it.

23 MR. ABDEL-KHALIK: Right.

24 MR. WALLIS: This curve here with this
25 figure here is thickness versus amount of stuff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes.

2 MR. WALLIS: It doesn't say anything about
3 composition, really.

4 MR. KROTIUK: This is a total.

5 MR. WALLIS: Total amount of stuff.

6 MR. KROTIUK: This is NUKON and cal sil.

7 MR. WALLIS: Oh, it doesn't matter what
8 it's made out of?

9 MR. KROTIUK: That's what I plotted it as,
10 but if you look at the equation, the equation does
11 matter, because you have -- the NUKON mass and the cal
12 sil mass is separate, but just for this plot --

13 MR. WALLIS: The circles are just sort of
14 a straight line through the middle of the picture.

15 MR. KROTIUK: It's not quite, because if
16 you notice, there are dips in it. It's not quite a
17 straight line.

18 MR. WALLIS: But it really seems to
19 indicate if the circles are right, that you're
20 predicting that the thickness simply depends on the
21 weight of stuff. It's dependent on what it's made out
22 of, cal sil or --

23 MR. KROTIUK: Well, if you look at the
24 equation here is that --

25 MR. WALLIS: I'm just looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circles.

2 MR. KROTIUK: I know, but if you look at
3 -- NUKON has a greater effect than the cal sil does,
4 from what I --

5 MR. WALLIS: Because of X.

6 MR. KROTIUK: So if you plot this same
7 curve which I've done, saying the NUKON, you also get
8 a NUKON concentration so that the total concentration
9 --

10 MR. WALLIS: Isn't the thickness really
11 determined by the NUKON, essentially? Cal sil just
12 fills in the voids in the NUKON. It doesn't make any
13 difference.

14 MR. KROTIUK: Yes. And that's the reason
15 why this is 6 and that's 30.

16 MR. WALLIS: I would think that it's even
17 more so than that, because the cal sil can fit in-
18 between the NUKON fibers, that it's really the NUKON
19 that decides how thick the bed is. Anyway, let's go
20 on.

21 MR. KROTIUK: Yes. I feel more
22 comfortable with the 30 number than with the 6.2.

23 MR. WALLIS: Okay. The NUKON dominates
24 anyway.

25 MR. KROTIUK: The NUKON dominates. Now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is the real -- this is where I was -- I went out
2 most on the limb.

3 MR. WALLIS: I see.

4 MR. KROTIUK: Yes.

5 MR. WALLIS: I like the degree of
6 accuracy.

7 MR. KROTIUK: This is completely a curve
8 fit. There is no theory to this. I had -- basically,
9 this is the relationship for that minimum, what I call
10 a saturation thickness over the total initial
11 thickness as a function of the mass of cal sil and
12 NUKON. And I plotted up this data --

13 MR. WALLIS: Exponential?

14 MR. KROTIUK: Yes.

15 CHAIRMAN BANERJEE: As you see in the next
16 slide.

17 MR. KROTIUK: And I emphasize here that
18 this is -- it could definitely be improved, but I --
19 this is the best I could come up with. I tried --

20 MR. WALLIS: Is this for saturation?

21 MR. KROTIUK: Yes.

22 MR. WALLIS: So when you've got a very
23 small amount of cal sil, a tiny amount of it can
24 saturate?

25 MR. KROTIUK: Yes, it can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Doesn't make sense.

2 MR. KROTIUK: But it can. You could get
3 a saturation layer on top in the fiber bed, if that --
4 but the pressure drop that you would have for that
5 layer will really be calculated by the pressure drop
6 equation.

7 MR. WALLIS: It's because it's not
8 homogeneous.

9 MR. KROTIUK: It's not homogeneous.

10 MR. WALLIS: Well, okay. That's the case,
11 but if it's homogeneous and filling in the pores, then
12 it wouldn't be an exponential relationship.

13 MR. KROTIUK: Right.

14 MR. WALLIS: It would presumably just be
15 simply a certain mass ratio.

16 MR. ABDEL-KHALIK: I mean, your
17 exponential fit is driven by that one outlier data
18 point, that one.

19 MR. KROTIUK: That's right.

20 MR. WALLIS: Right.

21 CHAIRMAN BANERJEE: How secure is that
22 point?

23 MR. KROTIUK: Well, this is one of those
24 points that after I got all the data together, and we
25 looked at testing that we completed, it was saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 geez, I wish I had more points out here.

2 MR. WALLIS: Let's get this clear. I
3 don't understand this at all. I thought that this
4 saturation was when the particles of cal sil
5 essentially filled the voids in the fiber.

6 MR. KROTIUK: That's correct.

7 MR. WALLIS: Which would simply be a mass
8 ratio, it doesn't matter how much -- there's no --

9 MR. KROTIUK: Remember --

10 MR. WALLIS: You have twice as much
11 fiberglass, you have twice as much cal sil, so --

12 MR. KROTIUK: Remember what I said, that
13 this is a practical limit. I'm trying to use test
14 data to come up with a practical limit. This is not
15 a theoretical upper limit, it's a practical limit.

16 MR. WALLIS: And I think your practical
17 limit must be including the distribution throughout
18 the bed or something, because it doesn't make sense.

19 MR. KROTIUK: No. Okay. What I -- okay,
20 let me explain to you how I did this. Okay? What I
21 did is that I took my two-volume model, looked at test
22 data. I had pressure versus velocity for NUKON cal
23 sil beds. I assumed a thickness for the saturated
24 control volume, and then assumed that the second
25 control volume was entirely fiber, and I did the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure drop calculations for varying thickness of
2 this saturated layer. And when I calculated a
3 thickness that matched the test data, and it matched
4 up fairly well. I included the plots in the NUREG,
5 that are these points that I plotted here.

6 MR. WALLIS: So it's very dependent upon
7 the model you're assuming. There's no direct
8 measurement.

9 MR. KROTIUK: There's no direct
10 measurement of this, no. I couldn't make direct
11 measurements. As I said earlier, if we made direct
12 measurements, then we wouldn't have cal sil masses.

13 MR. ABDEL-KHALIK: Now let's look at the
14 limiting case, where you have zero of cal sil. This
15 equation would predict a ratio between delta L-min and
16 delta L-initial of .007 something. Right?

17 MR. KROTIUK: That's if you --

18 MR. ABDEL-KHALIK: But shouldn't this
19 value, this number in front of the exponent be just
20 simply one divided by X for NUKON?

21 MR. KROTIUK: That's a good -- I didn't
22 think about that. Yes.

23 MR. ABDEL-KHALIK: I mean, isn't that
24 physically what's going on?

25 MR. KROTIUK: I have to think about that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Particles are filling the
2 voids.

3 MR. ABDEL-KHALIK: I mean, you don't have
4 any more cal sil in. Right? And what you're doing is
5 compressing the NUKON by itself. And if that is the
6 case, you're essentially turning it into a solid
7 layer. And if that's the case, the ratio is just one
8 over X.

9 CHAIRMAN BANERJEE: And the other extreme,
10 when you form only a cal sil bed, of course, you get
11 a weird answer.

12 MR. KROTIUK: Yes, you get a weird --

13 MR. WALLIS: You have this NUKON.

14 MR. KROTIUK: As I said, this I considered
15 the -- this is the hardest part of this derivation,
16 because all the rest of the parts, I had some
17 theoretical basis for it, maybe there was a little
18 empiricism in it or something. This one was
19 completely empirical --

20 MR. ABDEL-KHALIK: You have your metric
21 limits that you can apply.

22 MR. WALLIS: So can you tell me more what
23 this delta L-min, and delta L-initial mean here?

24 MR. KROTIUK: Okay. Let me go --

25 MR. WALLIS: I missed something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right. Let me go back here.

2 MR. WALLIS: What's delta L?

3 MR. KROTIUK: My delta L-min is this - I'm
4 sorry - let me give it to you. It's this thickness
5 right here. The delta L is the entire thickness.

6 MR. WALLIS: So I still don't understand
7 at all now. You're saying that you've got a little
8 layer of cal sil on top of a lot of fibers when this
9 ratio is .001?

10 MR. KROTIUK: That's correct.

11 MR. WALLIS: But it doesn't say anything
12 about how you saturate the fiber bed.

13 MR. KROTIUK: Okay. Because I'm not
14 trying to calculate how I saturate the fiber bed. I'm
15 saying I want to calculate a practical upper limit for
16 pressure drop.

17 MR. WALLIS: Well, that's all together
18 different. So you're saying what's the thickness of
19 this thin layer on top of the fiber layer?

20 MR. KROTIUK: That's right.

21 MR. WALLIS: It has nothing to do with --

22 CHAIRMAN BANERJEE: But it's more to -
23 the last one on the right seems to be --

24 MR. KROTIUK: This is a case that we
25 actually didn't test. This is a case where you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so much particles in the fiber that the particles
2 start collecting above the fiber bed.

3 CHAIRMAN BANERJEE: Isn't that more or
4 less like what you showed us in those micrographs?

5 MR. KROTIUK: No, because in those SEMs,
6 there were a mixture of cal sil and fibers, particles
7 and fibers.

8 CHAIRMAN BANERJEE: It looked almost like
9 you had a layer of cal sil, and then there was a
10 region of fibers plus cal sil.

11 MR. KROTIUK: Right.

12 CHAIRMAN BANERJEE: Rather than --

13 MR. KROTIUK: But it --

14 CHAIRMAN BANERJEE: It was more like on
15 the right, than that one. At least, if you go back to
16 the micrographs, so it looked like this was primarily
17 cal sil, and then on the left you had a mixture of cal
18 sil and fibers.

19 MR. KROTIUK: Well, one thing you could
20 say is this is primarily fibers, the amount of cal sil
21 is really small.

22 MR. WALLIS: Right.

23 MR. KROTIUK: And I could see fibers in
24 here, but you see the volumes. It's by volume, it was
25 59 percent. This was measured, 59 percent cal sil,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 6.5 percent NUKON.

2 MR. WALLIS: Was delta L-min the thickness
3 of that layer on the right?

4 MR. KROTIUK: I'm sorry, say again?

5 MR. WALLIS: This delta L-min, is that --

6 MR. KROTIUK: This is this layer.

7 MR. WALLIS: So you're not just talking
8 about the thickness ratio of the various layers?

9 MR. KROTIUK: Yes, well, it's - the
10 thickness ratio that I'm calculating is this over the
11 entire bed thickness.

12 MR. WALLIS: You're already assuming two
13 layers.

14 MR. KROTIUK: I'm assuming two layers,
15 right. I'm saying to do this calculation, I have to
16 have -- I'm assuming two layers.

17 MR. ABDEL-KHALIK: But like Dr. Banerjee
18 suggested, this corresponds to the last image on the
19 right, rather than the third image on the right.

20 CHAIRMAN BANERJEE: It's closer, anyway.

21 MR. ABDEL-KHALIK: Right. I mean, this is
22 like, you know, you have particles inside the voids
23 between the fibers.

24 MR. KROTIUK: Right.

25 MR. ABDEL-KHALIK: And then you squeeze on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, the particles come out because you can't keep too
2 many of them inside the fibers.

3 MR. KROTIUK: Right.

4 MR. ABDEL-KHALIK: And that's why you have
5 a layer of particles on top.

6 MR. WALLIS: Let's just follow from
7 geometry. If you put all the cal sil on top of the
8 fibers, you can figure out how thick the layer is.
9 You don't need any correlation at all.

10 MR. KROTIUK: You know, that's a valid
11 point.

12 CHAIRMAN BANERJEE: In one case you have
13 cal sil amongst the fibers, in the other case you have
14 fibers amongst the cal sil, more or less.

15 MR. KROTIUK: Yes. And I'm assuming for
16 that, that's it all fiber.

17 CHAIRMAN BANERJEE: Yes. So if you look
18 on the left, your volume fraction of the cal sil to
19 the NUKON is a factor --

20 MR. WALLIS: I think there's something
21 sort of circular here, is you have this thing which is
22 somewhat vague, this delta L-min, which you derived
23 from the test data, and then you used your correlation
24 to predict the test data, so this is a kind of mammoth
25 fudge factor, this exponential thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: In actuality it isn't,
2 because if I -- when I show you the results, it just
3 doesn't automatically calculate.

4 MR. WALLIS: Oh, okay.

5 MR. KROTIUK: But I like the comment that
6 was made, that to relate this -- I had a heck of a
7 time to try to come up with that, the value for the
8 delta L-min for this thickness here. And maybe I was
9 thinking too much, and I didn't think geometry. I
10 should have thought of that.

11 MR. WALLIS: So you say if there is a thin
12 bed, delta L-min is its thickness?

13 MR. KROTIUK: Correct.

14 CHAIRMAN BANERJEE: Go back to that,
15 again. There's something very weird about that,
16 because if you take the mass of cal sil over the mass
17 of NUKON, in that layer you showed us, which was 60
18 percent cal sil, and a little bit of NUKON, that's a
19 very large number.

20 MR. KROTIUK: That's by volume.

21 CHAIRMAN BANERJEE: Yes, but the volume
22 and mass are related by the density, which is still a
23 very large number.

24 MR. KROTIUK: Okay.

25 CHAIRMAN BANERJEE: So that becomes a huge

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number, it's also exponential. I just don't see that
2 it --

3 MR. WALLIS: It's a very strange --

4 MR. KROTIUK: And the thing is, I agree
5 with you, but it's --

6 CHAIRMAN BANERJEE: That ratio is in the
7 exponential?

8 MR. KROTIUK: Right.

9 CHAIRMAN BANERJEE: Wow.

10 MR. WALLIS: No, it's the total mass,
11 isn't it? The total mass in the bed is $M_{cal\ sil}$ over
12 M_{NUKON} , total mass in the bed, in the whole thing.

13 MR. KROTIUK: The total mass in the bed of
14 $M_{cal\ sil}$ --

15 CHAIRMAN BANERJEE: Oh, not in that layer.

16 MR. KROTIUK: Not in the layer. I'm
17 sorry.

18 MR. WALLIS: But this must be just
19 geometry, if your total mass in there, and you put it
20 on the surface, you know how much is there, too.

21 MR. KROTIUK: And I'm agreeing with you,
22 but at the time I was doing this, I was really
23 thinking of how to handle this, and that just didn't
24 dawn on me.

25 CHAIRMAN BANERJEE: Well, I think you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should take another look at this equation.

2 MR. KROTIUK: I put on the bottom here
3 that I -- this was my indication that I'm not
4 completely satisfied with this equation, but it's what
5 I could come up with.

6 CHAIRMAN BANERJEE: Well, the simplest
7 model is to have two separated layers. Right?

8 MR. KROTIUK: And I have two separate
9 layers.

10 MR. WALLIS: One is all NUKON, and one is
11 all cal sil. Just put the cal sil bed on top of the
12 NUKON bed.

13 CHAIRMAN BANERJEE: What difference does
14 it make?

15 MR. KROTIUK: That's an interesting
16 approach.

17 MR. WALLIS: Isn't that what you did?

18 CHAIRMAN BANERJEE: No, he didn't.

19 MR. KROTIUK: No, I didn't, I mixed it.

20 MR. WALLIS: One possible case is
21 presumably a cal sil bed on top of a NUKON bed. Then
22 you just have them in series, and then simple --

23 MR. KROTIUK: Then you have to --

24 CHAIRMAN BANERJEE: The series works?

25 MR. KROTIUK: Yes, but then you still have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have a way of calculating the thickness of the cal
2 sil portion.

3 CHAIRMAN BANERJEE: It's all cal sil.

4 MR. KROTIUK: Yes.

5 MR. WALLIS: It's all cal sil, it's all up
6 there.

7 MR. KROTIUK: Yes, but what thickness are
8 you going to assign to it?

9 MR. WALLIS: Isn't that effect obtainable
10 with all cal sil, or do you have to have the cal sil
11 within the NUKON matrix to get a thin bed effect? I
12 don't know. It's never been clear to me what a thin
13 bed effect is.

14 MR. KROTIUK: It was never clear to me.
15 I just --

16 CHAIRMAN BANERJEE: But first - I mean,
17 you are just trying to bound it. Right?

18 MR. KROTIUK: I'm trying to bound it.

19 CHAIRMAN BANERJEE: The lower bound is
20 like, it seems to me that if you completely separated
21 the bed and put all your cal sil in the impervious
22 layer, that's really the worst condition.

23 MR. KROTIUK: Yes. The problem that I
24 see, the practical problem, as I said, is to calculate
25 the thickness of that cal sil layer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: But you know how much cal sil
2 there is.

3 CHAIRMAN BANERJEE: You know that.

4 MR. KROTIUK: You know how much cal sil
5 that is, but you don't know the --

6 MR. WALLIS: The density of it?

7 MR. KROTIUK: You know the density of the
8 --

9 MR. WALLIS: You don't know it's Epsilon?

10 MR. KROTIUK: No, you don't know its
11 Epsilon. Right.

12 CHAIRMAN BANERJEE: But it seems easier to
13 estimate than this very --

14 MR. WALLIS: Take some cal sil and measure
15 it. I think it's --

16 CHAIRMAN BANERJEE: Yes, spray it on
17 something and see --

18 MR. WALLIS: I think it's fairly high. I
19 mean, it's 40 percent solid, or something.

20 CHAIRMAN BANERJEE: It's going to be --

21 MR. WALLIS: It's fairly dense stuff.

22 CHAIRMAN BANERJEE: I think that's what
23 Said was getting at when he said how thick was that
24 bed that you found?

25 MR. ABDEL-KHALIK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Well, in all honesty, just
2 I didn't do that calculation, so I --

3 CHAIRMAN BANERJEE: A few holes in it.

4 MR. KROTIUK: -- don't know what you would
5 come up with, but I'm wondering that if you did do
6 that calculation whether you would be coming up with
7 such a high pressure drop, that maybe it's not
8 practical.

9 MR. WALLIS: Well, I think it's not quite
10 as simple as that. I mean, you have this bed that's
11 being built up. What happens is you get maybe the
12 coarse particles first, and then you get finer
13 particles, and then the finer particles fill the holes
14 in that, and the finer finer particles fill the holes,
15 until eventually you apply everything. This is very
16 different from just shaking it up and measuring the
17 void fraction. There's a dynamic flow effect, which
18 is driving particles into the holes until they block
19 them, making a kind of check valve. There's a
20 plugging effect because of the flow, which wouldn't
21 occur if you just measure the void fraction.

22 CHAIRMAN BANERJEE: Well, but that's --
23 unfortunately, you couldn't get a pure cal sil bed,
24 so you got holes in it. But if you could have got a
25 pure cal sil bed, you have a measure of it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: That depends on how it's
2 formed.

3 CHAIRMAN BANERJEE: It matters, of course.
4 Though, if -- yes, if the fine particles pass through
5 it, eventually you --

6 MR. WALLIS: Well, think of it. I mean,
7 you have some -- a bed of rocks, and gravel, and clay,
8 and so on. Eventually, the clay fills in the holes.

9 MR. KROTIUK: I think the bottom line of
10 all this discussion is that this is something that I
11 recognize needs further thought, but this is the best
12 I could come with.

13 MR. WALLIS: I think we're very suspicious
14 of this.

15 MR. KROTIUK: Yes.

16 CHAIRMAN BANERJEE: It should at least go
17 to the right limits.

18 MR. GEIGER: I hear you, and --

19 MR. WALLIS: Especially that last digit,
20 too. I mean --

21 (Laughter.)

22 MR. KROTIUK: It's a curve fit. I don't
23 have any more to say about it, but that.

24 MR. KRESS: It seems to me like you ought
25 to get two linear curves out of that. As you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 filling in the fibers, you get one linear curve, and
2 then you completely fill in the fibers with the cal
3 sil, and you're just now putting it on the top, and
4 you ought to get another layer curve, so this looks
5 like to me the curve fit you had ought really be two
6 straight lines.

7 MR. ABDEL-KHALIK: But he's hanging his
8 entire hat on just one data point.

9 MR. KRESS: Yes, well that data point is -
10 one of these endpoints, maybe one of these endpoints
11 he's talking about, where you need to approach a lot
12 of endpoints.

13 MR. KROTIUK: I have no comment on that,
14 except that that's data that I had.

15 CHAIRMAN BANERJEE: Well, let's move on
16 and see where it gets to.

17 MR. KROTIUK: Okay. Now just some
18 comparisons between test data, and calculations.
19 These are the NUKON only tests, so I'll concentrate in
20 this area. And, basically, I'm going to show two
21 comparisons, this one, and this one in blue and
22 italics. And this curve, what I tried to do is to
23 come up with some sort of numerical quantifiable
24 number to say how good the correlation was with regard
25 to the test data. So I defined this parameter, delta

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 P prediction of minus delta P test data over delta P
2 test data. And I averaged it for all of the points,
3 and then I listed here a maximum and a minimum, so
4 this is indicative of how good the correlation was.

5 MR. WALLIS: There are no fudge factors in
6 here?

7 MR. KROTIUK: None whatsoever.

8 MR. WALLIS: Does the compression make a
9 difference? You have to have an N or something. Does
10 the compressibility make a difference?

11 MR. KROTIUK: That was in the 236. I
12 didn't present that, but I used the test data, which
13 I had test data that was basically measured thickness
14 versus pressure, and I used that to come up with --

15 MR. WALLIS: Used the measured thickness.

16 MR. KROTIUK: The measured thickness.

17 MR. WALLIS: Doesn't that make a
18 difference, is the pressure drop considerably higher
19 if you consider the compression or not? Does it make
20 much -- does it have much effect?

21 MR. KROTIUK: But if I use the --

22 MR. WALLIS: If you just ignore
23 compression, does it matter?

24 MR. KROTIUK: For the 236, for the value
25 of N?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: No, if you simply -- you have
2 a theory which says the bed compresses as the pressure
3 drop goes up, and this increases the pressure drop.

4 MR. KROTIUK: Right.

5 MR. WALLIS: You ignore that effect
6 completely and say the bed doesn't compress at all,
7 are you way off? Do you really have to consider that?

8 MR. KROTIUK: Yes, you do have to consider
9 it.

10 MR. WALLIS: And that's a significant --
11 so you have to get that right.

12 MR. KROTIUK: I wills how a comparison on
13 that.

14 MR. WALLIS: Okay.

15 MR. KROTIUK: I'm going to show a
16 comparison. I actually have a comparison of that.
17 Okay. So, as I said, this is not --

18 MR. WALLIS: Because that introduces a
19 non-linearity into the thing.

20 MR. KROTIUK: Right.

21 MR. WALLIS: As the pressure drop goes up,
22 the voids change, and so --

23 MR. KROTIUK: So, as I said, this is not
24 a ideal comparison, but it is a comparison to give you
25 an idea of how good it was. So let's look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first comparison, which is this one here. And this
2 was the NUKON bed, and it had .58 kilograms per meter
3 squared of NUKON, is that around 20 degrees C. This
4 is the test data, this is the one volume calculation.
5 And these are the value that I used, the 300,000 foot
6 to the minus one. Just for comparison, if I used the
7 NUREG/CR-6224 correlation, it came - this was the
8 result of the calculation.

9 MR. WALLIS: And if you use the NUREG S
10 value in your correlation --

11 MR. KROTIUK: Say again?

12 MR. WALLIS: You're using the NUREG
13 correlation here.

14 MR. KROTIUK: The NUREG correlation.

15 MR. WALLIS: And you're using your
16 correlation with your S value.

17 MR. KROTIUK: Right. This is the -- my
18 correlation, the one-volume model with 300,000.

19 MR. WALLIS: It looks to me if you use
20 171,000 in your correlation, you might come out about
21 right.

22 CHAIRMAN BANERJEE: Or you may come down
23 to the NUREG.

24 MR. KROTIUK: They come down, but
25 remember, I -- if you remember here, I have a fair

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of NUKON test data points, and I could use that
2 using the thickness as a function of velocity, and
3 delta P and all that, you could actually calculate of
4 S to be as specific surface area. And when I looked
5 at that, I was trying to do two things, get a number
6 that was matched to data fairly one, but also try to
7 give me a number that was at the upper limit to give
8 a conservative calculation. So you're right, in this
9 particular case, if I had like maybe that 171, I would
10 maybe match the data, but I'm saying, I'm using 300K
11 because that's what I want to use that will give me a
12 conservative value for all the data that has been
13 collected.

14 MR. ABDEL-KHALIK: Now which test series
15 does this point follow?

16 MR. KROTIUK: This is from test series 2.

17 MR. ABDEL-KHALIK: So it is not in this
18 table, in the table on the previous - or is it
19 somewhere in this table on page 42?

20 MR. KROTIUK: It should be there. Let's
21 see, 63313, it's right here.

22 MR. ABDEL-KHALIK: Which one?

23 MR. KROTIUK: This one right here.

24 MR. ABDEL-KHALIK: This one.

25 MR. KROTIUK: It's just that it's in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 italics.

2 MR. ABDEL-KHALIK: Okay. Now if you look
3 at this table, this entire series, this definition of
4 the ratio, the maximum value of the deviation,
5 fractional deviation was 1.88, and the minimum value
6 of the deviation was .664.

7 MR. KROTIUK: Right.

8 MR. ABDEL-KHALIK: Which means I guess the
9 predicted value should be off from the measurement at
10 least by 66 percent.

11 MR. KROTIUK: Yes, I --

12 MR. ABDEL-KHALIK: According to this
13 definition.

14 MR. KROTIUK: At a given data point, yes.

15 MR. ABDEL-KHALIK: Right. But that's not
16 what the graph shows. This is not a 66 percent
17 difference between data and prediction.

18 MR. WALLIS: It's fairly big though, isn't
19 it? When you say 66 percent --

20 CHAIRMAN BANERJEE: It's a log scale.

21 MR. ABDEL-KHALIK: No, it is not a log
22 scale.

23 MR. KROTIUK: That's not a log scale.

24 CHAIRMAN BANERJEE: Oh, it's not?

25 MR. WALLIS: When you say 66 percent, how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do you define that?

2 MR. ABDEL-KHALIK: Delta P.

3 MR. KROTIUK: The definition is up on the
4 top here.

5 MR. WALLIS: Over delta P data, or delta
6 P over delta P theory?

7 MR. KROTIUK: It's delta P prediction
8 minus delta P data over delta --

9 MR. ABDEL-KHALIK: Error divided by the
10 measurement.

11 MR. KROTIUK: Error divided --

12 CHAIRMAN BANERJEE: That's closer to 100
13 percent.

14 MR. WALLIS: It's close to 100 percent.

15 MR. ABDEL-KHALIK: Right. So, I mean, I
16 would have expected the prediction to be off from the
17 data by nearly a factor of 2, based on the values that
18 you've given in this table. But that's not the case
19 here.

20 MR. KROTIUK: Well, you have -- over here
21 it is. You have about a 2 from the data, and this is
22 --

23 MR. ABDEL-KHALIK: Oh, I'm sorry. I
24 misread this table. I misread this chart. Thank you.
25 Thank you. Sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Now let me go to the next
2 one, because this is the prediction and the data for
3 the bed thickness. Again, the data is in black, the
4 predicted bed thickness that I predicted is in this
5 red color.

6 MR. WALLIS: The data are the diamonds?

7 MR. KROTIUK: The data are the diamonds,
8 right. And I just tried to differentiate between the
9 first compression, and then the subsequent
10 compressions. So the key thing that I'm trying to
11 show here is that there is a variation in the bed
12 thickness as a function of velocity.

13 MR. WALLIS: What you should really do is
14 plot the bed thickness versus this pressure drop,
15 because that's part of the load on it, which is what
16 the theory says it is.

17 MR. KROTIUK: You know, velocity is
18 related to pressure drop, you know.

19 MR. WALLIS: Yes, but the equation you use
20 is the delta P to the N or something, and if you
21 actually plotted that, you could show the equation
22 itself has the right form.

23 MR. KROTIUK: Yes, okay. Let's see, did
24 I do that?

25 MR. WALLIS: Very sparse data, you really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need --

2 MR. KROTIUK: Well, this is only one test.
3 I mean, we had data for every single one of those
4 tests. Let's go to the next one.

5 MR. WALLIS: What do we conclude from
6 this?

7 MR. KROTIUK: Well, let me go to the next
8 before making a conclusion. This is the other NUKON
9 test, NUKON only test, and in this case, the test data
10 is in black. This is the one-volume model prediction.
11 And it's very close to the test data. And this is the
12 reason why I said I recommended using the 300,000
13 value, because this was one of the cases that told me
14 to use it, because the other one really, as you said,
15 should have a lower value, but I wanted to bound all
16 the data. Okay? And this is now the comparison of
17 the one-volume model thicknesses versus velocity, and
18 the data.

19 CHAIRMAN BANERJEE: Now here the thickness
20 is predicted to be more than the data.

21 MR. KROTIUK: Well, initially it's close,
22 but then there's differences here. Considering
23 everything, I think it's pretty close.

24 CHAIRMAN BANERJEE: It's not a bound that
25 you're doing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: For the thickness, no. I'm
2 trying to bound the pressure drop.

3 CHAIRMAN BANERJEE: So the two are
4 related. Right?

5 MR. KROTIUK: There is a relationship
6 between the two, yes.

7 CHAIRMAN BANERJEE: Let's see where you
8 go.

9 MR. KROTIUK: Okay. Next, wanted to --

10 CHAIRMAN BANERJEE: What happened to the
11 pressure in this case?

12 MR. KROTIUK: That's the pressure here.

13 CHAIRMAN BANERJEE: Oh, it's that one.
14 All right.

15 MR. KROTIUK: Okay. Now I'm just going to
16 show three cases, one, two, three, four NUKON cal sil
17 beds. Again, this is similar type of plot, as
18 indicated previously, where I'm trying to give some
19 numerical indication --

20 MR. WALLIS: Your maximum errors, you've
21 got the error is five times the data, or six times.

22 MR. KROTIUK: Yes.

23 MR. WALLIS: Or .03 of the data, or
24 something.

25 MR. KROTIUK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ABDEL-KHALIK: And I guess, you know,
2 you feel comfortable about it, because none of these
3 numbers is negative.

4 MR. KROTIUK: It's a --

5 MR. ABDEL-KHALIK: Not on the maximum end
6 of it.

7 MR. KROTIUK: Oh, on the maximum end.

8 MR. WALLIS: Very small on negative.
9 There are some negative --

10 CHAIRMAN BANERJEE: Well, they're
11 averages.

12 MR. KROTIUK: Yes.

13 CHAIRMAN BANERJEE: Well, there is one
14 maximum with a slight negative.

15 MR. KROTIUK: I'm going to show a plot
16 here for a negative case, this one I'm showing, so
17 you'll see that. Okay? And I have one for 1.5, a
18 minus .4, and a .2.

19 CHAIRMAN BANERJEE: What about that minus
20 .466?

21 MR. ABDEL-KHALIK: The next column.

22 CHAIRMAN BANERJEE: Yes.

23 MR. KROTIUK: I didn't plot that case.
24 It's in the report, the plots of all these cases are
25 in the NUREG. I just chose three cases to show here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Okay.

2 MR. ABDEL-KHALIK: Now the hand-out, two
3 columns above, two rows above that gives us minus
4 .695. Your slide doesn't show the negative sign, or
5 is it just a bad slide?

6 MR. WALLIS: It's a bad slide. Minus is
7 --

8 MR. ABDEL-KHALIK: One, two, three, four
9 rows from the bottom.

10 MR. KROTIUK: Four rows from the bottom,
11 minus .695, that should be -- gosh, I don't know what
12 - it's a bad --

13 MR. ABDEL-KHALIK: Okay.

14 MR. KROTIUK: What's on the hard copy is
15 correct.

16 MR. ABDEL-KHALIK: Okay.

17 MR. KROTIUK: Because I'm looking here and
18 I could see a minus .695. I haven't been looking
19 there.

20 MR. ABDEL-KHALIK: Okay.

21 MR. KROTIUK: I don't know what --

22 MR. WALLIS: I learned from this that you
23 have a hard time coming close to the data.

24 MR. KROTIUK: That's right. Now let's
25 look at the first case of comparison, that I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comparing. And in this case, the data is down here.
2 This is for a NUKON cal sil concentration of .6 for
3 the cal sil, .13 kilograms per meter squared for the
4 -- I'm sorry, .6 for the NUKON, and .13 kilogram meter
5 squared for the cal sil. Again, it's around 20
6 degrees C, and in this case, I am over-predicting the
7 test data, so my definition of --

8 MR. WALLIS: How did you do on the point
9 where they had 1,000 times the homogeneous value, the
10 extreme case in the small test loop, when they put in
11 the cal sil, and then they put in the NUKON.

12 MR. KROTIUK: Oh, I couldn't --

13 MR. WALLIS: They got stuff which was way
14 up there.

15 MR. KROTIUK: I could not do that
16 calculation.

17 MR. WALLIS: Miles up there.

18 MR. KROTIUK: Unfortunately, that
19 calculation could not be done, because I did not have
20 the masses of the NUKON and the cal sil in the bed.

21 MR. WALLIS: You didn't report them?

22 MR. KROTIUK: That was not measured.

23 MR. WALLIS: They measured what they put
24 in, but not --

25 MR. KROTIUK: They measured what they put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in, but not what was in the bed.

2 MR. WALLIS: Okay. So you could bound it
3 by assuming it's all in the bed.

4 MR. KROTIUK: I did not do that.

5 MR. WALLIS: I don't think you could
6 predict that very, very high value. It doesn't look
7 like it, because your two-volume model is never way up
8 there.

9 MR. KROTIUK: I did not do that
10 calculation.

11 CHAIRMAN BANERJEE: Strange, NUREG/CR-
12 6224, all this seems to be coming in lower in
13 prediction, and why is that?

14 MR. KROTIUK: One of the concerns that I
15 have is that when the NUREG 6224 was developed, it
16 always used in its calculations the mass of the debris
17 added to the loop. It never measured what was on the
18 debris bed.

19 MR. WALLIS: But then you'd expect that it
20 would be higher.

21 MR. KROTIUK: So that if you use the mass
22 data to the loop, it would raise the NUREG 6224
23 number.

24 MR. ABDEL-KHALIK: No, it would raise your
25 data by --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: It would raise my -- but my
2 model is developed on the mass of the bed, not what
3 was added to the loop. And for these curves, all
4 these curves, I'm using the mass in the debris bed.

5 MR. ABDEL-KHALIK: Oh, I see.

6 CHAIRMAN BANERJEE: Including the
7 NUREG/CR.

8 MR. KROTIUK: Including the NUREG/CR.

9 CHAIRMAN BANERJEE: Okay. That probably
10 explains it.

11 MR. KROTIUK: Yes. So that was developed
12 for mass added to the test loop for NUREG/CR.

13 CHAIRMAN BANERJEE: While we had our
14 objections to NUREG/CR, we didn't think it would be
15 that non-conservative. All right.

16 MR. KROTIUK: Okay? And the other thing
17 I just want to point out here, is if I use that
18 homogeneous one-volume model, it is at the lower limit
19 of the test data.

20 CHAIRMAN BANERJEE: What's the difference
21 between the homogeneous one-volume - I guess that's
22 the difference.

23 MR. KROTIUK: That's the difference.

24 CHAIRMAN BANERJEE: Yes. But if you now
25 use the total mass of the NUREG/CR, would it come up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the homogeneous one-volume calculation?

2 MR. KROTIUK: Yes. I actually did that
3 calculation, and it comes up - some of the -- I did it
4 for a number of them, and I don't remember for this
5 one particularly, but it came up slightly below, or
6 slightly above, but in the range of the one-volume
7 calculation.

8 CHAIRMAN BANERJEE: In the cases that you
9 don't have the mass on the --

10 MR. KROTIUK: Debris bed?

11 CHAIRMAN BANERJEE: -- debris bed, how
12 will you use your model?

13 MR. KROTIUK: You have -- to my mind, the
14 way you have to do that is that you have to develop a
15 way of estimating how much is in the debris bed.

16 CHAIRMAN BANERJEE: How will you do that?

17 MR. KROTIUK: Well, if I add -- if I have
18 a sump and I'm adding 1,000, whatever, hundreds of
19 pounds of debris in there, you can't -- is it
20 practical to assume that everything is on the screen?

21 CHAIRMAN BANERJEE: No, no, but in this
22 case you've got a horizontal screen.

23 MR. KROTIUK: Right.

24 CHAIRMAN BANERJEE: So everything which
25 doesn't pass through the screen and get taken away

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somewhere else, ends up on that screen.

2 MR. KROTIUK: Yes.

3 CHAIRMAN BANERJEE: So even then you see
4 quite a bit of mass missing. Right?

5 MR. KROTIUK: If I was trying to predict
6 something from the test loop setup, I would assume
7 that some high number, like 95 percent of the NUKON
8 reaches the screen, and some lower number, which I'd
9 have to look at the test data, some percentage of cal
10 sil would reach the screen, and be deposited there.
11 I mean, I would look at the test data and try to come
12 up with some way of predicting that.

13 MR. WALLIS: Doesn't the cal sil go on
14 being deposited forever? It keeps going around the
15 loop, and every time you get some more of it
16 deposited?

17 MR. KROTIUK: That's why in the test loop
18 we put in the bypass filtration system. It tried to
19 eliminate that.

20 MR. WALLIS: So in reality, you might as
21 well assume it's all there. Eventually, it's going to
22 get there.

23 MR. KROTIUK: Well, some of it --

24 CHAIRMAN BANERJEE: All of it that is
25 entrained.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes. Some of it, don't
2 forget, will pass through, also.

3 CHAIRMAN BANERJEE: Well, ultimately, it
4 won't. Right?

5 MR. WALLIS: I can't imagine it passing
6 through forever. Eventually it's going to take a path
7 where it gets stopped. It's going to go into a part
8 of the bed where it can't get through.

9 MR. KROTIUK: I don't know if I agree with
10 that totally, because I think that particles may start
11 moving through the bed, and eventually come out the
12 other end.

13 CHAIRMAN BANERJEE: But you didn't do an
14 experiment where you didn't remove the particles.

15 MR. TRAGONING: This is Rob Tragoning,
16 Office of Research. Yes, we -- some of the earliest
17 LANL tests, which there was -- which you all have
18 seen, and there were issues associated with those
19 tests, but some of the earliest thin bed effect tests
20 were run exactly that way, where they continued to
21 circulate the loop. And they showed exactly the
22 phenomena that you might expect, that initially, the
23 head loss build-up would be relatively small, but then
24 you could reach a state where your filtration
25 efficiency had increased due to the accumulation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 larger size particles within the fibrous bed, such
2 that it could trap some of the smaller ones. And then
3 you could get situations where the head loss would
4 elevate quite dramatically, and relatively quickly.
5 But, again, we recognized at the time that that was an
6 artifact of the fact that we were recirculating within
7 that loop multiple times. That's one of the reasons
8 within these tests that we wanted to run some tests
9 where we only had a single bypass of the fluid. There
10 were other tests that were done at PNNL where they did
11 do multiple recirculation, but it wasn't the lion's
12 share. And one of the things we wanted to realize is
13 we weren't trying to simulate resonance times within
14 these loops compared to what they would be like in an
15 actual plant environment, because resonance times
16 would be totally different.

17 CHAIRMAN BANERJEE: We're trying to
18 understand how to use your correlation relationships,
19 so should it be that given enough time, you have to
20 assume that all the cal sil which hasn't dropped out,
21 the live particles are going to be trapped on the
22 filters?

23 MR. KROTIUK: I don't think I could answer
24 that question right now. I have to think on that.

25 CHAIRMAN BANERJEE: Well, I mean, you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 long-term recirculation tests both at Los Alamos, and
2 at PNNL. Right?

3 MR. KROTIUK: We have fairly long
4 recirculation.

5 CHAIRMAN BANERJEE: Yes, without -- you
6 have some data without taking out the --

7 MR. KROTIUK: Without the bypass, yes.

8 CHAIRMAN BANERJEE: Okay. Now in that
9 situation, of course, because it's at least in the
10 PNNL, it's a vertical system, you would take out, I
11 mean, all the fluids passing through that. Right?
12 And there is no place to -- well, I suppose there are
13 places to deposit particles --

14 MR. KROTIUK: One of the things - Tom,
15 correct me if I'm wrong about this - I seem to
16 remember when we were running the NUKON cal sil tests,
17 when the cal sil was -- when we didn't use the
18 filtration, so it was basically the Series-1 tests,
19 that cal sil always seemed to pass through, and was
20 recirculating during the entire test. Do you remember
21 that?

22 CHAIRMAN BANERJEE: Forever?

23 MR. MICHENER: I can't recall exactly, but
24 I remember that it was very dramatic when it would
25 come through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Because I remember that blob
2 of cal sil.

3 MR. MICHENER: You'd see a cloud come
4 through.

5 MR. KROTIUK: You could physically see the
6 cloud.

7 MR. MICHENER: And then it would be clear
8 again, and then a little while here would come that
9 cloud again.

10 MR. KROTIUK: Yes, and it would
11 continually do it during the entire length of the
12 test.

13 CHAIRMAN BANERJEE: So it passed through
14 the bed and come out?

15 MR. KROTIUK: That's what I was saying, I
16 really think that a certain amount does pass through
17 the bed. Because I do remember seeing the burps of --

18 MR. MICHENER: We were convinced that you
19 had to filter, and that pretty much answers the
20 question there.

21 CHAIRMAN BANERJEE: So if you had to use
22 your model, what would you do about the mass that you
23 would assume to be on the filter?

24 MR. KROTIUK: Well, as I said, in the
25 NUKON, I would assume somewhere --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Almost all of it.

2 MR. KROTIUK: All of it, right.

3 CHAIRMAN BANERJEE: It doesn't drop off.

4 MR. KROTIUK: And cal sil, I looked at the
5 test data and see how much deposit would come up with
6 a number - some way to assume --

7 CHAIRMAN BANERJEE: Which test data? Is
8 the data --

9 MR. KROTIUK: All the test data.

10 CHAIRMAN BANERJEE: Do you have a
11 recommendation on that?

12 MR. KROTIUK: I have not thought about
13 that, so I don't know for the cal sil. And for the
14 NUKON it's kind of obvious, for the cal sil, it's --

15 CHAIRMAN BANERJEE: Well, let's assume for
16 the NUKON it's 100 percent.

17 MR. KROTIUK: Yes.

18 CHAIRMAN BANERJEE: Whatever is entrained
19 goes there, but what happens with the cal sil is more
20 tricky. Right?

21 MR. KROTIUK: Yes.

22 CHAIRMAN BANERJEE: Because these
23 experiments that were done were taking out the fine
24 particles, and the question then becomes, is there a
25 big difference between when you take out the fine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particles, and when you don't. You did some
2 experiments without taking them out.

3 MR. KROTIUK: Yes, we did.

4 MR. WALLIS: Presumably, the fine
5 particles have a different coefficient of everything
6 than the coarse ones. Different surface area, value
7 and everything.

8 CHAIRMAN BANERJEE: There's even the issue
9 as to whether your correlation numbers like 300,000
10 really work.

11 MR. KROTIUK: Right.

12 CHAIRMAN BANERJEE: Because if some fine
13 particles get trapped, as Graham said, they have a
14 higher surface area to volume ratio.

15 MR. KROTIUK: Well, I didn't think about
16 that, and I don't have an answer on that right now.

17 CHAIRMAN BANERJEE: Okay. Well, let's
18 continue with this.

19 MR. KROTIUK: This is for that test, the
20 NUKON cal sil test, this is the comparison of the data
21 which is in black, two-volume model prediction.

22 MR. WALLIS: Why doesn't NUREG always
23 predict higher starting volume? I mean, you ought to
24 know the velocity, the volume of the stuff when
25 there's no velocity. You ought to know that, and yet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they seem to be always off by a factor of 2 or
2 something.

3 CHAIRMAN BANERJEE: I guess it's the
4 artifact of what you assume is on the --

5 MR. KROTIUK: This is also -- you have to
6 look at the NUREG correlation and look at the
7 assumptions for densities, what they call theoretical
8 or mac density, you know, insulation --

9 MR. WALLIS: You have taken the stuff and
10 formed a bed, so presumably you've compressed it a bit
11 more than if you just drop it in there.

12 MR. KROTIUK: I don't feel that I should
13 in any way comment on the way that the NUREG is doing
14 its calculation. This is applying it

15 THE WITNESS:

16 CHAIRMAN BANERJEE: But you're not
17 applying it in the same way that they applied it.

18 MR. KROTIUK: The only difference --

19 CHAIRMAN BANERJEE: You take the total
20 mass.

21 MR. KROTIUK: That's the only difference.

22 CHAIRMAN BANERJEE: Well, that's a big
23 difference, though, isn't it?

24 MR. KROTIUK: Yes.

25 CHAIRMAN BANERJEE: I mean, if you took

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fraction of the -- what would happen if you took
2 the total mass?

3 MR. WALLIS: The velocity --

4 CHAIRMAN BANERJEE: Would it make it much
5 thicker, or what?

6 MR. WALLIS: The velocity you'd form the
7 bed.

8 CHAIRMAN BANERJEE: Yes.

9 MR. KROTIUK: Make it thicker.

10 MR. WALLIS: At what velocity do you form
11 the bed?

12 MR. KROTIUK: This is formed at .1 feet
13 per second.

14 MR. WALLIS: So you should have about the
15 same thickness as they do, as you do. You've already,
16 when you formed it, compressed down that green curve
17 to whatever the point is there. You're not going to
18 uncompress that to .6, you're going to go along at .3.
19 So how you form the bed makes a difference. What you
20 do here, if you form the bed at .01 or something, you
21 might well be up on the NUREG curve. Once you've got
22 this point --

23 MR. KROTIUK: There's other limitations.
24 I don't really feel I should comment on the NUREG.

25 CHAIRMAN BANERJEE: All right. So you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at .1, that's where your fixed point is. Right?

2 MR. KROTIUK: Right. That's my initial
3 thickness.

4 CHAIRMAN BANERJEE: Right.

5 MR. ABDEL-KHALIK: Does the fact that
6 your, in this particular case, the data and
7 predictions for the height are close, is that totally
8 fortuitous, or is that related to this sort of
9 exponential fit of height that you did earlier?

10 MR. KROTIUK: In actuality, I studied that
11 somewhat closely, and it's not related to that
12 exponential delta M height. It's more related to the
13 whole compressibility and expansion relations. And
14 the initial calculation of bed thickness.

15 MR. ABDEL-KHALIK: Because the model seems
16 to do better, I guess, for the two-volume in terms of
17 height for the two-volume model than the single layer
18 model.

19 MR. KROTIUK: I think you have to --

20 MR. ABDEL-KHALIK: And I was wondering --

21 MR. KROTIUK: I think you have to look at
22 all the --

23 MR. ABDEL-KHALIK: -- if that's just
24 artificial.

25 MR. KROTIUK: I think you have to look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all the plots, and it just happened - you can't make
2 that generalization without looking at all of them.
3 And, generally, I found that the match-up between the
4 test data and the predictions for the model for both
5 the NUKON and the NUKON cal sil tests --

6 MR. WALLIS: Well, can we look at some
7 more figures, and keep going here?

8 MR. KROTIUK: This is another case.

9 MR. WALLIS: Where the data are close to
10 the two-volume model.

11 MR. KROTIUK: And so this is, to my mind,
12 saying that this is now a practical upper limit.

13 MR. WALLIS: And that's what should be
14 used to be conservative?

15 MR. KROTIUK: Yes.

16 MR. WALLIS: And it's about 10 times what
17 NUREG/CR-6224 would predict, something like that?

18 MR. KROTIUK: Using the mass on the bed.

19 CHAIRMAN BANERJEE: I mean, how much mass
20 was -- what fraction of the cal sil was on the bed?

21 MR. KROTIUK: It's on top here. It's .243
22 NUKON, and .018 cal sil.

23 MR. WALLIS: There's not much cal sil.

24 CHAIRMAN BANERJEE: How much cal sil is
25 it? What fraction is it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: I have fraction - I'm trying
2 to do it in my head.

3 CHAIRMAN BANERJEE: Only 7 or 8 percent is
4 in the bed. If you then use the NUREG the way it was,
5 I mean, if you take all the cal sil and you bump it up
6 somewhere to the same region, right?

7 MR. KROTIUK: Quite possibly. I don't
8 remember this calculation, specifically.

9 MR. WALLIS: It seems strange that they've
10 got a tiny bit of cal sil, but if you put it in the
11 two-volume model, it has a very large effect on the
12 pressure drop.

13 MR. KROTIUK: Right, because --

14 MR. WALLIS: That's where your exponential
15 thing comes in, isn't it?

16 MR. KROTIUK: Actuality, this is down
17 pretty low on the curve towards the zero.

18 CHAIRMAN BANERJEE: Well, I guess that
19 reflects the physics. I mean, even if you --

20 MR. KROTIUK: You have a thin layer of cal
21 sil.

22 CHAIRMAN BANERJEE: Yes.

23 MR. KROTIUK: And then this is the
24 comparison of the bed thicknesses for that same test.
25 And then, finally, I wanted to show one that I didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get good match-up.

2 CHAIRMAN BANERJEE: That's the negative
3 one.

4 MR. KROTIUK: And the model was not
5 conservative, even. And there are, as you saw from
6 that table, there are a few of them. And in this
7 case, I'm under-predicting the test data.

8 CHAIRMAN BANERJEE: What fraction of the
9 cal sil here is on the - again, how much cal sil? It
10 could be that your measurement of the cal sil has
11 dropped.

12 MR. WALLIS: Yes, there's a tiny, tiny bit
13 of cal sil. We're down to .005.

14 CHAIRMAN BANERJEE: It could be that
15 that's not a very accurate measurement. Right?

16 MR. KROTIUK: We measured the values as
17 accurately as we could.

18 CHAIRMAN BANERJEE: Well, one thing could
19 be to look at the two-volume model in the context of
20 all the data, and see what fraction of the cal sil
21 must be there to be always conservative.

22 MR. KROTIUK: What I found out when I
23 looked at all the data is that the errors, the
24 greatest error existed for the thinnest of that delta
25 M max, the saturated thickness. And there seems to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a very strong dependency, so if you were down on that
2 curve, if you were closer to zero, a small error in
3 that saturated thickness could produce - a small
4 difference in the saturated thickness could produce a
5 big difference in the pressure drop; whereas, if
6 you're out at the other end, small error in the
7 calculated thickness would not affect things as
8 greatly.

9 CHAIRMAN BANERJEE: And conversely, if you
10 just say a small error in the cal sil measurement,
11 because these are all measured values by difference.
12 Right?

13 MR. KROTIUK: Right.

14 CHAIRMAN BANERJEE: How sensitive are the
15 results to that? You could be off by easily 100
16 percent on your cal sil measurement.

17 MR. KROTIUK: You know, that's a good -- I
18 didn't look at that, because on the measurements for
19 the NUKON and the cal sil, when everything was
20 measured, we did have a plus or minus on it, and I
21 took the medium value to do all these calculations.
22 But in retrospect, I should have looked at some of the
23 extremes to see if that could explain --

24 CHAIRMAN BANERJEE: Well, you're getting
25 the cal sil by difference, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right. Yes. But, I mean,
2 PNNL did a whole statistical study to come up with the
3 probability, the accuracy of those measurements, so I
4 have - for all the numbers, I do have plus or minus
5 values.

6 CHAIRMAN BANERJEE: Typically, what is the
7 error on this, this very small number here?

8 MR. KROTIUK: You know, I don't --

9 MR. MICHENER: It seems like this was one
10 of the areas that we thought we could improve on.

11 MR. KROTIUK: Yes.

12 CHAIRMAN BANERJEE: Because it goes
13 through your whole analysis. Right? I mean, in a
14 way, you go through the uncertainty analysis, it would
15 be interesting to see how it is affecting these
16 numbers.

17 MR. KROTIUK: I just didn't do the
18 calculations. It would have been interesting.

19 CHAIRMAN BANERJEE: Is this project
20 finished right now? What's the status?

21 MR. KROTIUK: When I finish this
22 presentation today, it's finished.

23 MR. WALLIS: So you aren't going to work
24 on it any more?

25 MR. KROTIUK: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Now how is this going
2 to be used?

3 MR. KROTIUK: I can't address that.
4 Someone from NRR would have to address it.

5 CHAIRMAN BANERJEE: NRR needs some more
6 analysis done, or some follow-up work in order to make
7 this stuff applicable.

8 MR. WALLIS: It doesn't apply to a real
9 thing. I mean, this is applied to a bed which is
10 uniform, and horizontal, and everything. It doesn't
11 apply to the typical screens that are actually used in
12 a sump. It may give them some clue about things to
13 look for, but they're going to use industrial data.
14 I would be very surprised if they use this --

15 CHAIRMAN BANERJEE: At one point you have
16 NUREG/CR-6224 was what was planned to be used. Right?

17 MR. LEHNING: This is John Lehning in NRR.
18 And as you said, I guess in the safety evaluation that
19 we wrote on the NEI guidance report for doing those
20 sump designs, we requested that licensees do testing,
21 rather than use the 6224 data, in light of some of the
22 points that were raised about that correlation. And
23 we did, and I guess in that paper, I think Mike Scott
24 handed out to you all earlier, we did talk a little
25 bit about their intended regulatory usage of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correlation. And as Dr. Wallis suggested, that in
2 part due to some of the data limitations, that just -
3 the only data that we had, this new correlation for it
4 is NUKON and cal sil, and some of the other
5 differences with the geometries and things like that.
6 We were going to probably rely on testing, and showing
7 the typicality and prototypicality of those tests.

8 MR. WALLIS: It does support your not
9 using the 6224, because some of these data are quite
10 a long way from that, so it may support that decision
11 that you made.

12 MR. LEHNING: I guess, there are different
13 parameters that can be put into that 6224 correlation.
14 Some of the things with the density, as opposed to
15 when you have blended fiber, as opposed to as-
16 fabricated, and some of the other things out there.
17 But, again, I would agree with that, that some of the
18 things that you can clearly see that the 6224 would
19 under-predict that.

20 MR. WALLIS: Can we move on to the
21 temperature effects?

22 MR. KROTIUK: Yes.

23 MR. ABDEL-KHALIK: Just one more question.
24 Of the 150 or so experiments that you ran, what is the
25 fraction of those experiments in which the model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under-predicts the data? I can't tell by max, min,
2 and average. I can't tell by that.

3 MR. KROTIUK: I knew that number off-hand,
4 and I've forgotten it. I forgot the answer to that,
5 but I do remember that it was maybe something, 30, 40
6 percent. Something - I don't - don't hold me to the
7 exact number, but it was a measurable amount. I just
8 don't remember.

9 MR. WALLIS: This is when you use the two
10 layers.

11 MR. KROTIUK: Two layers, right.

12 MR. ABDEL-KHALIK: Well, either way, I
13 guess.

14 MR. KROTIUK: No, for the NUKON, it was --
15 for the NUKON only, the correlation is fine. That
16 was for the NUKON cal sil.

17 MR. WALLIS: The two layers, which is the
18 worst case you can think of, under-predicts the data,
19 then something else is happening.

20 CHAIRMAN BANERJEE: And it's not the worst
21 two layer model. The worst two layer model would be
22 all cal sil.

23 MR. WALLIS: He's got that weird
24 exponential thing. We don't know if that's worse or
25 better than all cal sil.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: That's true.

2 MR. WALLIS: Can we look at the
3 temperature sensitivity, because that sort of shows
4 that you're not always --

5 MR. KROTIUK: Now this is for the NUKON
6 only tests, and it's for the three - this is for the
7 plot facsimile that I had before, and this shows, for
8 instance, at 22-1/2 - about 20 degrees C, the
9 calculation is up here, the data is down here. At 55,
10 the calculation of data are about the same, and at
11 around 80 degrees, the calculation is above the data.

12 MR. WALLIS: Then the next figure is --

13 MR. KROTIUK: Yes, so this is for the
14 NUKON only. The NUKON only basically always gave this
15 type of result.

16 MR. ABDEL-KHALIK: So temperature
17 manifests itself in this model through viscosity?

18 MR. KROTIUK: Yes.

19 MR. ABDEL-KHALIK: That's the only place
20 where it comes in.

21 MR. KROTIUK: That's the primary -- yes.
22 I mean, we postulated that there could be some other
23 effects, like possibly the NUKON becoming more
24 flexible, and --

25 MR. ABDEL-KHALIK: No, I'm thinking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the model, the prediction --

2 MR. KROTIUK: Yes, for the model --

3 MR. ABDEL-KHALIK: It only comes in
4 through viscosity.

5 MR. KROTIUK: Okay. Now this is for a
6 NUKON cal sil case, showing the comparisons. This is
7 the data -- this is the one that I showed that -
8 previously on the previous one, where the calculation
9 was actually below test data. But then we went up to
10 55 degrees or so, the calculation and the test data --

11 MR. WALLIS: It's weird that the
12 calculation is -- I mean, the trend with viscosity is
13 okay for the data, but not for the calculation.

14 MR. KROTIUK: This is NUKON cal sil, so
15 that's why I said before, that the trend for NUKON
16 only was directly related to the viscosity. For the
17 NUKON cal sil, there's other stuff there.

18 MR. WALLIS: Other stuff besides
19 viscosity?

20 MR. KROTIUK: Well, there's other
21 considerations.

22 MR. WALLIS: Such as?

23 MR. KROTIUK: Such as possibly
24 redistribution of material.

25 MR. WALLIS: But your calculation should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a consistent trend.

2 MR. KROTIUK: Yes, but if you remember,
3 this was one of the -- this could be one of the cases
4 where the model is under-predicting the data. I said
5 that there was --

6 MR. WALLIS: AT least a trend should be
7 there, the calculation should show increasing pressure
8 drop with increasing viscosity, and it doesn't.

9 MR. KROTIUK: Yes.

10 MR. WALLIS: It's strange.

11 MR. KROTIUK: Yes.

12 MR. MICHENER: Tom Michener from PNNL.
13 This is the one that's the strangest here, the 20
14 degree one, that's one of the cases where the cal sil
15 was measured very, very low, so that may be --

16 MR. WALLIS: Or it's something else. It's
17 not just the temperature.

18 MR. MICHENER: So I point that out, that
19 is that one.

20 MR. WALLIS: Not just the temperature
21 effect.

22 MR. KROTIUK: Then, finally, this is for
23 --

24 MR. WALLIS: That's also very reassuring,
25 isn't it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: This was the case where we
2 had the measurement show that the -- the data showed
3 that the delta P measurement for the higher
4 temperature was actually higher for the lower than
5 temperature, which is -- whereas, the calculation is
6 showing that --

7 MR. WALLIS: So can we look at the
8 conclusions, and then see where we are?

9 MR. KROTIUK: Okay. As I said, for the
10 one-volume homogeneous model, I did comparisons, and
11 they are in the NUREG for PNNL, ANL, and LANL tests.
12 They were all, the comparisons are all in there. And
13 generally for the NUKON only tests, the model does
14 predict conservative results for all the NUKON only
15 tests. For the NUKON cal sil test, it generally
16 predicts - not generally, it always predicted pressure
17 drops that were at or below the measurements.

18 MR. WALLIS: Always?

19 MR. KROTIUK: For the data, for the
20 comparisons of the --

21 MR. ABDEL-KHALIK: This is the one-volume.

22 MR. WALLIS: One-volume.

23 MR. KROTIUK: One-volume, right. For the
24 two-volume model, the model gave good comparative or
25 conservatively higher results for all the tests where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the cal sil saturation thickness was thicker relative
2 to the entire bed. When the calculated thickness, or
3 the saturation thickness was small, as I said, the
4 small inaccuracies in that calculated thickness could
5 result in large differences in calculation of pressure
6 drop, so there could have been - there could be little
7 differences between the measurements and the
8 predictions. And as I said before, that calculation
9 of that saturation or upper limit thickness is really
10 the thing that I feel could do with some improvement.

11 CHAIRMAN BANERJEE: Is it necessary to --
12 I mean, couldn't you just bound it by separating the
13 two layers?

14 MR. KROTIUK: That's a thought, and I
15 didn't do that calculation, so I don't know. I may
16 try that just out of curiosity.

17 MR. WALLIS: You wouldn't need any
18 exponential stuff.

19 MR. KROTIUK: Right. I'm curious to see
20 what happens with that.

21 MR. WALLIS: It's a very simple thing to
22 do.

23 MR. KROTIUK: Yes.

24 MR. WALLIS: I mean you could say that
25 always bounds everything. It might be a candidate for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a conservative analysis.

2 MR. KROTIUK: Well, I'll take a look at
3 that.

4 MR. WALLIS: It seems to me that you have
5 allowed now a new degree of freedom, which says you
6 can have homogeneous layers. And since you put in a
7 new degree of freedom, you'd expect to be able to
8 predict data better because you've got a new degree of
9 freedom to fit things, and so on. Which is probably
10 something like reality, there probably are two layers,
11 or there's a gradient of cal sil or something, so you
12 put in some reasonable physics that catches some of
13 the major things going on. I think this has got a way
14 to go before it's a predictive tool.

15 CHAIRMAN BANERJEE: In any case, it would
16 have to be married to some sort of a CSD tool, to
17 estimate locally what the concentrations are, what has
18 dropped out and what hasn't. Otherwise, how would --

19 MR. KROTIUK: I don't know if you really
20 want to do that. I mean, my approach to this was
21 trying to develop something that would be upper and
22 lower limits. Do you really need to know --

23 MR. WALLIS: But you don't do that. You
24 want to predict that the whole screen is covered with
25 a thin layer of cal sil. That's terrible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: That would be -- I
2 mean, the practical problems are often, as you know,
3 that you have multiple top hats or something behind
4 each other, so maybe the first few of them pick up a
5 lot of it, and then some of the later ones don't have
6 some. It's hard to -- I don't know what NRR's
7 intentions are, but it's very hard to see how industry
8 can do tests to cover all these eventualities without
9 some sort of a tool to interpret these experiments and
10 bring them to full scale. I mean, it would be nice to
11 be enlightened at one point about that.

12 MR. KROTIUK: Right. And just the final
13 conclusion, is that the bed thickness predictions, in
14 my opinion, were pretty close at least to trending for
15 all the cases modeled, and that the -- generally, the
16 method, calculation method predict higher pressure
17 drops at the lower temperatures, which is consistent
18 with the classical theory. However, it could be -
19 when compared to test data, it could be affected by
20 various things, flows, temperatures that affect
21 distribution of material in the bed.

22 CHAIRMAN BANERJEE: Is that it?

23 MR. KROTIUK: That's it.

24 CHAIRMAN BANERJEE: Thank you. I think we
25 kept you for a long time, but if there are some more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions - anybody wants to --

2 MR. XIAO: Dr. Banerjee, if I may - Tony
3 Xiao from Research. I want to thank you for this
4 opportunity to come in front of your committee to
5 basically do a wrap-up of the several of the projects
6 you may not have heard before. Earlier this - we want
7 to thank you for your input, as well. You provided
8 some recommendations and questions that made us go
9 back to rethink, and maybe things we could do better,
10 that we should do better.

11 I just want to assure you that we are not
12 closing shop from this point on. We will continue to
13 closely work with the NRR staff, and industry, and our
14 staff will monitor industry's input and how they
15 implement methods to resolve the GSI-191 issue at
16 their plants. If necessary, we'll get into agreement
17 with NRR, we'll do some more very defined, small-scale
18 research in the future, if necessary.

19 As far as for the scheduled next week's
20 full committee, at this moment, I don't see we have
21 new information between now and then to come in front
22 of the full committee, so I ask your decision for the
23 full committee, whether we will have to come back and
24 brief the full committee on the same topic, using
25 pretty much the same material. But certainly, if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do come back, we will take today's lessons learned and
2 try to prepare better, and answer some of the
3 questions, if possible. But, by and large, we will
4 not have new information between now and then, and we
5 are not asking the committee to provide a letter to us
6 at this time.

7 MR. WALLIS: So you would be -- this is
8 more of an informative thing where you tell the
9 committee what's been going on, but you're not ready
10 for a letter.

11 MR. XIAO: Right, we're not asking the
12 committee.

13 CHAIRMAN BANERJEE: Is this an item on the
14 committee's agenda?

15 MR. CARUSO: Yes, it is.

16 MR. WALLIS: So we have to do it.

17 CHAIRMAN BANERJEE: How much time do you
18 have?

19 MR. CARUSO: I don't have it here. I
20 would say I think two hours.

21 MR. WALLIS: Two hours?

22 MR. CARUSO: I think this is a two-hour
23 item.

24 CHAIRMAN BANERJEE: And at the moment,
25 they're not asking for any response, it's only for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information.

2 MR. CARUSO: It's up to us.

3 CHAIRMAN BANERJEE: Yes, up to us. Now
4 the second thing is, there is some plans for -- thank
5 you, Dr. Krotiuk. I didn't mean to leave you sitting
6 there.

7 MR. KROTIUK: Yes, I was going to leave.

8 CHAIRMAN BANERJEE: Yes, it was very
9 helpful.

10 MR. WALLIS: Don't go away.

11 MR. KROTIUK: Okay.

12 CHAIRMAN BANERJEE: Even though it's 5:00.

13 MR. KROTIUK: Okay.

14 CHAIRMAN BANERJEE: Is there plans for NRR
15 to come to the committee or the subcommittee?

16 MR. CARUSO: There are some plans,
17 tentative plans to have NRR come to talk to the
18 subcommittee in late May.

19 CHAIRMAN BANERJEE: Okay.

20 MR. SCOTT: And we have - Mike Scott, NRR.
21 We have a number of subjects that we'd be interested
22 in talking to you about. For example, we will have
23 done several audits by then, we can come in and talk
24 about that. And we are also making plans for the
25 generic letter response reviews, we can talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Maybe that would be of limited interest to you.
2 We may by May have some indications of the testing
3 that's planned and ongoing by the industry. As I
4 mentioned earlier, there's one utility, at least,
5 that's finished their chemical testing, so hopefully
6 by May, there will be several, so we can come in and
7 tell you what we know at that point about what's going
8 on with the testing.

9 We'll also be able to talk to you about
10 progress on the downstream effects ex-vessel topical
11 report, so there's several things that we'll be ready
12 to talk to you about, at least give you a progress
13 report on then.

14 CHAIRMAN BANERJEE: Would you want to
15 come, I guess, in front of the subcommittee,
16 initially, and then in front of the full committee?

17 MR. SCOTT: I think that was the idea. I
18 think Ralph and I went back and forth about a date.
19 He said late May, I think my preference was middle.

20 MR. CARUSO: Middle May.

21 MR. SCOTT: Middle May, yes. I'm going to
22 be out the last week in May.

23 CHAIRMAN BANERJEE: All right.

24 MR. WALLIS: Well, in front of the full
25 committee, what are you going to say? It seems to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have to make some key decisions. One is, whether
2 you're only going to discuss new material, because
3 they have heard lots of this before, or whether you're
4 going to also take a look at what you've learned from
5 all of these tests, which are in these NUREGs that are
6 coming out, and make some sort of summary of what's
7 the state-of-the-art that you've established, that you
8 didn't do today.

9 CHAIRMAN BANERJEE: I guess what -- if I
10 heard Mike correctly, he was saying that you have some
11 results of audits, and some of the industry efforts,
12 and programs --

13 MR. WALLIS: But NRR isn't on our program,
14 are they?

15 CHAIRMAN BANERJEE: In May, I'm saying.
16 I'm talking about the May and June meeting.

17 MR. WALLIS: Oh, you're talking about May.

18 MR. SCOTT: Okay. Yes, I was --

19 CHAIRMAN BANERJEE: Talking about the May
20 meeting really right now. So for next week's meeting,
21 all we can do is discuss what was done today.

22 MR. WALLIS: Is that right?

23 CHAIRMAN BANERJEE: We had two different
24 things.

25 CHAIRMAN BANERJEE: But is that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worthwhile use of the full committee time, to listen
2 to this story that we heard today?

3 MR. CARUSO: Unfortunately, you're stuck,
4 because the agenda has been published.

5 CHAIRMAN BANERJEE: I think the
6 information would be useful, because when that is --
7 the information in May would be added.

8 MR. WALLIS: Well, you could certainly
9 talk about the peer review.

10 MR. XIAO: We look to your direction. If
11 you feel the full committee would benefit from
12 hearing a condensed version, and we'll focus on the
13 peer review, we will do that, so I'm just asking
14 whether you think it's necessary for us to come back
15 to do it again in a condensed version next week.

16 MR. WALLIS: You don't want to come back
17 next week at all?

18 MR. XIAO: If you ask us to, we will.

19 MR. WALLIS: Well, I think Ralph is saying
20 you're on the agenda. There's a performance by you
21 scheduled, and it's been advertised, and you've got to
22 show up.

23 MR. KRESS: You pretty much have to.

24 CHAIRMAN BANERJEE: You have to.

25 MR. XIAO: I thought maybe you can send

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out an agenda change, if you feel it's not --

2 MR. KRESS: It's too late.

3 MR. XIAO: -- it will not benefit.

4 MR. KRESS: Even when we change it, we
5 have to advertise them in the Federal Register.

6 MR. CARUSO: The only thing we can do is
7 just have a big hole, go off and have a smoke.

8 MR. WALLIS: We had that before, we have
9 sometimes had that, but very exceptionally.

10 CHAIRMAN BANERJEE: Well, I think we
11 should assume for the time being that there will be a
12 presentation, and get ideas from the subcommittee as
13 to --

14 MR. WALLIS: To fill an hour?

15 CHAIRMAN BANERJEE: Well, I think how -
16 I'm sure it will fill more than an hour, but how best
17 to present the information so that we have the most
18 usefulness, so maybe we could start with Tom, and ask
19 him.

20 MR. KRESS: Well, I think I would focus on
21 the peer review, because it's new, and the rest of the
22 committee haven't heard it. As far as this discussion
23 on the modeling and comparison of the data, it's all
24 very interesting, but I don't think we have time for
25 that, and it's - I don't think I would get into it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think I'd just focus on the peer review.

2 CHAIRMAN BANERJEE: What about you,
3 Graham?

4 MR. WALLIS: Well, I think that maybe they
5 could hear about what's new, rather than - although I
6 would kind of like a perspective on what we've learned
7 from the entire program, since you're wrapping up all
8 this research, and you might sort of - but I don't
9 think you're ready to do that, so what did we learn
10 from all this work we've done?

11 Peer review I would think could take maybe
12 60 percent of the time or something, but then you've
13 got to do it right. I mean, you've got to give an
14 honest assessment of all these criticisms you've
15 gotten so the 50 or so recommendations, and how you're
16 going to respond to all that, I think you've got a lot
17 of work to do to put together a presentation along
18 those lines, because that's not really what we heard
19 today.

20 MR. XIAO: Correct.

21 MR. WALLIS: I do think it's worth
22 mentioning that there has been this new work on the
23 Westinghouse surrogate. I mean, that struck me as
24 being something that was important.

25 MR. KRESS: Yes, that's important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Realize that this stuff could
2 really clog screens probably more effectively than
3 some of the things that Argonne has been using.

4 CHAIRMAN BANERJEE: Well, equally, let's
5 say.

6 MR. WALLIS: Well, it looked as if it was
7 maybe even more effective, but I think some summary of
8 that. And I wouldn't say nothing about the modeling
9 effort. I think you could say that there's been this
10 modeling effort. This is roughly - sketch out very
11 briefly how it's being done, and show that it
12 sometimes work, and it sometimes doesn't work, and
13 probably conclude that it's not a tool which is ready
14 for use.

15 MR. KRESS: They could show that slide
16 with the four different --

17 MR. WALLIS: There are probably about five
18 or six slides showing, here's the basis of the model,
19 here is where it works, here's where it doesn't work,
20 here's some of the anomalies, and I think you're going
21 to conclude, probably, that it's not something that
22 you can use, but you've learned a few things
23 qualitatively, which might be useful for NRR in
24 deciding their RAIs and so on.

25 MR. XIAO: Okay. If that's what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prefer, we will come back and use next --

2 CHAIRMAN BANERJEE: Let's hear from Said.

3 MR. ABDEL-KHALIK: I would concur fully
4 with what Dr. Wallis has said, particularly with
5 regard to the peer review. I think a rehash of what
6 was presented today would be not very useful.

7 MR. XIAO: I understand.

8 MR. ABDEL-KHALIK: I think a much more
9 thoughtful assessment of the comments and
10 recommendations made by the peer review, and how you
11 plan to address those comments, and the rationale for
12 your decision as to how you're going to address those
13 comments would be much more valuable. As far as the
14 other two items, I fully agree with what Dr. Wallis
15 has said.

16 CHAIRMAN BANERJEE: And do you feel, Tom,
17 that it would be important to present a very brief
18 outline of the surrogate experiments?

19 MR. KRESS: Oh, yes. I really think
20 that's very important.

21 CHAIRMAN BANERJEE: So I think then you
22 have our feelings fairly clearly. The only thing is
23 --

24 MR. WALLIS: We don't know what you think.

25 CHAIRMAN BANERJEE: Well, I probably said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what I thought. But you've got two hours, let's say,
2 so you would want to organize things so that roughly
3 60 to 70 percent of that time is taken up with
4 analysis of the peer review and what actions and
5 responses you have. And then the rest with the
6 surrogate experiments, and maybe just an outline of
7 the work you've done with the correlations. I think
8 that's valuable, even if it's not immediately
9 applicable. It's indicated some thoughts about
10 separating these into two layers, and get a much
11 better correlation with that, so I think that's
12 useful. But you want to keep it short.

13 MR. XIAO: Yes. I saw Bill, as you were
14 talking, as the other members are talking, I saw Bill
15 jotting down his notes, so I'm glad he's still here to
16 hear it from you again to emphasize that. We will --

17 CHAIRMAN BANERJEE: Fifty-nine slides,
18 four or five. Right?

19 MR. XIAO: Okay. We'll be limited to four
20 or five slides. And I also heard, very clear to me --

21
22 MR. WALLIS: Back-up slides, have some
23 back-up slides, because it may well be that you're
24 going to get a lot of discussion and questions which
25 could be answered by a suitable back-up slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. XIAO: We'll prepare those, as well.
2 We'll concentrate 60 to 70 percent on peer review.

3 MR. WALLIS: Very short, perhaps have a
4 lot of substance that you can turn to if you need it.

5 MR. XIAO: Okay. We'll focus on peer
6 review as to how we're going to address them, the
7 rationale behind --

8 MR. WALLIS: Have you made up your mind?
9 Now are you going to in a week decide how you're going
10 to respond to the --

11 MR. XIAO: It's going to be a challenge,
12 but it's a challenge going in front of the committee
13 at any time, so we'll take that challenge and do
14 better. I know we'll do better, how much better to
15 your full satisfaction, we'll try.

16 MR. WALLIS: Because if you don't do it,
17 then I may be tempted to quote from the peer review
18 and say okay, here's a statement, how are you going to
19 respond?

20 MR. XIAO: We'll try to prepare better so
21 you don't have to quote.

22 MR. TRAGONING: Yes, but just to be
23 realistic here, it's a relatively short time. I
24 wouldn't expect disposition of the peer review
25 comments between now and then. I think we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly indicate path forward. Another thing that
2 we can certainly do in this area is to prioritize and
3 highlight some of the ones that the peer reviewers
4 themselves thought were particularly important, and we
5 have information to do that.

6 We can present some strategies for moving
7 forward, but we may - and some of them, we may
8 actually have a disposition, but I would say, by and
9 large, we probably won't have that, most of that
10 information in terms of the exact disposition of
11 comment A, B, C, D by the next week or two.

12 CHAIRMAN BANERJEE: If you can get help
13 from the PIRT to order your thinking, and present it
14 in that form, that would be very useful.

15 MR. TRAGONING: Yes, and that's the plan.
16 We're going to inform the slides by the PIRT process,
17 and be able to, again, a little bit more
18 systematically present issues that percolated up in
19 the PIRT, as well.

20 CHAIRMAN BANERJEE: Okay.

21 MR. XIAO: We look forward to coming back
22 next week.

23 CHAIRMAN BANERJEE: All right. Thank you,
24 then. Do we have any more discussions?

25 MR. KRESS: Well, we probably ought to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have comments on what we've heard so far.

2 CHAIRMAN BANERJEE: Okay. So if you want
3 to say, say it.

4 MR. KRESS: Okay. Well, all in all, the
5 --I thought it was a pretty good wrap-up. One thing
6 that bothers me is I'm disappointed that we haven't
7 made more use of chemical equilibrium models. I was
8 under the impression that you should be able to bound
9 the kinetics effects with these, and I haven't seen
10 any evidence of that, so that's one problem I have.

11 I still think there's a need for an
12 overall integral predictive model which would include
13 these chemical equilibrium. And I think that should
14 be the reason for doing additional research, to pull
15 that together, and I think it will be needed, as
16 confirmatory to their judgments they're passing on the
17 adequacy of the plant-specific tests. That's where I
18 think it's going to be needed.

19 I think the peer reviewers did a good job,
20 and I agree that there's a real need to respond to
21 each and every one of their comments, not necessarily
22 to agree with them, but to respond to them.

23 I thought the modeling approach was
24 interesting and promising, that I still consider a bit
25 of a work in progress. I think the curve exponential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relating the percent cal thickness to the percent cal
2 mass needs a little rethinking. And I think you need
3 to figure out, like Sanjoy said, how to apply this to
4 real screens that may fill up in a non-uniform manner,
5 so you need - I mean, you don't just have a screen
6 with two layers on it, you have lots of strains with
7 different relations to these through it. And so, I
8 think there's a need to apply it to the real world.
9 Other than that, I thought it was a pretty good day.

10 MR. WALLIS: What I miss is some
11 leadership for all this research. I see a lot of
12 projects which are sort of not complete, and they've
13 discovered some things, and other things haven't been,
14 and so on. I would like to have someone knowledgeable,
15 and that's really what a manager should be able to do,
16 a technical manager should say these are the things we
17 have established by this research, and these are
18 things which we need to do, or what somebody needs to
19 do, and so put the whole thing in some kind of
20 technical perspective, and I really miss that. I
21 mean, someone who's here who's on track, who's going
22 to put the work in the best light, and so on.

23 And then the peer reviewers do some of
24 this. They actually point to this here, well, this
25 misses this and so on. I don't see a sort of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technical management perspective, where someone who's
2 in charge of this whole effort, the NRC in a technical
3 way, knows what's been achieved, and what hasn't been
4 achieved, and whether or not it's met some objectives,
5 or whether some other objectives have been neglected,
6 and all that. That's something I really miss, and I
7 don't think I'm going to get it, but I would really
8 like to. Then I'd feel really competent that somebody
9 here knew what was going on technically with this
10 issue.

11 MR. SCOTT: If I can interject one point -
12 one thing I would recommend you do is look at the
13 document that we gave you tardily today, and it shows
14 at least what NRR plans to do with the research
15 results, take a look at that, maybe it gets you part
16 way what you're interested in.

17 MR. WALLIS: Well, I understand the NRR
18 perspective. I mean, I'm just asking the RES
19 perspective on it. You do the best you can with this
20 stuff, and you're trying to solve the problem, and
21 you're going to rely a lot on industry, I understand.

22 MR. SCOTT: And I think maybe part of the
23 answer to the research part, and I'm speaking for Tony
24 here, is the RIL that you all were talking about
25 putting together. Right? That will have that kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perspective, will it not?

2 MR. XIAO: Yes, I think Rob - I wasn't
3 here, but I believe Rob Tragoning had mentioned there
4 is work on the RIL. It will be available later on
5 this year, probably May/June time frame.

6 MR. WALLIS: This was to summarize the
7 result and what the messages are from it, and so on.

8 MR. XIAO: Yes.

9 MR. WALLIS: That would be very good. I
10 look forward to that.

11 MR. XIAO: Okay.

12 MR. ABDEL-KHALIK: I would like to echo
13 that. There are just too many loose ends here. NRC
14 is doing research, there is an independent peer
15 review, industry is going to do work, and somehow all
16 of this has to be connected to come up with a coherent
17 useful story, where people in NRR can actually use it
18 to their best advantage, rather than eliminating or
19 excluding part of it, or relying to a large extent on
20 only a part of it.

21 The second comment I would like to make is
22 that with regard to the presentation that we heard
23 towards the end of the day, a lot of effort has been
24 expended on the experiments in the pressure drop
25 modeling, and it would seem that with some modest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional effort in the modeling area, we can extract
2 a lot more from the data that we already have. And I
3 would sort of recommend that that not be stopped. It
4 would just seem like the return on investment in that
5 case would be quite significant. Just more though,
6 modest effort really should go into analyzing the
7 data, and coming up with a much more robust model.
8 Those are my comments.

9 MR. WALLIS: But, Said, if you were
10 running a research program yourself, and you wanted to
11 write a proposal to solve this problem, or if I were
12 doing it, I think I would need quite a few man-years.

13 MR. ABDEL-KHALIK: Well, what I'm trying
14 to see is what is the best we can do with the
15 information that we have with the relatively modest
16 additional resources.

17 MR. WALLIS: The trouble with this problem
18 is there keeping being surprises, and you sort of
19 think you've got a correlation, and then someone does
20 another experiment, and then it doesn't work, so it's
21 very difficult to really comprehensively cover all
22 eventualities.

23 MR. ABDEL-KHALIK: But the starting point
24 really ought to be sort of a thoughtful assessment of
25 the peer review comments. These are by and large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people who have put in a lot of effort, and a lot of
2 thought into coming up with their comments and their
3 reports, and it would seem like we ought to take
4 advantage of all that knowledge and wisdom that they
5 have put forth, so the idea of organizing the response
6 to the peer review, and coming up with why you accept
7 or reject some of these comments, and how would you
8 respond to them, would probably be --

9 MR. WALLIS: I guess what I was asking
10 for, too, would be more of an internal peer review.
11 And if you folks - a lot of the stuff the peer review
12 people came up with, I would think that you guys would
13 come up with on your own.

14 CHAIRMAN BANERJEE: Well, there were some
15 things which apparently weren't thought of. First of
16 all, I'd like to say that I very much appreciate and
17 commend the staff for going out for such a thorough
18 peer review. I've seen a lot of peer reviews, and
19 this was a pretty good one. And they were serious
20 people, they did a serious job, and to expose yourself
21 to the extent that allows these people to do this, I
22 think that's very commendable. And it's a first-rate
23 thing to do.

24 Now I think it's simply having to deal
25 with this, and learn the lessons from it, and go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forward, as Rob said, to have a path forward. And I
2 think the PIRT is a bit overdue, but once that is
3 done, at least you'll have things prioritized and
4 clear, clearer, let's put it.

5 The problem seems a very big problem, and
6 I don't think that it's going to very easy,
7 personally, to have some sort of a predictive model
8 for the effects. What the research can do is to
9 indicate directions that industry may or may not take
10 to deal with it, which may simply be to circumvent the
11 problem in some way by changing the buffering agents,
12 or whatever. I mean, whatever information that can be
13 made available to help that process would be useful.
14 And things should be organized so that that can be
15 done.

16 I do think, though, that the work on the
17 head loss is going in the right direction, but it's
18 still very much a work in progress, as somebody else
19 said. And to really make it useful, it will need to
20 be coupled to something which is a little bit more
21 global. I said CFD, but it doesn't have to be CFD.
22 There can be other ways of dealing with this, because
23 my feeling about what the industry will do is, they'll
24 do a series of tests, perhaps they'll do it in water
25 tunnels with a screen at the end, and with some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditions which are typical, and look at maybe drop-
2 out in front of the screen. I don't know exactly what
3 they'll do. If I was in industry, that's what I would
4 do, probably.

5 Now how do you interpret this, because the
6 real situation is going to be very complicated, and
7 the sump screens which will take out a lot of stuff,
8 other parts of it it won't. There has to be some sort
9 of a tool which can be used as a structure to
10 interpret what the industry proof tests are, put it
11 into a framework. And maybe the sort of work that's
12 being done on the head loss modeling could be phrased
13 into this structure even to interpret the sort of -
14 what do these experiments mean? How do we interpret
15 the models? Eventually, there's no escape from some
16 form of modeling to scale up.

17 MR. WALLIS: I don't think there's any
18 model for the performance of the industrial-type
19 screens.

20 CHAIRMAN BANERJEE: Yes. Well, how do you
21 operate in the absence of a model?

22 MR. WALLIS: They're not homogeneous,
23 they're usually vertical, they have pockets in them,
24 there's all kinds of stuff, and there's no model for
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Can be a very
2 empirical one, but I don't know what direction that
3 would take. But it concerns me to operate without
4 some sort of a framework, and just depend on proof
5 tests. Anyway, those are my comments, and hopefully,
6 in May we'll know more about the approach industry is
7 taking, and what actually they're accomplishing, so
8 that would be an important meeting.

9 MR. SCOTT: If I can insert one more thing
10 - we do now have one of our audit reports is public,
11 and we'll, of course, get that over to Ralph. And
12 when you all have a chance, you might want to take a
13 look at that. And you'll get an idea from that as to
14 what sort of things we're finding out there, and what
15 we're writing up as an open item. And by May, we'll
16 have at least two more audit reports available, so
17 those will give you some perspective to support the
18 May meeting, too.

19 MR. WALLIS: Include chemical effects?

20 MR. SCOTT: Well, unfortunately, what
21 we're saying for chemical effects is, you haven't done
22 it yet for those plants that we've evaluated. But as
23 far as head loss and the other, many of the other
24 subject areas, there's a greater degree of completion,
25 so for those areas, you'll have perspective. For the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemical effects, what I would say we would plan to do
2 is talk to you at that point about what we know about
3 how the testing is going. We probably will not have
4 an audit report in-hand at that time speaking to
5 chemical effects.

6 MR. WALLIS: There are chemical effects,
7 what use are head loss tests without chemical effects?

8 MR. SCOTT: Well, you learn information
9 about their methodology as applied to the head loss
10 testing. What they may have to do, and a lot of the
11 plants will have to do, is redo the testing once
12 chemicals are factored in.

13 MR. WALLIS: Or get rid of the chemical
14 effects.

15 MR. SCOTT: Or get rid of the chemical
16 effects, yes. And they can simplify their problem in
17 many cases by that. And as we've said before, each
18 plant is going to look at it from their own particular
19 plant-specific situation, decide what combination of
20 all the above measures makes sense for them. And the
21 environment at any plant a year from now is going to
22 be very different from the environment that it was two
23 years ago when we started in all these mods.

24 MR. XIAO: This is Tony Xiao again from
25 Research. I would like to say that is really a result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the research we have conducted for the past few
2 years, that contributed to this kind of decision, the
3 regulatory decision to help industry to at least take
4 the right steps, steps in the right direction to avoid
5 certain things that will help the situation.

6 MR. WALLIS: Now, Tony, you said you don't
7 want a letter from the ACRS?

8 MR. XIAO: Correct.

9 MR. WALLIS: What is -- I think I was
10 assigned to write a letter, draft letter. Was that
11 right?

12 MR. CARUSO: I think so.

13 MR. WALLIS: I want to know - my
14 inclination is not to draft a letter, but if the
15 committee, subcommittee feels that a letter should be
16 drafted, then I should do it. I'm hoping at the
17 moment that we don't have to write a letter. I'm not
18 quite sure how we add value in the most useful way by
19 writing a letter at this stage.

20 MR. XIAO: Correct. Just a personal
21 suggestion, I think I would suggest that probably a
22 better time to write a letter is after May or June
23 when NRR came back and gave you their status update,
24 and we will come back, also describe the RIL we talked
25 about earlier. That would be a better time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Also, that we have a meeting
2 with the commission in June.

3 MR. WALLIS: We don't want to discuss
4 sumps again.

5 CHAIRMAN BANERJEE: We might have to.

6 MR. CARUSO: They've always been asking
7 for it, so that's just something to consider.

8 MR. SCOTT: Are you going to hang around
9 for that, Ralph?

10 MR. CARUSO: I'm not.

11 MR. XIAO: On a personal note, starting
12 next week, I have a new assignment. I'll be working
13 at NRO, but I was trying to get my replacement here
14 today to be part of this meeting, but she was not in.
15 Her name is Rosemary Hogan. Some of you may know her.
16 But I'll stick around for a couple of more weeks just
17 to make sure we have good transition, and I will make
18 sure she will be here next week for that meeting.

19 CHAIRMAN BANERJEE: But who is going to
20 coordinate your presentations next week, you?

21 MR. XIAO: I will.

22 CHAIRMAN BANERJEE: Okay.

23 MR. XIAO: I will.

24 CHAIRMAN BANERJEE: Okay. If we have no
25 other business --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Then somebody new is going to
2 be managing the program?

3 MR. XIAO: Rosemary Hogan will be the new
4 Branch Chief.

5 MR. WALLIS: Will there be any continuity
6 then?

7 MR. XIAO: Absolutely, there will be
8 continuity.

9 MR. WALLIS: She'll have to be briefed on
10 everything all over again, and --

11 MR. XIAO: Absolutely. Me and my staff
12 will do that. I mean, and that's why I was hoping she
13 would be here, get a taste of what kind of questions
14 the ACRS may have, but she was not in. But next week,
15 she will be here.

16 MR. KRESS: And where are you going?

17 MR. XIAO: NRO, Office of New Reactors.

18 MR. KRESS: Oh.

19 CHAIRMAN BANERJEE: Sump screens will be
20 interesting with passive circulation.

21 MR. XIAO: We'll probably see you also in
22 a different light.

23 MR. SCOTT: Regarding continuity on the
24 NRR side, I have been told I can't go anywhere else
25 until this is resolved, so you don't need to worry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about that one.

2 MR. CARUSO: Until you retire.

3 MR. SCOTT: Or until I retire.

4 MR. WALLIS: What is the question - when
5 we look at new reactors, like I supposed AP-1000 is a
6 new reactor.

7 MR. SCOTT: What was your question?

8 MR. WALLIS: How does sump screen
9 questions affect things like AP-1000, which is a new
10 reactor, since Tony brought up the new reactors.

11 MR. SCOTT: We've been discussing that
12 very subject, as a matter of fact. We looked at all
13 of the new reactor designs, both the Bs and the Ps
14 from the perspective of strainer clogging, and the
15 situation for each one of them varies dramatically,
16 depending on the time line involved. For example,
17 ABWR was certified in 1994, and the BWR operating
18 plant corrective actions were taken about two or three
19 years after that, so we just sent, NRR just sent a
20 memo to NRO identifying the disparity between where
21 the ABWR was certified, and the rest for the other
22 BWRs, and suggesting that they address that with
23 General Electric, which I believe they plan to do.

24 AP-1000 was certified early on in the GSI-
25 191 resolution process. There are a number of COL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 action items for AP-1000 that reflect sump concerns.
2 I would say that we are smarter now than we were then,
3 and so is Westinghouse, and so we understand that
4 Westinghouse plans to submit a topical report on sumps
5 to the NRC, among many topical reports, evidently,
6 that they are submitting to address, I guess, the
7 progress of knowledge since that design was certified.

8 ESBWR and EPR, of course, are either in
9 current review, or not started review yet, and so
10 we're fully up to speed, and involved with the reviews
11 of those designs. Of course, that work scope is going
12 to NRO, and some of the expertise will follow it so
13 that they can do those reviews. So we're working all
14 that.

15 MR. WALLIS: The ESBWR doesn't really have
16 sumps, and it doesn't have places where debris gets
17 into the tanks, which then inject water.

18 MR. SCOTT: They do have a strainer in
19 there, I believe it's called the gravity-driven, yes,
20 I'm not sure exactly.

21 MR. WALLIS: The PRA has strainers, and it
22 has some estimate of whether or not the strainers
23 blocked. I noticed that.

24 MR. SCOTT: Certainly, their
25 vulnerabilities, or lack thereof, are very different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the current generation of plants. And the
2 interesting thing is that these designs are so
3 different, each of them, from the traditional designs
4 that are out there now that you can't take your PWR
5 guidance and just plug it into the AP-1000, or the
6 same for the BWR guidance for the ESBWR. You have to
7 look at it specific to that design. And in many
8 cases, their vulnerability hopefully will be less, and
9 they've taken a number of measures in each of these
10 new reactors to reduce vulnerability. For example,
11 the materials of construction for the BWRs, they've
12 gone from carbon steel to stainless steel to minimize
13 the amount of sludge they're going to have in their
14 suppression pool, so there have been a lot of changes,
15 but we're looking at that.

16 CHAIRMAN BANERJEE: Well, one thing would
17 be to design out chemical effects.

18 MR. SCOTT: Absolutely. Well, another
19 thing is to design out vulnerabilities. For example,
20 I'm trying to recall which one of the designs it is -
21 I think the ABWR may have committed to all RMI
22 insulation, so the fiber is all gone.

23 MR. KRESS: The IRIS doesn't look like it
24 would be vulnerable to this at all.

25 MR. SCOTT: No insulation of consequence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is that the issue?

2 MR. KRESS: Right.

3 MR. SCOTT: Yes.

4 MR. XIAO: The new reactor designs are
5 like Dr. Banerjee argued, design out a lot of the
6 issue, vulnerabilities. One is the sump issue, the
7 other one is aircraft impact, so there's a lot of
8 effort there, too. And I believe we're also coming
9 back to the ACRS some time next week to give a summary
10 of our plans to do the aircraft.

11 CHAIRMAN BANERJEE: Aircraft. All right.
12 If there are no more discussion, then I'm going to
13 adjourn this meeting until tomorrow.

14 MR. CARUSO: No, not tomorrow. We're
15 going to adjourn today.

16 CHAIRMAN BANERJEE: Oh, adjourn today.

17 MR. CARUSO: Different meeting tomorrow.

18 CHAIRMAN BANERJEE: Oh, different meeting
19 tomorrow. All right. Adjourn today.

20 (Whereupon, the proceedings went off the
21 record at 5:35:17 p.m.)
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701