

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal Hydraulic Phenomena Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 15, 2007

Work Order No.: NRC-1577

Pages 1-455

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

MEETING OF THE

SUBCOMMITTEE ON THERMAL HYDRAULIC PHENOMENA

+ + + + +

TUESDAY,

MAY 15, 2007

+ + + + +

The meeting was convened in Room 01G16,
11555 Rockville Pike, Rockville, Maryland, at 8:30
a.m., GRAHAM B. WALLIS, Acting Chair, presiding.

MEMBERS PRESENT:

GRAHAM B. WALLIS, Acting Chair

SANJOY BANERJEE, Vice Chair

SAID ABDEL-KHALIK

THOMAS S. KRESS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS STAFF PRESENT:

ZENA ABDULLAHI Designated Federal Official

NRR STAFF PRESENT:

ERVIN L. GEIGER

PAUL KLEIN

JOHN LEHNING

SHANLAI LU

MICHAEL SCOTT

ROBERT L. TREGONING

STEVEN UNIKEWICZ

ALSO PRESENT:

JOHN BUTLER Nuclear Energy Institute

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
Introduction	4
G. Wallis	
1. Overview/Introduction	8
M. Scott	
2.a. Chemical Effects - WCAP 16530 Status	41
PWROG	
2.b. Chemical Effects - NRR Staff Perspective	114
Klein	
3. RES Chemical Effects Peer Review Status	156
Geiger/Tregoning	
4.a. Downstream Effects	200
- WCAP 16406-P Status	
- Fuel Evaluation WCAP Status	
PWROG	
5. Plant Resolution Overview	283
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

INTRODUCTION

CHAIRMAN WALLIS: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Thermal-Hydraulic Phenomena.

I am Graham Wallis. I am acting as the chairman of the Subcommittee for today. Subcommittee members in attendance are Tom Kress, Said Abdel-Khalik, and we expect Dr. Sanjoy Banerjee momentarily.

The purpose of this meeting today is to discuss the progress being made by the NRC staff and the licensees in the resolution of generic safety issue 191, PWR sump performance. Representatives of the Nuclear Energy Institute, PWR owners' group, and several vendors of PWR sump screens will present the results of their GSI-191 implementation activities, including program plans to design new screens for PWR sumps to address chemical interactions of coolant and debris within a containment during a loss of coolant accident and to address the impact of debris on components downstream of the sump screens.

The NRC staff will also discuss the plant-specific audits conducted in support of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implementation of GSI-191. Several PWR licensees will
2 present their plant-specific GSI-191 resolution
3 program activities and status.

4 The Subcommittee will hear presentations
5 by and hold discussions with representatives of NEI,
6 the PWR owners' group, the screen vendors, the NRC
7 staff, and other interested persons regarding these
8 matters.

9 The Subcommittee will gather information,
10 analyze relevant issues and facts, and formally
11 propose positions and actions as appropriate for
12 deliberation by the full Committee. Zena Abdullahi is
13 the designated federal official for this meeting.

14 The rules for participation in today's
15 meeting have been announced as part of the notice of
16 this meeting previously published in the Federal
17 Register on May 2nd, 2007.

18 Portions of this meeting may be closed to
19 discuss proprietary information. Notice of closure of
20 these portions has been provided in the draft agenda
21 posted on the NRC Web site.

22 A transcript of the meeting is being kept
23 and will be made available as stated in the Federal
24 Register notice. It is requested that speakers first
25 identify themselves and speak with sufficient clarity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and volume so that they can be readily heard.

2 Now, I understand that for two days, we
3 are going to hear almost entirely from the industry.
4 The staff has a short presentation that Mike Scott
5 will commence soon at the beginning, and then it has
6 one at the end. I notice in my introduction I made a
7 statement about the staff discussing plant-specific
8 orders.

9 MR. SCOTT: There are actually four staff
10 presentations. I don't know how that --

11 CHAIRMAN WALLIS: Are they going to fit in
12 between? I see. I guess I missed some. They're
13 going to fit in after each one of the industry ones.
14 We're going to have staff comments.

15 MR. SCOTT: Right. Well, after the
16 chemical effects, WCAP discussion, --

17 CHAIRMAN WALLIS: Right.

18 MR. SCOTT: -- we will have a staff
19 presentation and after the downstream effects, the
20 same thing and --

21 CHAIRMAN WALLIS: Are they going to
22 discuss the audits after we hear from each plant or
23 not?

24 MR. SCOTT: I believe the audits are last
25 thing to do.

1 CHAIRMAN WALLIS: That's it. That's the
2 very end. Okay. All right. I just hope that we hear
3 enough from the staff. That's why I sort of
4 interjected that.

5 MR. SCOTT: And you will hear from the
6 staff today. I have to put one caveat in there, Dr.
7 Wallis, and that is that the industry presentations
8 are quite lengthy. And while we have seen them, we
9 have not integrated a review of them. So whatever
10 reaction we have to those today will undoubtedly be
11 caveated.

12 CHAIRMAN WALLIS: Yes. But I would like
13 if you have any new audits -- we have seen some
14 audits, some of which seem to be quite old. If you
15 have any new information about audits, I think we
16 would be very happy to hear them.

17 MR. SCOTT: Okay. We do have some new
18 information. As a matter of fact, two of the audit
19 reports have just been made or I guess one of them has
20 just been made public and another one is in the
21 process of being made public. I think we sent those
22 to you through Zena but only in the last few days.

23 MS. ABDULLAHI: Yes. The ones that you
24 sent us, I did provide it to the members.

25 MR. SCOTT: Right.

1 CHAIRMAN WALLIS: But that was very
2 recently.

3 MS. ABDULLAHI: The other one --

4 CHAIRMAN WALLIS: That was the very recent
5 ones.

6 MR. SCOTT: But you have got to remember
7 that when you talk in terms of these audit reports,
8 recency is those are recently approved. The audit
9 visits actually occurred last year. It takes quite a
10 bit of time.

11 CHAIRMAN WALLIS: That's why they're so
12 old. It took you a year to approve the document.

13 MR. SCOTT: No, it doesn't take a year,
14 but it does take several months.

15 CHAIRMAN WALLIS: Okay.

16 MR. SCOTT: And so that is why they appear
17 to be a bit dated to you.

18 CHAIRMAN WALLIS: That is often a bit of
19 a mystery for me. While I don't want to introduce on
20 your presentation, Mike, please go ahead and tell us
21 what you have prepared. Then we'll get on with the
22 meeting.

23 1. OVERVIEW/INTRODUCTION

24 MR. SCOTT: Okay. Great. I'm Mike Scott,
25 Chief of Safety Issues Resolution Branch in NRR. And,

1 as several times before when I have appeared before
2 you, I am the lead in NRR for resolution of GSI-191.
3 And I am pleased to have the opportunity to talk to
4 you today and to present the presentation that I think
5 you will find least interesting of all the ones that
6 we are going to talk about today. So we'll move
7 through it hopefully fairly quickly.

8 I would just like to give you an overview
9 of where we are going with this thing and just kind of
10 keep you up to date on our progress and then just sort
11 of set the stage for the rest of the presentations.

12 Slide 2, please. The purpose of it is to
13 provide you an update and discuss the path forward as
14 before.

15 Slide 3. Our current focus, the staff
16 still after all, we have gone back and forth with
17 trying to get this issue resolved. We still expect
18 consistent with generic letter 04-02, that the
19 licensees will address GSI-191 by the end of this
20 year.

21 CHAIRMAN WALLIS: Mike, the approach seems
22 to be to build it and then show that it works.

23 MR. SCOTT: I hadn't exactly heard it put
24 that way, but that's not far off.

25 CHAIRMAN WALLIS: Usually the inverse way

1 of usually designing things.

2 MR. SCOTT: As you know, when we talked
3 about this thing the better part of a year ago, the
4 staff put a lot of emphasis on making the strainers
5 larger. And the industry bought into that approach.
6 And they have been out doing that.

7 So at this point -- let's see. We're in
8 Spring '07. I would estimate that probably half of
9 the PWRs have actually massively enlarged their
10 strainers. And they did so with the knowledge that
11 there were unanswered questions and that additional
12 changes might be needed. And we are absolutely still
13 in that mode.

14 We expect, however, that the licensees by
15 the end of this year will provide a demonstration that
16 adequate long-term core cooling is maintained in the
17 presence of the expected plant-specific degree
18 loading. That, of course, is what is reflected in
19 generic letter 04-02. That is the mission here, so to
20 speak. And that hasn't changed.

21 However, as you will hear today and
22 tomorrow, the chemical effects testing is just now
23 starting and will go on into the fall and probably
24 until late fall for some of the plants. So it is
25 possible that some of the plants who are late in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 queue, so to speak, to get their chemical effects
2 testing done may seek additional time to finish their
3 corrective actions. We have not been formally
4 approached by any particular plant yet, but that may
5 happen in the future.

6 CHAIRMAN WALLIS: I think the ACRS has
7 been urging you for some time to get this done so that
8 we didn't get surprises after everything has been
9 installed.

10 MR. SCOTT: Get what done?

11 CHAIRMAN WALLIS: I guess to get the
12 chemical effects being sorted out.

13 MR. SCOTT: Sure.

14 CHAIRMAN WALLIS: Right.

15 MR. SCOTT: And we are very eager to do
16 that. What is going on now, as you will hear, is the
17 finalization of the review of the chemical effects
18 topical report, which is important for the chemical
19 effects testing, and the vendors, of which you may
20 recall there are about five, are off building their
21 test rigs, to include chemical effects testing.
22 Because there are a limited number of vendors, that
23 means that there weren't any one test facility that is
24 going to see tests for multiple licensees. And so
25 they have to queue up. And that is in large part why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is going to stretch out into the --

2 CHAIRMAN WALLIS: Is the ANL work
3 continuing for the NRC, the work at Argonne on
4 chemical effects? Is that continuing or is that
5 finished?

6 MR. SCOTT: That work is finished, I
7 believe. Is Rob Tregoning or Erv Geiger here?
8 Finished, we are told. We are going to talk to you
9 today about the possibility of some additional work
10 that might be done.

11 Slide 4. We have granted 15
12 plant-requested extensions for completion of one or
13 more corrective actions. Those requests and our
14 response to them are on the PWR sump Web site.

15 Most of them are out in the Spring 2008.
16 Those were for plants that did their refueling outages
17 where they installed most of their modifications back
18 in Fall '06 but had one or more items that needed to
19 be done for various reasons in the next refueling
20 outage. So we have a number of plants who have asked
21 for three, four-month extensions.

22 One plant, Diablo Canyon, sought and
23 received an extension into Spring 2009. They had a
24 situation where they had certain difficult-to-access
25 insulation on their steam generators that were fibrous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 insulation. And it did not make sense for them given
2 that they are going to replace their steam generators
3 in 2009 to replace the insulation in '07 and then turn
4 around and replace it again in '09.

5 And they made a strong argument as to why
6 it was safe to not replace them now, that particular
7 piece of insulation. So they got a longer extension.

8 We believe we will likely get more
9 requests, for one reason or another, as we go through
10 the rest of 2007.

11 CHAIRMAN WALLIS: I hope you don't get 69.

12 MR. SCOTT: I hope we don't get 69 also.

13 Slide 5. Current staff activities. As
14 you know, we are doing audits of a sample of licensees
15 and strainer vendors. And you will hear more about
16 that in Leon Whitney's presentation later.

17 This is kind of misleading. We are not
18 actually out auditing the strainer vendor. We are
19 going to licensees, each of whom has a strainer
20 vendor. And we believe that the issues identified at
21 a particular licensee that has a particular strainer
22 vendor are likely to be somewhat common with other
23 licensees who have the same strainer vendor. And so
24 we are attempting to get a representative or a
25 reasonable sample of each of the vendors by auditing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their customers.

2 We are continuing to meet with the
3 industry. We are meeting essentially every other
4 month with the industry to discuss remaining technical
5 issues. That is with NEI and the licensees. And a
6 number of other technical discussions are going on,
7 for example, in the review of the topical reports. We
8 are having weekly phone calls typically to try to
9 resolve open technical issues dealing with those
10 topical reports.

11 And we are finalizing the review of two
12 topical reports and about to get into the review of a
13 third. And you will hear about that today as well.

14 And we are also just now getting into
15 reviewing the vendor protocols for integrated head
16 loss testing. We received a couple of them in-house
17 and have begun to provide comments back to those
18 vendors to try to make sure that staff comments and
19 concerns, if any, on the chemical effects testing, the
20 integrated head loss testing that includes chemical
21 effects, is done satisfactorily the first time such
22 that there is no need for yet another round of
23 testing.

24 CHAIRMAN WALLIS: The major question that
25 we raised in our letters, the ACRS letters, was how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are you going to take these results from integrated
2 head loss testing and apply them to a plant? And now
3 you say you're getting into the question of reviewing
4 the protocol. Those seems to be a very important
5 item.

6 MR. SCOTT: It is. We view it as
7 important. We are attempting to get all of the
8 protocols in-house to look at. It's a process that
9 takes some time. Yes.

10 Slide 6. Near-term plans. We plan to
11 continue the audits. We plan to do the last audit in
12 January 2008, as you will hear from Leon Whitney. We
13 are continuing to work to address the remaining
14 technical issues. And we will talk about that today.

15 We are beginning now the development of
16 safety evaluations for the chemical effects topical
17 report and the downstream X vessel topical report.

18 And we are beginning development of
19 additional review guidance that we're going to need to
20 support closure of generic letter 04-02. That draft
21 review guidance should be available in the fall.

22 Slide 7. We are working with the industry
23 to develop a content guide for the level of detail
24 needed for the generic letter submittals. Their goal
25 is to know exactly what we expect them to provide us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that they get it right the first time. We have the
2 same goal.

3 And so we are going back and forth in
4 public meetings discussing potential content for these
5 generic letter submittals, which we expect to receive
6 for most plants, again by the end of this year.

7 CHAIRMAN WALLIS: So it's interesting,
8 again, to look at the time line. I mean, they build
9 the strainer. And then they do some tests which may
10 have some problems. And now you're developing a
11 content guide for what they need to submit. I would
12 think the sooner you could have done that, the better
13 so that they know what to work towards.

14 MR. SCOTT: I would argue that they know
15 what to work towards, regardless of what we actually
16 tell them to send in to us by mail on 12/31.

17 CHAIRMAN WALLIS: We would hope so.

18 MR. SCOTT: Because what they're going to
19 send in is a small fraction of what they are actually
20 going to do. We are not going to ask for each and
21 every one of their references to come in here on
22 12/31/07.

23 So I guess my view is that our time line
24 for developing this content guide at this point is
25 timely because I don't think many of them start --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: This is a dynamic
2 process. But what you ask for depends on what you
3 have seen in your orders to some extent. You've got
4 to know what questions to ask by what you have
5 observed.

6 MR. SCOTT: I would say that it's a little
7 more accurate to say that the licensees will learn
8 from the audit reports if they look at them, which we
9 are encouraging them to do, what the issues are that
10 need to be addressed in their resolution of GSI-191,
11 not necessarily what needs to be sent in to us on
12 12-31-07, although they're related, clearly.

13 What we are expecting on 12-31-07 is the
14 conclusions that lead the licensee to believe that it
15 has resolved the issue and a basis at one level of
16 detail for what that conclusion in. In other words --

17 CHAIRMAN WALLIS: Okay. Now, which of
18 these things and at which time in your process do you
19 want to interact with us?

20 MR. SCOTT: That's coming. That's coming.
21 It's the last slide.

22 CHAIRMAN WALLIS: Okay. Okay.

23 MR. SCOTT: I'm coming there.

24 CHAIRMAN WALLIS: So since we're on slide
25 7, do you want us to look at this content guide?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: I honestly don't. You're
2 welcome to. I don't think it would interest you
3 particularly. It's process more than it is technical
4 information. And typically I believe you all aren't
5 all that interested. And I'm happy to provide you a
6 copy of what we have done.

7 CHAIRMAN WALLIS: We are very interested
8 in the technical information.

9 MR. SCOTT: Right. And that won't --

10 CHAIRMAN WALLIS: That won't be somewhere
11 else?

12 MR. SCOTT: Well, again, it is a request
13 to send in technical information. If you are
14 interested in it, I would be happy to provide you a
15 copy.

16 PARTICIPANT: I guess we might be
17 interested in what sort of technical information.

18 MR. SCOTT: Okay. Well, we will get you
19 a copy. We anticipate discussing that in our more
20 final form with the industry in June. And at that
21 point, we will have something that we can be a little
22 more confident of. And we will send you a copy. And
23 that will be available to you before we next meet.

24 The other thing we are doing right now is
25 soliciting remaining staff technical questions and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considering how to resolve each one. From a
2 management perspective, we are very interested in
3 having all of the technical questions out on the table
4 now and not out on the table in Spring 2008, when the
5 licensees send their responses in.

6 So we are asking the staff based on what
7 the staff knows now to identify what issues the staff
8 members involved with this issue believe have not been
9 adequately addressed.

10 From each of those items, we have a
11 working group that is considering what is to be done
12 with them and a recommendation for how to proceed.
13 And you can see in the sub-bullets on slide 7, if
14 there is considered to be a technical basis for the
15 concern, that it might be an industry action that is
16 called for. It might be NRC-sponsored research. And
17 it is possible for some of these items that we can
18 justify no action for them at all.

19 That is going to be documented. And it,
20 too, will be discussed with the industry in June. So
21 you all might want to be represented at that meeting.
22 You might hear some interesting things. And we will
23 get you a copy of our documentation that supports
24 that.

25 PARTICIPANT: When is that meeting?

1 MR. SCOTT: I believe June 18th, John.

2 MR. LEHNING: I believe so.

3 MR. SCOTT: June 18th. One day, all day
4 I believe is the way it is going to turn out.

5 Slide 8. Challenges. And this won't be
6 a revelation to the Committee. Many plants have not
7 yet successfully completed chemical effects testing.
8 Issues continue to arise as we go through the process.
9 As before, there is a tremendous variance among the
10 licensees in the level of the concern of the issue and
11 what the solution to it is.

12 You have some very low-fiber plants, who
13 largely consider themselves to be done now. And you
14 have other plants that are still struggling to show
15 success given their plant-specific debris loading and
16 chemical loading.

17 As you know, we have been directed by the
18 Commission to resolve the issue holistically; that is,
19 to consider various options and proposals that will
20 support resolution of the issue. And it will allow us
21 to reach reasonable assurance in the presence of the
22 complexities and uncertainties that are of major --

23 CHAIRMAN WALLIS: Now, what does
24 "reasonable assurance" mean?

25 MR. SCOTT: Reasonable assurance is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defined as -- I mean, I don't have a definition, but
2 --

3 CHAIRMAN WALLIS: Well, let me ask you if
4 you mean something like this. You will make an
5 assessment of the bulkage of the strainer and of the
6 core if it happens, and you will calculate the
7 temperatures at various places, flow rates, and so on,
8 and see if there is any damage to the fuel. Is that
9 the kind of thing that is expected to be done?

10 MR. SCOTT: The regulation that is
11 applicable here is 10 CFR 50.46(b)(5). I mean, it is
12 of the nature that you are talking about. Now, we are
13 not going to do those calculations. The licensees
14 are. And we are going to review.

15 CHAIRMAN WALLIS: You will expect them to
16 do those calculations?

17 MR. SCOTT: They are expected to show that
18 for their plant-specific debris loading and transport,
19 that adequate core cooling is maintained using either
20 the methodologies that are provided in our SE that we
21 issued in 2004 or our review of the topical reports
22 that are ongoing now and various things.

23 If they choose to use those methodologies,
24 then all they need to show is that they are correctly
25 applied. If they choose to do those methodologies,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then they have to justify their deviation. That is
2 how we get to reasonable assurance.

3 CHAIRMAN WALLIS: So we are talking about
4 temperatures in the core that could be high, I mean,
5 up to 1,500-2,000 degrees or something?

6 MR. SCOTT: You may be aware that there is
7 a topical report coming in from the PWR owners' group
8 on May 31st.

9 And is Moe here? Is that still on
10 schedule?

11 MR. DINGLER: That's correct.

12 MR. SCOTT: Still on schedule, 11:59 p.m.,
13 May 31st we're going to get --

14 CHAIRMAN WALLIS: Are you going to tell us
15 what happens when debris meets a surface which is at
16 2,000 degrees Fahrenheit?

17 MR. DINGLER: That's correct.

18 CHAIRMAN WALLIS: You are going to tell
19 us? Okay. Thank you.

20 PARTICIPANT: Are we going to review this
21 report?

22 MR. SCOTT: Yes, we are. And we are going
23 to write an SE on it.

24 PARTICIPANT: (Inaudible.)

25 MR. SCOTT: Say it again?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: You are going to write an
2 SE?

3 MR. SCOTT: We are going to write an SE,
4 yes. And it will be a quite accelerated development
5 if you consider how long it usually takes to develop
6 the topical report review. We're going to be quite
7 busy.

8 PARTICIPANT: And we can see the SE and
9 the report?

10 MR. SCOTT: Yes. You can see the report
11 as soon as they turn it in, of course, which is now
12 just two weeks away. And the SE obviously is a few
13 months away. And so then we will have the answer to
14 those kinds of questions.

15 CHAIRMAN WALLIS: Well, this SER is not
16 very good. Don't blame us if we hold you up.

17 MR. SCOTT: Of course not.

18 CHAIRMAN WALLIS: Thank you.

19 PARTICIPANT: Is there sort of a critical
20 path to resolving this?

21 MR. SCOTT: I would say that the biggest
22 challenge that we have right now is -- well, there are
23 actually two things. One is the fact that the
24 chemical effects, as you know, continue to have a
25 number of unknowns. And the testing has happened yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we don't know what that testing is all going to
2 show.

3 It is quite possible that as licensees do
4 that testing, they will find that they still need to
5 make additional modifications. And that could slow
6 the process down.

7 The other thing that we have to do is an
8 expeditious but, yet, quality job of reviewing the
9 in-core topical report, which we don't yet have
10 in-house.

11 So those are the two things that I think
12 are toughest out there. We believe we have the path
13 forward on downstream effects X vessel. And we are
14 close to finishing the review of the topical report on
15 that, as you will hear.

16 The head loss testing and the various
17 aspects of that, exclusive of chemical effects, we
18 believe we have got a handle on. And the industry
19 does, too. But it is a busy rest of 2007 to get all
20 of that stuff done.

21 Let's see here. Next to last bullet.
22 Some complex issues still being resolved. Of course,
23 that's true. That has the potential to slow us down
24 as well. And there is a possible need for additional
25 confirmatory NRC-sponsored research.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, as you know, we have been saying to
2 you all for several meetings that we had that in mind.
3 And we are going through a process now, a process that
4 I mentioned to you a couple of minutes ago about
5 dealing with staff issues as well as the process of
6 dealing with the chemical effects peer review panel
7 results that you will hear about later today.

8 Those processes may well lead us to the
9 decision that some confirmatory research is needed.
10 So we will be able to report that to you the next time
11 we meet with you.

12 PARTICIPANT: Are you going to talk to us
13 at all about your responses to the peer review panel
14 this round or --

15 MR. SCOTT: Yes. Well, what you are going
16 to hear are some sample responses, yes. I am kind of
17 stealing Rob Tregoning's thunder here. Rob will be
18 speaking to you. Rob and Erv Geiger will be speaking
19 to you about the status of that effort. And the
20 working group that is dealing with it has met several
21 times.

22 I believe they have gone through their
23 first round of meetings. And they're sort of taking
24 a cut at the list. But it is not ready fully yet.
25 But you will get an idea of what our thought process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is from that presentation later today.

2 Slide 9. This is sort of off the topic of
3 GSI-191, but I wanted to simply mention it to you
4 because we are thinking about it and you all may have
5 had some thoughts about it as well.

6 If you go back to the treatment of the BWR
7 strainer clogging issues back in the 1990s and you
8 compare it with the treatment of the PWR sump clogging
9 treatment in the 2000s, then you will find some
10 differences.

11 We did that. We went back and developed
12 sort of a draft white paper that says for these
13 various issues, for example, X vessel downstream
14 effects and chemical effects and so on, here is the
15 difference in treatment between the BWRs and the PWRs.
16 And there are a number of potentially significant
17 differences in the treatment.

18 Now, how does that play out as for whether
19 one is right and one is wrong or one is better and one
20 is not so good is not entirely clear. They have
21 evolved to where they are for various reasons, one
22 being the difference in time that the issue is
23 resolved, another being the reactor configurations are
24 different, the core configurations are different, and
25 so on and so on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But there are differences. And so we have
2 sort of catalogued those, and we are internally
3 discussing, as you can see on the last bullet here,
4 how to proceed with that.

5 What we would like to do is get out of the
6 mode that the industry and the agency have been in for
7 the last 20 years of addressing one, then the other,
8 and then back to the first and back to the second and
9 so on. We would like to reach regulatory stability on
10 this issue. And we are trying to figure out the best
11 process for doing that.

12 And the other point, of course, that comes
13 up is new reactors. And the sump strainer guidance
14 for new reactors is not necessarily going to be clear
15 for those new reactors. You can't say, "Well, AP1000
16 is a PWR. So I'll just invoke the PWR guidance
17 because the strainers have different purposes in those
18 new reactors in some cases." In some cases, maybe
19 they don't.

20 So there are various loose ends here, if
21 you will, that we are going to consider how to clear
22 up, whether it makes sense to let the disparities
23 continue or whether we need to address them in some
24 manner.

25 So this is just letting you know that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are thinking about this. And we will undoubtedly be
2 talking to you about it at some time in the future.

3 Slide 10.

4 MEMBER BANERJEE: What sort of approaching
5 are you taking to say if somebody comes and says, "We
6 don't need any buffer"?

7 MR. SCOTT: Well, nobody has done that
8 yet. So I guess the easy answer to your question is
9 no approach at all.

10 There has been research that we have been
11 advised of that occurred in France that appeared to
12 indicate that a buffer might not be needed for some
13 period of time following a LOCA. Now, it didn't say
14 never needed. It said for some period of time.

15 We believe that additional work is needed
16 before we reach a conclusion based on that research.

17 MEMBER KRESS: (Inaudible.)

18 MR. SCOTT: Yes, it is.

19 MEMBER KRESS: (Inaudible.) indicate that
20 the buffer wasn't very useful at all.

21 MR. SCOTT: It was not a player in the
22 iodine issue, at least for that period of time.

23 MEMBER KRESS: (Inaudible.)

24 MR. SCOTT: Right. There are other issues
25 that come up in the absence of the buffer, however.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Corrosion or something?

2 MR. SCOTT: Potentially, yes. So all I'm
3 saying is we're looking at that, but it's not ready
4 for reaching any regulatory conclusions in our view.

5 PARTICIPANT: Is that an area you think
6 more research could be done? (Inaudible.)

7 MR. SCOTT: It is certainly an area where
8 more research could be useful. We are not considering
9 it in the same light because it is not part of the
10 current solution set for GSI-191.

11 MEMBER KRESS: Would that completely
12 address the chemical effects issue?

13 MR. SCOTT: Well, I would say that it
14 would have an impact, but, again, there might be other
15 things going on by the absence of it. I think I would
16 be reluctant to say that it would resolve chemical
17 effects and we're done. It would certainly change a
18 lot of the issues, but you know how these things are.
19 You make a change. And then some new unexpected --

20 PARTICIPANT: (Inaudible.)

21 MR. SCOTT: Yes.

22 CHAIRMAN WALLIS: Especially on the sump
23 issue.

24 MR. SCOTT: Right, particularly on the
25 sump issue. So we certainly are not declaring victory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or contemplating declaring victory based on that
2 research at this point. But it's interesting.

3 PARTICIPANT: (Inaudible.) deposition.
4 You know, the peer review committee brought this up
5 (Inaudible.) deposition on the fuel (Inaudible.).

6 MR. SCOTT: I'm not going to be able to
7 speak to that. Do we have somebody here from the
8 staff who would like to answer that question? Let's
9 see. Rob or Paul Klein or somebody? Paul, do you
10 want to jump on that one?

11 MR. KLEIN: Paul Klein, NRR.

12 No, not really, Mike.

13 (Laughter.)

14 MR. SCOTT: I teed it up for him.

15 PARTICIPANT: This is not a loaded
16 question. I'm just asking it out of curiosity.

17 MR. KLEIN: Yes. There may be changes
18 related to quite different pH's. I'm not sure that
19 we're in a position to discuss that today. But based
20 on some of the experience from overseas testing as
21 well, we would expect there might be a different set
22 of problems associated with lack of buffer in the
23 pool, such as zinc corrosion that's not currently an
24 issue.

25 So though removing the buffer may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attractive overall, there are a number of technical
2 questions that would still need to be addressed.

3 CHAIRMAN WALLIS: Let me go back now.
4 Most plants or many plants have already installed
5 strainers I understand.

6 PARTICIPANT: I would say around half at
7 this point, yes.

8 CHAIRMAN WALLIS: And presumably for the
9 others since they are aiming to finish by the end of
10 the year, the strainers have been built.

11 PARTICIPANT: Or are being built
12 currently, yes.

13 CHAIRMAN WALLIS: Very close to
14 completion.

15 PARTICIPANT: Right. They will be built
16 just in time for the fall.

17 CHAIRMAN WALLIS: So one of the few things
18 you can change later is the chemistry. And you have
19 already got these strainers installed. And then you
20 decide that you've got a problem. One of the things
21 you could change relatively easily might be the
22 chemistry.

23 PARTICIPANT: The chemistry could be
24 changed. Additional fibrous insulation could be
25 removed. There are various options out there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: You don't want to go in
2 and rebuild the strainer.

3 MR. SCOTT: Well, you know, in a lot of
4 cases, these strainers are very, very large. In some
5 cases, they are all that will fit.

6 CHAIRMAN WALLIS: Right.

7 MR. SCOTT: So, you know, clearly that's
8 not a success path. And I don't believe any of our
9 licensees have got significant amounts of spare
10 strainers on hand they have paid to be built just in
11 case they need to add even more. I could be wrong,
12 but I doubt that many of them have done that.

13 CHAIRMAN WALLIS: At one point the
14 question was raised about maybe having to take some
15 out because there will be too much bypass or too big
16 a strainer.

17 MR. SCOTT: I had not heard of that being
18 a consideration.

19 CHAIRMAN WALLIS: This was raised by the
20 industry. Absolutely.

21 MR. SCOTT: Okay. Well, maybe John Butler
22 can update us on anything that he knows on that.

23 CHAIRMAN WALLIS: That viewpoint has
24 changed.

25 MR. SCOTT: Could be. Could be. In any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event, there are a lot of possible approaches to deal
2 with these potentially not good results. One thing --
3 and you will hear about this today -- is that the
4 industry is, so to speak, sharpening their pencil on
5 some of the conservatisms in the analyses.

6 And so that may be something that the ones
7 who are most affected by high fiber loadings might
8 plan to do because we do know that a number of the --
9 for example, the chemical effects topical report is
10 quite conservative. So there are various options.

11 I agree with what you were implying, that
12 I doubt that they are going to go back and make
13 significant changes to their already changed
14 strainers.

15 Slide 10. This is my last slide. You had
16 asked about plans for meeting with you all. The
17 question always comes up, are we looking for a letter?
18 For this meeting, we don't have any particular need
19 for a letter at this point.

20 Of course, if you are interested in
21 sharing your views on our progress, we are always glad
22 to hear those. We don't have a particular regulatory
23 requirement at this point that calls for a letter.

24 We know that the Commission believes that
25 you all need to stay thoroughly involved in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue. So however you wish to play that is fine with
2 us.

3 PARTICIPANT: I think we were planning to
4 address this in the July meeting.

5 CHAIRMAN WALLIS: You are going to present
6 to the full Committee in July. That's true?

7 MR. SCOTT: That's fine. That's fine. I
8 assume. I didn't know. There's no meeting in June,
9 I guess.

10 PARTICIPANT: There is. Graham is going
11 to be on holiday.

12 MR. SCOTT: He wouldn't want to miss this.
13 Okay. Okay. Absolutely. Okay. Well, then that's
14 fine. I didn't have that down here. I considered
15 that to be part and parcel of this meeting.

16 In any event, we planned to come back to
17 talk to you in the fall. There was going to be a lot
18 of new information in the fall, for example.

19 CHAIRMAN WALLIS: A letter might help if
20 it indicated to you what we would be looking for in
21 the fall.

22 MR. SCOTT: That's fine.

23 CHAIRMAN WALLIS: It would be helpful of
24 some things that we needed to bring to your attention
25 that we're really going to look for.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Of course.

2 CHAIRMAN WALLIS: Then we might want to
3 put it on paper.

4 MR. SCOTT: That's fine. That's fine. In
5 any event, we would anticipate in the fall that we
6 will be able to talk to you about the in-vessel
7 topical report. Depending on when in the fall we
8 actually brief you, we might be close to done with the
9 review of that document.

10 Just for your information, we target
11 trying to be at least at a draft SER in about the end
12 of September.

13 CHAIRMAN WALLIS: When would this be? I
14 think we're going to have a meeting in Germany in
15 October or something on this.

16 MR. SCOTT: We're willing to go to Germany
17 to meet with you, no problem.

18 CHAIRMAN WALLIS: So are you going to
19 present before that meeting so we can go over there
20 and tell them what you are doing?

21 MR. SCOTT: Well, you don't meet in
22 August, right?

23 PARTICIPANT: We have enough meetings in
24 August.

25 MR. SCOTT: The full committee doesn't

1 meet in August.

2 CHAIRMAN WALLIS: Yes.

3 MR. SCOTT: If we come in in August and
4 talk about in-vessel, I think it may be a little bit
5 premature.

6 CHAIRMAN WALLIS: How about September?
7 Well, you can work it out with Zena.

8 MR. SCOTT: Okay.

9 MS. ABDULLAHI: Yes. We will work it out
10 later.

11 MR. SCOTT: That's fine. Anyhow, we will
12 talk to you about that. We will plan to present to
13 you the results of the review that I was mentioning to
14 you about the remaining technical questions. That
15 would be the peer review comments and the staff
16 technical questions. We will talk to you about those.

17 We hope to be able to persuade the
18 industry to talk to you about results of integrated
19 head loss and chemical effects testing, some of which,
20 a significant amount of which, should be available by
21 the fall. That would be for them to do. And
22 hopefully they would be willing to do that.

23 CHAIRMAN WALLIS: Now, is this all going
24 to be proprietary or is it going to be open, this --

25 MR. SCOTT: I would say -- well, let's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see. The in-vessel is proprietary, right? No?

2 MR. DINGLER: (Inaudible.)

3 MR. SCOTT: Okay. So the in-vessel
4 topical report is a proprietary document. I guess Moe
5 Dingler was saying maybe we could have an open meeting
6 about it. But it is a proprietary document.

7 CHAIRMAN WALLIS: The results of
8 integrated head loss chemical effects, is all of that
9 going to be proprietary?

10 MR. SCOTT: I doubt it because that is
11 licensee testing. They're sponsoring it. You know,
12 they need to share it with us. And their licensing
13 basis will be public record.

14 CHAIRMAN WALLIS: This will be in the
15 public document room and somebody else other than us
16 can look at it and reach conclusions?

17 MR. SCOTT: That would be my conclusion
18 regarding not so much the topical report but the
19 testing results and so on, yes.

20 CHAIRMAN WALLIS: So that they have to
21 stand up not only to ACRS questioning and staff
22 questioning but the public view as well?

23 MR. SCOTT: Well, as is always true for
24 licensees' compliance, that is true.

25 CHAIRMAN WALLIS: Well, that is important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Yes, that's correct.

2 CHAIRMAN WALLIS: You don't want somebody
3 else to look at them and raise some question that we
4 forgot to raise.

5 MR. SCOTT: No, absolutely not. The other
6 thing -- so we would plan to talk to you about that in
7 the fall. And there would probably be some other
8 things. And maybe if there is something, in
9 particular, you have an interest in, we can talk to
10 you about it at that time.

11 And then in the spring, we will be talking
12 to you hopefully about our initial reviews of the
13 generic letter responses and the final audit results
14 because, as I said the last --

15 CHAIRMAN WALLIS: (Inaudible.) where
16 somebody said GSI-191 is over and done with, finished,
17 buried?

18 MR. SCOTT: Yes. There are two.
19 Actually, it's more or less parallel processes we go
20 through here. We've got one to close out the generic
21 letter and the other to close out the generic safety
22 issue.

23 And I've got an integrated schedule that
24 shows that stuff happening. And it's out in the
25 summer and early fall of next year because what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happens is we finish up our last audit in January.
2 And we're planning to do a non-trivial review of the
3 generic letter responses. So that's going to take
4 some time.

5 Again, what we're wrestling with is what
6 is the right level of detail of the information to be
7 provided in the generic letter responses. But
8 whatever it is, it's going to be enough that the staff
9 is going to need to spend some resources reviewing it.

10 So we see that playing out in the spring
11 and the summer. The regions will be doing inspections
12 of the installations that the licensees have made to
13 verify on each plant that the licensee has put in what
14 they committed to put in in their solutions and their
15 corrective actions.

16 So we take the audit results. We take the
17 generic letter responses. We take the inspection
18 results. We integrate all of that. And that turns
19 into internal documentation that hopefully will
20 support closure of the issue and closure of the
21 generic letter.

22 CHAIRMAN WALLIS: And who signs off on it?

23 MR. SCOTT: The generic letter is closed
24 out inside NRR. And I honestly don't remember. It's
25 a memo from somebody to somebody. And I'm sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mr. Dyer (Phonetic.) will have his final say in it.
2 Whether he actually signs off on it I don't recall.

3 The generic safety issue process involves
4 additional consideration of review in the generic
5 issues program and research, but it's a similar
6 process. And, like I say, all that plays out next
7 summer and fall the way it is currently looking.

8 CHAIRMAN WALLIS: Do we have to comment?
9 Are we required to comment on the closure issue?

10 MR. SCOTT: You're not required to comment
11 on the generic letter process. I believe there is a
12 spot in the GSI process for you all to comment. And
13 we will certainly seek your comments.

14 That concludes my prepared remarks.

15 CHAIRMAN WALLIS: Recall a time when we
16 write a letter which says GSI-191 should be closed or
17 should not be closed.

18 MR. SCOTT: I believe that time will come.
19 And I believe that time will be the middle of next
20 year.

21 If you all have no other questions, I
22 believe we have the PWR owners' group on chemical
23 effects.

24 CHAIRMAN WALLIS: Yes. We would like to
25 move along to that. Thank you, Mike, very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Thank you.

2 CHAIRMAN WALLIS: We took a little longer,
3 but I think it was worthwhile. Thank you.

4 MR. SCOTT: Thank you.

5 CHAIRMAN WALLIS: We are doing WCAP. Do
6 we have some slides?

7 MR. REID: You should have them in your --

8 CHAIRMAN WALLIS: In the book?

9 MR. REID: -- first handout called
10 "Chemical."

11 CHAIRMAN WALLIS: We're all ears.

12 2.A. CHEMICAL EFFECTS - WCAP 16530 STATUS

13 MR. REID: Very good. I'm Rick Reid with
14 Westinghouse. Today I am going to discuss the
15 pressurized water reactor owners' group chemical model
16 that was presented in WCAP 16530.

17 Next slide. By way of introduction, the
18 issue is chemical interactions between sump materials
19 and chemical additives to the sump by post-LOCA. And
20 the key interaction we are interested in is generation
21 of precipitates that may cause head loss to the sump
22 strainers.

23 The approach we have taken --

24 CHAIRMAN WALLIS: Excuse me. These
25 precipitates also if they go through would go to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core perhaps.

2 MR. REID: That would be correct, yes.
3 And the approach we have taken to a resolution is
4 first using the NRC-sponsored IECT program results and
5 follow-on testing sponsored by the PWROG to identify
6 the key interactions and to elucidate the factors that
7 control these interactions.

8 Next slide. Okay. The background here
9 is, as I mentioned, the IECT program chemical effects
10 kind of bled into the design of the test program that
11 we did. We wanted to augment the information that was
12 generated during that program.

13 For integrated testing, we used typical
14 plant materials, typical loadings, and some
15 chemistries, the five tests, long-term tests, 30 days
16 integrated with the materials in the solutions in the
17 test rate. We used a static temperature of 140
18 degrees to represent the kind of long-term equilibrium
19 conditions in the sump.

20 Next slide.

21 PARTICIPANT: How did you choose these
22 slides that (Inaudible.)?

23 MR. REID: I believe that IECT program was
24 the NRC-sponsored test.

25 PARTICIPANT: Right.

1 MR. REID: And I believe those are
2 selected to kind of bound the plants in terms of sump
3 chemistry primarily and then sump materials but
4 primarily sump chemistry, so different buffering
5 agents and pH values based on --

6 CHAIRMAN WALLIS: Material. They have
7 these plates at various materials.

8 PARTICIPANT: You are talking about the
9 IECT?

10 CHAIRMAN WALLIS: IECT.

11 MR. REID: Yes, that's correct, IECT
12 program.

13 PARTICIPANT: Okay. Okay.

14 MR. REID: That's correct.

15 PARTICIPANT: Okay.

16 MR. REID: Okay? And the research I
17 discuss IECT is that it was very important into the
18 development of this chemical model. We obviously
19 didn't ignore the results of that testing.

20 The PWR program, we did want to augment
21 the IECT program results to understand in more detail
22 some of the important interactions. So we did
23 bench-scale testing of individual materials over a
24 range of temperatures from 195 to 265 degrees
25 Fahrenheit and a range of pH values from 4.1 to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maximum of 12.

2 And we tested 11 different materials by
3 classifications of materials. And we did
4 precipitation tests at 80 degrees Fahrenheit to
5 determine what precipitates would form.

6 The ultimate goal was to develop a generic
7 chemical model to predict the quantity and types of
8 precipitates that would be generated under varying
9 plant conditions.

10 This work included a design of a
11 particulate generator so that licensees and vendors
12 could develop chemical surrogates they could use in
13 chemical-type testing of the strainers.

14 MEMBER BANERJEE: When you mean the
15 generic chemical model, this is sort of an empirical
16 model or is it based on thermodynamics?

17 MR. REID: There are some thermodynamic
18 inputs into the model, but the model was based on the
19 results of bench-scale testing, where we used measured
20 dissolution rates of the materials under various
21 conditions as generic and in the sense that it will
22 cover the range of pH values, buffering agents, and
23 temperature values that would be experienced in some
24 post-LOCA in all 69 plants.

25 MEMBER BANERJEE: So is somebody going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tell us about this model or --

2 MR. REID: Yes, I will. Yes, I will.

3 CHAIRMAN WALLIS: Now, this WCAP, I
4 thought I reviewed a draft of this about a year ago.
5 Is this the same thing or is this a new one? It's a
6 different document?

7 MR. REID: No, sir. It's the same one.

8 CHAIRMAN WALLIS: The same?

9 MR. REID: Yes.

10 CHAIRMAN WALLIS: Has it changed since
11 then? A long time ago I think I saw it drop.

12 PARTICIPANT: The only change is RAIs and
13 stuff we have had from the staff.

14 CHAIRMAN WALLIS: So it hasn't changed
15 substantially since then?

16 PARTICIPANT: Not to my knowledge, no.

17 MR. REID: As I mentioned, the result of
18 the test and the chemical model were --

19 CHAIRMAN WALLIS: Excuse me. Then it's
20 now formally published, is it, or is it still --

21 MR. REID: We're in the last round of
22 RAIs.

23 CHAIRMAN WALLIS: So it doesn't exist yet
24 as a document officially?

25 PARTICIPANT: It's officially submitted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the NRC. And I think they got it posted on ADAMS.

2 (Inaudible.)

3 PARTICIPANT: (Inaudible.)

4 MR. REID: The testing parameters in the
5 bench-scale testing, as I mentioned, the high
6 temperature we tested was 265 degrees Fahrenheit, low
7 temperature 190 degrees for dissolution testing,
8 precipitation testing 80 degrees Fahrenheit. The pH
9 range was from 4.1 to 12. And the containment
10 materials, we used a selection of representative
11 materials based on plant survey responses.

12 Next slide. This slide is a little bit
13 (Inaudible.) obviously that the -- this is the
14 classification of the materials. We surveyed the
15 materials, looked at their basic chemical constituents
16 to classify the materials into 11 classifications.
17 And they're given in this slide here.

18 Now, this is merely a picture of the
19 materials that we tested.

20 Next slide.

21 CHAIRMAN WALLIS: When you said,
22 "Representative material: None," that means that you
23 did not test that material? Is that what it means?

24 PARTICIPANT: Slide 7.

25 CHAIRMAN WALLIS: And you have listed

1 materials in slide 7.

2 MR. REID: That is --

3 CHAIRMAN WALLIS: But there are none on
4 the -- that means you did not include any of those
5 materials in your tests?

6 MR. REID: That is correct. Based on
7 previous information included in the IECT program
8 results, we determined that these materials would not
9 be of significant contribution to the chemical
10 species.

11 CHAIRMAN WALLIS: So if there were
12 significant oil leaks somewhere, that wouldn't have
13 been tested by you if there were a significant oil
14 leak somewhere in the containment?

15 MR. REID: That is correct in the --

16 CHAIRMAN WALLIS: It might contribute
17 something, but you didn't test oils that --

18 MR. REID: That is correct.

19 MEMBER BANERJEE: What about that
20 (Inaudible.) that lies around? I read somewhere that
21 (Inaudible.).

22 CHAIRMAN WALLIS: Blue jean fragments and
23 things, blue jean fibers.

24 PARTICIPANT: (Inaudible.) in one of these
25 reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Yes. Those materials
2 weren't specifically characterized and tested in a
3 test program. But, for example, materials such as
4 sand we tested a variety of different silicates
5 material that could be represented by those materials.

6 PARTICIPANT: Perhaps some subset of the
7 debris (Inaudible.)

8 PARTICIPANT: Yes. I believe a subset of
9 that debris would be covered by some of the materials
10 that we did test, but we did not specifically --

11 PARTICIPANT: (Inaudible.) and things like
12 that that seem prevalent.

13 PARTICIPANT: That's correct.

14 PARTICIPANT: Yes. Did that have any
15 effect?

16 PARTICIPANT: Well, I believe it would
17 certainly have an effect on physical head loss. The
18 contribution to the overall chemical effects, I
19 believe it would be minor compared to the other
20 containment --

21 CHAIRMAN WALLIS: Well, I think in the
22 sort of specifications for the screen, usually the
23 plant has something about this, whatever they call it,
24 residual debris or something like that.

25 PARTICIPANT: Yes. (Inaudible.) Latent

1 debris.

2 CHAIRMAN WALLIS: Latent.

3 PARTICIPANT: We have all estimated it --

4 CHAIRMAN WALLIS: Right.

5 PARTICIPANT: -- so many pounds, 100
6 pounds, 200 pounds, whatever. And we have to make
7 sure our containments are clean to maintain that
8 margin or whatever we have in there. So periodically
9 most utilities are now doing better cleanliness in the
10 containments to maintain that.

11 PARTICIPANT: And so these 100-odd pounds
12 which (Inaudible.) you don't expect they would have
13 any chemical effects?

14 MR. REID: Well, I would believe that the
15 chemical effects of those materials would be minor
16 compared to the effects of the containment materials,
17 particularly insulation materials. Clearly any of the
18 --

19 PARTICIPANT: Why is that?

20 MR. REID: Well, any of the inorganic
21 material -- the organic material we wouldn't expect to
22 dissolve and create species that would create
23 precipitates. And that's the concern for chemical
24 effects.

25 And the contribution of dirt, sand --

1 PARTICIPANT: You don't think the chemical
2 would make (Inaudible.) things like that?

3 MR. REID: I do not believe so, no.

4 PARTICIPANT: You also keep in mind some
5 of the latent debris is a particle that is the
6 fiberglass stuff coming out of the insulation, stuff
7 like that. And there is some PC cost that we do for
8 protective clothing. And that is part of it.

9 But if my memory proves me right, most of
10 it is the plant debris, the fiberglass, and stuff,
11 insulation type that has already tested is coming out
12 in that and the dirt and the stuff like that. So it's
13 mostly that type of stuff more than the other clothing
14 type and stuff like that.

15 MR. REID: Okay. This next slide shows
16 the rig that was used for dissolution testing. We
17 inserted the materials in these vessels under various
18 chemistry conditions and temperature conditions and
19 then analyzed the resulting solution for dissolved
20 species and for precipitation.

21 What we saw was that cal sil and metallic
22 aluminum provided the largest potential for material
23 release into solution.

24 PARTICIPANT: Were these dirt?

25 MR. REID: Yes, they were. They were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually shaken. There was a shaker in that assembly.
2 So they were constantly --

3 PARTICIPANT: (Inaudible.)

4 MR. REID: They were constantly shaking
5 during --

6 PARTICIPANT: And that was (Inaudible.).

7 MR. REID: No. There was some head space.
8 They were mostly (Inaudible.) but there was some head
9 space.

10 CHAIRMAN WALLIS: What is MinK made out
11 of?

12 MR. REID: MinK is a silicate measure.

13 CHAIRMAN WALLIS: So it is a source of
14 silicon, then, isn't it?

15 MR. REID: That is correct.

16 CHAIRMAN WALLIS: And it is very fine
17 particles presumably. It is one of the problems, I
18 believe, with certain filters and screens.

19 MR. REID: Yes.

20 CHAIRMAN WALLIS: Because it's fine
21 particles? Is that it?

22 PARTICIPANT: That's correct.

23 CHAIRMAN WALLIS: But is this not a
24 chemical effects problem it has? It is essentially a
25 physical effect?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REID: That is a physical effect. The
2 chemical effect comes into the fact that some of that
3 material does dissolve and is released in the
4 solution.

5 CHAIRMAN WALLIS: So MinK also dissolves
6 to some extent?

7 MR. REID: That's correct.

8 MEMBER KRESS: (Inaudible.)

9 MR. REID: That is correct. We did all of
10 these tests from 195 in part 190 in 265 degrees
11 Fahrenheit and over the range of pH. And they were
12 done in --

13 MEMBER KRESS: Would you get an
14 (Inaudible.)?

15 MR. REID: In most cases, we did.

16 MEMBER KRESS: Which indicated it wasn't
17 mass (Inaudible.).

18 MR. REID: That's correct.

19 PARTICIPANT: What was the liquid?

20 MR. REID: The liquid was a 4,400 ppm
21 boron solution as boric acid with the pH adjusted
22 using sodium hydroxide.

23 PARTICIPANT: And what is that typical of?

24 MR. REID: That is typical of the starting
25 conditions of the bounding plant for boron

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentration.

2 CHAIRMAN WALLIS: That's in the sump.

3 MR. REID: That's correct.

4 CHAIRMAN WALLIS: While the material is
5 dripping down from the containment, presumably the
6 environment is acidic. It's all boric acid.

7 MR. REID: That's correct. And the
8 chemical model can take that --

9 CHAIRMAN WALLIS: Takes that into account?

10 MR. REID: Yes.

11 CHAIRMAN WALLIS: So you did test with a
12 low pH, then?

13 MR. REID: That is correct, yes.

14 CHAIRMAN WALLIS: With no hydroxide at
15 all.

16 PARTICIPANT: You went from 4.1 to --

17 MR. REID: Correct.

18 CHAIRMAN WALLIS: The dissolution rates
19 were much higher for --

20 MR. REID: It depends on the material.
21 Actually, for example, for aluminum in the fiberglass
22 materials, dissolution is higher at higher pH. For
23 calcium, it is higher at lower pH.

24 Yes. I believe that is in here.

25 PARTICIPANT: I mean, I see the range of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variables.

2 MR. REID: Actually, I'm sorry. We do not
3 have a test matrix.

4 PARTICIPANT: So tell me how many tests --
5 because this is multidimensional. You have got many
6 variables in this program.

7 MR. REID: That's correct. For each
8 material, we did the minimum of six test runs, so to
9 range at two temperatures and three pH values.

10 CHAIRMAN WALLIS: And the raw data are in
11 this report?

12 MR. REID: Yes, they are.

13 MEMBER KRESS: I was wondering about
14 dissolutions rate. Reading ahead, when you get to
15 total mass, the time involved in getting the total
16 mass, was it some representative time of a LOCA event
17 or what was the time --

18 MR. REID: In this case the time for most
19 of these tests was short. It was 90 seconds. And the
20 basis for that was that the dissolution behavior is
21 fastest initially in --

22 MEMBER KRESS: (Inaudible.)

23 MR. REID: That's correct.

24 MEMBER KRESS: Getting a maximum rate?

25 MR. REID: Yes. We wanted to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instantaneous dissolution rates (Inaudible.).

2 MEMBER BANERJEE: I'm still trying to
3 understand how from two temperatures you were able to
4 (Inaudible.) behavior.

5 CHAIRMAN WALLIS: Well, you can
6 (Inaudible.) erraneous behavior pretty easily.

7 PARTICIPANT: That's for sure.

8 CHAIRMAN WALLIS: Whether you can conclude
9 that it was erraneous is a different question.

10 MEMBER KRESS: Yes.

11 PARTICIPANT: Well, erroneous.

12 MEMBER BANERJEE: The problem is that
13 typically chemical reactions double in rate every ten
14 degrees.

15 MR. REID: That's correct. Yes. That's
16 a good -- that's right.

17 MEMBER BANERJEE: So you did one test at
18 whatever the rate was, 190, and the other at 265. So
19 your rate would have been this is Fahrenheit. So if
20 I translate it into Celsius, divide by 1.8, that would
21 be 75 divided by 1.8. Let's say the --

22 MEMBER BANERJEE: Do you expect your
23 reaction rate to be up by at least a factor of eight
24 percent?

25 MR. REID: For a majority of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials.

2 MEMBER BANERJEE: Yes. Is that true?

3 MR. REID: I believe that was largely
4 true. And then we also did look at the results of the
5 IECT program, which were running 140 degrees
6 Fahrenheit, as a check to our results to see how they
7 matched up.

8 MEMBER BANERJEE: They should be another
9 factor of 8 lower than your 190.

10 MR. REID: That's correct.

11 CHAIRMAN WALLIS: Well, were they measured
12 in rates or were they measured in something closer to
13 an equilibrium? I don't know enough about the test.

14 MR. REID: We're really measuring rate
15 because they were short-term tests. In IECT? Not
16 really. They were not measuring rates, but what we
17 did was once we had the chemical model developed, we
18 put in the inputs for the conditions for IECT and
19 compared the results.

20 MEMBER KRESS: In a very circular argument
21 (Inaudible.), your model probably had the (Inaudible.)
22 factor in there. Then you go back and do it. I mean
23 --

24 MR. REID: No. It didn't assume erraneous
25 behavior.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Then how did you predict
2 what the reaction rate would be?

3 MR. REID: We didn't predict what the
4 reaction rates would be. What we predicted was the
5 material release of the function of pH and
6 temperature.

7 MEMBER BANERJEE: Perhaps we should see
8 the model, but it seems to me that the model would
9 have to have some way of predicting that. But whether
10 it was (Inaudible.) reaction-dominant, I would like to
11 understand whether the model is (Inaudible.) or
12 reaction-dominated. If reaction-dominated, it has to
13 have some sort of kinetic model, right?

14 MR. REID: No. We did not assume a time
15 dependence for the reaction.

16 MEMBER BANERJEE: Well, you had better
17 (Inaudible.). But let's put this off.

18 CHAIRMAN WALLIS: Yes. I would like to
19 know about your presentation. Are these 62 slides
20 part of the presentation you are going to cover in the
21 next half-hour or so. Is that --

22 MR. REID: Well, the intention was to have
23 the detail in here.

24 CHAIRMAN WALLIS: I think once we start
25 asking these questions, we're not going to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through. But it's important that we ask questions,
2 too. So we may be here until 6:00 o'clock or
3 something like that tonight or maybe if Dr. Banerjee
4 starts getting drowsy, we can go on quicker.

5 (Laughter.)

6 PARTICIPANT: That will be (Inaudible.).

7 CHAIRMAN WALLIS: Okay. Let's move on.

8 PARTICIPANT: Can I just ask a question
9 here? You indicate that these data on page 10 are for
10 90-second tests. And the aim is to get instantaneous
11 values.

12 MR. REID: That's correct.

13 PARTICIPANT: Looking at the picture on
14 page 9, how are these experiments done to terminate
15 the reaction after 90 seconds?

16 MR. REID: We simply timed the 90 seconds.
17 That's how long we ran the test. And then we
18 transferred the solution from the vessels, out of
19 vessels for analysis.

20 PARTICIPANT: And you can essentially
21 instantaneously transfer the solution out of the
22 vessel?

23 MR. REID: That's correct, yes.

24 PARTICIPANT: Okay. Thank you.

25 PARTICIPANT: How did you measure the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amounts on the rock? (Inaudible.)

2 MR. REID: We did both, but the primary
3 measure was the quantity of dissolved material in
4 solutions.

5 PARTICIPANT: You had a solution and
6 analyzed --

7 MR. REID: That's correct.

8 MEMBER BANERJEE: I was hoping that you
9 would come to the model somewhere on this slide, but
10 what I see is that there is no map anywhere except
11 words. Do you have a model which is written down in
12 something that's programmed?

13 MR. REID: Yes. If we --

14 MEMBER BANERJEE: Unless I'm missing it?

15 MR. REID: No.

16 MEMBER BANERJEE: It's a lot of words.

17 MR. REID: See, if we move way on into the
18 presentation, if we go to slide 47, for example, there
19 is the type of equation that we have.

20 MEMBER BANERJEE: I can't read those.

21 What is RR?

22 MR. REID: This is the release. That is
23 the release rate for the given material. In this
24 specific example, it's aluminum release.

25 MEMBER BANERJEE: This looks like a curve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fit.

2 MR. REID: It is a curve fit. That is
3 correct. There is no time --

4 MEMBER BANERJEE: There is no model for --

5 CHAIRMAN WALLIS: But it's got sudden
6 significant figures on the --

7 MEMBER BANERJEE: How many data points was
8 this specifically?

9 MR. REID: That would have been fitted to
10 six data points.

11 (End of Tape Side A.)

12 (Beginning of Tape Side B.)

13 MR. REID: (Tape begins in mid-sentence.)
14 -- the temperatures and pH value.

15 PARTICIPANT: That would be significant to
16 know.

17 MEMBER BANERJEE: Each of these data
18 points (Inaudible.).

19 MR. REID: That is correct.

20 MEMBER BANERJEE: So if you have
21 temperature and pH --

22 MR. REID: It's a variable. That's
23 correct.

24 MEMBER BANERJEE: So you have one of these
25 for each material?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REID: That's correct.

2 MEMBER BANERJEE: How do you pick the form
3 of the --

4 MR. REID: The form of the relationship
5 was chosen to give the best fit to the data.

6 MEMBER BANERJEE: For different materials,
7 there are different forms of data?

8 MR. REID: That is correct.

9 CHAIRMAN WALLIS: So there is no
10 theoretical basis for the form of the equation?

11 MR. REID: That is correct. The
12 theoretical basis is we did (Inaudible.) pH and
13 temperature-dependent and specifically did not include
14 time dependence.

15 PARTICIPANT: If I were to ask you to put
16 an error bar on any of these graphs, how would you go
17 about doing that?

18 MR. REID: To do that, we would look at --
19 in many cases, we did do duplicate rods. So we would
20 use that data to put the error bars on there.

21 PARTICIPANT: Do you have any of that
22 information here?

23 MR. REID: Not in this presentation.

24 PARTICIPANT: In the report?

25 MR. REID: Where that information is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available, it is in the report, a discussion of --

2 CHAIRMAN WALLIS: I would think that there
3 is a fair amount of scatter in the results with these
4 sorts of plants.

5 MR. REID: We did see some scatter, but in
6 comparison to IECT results and other NRC-sponsored
7 testing, we get good agreement with the predictions.

8 MEMBER BANERJEE: Will these be carefully
9 --

10 PARTICIPANT: What's the (Inaudible.) if
11 I may ask?

12 MR. REID: Pardon?

13 PARTICIPANT: What prediction?

14 MR. REID: The prediction from our
15 chemical models. We put the specific temperature --

16 PARTICIPANT: Your model is an empirical
17 fit.

18 MR. REID: The empirical fit to the
19 release rate is part of the model. And there are
20 other pieces to the model. We take time sets for
21 temperature, pH condition, calculate release rate over
22 each time step, and then also include effects such as
23 common ion effects so that dissolution of materials
24 will flow down as the quantity of dissolved species
25 build up in solution.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What is the criterion
2 for acceptance for these models in terms of screen
3 blockage? I mean, are you looking at best estimate
4 value or something with some sort of statistical
5 confidence or what? Are there some requirements?

6 Does the staff have any idea what it is
7 going to require for sort of confidence in their
8 results here? And that would tell you how much you
9 need to do in terms of looking at uncertainty and so
10 on. Is the staff going to cross that bridge when it
11 gets to it?

12 And if you start asking for 95 percent
13 confidence or something, you are going to have to have
14 an enormous number of tests. You can't set an
15 afterthought and say, "We are going to ask for 95
16 percent confidence" if the experimental basis isn't
17 there.

18 MEMBER BANERJEE: These tests are
19 relatively (Inaudible.).

20 PARTICIPANT: All plants (Inaudible.) are.
21 We can discuss that maybe in some more detail in the
22 next presentation that follows, but we will not be
23 asking for a 95 percent confidence. I think we
24 recognize there will be a fair amount of scatter in
25 any type of test, such as these.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The overall objective is to ensure that
2 the model and how the licensees implement it predicts
3 a conservative amount of precipitation and that when
4 integrated head loss testing is performed, chemical
5 effects are handled in a conservative manner.

6 CHAIRMAN WALLIS: Well, if you have got an
7 equation, like LOG(RR) equals all this stuff, is that
8 a conservative equation? It looks to me like the
9 curve fits three or four data points.

10 PARTICIPANT: In the following
11 presentation, we will get into more detail about some
12 of the conservatisms we think are in the model.

13 CHAIRMAN WALLIS: Okay.

14 MEMBER BANERJEE: So this is just a
15 dissolution model?

16 PARTICIPANT: It is --

17 MEMBER BANERJEE: That equation?

18 MR. REID: That's correct. It is an
19 instantaneous dissolution model that has been used to
20 calculate dissolution rates of the materials over
21 time. And the time factor is included by calculating
22 the release rate as time step (Inaudible.) time step.

23 MEMBER BANERJEE: This is instantaneous.

24 MR. REID: That is correct.

25 CHAIRMAN WALLIS: The sump is active for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hours.

2 MR. REID: That is correct. That's why
3 the equation is a part of the model. And, as I
4 mentioned, they are calculated at time steps.

5 CHAIRMAN WALLIS: There is stuff in the
6 sump. And when various chemicals start to get formed,
7 they change the reaction rate of the other chemicals.

8 MR. REID: That's correct.

9 CHAIRMAN WALLIS: I'm not sure how these
10 ideal tests are -- you just have one liquid dissolved
11 in one solid here, how that is translated to what
12 happens in a sump when you have many constituents
13 interacting.

14 MR. REID: That is correct. And I do have
15 a discussion of those interactions and how those were
16 handled in the chemical modeling.

17 CHAIRMAN WALLIS: Because I think at
18 Argonne, there were some inhibitions of certain
19 dissolutions of materials --

20 MR. REID: That's correct.

21 CHAIRMAN WALLIS: -- when some other
22 material was there.

23 MR. REID: That's correct.

24 MEMBER BANERJEE: (Inaudible.) describe
25 the chemical model?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REID: Yes. This describes the
2 details of the chemical model.

3 MEMBER BANERJEE: Do you have all of the
4 equations there?

5 MR. REID: All of the equations are in the
6 report. And how those equations are applied are in
7 the report. And discussion of the types of
8 interactions that you mentioned and how those were
9 handled in the chemical model are in the report.

10 MEMBER BANERJEE: So tell me in broad
11 terms the dissolution (Inaudible.).

12 MR. REID: That's correct.

13 MEMBER BANERJEE: More common than
14 (Inaudible.). So this loads up the solution
15 (Inaudible.).

16 MR. REID: That's correct. And then we
17 did precipitation testing and used results of that
18 testing, results of IECT, and the results of literary
19 interpretation that were available to determine the
20 types of precipitates that were --

21 MEMBER BANERJEE: But that was based on
22 taking the solution now and doing something to make it
23 (Inaudible.).

24 MR. REID: That's correct. Part of the
25 test program was after these solutions were generated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the individual materials to combine those
2 materials to determine what was precipitates. We used
3 that information, as I mentioned, with other available
4 information to assign the type of precipitates that
5 would generate.

6 So as the model predicts the quantity of
7 materials and solution and then predicts the quantity
8 of precipitates that would be generated. For example,
9 if you have aluminum and silicon in solution, the
10 model is going to predict you are going to get sodium
11 aluminum silicate precipitate.

12 MEMBER BANERJEE: Well, let's get this
13 clear in my head anyway. You have got an
14 instantaneous dissolution model, which you run in a
15 transient calculation, right?

16 MR. REID: Correct.

17 MEMBER BANERJEE: And, therefore, you
18 determine the concentrations in the fluid?

19 MR. REID: That's correct.

20 MEMBER BANERJEE: Then you apply some
21 empirical precipitation model --

22 MR. REID: That's correct.

23 MEMBER BANERJEE: -- and see what comes
24 out?

25 MR. REID: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: And there are basically
2 two empirical fits. Precipitation is an empirical
3 fit, and this is an empirical fit.

4 MR. REID: That's correct.

5 MEMBER BANERJEE: And how many data
6 points? Because all these different materials are
7 there, for the dissolution, you are using six data
8 points?

9 MR. REID: That's correct.

10 MEMBER BANERJEE: And what about for the
11 precipitation?

12 MR. REID: For the precipitation, we
13 looked at results of IECT, as I mentioned, and other
14 literature information on both the thermodynamic
15 evaluations and some kinetic information that is
16 available to determine the types of materials that
17 would expect to be precipitate if you had various
18 species in solution.

19 MEMBER BANERJEE: Well, are you going to
20 discuss that model?

21 MR. REID: Yes.

22 MEMBER BANERJEE: Okay.

23 CHAIRMAN WALLIS: Well, while we are still
24 looking at slide 10, you have a gram of some sort of
25 aluminum dissolved at pH of 12 and 90 seconds. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that what it says?

2 MR. REID: That's correct.

3 CHAIRMAN WALLIS: So if I run it for an
4 hour and a half, which is 60 times as much or
5 something like that, will I get 60 grams?

6 MR. REID: We did run some of these tests
7 for longer periods. And we did look at literature
8 value for aluminum release measured at different time
9 scales.

10 And the answer to your question is at high
11 pH and high temperature, you will likely get something
12 approaching 60 seconds. So there is no --

13 CHAIRMAN WALLIS: So this is what you
14 recommend, then, and use them. And this is going to
15 lead to equations for use in a sump.

16 MR. REID: That's correct.

17 CHAIRMAN WALLIS: And then you are going
18 to extrapolate the 90-second tests to as long as the
19 sump has a condition something like that?

20 MR. REID: That is correct, and that is
21 one of the --

22 CHAIRMAN WALLIS: It keeps on dissolving
23 aluminum all that time?

24 PARTICIPANT: That is one of the
25 conservatisms in the model and the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: Paul Klein from NRR.

2 I would like to offer one clarification.

3 These are up to 90-minute tests, not 90-second tests.

4 CHAIRMAN WALLIS: I thought you said 90
5 seconds.

6 MR. KLEIN: I think he might have
7 misspoke.

8 CHAIRMAN WALLIS: A 90-minute test?

9 MR. REID: You're correct. I apologize.

10 CHAIRMAN WALLIS: That makes a big
11 difference. So you're scheduled to speak here for 45
12 hours, right?

13 (Laughter.)

14 CHAIRMAN WALLIS: Okay. We had better
15 move on.

16 MR. KLEIN: So we're clear, it's 90
17 minutes now.

18 MR. REID: Ninety minutes. I apologize.

19 CHAIRMAN WALLIS: Okay. Changes
20 everything.

21 MR. REID: Okay. So, as we mentioned,
22 this does show the release dependence on pH and, as
23 mentioned for aluminum, the higher release for pH.
24 And calcium silicate, for example, is higher release
25 at lower pH.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Precipitation test. We performed
2 precipitation tests, both by adding select chemical
3 solutions together and adding buffering agents to
4 determine phosphate precipitation.

5 Should I go on? These are the
6 precipitation test results, determine the types of
7 precipitates that we found in this testing. Then we
8 did characterization of the precipitates to determine
9 the types of precipitates that we have and then the
10 settling rate and filtration properties of the
11 precipitates.

12 The next slide is a photograph of the
13 precipitation settling rate determinations. In these
14 tests, we transferred these solutions directly from
15 the vessels very quickly into a water bath maintained
16 at 80 degrees Fahrenheit and then observed over a
17 24-hour period for the formation and settling of that
18 precipitate.

19 CHAIRMAN WALLIS: Now, the effect of
20 precipitate on the screen is very dependent on the
21 structure of the precipitate, which depends very much
22 on how it is made presumably.

23 MR. REID: That is true up to a point, but
24 some of the testing that we did forming precipitates
25 under a limited number of conditions we did see some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 small dependence on the short-term tests on the
2 filtration properties.

3 CHAIRMAN WALLIS: Going back to the
4 Argonne experiment, I mean, Argonne got some
5 high-pressure drop on their screen with material which
6 couldn't even be seen.

7 MR. REID: Yes. And that is consistent
8 with our test results that --

9 CHAIRMAN WALLIS: Would you have recorded
10 a precipitate of that type and in these tests,
11 something which couldn't even be seen but, yet, was
12 capable of blocking a screen?

13 MR. REID: Well, even in the cases where
14 we didn't necessarily see a visible precipitate, we
15 still passed these through filters for filtration
16 testing.

17 MEMBER BANERJEE: (Inaudible.)

18 MR. REID: Generally not.

19 MEMBER BANERJEE: I want (Inaudible.) not
20 really (Inaudible.).

21 CHAIRMAN WALLIS: What did they call it?

22 MEMBER BANERJEE: I don't remember.
23 (Inaudible.)

24 MR. REID: Well, generally without
25 detailed characterization, we term the precipitates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amorous or highly hydrated but not necessarily --

2 MEMBER BANERJEE: (Inaudible.)

3 MR. REID: Pardon?

4 MEMBER BANERJEE: (Inaudible.)

5 MR. REID: No. In most cases these are --
6 they settled or appeared to be amorphous or highly
7 hydrated. And they settled very slowly and, even at
8 very low concentrations, caused immeasurable head loss
9 over a filter. These pictures that you see here are
10 after 24-hour settling.

11 Next slide.

12 CHAIRMAN WALLIS: I don't see anything.
13 That white stuff at the bottom?

14 PARTICIPANT: (Inaudible.)

15 CHAIRMAN WALLIS: Okay.

16 PARTICIPANT: The white stuff at the
17 bottom.

18 CHAIRMAN WALLIS: Yes.

19 MEMBER BANERJEE: (Inaudible.) that you
20 basically took the dissolved material that you had
21 from your other step forward and then put something
22 through it at some (Inaudible.).

23 MR. REID: In some cases. In some cases,
24 we simply transferred the solution into a cooled bath
25 to see just from that solution whether a precipitate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 formed.

2 MEMBER BANERJEE: Just by changing the
3 temperature?

4 MR. REID: Just by changing the
5 temperature. That is correct. And in other cases, we
6 did combine solutions from the different tests to see
7 if a precipitate formed. And in the last of the
8 cases, we added (Inaudible.) phosphate to determine
9 whether a phosphate precipitate formed.

10 Summary from the bench testing, what we
11 saw was the elements with the largest contribution was
12 calcium aluminum and sorthon. This is consistent with
13 expectations in IECT programs.

14 The key precipitates that we determined to
15 be formed were sodium aluminum silicates, aluminum
16 oxyhydroxide, and calcium phosphate for plants that
17 use PSP buffers.

18 So the chemical model development, the
19 inputs to the model are the temperature and pH
20 profiles over the 30-day or longer emission time --

21 MEMBER BANERJEE: Why do you call it a
22 model? I mean, a model has some time. This is just
23 two sets of empirical fits, no science that I can see
24 unless I'm missing something.

25 MR. REID: Well, I believe the science and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reason we call it models, we do have some test
2 data that was used to generate dissolution over a
3 range of pH and temperature values.

4 MEMBER BANERJEE: I think you dignify this
5 with more than it is, really. Basically it's two
6 empirical sets in a little time set calculation. From
7 what I understand, that is all you are doing unless I
8 am getting something wrong. I don't see any science
9 in it.

10 CHAIRMAN WALLIS: Well, it's not really a
11 model. It's predictive tool, isn't it? I mean, they
12 are going to use this in order to make predictions.

13 MEMBER BANERJEE: I could have used the
14 neural network and put all this stuff in and whatever,
15 I mean, the same thing.

16 CHAIRMAN WALLIS: The purpose is to
17 develop something for use, right, isn't it? It's a
18 empirical tool for use in predicting what happens in
19 the sump.

20 MEMBER BANERJEE: Right.

21 MR. REID: That's correct.

22 MEMBER BANERJEE: It's different from
23 taking into account some science and how ions
24 interact. And then there is thermodynamics and things
25 going on. It gives some basis in equilibrium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thermodynamics of what --

2 MR. REID: Well, we did use that
3 information, where available, from previous studies;
4 for example, Oak Ridge studies on the thermodynamic
5 behavior of --

6 MEMBER BANERJEE: But is that in a
7 so-called model or did you just wave your hands up?

8 MR. REID: I don't believe we waved our
9 hands. I believe we considered information from a
10 variety of sources.

11 MEMBER BANERJEE: How is it in your model?
12 How is it put into your model, this information?

13 MR. REID: That specifically is included
14 in the model and the identification of the
15 precipitates that were formed.

16 MEMBER BANERJEE: But you have identified
17 the precipitates. It is an empirical fit. You are
18 just saying aluminum oxyhydride is given by this
19 empirical fit. Isn't that where your model -- I
20 haven't seen your model in this --

21 MR. REID: No. That's the --

22 MEMBER BANERJEE: You haven't told us what
23 your model is yet.

24 MR. REID: No. The function in the model
25 or predictive tool if you would rather call it that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 once we had determined the materials that are in
2 solutions, then we have to have a way to determine how
3 they will combine to produce precipitates.

4 And part of the input to that is one of
5 our test results that determines what precipitates
6 form and previous thermodynamic studies and kinetic
7 studies to determine the types of precipitates that
8 would form under the specific chemistry and
9 temperature conditions.

10 MEMBER BANERJEE: So is there a module
11 there which runs from equilibrium thermodynamics and
12 says, "Oh, yes. Okay. This is going to form now"?
13 Is there something like that there?

14 MR. REID: That is not included. The
15 specific calculation is not included in the model.
16 The results from those from previous calculations are
17 included in the model by virtue of the fact that we're
18 saying if we have aluminum and silicate in solution,
19 we are going to get 30 aluminum silicate under these
20 conditions.

21 PARTICIPANT: Then how do you predict the
22 rate of precipitation? I thought that was coming out
23 of your --

24 PARTICIPANT: We do not. In the original
25 chemical model, we do not calculate a rate of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precipitate formation. We assume that 100 percent of
2 the materials that are dissolved are available. And
3 they immediately form a precipitate.

4 PARTICIPANT: Well, the model that you're
5 talking about, since we look at the amount that has
6 been dissolved --

7 PARTICIPANT: That's correct.

8 PARTICIPANT: -- and from that determine
9 that some species would interact when temperatures
10 change below --

11 PARTICIPANT: No. They all come in and
12 out of solution at any temperature and pH condition
13 (Inaudible.).

14 PARTICIPANT: All of it comes out.

15 PARTICIPANT: All of it comes out.

16 CHAIRMAN WALLIS: What is the bridge from
17 this to this, the sump question? Are you going to
18 specify surrogates for use in the large-scale testing?
19 Is that what the purpose of all of this work is?

20 PARTICIPANT: That is correct, that we
21 want to develop a tool to predict the quantity of
22 precipitates that would be generated under
23 plant-specific conditions. And then that quantity of
24 material would be added in the sump screen.

25 CHAIRMAN WALLIS: And then the sump screen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing is no attempt to duplicate your chemical test
2 on a large scale?

3 PARTICIPANT: That's correct.

4 CHAIRMAN WALLIS: So the assumption is
5 made that your tests are good enough to specify what
6 they have to throw into the large-scale tests as a
7 precipitate?

8 PARTICIPANT: That's correct.

9 PARTICIPANT: Is there any validation of
10 that on a large scale?

11 PARTICIPANT: I would say the validation
12 once again is on a large scale or larger scale
13 comparison to the IECT program results. As I
14 mentioned, we did use results of that 30-day
15 integrated test and apply our chemical tool to predict
16 the behavior that we would have expected during the
17 IECT test.

18 PARTICIPANT: Oxidizing test. Was there
19 any new test? I mean, you could always (Inaudible.)
20 empirical model, always. You may not want to. It may
21 happen just by hindsight. Were there any new tests
22 done to validate this model on a large scale?

23 PARTICIPANT: Large-scale integrated
24 testing? No.

25 PARTICIPANT: Nothing has been done. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you are adding this surrogate that is on a little
2 (Inaudible.) experiment? It's a leap of faith to me.

3 PARTICIPANT: I guess it's a leap of faith
4 effectively to consider that there are a number of
5 conservative functions that went in to development of
6 the model.

7 PARTICIPANT: Right, right.

8 PARTICIPANT: And that was done because
9 there is a deal of uncertainty.

10 PARTICIPANT: If there is so much
11 conservatism, why not just do one large scale or two
12 or three just to make sure that this is truly
13 conservative and happens also in the large scale?
14 These surrogates, I presume what people are doing,
15 they are just dumping this stuff in and hoping for the
16 best. How do we know that that is really what happens
17 in a real test?

18 PARTICIPANT: Well, certainly -- and I
19 can't speak in detail to how this model is used by
20 the end users, but for my understanding, most vendors
21 as a first approach would calculate the material that
22 is predicted to be generated over 30 days and dump
23 that material in.

24 But they also have the option to say that
25 we're going to predict we have this quantity of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material after a week, this quantity of material after
2 another week. And neither of that entered the test.

3 The model doesn't preclude --

4 PARTICIPANT: I understand more or less
5 what is happening. It seems that it is pretty
6 imprudent to review this on the basis of the tiny
7 little test if this is really what happens in an
8 integrated system.

9 PARTICIPANT: I would agree in principle
10 that the body of knowledge from this work was the only
11 body of knowledge we had.

12 PARTICIPANT: There is much more. I mean,
13 there is the IECT test. What else is there?

14 PARTICIPANT: No. I think the comparison
15 to the IECT test, IECT test is important.

16 PARTICIPANT: Yes, sure. But it is a very
17 limited body of knowledge. And it seems enormous
18 scale-up, I mean, to go from there to -- you know, we
19 are talking of real reactor systems that actually --

20 PARTICIPANT: And that's why I believe the
21 NRR certainly --

22 PARTICIPANT: (Inaudible.) that you should
23 do some large-scale tests to assure that at least
24 these surrogates really work.

25 CHAIRMAN WALLIS: We'll find out when they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't.

2 PARTICIPANT: Or we'll find out when they
3 don't. Yes.

4 CHAIRMAN WALLIS: Well, I think the
5 testing that has been done with the surrogate
6 material, I think that certainly does show that it
7 causes head loss. The question is, are the quantities
8 of the materials right? And our belief by the
9 conservatism and the conservatism approach we took
10 (Inaudible.) tool is that we are conservatively
11 predicting the quantity of material. So --

12 PARTICIPANT: I think they are even
13 cross-references. It is not only that you are doing
14 this stuff, but where it comes out that matters. If
15 it comes out in the fuel, in the (Inaudible.) effect,
16 that's a very different situation that coming
17 (Inaudible.). Who knows where it is going to come
18 out.

19 PARTICIPANT: I guess the question is how
20 we are using the model from a -- there are other
21 reports (Inaudible.) how you do the head loss testing,
22 how we evaluated it on the fuel. And that is not part
23 of this program. That's the question.

24 PARTICIPANT: My question is, has this
25 model been validated on a larger scale? That is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really my --

2 PARTICIPANT: The answer is we didn't feel
3 it was needed at this time.

4 PARTICIPANT: You didn't feel it was
5 needed. What was the basis of that?

6 PARTICIPANT: The basis of that was the
7 conservative assumptions that went into settlement of
8 the model.

9 PARTICIPANT: Yes, but how do we know they
10 were conservative?

11 PARTICIPANT: I think the comparisons to
12 existing data that we can run this model along the
13 tool on that would predict material release and
14 subsequent precipitation will show in all cases where
15 we have done that evaluation that we get conservative
16 results.

17 PARTICIPANT: You have never done a
18 larger-scale experiment. You build newer systems that
19 (Inaudible.). You haven't actually mixed all of these
20 things together. How do you know it is conservative?
21 I really --

22 PARTICIPANT: I guess I'll go again to the
23 comparison of the IECT, which was a larger-scale
24 integrated test, higher quantity.

25 Pardon?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: If you want a dissolution
2 test, I mean, it was a completely different thing.
3 There was no rate case (Inaudible.).

4 PARTICIPANT: That's correct, but we can
5 --

6 PARTICIPANT: Rate doesn't process here,
7 right?

8 PARTICIPANT: But this tool does not
9 consider rate.

10 PARTICIPANT: I thought you said you were
11 time stepping.

12 PARTICIPANT: There are time steps that
13 the model -- the dissolution rate, for example,
14 doesn't have that time dependence.

15 MEMBER KRESS: I would like to return to
16 that. The 90 minutes for those dissolution tests, you
17 don't get a rate out of that? You end up getting a
18 total amount?

19 PARTICIPANT: We could have gotten a rate
20 out of that, but we did not because we didn't do it --

21 MEMBER KRESS: What is the saturation
22 effect?

23 PARTICIPANT: No. We assumed that that
24 dissolution rate would go forever.

25 CHAIRMAN WALLIS: They are only measuring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rate. They think that they are only measuring rate.
2 There are no equilibrium limits or anything, as I
3 understand it.

4 PARTICIPANT: That is correct.

5 PARTICIPANT: (Inaudible.) will continue
6 forever.

7 PARTICIPANT: That's correct. That is one
8 of the conservative assumptions in the model.

9 PARTICIPANT: (Inaudible.)

10 CHAIRMAN WALLIS: I suspect the staff is
11 asking all the questions we are asking.

12 My plan is to let you go to 10:30, which
13 means we are going to be behind by half an hour or 45
14 minutes or something, but this seems to be an
15 important part of the day's work. And then we'll just
16 try to catch up later, but we're probably going to be
17 running late today.

18 PARTICIPANT: If the staff is asking these
19 questions and we are just repeating ourselves, then
20 we should know that.

21 CHAIRMAN WALLIS: Well, the staff is going
22 to come on and reassure us after the break.

23 PARTICIPANT: Can you reassure us now that
24 you are asking all of these questions?

25 PARTICIPANT: (Inaudible.) after the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break.

2 (Laugther.)

3 CHAIRMAN WALLIS: By the way, there is no
4 court reporter here. Everything you say is being
5 taped. So what do we do? We sell the tapes to the
6 public or what do we do? Do we have to make a
7 transcript?

8 PARTICIPANT: Yes (Inaudible.).

9 CHAIRMAN WALLIS: It will be provided into
10 a transcript? And hopefully it will make some sense,
11 then, when it is written down?

12 PARTICIPANT: (Inaudible.) reminder is for
13 the members not to (Inaudible.).

14 PARTICIPANT: (Inaudible.) identify.

15 PARTICIPANT: (Inaudible.)

16 CHAIRMAN WALLIS: Yes. Okay. So let's
17 press on here because we actually have a lot more
18 material.

19 PARTICIPANT: And some data, too.

20 CHAIRMAN WALLIS: Yes, but you are going
21 to finish by 10:30.

22 MR. REID: Okay. Very good. Okay. So we
23 consider the chemical effects model to be an
24 integrated test model development tool. I don't
25 object to that designation either.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the factors that we considered are we
2 did use available thermodynamics and kinetics
3 information. We did consider common ion effects.
4 That's an option in the model. Loss of dissolved
5 species to precipitation, we did consider that.
6 Effect of other dissolved species on material release
7 rates, inhibition and catalysis we did consider.

8 CHAIRMAN WALLIS: Did it work? Was there
9 significant inhibition and catalysis?

10 MR. REID: Well, what we determined was
11 that there was not significant catalysis to be
12 concerned with with a species that we determined
13 (Inaudible.). Inhibition, there are some significant
14 inhibitions. And they were not included in the
15 original model. We have taken a look at those
16 subsequently. And I will discuss that if we have
17 time.

18 We did consider system homogeneity as a
19 potential factor, dynamic versus static changes in
20 solution chemistry we considered and dynamic versus
21 static changes in temperature and then, finally,
22 potential effects of oxygen.

23 CHAIRMAN WALLIS: Now, BWR gets coded with
24 --

25 MR. REID: That's correct.

1 CHAIRMAN WALLIS: It sounds to be like a
2 catalyst, a catalytic surface.

3 MEMBER BANERJEE: Chemical industry would
4 be when finally decided.

5 CHAIRMAN WALLIS: You don't put them in
6 the PWRs. I'm just thinking of since we're talking
7 about catalysis.

8 MEMBER BANERJEE: Did any chemical
9 engineer work on this?

10 MR. REID: Yes. I'm a chemist. And we
11 had chemical engineers working on this as well. The
12 primary developers and primary performers of this work
13 were chemists, but we did have chemical engineers
14 involved in the development and in the program.

15 MEMBER BANERJEE: At Westinghouse?

16 MR. REID: At Westinghouse.

17 MEMBER BANERJEE: Where are they?

18 PARTICIPANT: I was going to ask you if
19 you have run any experiments where you added two of
20 these materials or even all 11 simultaneously in one
21 reaction chamber.

22 MR. REID: Not in this test, we did not.

23 PARTICIPANT: So, in essence, the data
24 that you have assumes that no other material exists?

25 MR. REID: No. These data were generated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to determine individual material release rates that
2 were not affected by the presence of other material.
3 And then we did an evaluation of the potential
4 interactions.

5 The interaction of materials after
6 dissolution was determined by adding solution together
7 to determine where precipitates were formed, but as
8 far as material, the effects of dissolution rate on
9 individual material as influenced by the presence of
10 another material, we did that evaluation based on the
11 literature data and IECT program results.

12 PARTICIPANT: And the result of that
13 evaluation is what?

14 MR. REID: Well, we determined that we
15 could not identify any cases where one material would
16 enhance the dissolution of another material, but there
17 were cases where presence of one material would
18 inhibit the release of another material.

19 For example, silicate-containing material
20 would be expected to inhibit the dissolution of
21 aluminum metal.

22 PARTICIPANT: And you decided that there
23 is no need to do confirmatory experiments? Then these
24 are fairly simple --

25 MR. REID: In the original model, we did

1 not elect to take credit for silicate inhibition due
2 to some of the difficulties that could be inherent in
3 applying that inhibition. We have subsequently looked
4 at that in another program, but we did not choose to
5 do that in the original program.

6 PARTICIPANT: Thank you.

7 MR. REID: Okay. These next couple of
8 slides --

9 CHAIRMAN WALLIS: What are the effects of
10 oxygen on the bottom here?

11 MR. REID: That's correct. We did look at
12 that.

13 CHAIRMAN WALLIS: CO₂ as well?

14 MR. REID: Yes. We did subsequently
15 consider the effect of CO₂.

16 CHAIRMAN WALLIS: Formation of carbonates?

17 MR. REID: That's correct. And the bottom
18 line, what we determined is the predictive quantities
19 of materials that may combine with CO₂ to product
20 carbonate, if we assume that those react, instead, to
21 produce, for example, hydroxides, the hydroxides cause
22 higher head loss. So it's worth it to have hydroxides
23 in the carbonate.

24 MEMBER BANERJEE: Now, the peer review
25 committee made some points about effect, directly or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indirectly, from the radiation field, did you check
2 any those in response to comments?

3 MR. REID: We did take a look at those
4 comments. And briefly what we determined was that the
5 radiation effect on these particular materials at the
6 radiation levels that we would expect to be present in
7 the sump would not be significant.

8 And the basis for that is a lot of these
9 materials; for example, the silicate materials, are
10 present on the course. We have some idea about
11 behavior, dissolution behavior, of these materials in
12 a radiation.

13 MEMBER BANERJEE: And what about they
14 pointed out things like hydrolysis products
15 (Inaudible.) all these other things that --

16 MR. REID: Yes. We considered hydrolysis
17 products. And we took a look at the quantities, for
18 example, of peroxide and hydrogen that would be
19 generated and determined that those quantities would
20 be less -- for example, that there's less hydrogen,
21 for example, from radiolysis than there would be from
22 corrosion of aluminum material. And there is less
23 peroxide and subsequently oxygen from solution in
24 radiolysis than there would be simply from the
25 containment atmosphere.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That is, there's PPM, low PPM, levels of
2 hydrogen and peroxide and oxygen generated from
3 radiolysis.

4 MEMBER BANERJEE: If I remember, you know,
5 you went through the pere review in not that much
6 detail, but (Inaudible.) McDonald has some
7 equilibrium, thermodynamics calculations with some
8 fairly significant effects of radiolysis products. Am
9 I wrong or is my memory serving me wrong? Maybe you
10 can --

11 MR. REID: I didn't see that data.

12 MEMBER BANERJEE: It's not data. It was
13 (Inaudible.).

14 PARTICIPANT: No. You're correct. I
15 think he had done some calculations that estimated the
16 amount of nitric acid that could be formed and
17 indicated by the amount formed, it could change the pH
18 substantially, thereby affecting chemical effects.

19 Licensees do account for that when they
20 calculate the total amount of buffer that is added to
21 the system. The amount of nitric acid that might be
22 formed after an accident is included so that you don't
23 get wide pH changes, as he calculated.

24 MEMBER BANERJEE: Oh, I see. Okay. Thank
25 you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So you are going to tell
2 us you have got hundreds of kilograms of material
3 dissolved --

4 MR. REID: That is correct.

5 CHAIRMAN WALLIS: -- in some form?

6 MR. REID: That is correct. And I think
7 that is a demonstration of the conservative nature of
8 the predictive pool. That is, we are based on the
9 assumptions we make, particularly lifetime-dependent
10 and the media formation of precipitates, irrespective
11 of temperature and pH conditions. As considered in
12 the original model, we do predict under many
13 circumstances large quantities of materials that that
14 would --

15 CHAIRMAN WALLIS: I don't have the
16 numbers, but Argonne got a huge increase in head loss
17 with very small amounts of some of these chemicals.

18 MR. REID: That's correct.

19 CHAIRMAN WALLIS: I don't remember the
20 numbers.

21 PARTICIPANT: That's correct on a vertical
22 head loss test.

23 CHAIRMAN WALLIS: A very large amount of
24 stuff.

25 PARTICIPANT: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Enough to affect a very
2 large screen.

3 PARTICIPANT: And that's why Mike Scott
4 said that licensees are now --

5 CHAIRMAN WALLIS: They don't like it.

6 PARTICIPANT: They don't like it. As a
7 licensee, I don't like it. It's the data that's
8 presented. We're looking at Rick can get into some of
9 the conservatisms. And this one gentleman over here
10 asked the question about interaction with silica and
11 aluminum reduces the corrosion rate, some of that. We
12 have looked at that.

13 Other plants are looking at reducing the
14 fiber, that we can reduce the amount of generation of
15 byproducts, of chemicals, and that. So we are looking
16 at all of the available toolboxes that we have or
17 tools that we have to reduce some of this amount of
18 generation. And that's --

19 CHAIRMAN WALLIS: Will we hear later on
20 about broad-scale tests where typical amounts of these
21 materials were thrown in --

22 PARTICIPANT: I think --

23 CHAIRMAN WALLIS: -- corresponding to
24 these numbers here or --

25 PARTICIPANT: In the afternoon today and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into tomorrow, there are four utilities that are going
2 to speak of how we are working with this chemical and
3 how we are reducing some of the area to make sure we
4 pass.

5 And that is what Mike Scott said, that the
6 chemical effects -- and we are working with the
7 vendors, and you will hear from the vendors of how
8 they're working to refine to come up with a way to do
9 a head loss test with the chemicals.

10 CHAIRMAN WALLIS: I think what we heard
11 last time we met with the staff, I think it was --
12 maybe some industry folks were there -- was that some
13 of the large-scale tests where they tried to duplicate
14 these amounts of stuff were just unacceptable. The
15 screen got so blocked that it was unacceptable. Is
16 that the case?

17 PARTICIPANT: In some areas where you have
18 -- some of the latest tests is if you have open sump
19 screen, it will pass through. If you have high
20 approach velocities, the fiber and the chemicals will
21 compact together and cause you high head loss.

22 So it's a combination of if you have
23 low-approach velocities, you have a lot of fiber, and
24 how that interacts is going on, and how each vendor,
25 each utility is taking us very plant-specific at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time how to reduce it.

2 CHAIRMAN WALLIS: If you are conservative
3 and assume a thin bed effect and all of that and all
4 of this stuff, I think things don't look very good for
5 some screens.

6 PARTICIPANT: That is correct. Some of
7 the screen geometries, you will hear this afternoon
8 and tomorrow that with the new complex dimensions,
9 thin bed may not form. So you have some
10 availabilities in some of that, too.

11 CHAIRMAN WALLIS: But we will hear about
12 all of that later on?

13 PARTICIPANT: Yes, later on.

14 CHAIRMAN WALLIS: Okay.

15 PARTICIPANT: That is in the individual
16 utilities' presentations. And if you do vertical head
17 loss testing against the integrated test, you will
18 have some results and stuff different in that.

19 CHAIRMAN WALLIS: What did you say, 600
20 kilograms of pretty fluffy stuff, isn't it? I mean,
21 it's not --

22 PARTICIPANT: That's correct.

23 MR. REID: That's correct.

24 CHAIRMAN WALLIS: So in terms of volume,
25 if it were not compressed, how many truckloads would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it be?

2 PARTICIPANT: That one I can't do in
3 chemical, but I can tell you that on my --

4 CHAIRMAN WALLIS: The measure of stuff is
5 how many pickup --

6 PARTICIPANT: I can give you for Wolf
7 Creek the fiber in tomorrow's presentation. I do have
8 that in fiber.

9 CHAIRMAN WALLIS: I think 600 kilograms of
10 very fluffy stuff is pretty big volume --

11 MR. REID: It is.

12 CHAIRMAN WALLIS: -- in terms of a pickup
13 load. Okay.

14 MR. REID: Okay. Move on?

15 CHAIRMAN WALLIS: Yes. Yes, we've got to
16 move on. You are going to be cut off at 10:30. Tell
17 us what is important in all of this.

18 MR. REID: Okay.

19 CHAIRMAN WALLIS: We could spend the whole
20 day, I think, on your presentation.

21 MR. REID: Okay. I think this one is
22 somewhat warranted. So we will discuss this, the
23 particulate generator testing. Part of this program,
24 we did develop what we call a particulate generator.
25 That is, we developed chemical recipes for making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surrogate materials that the vendors could use in
2 testing and then set up a rig to develop these
3 precipitates and then tested the resulting
4 precipitates for the prototypicality in representing
5 the behavior of the precipitates we generated during
6 our bench-scale testing.

7 PARTICIPANT: Dr. Wallis?

8 CHAIRMAN WALLIS: Has the staff blessed
9 these precipitates and said they are okay to be used?

10 MR. REID: That is part of the SE. And I
11 guess we will let Paul chime in, but I believe they
12 have.

13 CHAIRMAN WALLIS: They have blessed them?

14 MR. KLEIN: They were in the RAI process
15 right now.

16 MEMBER BANERJEE: You're hoping that --

17 PARTICIPANT: That's correct.

18 MR. REID: Yes.

19 CHAIRMAN WALLIS: Well, let's see how we
20 can evaluate whether their blessing is appropriate or
21 not without much more study. I'm not sure how much
22 time we have. We can't devote the rest of our lives
23 to understanding the chemistry of sumps.

24 MEMBER BANERJEE: I think it might be
25 useful, at least for me, to review this report in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detail.

2 CHAIRMAN WALLIS: I am just thinking, do
3 we have to have a Subcommittee meeting on this report
4 by itself?

5 MEMBER BANERJEE: Right. And then just
6 ask questions about things (Inaudible.). And I think
7 it has to be -- does it have to be done on the
8 Subcommittee meeting? I don't know the protocol.

9 CHAIRMAN WALLIS: See, maybe rather than
10 writing a letter now, we may say we want to write a
11 letter after we have reviewed hits report.

12 MEMBER BANERJEE: I guess this is an
13 important aspect of the strategy because this allows
14 utilities to use surrogate materials to look at
15 chemical effects.

16 MR. REID: That's correct. And that
17 approach -- I believe institute generation of these
18 types of precipitates would be very difficult going
19 from the high-temperature, varying pH conditions, and
20 so forth. That would be a very difficult task.

21 And so the generation of precipitates is
22 important. And we do want those surrogate materials
23 to behave, both in terms of settling rate (Inaudible.)
24 characteristics as closely as possible to the real
25 materials. And we did testing to convince ourselves

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that that was indeed the case. These materials, even
2 at small concentrations, can cause high head loss.
3 And they do settle relatively slowly, certainly over
4 days, rather than minutes.

5 MR. SCOTT: Mike Scott, NRR. If I might
6 interject here?

7 If you all are planning or thinking about
8 doing a detailed review on this report, I would only
9 ask that you do so in the very near future because the
10 staff's reviews is nearing the end on this. So time
11 is of the essence. Thank you.

12 MEMBER BANERJEE: Maybe you have done all
13 the review that needs to be done, Mike. I mean, we
14 haven't seen your (Inaudible.) or whatever, RAIs, or
15 whatever they are.

16 MR. SCOTT: And it's not done yet. Paul
17 will, of course, talk to you about the progress on
18 that. We're not at the endpoint. My only point is we
19 are nearing that endpoint in more ways than one.

20 CHAIRMAN WALLIS: You don't review things
21 until you have don ether SE. And then your SE covers
22 all the points that we are interested in. We say it
23 is fine. We don't try to do your work for you. Had
24 you done your work, then --

25 MR. SCOTT: Doggone it.

1 CHAIRMAN WALLIS: -- (Inaudible.) whole
2 thing. That is what we usually do.

3 MR. SCOTT: Okay. Well, the only trick is
4 that -- let's see. Paul Klein, when is our expected
5 completion of our SE?

6 MR. KLEIN: September 11th.

7 MR. SCOTT: September 11th, 2007. So then
8 you're out in the fall. It's just very compressed
9 here. So I would just ask that --

10 CHAIRMAN WALLIS: Then we can write a
11 letter saying your SE was brilliant and covered all of
12 the important issues.

13 MR. SCOTT: That would be a very excellent
14 letter for you to write, yes. Thank you.

15 (Laughter.)

16 MEMBER BANERJEE: We could look at the
17 report in advance and --

18 CHAIRMAN WALLIS: Do we have a CD of this
19 report, Zena?

20 MS. ABDULLAHI: I think so.

21 CHAIRMAN WALLIS: I think it would be
22 appropriate because I looked at something. I think it
23 was about a year ago. It seems an awful long time
24 ago. I looked at some preliminary version of that.

25 MR. SCOTT: Well, what you have now is you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the RAIs and shortly -- or we have RAI responses,
2 too. Right? So --

3 CHAIRMAN WALLIS: That is a struggle to
4 work through all of that.

5 MR. SCOTT: Yes, but I --

6 CHAIRMAN WALLIS: I would like to review
7 the final thing.

8 MEMBER BANERJEE: (Inaudible.) the paper?
9 I mean, can't we just look at the report and find the
10 17 pages there --

11 CHAIRMAN WALLIS: This is the final thing?

12 MEMBER BANERJEE: -- that you have
13 something in it?

14 PARTICIPANT: The problem is that unless
15 they revise the report -- and you aren't planning to
16 revise it, are you? So the RAIs and the RAI responses
17 make up, really, the staff's comments and questions
18 and things like that. And without reviewing that, I
19 don't think you have the full picture.

20 CHAIRMAN WALLIS: The report has to stand
21 on its own, doesn't it?

22 MR. SCOTT: Well, as I assume they will do
23 this, they will publish the report with the RAIs and
24 the RAI responses.

25 CHAIRMAN WALLIS: So the utility has to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 read all of the RAI responses in order to understand
2 the report?

3 PARTICIPANT: It depends on the RAIs.

4 CHAIRMAN WALLIS: That doesn't sound very
5 good.

6 MEMBER BANERJEE: It's not going to be
7 integrated as part of the report?

8 PARTICIPANT: Some of the RAIs are
9 clarification questions that may not need to be
10 reported. Some may be some wording changes that we're
11 looking at and see how that incorporates into the
12 WCAP.

13 MEMBER BANERJEE: How thick is the report?

14 PARTICIPANT: I can't remember.

15 PARTICIPANT: A hundred and eighty-three
16 pages, I hear.

17 MEMBER BANERJEE: How much of that is
18 data?

19 MR. REID: See, the bulk of that is the
20 data and the test plan, bulk of this --

21 MEMBER BANERJEE: So you've got raw data
22 there?

23 MR. REID: That's correct. All of the raw
24 data that was generated is included in the report.

25 MEMBER BANERJEE: That would be good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: We can provide --

2 MEMBER BANERJEE: Raw data always works.

3 PARTICIPANT: Okay. I guess --

4 PARTICIPANT: I guess, Dr. Wallis and for
5 the members, we are going to jump ahead to theirs. We
6 have done some additional work, as Rick said, to look
7 some of the inhibitions of the chemicals. So we are
8 going to let just Rick speak from them, not
9 necessarily their slides in there, but to go ahead and
10 say what we did. Those are more slides toward the
11 end, 40 in that.

12 CHAIRMAN WALLIS: Okay. Look at the
13 settling test. It says something about the one-hour
14 settled volume. This presumably is in some standard
15 tube or something?

16 PARTICIPANT: That's correct. Yes. We
17 wanted --

18 CHAIRMAN WALLIS: And you say how big the
19 tube has to be and all of that is all specified?

20 PARTICIPANT: Yes, it is.

21 CHAIRMAN WALLIS: Okay. Thank you.

22 MEMBER BANERJEE: So the turbulence
23 actually slows down the --

24 PARTICIPANT: That's correct.

25 CHAIRMAN WALLIS:

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: The sump is not
2 completely standard? There is flow going on, isn't
3 there? There is stuff cascading down from above and
4 --

5 PARTICIPANT: That's correct. So what we
6 wanted to show was that the surrogate material, even
7 under quiescent conditions, would not settle for --
8 okay.

9 I will discuss briefly -- as Moe
10 mentioned, the slides start at 36, but we won't look
11 at the slides in detail. What we did following the
12 original model development, we did do some additional
13 testing to look at some of the conservative
14 assumptions that were in the original model. And
15 particularly we looked at the effect of silicate
16 inhibition because we know that that certainly is a
17 potentially big effect.

18 And what we saw there was based on
19 corrosion rates once we got to about 75 ppm silicon is
20 the corrosion rate for aluminum based on metal loss
21 went down by a factor of at least 11 based on
22 dissolution release of aluminum into solution went by
23 a factor of around 100 less.

24 So silicate inhibition certainly is a
25 large effect. So that is a tool that can be available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to select plants, particularly high-fiber plants, for
2 reducing the amount of aluminum that comes into
3 solution from aluminum metal, which is one of the
4 largest sources of precipitate.

5 MEMBER BANERJEE: Is it a solution effect
6 or is it a passivating effect? What sort of --

7 PARTICIPANT: It would be a passivating
8 effect from the formation of aluminum silicate on the
9 surfaces. Another effect we looked at was differences
10 in corrosion rates of aluminum alloys. And our
11 original testing, we followed the IECT program and
12 used commercially pure aluminum as the aluminum metal
13 source for our test.

14 And recognizing that there is a variety of
15 aluminum alloys in use in plants, we recognize that
16 these could have lower release rates than commercially
17 pure aluminum.

18 What we determined in our test is that the
19 difference between aluminum alloys wasn't appreciable
20 for the alloys that we tested. At most, we got about
21 a factor of maybe 20 percent reduction in the amount
22 of aluminum release based on different alloys.

23 The next thing we looked at was phosphate
24 inhibition of aluminum corrosion. We have to
25 recognize the effect by the same --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What if the aluminum
2 gets leached out of this alloy? What happens to the
3 rest of the material?

4 PARTICIPANT: You would have some surface
5 enrichment of the alloy materials, but the alloys are
6 predominantly aluminum.

7 CHAIRMAN WALLIS: Does it go into solution
8 or does it make a matrix or something?

9 PARTICIPANT: For the most part, we would
10 detect selective dissolution of aluminum from the
11 alloys.

12 CHAIRMAN WALLIS: You did the test?

13 PARTICIPANT: We did the test, but we only
14 looked at aluminum. And, as I said --

15 CHAIRMAN WALLIS: You only looked at
16 aluminum.

17 PARTICIPANT: As I said, what we really
18 determined was that the mass loss of aluminum, of the
19 aluminum coupons, was not that difference from
20 commercial to pure aluminum. That is the effect that
21 offers negligible benefits.

22 MEMBER BANERJEE: So aluminum is always
23 present if you're talking about surface effect? In
24 reality, the aluminum is always present so that
25 (Inaudible.) surface or not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Yes. The exposed aluminum
2 metal, yes, that is the expectation that that surface
3 would be available for formation of aluminum silicate.

4 MEMBER BANERJEE: That is typical
5 (Inaudible.) aluminum should be in the past or --

6 PARTICIPANT: Yes. For the aluminum
7 metal, that was -- we only applied this for aluminum
8 metal. There are other sources of aluminum. For
9 example, insulation materials do have aluminum
10 silicate. And concrete has an aluminum component.

11 We did not consider inhibition of aluminum
12 from those sources, only from aluminum metal.

13 MEMBER BANERJEE: Only like large
14 (Inaudible.) structures, not a very porous substance.

15 PARTICIPANT: Correct, yes.

16 PARTICIPANT: In the cases where you
17 calculate hundreds of kilograms of dissolved, does
18 that represent -- what fraction of the total inventory
19 are we talking about? Percent? Tenth of a percent?

20 PARTICIPANT: In most cases, we have thick
21 metal. It is a fraction of the material available.
22 But the model does --

23 PARTICIPANT: Just give me an order of
24 magnitude when you say, "fraction."

25 PARTICIPANT: I apologize. I don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a number right off the top of my head. For aluminum
2 metal, I would have to guess, but I would say less
3 than five percent. But materials like insulation,
4 particularly calcium silicate, essentially all of that
5 material is predicted to dissolve.

6 CHAIRMAN WALLIS: It depends on the plant.
7 There is only one plant, I think, that has a huge
8 amount of aluminum.

9 PARTICIPANT: That's correct.

10 CHAIRMAN WALLIS: It depends very much on
11 the plant site.

12 PARTICIPANT: But it's a circus
13 phenomenon.

14 PARTICIPANT: That's correct.

15 PARTICIPANT: So it depends on how thick
16 that material is. And I want to get an idea of
17 whether we're talking about a tenth of a percent of
18 the total or --

19 CHAIRMAN WALLIS: Can you climb the ladder
20 after it has been in the sump for a while? I mean,
21 does it dissolve completely or just a tiny little bit
22 of it?

23 PARTICIPANT: I can't answer that question
24 immediately.

25 PARTICIPANT: Based on the mass lost from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the IECT and that, there wasn't that much loss. It
2 was very proportionate based on the IECT and the
3 integrated in some of the stuff we did or Westinghouse
4 did that the structure --

5 CHAIRMAN WALLIS: How does it get in the
6 sump anyway? Isn't it up above somewhere? Is it
7 actually in the --

8 PARTICIPANT: Most of the corrosion --

9 PARTICIPANT: It depends. It's
10 plant-specific. Some may have aluminum scaffolding
11 they want to remove from the flood area. So plants
12 are looking about removing their aluminum. Some may
13 have some junction boxes and that they're looking at.

14 Again, it's very plant-specific of where
15 that aluminum is. And I can't speak for those plants
16 at this point.

17 PARTICIPANT: (Inaudible.) some of the
18 aluminum was (Inaudible.).

19 PARTICIPANT: Correct.

20 PARTICIPANT: And that's what would be
21 inhibited by (Inaudible.).

22 PARTICIPANT: The material in the spray
23 would also be inhibited provided there are suspicions
24 of silicon in the spray. And the basis for saying
25 that is silicate is used to form conversion codings on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 metal species and spray applications of conversion
2 codings, such as silicates and phosphates, is an
3 industry practice.

4 CHAIRMAN WALLIS: So we are going to stop
5 at 10:30. I don't know what you are going to do to
6 get through here.

7 MR. REID: I believe I am just about done.
8 I wanted to talk about --

9 CHAIRMAN WALLIS: Emphasize anything in
10 particular?

11 MR. REID: I did. Phosphate inhibition I
12 will mention quickly. We did take a look at phosphate
13 inhibition of aluminum corrosion. Then we found a
14 positive effect there.

15 And then, lastly, we are looking at
16 solubility behavior of these precipitates because, as
17 we mentioned, the original model conservatively
18 assumes that if the species are available in solution,
19 they will immediately form a precipitate, irrespective
20 of temperature and pH conditions. And we recognize
21 that that is not the true physical case.

22 We did want to examine solubility behavior
23 of these species as a function of temperature and pH.
24 And what we found in that testing was that sodium
25 aluminum silicate does seem to precipitate,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially irrespective of temperature and pH under
2 equilibrium conditions, aluminum oxyhydroxide. There
3 is a solubility limit.

4 So you can have some aluminum in solution
5 and not precipitate aluminum oxyhydroxide at higher
6 temperatures. And then, finally, calcium phosphate,
7 which is our other key precipitate, seems to
8 precipitate essentially immediately, irrespective of
9 temperature and pH conditions.

10 CHAIRMAN WALLIS: I think what we might be
11 very interested in when all of this is summed up is
12 what exactly you recommend as the recipes for use by
13 the plants. We won't get to that today, but I guess
14 that's what I'm really interested in. And what is the
15 basis for those recipes?

16 PARTICIPANT: And that will be in the
17 WCAP.

18 MEMBER BANERJEE: I guess the bottom line
19 here is that whatever you suggest (Inaudible.). To me
20 I still feel a little bit uncomfortable with, one, I
21 understand that you cannot easily do large-scale tests
22 where you have typical pH tests, things like that.
23 You can't do it routinely.

24 But it would be nice if one test were done
25 to show that (Inaudible.). You are doing little tests

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in this case, lots of surprises. Chemical reactors
2 (Inaudible.) tiny little experiments (Inaudible.)
3 later, but there is a scaling effect there.

4 So how do we know (Inaudible.) similar
5 effects (Inaudible.)? Something unexpected
6 (Inaudible.) come out where you expect it to. They
7 come out always in the worst part, --

8 MR. REID: Right.

9 MEMBER BANERJEE: -- something like that.

10 MR. REID: Right. Well, in brief answer
11 to that, again I'll say that, yes, we did look at all
12 available data from all previous and related testing,
13 open literature, data, and we did consider potential
14 interactions. And we used our best engineering
15 judgment.

16 CHAIRMAN WALLIS: Okay. Are we ready to
17 take a break now? Do you have a final word for us?
18 I'm going to take a break. You're going to be around
19 for the rest of the day and tomorrow so we can get
20 back to you?

21 MR. REID: At least the rest of the day.
22 Yes, sir.

23 CHAIRMAN WALLIS: If there's something
24 that you needed to tell us that you didn't get to say,
25 then maybe there will be an opportunity later. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't want to miss anything important. Okay?

2 We will take a break for 15 minutes. And
3 then I think the reporting will begin. So will you be
4 ready to go after the break? Yes. Okay. Then we
5 will be on the court reporting. We will take a break
6 until quarter to 11:00.

7 (Whereupon, the foregoing matter went off
8 the record at 10:34 a.m. and went back on
9 the record at 10:50 a.m.)

10 CHAIRMAN WALLIS: We're looking forward to
11 the next presentation by Paul Klein from NRC, who will
12 also address the matter of chemical effects. Please
13 go ahead.

14 MR. KLEIN: Thank you and good morning.

15 2.B. CHEMICAL EFFECTS - NRR STAFF PERSPECTIVE

16 MR. KLEIN: I'm Paul Klein from the Office
17 of Nuclear Reactor Regulation.

18 And if I could have slide 2? Thank you.
19 The primary objective of this presentation is to
20 provide the NRC staff perspective regarding the
21 chemical effects methodology that is contained in
22 WCAP-16530. It was discussed during the last
23 presentation. I also felt it was important to
24 describe the NRC's regulatory path forward in the
25 chemical effects area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Slide 3, please. By way of status, I
2 think that the Subcommittee should understand the
3 staff review of WCAP-16530 is still work in progress.
4 Therefore, I will not be providing conclusions
5 concerning the NRC staff evaluation of the WCAP at
6 this point. However, I think we can offer some
7 opinions that will provide insight into some of the
8 staff thoughts.

9 CHAIRMAN WALLIS: This has been a concern
10 of mine all along is we always seem to have work in
11 progress. And what I want to avoid is you having a
12 schedule where you suddenly give us a lot of stuff and
13 we review it and we give you our input, which delays
14 things. We don't want that to happen.

15 If all this stuff keeps being in progress,
16 it is very difficult for us to input to it.

17 MR. KLEIN: You heard in the last
18 presentation our scheduled delivery date for an SE on
19 the WCAP. And we intend to meet that.

20 CHAIRMAN WALLIS: But if we have really
21 strong questions about it, then I think you need to
22 know pretty soon.

23 MR. KLEIN: And I think we can discuss
24 that during this presentation. Just to give you some
25 idea of the WCAP, the topics contained in it are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 broad. And the staff receives some assistance in the
2 technical evaluation of the WCAP. And I want to
3 acknowledge that we have had input provided by both
4 Argonne National Lab and a member of the chemical
5 effects peer review panel.

6 In addition to some of the technical
7 assistance we received thus far in evaluating the
8 WCAP, we also requested a couple of different sets of
9 tests be performed in order for us to help evaluate
10 some of the WCAP tests that were done and some of the
11 assumptions that were made. And we will discuss those
12 in more detail in a few slides.

13 But, in particular, we asked ANL to
14 evaluate preparation of the WCAP surrogate and also to
15 evaluate its head loss performance relative to some of
16 the precipitate that they tested in their earlier head
17 loss program.

18 MEMBER BANERJEE: We heard that, didn't
19 we?

20 MR. KLEIN: Yes. The Subcommittee did
21 hear in February a summary of that head loss test.
22 And then an additional thing, we had requested some
23 additional supplementary leaching tests performed at
24 Southwest Research Institute. And we will go into
25 those in a little more detail as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What wasn't clear to me,
2 I mean, sort of the ANL stuff, was what is it that you
3 folks are going to accept as being appropriate for
4 design and evaluation of these screens. And we didn't
5 really get to that point at all.

6 MR. KLEIN: We can discuss that now or in
7 a couple of slides.

8 CHAIRMAN WALLIS: When it is in your time.
9 But it always seems to be that new information coming
10 in, we didn't see how it was all going to be put
11 together in a final recipe for making decisions.

12 MR. KLEIN: And I think that is a very
13 good point. One of the challenges that the staff
14 faces here is that this is very much an evolving issue
15 and that the industry approach has changed over time.

16 There was an initial approach based on the
17 base model WCAP. As you can see, it predicts a large
18 amount of precipitate. The initial integrated head
19 loss tests that were performed did not meet head loss
20 criteria.

21 So it's caused a reassessment in the
22 industry. And the staff is reacting to that as well.
23 But at this point we have issued --

24 MEMBER BANERJEE: Have we heard from the
25 Southwest Research Institute? I don't recall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: No, I don't believe that the
2 Subcommittee has been briefed on that. And this is a
3 very limited-scope effort, I should add. In this
4 case, what happened was we had some money that was
5 allocated for evaluating thermodynamic models.

6 And it became clear at some point to the
7 staff that the current commercially available models
8 would not be able to be developed to a point where
9 there would be a useful predictive tool. We used some
10 of that leftover money to perform some tests.

11 MEMBER BANERJEE: Yes. We did hear
12 something about that.

13 MR. KLEIN: Yes, but you had not heard
14 about the leaching tests.

15 CHAIRMAN WALLIS: So they're not going to
16 be used?

17 MR. KLEIN: The thermodynamic models from
18 our perspective will not be used as a predictive tool.

19 So, just to finish off this slide, there
20 have been two sets of RAIs.

21 MR. TREGONING: I'm sorry to interrupt.
22 Rob Tregoning, Office of Research.

23 I just wanted to clarify. We did brief
24 you on the thermodynamic research.

25 CHAIRMAN WALLIS: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: The subsequent leaching
2 test results we did not brief you on, but we did
3 provide you with those reports along with a stack of
4 other NUREG reports that you have been given. So we
5 haven't specifically briefed on those, but it's a
6 letter report that we received from CNWRA. So you do
7 have those results.

8 MR. KLEIN: Thank you, Rob.

9 We have received responses to both sets of
10 RAIs. The latest response from the owners' group came
11 in to the agency in April. And we're projecting an SE
12 for late summer time frame.

13 Slide 4. I don't intend to discuss in
14 detail the WCAP model, but I will try to add some
15 perspective to the model and how its development is
16 implemented in subsequent integrated head loss
17 testing.

18 If you look at the WCAP model as a whole,
19 there are probably two main pieces that you can divide
20 it into: development of the chemical model or
21 predictive tool. And then the second part is the
22 actual preparation of surrogate precipitate that is
23 ultimately implemented in subsequent head loss testing
24 by individual strainer vendors.

25 MEMBER BANERJEE: The Argonne tests, they

1 used typical surrogates, right, in this report?

2 MR. KLEIN: The ANL follow-on tests that
3 I will describe here used the WCAP surrogate prepared
4 as recommended within the WCAP.

5 CHAIRMAN WALLIS: Didn't they also make
6 some in the loop itself?

7 MR. KLEIN: Yes. The ANL head loss
8 program was made in the loop for the most part.

9 MEMBER BANERJEE: Well, we heard I thought
10 also something about surrogates as well as made in the
11 loop. They had already been reported to us or when
12 they reported to us, I remember that there was
13 something on surrogates.

14 MR. KLEIN: That's correct. And I will
15 get to that in one slide.

16 MEMBER BANERJEE: Okay.

17 CHAIRMAN WALLIS: Well, the bottom line
18 seemed to be as soon as you put some in, the stream
19 plug --

20 MEMBER BANERJEE: It was a large effect.

21 MR. KLEIN: Yes. So I'm still on slide 4
22 here. Within the development tool that they had to
23 predict how much precipitate forms, you heard Rick
24 Reid describe earlier some of the dissolution tests,
25 some of the precipitation tests. Ultimately their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spreadsheet predicts a total amount that is not based
2 on the precipitation testing. It's based on how much
3 material goes into solution. And then all of that
4 material is presumed to precipitate.

5 CHAIRMAN WALLIS: By it presumes a
6 precipitate, you mean it becomes particulate matter
7 which can accumulate on the screen because precipitate
8 to some people means it settles down in --

9 MR. KLEIN: No. It becomes an amorphous
10 precipitate that's hydrated that has --

11 CHAIRMAN WALLIS: Which could be available
12 to deposit on the screen?

13 MR. KLEIN: Correct.

14 CHAIRMAN WALLIS: And it's very fine
15 material?

16 MR. KLEIN: It tends to be very small
17 material that's highly hydrated. It's important to
18 note here, too, that individual strainer vendors have
19 adopted different approaches to integrated head loss
20 testing.

21 Most of the strainer vendors are using as
22 input to their tests the chemical model predictions.
23 In other words, they would work through the chemical
24 model spreadsheet and then calculate the amount of
25 precipitate that's predicted for the plant-specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition and then add that to their test.

2 Not all strainer vendors are doing that,
3 however. Some have decided based on assessment that
4 the model is overly conservative. Some have decided
5 to try to do elevated temperature time-dependent tests
6 more similar to IECT, only at higher temperatures over
7 a 30-day period.

8 With respect to the actual adding of
9 precipitate to these integrated tests, again, it's a
10 mixed bag within the different strainer vendors. Some
11 use a WCAP recipe to form the precipitates prior to
12 the test and then add the solution to the test,
13 simulate chemical precipitate. Others have injected
14 chemicals into the loop similar to the ANL approach.

15 CHAIRMAN WALLIS: So they have done the
16 large-scale tests with chemical reactions within the
17 loop itself?

18 MR. KLEIN: Yes, there have been some
19 tests done with addition of chemicals that would
20 induce precipitation.

21 Slide 5. The purpose of this slide was to
22 try to just highlight some of the areas where we have
23 ongoing technical discussions with industry. And what
24 I will do, I guess, step through each one and try to
25 highlight some of the things that we are still trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to resolve with industry prior to issuing an SE.

2 Part of the WCAP approach, develop a
3 precipitate, and you perform settling rate tests in
4 order to assure yourself prototypical settling
5 behavior.

6 And one of the staff questions has to do
7 with the acceptance criteria that's within the WCAP.
8 And we won't go into discussions with industry on
9 that. And that's obviously important with respect to
10 transport of the precipitate to the strainer surface
11 during integrated testing.

12 We also have some questions that are
13 ongoing with respect to the aluminum release rate
14 equation that's in the WCAP. And that's most
15 important since aluminum is by far the largest element
16 that's released during these tests.

17 MEMBER BANERJEE: With regard to the
18 settling rate, as we haven't seen the WCAP, we don't
19 know. But are they suggesting some rate should be
20 used in the calculations?

21 MR. KLEIN: The settling rate is just a
22 measure that as they make the surrogate to add to the
23 test loops, there is an effective concentration. So
24 as you tend to concentrate the precipitate,
25 agglomeration is favored. And it settles more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quickly.

2 And so it's just to ensure that you don't
3 have non-prototypical behavior that you artificially
4 settle the precipitate out during the test, rather
5 than having it arrive on the strainer surface.

6 Most strainer vendors intentionally create
7 turbulence or agitation within their tests in order to
8 make sure everything that is analyzed to reach the
9 strainer surface actually does that during the
10 integrated tests.

11 But there is one approach that is trying
12 to look at settlement of both debris and chemical
13 precipitate based on realistic approach velocities in
14 containments. And so for those tests in particular,
15 it is very important that the chemical precipitate
16 settling rate is representative of what is expected in
17 a plant and what was observed during the WCAP and
18 other tests.

19 CHAIRMAN WALLIS: Well, settling rate is
20 very sensitive to size and shape and any kind of
21 flocculation and all sorts of things. And settling
22 rate is a very sensitive parameter. So probably
23 assuming that it doesn't settle at all is the best
24 thing to do.

25 MR. KLEIN: That's correct. We also have

1 some ongoing discussions in a couple of areas related
2 to peer review panel comments, such as potential
3 effects from reactor coolant system oxides or effects
4 of radiation.

5 And NRC has a working group internally
6 that is going through each of the items as raised by
7 the peer review panel. I think Rob Tregoning and
8 Ervin Geiger in the next presentation will go into
9 more detail about our approach and where that effort
10 is headed. But, in addition, we have also taken these
11 concerns to the industry via the RAI process.

12 And I think the last bullet here is an
13 important one. The WCAP 16530 base model and the SE
14 are going to be based on what we think will be
15 conservative assumptions.

16 However, at the same time, the industry
17 has a number of refinements that they are trying to
18 pursue or are pursuing with additional testing. That
19 is not part of the WCAP effort or the WCAP base model.

20 However, the staff sees these as very
21 important. And so we have ongoing discussions with
22 them on the areas such as solubility or passivation of
23 aluminum by either phosphates or silicates. And so
24 this is very much related to the WCAP but handled
25 outside of the WCAP space at this point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 MEMBER ABDEL-KHALIK: So let me just ask
3 this. The settling rate criterion is essentially an
4 acceptance criterion as to whether the surrogate truly
5 represents what is expected?

6 MR. KLEIN: It's an acceptance criteria
7 provided within the WCAP to assure the individual
8 vendor or whoever would conduct the test that they
9 have produced a precipitate that is representative and
10 as intended by the WCAP preparation technique.

11 MEMBER ABDEL-KHALIK: Wouldn't it be
12 better to use a more primitive parameter to define the
13 acceptability of the surrogates, rather than a derived
14 parameter, like settling rate?

15 MR. KLEIN: I guess if you look at some of
16 the things that they have done to try and look at the
17 precipitate, its effect on head loss is of the utmost
18 importance. So they did filterability tests to try
19 and compare head loss at a precipitate. And that is
20 one of the things that we followed up with at ANL, is
21 to understand that their surrogate precipitate was as
22 effective at driving head loss as some of the earlier
23 precipitates that were performed in the ANL tests.

24 Settlement is a parameter that can be used
25 to look at what is formed and see if it will transport

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in your integrated test in a way that is assumed as
2 part of the WCAP preparation technique.

3 CHAIRMAN WALLIS: How about the material
4 to block the Argonne screen, which you couldn't even
5 see? That isn't modeled presumably in this WCAP.

6 MR. KLEIN: I would agree that we are not
7 using an invisible precipitate that drove head loss
8 out.

9 CHAIRMAN WALLIS: It was there. It was
10 very, very fine or something. I forget. I just
11 forget what it was called, but I remember that Bill
12 Shack said you couldn't see it and it had a big effect
13 on head loss.

14 MR. KLEIN: Correct. I think that that
15 was accounted for in the WCAP approach because all of
16 the solutions were --

17 CHAIRMAN WALLIS: How do you know a
18 settling rate if you can't see it?

19 MR. KLEIN: I don't think we are producing
20 invisible precipitates.

21 CHAIRMAN WALLIS: Not producing that
22 stuff. Right. That's bigger than the ANL tests.

23 MR. KLEIN: Well, from the staff
24 perspective, what we wanted to ensure was that maybe
25 the invisible precipitate formed or in WCAP testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wasn't missed. And from that perspective, they did
2 pass all of the solutions through a filter that you
3 could probably argue is finer than what you might see
4 in a fiber mat. So if the invisible precipitate was
5 there, we should have seen head loss response during
6 those tests.

7 I am on slide 6.

8 CHAIRMAN WALLIS: Well, it might mean that
9 you need to make the stuff within the loop, rather
10 than tossing it in as a powder.

11 MEMBER BANERJEE: Well, I guess that is
12 the issue, right.

13 CHAIRMAN WALLIS: Right.

14 MR. KLEIN: It's not tossed in as a
15 powder. It's pre-made outside of the loop as a
16 hydrated amorphous precipitate, yes, as a slurry. And
17 from our perspective, what we have seen is that the
18 precipitate developed by the WCAP process is as
19 effective or perhaps more effective driving head loss,
20 compared to what we saw in the ANL test.

21 CHAIRMAN WALLIS: Is it stored in a bottle
22 and it's poured in?

23 MR. KLEIN: It's stored, typically made in
24 holding tanks and then poured in during the course of
25 the test. That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Presumably if it's in a
2 holding tank, the precipitate has all kinds of
3 opportunity to agglomerate or change its physical
4 nature or --

5 MR. KLEIN: It's one of the reasons that
6 settlement tests are performed to try and ensure that
7 the precipitate is behaving in the manner that was
8 anticipated by the WCAP.

9 MEMBER BANERJEE: So if there are some
10 effects, it's valuable that you said that there are
11 some experiments where on a fairly large scale, they
12 have been made in the loop itself, rather than added
13 as a precipitate.

14 MR. KLEIN: There are tests done by one of
15 the vendors where they inject sodium aluminate, for
16 example. Instead of pre-producing an aluminum
17 oxyhydroxide precipitate, they inject the chemical
18 within the test loop. So the precipitation occurs
19 within the test loop.

20 CHAIRMAN WALLIS: These precipitates,
21 presumably they are nucleate and then they grow, but
22 if they nucleate as very small particles, then they
23 are being whisked around this loop. And they get
24 filtered out before they have grown very much.

25 They would be very different. They would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be like if they sat in the sump and grew for longer
2 before they were filtered out. I'm not sure that this
3 is modeled at all in any of these reports of the
4 dynamics of the formation and growth of the
5 precipitate itself.

6 MEMBER BANERJEE: I guess what you're
7 saying, though, is that the surrogates are as bad or
8 worse than when you grow them in the loop. But are
9 these loops recirculating the loops or are they just
10 once through?

11 MR. KLEIN: These are all recirculating
12 loops. So material that passed through the loop
13 through the strainer would come back around.

14 CHAIRMAN WALLIS: I'm not sure what's
15 worse. If you have very, very fine particles, then
16 that's --

17 MEMBER BANERJEE: No. They're saying the
18 surrogates are worse.

19 CHAIRMAN WALLIS: We didn't say it was
20 necessarily worse.

21 MEMBER BANERJEE: No, no.

22 MR. KLEIN: Well, I think what we saw was
23 that the head loss response was very immediate and
24 caused complete blockage at the ANL vertical head loss
25 loop.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So it doesn't really
2 give you any --

3 MR. KLEIN: It's harder to get worse than
4 that.

5 CHAIRMAN WALLIS: It tells you don't do
6 it. It doesn't give you any criterion for head loss
7 at all on this.

8 MEMBER BANERJEE: Do you think making it
9 horizontal -- you said you were careful to point out
10 vertical head loss -- making it horizontal makes any
11 difference with this fine precipitate?

12 MR. KLEIN: I think it does, yes,
13 absolutely, because there has been testing done with
14 the WCAP precipitate with both vertical head loss
15 loops and with larger-scale flume tests, where you
16 might have strainers that are oriented, such that
17 you're approaching from the side. And it's clear that
18 the vertical head loss loop tests have much higher
19 head losses, even for the same amount --

20 CHAIRMAN WALLIS: Well, you make a uniform
21 set to catch the preaccepted. Isn't that the main
22 thing?

23 MR. KLEIN: Typically in those tests you
24 have a flat screen. You have a uniform bed, and you
25 capture all of the material. There is no chance for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 settlement. And even though these precipitates do
2 settle very slowly, there is some settlement over the
3 course of time. Typically you don't have 100 percent
4 reach the strainer surface, even though you are
5 recirculating the solution.

6 CHAIRMAN WALLIS: The question really
7 becomes, what are you going to accept? I mean, you
8 could legislate that to be conservative, will it
9 assume it's a horizontal strainer, although it isn't?

10 MR. KLEIN: As far as acceptance, you
11 know, I think our expectation has been that the
12 individual licensee will run a test such that the
13 amount of precipitate that's added and actually
14 reaches the strainer surface is conservative compared
15 to what they think will happen within their plant.
16 And that seems to be the easiest --

17 CHAIRMAN WALLIS: Approach.

18 MR. KLEIN: -- approach. And if you try
19 to model this thing in a scientific manner, it's very
20 complex. And the actual precipitates themselves may
21 be aging and changing over time. So it becomes a very
22 difficult process.

23 MEMBER BANERJEE: But the problem with the
24 precipitation being taken out is such a strong
25 function of things like turbulence and vertical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structures and things that you have.

2 And I have been looking through these
3 calculations that people have done, the color-fluid
4 dynamics. I'm not sure that this is really sort of
5 the calculation that is going to tell you anything
6 about that, you know.

7 So how can they guarantee that this would
8 actually come out? The flume is not what the real
9 situation is.

10 MR. KLEIN: I'm not sure if I understand
11 the question.

12 MEMBER BANERJEE: I'm saying how much
13 preaccepted comes out, anything comes out, deposits on
14 the way to the screens or the geometry are a strong
15 function of turbulence. And the turbulence
16 calculations that are done in these types of
17 geometries are extremely primitive.

18 So you cannot put any reliance on them.
19 Therefore, you don't know the level of turbulence.
20 Therefore, you don't know how much of anything, not
21 just the --

22 CHAIRMAN WALLIS: So we'll assume none of
23 the precipitate.

24 MEMBER BANERJEE: Yes.

25 MR. KLEIN: I think for the most common

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach to integrate a test, the strainer vendors are
2 working very hard to get all the material to the
3 strainer surface. So they're not trying to credit
4 settlement other than there's one vendor, in
5 particular, that's trying a new approach that will
6 look at settlement.

7 But for the most part, they would
8 calculate what makes it to the strainer surface and
9 then they will work with stirrers or other mechanical
10 means in order to make sure that stuff transports
11 during the test.

12 MEMBER BANERJEE: Well, there is another
13 factor. Sure, it makes it to the surface. But then
14 how it distributes itself on the surface is also a
15 function of turbulence and, you know, interfering
16 bodies and stuff like that around.

17 So it's not a very simple thing to say
18 what is going to happen other than they could be
19 uniformly distributed, you know, which is why Graham
20 said make it a --

21 CHAIRMAN WALLIS: I think that's what
22 they're doing. I think where they can in these flume
23 tests, they try to make the conditions as bad as they
24 could be imagined.

25 MEMBER BANERJEE: Someone is going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 teach me CFD.

2 CHAIRMAN WALLIS: Then you won't rely on
3 the CFD. Just try to make it as bad as you can
4 imagine in the test.

5 MR. LEHNING: This is John Lehning from
6 NRR staff.

7 As Paul said, most vendors aren't
8 crediting that. There is one vendor that is
9 attempting to credit settling of that precipitate, but
10 we have had open items in some of the audit reports on
11 simple particulate, not chemical precipitate, but
12 other precipitate like zinc powder and other things
13 and how you model the turbulence on that and whether
14 a Stokes law approach, which is what these licensees
15 had chosen, was adequate but because these particles
16 are not necessarily perfectly spherical, they're not
17 all uniformly sized, and there was not test data out
18 there to benchmark that data. And similar comments
19 would apply to the precipitate in my opinion.

20 MEMBER BANERJEE: I think one has to be
21 extremely careful about these arguments of settling
22 and non-uniform distributions being credited.

23 CHAIRMAN WALLIS: Identify yourself.

24 MR. LU: Shanlai Lu, NRR staff.

25 Related to that turbulence issue, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that part is already mentioned in that for most of the
2 other vendors except one, then they want to take
3 credit of settlement. So most of the chemical
4 precipitates really end up on the screen.

5 One particular one, which is one vendor,
6 we have been working with them at this point to define
7 the criteria, how to accept it but to resolve the
8 particular issue related to the turbulence and then
9 the plan to perform safety analysis and calculate the
10 localized turbulence and then the test loop with the
11 proposed view to have the downcomer to inject water to
12 create the possible turbulence load very close to the
13 strainer.

14 So that might be resolved in this issue,
15 but it's an ongoing process. We are having a dialogue
16 with the particular vendor to resolve these issues.

17 MEMBER BANERJEE: Yes. I noticed that one
18 of the -- I don't remember who it was, but they were
19 doing some CFD calculations and trying to say that we
20 see this in the flume; therefore, the CFD calculations
21 are right.

22 It's very easy to show something in a
23 flume is right. It is very difficult to show in a
24 real geometry that it is right. You know, they had
25 some turbulent kinetic energy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LU: That's right. Yes. I think that
2 is calculated based on CFD factored, averaged, based
3 on certain average and taking it to apply to the loop
4 to set up the testing.

5 MEMBER BANERJEE: Yes. We can discuss it,
6 but I think it is sort of dangerous to depend on those
7 things.

8 MR. LU: It's a challenge.

9 MEMBER KRESS: In the business of
10 transport of aerosols, which is a severe accident
11 issue, they finesse this issue by assuming the
12 aerosols are always well-mixed in some sort of
13 compartment volume and combined that with the Stokes
14 law.

15 And these finessed bottles have been
16 well-validated for containment --

17 MR. LU: Right.

18 MEMBER KRESS: -- and transport through
19 the primary system.

20 MR. LU: Right.

21 MEMBER KRESS: You might look into that
22 because it's supposed to be conservative when you do
23 it this way, conservative where you get less
24 precipitate.

25 MR. LU: Right.

1 MEMBER KRESS: But I don't know what you
2 do with that Stokes law. You have to measure the
3 settling grates and weigh in, relate that Stokes law.

4 MR. LU: I understand that.

5 MR. KLEIN: Thank you, Shanlai.

6 CHAIRMAN WALLIS: Well, also you don't
7 have uniform temperature of the sump, do you? You
8 have fluid coming in which isn't quite the same
9 temperature as the stuff in there. So you have got
10 convection currents presumably as well as turbulence.
11 I don't know.

12 MEMBER ABDEL-KHALIK: You say that only
13 one vendor takes credit for settling. Is that
14 accounted for always in the experiments?

15 MR. KLEIN: One vendor approach that's
16 trying to take credit for settlement, those tests have
17 not yet been performed. The staff has been
18 interacting with that vendor up ahead of the test to
19 gain an understanding of their approach and to resolve
20 any technical questions that the staff has.

21 MEMBER ABDEL-KHALIK: Because if one does
22 not take care or take account of settlement in the
23 analysis of experimental data, that would be
24 non-conservative.

25 MR. KLEIN: Well, I'm not sure I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand.

2 MEMBER ABDEL-KHALIK: Well, I mean, you
3 are talking about a certain loading. And if you are
4 measuring pressure drop and you do not take into
5 account the fact that not all of the material is going
6 to deposit on the filter, that would be
7 non-conservative because you are getting a pressure
8 drop for a lower amount of deposition.

9 MEMBER BANERJEE: You mean interpreting
10 the result?

11 MEMBER ABDEL-KHALIK: Yes, interpreting
12 the results of the data.

13 MR. LEHNING: This is John Leining, NRR
14 staff.

15 The way that we were trying to explain it
16 is that that settling would be debris that didn't make
17 it to the strainer.

18 MEMBER ABDEL-KHALIK: That's exactly the
19 point I'm trying to make.

20 MR. LEHNING: So having more of that
21 debris on the strainer, as opposed to settling out on
22 the floor and not reaching the strainer, in general,
23 you know, not always -- there are some thin bed cases
24 or some cases where different debris mixtures with
25 less can cause a higher head loss, but in general for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the test plan that we have and the test plans that
2 licensees are working with, having more debris reach
3 the strainer, as opposed to settling out, would lead
4 to a higher head loss.

5 MEMBER ABDEL-KHALIK: Yes, I understand.
6 But when you analyze the data, what are you measuring?
7 You are measuring the head loss, right?

8 MR. LEHNING: Correct.

9 MEMBER ABDEL-KHALIK: And you are
10 attributing that head loss to a certain amount of
11 material that is deposited on the filter.

12 MR. LEHNING: Correct.

13 MEMBER ABDEL-KHALIK: And that amount that
14 is deposited on the filter is the total inventory
15 minus the amount that is settled.

16 MR. LEHNING: Correct.

17 MEMBER ABDEL-KHALIK: So if you don't take
18 into account the amount that is settled, you are
19 actually underestimating the effect of the material
20 that is deposited on the filter, which would be
21 non-conservative.

22 MR. LEHNING: An easy way to answer that
23 question for the vendors that are using artificially
24 generated turbulence that is well in excess of the
25 amount of turbulence in the plant would be to show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that that is far more conservative than the transport
2 conditions that would occur in the actual plant in the
3 test. And that would bound the small amount of debris
4 that won't reach the strainer during the test. And we
5 see that.

6 And that is something that when we go and
7 take trips to observe tests, we look for the amount of
8 debris that does not reach the strainer and make sure
9 that that is an insignificant quantity. And if it
10 isn't, then we ask vendors to justify that that
11 settling is prototypical and they have to have a
12 technical basis for that.

13 CHAIRMAN WALLIS: Well, actually, with a
14 thin bed effect, it can be the other way around that
15 you need more material on the screen in order to
16 dilute the fines to get less versatile. It's not
17 clear that having less material on the screen leads to
18 a lower pressure drop.

19 MEMBER ABDEL-KHALIK: I think the point I
20 am trying to make is that if you are analyzing
21 experimental data, if you don't take into account the
22 fact that some of the material will settle down before
23 it actually deposits on the filter. That is
24 non-conservative.

25 MR. LEHNING: I see your point now. In a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way, that is true, but these tests are just to show
2 that this experimental test is what is being used to
3 qualify the strainer. It's not as if there is some
4 correlation that is being used to correlate this
5 amount of debris.

6 If that were being done, then I would
7 agree with what you're saying. But the point is just
8 to show that that task is representative and bounding
9 of the plant condition.

10 MEMBER BANERJEE: But that's I guess what
11 is bothering a lot of us. Imagine you do a test in a
12 flume and you put whatever it is, the screen, whatever
13 geometry, and you bring some stuff with debris and as
14 long as the debris sticks and gives you a pressure
15 loss.

16 Now you go to the real system. And you
17 have got these top hats or whatever they are, some
18 arrays or stacks, some of them, some in disks. You
19 know, now the whole situation, the local fluid
20 mechanics around these is very different from having
21 these go in a horizontal flume.

22 And, for example, if you took a single
23 stack, let's say, and you tested it, it has certain
24 surface area. Now if I put it one on top of the other
25 and I fill things in, you know, it will start to, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris will start to, get in between there.

2 You know, so that approach velocity is no
3 longer the approach velocity perpendicular to that
4 stack but, actually, if the approach velocity is just
5 the opening of this -- do you see where I am getting
6 at now?

7 MR. LEHNING: It's the dynamic effect that
8 you have built up.

9 MEMBER BANERJEE: Yes. Everything is
10 changing all the time. Now, what is worrying to me is
11 that when I read some of the stuff, they're talking of
12 CFD calculations where they are actually looking at
13 tumbling velocities and precipitation rates, which is
14 almost impossible to do in a CFD calculation.

15 I will give you a very simple example.
16 That a flume. Okay? Just put some polystyrene
17 particles in it. Okay? And what you will find is the
18 velocity of the liquid is higher at horizontal flume
19 than of the polystyrene particles. Why is that?

20 If any of those codes can actually be
21 predicted, I would be happy to see it. If not,
22 because there is no force, this is a horizontal, get
23 the particles that are lagging, the velocity of the
24 liquid. None of these codes can do that. So it's
25 very dangerous to rely on them at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNING: Yes. I'm not going to try
2 to answer that question, but the CFDs I just used for
3 the flow. And they're not used directly for the
4 debris transport part of it. And they're used away
5 from the strainer as well. They're not generally used
6 --

7 MEMBER BANERJEE: That's even more
8 worrying that they're used anywhere. But I want to
9 revisit this thing with CFD when it comes up.

10 CHAIRMAN WALLIS: Paul, can you get us to
11 the end of this presentation, do you think?

12 MR. KLEIN: Yes.

13 MR. SCOTT: Mike Scott.

14 Before we go further, are you suggesting
15 that we should be taking a different approach here?

16 MEMBER BANERJEE: Yes. I think it's very
17 difficult to take an experiment like this and glue it
18 together in the real geometry of the CFD, at least the
19 current type of CFD which is being done.

20 MR. SCOTT: So what are you suggesting
21 that we would do instead?

22 MEMBER BANERJEE: You might need to do
23 tests which are in more typical geometries directly?

24 MR. SCOTT: Typically of?

25 MEMBER BANERJEE: Of the real stacks, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the real arrays or whatever the --

2 MR. SCOTT: But the testing that is being
3 done by the licensees attempts to replicate those
4 kinds of geometries at a scale. It's not full-scale,
5 but it takes a strainer array and it imposes the
6 conditions in a particular plant's containment. I
7 mean, like if there is a wall nearby, that wall will
8 be represented. So that sort of thing is going on.

9 MEMBER BANERJEE: Yes. I don't know. I
10 haven't heard from them. But what I have seen of the
11 very few graphs which we got in the slides, some of
12 they seem like they were basically tests which were
13 being done in flumes. You know, they were not typical
14 geometries, typical arrays of things. I could be
15 wrong.

16 MR. SCOTT: Well, maybe that would be a
17 good question to ask the sample licensees who are
18 going to be presenting for you because --

19 MEMBER BANERJEE: Who are going to present
20 because if they are more typical, I feel much more at
21 ease about that, you know.

22 CHAIRMAN WALLIS: Can we move on now?

23 MR. KLEIN: Okay. I'm on slide 6, staff
24 perspective. I think the WCAP test did provide some
25 value, supplemental information, IECT, expanded the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 range of pH temperatures and also materials,
2 particularly the non-metallics.

3 Some of the limitations in the WCAP
4 include mostly single effects tests, the total
5 precipitates achieved by some of the individual test
6 results. And the characterization of the precipitates
7 themselves is based on EDS scans of the area. It's
8 not quite the definitive answer that you might get
9 with more sophisticated techniques.

10 Our preliminary perspective, however, is
11 that the base model was conservative. And the
12 following slide will touch on some of the reasons why
13 we believe that.

14 If you look at the WCAP methodology as a
15 whole, they put a variety of materials into the test
16 solutions at elevated temperatures for short-term
17 durations. And then for the cases of the three
18 predominant species that went into solution, which
19 represents 99 percent of the total mass in solution
20 during the WCAP tests, they assume that that material
21 precipitates as soon as it goes into solution. And
22 that is --

23 CHAIRMAN WALLIS: Do you mean as it
24 precipitates on the screen?

25 MR. KLEIN: Well, it precipitates within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pool.

2 CHAIRMAN WALLIS: It doesn't settle out?

3 MR. KLEIN: It does not settle out.

4 CHAIRMAN WALLIS: It makes a precipitate
5 which goes around the loop in some way. Either it
6 goes into the screen or through the reactor or
7 something. It stays in suspension.

8 MR. KLEIN: Yes. There are two pieces to
9 this, really. The WCAP itself does not predict what
10 happens to the precipitate once it forms. The
11 strainer vendor tests if they use the WCAP methodology
12 take the amount predicted by the WCAP, and then they
13 put that into solution. And then they typically force
14 that to the strainer or it passes through and comes
15 around again but eventually through flume turnovers or
16 pool turnovers reaches the strainer surface.

17 CHAIRMAN WALLIS: So it's assumed to
18 precipitate in solution? It's not allowed to
19 precipitate by deposition on the fuel, for example, if
20 you have an inverse solubility curve?

21 MR. KLEIN: That's the --

22 CHAIRMAN WALLIS: It's very different. A
23 way to get it into the core might be not to
24 precipitate it until it gets there.

25 MR. KLEIN: That's a different topic. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the assumptions for the in-vessel aren't necessarily
2 the same as for the strainer.

3 CHAIRMAN WALLIS: Okay.

4 MR. KLEIN: For the strainer, it's
5 conservative to assume that all precipitates in
6 solution arise at the strainer surface for the
7 in-vessel, that is not a conservative assumption. And
8 that's not an assumption that --

9 CHAIRMAN WALLIS: Okay. You make
10 assumptions?

11 MR. KLEIN: Correct.

12 CHAIRMAN WALLIS: Okay. Thank you.

13 MR. KLEIN: The model also doesn't really
14 consider that there might be a delay in precipitation
15 due to sluggish kinetics or some other effect. If you
16 look at IECT, for example, the aluminum oxyhydroxide
17 that formed in IECT 1 and IECT 5 primarily occurred
18 after the solution began to cool from a 140-degree
19 test temperature.

20 The WCAP model itself assumes that this
21 material is immediately available. And so when
22 licensees implement an integrate head loss test,
23 they're typically assuming a 30-day inventory of
24 precipitate. And they're evaluating that against a
25 minimal NPSH margin that is available in their plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As time goes on after an accident, that margin
2 increases substantially. So that is a conservatism.

3 They also in the base model do not
4 consider passivation of aluminum by phosphate or
5 silicate. And we did observe those phenomena in the
6 IECT tests. It has also been confirmed by additional
7 tests, either by industry or at LANL. So we think
8 those things are real, but the base model does not
9 consider it.

10 So the first three bullets really are
11 related to treatment within the WCAP process. These
12 last two bullets discuss tests that the staff has
13 requested in order to help evaluate different aspects
14 of the WCAP model.

15 In particular, the tests at ANL that you
16 did hear about in February, we took an amount of
17 precipitate that would be the equivalent of the
18 Argonne vertical head loss loop volume if it had five
19 parts per million in excess of solubility limit, for
20 example, that transformed into precipitate. We wanted
21 to see how that would affect head loss. So we ran a
22 test with what we thought would be a small amount of
23 WCAP-generated precipitate.

24 When we did those tests, we saw a very
25 immediate head loss response that resulted in complete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blockage of the loop. In fact, they had --

2 CHAIRMAN WALLIS: It seems to me a problem
3 because we haven't sort of quantified the effect of
4 these precipitates on head loss except that when you
5 get some, it seems to make an unacceptable head loss.

6 I'm not quite sure how you are going to
7 predict what is allowable in terms of amounts of
8 precipitate in the plant. They don't really know what
9 the effect of a small amount is on head loss.

10 MR. KLEIN: Well, the criteria for the
11 plant, really, is that the NPSH margins are met. So
12 if the precipitate causes --

13 CHAIRMAN WALLIS: How do you predict that?

14 MR. KLEIN: How do you predict that?

15 CHAIRMAN WALLIS: How do you predict it?
16 Do you do it just by experiment?

17 MR. KLEIN: You do it by experiment by the
18 plant-specific debris that is added to the larger
19 scale tests. And then they add a conservative amount
20 of chemical precipitate on top of that.

21 MEMBER BANERJEE: So the key thing here
22 would be for us to listen to these presentations which
23 are coming.

24 CHAIRMAN WALLIS: So it's conceivable that
25 Argonne got essentially complete blockage with five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 parts per million, but it may be with certain screen
2 designs you don't get complete blockage or you get
3 almost no blockage up to maybe -- I don't know -- 20
4 or 50 parts per million or something.

5 MR. KLEIN: Well, and it's a function of
6 also the individual plant whether they have a debris,
7 a fiber bed on their strainer, something --

8 CHAIRMAN WALLIS: There is nothing
9 quantitative you can take from Argonne and apply it to
10 your decision-making.

11 MR. KLEIN: That is accurate, I think.

12 CHAIRMAN WALLIS: Yes. It's just a
13 qualitative --

14 MR. KLEIN: I think what it showed us
15 qualitatively is that the WCAP precipitate effectively
16 drives head loss. So if you have a methodology that
17 predicts a conservative amount of precipitate, then
18 that should be conservative.

19 And also, in addition to the head loss
20 test, Argonne also did a series of bench-top tests to
21 try and understand sensitivities on preparation of the
22 WCAP surrogate and how it could potentially if you did
23 not follow directions exactly, what would be the
24 ramifications on the precipitate that was formed.

25 And then the final larger bullet here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talks a little bit about the test at Southwest
2 Research. And we really had two objectives with these
3 tests. One of them was to take a limited number of
4 WCAP test conditions and try and replicate them just
5 to see the different test facilities, different heater
6 material, but the same material, same test condition,
7 what might happen relative to what was reported in the
8 WCAP.

9 So those sets of tests were done. And, in
10 general, what we saw is that in the Southwest Research
11 test, the concentration of leachate was either similar
12 to or less than what was reported in the WCAP.

13 The second part of the Southwest Research
14 was to pick out some of the materials that were not
15 tested in the WCAP. If you look at the WCAP
16 methodology, they classify materials.

17 And then they tested a representative
18 material from each of those classes. We wanted to
19 evaluate some of the other materials that were deemed
20 equivalent to some of the material classes and see how
21 they would behave as well in this type of test.

22 So when we did those tests, we did not
23 observe any precipitates with those other additional
24 materials that were not tested within the WCAP.

25 Slide 8.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Maybe we could just read
2 this one and move to the last one.

3 MR. KLEIN: You can certainly read slide
4 8 and move on.

5 The final slide talks about the regulatory
6 path forward. And there are really four major areas
7 shown in this slide the staff is working on to try and
8 prepare ourselves to evaluate the chemical effects
9 evaluations that will be provided in the supplemental
10 responses to --

11 CHAIRMAN WALLIS: What if the Commission
12 asks us at the meeting in June "Are the staff and
13 industry are on track to resolve GSI-191?" We will
14 probably have to say we don't know. We just have to
15 say they're still evaluating.

16 MR. KLEIN: That is true. I think that
17 there is an aggressive schedule that both industry and
18 staff are trying to meet here. This is clearly a
19 complex area.

20 And, as you will see, the bottom line of
21 this slide will talk about the individual areas, but
22 any one of these four bullets could really trigger
23 requests from the staff for additional confirmatory
24 research in order to support resolution of chemical
25 effects.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But, in particular, path forward, we will
2 be working with the Office of Research to disposition
3 the peer review panel member comments contained in
4 NUREG 1861 and identified by the PIRT. You will hear
5 more about that in the next presentation.

6 We are continuing our assessment of the
7 ongoing industry chemical effect tests. We are --

8 CHAIRMAN WALLIS: So you aren't able to
9 say, "We had ten questions, and we have successfully
10 resolved eight of them" or anything like that? You've
11 still got all of the questions. Is that right?

12 MR. KLEIN: For the peer review panel and
13 the PIRT?

14 CHAIRMAN WALLIS: No. For the state of
15 where you are in resolving GSI-191. My impression is
16 that the questions are still the same and the answers
17 aren't yet finished.

18 MR. KLEIN: In the chemical effects area,
19 I think that we have definitely made progress. I
20 think we're learning --

21 CHAIRMAN WALLIS: You haven't answered any
22 questions completely yet?

23 MR. KLEIN: Well, we have answered certain
24 aspects of it. We certainly have some larger
25 technical issues that remain to be resolved.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Is it correct to say
2 that you are guided by what has been done, you are
3 relying very heavily on industry experiments in
4 prototypical geometries, large-scale prototypical
5 geometries, as a means of evaluating?

6 MR. KLEIN: I think that's one important
7 piece of information that we will rely on, certainly
8 not --

9 CHAIRMAN WALLIS: Okay.

10 MEMBER ABDEL-KHALIK: Does approval of
11 WCAP 16530 imply approval of the surrogate
12 characteristics and preparation method, regardless of
13 the plant-specific conditions?

14 MR. KLEIN: I think the safety evaluation
15 will be written for WCAP 16530, might approve the
16 overall process as conservative, including the use of
17 those surrogates.

18 Now, I think what maybe didn't come out as
19 part of this presentation and the real challenge to
20 the staff is that I've sat here and I've sort of
21 described overall we think this base model is
22 conservative. And I've provided some of the reasons
23 for that.

24 At the same time, there is work underway
25 to try and remove some of that conservatism. And so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the challenge I think for the staff is going to be
2 trying to understand how much conservatism can be
3 removed from that base model and still have a
4 conservative method overall.

5 CHAIRMAN WALLIS: Okay, well we've had a
6 very liberal interpretation of the agenda and the time
7 frame that I would like to finish. Thank you very
8 much, Paul.

9 We are going to take a break now for lunch
10 until 12:30.

11 MR. KLEIN: Thank you.

12 (Whereupon, a luncheon recess was taken
13 at 11:40 a.m. until 12:34 p.m.)

14 CHAIRMAN WALLIS: Okay, this presentation
15 will be pursuant from this morning, the staff
16 presentation on Chemical Effects Peer Review.

17 Rob, are you going to start?

18 MR. TREGONING: Yes, yes, sir.

19 CHAIR WALLIS: Please go ahead.

20 MR. TREGONING: Thank you, Mr. Chairman.

21 I'm Rob Tregoning from the Office of
22 Research. And seated up here with me is Erv Geiger
23 from the Office of Research. And we are going to
24 present a status update of the Chemical Effects Peer
25 Review and how we are working through issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disposition.

2 Slide two please. This is really a status
3 presentation. We were originally in front of you in
4 both February and March where we presented a lot of
5 the mechanics and history. And actually talked about
6 some of the issues that were raised by the peer
7 reviewers.

8 And we said at the time that we would
9 come back during this May meeting and let you know how
10 we were progressing. And what we still had to do in
11 the future. So these first couple of slides are just
12 to revisit that earlier presentation to make sure we
13 have what we are doing now in proper context.

14 So as we indicated back in the February
15 and March meetings, many important chemical phenomena
16 were identified by the team of five peer reviewers
17 that we put together. And there were one of two
18 mechanisms that these phenomena or issues were
19 identified, either in NUREG 1861, which you have seen
20 and reviewed and actually commented on quite in depth
21 in the last meeting that we had which was their review
22 of the research that we had conducted in the area of
23 chemical effects up to that time that was published in
24 December 2006.

25 And the other mechanism was the PIRT that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we conducted and we decided to conduct in the middle
2 of their peer review when it became apparent to us
3 that many of the issues that were being raised at the
4 time were outside of the scope of the initial research
5 efforts. So combining those two documents or
6 activities led us to identify various phenomena.

7 After the PIRT, once you took into account
8 the rankings from the PIRT process as well as some of
9 the extraneous issues that were in NUREG 1861 that
10 were identified specifically in the PIRT, we were able
11 to identify 41 phenomena or issues that we needed to
12 disposition as a staff.

13 So that's -- and I'm very definitive when
14 I say 41 because I'm going to provide binning
15 statistics later. I want to make sure everything adds
16 up. So I didn't say approximately 40 because I know
17 you guys will do the math later.

18 CHAIR WALLIS: So someday we'll got a
19 checklist of 41 issues to check off?

20 MR. TREGONING: Yes. We have actually
21 formed a table of all these issues. And one of the
22 columns in the table is the disposition strategy as
23 well as the technical justification supporting that.
24 And that will be documented.

25 Next slide please. Again, this is just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 repeat of what was provided in February and March. If
2 you looked at the issues and categorized them, they
3 fell into one of these seven bins. And back in
4 February and March, I gave about ten different
5 examples that fell within each of these bins.

6 CHAIR WALLIS: Can we give this number to
7 the Commission when the Commission asks us in our June
8 meeting what is the status of chemical effects
9 phenomena. We'll say the staff has 41 --

10 MR. TREGONING: Sure.

11 CHAIR WALLIS: --phenomena.

12 MR. TREGONING: These slides are publicly
13 available.

14 MEMBER BANERJEE: And also this was
15 identified by the peer review group, right?

16 CHAIR WALLIS: Yes, but you actually
17 looked at the peer review. You might have discarded
18 some of them as not worthy of further consideration.

19 MR. TREGONING: Well, the PIRT process
20 itself, you obviously go through a ranking. When we
21 did brainstorming as a group, there were well over 100
22 that were identified.

23 CHAIR WALLIS: That sounds a large number
24 to me.

25 MR. TREGONING: No, again, when you go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through any sort of PIRT and when you do it
2 comprehensively, you identify a lot of potential
3 phenomena and issues. So, again, in the original
4 brainstorming, now these statistics I don't have
5 exactly right, but I want to say it was probably about
6 120 specific phenomena that we identified and ranked.

7 So ideally yes, it seems like a large
8 issue, but the other thing is we tended to be
9 inclusive rather than exclusive. So if there was any
10 doubt about whether we had sufficient justification to
11 conclude that something was or wasn't significant, we
12 tended to include it so that we could at least have
13 staff discussion on it.

14 MEMBER BANERJEE: So these are not
15 necessarily what would be highly ranked?

16 MR. TREGONING: Not necessarily although
17 certainly all of the highly-ranked issues were
18 included in this list. We had a few issues that
19 actually -- the aggregate score was low ranked but if
20 we had one peer reviewer that had sort of a passionate
21 justification for why it shouldn't be ranked low, we
22 tended to throw those into the mix as well.

23 So again -- and that is something that you
24 don't always do in a PIRT. So we tried to err towards
25 inclusivity rather than exclusivity in this. And,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again, a few of the issues weren't even raised in the
2 PIRT. They were raised outside the PIRT within NUREG
3 1861.

4 Next slide please. So how have we gone
5 about evaluating these various issues? And this
6 really follows on the proposed path that we talked
7 about in February and March. We formed a team from
8 NRR and Research that is going through and separately
9 evaluating each of the items. And we have been
10 through an initial binning of each of those items.
11 I'm going to give you the results of that shortly.

12 And when we look at these items, we're
13 trying to identify or evaluate them based on
14 information that wasn't available to the PIRT
15 reviewers at the time. Because, again, the expertise
16 of the PIRT panelists largely were chemists, chemical
17 engineers. We had one PIRT panelist that did have
18 specific and direct industry experience.

19 But there were a lot of aspects about
20 specific plant conditions as well as the industry
21 mitigation strategies for chemical effects that either
22 weren't apparent at the time because they have evolved
23 since or, again, there was not enough knowledge from
24 the peer review panel itself to really accurate or
25 intelligently comment on the effects of some of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things.

2 So we have considered these first two
3 bullets in our evaluation to identify which issues we
4 still think are still outstanding.

5 Now in future, for those issues that
6 either the industry mitigative approach or
7 consideration of plant conditions aren't in and of
8 themselves sufficient, these last two bullets indicate
9 some future steps that we are looking at taking to
10 continue the evaluation.

11 The third bullet is staff is considering
12 some scoping analysis. And by scoping analysis, I
13 wanted to define what we meant by that because that
14 can be a vague term. We are talking about here within
15 the context of this is either literature review,
16 conservative calculations, or limited conservative
17 experiments.

18 The purpose for that would be for any
19 specific issue to try to provide some context to
20 determine who significant this issue would be.

21 So we are really trying to look to do
22 something fairly conservative to make that initial
23 assessment.

24 And then finally for those issues that
25 remain, we will be, you know, considering and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluating the need for any targeted follow on either
2 industry and/or NRC sponsored research. And, of
3 course, that last bullet is something that we -- for
4 some of these issues, you know, you will see that we
5 have continued to work in parallel. It is the belief
6 of at least portions of the staff and some of the
7 currently industry sponsored research on chemical
8 effects as well the pending research that will go on
9 this summer will address some of the issues that were
10 raised by the PERT team. So this -- did you have a
11 question?

12 CHAIR WALLIS: No, I'm just looking ahead.

13 MR. TREGONING: Okay, okay. The other
14 thing that we are doing in parallel is we are
15 documenting and summarizing the PIRT process. And
16 item four, we have been in parallel communicating.
17 Much of these issues have already been communicated to
18 the vendor teams and the licensees through either the
19 RAIs that Paul spoke about or other mechanisms, public
20 meetings, and otherwise. So we have been communicating
21 that information to these teams so we can facilitate
22 in as timely a manner as possible the resolution of
23 the generic letters.

24 As we've already discussed today, we are
25 on a challenging schedule. So we are trying to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many of these things in parallel as much as we can.

2 So slide five is a bit of a process slide
3 but I thought it was important to at least show this.
4 This at least shows the binning or the screening
5 strategy used by the staff in terms of evaluating the
6 phenomena or the issues that have been raised by the
7 peer reviewers.

8 CHAIR WALLIS: Can we move over to slide
9 six now?

10 MR. TREGONING: Okay, we'll go to slide
11 six. We can come back to that if we need to.

12 CHAIR WALLIS: All right. Now the
13 interesting thing to me is that 34 of them became
14 deleterious chemical vendors.

15 MR. TREGONING: Yes, yes. So you can see
16 there what I've tried to do is -- just before we move
17 on --

18 CHAIR WALLIS: You were unable to screen
19 out many of these. Most of them survived as being
20 important -- potentially important.

21 MR. TREGONING: Right. There were a few
22 that had no practical implications, as you see. There
23 were a handful which were advantageous. And then 34
24 which were potentially deleterious. However, of those
25 34, the current belief among the staff is that we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sufficient available information to disposition about
2 half of those. So there is really another 19
3 remaining which we think we need to have some
4 additional consideration in order to properly
5 disposition.

6 MEMBER BANERJEE: Can you give us an
7 example of one?

8 MR. TREGONING: The next slide I have
9 examples. So let me work through this slide and then
10 we'll give you some examples. And what I've done is
11 I have given examples of things that fall within each
12 of the bins so you can see some of the differences.

13 What else are we doing? The draft PIRT
14 report I mentioned, we have actually completed the
15 draft version of that report and the target completion
16 for the final report this fall of `07. And, again, we
17 are considering scoping analysis to support the
18 generic evaluation. And that would support resolution
19 of those 19 issues there. The target completion for
20 that, if we embark on that, would be December in
21 parallel with the generic letter resolution.

22 And I just mention some of the venues that
23 we are using to communicate this information to the
24 vendors and licensees. And I mention bimonthly public
25 meetings. The next one is June 20th. I think Michael

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Scott had indicated June 18th earlier. It is
2 actually, I think, June 19th. So let me point out
3 that error on that slide.

4 CHAIR WALLIS: Usually we are less
5 interested in process than we are in results.

6 MR. TREGONING: Yes. Yes. So let's go to
7 at least some example results on the next slides. And
8 I don't have all the results. If you remember in
9 February and March I presented ten issues that were
10 representative of the types of things that were raised
11 by the PIRT.

12 I've taken five of those ten that happen
13 to fall within different bins so you could see what
14 types of things were falling in different bins so, for
15 instance, one of the issues that we discussed and
16 addressed in the PIRT was the fact that there needed
17 to be sufficient particular nucleation sites in order
18 to foster precipitation, okay?

19 And essentially what came out of the PIRT
20 as well as subsequent discussion is that in either a
21 normal or laboratory environment or certainly in
22 containment, that you are going to have enough of
23 these sites available that will be enough to foster
24 precipitation.

25 We have also, both in some of the NRC-

1 sponsored research and in the industry-sponsored
2 research, looked at addition nucleation sites through
3 the form of either nano particles and RKs. I'm not
4 sure of the size scale of the industry particles but
5 in either case, whenever we have added more particles,
6 they did not seem to have any noticeable effect on the
7 precipitation mechanics or kinetics.

8 So that would tend to reinforce what was
9 already some of the information we got from the peer
10 reviewers that the expectation was that there was
11 sufficient sites available in these typical
12 environments. So there is one where we believe that
13 there is no practical implications of that particular
14 phenomena.

15 The second item, and I had mentioned this
16 before, was the fact that you can have quiescent
17 settling of participates. At least with respect to
18 sump screen head loss, this is something that by and
19 large is an advantageous effect with respect to ECCS
20 performance.

21 But other than the scaling analysis that
22 you mentioned earlier, that is a separate issue, but
23 with respect to actual performance, if you do have
24 settling or conditions which allow larger, more stable
25 particles to form, which then have a greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 propensity to settle, that certainly could decrease
2 the solids inventory that you have.

3 CHAIR WALLIS: What do you mean by a
4 stable particle?

5 MR. TREGONING: Stable particles meaning
6 that they are -- I mean hydrodynamically stable there.
7 So they are not going to --

8 CHAIR WALLIS: Break up?

9 MR. TREGONING: -- break up. Yes.

10 CHAIR WALLIS: They won't break up.

11 MR. TREGONING: Yes. And if you have
12 quiescent enough conditions that allow the growth and
13 nucleation and then potential agglomeration of those
14 particles, they can be much more resistant to either
15 break up or redissolving in solution after the fact.
16 And we have actually seen some of that in some of the
17 benchscale testing that we have done when we have
18 tried to redissolve or resuspend things that we had
19 allowed to form under --

20 CHAIR WALLIS: One of your items that came
21 up in the PIRT, this formation of gas in the sump that
22 makes particles then rise to the surface by buoyancy,
23 can some of these chemical reactions produce gas?
24 Hydrogen?

25 MR. TREGONING: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: And the gas bubbles then
2 make particles rise up. And then they -- the bubble
3 breaks and they cascade down again. So this settling
4 is effected by that.

5 MR. TREGONING: Yes. And how you --

6 CHAIR WALLIS: Is this one of your items
7 you are looking at?

8 MR. TREGONING: One of the items that we
9 looked at was actually the effects of organics on
10 buoyance which --

11 CHAIR WALLIS: How about bubbles? Are you
12 looking at bubbles?

13 MR. TREGONING: Bubbles only with respect
14 to how it effects the overall turbulence within the
15 pool. I mean you

16 CHAIR WALLIS: They actually make certain
17 particles buoyant that weren't buoyant before.

18 MR. TREGONING: Yes, but once -- right but
19 it is potentially a transient effect as well,
20 especially with hydrogen. As the bubble goes --

21 CHAIR WALLIS: Yes. Just because
22 something settles into a sludge at the base doesn't
23 mean to say it is not going to be buoyant --

24 MR. TREGONING: That's right.

25 CHAIR WALLIS: -- because of chemical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactions within the sludge.

2 MR. TREGONING: That is entirely correct.

3 CHAIR WALLIS: So add it to your list if
4 it isn't there already -- 42.

5 MR. TREGONING: Well, whenever you have a
6 new PIRT panel, you open yourself up for additional
7 issues. Okay.

8 The next one as we go down the table, pH
9 variability. Here is one that the peer reviewers
10 thought was very important with respect to both the
11 initial break chemistry and the fact that that is
12 variable throughout the fuel cycle depending on the
13 amount of boron that you have in your RCS.

14 And the related issue is the fact that we
15 know that containment chemistry will evolve post-LOCA
16 as a function of time as the buffer continues to get
17 added. So that is an issue that was rated of high
18 importance by the peer reviewers. But this has been
19 an issue that has had a lot of interest and
20 examination. And this is something that the industry
21 has been considering and evaluating in their generic
22 letter evaluations all along.

23 So this is something that at least with
24 respect to this particular issue, there is an
25 expectation that this will be addressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry in their generic letter submissions. And it
2 is sufficient mature enough so that the variability
3 can be understood.

4 CHAIR WALLIS: Boron is needed for
5 criticality control, isn't it, early in the cycle?

6 MR. TREGONING: Yes.

7 CHAIR WALLIS: So you don't want it
8 precipitating out.

9 MR. TREGONING: Yes, that is correct. And
10 that is what leads to -- when I talk about initial
11 break chemistry being variable, specifically I'm
12 talking about --

13 CHAIR WALLIS: Are you adding more boron
14 later on in the scenario?

15 MR. TREGONING: Yes, you inject it as well
16 in the scenario, yes. And that's what drives the
17 chemistry, the injected boron levels are typically
18 higher than you would get in your RCS level. And that
19 drives the chemistry.

20 But at least very early on, the RCS
21 chemistry will drive the chemical reactions. But it
22 is a relatively short time period before that
23 injection starts. So over the post-LOCA sequence,
24 that aspect is a very small percentage.

25 MEMBER ABDEL-KHALIK: So people would have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do their LOCA analysis at different burn-ups?

2 MR. TREGONING: They would have to
3 potentially consider those effects. But, again, that
4 is a very small window compared to the whole post-LOCA
5 scenario. I think you heard today that most of the
6 licensees are taking products that would develop over
7 30 days. Because, again, these products are evolving
8 with time.

9 So they are making conservative
10 assumptions that those 30-day products are available
11 to judge or evaluate their minimum net section head
12 loss margin which would occur after like an hour or so
13 into the accident.

14 CHAIR WALLIS: Do they stay subcritical
15 forever.

16 MR. TREGONING: Yes.

17 CHAIR WALLIS: Or 30 days -- you mention
18 30 days.

19 MR. TREGONING: We say 30 days. But you
20 have got to be able to cool it, yes.

21 CHAIR WALLIS: You've got to cool it and
22 if it is, you know, low burn-up material, you have to
23 keep it subcritical --

24 MR. TREGONING: That's correct.

25 CHAIR WALLIS: -- for a long time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presumably.

2 MR. TREGONING: Right. So there is
3 nothing magical about 30 days although it is -- beyond
4 30 days, you know, if additional cooling is needed, A,
5 you have a lot of margin, and B, you also have the
6 potential for developing other ways of cooling. So 30
7 days has been --

8 MEMBER ABDEL-KHALIK: Do current LOCA
9 analysis account for or keep track of pH variation
10 during the transient?

11 MR. TREGONING: Yes, I might ask Paul to
12 jump in on this. But essentially yes would be my
13 answer.

14 MR. KLEIN: I think once you have a LOCA,
15 it is a very, very short time frame for blow-down. I
16 think what we were trying to address in part of this
17 bullet is that you have a fine dependent evolution of
18 pH. You initially have very low pH, highly borated
19 water from all your injection tank sources.

20 And that as you either spray sodium
21 hydroxide or you dissolve TSP, that pH adjusts over
22 time. And that is part of what goes into the
23 spreadsheet input as a function of time. And it is
24 accounted for as they try to determine what forms as
25 a precipitate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: So is this something
2 that would have to be integrated within LOCA analysis
3 methodology? Or is this sort of a separate side
4 calculation?

5 MR. TREGONING: It could be integrated or
6 it could be considered -- it could be conservatively
7 handled as well. I mean depending on which aspect you
8 are looking at, if you are looking at corrosion or
9 dissolution, you could make conservative arguments in
10 terms of what you pH is and how you are evaluating
11 that corrosion or dissolution.

12 So there are at least two ways to handle
13 it. More realistically or more conservative. And I'm
14 not sure if you can comment in terms of what the
15 expectation is for particular approaches from
16 licensees. Do you have any --

17 MR. KLEIN: No, I think the -- you know
18 part of the disposition of this is that the amount of
19 corrosion you get during that initial 30-second period
20 is very small relative to the amount that accumulates
21 over the subsequent 30 days.

22 MEMBER ABDEL-KHALIK: I mean it seems like
23 temperature and pH are the dominant variables that at
24 least were examined experimentally. And if you are
25 going to, you know, take advantage of the experimental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data, you ought to be able to provide at least
2 reasonably accurate estimates of the time history of
3 these two parameters. And the question is do the
4 current analyses do that?

5 MR. KLEIN: Yes. Temperature and --

6 MEMBER ABDEL-KHALIK: Temperature I can
7 understand. But pH --

8 MR. KLEIN: And pH is predicted as a
9 function of time.

10 MEMBER ABDEL-KHALIK: Okay.

11 MR. TREGONING: Okay, thanks, Paul.

12 Another issue that we talked about was
13 silica concentration. These were things that we did
14 -- we certainly accounted for silica within the ICET
15 test in the sense for the insulation materials that we
16 had as well as concrete. But we did not explicitly
17 consider silica in the RWST or RCS, how that might
18 contribute to the chemical products that could form.

19 Now when we looked at that again and
20 evaluated that in terms of the RCS contribution, there
21 is really a negligible contribution to additional
22 silica compared to what was considered in the ICET
23 analyses were we typically had, depending on the test,
24 anywhere from 80 to 100 PPM of dissolved silica.

25 So the idea at least behind that issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have well-encompassed the amount of silica
2 that we would need to consider within these sump pools
3 by the testing that has been done.

4 CHAIR WALLIS: Well, it is a continuous
5 process. I mean if this stuff is precipitating in the
6 core, then it is continually being dissolved in the
7 sump presumably. And then re-precipitated in the
8 core. It is not as if it is limited by some parts per
9 million. It is what happens in that cycle that
10 matters, isn't it?

11 MR. TREGONING: Well, in terms of how much
12 -- in terms of if you get re-dissolution of solid
13 product, that is certainly important. But I guess the
14 point here is that the expectation is that most plants
15 will have well in excess of that amount or that
16 concentration in silica due to other sources without
17 necessarily having to account for silica that may
18 exist initially in the RWST and RCS.

19 CHAIR WALLIS: So what you are saying is
20 there is plenty of silica from everything else?

21 MR. TREGONING: Yes, in general.

22 Now, again, maybe if you had a plant that
23 was able to demonstrate that they effectively had very
24 little silica, this issue would --

25 CHAIR WALLIS: Well, I think our problem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was this species of retrograde solubility. But they
2 are also formed from the other silica.

3 MR. TREGONING: That's right.

4 CHAIR WALLIS: Okay. So it's not --

5 MR. TREGONING: That's exactly right.

6 Yes, so I apologize for the confusion there.

7 CHAIR WALLIS: So the two things are sort
8 of mixed up.

9 MR. TREGONING: They are mixed up. So,
10 yes, I apologize for that.

11 And then the last item is one that we
12 talked about. And that is effects of radiolysis.
13 And there are various effects potentially of
14 radiolysis that fall into these other bins. I just
15 picked one out here. And that's the effects on the
16 redox potential. And essentially the corrosivity of
17 the environment itself.

18 And this is something that we are
19 considering for doing some of these additional scoping
20 studies.

21 MEMBER BANERJEE: So would these be in
22 sort of a little ICET set up or what?

23 MR. TREGONING: You know, it is premature
24 at this point to comment. I think with respect to
25 this particular one issue, I think at least I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 envision some limiting scoping calculations on how
2 radiolysis might effect the redox potential compared
3 to the redox potential that we had, for instance, in
4 the ICET test.

5 And if we could demonstrate that the redox
6 was not significantly different, they you potentially
7 have a justification for saying okay, the additional
8 effects for radiolysis aren't a significant
9 consideration.

10 Now if we are not able to make that case,
11 then you have to think about okay, well then how do I
12 evaluate the effects of radiolysis. And then that
13 potentially takes you to a point where you have to
14 consider some sort of testing, more refined
15 calculations, you know whatever you need to do. But
16 that is the whole point behind the proposed scoping
17 analysis was we will try to evaluate how important
18 this is.

19 MEMBER BANERJEE: The thing is you might
20 be able to -- you may be able to get rid of chemicals
21 but you may not be able to get rid of what radiolysis
22 effects.

23 MR. TREGONING: That's correct.

24 MEMBER BANERJEE: So one must have a feel
25 whether it is important or not.

1 MR. TREGONING: Well, and that's why --
2 hence -- and you asked about, you know, lack of
3 buffering before, you know, and what questions would
4 remain. Well, this would potentially be a question
5 that would remain. So there is not an expectation
6 that there would be no chemical effects if we removed
7 the buffer. They would just be different effects
8 likely.

9 MEMBER BANERJEE: Right, right.

10 MR. TREGONING: And Paul had mentioned
11 some of the German experience with some of their
12 testing. They do not buffer. And they have still,
13 Paul had mentioned, corrosion of zinc. But then also
14 they have also seen some iron corrosion as well.

15 So they still have chemical effects. They
16 are just different effects.

17 MEMBER ABDEL-KHALIK: Back to the pH
18 variability issue, the dissolution data was based on
19 experiments that were done over 90-minute periods in
20 which the rate is assumed to be constant and equal to
21 whatever the total amount after 90 minutes divided by
22 90 minutes, that gives you the rate.

23 So how can you use this information along
24 with a very fine resolution of calculated temperature
25 and pH over a time frame of seconds?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Well, that's a broad
2 question. You know I don't want to tackle all the
3 industry aspects of it. But I guess what I will say
4 is the industry tests were 90-minute tests. And they
5 were looking at calculating rates, reaction rates.
6 There has been a lot of other similar small-scale as
7 well as large-scale tests where we looked at fairly
8 earlier on sampling as well as longer sampling to
9 catch saturation effect.

10 So although I don't think I'm answering
11 your question because your question -- let me make
12 sure I understand it again, you are saying how can we
13 take that reaction rate data and resolve fairly small
14 differences or fairly fast differences in pH?

15 MEMBER ABDEL-KHALIK: And within that 90-
16 minute period over which the averaging is being done.
17 One would expect some variation with time --

18 MR. TREGONING: In terms of pH or
19 temperature or --

20 MEMBER ABDEL-KHALIK: Or dissolution rate.
21 And the issue then is, you know, how can you use time
22 averaged data over a 90-minute period along with
23 calculated temperature and pH history that are
24 resolved to the tenth of a second time scale? And
25 what would be the value of doing that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Well, I think what you
2 will see, especially with respect to chemical effects,
3 is -- and this is something that we looked at
4 initially when we were developing the parameters for
5 our ICET testing -- and if you recall, ICET was an
6 isothermal test. And we did some speciation calcs to
7 try to predict at least, you know, dissolution and the
8 amounts of materials that would occur to the
9 relatively high temperature yet very short duration
10 part of the event versus the lower temperature,
11 longer-term aspects of the event.

12 And in terms of the actual amounts of
13 dissolved species, it was always dominated by the
14 longer-term history. So while in essence it's true
15 that you need to consider all those effects, at least
16 by and large with respect to the amount of chemical
17 species that is available, it is really that longer-
18 term, lower temperature effect on submerged materials
19 more than un-submerged materials, that is going to
20 result in the dominant contributions to the
21 containment pool chemistry.

22 MEMBER ABDEL-KHALIK: I'm just questioning
23 the logic in the sense that I don't know how much
24 effort will be involved in resolving this pH
25 variability issue. And whether you would require

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people to do LOCA analyses at different burn-up so
2 that they can find out what is the worst condition in
3 terms of the calculated pH and temperature history,
4 whether that is your plan or not. And whether that is
5 consistent with the level of detail as far as
6 experimental data.

7 MR. TREGONING: You are going to have to
8 take that one. I can't answer that.

9 MR. KLEIN: Well, I'll add to that. I
10 guess from our perspective, we don't need to resolve
11 down to the very, very short-term corrosion rates
12 because if you look at the overall testing that was
13 done in WCAP and elsewhere, it is not necessarily the
14 lower pH, very short time duration that provides the
15 bulk of dissolution. It is the higher pHs that tend
16 to release more materials.

17 And that those tend to evolve over time.
18 And using short term, 30- or 90-minute tests,
19 typically overestimates the amount of say aluminum
20 corrosion because what we saw in ICET and what you see
21 elsewhere on corrosion data, you don't account for
22 oxide formation and passivation of aluminum over time
23 by doing short-term tests. You tend to be
24 conservative.

25 MR. TREGONING: Now there are counter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examples to that. We know Cal-Sil, for instance,
2 dissolves more readily at lower pH and can dissolve
3 very rapidly. That is something that we demonstrated
4 -- or that is something that we saw not only in ICET
5 but in some of the benchscale testing that we did.

6 But, you know, the industry has already
7 looked at those. They have done the same tests. They
8 are aware of the data. So the expectation would be
9 that they would appropriately consider those effects
10 as well.

11 MEMBER WHARTON: And I think when you look
12 at something like Cal-Sil, it is assumed it
13 essentially all dissolves for the amounts that we are
14 talking about are relatively short orders.

15 MEMBER ABDEL-KHALIK: Thank you.

16 MR. TREGONING: Okay? If there are no
17 questions, I'll move to the last slide, the summary
18 slide.

19 Essentially the first bullet, the peer
20 reviewers did identify many chemical phenomena in
21 order, in their opinion, to comprehensively consider
22 chemical effects and make sure that we are adequately
23 resolving those. When we look at closing out generic
24 letter 2000-402, we have completed an initial
25 screening of each of these now -- at least 41 with one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional phenomena. And we are looking to
2 disposition each item.

3 The ultimate resolution strategy or path
4 will be provided by either existing information that
5 we have to date, ongoing research and evaluations, or
6 additional NRC-sponsored research as appropriate. And
7 I had mentioned that we are considering conducting
8 some scoping analyses for several items to support the
9 evaluation of the generic letter responses by the
10 staff on chemical effects.

11 Are there any other questions? I know you
12 are anxious to move on to hear some of the industry
13 presentations.

14 MEMBER BANERJEE: There were no velocity
15 effects identified as being important?

16 MR. TREGONING: In terms of -- if you
17 could be more specific.

18 MEMBER BANERJEE: In corrosion rates or
19 things like that.

20 MR. TREGONING: We certainly discussed
21 that. And that's why I wanted you to be more
22 specific. We talked about velocity effects certainly
23 with respect to corrosion, especially if they were
24 going to be, again, mass transfer or diffusion-limited
25 types of phenomena.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also talked about the effects of
2 velocity that they might have on -- and this got much
3 more discussion because the effects were deemed to be
4 probably more significant there -- on agglomeration
5 and growth of precipitates that may form. There the
6 effects of velocity were discussed and identified
7 quite rigorously.

8 So -- but with respect to additional
9 corrosion, while we discussed those, at least the PIRT
10 panelists didn't indicate that they thought that that
11 would be a significant perturbation or significant
12 difference than anything we had done in the ICET
13 testing, for instance, where we had relatively low
14 flow flowing past these samples.

15 MEMBER BANERJEE: Okay.

16 MR. TREGONING: Just to ensure that,
17 again, we continually refreshed the solution that was
18 interacting with those plates.

19 CHAIR WALLIS: So we have here some more
20 work in process. We cannot write a letter or a report
21 saying everything has been resolved to our
22 satisfaction.

23 MR. TREGONING: Well, you could. But it
24 would be premature.

25 CHAIR WALLIS: That would be sticking our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neck out a little too far.

2 MR. TREGONING: Yes.

3 CHAIR WALLIS: Well, thank you, Rob. You
4 have done a very good job. You have actually gained
5 some time.

6 MR. TREGONING: Anything we can do to get
7 you back on schedule, we'd be more than happy to
8 comply with.

9 (Laughter.)

10 CHAIR WALLIS: Well, I was just thinking
11 of your previous reputation in this matter. You have
12 done very well.

13 The next part of the meeting, I believe,
14 will be closed.

15 PARTICIPANT: It can be open.

16 CHAIR WALLIS: It can be open? So we
17 don't need to close this. This is the PWR owners
18 group open meeting.

19 PARTICIPANT: It is the same subject. But
20 the staff requests --

21 CHAIR WALLIS: The staff wants their part
22 to be closed?

23 PARTICIPANT: Yes, so they can present
24 more information.

25 CHAIR WALLIS: I see. So we will leave

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the meeting open --

2 PARTICIPANT: Wait a minute. What did you
3 say? Okay, so it is entirely open.

4 CHAIR WALLIS: It is entirely open. So we
5 don't need to close the meeting at all? Thank you.
6 That is good. Let's move ahead.

7 PARTICIPANT: Our understanding was that
8 we might have proprietary information to discuss
9 although the slide show is not proprietary.

10 CHAIR WALLIS: Okay.

11 MR. DINGLER: What we did is we have a lot
12 of slides. We went in and took some slides we wanted
13 to at least emphasize to you. We will go over those.
14 You can ask questions to all or any of the slides we
15 have. And go from there. So we've got some slides
16 picked out that we want to make sure we emphasize to
17 you. And go from there if that's all right with you.

18 PARTICIPANT: These are the slides here,
19 right?

20 MR. DINGLER: Yes, those slides there and
21 then we took some slides out to emphasize. And we
22 will go through those. And then you can do whatever
23 -- ask questions or whatever you want.

24 CHAIR WALLIS: Okay.

25 MR. DINGLER: We're trying to follow Rob

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Tregoning's sparkling example.

2 CHAIR WALLIS: We will follow what you
3 want to tell us. And then we may ask questions on
4 something we see here that you didn't tell us.

5 MR. DINGLER: That's correct.

6 CHAIR WALLIS: Okay. I see an awful lot
7 of words here. Okay. Go ahead.

8 MR. ANDREYCHEK: Yes, sir, that's true.

9 CHAIR WALLIS: And you are presenting?

10 MR. ANDREYCHEK: Yes, I am.

11 CHAIR WALLIS: Okay. I won't stop you.
12 Go right ahead.

13 MR. ANDREYCHEK: Okay. Thank you very
14 much, Dr. Wallis.

15 We'll go to slide two, the objective of
16 this presentation is to review the particular WCAP on
17 voucher efforts, WCAP-16406-P, what its purpose is,
18 its use, and the status of the NRC review. And
19 quickly review application of the methods that plants
20 would be using.

21 Moving to slide three, the WCAP presents
22 wear abrasion and blockage methods for pumps that are
23 used in ECCS and the containment spray systems, safety
24 related valves, in those systems, heat exchangers,
25 orifices, containment spray nozzles, piping and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instrument tubing, and reactor internals.

2 The fuel will be addressed in a separate
3 WCAP that was alluded to several times this morning.
4 And that WCAP is in draft form and under internal
5 review right now. It is WCAP=16793.

6 CHAIR WALLIS: Now do these include what
7 we have been calling, I think, thermal gradient
8 effects in the past and heat exchangers in the reactor
9 internals? There is heat transfer going on at the
10 same time. And, therefore, those changes in
11 temperature which can change the solubilities, and so
12 you can get build up of material as the result of
13 having a hotter occult surface. Is that part of your
14 study?

15 MR. ANDREYCHEK: That was handled
16 separately from this study. This study was primarily
17 focusing on wear abrasion and blockage.

18 CHAIR WALLIS: All right.

19 MR. ANDREYCHEK: So physical sizes of the
20 debris that we --

21 CHAIR WALLIS: Are you going to talk about
22 the thermal effects today or not?

23 MR. ANDREYCHEK: Thermal effects --

24 CHAIR WALLIS: Yes.

25 MR. ANDREYCHEK: -- in terms of solubility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and things plating out?

2 CHAIR WALLIS: Yes. Heat it up and cool
3 it down and certain things precipitate when you heat
4 them up, some when you cool them down.

5 MR. ANDREYCHEK: No, I'm not.

6 CHAIR WALLIS: You are not going to talk
7 about that, okay.

8 MR. ANDREYCHEK: No, sir.

9 MEMBER BANERJEE: Are you going to talk
10 about blockage of the core?

11 MR. ANDREYCHEK: If you drive me to that
12 later in the presentation I will, yes.

13 MEMBER BANERJEE: But before that you are
14 only going to talk about wear and blockage of valves
15 and pumps.

16 MR. ANDREYCHEK: That's correct. And heat
17 exchangers. Yes, sir.

18 MEMBER ABDEL-KHALIK: So you are
19 addressing blockage in the absence of temperature
20 gradients?

21 MR. ANDREYCHEK: That is correct.

22 MEMBER ABDEL-KHALIK: Okay.

23 MEMBER BANERJEE: You have only -- you
24 have some slides of the core inlet, right?

25 MR. ANDREYCHEK: That is correct, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: So we hope to get there.

2 CHAIR WALLIS: Yes, we'll get there.

3 MR. ANDREYCHEK: Yes, sir, we will.

4 MEMBER ABDEL-KHALIK: But aren't
5 temperature gradients sort of a dominant parameter
6 that would effect precipitation and, therefore,
7 blockage?

8 MR. ANDREYCHEK: Well, first off, we are
9 in the process of evaluating precipitation in general
10 in the reactor core as part of WCAP-16793, which I
11 referenced on the fuel. And we are evaluating that.
12 I'm not prepared to discuss that in any detail today.

13 With regards to precipitation and
14 formation on other components like the downcomer
15 region, we don't see -- that is such a wide open area,
16 we don't see that that is a challenge. We're talking
17 about inches as opposed to --

18 MEMBER ABDEL-KHALIK: I understand.

19 MR. ANDREYCHEK: -- quarters of an inch or
20 so.

21 MEMBER ABDEL-KHALIK: But in places where
22 blockage would be important, temperature gradients
23 would be a significant independent parameter that
24 would effect that rate at which precipitation would
25 take place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: That is correct. And
2 that is in the core.

3 MEMBER ABDEL-KHALIK: And that is not
4 covered by your presentation today?

5 MR. ANDREYCHEK: Not today. That is
6 correct, sir.

7 MEMBER ABDEL-KHALIK: Thank you.

8 CHAIR WALLIS: But it will be in the
9 future?

10 MR. ANDREYCHEK: It is being addressed in
11 WCAP-16793, which, if you look at the bottom of page
12 -- slide 3, it is the fuel, in general.

13 CHAIR WALLIS: Okay.

14 MR. ANDREYCHEK: That is where it is
15 addressed.

16 MEMBER BANERJEE: And when is that going
17 to be available?

18 MR. ANDREYCHEK: That WCAP --

19 MR. DINGLER: Mike Scott says I'm
20 committed to submit that 11:59 on May the 31st.

21 MR. ANDREYCHEK: Of this year.

22 MR. DINGLER: Of this year.

23 CHAIR WALLIS: So things are going to get
24 very interesting later this year when all this stuff
25 comes together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: Yes, they will.

2 MEMBER BANERJEE: And when will we get to
3 see that?

4 MR. DINGLER: You've got to ask the NRC.
5 I can't answer that.

6 MEMBER BANERJEE: I guess after the staff
7 has had a shot at it, right?

8 MR. DINGLER: Correct.

9 MEMBER BANERJEE: Which will be --

10 MR. DINGLER: We expect to see it sometime
11 in June will be our first time to look at WCAP-1793.

12 MR. UNIKEWICZ: I'm Steven Unikewicz. And
13 I'll be the lead reviewer or one of the lead reviews
14 for 16793. We expect to see that early in June. Once
15 we see it -- and we haven't -- we've seen it in bits
16 and pieces and parts -- it will become available some
17 time after that.

18 MEMBER BANERJEE: So we may expect to see
19 it in what September or October?

20 MR. UNIKEWICZ: We expect to see it long
21 before that.

22 MEMBER BANERJEE: You expect to but when
23 would we see it?

24 MR. UNIKEWICZ: Let me talk to Mike Scott.
25 When it becomes available, we will see what we can do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Okay.

2 MR. UNIKEWICZ: Okay? I don't have an
3 answer but I can get one.

4 MEMBER BANERJEE: I guess there is a lot
5 of interest in this.

6 MR. UNIKEWICZ: Understandably.

7 MEMBER BANERJEE: So but we are quite
8 happy to see it after you have done your --

9 MR. UNIKEWICZ: Sure.

10 MEMBER BANERJEE: -- evaluation.

11 MR. UNIKEWICZ: We'll talk a little bit
12 about our method of review and things we are looking
13 for when it arrives in a few minutes.

14 MEMBER BANERJEE: Okay.

15 MR. ANDREYCHEK: Thanks, Steven.

16 The first part of the evaluation for wear
17 and abrasion and erosion on pumps, valves, and heat
18 exchanger internals --

19 PARTICIPANT: Which slide are you on?

20 MR. ANDREYCHEK: I'm sorry, I'm on slide
21 four. We look at what we call a debris ingestion
22 calculation and we look at the debris sources, where
23 they come from, fibrous debris, particulate debris,
24 and coatings. And these, of course, are plant
25 specific based on the plant specific debris generation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations. And they form the basis for the debris
2 concentration that is ingested and evaluated for wear
3 and abrasion and erosion.

4 CHAIR WALLIS: But aren't wear and
5 abrasion is usually due to hard particulates?

6 MR. ANDREYCHEK: That is correct.

7 CHAIR WALLIS: So I think you are really
8 talking about certain aspects of the latent debris and
9 maybe the RMI? And are there any coatings that are
10 hard enough to do any wear and abrasion?

11 MR. ANDREYCHEK: Well, let me back off
12 just a little on that. We will get to that. But
13 there was some testing that was done by Westinghouse
14 back in the `70s that looked at a combination mix of
15 fiberglass, concrete dust, and epoxy coatings. And it
16 made no attempt to try and differentiate between the
17 abrasive capabilities of any of the three. And looked
18 at overall abrasion.

19 So for the purposes of this calculation,
20 we considered all there sources of debris for erosive
21 capability.

22 MEMBER BANERJEE: You are going to tell us
23 what you found, correct?

24 CHAIR WALLIS: Yes, you are going to tell
25 us what you found.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: Yes, we will.

2 CHAIR WALLIS: You are going to talk about
3 wear and abrasion. Is this an important part of the
4 whole story? Or can we move quickly through it?

5 MR. ANDREYCHEK: We can move fairly
6 quickly through it.

7 CHAIR WALLIS: Because isn't blockage more
8 important than wear and abrasion? Or not? No?

9 MR. ANDREYCHEK: Well, it's --

10 CHAIR WALLIS: Abrasion is significant?

11 MR. ANDREYCHEK: It is a significant issue
12 and I think we need to pay a little bit of attention
13 to it particularly on the pumps.

14 CHAIR WALLIS: Is it because it damages
15 the seals or does it actually damage metal parts?

16 MR. ANDREYCHEK: Well, it is on the pumps
17 themselves and the rotating surfaces.

18 CHAIR WALLIS: Is it the seals that it
19 grinds up or is it the metal parts of the pump?

20 MR. ANDREYCHEK: Both.

21 CHAIR WALLIS: Both, okay. You're going
22 to tell us.

23 MR. ANDREYCHEK: Yes.

24 CHAIR WALLIS: Go ahead.

25 MR. ANDREYCHEK: Okay. For the purposes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the discussion, if we can skip past slides five,
2 six, and seven, which deal with more details on debris
3 ingestion, you'd mentioned a little bit about vessel
4 blockage evaluation. I wanted to just briefly touch
5 on that before we get into the wear and abrasion
6 discussions.

7 MEMBER BANERJEE: So when you talk of
8 debris ingestion, it means stuff that gets through the
9 strainers?

10 MR. ANDREYCHEK: That is correct.

11 MEMBER BANERJEE: So they are pretty fine
12 stuff.

13 MR. ANDREYCHEK: Potentially.

14 MEMBER BANERJEE: Okay.

15 MR. ANDREYCHEK: Potentially.

16 Now I would ask you to remember that this
17 was written -- this WCAP was written approximately two
18 years ago prior to sump screens being redesigned. And
19 at the time, some of the debris sizes could be on the
20 order of an eighth of an inch going through sump
21 screens.

22 CHAIR WALLIS: And we hope it is not bits
23 of broken strainer when the load on them gets too big.

24 MR. ANDREYCHEK: I would hope so also.

25 But, you know, certainly with the current strainer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design, with maximum sizes on the order of a tenth of
2 an inch of hole penetration, we are dealing with
3 fairly fine debris that gets through the strainer.

4 CHAIR WALLIS: Unless it is lined up just
5 right to go through.

6 MR. DINGLER: That is correct. And in the
7 next presentation from the utilities, you will see
8 some of that information of actual SEM data that shows
9 how small and how short they are.

10 MR. ANDREYCHEK: We're looking at the
11 vessel blockage, we look at pinch points, the minimum
12 dimensions for flow through the system. And this is
13 everything outside of the core. And we look for the
14 entire system.

15 CHAIR WALLIS: Now when you think about
16 what gets through the strainer, I think in some of the
17 experiments there is a blow-through phenomenon or
18 something where you make the layer and then it blows
19 through the hole. I forget what they call that. But
20 presumably when it blows through the hole, it blows
21 off a piece of felted-type material rather than
22 individual fibers.

23 So you get chunks of felted material
24 conceivably coming --if there is blow through of
25 individual holes. It is already being sort of pushed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together in the screen. And then pushed through the
2 screen as a hunk and rather sort of little pieces, you
3 know, as a little piece of felt.

4 MR. DINGLER: I think there is one vendor
5 that showed some of that and they had to do some
6 different things. Steve can speak for that. But some
7 of the screens that we are seeing made by some of the
8 vendors so that doesn't happen. You don't have enough
9 --

10 CHAIR WALLIS: It does happen in some of
11 the horizontal screen tests.

12 MR. UNIKIEWICZ: Let me -- and I don't
13 want to jump in on your presentation.

14 MR. ANDREYCHEK: Go ahead, Steve.

15 PARTICIPANT: Can you just comment on the
16 bore holes for a second, Steven, I think that is what
17 Dr. Wallis is asking about.

18 MR. UNIKIEWICZ: Well, actually I have a
19 better answer because I'll tell you -- let me finish
20 and then you can jump in, okay? Bear with me because
21 understandably a lot of these discussions with
22 technical folks -- and unfortunately Tim wasn't part
23 of the discussions this morning nor Maurice.

24 With regard, most of the licensees right
25 now aren't even considering that. The vast majority

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are looking at the latent debris or they are looking
2 at their initial walk downs and they are assuming 100
3 percent pass through. So a lot of the discussions
4 when we talk about worm-holing, talk about pass
5 through through the screens, from the perspective of
6 downstream equipment evaluations, it is not even being
7 considered.

8 CHAIR WALLIS: They are going to assume
9 that the --

10 MR. UNIKIEWICZ: Right now they --

11 CHAIR WALLIS: -- grinding powder all gets
12 through.

13 MR. UNIKIEWICZ: It all gets through.

14 CHAIR WALLIS: Wow.

15 MR. UNIKIEWICZ: A lot of the basis for
16 this WCAP, as you listen to Tim and go through this,
17 a lot of the screen penetration tests, there are a
18 handful of utilities that are considering using that.
19 You will understand -- that's one of my points on my
20 presentation that is a challenge because we are
21 looking at their testing.

22 The vast majority of licensees right now
23 are assuming that anything ten percent larger than the
24 hole goes through. A four-to-one aspect ratio from a
25 particulate standpoint goes through. A hundred

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent of the latent debris goes through. And that
2 forms their basis for their input to start of their
3 component level evaluation.

4 CHAIR WALLIS: So lots of RMI would get
5 through?

6 MR. UNIKIEWICZ: RMI smaller than the hole.
7 Again, that input is taken from -- we are using those
8 input parameters from other testing. So as the folks
9 that are doing the RMI testing and they say that
10 particle size distribution is XYZ, that particle
11 distribution size, if it is less than ten percent of
12 the hole opening, 100 percent of that assumes to go
13 through.

14 Again, if you think about it in a
15 different way, if I have a half-inch hole and I'm
16 saying a three-quarter inch piece makes it way
17 through, it seems like it is a reasonable assumption
18 along those lines. So we can talk about worm-holing,
19 we can talk about a lot of things but recognize that
20 that is the exception rather than the rule when people
21 are physically doing these evaluations.

22 MR. ANDREYCHEK: Thank you.

23 CHAIR WALLIS: So you have got to be very
24 conservative then.

25 MR. ANDREYCHEK: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: That is probably because
2 it doesn't matter, right, in this case?

3 MR. ANDREYCHEK: No.

4 CHAIR WALLIS: Well, we are going to hear
5 about that.

6 MR. ANDREYCHEK: That is not necessarily
7 true.

8 MEMBER BANERJEE: It is not necessarily
9 true?

10 MR. ANDREYCHEK: No, it is not. It does
11 matter.

12 MEMBER BANERJEE: In which case you will
13 become less conservative?

14 MR. UNIKEWICZ: Those folks that are
15 redoing their evaluations and looking at the actual
16 screen testing are those folks that failed the first
17 time through. So when they attempted to do it with
18 100 percent pass through with those conservative
19 assumptions they didn't make it.

20 By didn't make it, they mean they decided
21 they either plugged downstream components or their
22 wear rates within rotating equipment were such that
23 there was an instability in the pump and they needed
24 to reevaluate and use the modifications.

25 Once they flunked that, now they refined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their approach. And the refining of the approach has
2 to do with bypass testing. And all five different
3 vendors have a slightly different approach.

4 Not jumping ahead to my presentation but
5 that is truly one of the challenges to look at what
6 assumptions they are now making based upon their
7 actual configuration of their screen design. But,
8 again, that is the exception rather than the rule at
9 this point in time.

10 CHAIR WALLIS: Okay. So we will go back
11 to the owners group.

12 MEMBER ABDEL-KHALIK: Thanks, Steve.

13 MR. ANDREYCHEK: Now the vessel
14 evaluation, once again, was looking for what were our
15 pinch points were at and where it might block in the
16 vessel outside of the core. Slide nine briefly
17 identifies the things that we were looking at, the
18 areas we were looking at. And the graphic shows the
19 areas that --

20 CHAIR WALLIS: Are you going to give us
21 results of what you looked at? Or just telling us you
22 are looking at it?

23 MR. ANDREYCHEK: We can give you results.
24 We looked at the downcomer and the region between the
25 upper core plate and the neutron panel. We looked at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 upper support plate and then the guide tube assemblies
2 and support columns. We looked at the lower plenum
3 and typically the areas --

4 CHAIR WALLIS: Have you made predictions
5 or did you do experiments of some sort?

6 MR. ANDREYCHEK: Actually we looked
7 physically at them using drawings, plant drawings, as
8 constructed drawings. And looked at the debris size
9 that would fit through the sump screen, compared it to
10 the clearance sizes, and in the cases that we looked
11 at, the clearance sizes were on the order of five to
12 eight times larger minimum than the debris that fit
13 through. And typically they were much more -- they
14 were over 20, factor 20 or greater clearance.

15 CHAIR WALLIS: Do you have all the fuel
16 support grid things, the things that are in the actual
17 -- around each fuel element? Those weird shaped
18 things that --

19 PARTICIPANT: The P grids?

20 MR. ANDREYCHEK: Are you talking about
21 support grids where you have the egg-crate design?

22 CHAIR WALLIS: They are a very unique kind
23 of design.

24 MR. ANDREYCHEK: That's correct.

25 CHAIR WALLIS: Are you looking at that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too?

2 MR. ANDREYCHEK: That's, again, part of
3 the core evaluation.

4 CHAIR WALLIS: So you are looking at it?

5 MR. ANDREYCHEK: Yes, yes.

6 MEMBER KRESS: Is your criteria the pinch
7 point area being substantially bigger than the biggest
8 part of the design?

9 MR. ANDREYCHEK: That is correct.

10 MEMBER KRESS: Well how much bigger does
11 it have to be?

12 MR. ANDREYCHEK: We were looking -- what
13 we found in looking at design drawings was that the
14 tightest pinch point was on the order of about eight
15 times larger than the eighth inch particle.

16 MEMBER KRESS: Is that sort of a
17 representative diameter of the pinch point?

18 MR. ANDREYCHEK: It is actually clearances
19 when we walked around the reactor vessel outside of
20 the core. Again, I want to stress that we didn't look
21 at the core for this particular part of the
22 evaluation. This was in the reactor vessel proper,
23 the upper internals, the lower internals.

24 The flows in those regions are designed to
25 provide flow straightening in the lower plenum but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are fairly wide open. But we needed to confirm
2 that.

3 MEMBER KRESS: And your belief is that
4 sort of situation won't plug up?

5 MR. ANDREYCHEK: That is correct.

6 MEMBER KRESS: And how do you know that?

7 MR. ANDREYCHEK: The flow clearances are
8 sufficiently large enough that they won't physically
9 grab in there. I mean if you have a two-inch diameter
10 hole and you have a tenth of an inch --

11 MEMBER KRESS: Well, I am aware of cases
12 where small debris plugs up big holes. Abridging,
13 eventually building up little layers on the side and
14 eventually --

15 CHAIR WALLIS: If it is sticky, if it is
16 at all sticky.

17 MEMBER KRESS: If it is sticky.

18 CHAIR WALLIS: Right.

19 MEMBER KRESS: So I'm not so sure I can
20 buy your criteria. Of course, it is a start. I am
21 aware of cases where big pipes have plugged up with
22 very small debris building up over time. This
23 requires time and sufficient sources of stuff to
24 continue. But anyway, I'm not so sure your criteria
25 is exactly one we could buy into.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: Okay. Understood.

2 MEMBER BANERJEE: But that was what you
3 did.

4 MR. ANDREYCHEK: That is correct.

5 With regards to slide 10 --

6 CHAIR WALLIS: Well, in the extreme case,
7 I mean if you have a drain from your kitchen sink and
8 you put fats down there and form little small
9 globules, eventually you may get a plug which fills
10 the whole thing.

11 MEMBER KRESS: Yes, it depends on the
12 flows and the stickiness.

13 CHAIR WALLIS: Yes.

14 MR. ANDREYCHEK: Okay. Slide 10, we'll
15 move on to pumps. And I've got several slides that
16 show the different types of pumps that are typically
17 in use. We are looking at debris depletion.

18 And over time, the debris, we believe,
19 will deplete because of settle out in different areas
20 of the recirculatory system, some of the evaluation
21 criteria which Steve alluded to previously and
22 potential plugging.

23 Slide 11 is a typical --

24 MEMBER BANERJEE: I'm sort of interested
25 in this issue of settling out. How will you figure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out where it settles and how much settles? Is there
2 any attempt to do that?

3 MR. ANDREYCHEK: The attempt that we
4 looked at was to settle out in the lower plenum of the
5 reactor vessel. We assume no other settle out
6 anywhere else for these evaluations, including in the
7 containment sump, which we felt was a very
8 conservative approach.

9 And the reason we were looking at the
10 lower plenum for settle out is if we got large debris
11 through the sump screen, could we argue -- could we
12 show that it would settle out in the lower plenum and
13 not reach up into the reactor core and potentially
14 cause blockage of flow paths, tight flow paths as
15 alluded to by Dr. Wallis in the complex configuration
16 of the sump screen -- of the fuel.

17 MEMBER BANERJEE: So I'm just trying to
18 get an idea. Is there not stuff getting through that
19 can actually fill up the lower plenum and then get up
20 to the core?

21 MR. ANDREYCHEK: That is a good question,
22 Dr. Banerjee. We have taken a look at what can
23 actually get through.

24 CHAIR WALLIS: We asked you last time you
25 presented. We took your truckloads and we took a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 portion of them.

2 MR. ANDREYCHEK: Yes, you did.

3 CHAIR WALLIS: And it doesn't take much --
4 a fraction of all those truckloads to fill the lower
5 plenum.

6 MR. ANDREYCHEK: No, it does not.
7 Although we did do some calculations based on some
8 audit questions that two licensees received. And
9 based on their plant-specific sump screen testing, we
10 showed that they would fill up less than about 15 or
11 20 percent of the lower plenum given that all the
12 debris that could fit through the screen did get
13 through the screen and did get to the lower plenum.

14 So in response to your question, based on
15 what we have seen so far from plant-specific testing,
16 no, we would not fill substantial portions of the
17 lower plenum, certainly not to the point that it would
18 fill up and block the entire lower plenum.

19 MEMBER BANERJEE: So it is not that you
20 are going to get everything smaller than those holes
21 through.

22 MR. ANDREYCHEK: That is correct.

23 MEMBER BANERJEE: You are going to get
24 some of it through.

25 MR. ANDREYCHEK: That is correct.

1 CHAIR WALLIS: Now is it still undergoing
2 chemical reaction while it is in the lower plenum?
3 Presumably it is. It is still making stuff.

4 MR. ANDREYCHEK: Typically the material
5 that would get through that would be -- that we would
6 look at would be -- I would say non-reactive debris.

7 CHAIR WALLIS: So you wouldn't get Cal-Sil
8 through?

9 MR. ANDREYCHEK: If the Cal-Sil got
10 through, typically when it goes through, it is very
11 fine. It would tend to actually --

12 CHAIR WALLIS: Go right through the core.

13 MR. ANDREYCHEK: Yes.

14 MEMBER BANERJEE: But if it started to get
15 sticky, then it could form --

16 CHAIR WALLIS: If it was sticky, it might
17 want to stick to the pump blades and things like that
18 because of the separation in the pump throwing it at
19 the wall.

20 MR. ANDREYCHEK: There are other areas
21 where it potentially could collect at besides that.

22 MEMBER BANERJEE: Plug up the pump
23 volumes, correct?

24 MR. ANDREYCHEK: If it were sticky, it
25 potentially could.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: How sticky is it?

2 MR. ANDREYCHEK: I have not looked at
3 that. I don't have a way of judging that.

4 CHAIR WALLIS: Are your surrogates sticky?
5 They're not but they might be in reality.

6 MEMBER BANERJEE: The stuff that Bill
7 Shack was showing us was real sticky stuff. Wasn't it
8 really sticky that white material in the argon tests?

9 MR. ANDREYCHEK: I'm not familiar with the
10 argon tests but I can tell you from what I can recall
11 seeing, and I was very deeply involved in the ICET
12 tests that were run at the University of New Mexico,
13 the precipitate material that we formed there, as I
14 recall, was not sticky.

15 I believe -- is Rob Tregoning still here?
16 What we saw from the precipitants from the ICET tests,
17 and there were five different samples using calcium
18 silicate, fiberglass, as well as sodium hydroxide,
19 TSP, and sodium tetraborate, all of the samples that
20 were pulled over the 30-day period, put in small glass
21 jars, and allowed to settle did have some precipitants
22 that settled out over time.

23 And if they were stirred, shaken a little
24 bit, it became basically an emulsion. There was no
25 stickiness associated with those precipitants. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that included materials like calcium silicate and
2 fiberglass being in the mix. We had zinc and aluminum
3 panels, concrete panels, and we actually ground up a
4 small amount of concrete dust and threw it in as
5 latent debris.

6 So from the ICET test, which was a long-
7 term test done at a somewhat elevated temperature of
8 140 degrees F for 30 days, we saw nothing that I would
9 argue would be something that would agglomerate and
10 hold on to sides of things even with regards to the
11 glass jars. We didn't see that sticking on to it. So
12 I don't know what --

13 MEMBER BANERJEE: Did the ICET test, that
14 white stuff that came out in the pipes, what was that?
15 It seemed to form a --

16 MR. ANDREYCHEK: There was a test that did
17 have some material that actually fouled a turbine --

18 MEMBER BANERJEE: Right.

19 MR. ANDREYCHEK: -- flow meter.

20 MEMBER BANERJEE: Was it a flow meter?

21 MR. ANDREYCHEK: It was a flow meter. And
22 there was some white material that did settle on the
23 pipes. Now I was there when they shut down one of the
24 tests.

25 And it is unclear that that actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 formed during the running of the test or formed when
2 they were cooling the facility down and draining the
3 test down. We did not -- to my way of thinking, I
4 couldn't tell what it was. And so to my way of
5 thinking, I didn't see anything that really stuck.

6 MEMBER BANERJEE: And the flow meter, what
7 happened there?

8 MR. ANDREYCHEK: I was not there when the
9 flow meter was pulled out. But my understanding was
10 is that some material had formed on the rotating
11 element and caused it to freeze.

12 MR. KLEIN: I just wanted to add to what
13 Tim had said, Paul Klein from NRR, we didn't really
14 see evidence of -- if you want to describe it as
15 sticky -- it almost had a consistency of face cream is
16 how it was described.

17 But during the Cal-Sil TSP test, as Tim
18 described, on about Day 8, the flow meter did stop
19 working and we pulled it out at that point. And it
20 had probably a combination of very fine Cal-Sil
21 particles and also calcium phosphate precipitate on
22 the material at that time.

23 MEMBER BANERJEE: And was it a creamy
24 consistency? Or what was it like?

25 MR. KLEIN: I was not there when they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physically removed it. But that was my understanding
2 that it was a creamy consistency.

3 MR. UNIKEWICZ: Let me put in perspective
4 again -- 500 horsepower pump, roughly 1,800 RPMs, some
5 3,600 RPM. Tip speeds on the order of a few thousand
6 feet per second. Things that we have seen from a
7 chemical standpoint are not -- they are going to pass
8 through, at least from a chemical perspective, by your
9 pump impeller and through your pump even on a single-
10 stage low-pressure injection pump.

11 Okay, again, on the order of 300 to 500
12 horsepower motor massive tip speeds, very quick tip
13 speeds, these chemical effects are not going to stop.

14 MEMBER BANERJEE: We were talking about
15 the volute.

16 MR. UNIKEWICZ: I understand.

17 MEMBER BANERJEE: Yes.

18 MR. UNIKEWICZ: Even collecting on the
19 volute, okay, and the turbulence that is inside the
20 volute as you go through, it is not going to collect.
21 It is not going to stick although it may be sticky and
22 I'll say relatively speaking low velocity situations
23 inside the volute, extraordinarily turbulent
24 situations, it is not going to stick to a stainless
25 steel casing. It is not going to stick to a stainless

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steel --

2 CHAIR WALLIS: Well, one way to look at
3 flow patterns in a pump is to throw a can of paint
4 into it. And you certainly see on the surface the
5 stream lines.

6 MR. UNIKIEWICZ: That is correct. And it
7 will pass through.

8 CHAIR WALLIS: Because, you know, there is
9 paint left on the blade. It is not as if it all
10 disappears.

11 MR. UNIKIEWICZ: Correct. But it doesn't
12 agglomerate to the point where we are going to stop --

13 CHAIR WALLIS: Probably not.

14 MR. UNIKIEWICZ: I understand your question
15 and really we worked through that question early on
16 during the chemical effects discussions. And as soon
17 as that came out, that was one of our concerns. And
18 that was a very early question we had two or three
19 years ago. So we did work through that.

20 CHAIR WALLIS: I think the concern with
21 plating is more when you got temperature -- if you've
22 got really hot fuel, the stuff comes along and melts
23 on the fuel.

24 MR. UNIKIEWICZ: Right. This would be more
25 of a fuel question rather than a pump impeller. Or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even from a heat exchanger perspective.

2 CHAIR WALLIS: Right, right.

3 MR. UNIKEWICZ: It is less of a heat
4 exchanger perspective.

5 MEMBER BANERJEE: Well, it is any point
6 where there might be a vortex of some sort where you
7 might trap something for a while, whether it is a
8 pump, whether it is a valve, whether it is an elbow,
9 wherever there is a separation region, that would be
10 the concern.

11 And I am assuming that the material that
12 gets through is probably not of large enough
13 quantities that it would do that. But I don't know
14 that.

15 MR. UNIKEWICZ: Not from a pump
16 perspective certainly.

17 MEMBER BANERJEE: Yes, a pump is very
18 unlikely. It is forcing things through as long as it
19 is running.

20 MR. UNIKEWICZ: That's right.

21 MR. ANDREYCHEK: I understand.

22 MEMBER BANERJEE: All right.

23 MR. ANDREYCHEK: And again, slides 11, 12,
24 and 13 are --

25 CHAIR WALLIS: Are you going to accelerate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through these?

2 MR. ANDREYCHEK: Yes.

3 CHAIR WALLIS: I'm sorry.

4 MR. ANDREYCHEK: It's okay. Slide 14 is
5 an example of abrasive wear for three different types
6 of materials.

7 CHAIR WALLIS: As an experiment or as a
8 model?

9 MR. ANDREYCHEK: No, it is actually
10 correlations from industry, industry practice. This
11 is what it looks like.

12 CHAIR WALLIS: It looks pretty slow.

13 MR. ANDREYCHEK: Pardon?

14 CHAIR WALLIS: It looks like a pretty slow
15 rate, isn't it?

16 MR. ANDREYCHEK: That's true. And that is
17 based on three different types of materials and debris
18 concentration by weight. This is what you can expect
19 in terms of wear and abrasion at least on --

20 CHAIR WALLIS: Is this significant for
21 your problem?

22 MR. ANDREYCHEK: It is useful information
23 to start with.

24 Slides 15 and 16 --

25 MEMBER ABDEL-KHALIK: Excuse me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: Yes, sir.

2 MEMBER ABDEL-KHALIK: What other
3 parameters, other than the debris loading parts per
4 million, effect the results of the abrasive modeling?

5 MR. ANDREYCHEK: The flow rate, how fast
6 the water is flowing.

7 MEMBER ABDEL-KHALIK: How about the
8 characteristics of the particles themselves?

9 MR. ANDREYCHEK: Again, we were using an
10 agglomerate of materials that were tested based on
11 three different types of materials. We didn't deal
12 with -- at least initially in the initial screening
13 process --

14 MEMBER ABDEL-KHALIK: What quantitative
15 physical property of the debris enter into the
16 calculation of the abrasive wear model?

17 MR. ANDREYCHEK: It is my understanding
18 that the physical property was an aggregate or an
19 average abrasiveness associated with the debris. I'm
20 not sure how else to put it.

21 MEMBER ABDEL-KHALIK: Is it a hardness
22 number? Is it a density?

23 MR. ANDREYCHEK: I think it was --

24 MEMBER ABDEL-KHALIK: What property enter
25 into this quantitative model?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: I can't answer that right
2 now.

3 MR. UNIKEWICZ: I'll answer the question.

4 MR. ANDREYCHEK: Go ahead.

5 CHAIR WALLIS: Well, is it predictable
6 also?

7 MR. UNIKEWICZ: The answer to a lot of --
8 again, I'll kind of jump ahead. I talk about this a
9 little bit. Right now --

10 CHAIR WALLIS: We're going to cut down on
11 your presentation.

12 MR. UNIKEWICZ: That is quite all right
13 with me.

14 But the significant point of discussion,
15 I'll say right now, between staff and the owners group
16 is, in fact, the abrasive versus the erosive wear
17 models. The key inputs to that abrasive wear model
18 are yes, Brunell hardness of both pump internals, the
19 Brunell hardness, the hardness materials of the latent
20 debris and how it effects.

21 The chaff loading, DP across from a stage
22 to stage standpoint, all those things are inputs. The
23 interesting thing about looking at debris as it passes
24 through the system and, Dr. Wallis, you recall seeing
25 our little curve at CCI, that peak loading of pass

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through is the area of concern from a pump evaluation.

2 So yes, parts per million, abrasiveness of
3 material, hardness, quantities, DP across a stage, all
4 those have an impact on that wear rate calculation and
5 effectively the pump models, if you will, the rotor
6 dynamic models.

7 If I look at a valve evaluation, it is
8 abrasiveness and PPM and speed seven to ten feet per
9 second or so from an erosive standpoint. When I look
10 at vessel evaluations, it is the area under the curve
11 for all that stuff.

12 MEMBER ABDEL-KHALIK: The question really
13 was driving at whether or not you have any chance of
14 predicting in an a priori manner what those relevant
15 physical properties are for the range of debris that
16 would be expected?

17 MR. UNIKIEWICZ: Yes, I believe there is.
18 And the reason I say that is a couple, one is there
19 are, from a slurry calculation standpoint, Archin
20 model, there are a few other calculational methods
21 that are very well defined in the tribological world.
22 So these types of calculational methods are very
23 common, I'll say, outside the nuclear industry.

24 We have -- or there has been a
25 presentation of different hardness for all the latent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris. And we have asked the questions of the
2 silicas, the rust, the dirt, you know, Brunell
3 hardness of that. It is very well documented, the
4 hardness of the stellite 6, stellite 12 wear rings
5 within the pump internals, those type of comparisons
6 are probably the most key comparisons within these
7 evaluations.

8 Understand it is a two-step process. One
9 is you calculate wear rate. The second thing after
10 you calculate wear rate, now I'm looking at pump
11 instability. So it really is a two-pronged approach.

12 The very short answer is yes, we have
13 fairly well documented material properties. We have
14 some good calculational methods that currently the
15 owners group and staff are going over. So all of those
16 inputs that you are talking about are included.

17 Now it is not included in the one that you
18 will see here but it will be included in the Rev. 1 to
19 the WCAP.

20 CHAIR WALLIS: I'd like to move on from
21 this subject because there is a lot more --

22 CHAIR WALLIS: -- that is interesting,
23 isn't there?

24 MR. ANDREYCHEK: I gather from your
25 comment, you found something you have particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interest in so we can move on. Say again?

2 PARTICIPANTS: Orifices.

3 MR. ANDREYCHEK: I just want to point
4 briefly on page 18 and 19 is the success criteria for
5 the pumps wear and abrasion. And 19 contains a flow
6 diagram of doing the evaluation.

7 CHAIR WALLIS: This is something of
8 concern? We have to worry about pump abrasion in
9 considering this problem? Or is it a red herring we
10 do have to worry about.

11 MR. ANDREYCHEK: We do have to worry about
12 it.

13 CHAIR WALLIS: What we need to remember is
14 we need to revisit it.

15 MR. ANDREYCHEK: Right, exactly.

16 CHAIR WALLIS: Thank you.

17 MR. ANDREYCHEK: And the same is true on
18 slide 20. It is another flowchart of how to do the
19 evaluation.

20 Moving on to orifices, this is erosive
21 wear. A similar type of checklist of items to look
22 for. And on slide 22 is a couple of examples of
23 orifices. And slide 23 would be the checklist for
24 what you would need to assemble to do an orifice
25 evaluation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: What about orifices? Is
2 there something that we have to worry about orifices
3 here?

4 MR. ANDREYCHEK: Yes, there are.

5 MEMBER BANERJEE: What happens to them?

6 MR. ANDREYCHEK: Well --

7 MEMBER BANERJEE: Or are you coming to
8 that?

9 MR. ANDREYCHEK: Well, what can happen to
10 them, particularly in the ECCS system under certain
11 conditions in the high hot head systems, there are
12 flow balancing orifices for the purposes of assuring
13 delivery, relatively equal delivery to the different
14 points of injection.

15 And wear and abrasion on these could throw
16 that balancing out of whack and might cause you some
17 problems. The acceptance criteria is a change in flow
18 rate over the nominal flow rate of less than three
19 percent.

20 MEMBER BANERJEE: Right.

21 MR. ANDREYCHEK: Okay.

22 MEMBER BANERJEE: But if that happened,
23 compared to blocking up the core or something, is this
24 a major issue?

25 MR. ANDREYCHEK: It is potentially an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue of loss of ECCS flow, yes.

2 MEMBER BANERJEE: It is?

3 MR. ANDREYCHEK: Potentially reduce the
4 ECCS flow below the desired limits to maintain a
5 coolable core. So, yes, it should be considered.

6 MEMBER BANERJEE: Let me understand it.
7 You have these orifices but the fact that one become
8 bigger than the other due to wear or something, it
9 diverts the flow in some undesirable direction, is
10 that it?

11 MR. ANDREYCHEK: Potentially, yes.

12 MR. DINGLER: The other one is we have to
13 look at if we change the flow balance, which changes
14 the flow and changes the head of the that pump, we
15 might be at run off on the head of that pump so we've
16 got to look at that and make sure we don't go past the
17 runoff on the pump curves.

18 MEMBER BANERJEE: Okay. That's more
19 sensible.

20 MR. DINGLER: In other words, we will get
21 enough flow but we might take the pump above the pump
22 curves.

23 MEMBER BANERJEE: Yes, okay.

24 MR. ANDREYCHEK: Slide 25, plugging
25 evaluation --

1 MEMBER BANERJEE: So these orifices
2 basically throttle down --

3 MR. DINGLER: What they are doing is
4 equalize the head loss in each leg so say in a four
5 looper, you have equal injection in all four legs. And
6 they are adjusted by a massive flow balance. And you
7 put them in and you take them back out. And you put
8 them in and make sure you flow balance.

9 MEMBER BANERJEE: Thank you.

10 MR. DINGLER: And then you do some
11 throttling of the valves to help on that, too. There
12 are throttle valves on that, too.

13 MEMBER BANERJEE: So this could be
14 actually a real problem because the orifices might
15 actually erode.

16 MR. DINGLER: There is a potential and you
17 have got to look at it and evaluate will they erode
18 too much and will they not, yes.

19 MEMBER ABDEL-KHALIK: Where are these
20 orifices exactly? Which orifices are we talking
21 about?

22 MR. DINGLER: For some plants, they are
23 put in in front of the injection flows so they don't
24 have to throttle their throttle valves down so tight.
25 And the flow balance for going into the RCS from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 charging and the high head pumps.

2 MEMBER ABDEL-KHALIK: Okay. So you are
3 looking at the difference between the effected loop
4 and the unaffected loops?

5 MR. DINGLER: In other words, I'll speak
6 for a four looper, we eject -- we have the ability to
7 eject in all legs. So in other words, you flow
8 balance your throttle valves and that to the
9 injections based on loss of head.

10 So in other words, some plants have so not
11 to throttle their valves as tight, they put flow
12 orifices in and open their valves to reduce the flow
13 or to increase the head so that it will adjust the
14 flow so it is equal.

15 MEMBER ABDEL-KHALIK: Okay. Thank you.

16 CHAIR WALLIS: Now this slide here, Los
17 Alamos did some experiments with RMI and valves.

18 MR. DINGLER: That's correct.

19 CHAIR WALLIS: It is a bit surprising how
20 they did actually get some plugging even though the
21 product holes were fairly small.

22 MR. DINGLER: Based on Los Alamos, they
23 went ahead and ejected -- my understanding, Dr.
24 Wallis, they slug load into the valve and see how much
25 it took of a slug load to plug a valve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: But this sort of rule of
2 thumb that if the orifice is four times as big as the
3 sump screen size, it seems to me a little
4 unconservative. I mean it is of an assumption which
5 is in the best of all possible worlds, this is true.
6 But is it really true?

7 MR. ANDREYCHEK: What slide are you on?
8 Sorry?

9 CHAIR WALLIS: I was looking at what was
10 up there.

11 MR. ANDREYCHEK: I know I missed it.

12 CHAIR WALLIS: Twenty-five.

13 MR. ANDREYCHEK: Yes, 25.

14 CHAIR WALLIS: It seems to me this has to
15 be verified by experiment or something rather than
16 just assuming.

17 MEMBER BANERJEE: Is it plugging we are
18 talking about or where?

19 MR. ANDREYCHEK: This was plugging.

20 MEMBER BANERJEE: We were talking wear.

21 MR. ANDREYCHEK: We were talking wear.
22 This is a plugging issue.

23 CHAIR WALLIS: Well, you see if the RMI is
24 sort of gathered together somewhere and then came down
25 as a group of RMI, it could conceivably plug the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 orifice. I think this is sort of an assumption that
2 looks a little hopeful.

3 MR. ANDREYCHEK: Well, I'm not sure that
4 I would agree with that outright. And let me explain
5 the reason why. These orifices are downstream of the
6 pump.

7 CHAIR WALLIS: Yes.

8 MR. ANDREYCHEK: So if the debris is going
9 to get to this orifice, it needs to go through the
10 pump. And, again, we are dealing with high head SI
11 pumps and charging pumps, which are multi-stage pumps,
12 very tight tolerances.

13 CHAIR WALLIS: So it is going to be
14 chopped up?

15 MR. ANDREYCHEK: Yes, sir. Or my pump is
16 plugged up and I don't have to worry about it. Or the
17 pump won't function, one of the two. The orifice will
18 be fine but the pump may have a challenge.

19 MEMBER ABDEL-KHALIK: Might have a
20 challenge, correct.

21 CHAIR WALLIS: Well, the staff is going to
22 settle this out isn't it?

23 MR. ANDREYCHEK: Yes.

24 CHAIR WALLIS: Okay.

25 MEMBER ABDEL-KHALIK: I mean it just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't make much sense. Are there any orifices
2 downstream of these safety injection pumps that are in
3 the order of an eighth of an inch diameter?

4 MR. ANDREYCHEK: I can't answer that from
5 a plant by plant basis. I can't say for sure one way
6 or another.

7 Mo, do you know what the size of the
8 orifices are?

9 MR. DINGLER: It is very plant specific.
10 And I can't answer that.

11 MR. UNIKIEWICZ: I can answer that. Okay.
12 A couple things. One is you need to put this in
13 perspective. And part of the perspective is the
14 assumption right now is 110 percent of something
15 larger than the screen is going to make its way
16 through, okay.

17 And the way this evaluation works, right
18 now so initially you are assuming something 110
19 percent bigger than the screen size. When you get
20 down to this piece of the evaluation here, you now
21 kind of limit that a little bit smaller and say well,
22 gosh, even if 110 percent went through, a smaller
23 piece may or may not plug it.

24 From a practical standpoint, the issue is
25 -- from a practical perspective it is not orifices.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Orifices tend to wear away and it becomes a pump run
2 out issue more than anything else.

3 Throttle valves, and there are any number
4 of throttle valves which are on the order of a tenth
5 of an inch openings, those particular plants for the
6 most part are making modifications. And the way they
7 are making their modifications there are a couple,
8 three ways.

9 One is they are changing throttle valve
10 sizes. They are putting something with a more open
11 ported valve. The other thing that they are doing is
12 a combination of that an adding upshuring orifices so
13 that they are allowing upshuring orifices to take some
14 of the pressure drop before you get to the throttle
15 valve.

16 The third thing that is happening is there
17 are a number of plants that have DP gauges across
18 throttle valves. And they have downstream flow
19 indication. If you are watching downstream flow
20 indication, and are sure that you have flow and you
21 have the ability within your EOPs or your AOPs to open
22 up a valve, by opening up the valve it flushes what is
23 there through.

24 Now when you talk back to that LANL
25 report, the LANL report, in effect, said things the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same size or smaller plug it -- or larger plug it.
2 Things smaller go through. And the amazing conclusion
3 that if I open up a valve larger, things that are
4 caught in it likely will flow through because I'm
5 looking at anywhere between say five to 15 feet per
6 second.

7 So that assumption is in an of itself I'll
8 say a realistic assumption. And recognize that when
9 you -- when I'm looking at my source term, my source
10 term can't get that small anyways. So you have to
11 sort of look at them at the same time.

12 MEMBER BANERJEE: That report, if I
13 remember, had some curious results in it.

14 MR. UNIKEWICZ: It did.

15 MEMBER BANERJEE: Yes.

16 MR. UNIKEWICZ: It had some interesting
17 results.

18 MEMBER BANERJEE: That piece of argon got
19 caught in a vortex or something in the pump and then
20 sat around and blocked things.

21 MR. UNIKEWICZ: Yes, the pieces and parts
22 don't get chopped up in these pumps.

23 MEMBER BANERJEE: Yes.

24 MR. UNIKEWICZ: They don't. They will
25 pass through. They are fairly wide open. Even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought there are tight clearances for all intents and
2 purposes, the material that is not caught in a 10- to
3 12-mil spot in the shaft are going to pass through.

4 Nobody is taking credit for collection of
5 debris within the pump. And we're not going to allow
6 that even if they tried to, okay. Everything passes
7 through.

8 Then you will look at, again, three
9 different evaluations from a downstream standpoint, an
10 erosive, a plugging, and an abrasive.

11 MEMBER BANERJEE: So what sort of valves
12 are these throttle valves?

13 MR. UNIKEWICZ: Typically globe valves.
14 There are some other style valves. There are some
15 cage valves. There are some dragflow valves from
16 different vendors.

17 MEMBER BANERJEE: So if they were globe
18 valves, for example --

19 MR. UNIKEWICZ: They are, in effect, globe
20 valves with very tight clearances. And, again, those
21 people with a tenth of an inch or so openings, they
22 are evaluating that. In a lot of cases they are
23 doing, again, one of three things: adding orifices and
24 looking at whether they have instrumentation to
25 throttle if they can. Or in a case -- one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extension requests are that they are redesigning the
2 valve so that they have a more open style body while
3 maintaining that proper flow balance and opening up a
4 little bit to let things pass through.

5 MEMBER BANERJEE: It must be quite a
6 trick.

7 CHAIR WALLIS: Are we talking about all
8 this so we'll never get to the core? Is that all this
9 is?

10 MR. UNIKEWICZ: That is the more fun part
11 anyway. This is the more interesting part. The core
12 is the core. It is more fun to talk about this.

13 MEMBER BANERJEE: Is that what you want to
14 present to the full Committee then? This stuff?

15 MEMBER KRESS: But once again, I want to
16 refer you to some work done by EPRI in the mid-80s.
17 I don't recall the reports or the title. But one of
18 the authors was a fellow named Morawitz. That's about
19 all I can remember. But the subject was what would
20 happen with the holes in containment in aerosols,
21 which is a similar issue.

22 Their contention was that these aerosols
23 would plug up these holes. Although the holes were
24 big and aerosols were small. So they ran a series of
25 tests to validate that contention. And sure enough,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they plugged them up. So , you know, these are small
2 things plugging up big holes.

3 MR. UNIKEWICZ: You are correct. There are
4 also some service water systems on rivers and ponds
5 that have silt meaning we have seen them pass six-inch
6 lines. Now granted, as you mentioned, it is a long
7 period of time. Service water lines, this was in a
8 matter of 15 years that they did plug up with silt.

9 MEMBER KRESS: Well now Morawitz and
10 Company are concerned about containment. And that is
11 a smaller pie.

12 MR. UNIKEWICZ: Understand. But I will
13 look into that.

14 CHAIR WALLIS: Okay, let's move on.

15 MR. ANDREYCHEK: Okay. If it is
16 acceptable, we'll look at slides 26, 27, and 28, and
17 29, which are all heat exchangers.

18 CHAIR WALLIS: But there is no heat
19 transfer effect you are looking at here so --

20 MR. ANDREYCHEK: No, there isn't.

21 CHAIR WALLIS: And they don't plug, do
22 they?

23 MR. ANDREYCHEK: No, they do not. The
24 velocity within the --

25 CHAIR WALLIS: So then we can just move on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with no problem?

2 MR. ANDREYCHEK: Yes. We also looked at
3 a erosive wear and heat exchanger is not a problem
4 plugging. The same --

5 CHAIR WALLIS: Well, now we've got some
6 valves here.

7 MR. ANDREYCHEK: And, Dr. Banerjee, you
8 had asked about what are the different types of
9 valves, if you take a look at slide 33, there are
10 several different types of valves that are --

11 CHAIR WALLIS: If they plug, you just open
12 them up, is that what you do?

13 MR. ANDREYCHEK: Well, you --

14 CHAIR WALLIS: If you know they have
15 plugged, you can open them up.

16 MR. ANDREYCHEK: I don't know that you can
17 open them up in the plant. Some of these might be
18 locked in position. Most specifically, some of the
19 ECCS valves.

20 MR. DINGLER: It depends on the location.
21 Some of them you can access. They are high radiation.

22 CHAIR WALLIS: That is kind of self-
23 defeating. I mean you make a pump to pump water in
24 and then you make it pump through a tiny little hole
25 so it is more difficult for the water to get in. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very strange. But anyway.

2 MEMBER BANERJEE: Let's talk about debris
3 going through that valve.

4 MR. ANDREYCHEK: But 34 is similar to what
5 you have seen. Slide 34 is similar to what you have
6 seen before in terms of what you need to do the
7 evaluation.

8 CHAIR WALLIS: We're still on erosive
9 wear?

10 MR. ANDREYCHEK: I beg your pardon -- yes,
11 erosive wear.

12 CHAIR WALLIS: We're still on that
13 subject. Could we go on to something else?

14 MR. ANDREYCHEK: Sure.

15 CHAIR WALLIS: Or is there nothing else?

16 MEMBER BANERJEE: No, the core blockage.

17 CHAIR WALLIS: Well, their evaluation of
18 blockage at core inlet 41.

19 MR. ANDREYCHEK: Is that where you would
20 like to go, sir?

21 CHAIR WALLIS: It sounds good to me.

22 MR. ANDREYCHEK: Okay.

23 CHAIR WALLIS: Is that okay with the
24 Committee to do that?

25 MR. ANDREYCHEK: Fine.

1 MEMBER BANERJEE: At some point though you
2 will have to explain to me how these many trap loads
3 become less than one plenum load but that is okay.

4 CHAIR WALLIS: Pull up on the screen.

5 MR. ANDREYCHEK: We can talk at the break.

6 For a double-ended guillotine break, the
7 refueling water storage tank or the borated storage
8 water tank can be depleted in approximately 20
9 minutes. Fibrous and particulate debris can pass
10 through the sump screen. We have seen that.

11 CHAIR WALLIS: And dissolved chemicals?

12 MR. ANDREYCHEK: And dissolved chemicals.
13 And there is a potential for build up at the core
14 inlet, particularly at the fuel assembly bottom
15 nozzle. There are some debris-capturing devices that
16 the vendors have put on the bottom of the fuel so it
17 is a tight pinch point.

18 We had a screening criteria previously.
19 We used an eighth of an inch of fiber that formed on
20 the bottom of the this so the fuel would collect
21 debris. And the objective here was to look at well
22 what happens really.

23 We took a more detailed look and we went
24 through and looked at the break location. And we
25 choose to use a double-ended guillotine break, boat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leg, because it would have the limiting amount of flow
2 that would actually get to the core. It is driven by
3 gravity head in the down flow.

4 CHAIR WALLIS: So you've only got that
5 head to drive the flow through the core?

6 MR. ANDREYCHEK: That is correct, sir.

7 CHAIR WALLIS: All right.

8 MR. ANDREYCHEK: Okay. We go to slide 43,
9 looking at a plant selection, trying to come up with
10 a model to use, the down-flow baffle barrel regions
11 are the most limiting because the only way you can get
12 water into the core realistically is through the
13 bottom of the fuel. If you have a design that is up
14 flow, there are alternate flow paths where you could
15 get water in part way up the length of the fuel. If
16 it is a converted up flow, there is still another flow
17 path that is close to the top of the fuel.

18 For the purposes of the evaluations that
19 we did --

20 MEMBER BANERJEE: This is sort of a bypass
21 part from the top?

22 MR. ANDREYCHEK: In the down flow, no,
23 there is no bypass. It all has to come -- all the
24 flow has to come through the lower plenum. Any other
25 design --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Okay.

2 MR. ANDREYCHEK: -- any other design --

3 MEMBER BANERJEE: There is some bypass.

4 MR. ANDREYCHEK: -- has some potential for
5 bypass, yes, sir.

6 Okay. We were using the Westinghouse
7 COBRA/TRAC code to do these calculations, long-term
8 calculations. We used the three-loop pressurized
9 water reactor that had a very high core power density,
10 more limiting and even some of the four loopers that
11 e are familiar with.

12 The right-hand side is the COBRA/TRAC
13 noting diagram. And the left-hand side shows the
14 schematic of the -- the cutaway to the reactor vehicle
15 itself. And it is there for illustrative purposes.

16 Slide 45 is the approach we took to doing
17 the computations. We modified the code slightly to
18 identify and allow the users to change the resistance
19 at the entrance to the core, to flow into the core.
20 And that was at the very first set of channels. And
21 that allowed us to simulate, if you would, a blockage.
22 Deterministically, we are going to assign a blockage
23 there and see that happens.

24 MEMBER BANERJEE: Can you do this some
25 time into the transient?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: That is correct. And if
2 you will, on Slide 46, it describes when we did that.
3 We ran these blockage calculations for up to 40
4 minutes of transient time. And we allowed the
5 refueling water storage tank to be drained down over
6 the first 20 minutes of the transient.

7 So it went through a blowdown and drained
8 the refueling water storage tank for up to 20 minutes.
9 Then from 20 minutes to 20.5 minutes, we ramped the
10 loss coefficient at the entrance to the core from the
11 nominal value based on physical characteristics of the
12 geometry of the core entrance itself to a value of one
13 times ten to the ninth, a very large hydraulic loss
14 coefficient.

15 And for all practical purposes, that
16 simulated complete blockage of those areas that the
17 loss coefficient was assigned to. We also modified
18 the RHR heat exchanger outlet temperature.

19 MEMBER ABDEL-KHALIK: Let me just
20 understand this.

21 MR. ANDREYCHEK: Sure, go ahead, sir.

22 MEMBER ABDEL-KHALIK: Did you -- this
23 assumption of increased loss coefficient at the
24 entrance, was that applied uniformly to all channels
25 at the inlet?

1 MR. ANDREYCHEK: Bear with me for just a
2 moment and I will answer that question. I have a
3 couple of slides further back. And it shows where we
4 applied it.

5 MEMBER ABDEL-KHALIK: Okay.

6 MR. ANDREYCHEK: Okay?

7 MEMBER BANERJEE: The short answer is no.

8 CHAIR WALLIS: It can't be if it is
9 applied to everything and nothing gets through.

10 MEMBER BANERJEE: On page 47.

11 MR. ANDREYCHEK: It is not applied
12 everywhere but almost everywhere.

13 CHAIR WALLIS: Almost everywhere.

14 MR. ANDREYCHEK: Okay.

15 CHAIR WALLIS: But not .6 percent.

16 MR. ANDREYCHEK: That's correct.

17 MEMBER KRESS: The COBRA/TRAC allows cross
18 flow in the core when you --

19 MR. ANDREYCHEK: That is correct.

20 MEMBER KRESS: -- when you bypass the
21 blockage.

22 MR. ANDREYCHEK: That is correct. It does
23 allow for flow redistribution through the open lattice
24 structure of the fuel.

25 We modified and allowed the water being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ducted into the reactor vessel to go to 190 degrees
2 Fahrenheit, which is the --

3 MEMBER BANERJEE: But in a COBRA/TRAC, the
4 cross flow channel -- because this is basically a
5 parallel channel core, is based on really fairly high
6 flow rates. And I wonder if it can really be applied
7 to these very low flow rates that you are talking
8 about because it actually mixes by turbulent mixing.
9 Maybe somebody looked at that. Who ran this?
10 Somebody who --

11 MR. ANDREYCHEK: This was done by Mitch
12 Missley and Kevin Barber, both out of the LOCA
13 analysis group. You may be familiar with Mitch
14 Missley.

15 MEMBER BANERJEE: Yes, the problem is, as
16 you know, it is primarily used for fairly high --

17 MR. ANDREYCHEK: That's correct.

18 MEMBER BANERJEE: -- flows. And much of
19 the mixing between channels is turbulent mixing.

20 CHAIR WALLIS: These velocities are really
21 creeping flows.

22 MEMBER BANERJEE: Yes. So that would be
23 a -- well, it should be looked at. I'm not saying the
24 results are wrong.

25 MR. ANDREYCHEK: I understand. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand. I will offer that I did a calculation
2 about five or six years ago where we looked at
3 flooding the core from the side.

4 MEMBER BANERJEE: Right.

5 MR. ANDREYCHEK: And we modeling the
6 ability for the flow to go from assembly to -- channel
7 to channel. And took into account the appropriate
8 loss coefficients from a lateral standpoint. And we
9 demonstrated reasonable results.

10 MEMBER BANERJEE: Yes, in fact I could
11 probably do this by hand.

12 MR. ANDREYCHEK: I wouldn't argue that.

13 MEMBER BANERJEE: Yes, so --

14 MR. ANDREYCHEK: I wouldn't argue that.
15 But, again, the RHR temperature did increase -- the
16 temperature we were injecting into the reactor vessel
17 went from the RWC temperature to 190 degrees
18 Fahrenheit to simulate recirculation from the sump.

19 And we did look at two cases. And I think
20 this answers your question specifically. The one case
21 where we looked at the periphery being blocked. In
22 the second case, we assumed everything except for the
23 hot channel being blocked. And the hot channel not
24 being blocked represented 99.4 percent of the core
25 being blocked.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: How did the fibers know not
2 to block the hot channel?

3 MR. ANDREYCHEK: We will get to that in
4 just a minute. I don't have a slide specifically
5 dealing with that but we can talk about that in just
6 a moment please.

7 MR. DINGLER: They are smart fibers.

8 MR. ANDREYCHEK: Slide 48 just
9 demonstrates a standard COBRA/TRAC model for the three
10 loop pressurized water reactor. HA stands for the hot
11 assembly structure.

12 CHAIR WALLIS: What does integrated mass
13 flow rate mean?

14 MR. ANDREYCHEK: I beg your pardon.

15 CHAIR WALLIS: It says integrated mass
16 flow rate?

17 MR. ANDREYCHEK: Yes. Bear with me and
18 let me get to that slide.

19 CHAIR WALLIS: Oh, I'm sorry.

20 MR. ANDREYCHEK: Okay. Slide 49 shows the
21 noting pattern of the blockage to the core for the two
22 locations. And slide 50 talks about the containment
23 pressure. We did drop it down low.

24 CHAIR WALLIS: Why did you just unblock
25 underneath the hot channel. You could unblock -- that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hole could be anywhere, couldn't it?

2 MR. ANDREYCHEK: That's true. We chose
3 the hot channel for the purposes of if, again, we are
4 20 minutes into the transient. We have recovered the
5 core. And the though process was if we restrict flow
6 everywhere but the hot channel and we allow for the
7 lateral distribution to flow out, the hot channel
8 would be the one that would be tending to get the
9 warmest later. It was an approximation.

10 MEMBER KRESS: It seems like the worst
11 case maybe cell blockage everywhere.

12 MR. ANDREYCHEK: Right. Well, again, bear
13 with me a little bit and we can discuss that in just
14 a moment. I understand your comment, Dr. Kress.

15 Okay, we talk about flow through the
16 blocked channel. And what the flow through the
17 blocked channel means if this is the flow
18 redistribution. And we are actually seeing what we
19 would actually tend to see in the blocked channel over
20 time. And fundamentally it peaks out, it bottoms out.

21 CHAIR WALLIS: What is being plotted here,
22 this intake? What sorts of vertical access?

23 MR. ANDREYCHEK: It is the total mass flow
24 that actually comes into the bottom of the channel.

25 CHAIR WALLIS: But it is a rate. So it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in pounds per hour or something?

2 MR. ANDREYCHEK: Right.

3 CHAIR WALLIS: What is that? Pounds per
4 hour, I'm sorry. I apologize that we didn't have the
5 units on there.

6 MEMBER BANERJEE: But the integrated mass
7 flow rate.

8 MR. ANDREYCHEK: Right, that is correct.

9 MEMBER BANERJEE: What does that mean?

10 MR. ANDREYCHEK: That is the total flow
11 through the bottom of the core. And what you see is
12 at the time of the blockage, through the channels that
13 are blocked, there is no more flow running through the
14 bottom of the core. It basically says we've blocked
15 that portion of the core.

16 CHAIR WALLIS: That's the green thing?

17 MR. ANDREYCHEK: The green and the black.

18 MEMBER BANERJEE: What is the black then?

19 MR. ANDREYCHEK: Again, if you look back
20 at the model on slide 49 and take a look at the flow
21 channels --

22 CHAIR WALLIS: That is 10, 11, and 12?

23 MR. ANDREYCHEK: Correct. You see that
24 there is no more flow coming in.

25 CHAIR WALLIS: And where is 13 then? Oh,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 13 is on the left. And on the right, why isn't 13 on
2 the right? Because 13 is the only place that flow is
3 coming in, isn't it?

4 MR. ANDREYCHEK: No, actually the channel
5 that's coming -- it is channel 10, 11, and 12, if you
6 look on the left-hand side for the 82 percent blocked
7 case, what you are seeing is the flow -- if you want
8 to call it deadlines at channels, 11, 12, and 1, which
9 indicates that those channels are blocked. There is
10 no more flow coming in through the bottom of the core.

11 MEMBER ABDEL-KHALIK: So the green, let's
12 say, is channel 11, right?

13 MR. ANDREYCHEK: That's correct.

14 MEMBER BANERJEE: So just walk me through
15 this green curve on slide 51, the left hand side.

16 MR. ANDREYCHEK: Okay.

17 MEMBER BANERJEE: What is happening on the
18 left-hand side curve there, to the green?

19 MR. ANDREYCHEK: Up to 1,200 seconds, 20
20 minutes, the flow is bouncing around at up to about
21 300 or so seconds, we are getting a lot of flow coming
22 in.

23 MEMBER BANERJEE: Right.

24 MR. ANDREYCHEK: There is some flow
25 perturbation, which bounces around a little bit. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then at 1,200 seconds, no more flow comes in.

2 CHAIR WALLIS: Why does it have those
3 cliffs and then rise up again?

4 MEMBER BANERJEE: Well, that's before.
5 You start your blockage at 1,200 seconds.

6 MR. ANDREYCHEK: That's correct.

7 MEMBER BANERJEE: And the green line after
8 1,200 seconds which goes horizontal means --

9 MR. ANDREYCHEK: That's correct. There is
10 no more flow coming into the bottom. The blockage is
11 --

12 CHAIR WALLIS: So integrated must be -- I
13 don't understand.

14 MEMBER ABDEL-KHALIK: In pounds, rather
15 than pounds per hour.

16 MR. ANDREYCHEK: Yes.

17 CHAIR WALLIS: Well, then there is a
18 negative flow for part of the time?

19 MEMBER ABDEL-KHALIK: In some cases. It
20 can't be rate.

21 CHAIR WALLIS: It must be --

22 MR. ANDREYCHEK: No, it is not rate.

23 CHAIR WALLIS: Okay. It is not rate. It
24 is integrated mass flow. There is no rate there at
25 all.

1 MEMBER BANERJEE: I'm just confused by the
2 axis here.

3 MEMBER ABDEL-KHALIK: What are the units
4 of the vertical axis? Maybe that would clarify. Sir?

5 MR. ANDREYCHEK: I'm writing a note.

6 CHAIR WALLIS: Pounds?

7 MR. ANDREYCHEK: I don't have an answer
8 right now. Let me get back to you on that.

9 MEMBER BANERJEE: Because the integrated
10 flow --

11 MR. ANDREYCHEK: It should be pounds.

12 MEMBER BANERJEE: -- could be going down
13 only if the flow reverses.

14 CHAIR WALLIS: It must be going down part
15 of the time?

16 MEMBER BANERJEE: Right.

17 MR. ANDREYCHEK: That's correct. And you
18 see the same or similar type of behavior on the figure
19 on the left -- or, excuse me, on the right. Left
20 lower right.

21 CHAIR WALLIS: And why does this mean
22 everything is okay?

23 MEMBER BANERJEE: It doesn't. He is just
24 showing us these figures. We don't know if it is okay
25 yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: That's correct. We need
2 to look at the flow temperatures.

3 CHAIR WALLIS: Well, we could probably
4 spend a long time trying to figure this out. What are
5 we supposed to conclude from these figures?

6 MR. ANDREYCHEK: Well, if we look at slide
7 53 --

8 CHAIR WALLIS: Well, I'm looking at slide
9 51. I'm not supposed to conclude anything from that
10 except that there are some wiggles?

11 MR. ANDREYCHEK: Just some wiggles.

12 CHAIR WALLIS: I mean this is supposed to
13 give me a message, isn't it?

14 MEMBER BANERJEE: You are going to clarify
15 this for us then?

16 MR. ANDREYCHEK: I will clarify it for
17 you.

18 CHAIR WALLIS: The whole idea is to give
19 us a message that we can take away. And I can go home
20 and tell my wife everything is fine in Washington, you
21 know.

22 MR. ANDREYCHEK: Then let's look at slide
23 53.

24 MEMBER BANERJEE: All right. Let's look
25 at 53.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: And slide 53 compares the
2 boil off rate versus the --

3 CHAIR WALLIS: Boil off rate, it says
4 integrated mass flow rate. And what are we looking at
5 there? See I think there is a problem with what you
6 mean by --

7 MR. ANDREYCHEK: I agree with you.

8 CHAIR WALLIS: So what is the message?

9 MR. ANDREYCHEK: The message that I would
10 ask you to take back with you --

11 CHAIR WALLIS: Is that you guys are
12 confused, right.

13 MEMBER ABDEL-KHALIK: No, they're not
14 confused. It's just the --

15 MR. ANDREYCHEK: We need to make sure that
16 the units are consistent on the axis.

17 CHAIR WALLIS: But this is supposed to
18 convince us of something, isn't it?

19 MR. SCOTT: There is another message here
20 which is that we don't even have the topical report
21 that has this sort of activity in detail, right?

22 MR. ANDREYCHEK: That's correct.

23 MR. SCOTT: This is -- now the work you
24 are presenting here is from the earlier topical or the
25 later one that we don't have yet?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREYCHEK: This is the one from the
2 one you don't have yet.

3 MR. SCOTT: Okay. So I guess what you are
4 hearing from the Committee is that there is some lack
5 of clarity in these graphs. And this is one that
6 really is a work in progress. We owe you this at the
7 next subcommittee meeting. This thing ain't ready for
8 prime time yet I believe is my conclusion.

9 MEMBER BANERJEE: Well, as I guess as you
10 have them here, the message is that 54 shows you that
11 there is no problem with --

12 CHAIR WALLIS: Are you going to present
13 this to the full Committee in July?

14 MEMBER BANERJEE: Do you want to?

15 CHAIR WALLIS: Are you going to get your
16 act together and have a convincing story?

17 MR. SCOTT: I would suggest, Dr. Wallis,
18 that tomorrow afternoon at the conclusion of all these
19 discussions maybe we discuss --

20 CHAIR WALLIS: Tim comes back?

21 MR. SCOTT: -- what to present in July.

22 CHAIR WALLIS: Maybe Tim could come back
23 tomorrow and tell us what he really meant to say
24 today.

25 MEMBER BANERJEE: Now that you have whet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our appetites --

2 CHAIR WALLIS: Because these look very
3 interesting. It looks very interesting. And I have
4 not a clue what it means. I would be very happy for
5 you to come back and tell us what it really meant.

6 MR. ANDREYCHEK: That is a fair comment.

7 MEMBER BANERJEE: We'll give you ten
8 minutes.

9 MR. ANDREYCHEK: In ten minutes?

10 MEMBER KRESS: But be sure and check that
11 cross flow correlation.

12 MR. ANDREYCHEK: Understood.

13 MEMBER KRESS: Because that's key.

14 MR. ANDREYCHEK: Understood.

15 CHAIR WALLIS: Yes.

16 MEMBER BANERJEE: I guess what you are
17 arguing is even if a little bit of water gets through,
18 it will find its own level because --

19 MEMBER KRESS: And it may convert into
20 steam so it may still be an effective heat transfer.

21 MR. ANDREYCHEK: That's the point, yes.

22 CHAIR WALLIS: But the bottom line would
23 seem to be slide 54 if we can believe it. That
24 nothing really gets too hot.

25 MR. ANDREYCHEK: That is correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: And the blockage starts at
2 the red line?

3 MR. ANDREYCHEK: That is correct.

4 CHAIR WALLIS: It doesn't do anything at
5 all.

6 MR. ANDREYCHEK: That is correct. And
7 part of the reason for that is the mislabeled --

8 CHAIR WALLIS: How bad does it have to be
9 before it does have an effect?

10 MEMBER BANERJEE: I think it is a very
11 simple calculation. If enough water gets in --

12 MR. ANDREYCHEK: That's right.

13 MEMBER BANERJEE: -- to the --

14 MEMBER KRESS: It makes the boil off rate
15 --

16 CHAIR WALLIS: The boil off --

17 MR. ANDREYCHEK: That's right.

18 MEMBER BANERJEE: Yes, that's done at that
19 point.

20 CHAIR WALLIS: Well maybe you could tell
21 us how much the blockage needs to be in order for that
22 to happen.

23 MEMBER BANERJEE: Yes. So you can work
24 backwards exactly as Graham said.

25 MEMBER KRESS: The boil off calculation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINGLER: Keep in mind that is
2 sometime plant specific if you have bypass flows and
3 stuff like that. So that --

4 MEMBER BANERJEE: I mean for the specific
5 scenario where you can only answer the call from the
6 bottom, if you get enough in so that you can have a
7 stable --

8 MR. ANDREYCHEK: that's right.

9 MEMBER KRESS: A stable level.

10 CHAIR WALLIS: Yes. So while it is
11 boiling off, it is leaving behind all the chemicals
12 and debris which was in the water when it came into
13 the core, right? So if you boil off for long enough,
14 the core is full of all the stuff that didn't boil
15 off.

16 MR. ANDREYCHEK: That's correct. You
17 potentially will get some plate off.

18 CHAIR WALLIS: You're going to tell us
19 that, too, presumably.

20 MR. ANDREYCHEK: That's correct.

21 MR. DINGLER: And as Mike says, that's the
22 WCAP that is underway right now.

23 MEMBER BANERJEE: So you've got an early
24 comment now.

25 MR. ANDREYCHEK: We got some today, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. ANDREYCHEK: I appreciate it quite
3 frankly. You know sometimes you don't see the forest
4 for the trees. This is one forest I should have
5 stayed out of.

6 CHAIR WALLIS: Are you going to come back
7 to us and explain it? Are you going to have a try at
8 that?

9 MR. ANDREYCHEK: I'm sorry, say it again?

10 CHAIR WALLIS: Are you going to come back
11 tomorrow and explain it or not?

12 MR. ANDREYCHEK: I will have specifically
13 correct -- yes, I will have the correct ones for
14 tomorrow, yes.

15 CHAIR WALLIS: I think it would be good to
16 have that on the record, too, that everything was
17 sorted out.

18 MR. ANDREYCHEK: Not a problem.

19 CHAIR WALLIS: Okay.

20 MR. ANDREYCHEK: I regret --

21 CHAIR WALLIS: And everything is
22 consistent with NRC findings? So the NRC findings
23 were like this in summer of 2006?

24 MR. ANDREYCHEK: There was a blockage
25 calculation that was done by NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: And they concluded
2 everything was okay?

3 MR. DINGLER: They concluded actually a
4 slightly larger blockage and they still got acceptable
5 core clad temperatures. So yes.

6 MEMBER BANERJEE: I suppose it depends on
7 how the blockage occurs. I mean if you got blockage
8 so that you have got this thin layer and you have got
9 water seeping through --

10 MR. ANDREYCHEK: Well, that's pretty much
11 the case, yes. If you have weeping flow, even if it
12 is uniformly across the bottom, you will get that.
13 And the point that I wanted to drive out and drive
14 home was there was some testing that was done on
15 representative fuel bottom nozzles and bottom grids
16 where they took what would come through a sump screen,
17 basically your bypass flow, with particulates in it.
18 And ran this up into the bottom of the fuel grade.

19 And what was observed, both by industry
20 and several NRC representatives, was that the flow did
21 not -- was not blocked off. They still got flow
22 through this fibrous particulate stuff because the
23 flow was not sufficiently -- my guess is and in
24 looking at it, it was not sufficiently fast enough,
25 harsh enough to cause the fibrous material to mat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And create the mat that would not allow flow to go
2 through it. It was more of a -- I want to call it a
3 fuzzy ball.

4 MEMBER BANERJEE: Was the experiment done
5 of this study with heated rods or something?

6 MR. ANDREYCHEK: Not with heated rods.
7 This was a cold assembly. It was done as an example
8 of just -- at one -- someone wanted to see what it
9 would look like. And so they jury-rigged up a loop
10 that had a fuel assembly bottom nozzle and maybe two
11 grids or so. And a bottom nozzle as well as the core
12 support plate. And what they saw was that they got
13 fiber collection there certainly that would be
14 bypassed from the sump screen. But it did not form a
15 map that choked flow. They continued to get flow
16 through there.

17 Furthermore, what they observed was
18 upstream of this fibrous mat, they didn't get fiber
19 concentrating into the fuel based upon photograph
20 evidence that we have.

21 MEMBER BANERJEE: Is this documented
22 somewhere?

23 MR. ANDREYCHEK: It's in the report that
24 we are working on.

25 MEMBER BANERJEE: Oh, okay.

1 MEMBER KRESS: Basically this becomes an
2 issue of a boiling pool rather than a turbulent
3 convection heat transfer. As long as you can get
4 water in the core and the water level is such that the
5 steam cools the tank and the boil off rate is less
6 than or equal to the input rate, then we're okay.

7 MR. ANDREYCHEK: That's correct, sir.

8 CHAIR WALLIS: So if I'm an operator --

9 MEMBER KRESS: That obviates the need for
10 this cross flow plate.

11 MR. ANDREYCHEK: That's correct.

12 MEMBER KRESS: So you really don't need
13 it.

14 MR. ANDREYCHEK: No.

15 CHAIR WALLIS: At a very low flow rate,
16 you do.

17 MEMBER KRESS: Yes, a very low flow rate.

18 MEMBER BANERJEE: It just finds its own
19 level.

20 MEMBER KRESS: Yes.

21 MR. ANDREYCHEK: That is correct.

22 MEMBER KRESS: Gravity will make it flow.

23 CHAIR WALLIS: And if I'm an operator and
24 I begin to observe super heated steam, what do I do if
25 I've got this? I know that I've got a LOCA. I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I've got debris. And I'm somewhat concerned
2 about possible blockage. And I begin to observe super
3 heated steam coming off the top of my core, what do I
4 do?

5 MR. ANDREYCHEK: Anyway I can to add more
6 water.

7 CHAIR WALLIS: But how can you do that?
8 Is there some way you can get water in the top of the
9 core or something?

10 MR. ANDREYCHEK: There are a multiple of
11 different ways depending on, again, that will be a
12 very plant-specific evaluation. A lot of times those
13 are covered in the severe accident guidelines.

14 CHAIR WALLIS: Well, do they go to hot leg
15 injection and that kind of thing? Is that going to
16 immediately ameliorate this situation?

17 MR. SCOTT: The cold leg or -- yes -- some
18 of that is cold leg.

19 CHAIR WALLIS: Isn't that going to
20 ameliorate the situation where water can come in from
21 the hot leg and just come in from the top?

22 MR. ANDREYCHEK: There are something that
23 are -- there are many things you can do. Some that
24 are proceduralized. Some that are not.

25 CHAIR WALLIS: You should be able to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 60 pounds per minute into the core that way.

2 MEMBER BANERJEE: Well, wherever you put
3 bypass flows, you are going to --

4 MR. ANDREYCHEK: That will hopefully be a
5 conclusion.

6 CHAIR WALLIS: Well, that would be a very
7 useful conclusion that no matter what happens, you are
8 always going to be able to keep the pot full enough so
9 that it doesn't boil dry.

10 MR. UNIKEWICZ: As Mr. Scott said, staff
11 has not had a chance yet to look at --

12 CHAIR WALLIS: Okay.

13 MR. UNIKEWICZ: -- this WCAP. So some of
14 these are --

15 CHAIR WALLIS: Well, that is very useful
16 I mean to sort of know if you can convince us that no
17 matter what happens with all this stuff, there is
18 going to be a way that you can keep the core from
19 drying out.

20 MR. UNIKEWICZ: Correct.

21 CHAIR WALLIS: Well, that would be very
22 useful.

23 MR. ANDREYCHEK: And I don't disagree with
24 you. I would suggest that, again, this calculation
25 was done as a bounding type of a calculation. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not meant to be representative of any situation. It
2 is if it were to happen, could we get enough water in.
3 And the answer was yes.

4 CHAIR WALLIS: Well, maybe it is time to
5 finish this discussion. You have some work in
6 progress here --

7 MR. ANDREYCHEK: Yes, I do.

8 CHAIR WALLIS: -- that we are going to see
9 sometime like all the rest of what we saw today.

10 MR. ANDREYCHEK: Yes.

11 CHAIR WALLIS: And it looks as if you are
12 making some progress. And some work needs to be done.

13 MEMBER BANERJEE: It would be nice to do
14 an experiment. I always like experiments.

15 CHAIR WALLIS: With a core?

16 MR. ANDREYCHEK: I understand.

17 MEMBER BANERJEE: Well, not a real core.
18 Just a few rods here and there.

19 CHAIR WALLIS: Okay. Can we move on?

20 MR. ANDREYCHEK: Thank you very much.

21 CHAIR WALLIS: Rather than taking a break,
22 I'd like to move on and see if Steve, who has already
23 had his time up here, can get us through pretty
24 quickly.

25 MR. UNIKIEWICZ: I suspect this can be as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quick as you desire.

2 CHAIR WALLIS: Okay. Do we have any copy
3 of your slides?

4 MR. UNIKEWICZ: You should have them over
5 on the edge further. It's not a long presentation nor
6 is it meant to be because the purpose this
7 presentation is to update you on where we are with
8 respect to both in-core and ex-core downstream
9 evaluations.

10 One change in the program, you may have
11 noticed from the presentation in the past and that is
12 Thomas Prayer has taken a position outside of the
13 agency so I have been chosen to lead the charge, if
14 you will, on the in-vessel evaluations also, certainly
15 with a lot of support from additional staff, the same
16 staff as before. Just that typically rather than
17 Tommy, you'll probably hear myself talk about the in-
18 vessel evaluations.

19 Where are we? Well -- and the purpose of
20 this short presentation is to tell you where we are
21 both from an in-vessel and an ex-vessel -- we'll start
22 with the ex-vessel. We'll talk about some of the
23 challenges and where we are going and how we are going
24 forward.

25 Recognize that almost every licensee

1 currently has used 16406 Rev. 0, the initial issue of
2 the PWR owners group WCAP on downstream effects.
3 Revision 1 or draft revision 1 was the topical report
4 that was submitted to staff for review.

5 So that being said, a lot of the current
6 evaluations are based upon an earlier version that we
7 are looking at. On February 16th, staff -- we issued
8 72 RAI with regard to this current WCAP. Where we are
9 on it as of today is we've been having weekly phone
10 calls. In fact, the latest phone call was this
11 morning from 9:00 to 11:00.

12 And we're working through those 72 open
13 issues. Now they did, the owners group did give us
14 draft responses on May 3rd. And, again, on a week-to-
15 week basis, we're going after them.

16 As of last week, there were currently six
17 open RAI with regard to the in-vessel evaluations.
18 Now 16406 does mention in-vessel evaluations, however
19 it really describes them in a very broad brush
20 standpoint. The later WCAP that we expect to see at
21 the end of the month, 16793, if I've got my numbers
22 right, will be that evaluation that does specifically
23 address in-core.

24 So with regard to those six open items on
25 in-vessel, they are more or less, I'll just say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're not wrong. They are just not specific enough.
2 So there is a lot of -- there's detail to be added to
3 make it very clear on how this evaluation portends to
4 in-vessel.

5 With regard to the ex-vessel evaluations,
6 there were approximately 17 open RAI, mostly focused
7 on, as we mentioned earlier, the abrasive versus
8 erosive wear calculations, how you model it. And the
9 issue really becomes that the pump internals, it is
10 not quite a classical two body wear model. And it is
11 clearly not a three body model. So it is someplace in
12 between.

13 So as we are working through that
14 situation, that is where the bulk of the questions
15 come from. They go back to the use of Brunell
16 hardness. They go back to concentrations. They go
17 back to pressure drop across from stage-to-stage to
18 bearing loads and from the shaft. That's what the
19 bulk of the current open items with regard to the
20 pump evaluations are.

21 The open items with regard to valve
22 evaluations, again, have a lot to do with not all
23 classifications of valves were included. So there a
24 few additional things that need to be added to this
25 evaluation to make it complete.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The section on debris characterization is
2 being completely rewritten. The owners group made
3 somewhat of a presentation along those lines. We
4 expect to see that hopefully in the next couple of
5 weeks.

6 From an overall standpoint, this WCAP on
7 our end should be wrapped up within the next three to
8 four weeks, at least from a technical discussion. And
9 I don't mean the writing in a safety evaluation. But
10 it is delving through all the technical issues and
11 working through the RAI.

12 There are a number of actions that aren't
13 covered within this WCAP that need to be addressed by
14 the licensees. Operator actions, where we talked
15 about potentially opening up throttle valves, changing
16 system line ups. That is not covered with the scope
17 of this WCAP.

18 Stopping and starting of pumps, which
19 would be an operator action, is not covered within
20 this WCAP. Those things would have to be and are
21 expected to be evaluated by licensee on their very
22 plant-specific downstream evaluations.

23 Cyclone separators were not evaluated as
24 part of this. Cyclone separators, there are a few
25 plants that are struggling with -- the design of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cyclone separators and how they fit into their system.
2 Some are the plugging of the cyclone separators.
3 There are some decisions being made of whether or not
4 they need to keep them or not.

5 And in a couple of cases, there is some
6 testing being done at flow cert with regard to cyclone
7 separator operation. Cyclone separators, again, are
8 not covered s part of this WCAP. The expectation is
9 that as licensees present their evaluations, that is
10 covered.

11 So reactor fuel and, again, long-term
12 cooling is covered in that additional WCAP.

13 There are some challenges. And part of
14 the challenges is downstream pump valve heat exchanger
15 evaluations are very plant specific and require large
16 amounts of very plant specif information.

17 Jumping ahead to bullet 4, so some of the
18 staff concern is if we have a reference book, if you
19 will, the staff feels that a number of different
20 people are going to be doing ths evaluation.

21 The struggle has been to put it to the
22 point where a reasonably competent engineer in the
23 field or from another organization would be able to
24 use this documentation in an of itself to be able to
25 go through this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's part of the struggle going through
2 the RAI. And again, it is the WCAP is not wrong.
3 Again, it is just not specific enough. We are adding
4 a lot more detail to this evaluation so that other
5 folks can use it.

6 Some vendors, as we mentioned, earlier,
7 are using vendor testing and those plants that are
8 those ones that, in effect, flunk the pump
9 evaluations. If I decide that I'm getting too much
10 internal wear on the pump such that my pump vibrates
11 in excess and potentially disables my pump, those
12 folks are going back and reevaluating. They are not
13 using the very conservative inlet input assumptions of
14 this WCAP. They are trying to do that.

15 We are looking at them on a case-by-case
16 basis. The WCAP does not really address off-normal,
17 if you will, situations nor is it intended to do that.
18 It is intended to give a method to do calculations, a
19 method to do evaluations within a very tight parameter
20 box. If you are outside of that, then it is a little
21 more difficult.

22 There are plant modifications planned,
23 both planned and ongoing. There are people who have
24 hard-faced internal components. There are licensees
25 who are going through plant modifications whether they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are adding orifice plates to allow opening of throttle
2 valves. There are a couple of utilities that are
3 hard-facing throttle valves. There are a couple that
4 are doing a complete redesign of their HIPSI throttle
5 valves.

6 So there are a number of different things
7 going on. Since this is very plant-specific, those
8 tend to be the ongoing challenges. As I mentioned, we
9 are working with the owners group on a weekly basis.
10 We have typically Tuesday morning phone calls with
11 them. They tend to be very technical going through in
12 excruciating detail the details of the WCAP.

13 The expectation is we get this safety
14 evaluation and the revision one out sooner rather than
15 later because from a practical standpoint, almost
16 every licensee is going to have to at least do some
17 sort of reevaluation of where they are.

18 CHAIR WALLIS: It is still very much work
19 in progress.

20 MR. UNIKIEWICZ: Well, I would say that it
21 is a work in progress but we are converging upon a
22 solution. And that convergence should be within the
23 next -- realistically within the next couple of weeks.

24 CHAIR WALLIS: I guess I was hoping --
25 I've probably said it already today that you folks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would come in saying certain things had been resolved
2 so we could go away with a little more assurance that
3 specific progress had been achieved. But that doesn't
4 seem to be the case. A lot of things are still being
5 worked on.

6 MR. UNIKEWICZ: I may have a little bit of
7 issue with that in that many of the modifications that
8 have been made to date have been down on the
9 conservative end where at least on the pump and valve
10 evaluations, where they failed, they failed miserably
11 and quite early.

12 So while they did use Revision 0 and Rev.
13 0, we had some issues with it. When I look at the
14 aggregate and you look at the end, realistically
15 people probably aren't going to be making additional
16 modifications because they did default on the
17 conservative end even though the methods weren't 100
18 percent, if you will.

19 CHAIR WALLIS: Okay.

20 MR. UNIKEWICZ: The issue that we are --
21 at least from a component standpoint, ex-vessel, we
22 should be done with it in the next month. So we are
23 converging upon a solution. And again, these aren't
24 -- they are not dramatically different from what we
25 have seen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: Can we move on to the in-
2 vessel?

3 MR. UNIKEWICZ: Yes.

4 MR. SCOTT: Let me just add -- sort of sum
5 up with what you had mentioned a second ago, Dr.
6 Wallis. It is, in fact, the case with GSI 191 that we
7 are still working on virtually every area of 191. And
8 although we don't believe that, for example, ex-vessel
9 downstream is going to be the long pull in the pin so
10 to speak, we've got to dot the Is and cross the Ts and
11 that has not been done yet in really any of these
12 areas.

13 So we are fast approaching a deadline.
14 And we are still pretty busy. So in September,
15 October, this issue should be behind us hopefully.
16 That the ex-vessel downstream will have in-vessel
17 topical review results to talk to you about.

18 We are probably still going to be talking
19 to you about chemical effects and where we are going
20 with that. And we are not fully there yet. So it is
21 still very much a work in progress with a lot of
22 questions.

23 CHAIR WALLIS: Yes but some day soon you
24 folks are going to have to come here and say we have
25 resolved this. And this is why. Here is the

1 evidence. And here is the logic and everything.

2 MEMBER BANERJEE: But does it have to be
3 a complete resolution or do you resolve --

4 MR. SCOTT: Well, we've said all along
5 there is the possibility here that we may say that we
6 have reasonable assurance that Generic Safety Issue
7 191 has been resolved but there are specific technical
8 questions still out there just like some of those
9 things that Rob Tregoning talked about, the peer
10 review panel items. Some of those may be part and
11 parcel to resolution of 191. Or we may carry them in
12 some other manner. Research may looking into them in
13 a period that goes beyond when we currently planned to
14 resolve this safety issue.

15 So the trick, of course, is to say well
16 when we've gotten the uncertainties down low enough
17 that we can have that --

18 CHAIR WALLIS: Well, what I'm thinking of
19 though is that we've got all these things up in the
20 air and today we haven't really dug in technically at
21 any depth and do anything. And in order to be able to
22 give some sort of ACRS assurance that everything is
23 okay, eventually we are going to have to do that.

24 So it seems to me that we may have to have
25 several subcommittee meetings where we dig into -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Specific items.

2 CHAIR WALLIS: -- specific things in some
3 depth. That might take some time. So don't assume
4 that when you have your critical path and all that it
5 is going to be sort of a trivial tome to us with
6 something substantial. And it is going to take some
7 time.

8 MR. SCOTT: Well, I understand that. And
9 if you look at the timelines we're talking about here,
10 this topical report that Steve was addressing, will be
11 hopefully final or the SER for it will be final in the
12 fall so you could review that at that point.

13 CHAIR WALLIS: Well, you see everything
14 else is there, too. We've got the chemical effect and
15 everything else that is coming along in the fall. And
16 it's a full-time effort in the fall trying to cope
17 with all this stuff.

18 MR. SCOTT: Absolutely. And --

19 CHAIR WALLIS: The ACRS has other things
20 to do so I'm not --

21 MR. SCOTT: But none more important than
22 191, right?

23 CHAIR WALLIS: Ahhh.

24 MR. SCOTT: Well, that is what everybody
25 tells me.

1 MEMBER BANERJEE: I guess let's ask
2 Susquehanna to take care of this.

3 MR. SCOTT: I understand that is might
4 take -- and I guess it depends on how many of these
5 particular subject areas you want to delve into. And
6 we haven't even talked about coatings today.

7 CHAIR WALLIS: We will delve into anything
8 that is important.

9 MR. SCOTT: Well --

10 CHAIR WALLIS: If you do a really good
11 job, we won't have to delve into anything perhaps.

12 MR. SCOTT: I'm sure that is the way it
13 will play out.

14 MEMBER BANERJEE: But what about plating.
15 I mean you --

16 MR. SCOTT: About what?

17 MEMBER BANERJEE: -- talk about coatings
18 but what about platings on these, you know,
19 temperature gradient things.

20 CHAIR WALLIS: Yes, right.

21 MR. SCOTT: Are you talking about in-
22 vessel? In the core?

23 MEMBER BANERJEE: Yes.

24 MR. SCOTT: The core?

25 MEMBER BANERJEE: Right primarily.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR WALLIS: And then the heat exchange.

2 MEMBER BANERJEE: The heat exchange may
3 not be bad.

4 MR. UNIKEWICZ: Heat exchanger typically
5 is not that critical a part. And the reason that it
6 is not, there are a couple of reasons. One is that
7 the type of materials used in the heat exchangers is
8 more of -- following it tends to be a long-term
9 phenomena with a half-inch, three-eighths inch tubing.

10 The --

11 CHAIR WALLIS: You are talking about wear?

12 MR. UNIKEWICZ: No.

13 MEMBER BANERJEE: No, we're talking about
14 plate out.

15 CHAIR WALLIS: Plate out?

16 MR. UNIKEWICZ: The following of the heat
17 exchangers. The second thing is shut down cooling
18 heat exchangers in general, the way they are designed,
19 they are designed for the maximum cooling load
20 typically early -- maximum heat load. They are
21 typically over-designed by 15 to 20 percent, depending
22 on the vintage of the plant. Later plants were
23 designed 10 to 15 percent.

24 When we are looking at the use of heat
25 exchangers, shut down cooling heat exchangers, later

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on in the accident, we're talking at least better by
2 half the design loads that most of these heat
3 exchangers were initially sized for.

4 Now the calculations on heat exchanger
5 evaluation, usually we'll make sure they have the
6 appropriate falling factor for chemicals. And I am
7 not as concerned about chemical effects, about
8 shutdown cooling heat exchangers.

9 The plating out with regard to fuel should
10 be covered by 16793, the in-vessel evaluations. So at
11 least they should be addressed.

12 MEMBER BANERJEE: Maybe that would set our
13 mind at rest. But we need to have it set at rest.

14 MR. UNIKIEWICZ: Okay. The heat exchanger
15 evaluation, at least the shutdown cooling heat
16 exchanger piece is covered in 16406.

17 With regard to the vessel, the playing out
18 of the vessel and I'll say boiler scale for lack of a
19 better term right now, that is intended to be covered
20 by 16793. Now understand that staff has not see this
21 yet. The next couple of slides, which I may -- in
22 your prerogative we'll either go through now -- were
23 a number of issues that the staff had presented to the
24 owners group back in February.

25 And really it was our request to ensure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that these issues are very specifically addressed
2 within the WCAP.

3 MEMBER BANERJEE: I wonder if -- I mean
4 some of these may not be resolved immediately. But
5 things like cooling after blockage and things,
6 potentially research could take a look at some of this
7 inflect -- inflect is still alive and well and living
8 in Pennsylvania. I'm not sure. Is it? Operational?

9 MEMBER KRESS: Who? Emergency cooling --

10 MEMBER BANERJEE: Yes.

11 MR. UNIKEWICZ: The core heat transfer
12 test and no, that facility no longer exists.

13 MEMBER BANERJEE: It's gone?

14 MR. UNIKEWICZ: That is correct. It is
15 gone.

16 CHAIR WALLIS: Well, the Flek Test doesn't
17 exist but Hawkright just built another one.

18 MEMBER BANERJEE: Hawkright has one in --

19 MR. ANDREYCHEK: You are talking about the
20 Penn State test?

21 MEMBER BANERJEE: Right.

22 MR. ANDREYCHEK: That test facility is
23 alive and well, yes.

24 CHAIR WALLIS: Well, we need to move on
25 here. Are we going to be finished with in-vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fairly soon here?

2 MR. UNIKIEWICZ: We can be. And really the
3 next seven slides really just explain those items we
4 specifically addressed with the owners group while
5 they were in the process of putting together 16793.
6 Our expectation, when we review this and we get it
7 next month, will be that they have addressed all of
8 these issues as well as any others we have.

9 Now we did meet with the owners group
10 yesterday afternoon. So while I say we haven't looked
11 at the WCAP, there are issues that we are addressing
12 currently with the owners group.

13 This over the next few months will be an
14 ongoing, week-to-week process. There, the expectation
15 is going to be if not weekly phone calls, biweekly
16 phone calls going through all of the issues so that we
17 can address our questions and ensure that things are
18 being addressed in real time.

19 CHAIR WALLIS: I'm just looking at your
20 slides. The things that you have on slides 12 through
21 15, 16, 17 are just the kind of questions I think that
22 we have been having.

23 MR. UNIKIEWICZ: Right. And these were the
24 questions --

25 CHAIR WALLIS: They still seem to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unanswered, is that right?

2 MR. UNIKEWICZ: Our expectation is those
3 questions will be answered by 16793. They were, I'll
4 call them preliminary RAIs because we hadn't received
5 the WCAP. It was a presentation we had made to the
6 owners group saying this is what we expect to see
7 being addressed. This is what we expect to see being
8 addressed once we receive the WCAP.

9 CHAIR WALLIS: Well, how are they
10 addressing something like debris collected in
11 restricted channels? Are they doing experiments or is
12 it all analysis? Or what? How do they address
13 something like that?

14 MR. UNIKEWICZ: We haven't seen the WCAP
15 so I can't answer that question yet.

16 CHAIR WALLIS: You don't know how.

17 MEMBER BANERJEE: But I think you can
18 guess that it is not with experiments.

19 MR. UNIKEWICZ: I can guess a lot of
20 things. However, I would --

21 MEMBER BANERJEE: All right. We won't
22 guess. But in case it is not by experiment --

23 MR. UNIKEWICZ: Mr. Andreychek, I'm sure,
24 can answer that question. But I'm not going to be so
25 presumptuous as to guess what is in the WCAP without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at it. But these are our initial set of staff
2 concerns that we expect these to be addressed when we
3 see this over the next couple of weeks.

4 CHAIR WALLIS: There are three WCAPs here
5 that are --

6 MR. UNIKIEWICZ: There are three WCAPs that
7 really effect downstream. One is the one Paul Klein
8 had talked about earlier in the day, 16530.

9 CHAIR WALLIS: How many WCAPs are there
10 overall that we are going to have to look at in the
11 fall. There are three here and there are some more --

12 MR. UNIKIEWICZ: these are the three. At
13 least --

14 CHAIR WALLIS: Yes. But there are other
15 ones on chemical effects and stuff.

16 MR. UNIKIEWICZ: Well, 530 is the chemical
17 effects one.

18 CHAIR WALLIS: So it is part of that one?

19 MR. UNIKIEWICZ: Correct.

20 MR. SCOTT: There is another chemical
21 effects topical report that the staff is not being
22 asked to do an SE on. It is the one that was referred
23 to by Paul Klein and others this morning regarding
24 refinements of the 16530 methodology. So we're going
25 to provide comments on that. And you all may want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take a look at it. But it is not going to be the
2 subject of an SER.

3 MEMBER BANERJEE: Again, remind me what
4 the methodology is.

5 MR. SCOTT: You remember that the owners
6 group told you about, the chemical effects WCAP, which
7 is -- they called it a model and you took some issue
8 with that, remember.

9 MEMBER BANERJEE: Right, right.

10 MR. SCOTT: And then there were a couple
11 of things in there -- a couple of subject areas and
12 they went through it so fast. It was the second part
13 of the presentation, that I think they kind of glossed
14 over this. There is another report to follow that
15 will contain those refinements that are trying to pull
16 back some of the known conservatisms in the chemical
17 effects modeling, okay.

18 That report is supposed to come in when?
19 Mo, when?

20 MR. DINGLER: The end of the month.

21 MR. SCOTT: The end of this month, same as
22 --

23 MEMBER BANERJEE: That is the passivation
24 stuff?

25 MR. SCOTT: That is one of the examples of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, yes. And, again, they are not asking for an SE on
2 that. So what will happen is is we will make comments
3 on it. And licensees who choose to reference it will
4 have to recognize what those comments were that we
5 made. And incorporate that methodology at their risk,
6 so to speak.

7 So now that makes four reports if you are
8 interested in looking that one, which I assume you
9 would be.

10 CHAIR WALLIS: Four reports and then
11 several SERs from you?

12 MR. SCOTT: Three SERs. If you are
13 interested in looking at our review guidance,
14 additional review guidance that we are planning to
15 develop this fall, that is another item. So there is
16 a full plate.

17 MEMBER BANERJEE: I think we need a full-
18 time consultant.

19 CHAIR WALLIS: Okay.

20 MR. UNIKEWICZ: I really didn't have
21 anything more. If there are -- those nine bullets
22 really were just our thoughts. That is where we are
23 going with it. And just what we expect to review.

24 CHAIR WALLIS: I'd like to take a break
25 until three o'clock. We are behind. We will try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 catch up. But it looks as if we are going to be here
2 at least beyond five o'clock. So we'll take a break
3 now until three o'clock. And then we will hear from
4 NEI.

5 (Whereupon, the foregoing
6 matter went off the record at
7 2:48 p.m. and went back on the
8 record at 3:03 p.m.)

9 CHAIRMAN WALLIS: We are looking forward
10 to a presentation from NEI, and then we will move on
11 to the real stuff from what the plants are doing. So
12 let's go ahead.

13 MR. BUTLER: All right. Thank you. John
14 Butler, NEI.

15 I just want to kick this off very quickly
16 and turn it over to Salem for their discussion. But
17 I wanted to start this off by pointing out that we
18 have put together what we are calling four case
19 studies to illustrate what the plant activities are to
20 resolve GSI-191.

21 They are intended to give you a better
22 sense of those activities. You have been listening
23 this morning and early this afternoon of a number of
24 the specific topic areas that are still underway,
25 still have a high degree of uncertainty. Irrespective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of this, the plants have a schedule they have to meet,
2 and they are doing what they can with these
3 uncertainties to meet that schedule.

4 So it is important to keep that in mind.
5 Now the four case studies that we have picked -- There
6 were a number of criteria that I put together to try
7 to identify the plants for these case studies. I am
8 looking for a range of resolution activities
9 illustrated in these four cases, and I think we have
10 accomplished that.

11 With these four cases, we have four of the
12 five strainer designs being utilized. So you will get
13 a little bit of insight into the range of strainer
14 designs and the actions surrounding those strainer
15 designs.

16 We also wanted to have, for lack of a
17 better word, interesting cases. So I avoided picking
18 plants that were low fiber, would basically -- are
19 basically complete with their activities.

20 CHAIRMAN WALLIS: Do you have the one with
21 all the aluminum in it?

22 MR. BUTLER: No. The final criteria and
23 probably the most important criteria -- I'll preface
24 that by saying you have to realize that there is a
25 tremendous amount of activity underway at plants to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meet the schedule that they have.

2 So my third criteria was finding four
3 plants that would allow me to -- or would provide me
4 the time necessary to give the presentation here. So
5 I am very happy that I was able to find four plants to
6 meet that third criteria, to give us the time to
7 discuss what activities they have underway.

8 So with that, I will turn it over to
9 Salem.

10 CHAIRMAN WALLIS: Now we are only going to
11 hear Salem today.

12 MR. BUTLER: Yes. The three cases that
13 will be discussed tomorrow are Fort Calhoun for OPPD,
14 Wolf Creek, and Indian Point.

15 So with that, I will turn it over to
16 Salem.

17 MR. RAJKOWSKI: Good afternoon. My name
18 is Len Rajkowski. I am the design manager at Salem
19 Station, and thus responsible for the ultimate
20 implementation of the GSI-191 and the design basis of
21 the station.

22 I have brought a team with me today to
23 represent the different aspects, the vendors involved
24 with this project, so that we can make sure you get
25 the full enlightenment of that resource here today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Starting off to my right is Kiran Mathur.
2 Kiran is the lead responsible engineer for this
3 project, the implementation. I would like him to go
4 over the modifications specifically that we have done
5 to date and yet to go.

6 To the right of him is Dr. Blumer. Dr.
7 Blumer is with the strainer manufacturer, CCI. He
8 will be talking about many of the design features,
9 fabrication and testing.

10 To the right of him is Sargent and Lundy,
11 our architectural engineering firm, performing most of
12 the engineering analysis for this modification, and
13 they are ready to discuss debris generation, debris
14 transport and chemical effects analysis with Dr.
15 Blumer's help, for sure.

16 With that, I will turn it over to Kiran.

17 MR. MATHUR: Thank you, Len. Before I
18 start giving you what modifications we made, I don't
19 know how much familiar you are with the old Salem
20 plant. I will just give you a brief overview.

21 Salem is a four-loop Westinghouse plant.
22 It is a dry large containers -- dry large containment.
23 All the interpolate systems are located inside the
24 bioshield area, and our containment sump is located in
25 the outer annulus area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have two RHR pumps that take suction
2 from the containment sump during the recirculation
3 phase of the LOCA, and they provide cooling water to
4 the reactor core -- to the reactor, to the high head
5 and the low head pumps and also to the containment
6 sump. The next slide, please.

7 The next slide just gives you a broad
8 overview of how these systems are laid out. Okay.
9 Next slide.

10 Just the containment layout. As I said,
11 the ECCS sump is located along our annulus area.
12 There are four entrances into the ECCS, and actually
13 if during a postulated LOCA, all the degree that is
14 generated inside the bioshield has a potential to flow
15 through these openings and eventually could end up at
16 the containment sump. Next slide, please.

17 Oh, and just to let you know, the initial
18 pre-GSI-191 strainer layout, we had only 85 square
19 feet of the strainer that was there. Next slide,
20 please.

21 CHAIRMAN WALLIS: So this is different
22 from some plants. You actually have some inner region
23 where lots of the debris may get held up.

24 MR. MATHUR: That's right.

25 CHAIRMAN WALLIS: Are you taking credit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for that?

2 MR. MATHUR: We assumed the debris flows
3 through the bioshield wall -- Yes.

4 VICE CHAIRMAN BANERJEE: Where are the
5 bioshields?

6 MR. MATHUR: If you see those four
7 circles. Those are the accumulators, and those walls
8 or entrances are at that location.

9 VICE CHAIRMAN BANERJEE: They are pretty
10 sizable openings?

11 MR. MATHUR: Yes. They are decent size
12 openings. Okay. And if you see, our sump is located
13 along the annulus area on the outside of the bioshield
14 wall, along the wall of the containment.

15 The next two slides just give you an
16 overview of the debris that we have that could be
17 generated. It consists of the metallic reflective
18 insulation, Nukon.

19 Predominantly, we have a lot of Nukon
20 insulation. We have some calcium silicate, Kaowool
21 insulation and this Min-K insulation, what we talked
22 about today in the morning, and we have some qualified
23 and unqualified coatings.

24 CHAIRMAN WALLIS: How much Cal-Sil do you
25 have?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: We have -- What we did was we
2 had around 400 lineal feet of calcium silicate that
3 was identified within the zone of influence, and we
4 have already replaced all the calcium silicate
5 insulation.

6 CHAIRMAN WALLIS: So you've taken out all
7 the Cal-Sil?

8 MR. MATHUR: That was within the zone of
9 influence, yes.

10 CHAIRMAN WALLIS: And so this that's on
11 the feedwater --

12 MR. MATHUR: And the blowdown piping.

13 CHAIRMAN WALLIS: -- is not likely to be
14 affected, or is it?

15 MR. MATHUR: No, those two pipings had
16 calcium silicate insulation, and we replaced it with
17 the metallic reflective insulation.

18 VICE CHAIRMAN BANERJEE: What is the steam
19 generator insulation?

20 MR. MATHUR: On Unit Number One, we have
21 steam generator insulation is the Nukon kind
22 insulation, and on Unit Two also we have Nukon
23 insulation, but on Unit Number Two we are replacing
24 those steam generators in the spring of 2008, and at
25 that time the insulation will be replaced with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 metallic reflective insulation.

2 CHAIRMAN WALLIS: And the Min-K -- how
3 much of that is there?

4 MR. MATHUR: We do not have much of Min-K
5 insulation. This insulation is actually installed in
6 some very hard to get, congested areas. So, really,
7 where we have identified Min-K insulation, we have
8 taken it out.

9 CHAIRMAN WALLIS: You have taken it out?

10 MR. MATHUR: Yes.

11 VICE CHAIRMAN BANERJEE: So this is before
12 you made any marks?

13 MR. MATHUR: That's right. That's how it
14 was before we made the marks. Okay?

15 CHAIRMAN WALLIS: So how big is the new
16 strain or maybe you are getting to that?

17 MR. MATHUR: We'll talk about it. Okay.

18 This slide just gives you a perspective of
19 our plan parameters we have. As I said, we have two
20 RHR pumps. Each -- If one pump is operating, the
21 maximum flow could be 5110 gpm for the Unit One and
22 4890 for the Unit Two, and if the two pumps are
23 operating, we have 9,000 gpm flow.

24 The next, the columns show you the NPSH
25 required, and then we talk about the flood height.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's a fairly high NPSH,
2 I would say.

3 MR. MATHUR: Right. Then we have the
4 flood height, and our formulate is sodium hydroxide.

5 VICE CHAIRMAN BANERJEE: What do you mean
6 by the flood height?

7 MR. MATHUR: Oh, what we determined was,
8 if you have a LOCA, what is the minimum amount of
9 water that could go into the containment, because what
10 we wanted to make sure is our new strainers that we
11 are installing are completely submerged underwater.

12 So we determined the minimum flood height.

13 VICE CHAIRMAN BANERJEE: This is the
14 height above the sump bottom?

15 MR. MATHUR: Yes. Our containment is at
16 the elevation 78. Okay? So we will -- 2 foot, 10
17 inches. This would be --

18 CHAIRMAN WALLIS: So 80 feet of water.

19 MR. MATHUR: That's right. I'm sorry.
20 That's what it meant.

21 CHAIRMAN WALLIS: Okay.

22 MR. MATHUR: Okay. The next slide shows
23 the existing sump that we have. Oh, I'm sorry.

24 CHAIRMAN WALLIS: Are you thinking of
25 changing the buffer material?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: No, we do not. No.

2 The next slide talks about the plant
3 modifications.

4 VICE CHAIRMAN BANERJEE: You do not, but
5 why not?

6 MR. MATHUR: We did not find any -- Based
7 on our chemical testing we have done, we did not find
8 any necessity of doing it at all. Okay?

9 The next slide talks about all the plant
10 modifications we have made. As you see, initially we
11 had about 85 square feet of strainer -- On Unit Number
12 one. We have installed 4,854 square feet of
13 strainers. Okay? We replaced our existing --

14 VICE CHAIRMAN BANERJEE: This is open
15 area. In other words, they are stacked strainers.
16 You are counting all the area.

17 MR. MATHUR: That's right. This is the
18 pockets. These are the pocket areas. This is strainer
19 area. That's exactly right. Okay? And we removed
20 our existing enclosed -- sump enclosure. We installed
21 a new sump enclosure and, as we just said, we have
22 around 23 strainer modules. There are 140 pockets
23 each, and we have one strainer module that has 210
24 pockets, and all these strainer modules are lying next
25 to each other, and eventually they connect to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment sump.

2 Other thing we did was we installed new
3 level switches. The new level switches were
4 installed, because the existing -- the original level
5 switches have a higher uncertainty. So these level
6 switches provide a very tight uncertainty. It is plus
7 or minus half an inch.

8 So we can get a very good indication of
9 what our containment flood level is. And the new sump
10 strainers that we have installed have perforated holes
11 of 1/12th of an inch. Previously, we had 1/8th of an
12 inch openings.

13 MEMBER ABDEL-KHALIK: These level switches
14 are just for the operators information or --

15 MR. MATHUR: These are -- No, these are --
16 They tell the operator that at -- When the containment
17 flood level goes to 62 percent, the switchover can
18 happen to the recirculation phase.

19 So, basically, it gives the operators
20 indication that they can turn over to the
21 recirculation phase. Okay?

22 CHAIRMAN WALLIS: So this is a tremendous
23 improvement.

24 MR. MATHUR: Absolutely is.

25 CHAIRMAN WALLIS: Orders of magnitude.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: Yes.

2 VICE CHAIRMAN BANERJEE: And this
3 perforated plate --

4 MR. MATHUR: We installed a trash rack in
5 front of our strainers. I'll show you in a picture.
6 Yes, we have a picture of that one, and we installed
7 -- even installed a perforated plate behind this trash
8 rack to act as a pre-strainer.

9 VICE CHAIRMAN BANERJEE: What were the
10 size of the old one?

11 MR. MATHUR: Same size as our strainers,
12 1/12th of an inch.

13 CHAIRMAN WALLIS: Why don't you work in
14 metric system?

15 VICE CHAIRMAN BANERJEE: Now this
16 perforated trash rack -- perforated plates -- can't
17 block up, can it?

18 MR. MATHUR: It does not matter. As you
19 see -- Yes, that's right. It should not be a problem
20 at all. Then as you --

21 CHAIRMAN WALLIS: You are taking credit
22 for something with this trash rack perf plate?

23 MR. MATHUR: We'll talk about it a little
24 bit later in the presentation about it. Okay?

25 Again, as is aid, we replaced around 400

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 linear feet of calcium silicate insulation and
2 replaced the Min-K insulation with reflective metallic
3 insulation. The only thing is in certain areas where
4 it was -- because of the accessibility concerns, we
5 had to install some Nukon insulation instead of it,
6 and that amount of Nukon insulation was taken into
7 consideration when we did our debris generation
8 calculation.

9 VICE CHAIRMAN BANERJEE: Where was this
10 accessibility?

11 MR. MATHUR: The piping comes from the
12 reactor. It goes -- From the nozzle it goes through
13 a bioshield -- into the bioshield wall. So inside the
14 wall it was very difficult for us to put in the
15 metallic reflective insulation, because of very tight
16 clearances. So that's why we put in this Nukon
17 insulation.

18 VICE CHAIRMAN BANERJEE: Inside the
19 bioshield?

20 MR. MATHUR: That's inside the wall.

21 CHAIRMAN WALLIS: How much did you have to
22 consider radiation to the personnel who were putting
23 this in?

24 MR. MATHUR: No, it was -- The radiation
25 was not that much at all, and also inside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bioshield also, when the piping comes out of the
2 reactor nozzle, it is sitting in a place called the
3 sign box. So periodically we inspect the nozzles. So
4 in the last outage we removed that sign box. So at
5 that time, we replaced the insulation. So there was
6 no additional -- those workers, what you are talking
7 about, impacted by this modification.

8 CHAIRMAN WALLIS: What is this big black
9 thing here?

10 MR. MATHUR: This is the reactor wall.
11 What I'm positive is it's our refueling --

12 CHAIRMAN WALLIS: So you have holes in
13 that for the things that go through all that black?

14 MR. MATHUR: Yes, that's right.

15 CHAIRMAN WALLIS: And you have to somehow
16 change the insulation in those?

17 MR. MATHUR: That's right, yes, inside
18 those walls. It was not that much of a difficulty.

19 CHAIRMAN WALLIS: So if you have a LOCA
20 inside, it would be protected then from blowing
21 insulation off the steam generator, if you have a LOCA
22 inside that wall.

23 MR. MATHUR: Yes.

24 CHAIRMAN WALLIS: That's a very
25 substantial wall there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: Yes.

2 VICE CHAIRMAN BANERJEE: How high is that
3 wall? As high as the reactor?

4 MR. MATHUR: Yes. It goes above the
5 reactor.

6 VICE CHAIRMAN BANERJEE: Above the
7 reactor?

8 MR. MATHUR: Yes. Next slide, please.

9 This is the Unit Number Two
10 modifications. They are very similar to what we just
11 talked about Unit Number One. The only main
12 difference is that we have one less module installed
13 on Unit Number One. This is again because of the
14 access ability concerns.

15 We had an interference at one location.
16 so we had to put a transition connection between the
17 two strainer modules instead of a strainer there.
18 Other than that, all the modifications on Unit Number
19 One is similar to Unit Number Two, and both these
20 installations have been completed now. Okay.

21 The next slide shows the old sump strainer
22 layout. As you see, it was just a small box, and
23 that's all. It had the strainer around it, and the
24 water would just go through it.

25 The next slide --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: What are we
2 seeing, actually, here?

3 MR. MATHUR: This is the -- strainer box
4 -- This is the old sump strainer box. Okay?

5 CHAIRMAN WALLIS: We have the treads on
6 the ladder. So I guess we have some idea.

7 MR. MATHUR: It was -- If I'm not
8 mistaken, it was like 8 feet by 3 feet. The total
9 square footage was 85 square feet.

10 VICE CHAIRMAN BANERJEE: So how high was
11 it?

12 MR. MATHUR: Around 3 1/2 feet, if I am
13 not mistaken, three feet. Yes, three feet.

14 VICE CHAIRMAN BANERJEE: Okay. And what
15 is those vertical lines there?

16 MR. MATHUR: Those are the existing --
17 Those are the level instruments that we have, the
18 level indication instruments.

19 VICE CHAIRMAN BANERJEE: Within this box?

20 MR. MATHUR: Oh, these ones? These are
21 what we call the trash recs, so that you start the big
22 debris from going in. In fact, that we had the screen
23 mesh.

24 CHAIRMAN WALLIS: Oh, the strainer is even
25 smaller. It's inside there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: Yes.

2 CHAIRMAN WALLIS: It's gone now anyway.

3 So we don't need to worry about that.

4 MR. MATHUR: Okay. The next slide shows--

5 CHAIRMAN WALLIS: It's in a museum

6 somewhere?

7 MR. MATHUR: Yes. The next slide our Unit

8 Number One enclosure, the sump enclosure.

9 CHAIRMAN WALLIS: This is the new one?

10 MR. MATHUR: Yes, this is the new sump
11 enclosure that we have installed, and it is very
12 similar on Unit Number Two also, and all the strainers
13 connect to this one, and all the pumps take suction
14 from underneath.

15 CHAIRMAN WALLIS: This is all stainless
16 steel?

17 MR. MATHUR: That's exactly right.

18 VICE CHAIRMAN BANERJEE: So what is this
19 that we are seeing there, the stainless steel box
20 there. What is it?

21 MR. MATHUR: This is the enclosure that is
22 sitting on top of our sump pit, and all the strainers
23 connect to this enclosure.

24 VICE CHAIRMAN BANERJEE: So where does the
25 water --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: We'll see the next slide.
2 Okay, now if you see the next slide, the next slide
3 shows the strainers that we have installed. Okay?
4 And all these are interconnected, and they dump the
5 water into --

6 CHAIRMAN WALLIS: Now let's see. The
7 strainer -- there's a layer at the bottom which is
8 different. Those are --

9 MR. MATHUR: Those are the trash racks we
10 just talked about.

11 CHAIRMAN WALLIS: These at the bottom?
12 Oh, those are trash racks?

13 MR. MATHUR: Yes.

14 CHAIRMAN WALLIS: So the pigeonholes go
15 down behind the trash racks, do they?

16 MR. MATHUR: Yes, they do.

17 CHAIRMAN WALLIS: They are just hidden at
18 the bottom?

19 MR. MATHUR: Yes, they do. It goes to the
20 bottom.

21 CHAIRMAN WALLIS: So in order for the top
22 level here to be activated, there must be an enormous
23 amount of water in this area.

24 MR. MATHUR: Yes. It has to go to 2 feet,
25 10 inches, and these strainers -- the height is 2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feet, 7 inches.

2 VICE CHAIRMAN BANERJEE: Oh, so this
3 height is 2 feet, 7 inches?

4 MR. MATHUR: the height of the strainer
5 right now is 2 feet, 7 inches.

6 CHAIRMAN WALLIS: A big containment. The
7 diameter is 200 feet or something?

8 MR. MATHUR: I don't remember.

9 CHAIRMAN WALLIS: It's big.

10 MR. MATHUR: Yes, it is.

11 CHAIRMAN WALLIS: It's large.

12 MR. MATHUR: Yes. I think, if I am not
13 mistaken, the when -- The refueling water storage tank
14 dumps in around 400,000 gallons of water.

15 MEMBER ABDEL-KHALIK: So where on this
16 picture is the 2 foot, 7 inch elevation from the
17 floor?

18 MR. MATHUR: That is the top of the
19 strainer module.

20 MEMBER ABDEL-KHALIK: The top?

21 MR. MATHUR: Yes.

22 MEMBER ABDEL-KHALIK: Okay. Thank you.

23 VICE CHAIRMAN BANERJEE: Those
24 pigeonholes?

25 MR. MATHUR: Yes, the top of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pigeonholes, and those are the strainer pockets we
2 talked about.

3 CHAIRMAN WALLIS: They are all encoded by
4 ZIP Code, in other words.

5 MEMBER KRESS: Only a certain degree goes
6 in this.

7 VICE CHAIRMAN BANERJEE: I still can't get
8 what is the function of that big stainless steel --

9 CHAIRMAN WALLIS: Collection.

10 MR. MATHUR: No. All the water goes into
11 the box -- or pit.

12 VICE CHAIRMAN BANERJEE: Underneath that.

13 MR. MATHUR: Yes, that's right, and it has
14 the level indication also.

15 CHAIRMAN WALLIS: Is that where the old
16 strainer used to be there?

17 MR. MATHUR: That is exactly right.

18 CHAIRMAN WALLIS: Same staircase, but new
19 strainer.

20 MR. MATHUR: We had to even modify the
21 staircase also to accommodate the new layout. We had
22 to do a lot of modifications, because even these new
23 strainers that we had, we had to do a lot of
24 modifications, because we had some cable tray --

25 CHAIRMAN WALLIS: Well, you were lucky in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a way. You have a lot of open space to put this
2 strainer.

3 MR. MATHUR: No, but you have to realize,
4 when we did this modification, we had to do a lot of
5 pre-work, because those areas were all covered with
6 the cable tray supports. So we had to cut off part of
7 the cable tray supports and put these bridges. If you
8 see those, you see those bridges around? So those
9 were the cable tray supports that went all the way to
10 the floor.

11 CHAIRMAN WALLIS: Okay. But at least you
12 did have some space. It's just that you had the poles
13 in there.

14 MR. MATHUR: Okay. Now if you see this
15 slide on the screen, it shows you --

16 CHAIRMAN WALLIS: Which one is that?

17 MR. MATHUR: I'm jumping ahead to Slide
18 39.

19 VICE CHAIRMAN BANERJEE: That is much
20 clearer.

21 MR. MATHUR: That's right.

22 CHAIRMAN WALLIS: Well, 39 is a long way
23 ahead.

24 MR. MATHUR: Yes. Dr. Blumer is going to
25 talk more about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: Yes, but it shows
2 you the layout.

3 CHAIRMAN WALLIS: I got that impression
4 already, I think. Are there dimensions on it.

5 VICE CHAIRMAN BANERJEE: One has the
6 suction box on the left, and the other on the right.

7 MR. MATHUR: That's right. They are
8 opposite plans. If you see, we tried to put in as
9 much of strainers as possible based on the real
10 estate, and if you see at the end, we have this lift
11 tank. That's where we could not go any further
12 beyond.

13 VICE CHAIRMAN BANERJEE: So you just put
14 as much in the way of strainers as the space would
15 accommodate?

16 MR. MATHUR: Yes. Almost, yes.

17 CHAIRMAN WALLIS: So the river of stuff
18 comes in through this -- around this yellow whatever
19 it is here. It comes in around this door. There's a
20 door. There's a space.

21 MR. MATHUR: Yes. All the doors, yes.

22 VICE CHAIRMAN BANERJEE: So the green
23 stuff there is the bioshield. Right?

24 MR. MATHUR: That's right. That's the
25 bioshield wall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: The yellow circle
2 is the opening -- that area?

3 MR. MATHUR: Actually, that is an
4 accumulator there, and that's where the opening is.
5 Yes.

6 MR. RAJKOWSKI: Yes. The openings would
7 be on both sides of each accumulator. So there is
8 actually -- You are looking at eight openings.

9 MR. MATHUR: Right.

10 VICE CHAIRMAN BANERJEE: But this is one
11 of those eight openings.

12 MR. MATHUR: That's exactly right.

13 DR. BLUMER: The only thing that is not
14 shown is the trash rack on both sides of this.

15 CHAIRMAN WALLIS: Right.

16 VICE CHAIRMAN BANERJEE: Which is shown in
17 that other picture.

18 MR. MATHUR: Other picture, yes.

19 CHAIRMAN WALLIS: Okay. So we are going
20 to go back to 19 or wherever we were? Sixteen? Well,
21 it's all the same.

22 MR. MATHUR: Yes. The two pictures shown
23 one for Unit Number One and one for Unit Number Two,
24 actually, which are very similar to each other.

25 CHAIRMAN WALLIS: And you are keeping the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 floor very clean.

2 MR. MATHUR: Oh, we keep it very spick and
3 span, actually. It's very clean. There is no
4 question about that, and we have a very tight -- We'll
5 talk at the end. We have a very tight control on
6 anything that goes inside the containment. The next
7 slide.

8 I think we talked a lot a little while
9 back on the downstream effects. I don't know how much
10 you want to talk about it. But as we said, we have
11 the strainer openings that are 1/12th of an inch, and
12 still some debris can pass through it.

13 So what we did was we went in and looked
14 at all the components on the downstream of the sump,
15 and we identified around 151 components for Unit
16 Number One and 156 for Unit Number Two. We even did
17 a bypass testing at the CCI facility, which Dr. Blumer
18 will talk later on.

19 The downstream components consisted of
20 pumps, heat exchangers, valves, orifices, everything,
21 and our analysis showed that the downstream clearances
22 are acceptable. We did not see any problems with them
23 at all.

24 As far as the in-core thing is concerned,
25 Westinghouse did a design specific evaluation for us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the time, and we determined that we do not have any
2 core blockage problems; and now based on the
3 presentation we just saw, we just saw that even if you
4 had 99 percent core blockage, there is no problem.

5 VICE CHAIRMAN BANERJEE: And you had no
6 blockage at all or you had --

7 MR. MATHUR: No, no. We calculated around
8 28 percent blockage. What we did was we -- When the
9 bypass testing was done, we did a very specific
10 analysis. We measured the fiber that got bypassed,
11 and then evaluated as to how it would fit in on the
12 grid, and we found out that a maximum of 28 percent of
13 blockage.

14 CHAIRMAN WALLIS: So how many pick-up
15 loads of debris would you release in a LOCA?

16 MR. MATHUR: We'll talk about it.

17 CHAIRMAN WALLIS: You're going to tell us?

18 MR. MATHUR: Yes. We have a lot of
19 information on that.

20 MEMBER ABDEL-KHALIK: Now when you say 90
21 percent of blockage can be accommodated --

22 MR. MATHUR: That's what we just talked
23 about.

24 MEMBER ABDEL-KHALIK: What does that mean,
25 quantitatively?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATHUR: No. What I meant -- What we
2 meant to say was what was discussed, the WCAP is
3 saying that, even if your core, at the bottom of the
4 core, is 90 percent blocked, still you could cool down
5 the -- You will not have any core cooling problems.

6 MEMBER ABDEL-KHALIK: You would meet the
7 acceptance criteria?

8 MR. MATHUR: That's right.

9 MEMBER ABDEL-KHALIK: In terms of peak
10 clad temperature.

11 MR. MATHUR: That's exactly right.

12 MEMBER ABDEL-KHALIK: During a LOCA.

13 MR. MATHUR: Yes.

14 CHAIRMAN WALLIS: This is a big room that
15 these things are in. I would think the velocities in
16 there would be pretty small except near the openings.

17 MR. MATHUR: Actually, they are rather
18 high. Again, we will talk about it.

19 CHAIRMAN WALLIS: Okay, you will talk
20 about that?

21 MR. MATHUR: Yes. We have quite high
22 velocities.

23 CHAIRMAN WALLIS: Okay.

24 MR. MATHUR: And also the next slide, we
25 looked at the wear components, and we did not have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problems with them also.

2 CHAIRMAN WALLIS: That means that the wear
3 was --

4 MR. MATHUR: Acceptable.

5 CHAIRMAN WALLIS: So less than a mil or
6 something, that sort of thing?

7 MR. MATHUR: I will say it was acceptable.
8 I do not have the calculation in front of me right
9 now. So I can't answer -- quantify the number, but it
10 was evaluated in accordance with the Rev. 0 of the
11 WCAP we talked about.

12 CHAIRMAN WALLIS: Okay.

13 MR. MATHUR: Now I will turn over to Bob
14 Peterson. He will talk about what we were just
15 talking about, the W generation and transport
16 evaluations that we did, and he will talk a little bit
17 about the chemical analysis also.

18 MR. PETERSON: Thank you, Kiran. As
19 introduced, I am Bob Peterson from Sargent and Lundy.
20 We did a number of the support calculations, and we
21 will go into the details of three of them that are of
22 prime interest here.

23 The first ones are the debris generation,
24 and it is tied directly to the debris transport. The
25 goal of these calculations is to determine a maximum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris load to forward to the test engineer to
2 demonstrate acceptability of the screen.

3 This process is really somewhat of an
4 iterative process, meaning we started off quite a long
5 time ago with a preliminary load, and as you can see,
6 we put in a very, very large screen. Then through
7 evolutions in the industry, better information, better
8 tests, we have refined the load, but basically we have
9 followed the NEI-0407 document as accepted and as --
10 well, as discussed in the NRC SER with two notable
11 exceptions.

12 One is we have incorporated the smaller
13 ZOI of 5D for the qualified coatings. I believe a
14 number of utilities have done this. It was very
15 important for Salem in that, while they have a very
16 small unqualified coatings relative to other
17 utilities, inside the zone of influence, let's say,
18 someone coated a lot of component. So this reduction
19 was pretty significant for us.

20 CHAIRMAN WALLIS: You don't have a scale
21 on here, but the zone of influence can hardly be
22 spherical with all these walls around.

23 MR. PETERSON: It's a spherical zone, and
24 it is truncated when you hit a solid -- you know, when
25 you hit the wall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's a big strange,
2 because don't you think it might bounce off the wall
3 and move off to some other area, but you just cut it
4 off when it hits the wall?

5 MR. PETERSON: You cover -- Yes. But you
6 are covering big, big chunks of this containment.
7 It's really what -- It is limiting you.

8 CHAIRMAN WALLIS: If we look at, say,
9 break S6 here, that's a double-ended guillotine break.
10 Is that what that is?

11 MR. PETERSON: Yes.

12 CHAIRMAN WALLIS: How big is that zone of
13 influence? Could you just sort of indicate for me?

14 MR. PETERSON: Depends on the target.

15 CHAIRMAN WALLIS: Well, does it reach
16 number 13-SG?

17 MR. PETERSON; Yes.

18 CHAIRMAN WALLIS: So it takes in pretty
19 well that whole side of the containment?

20 MR. PETERSON: Once again, it depends on
21 the target, not a 5D coating, but on the insulation.

22 CHAIRMAN WALLIS: On what the stuff is?

23 MR. PETERSON: Right.

24 CHAIRMAN WALLIS: But if it's Nukon, it's
25 pretty big.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: Right.

2 VICE CHAIRMAN BANERJEE: When you say 5
3 diameters, 5 diameters is of the pipe?

4 CHAIRMAN WALLIS: For Nukon, it's more
5 than that.

6 MR. PETERSON: Yes. The slide that is up
7 there still, the SER had a 17D. We are using the AT,
8 which was subsequent.

9 CHAIRMAN WALLIS: It's on three feet?

10 VICE CHAIRMAN BANERJEE: So you say that
11 the justification for this is contained in WCAP not
12 yet available?

13 MR. PETERSON: Yes. There's some
14 subsequent testing that was sponsored.

15 MR. DINGLER: This is Mo Dinger.
16 Tomorrow at Wolf Creek you will see the actual blow
17 of that Nukon. I have that in my slides.

18 VICE CHAIRMAN BANERJEE: So you have data?

19 MR. DINGLER: Yes. So if you want to
20 postpone that until tomorrow --

21 CHAIRMAN WALLIS: So there is something
22 else that we could evaluate, if we wanted to.

23 MR. PETERSON: Okay. As shown on this
24 slide, we looked at many break locations on the
25 primary loop, and one at the base of the pressurizer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: Let me ask you
2 something. Suppose you had used 10D and 17D. How
3 much more debris would you have got?

4 MR. PETERSON: The 10D to 5D was
5 approximately a 50 percent reduction on the coating
6 load.

7 VICE CHAIRMAN BANERJEE: Okay. And the 8D
8 versus 17D?

9 MR. PETERSON: That was because of the
10 actual locations -- Well, okay. The amount that was
11 generated went down by about 50 percent. What
12 happens, though, as you get to smaller and smaller
13 zones of influence, the particles, the size
14 distribution, becomes skewed more and more. So you
15 get smaller and smaller particles.

16 We will get into where that ends up
17 helping you or what happened there. So as I have
18 very, very large zones of influence, we use a 4 to 3
19 size categorization of intact, large, small and fines.
20 The percentage of fines continues to go up as those
21 zones go smaller.

22 VICE CHAIRMAN BANERJEE: But the amount?

23 MR. PETERSON The amount also -- well,
24 goes down as I reduce --

25 CHAIRMAN WALLIS: The percentage goes up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: The percentage of the lower
2 end categories goes up. So it's the net, but there is
3 also an erosion term which feeds into why we put the
4 trash rack in.

5 VICE CHAIRMAN BANERJEE: If this is a
6 spherical zone of influence, then that really means
7 that you have a volumetric chain that goes almost a
8 volume of eight.

9 MR. PETERSON: That would be true if you
10 had a containment that was solid of Nukon, but you
11 have specific targets.

12 VICE CHAIRMAN BANERJEE: Right. Right.
13 So it hits the steam generator there, number 11?

14 MR. PETERSON: For a break in one loop?

15 VICE CHAIRMAN BANERJEE: At 6, yes.

16 MR. PETERSON: It hits 11.

17 CHAIRMAN WALLIS: Well, the big one hits
18 13, I think.

19 MR. PETERSON: Yes.

20 VICE CHAIRMAN BANERJEE: But now S1 will
21 not hit 13. Right?

22 MR. PETERSON: Correct.

23 VICE CHAIRMAN BANERJEE: Whereas, if you
24 had that old thing, it would have hit 13.

25 MR. PETERSON: And as Mo said, he will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 show you those, I guess, or discuss those tomorrow,
2 but the results of that testing at these 8D indicated
3 no damage, you know, slight bending of the jacketing,
4 that type of thing. So what we have done is --

5 VICE CHAIRMAN BANERJEE: Steam generators
6 in any case are going to be all RMI, aren't they?

7 MR. MATHUR: That's on Unit Number Two
8 only. Unit Number One insulation was already
9 replaced, and at that time everybody like Nukon. So
10 we put in Nukon at that time.

11 MR. PETERSON: It's one of the very ironic
12 things in the industry, that the people that have
13 already replaced their generators predominantly a new
14 plant, switched from RMI to Nukon because of heat loss
15 issues and fit-up issues in the containment, and now
16 the solution from GSI would have been to put RMI in.

17 These break locations, as I have
18 discussed, though, are based on trying to maximize the
19 problematic debris, ease of transportation, and then
20 to provide an appropriate mix of the problematic
21 debris. So we look at a number of them, and we have
22 worked through these various break locations. As
23 you --

24 VICE CHAIRMAN BANERJEE: All this Nukon on
25 Unit One doesn't lead to a different design of your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strainer system or anything?

2 MR. PETERSON: The testing is different,
3 and we will show you that. Predominantly, that is the
4 lead unit, meaning if you can demonstrate that one
5 works, you are probably pretty far along on the Unit
6 Two, and we will show you those differences.

7 Okay. Next slide. I think this came up
8 earlier today. There was some discussion about this
9 latent debris. That was the terminology we are using.
10 This is the background dirt dust.

11 We used masolin cloths and wiped down
12 areas of containment. So you measured out so many
13 square feet of a horizontal, vertical pipe, different
14 types of areas of the containment, and wipe these
15 areas down. Then we used a statistical analysis to
16 combine those, and then took that loading rate, so
17 many grams per square foot, and then multiplied by how
18 many square feet of that type of area in containment.

19 We had already started the analysis, and
20 early on a number was, oh, we will say floated around
21 the industry of about 200 pounds as a number. It was
22 never endorsed. It was just a number sort of floated
23 around as a starting place.

24 These walk-downs substantiated substantial
25 margins. As shown in the photos from Puron earlier,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the containment is pretty clean. So it was just a
2 confirmatory analysis.

3 Also during the walkdowns, we validated
4 what -- we'll use the terminology of foreign
5 materials. These are the placards, the labels, and we
6 have included those in the analysis. They become
7 basically sacrificial area, area on the screen that we
8 are not crediting as far as something of a filter-out
9 fiber or particulates. Next slide.

10 CHAIRMAN WALLIS: You've only got one
11 cubic foot of latent particulate. That is a pretty
12 clean containment.

13 MR. PETERSON: Well, that is based on the
14 200 pounds, 15 percent of 200 pounds. Yes. So this
15 starts answering questions of kind of how many
16 truckloads. Regrettably, they are in cubic feet, and
17 I don't know the payload.

18 CHAIRMAN WALLIS: Well, I was going to say
19 it's about 400 cubic foot. Depends how much you pile
20 it in, but something like that.

21 MR. PETERSON: Okay.

22 CHAIRMAN WALLIS: So you've got one
23 truckload of Nukon. Not too bad.

24 MR. PETERSON: Yes. And like I said, the
25 qualified coatings is down. You know, the 12.6 cubic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feet is the reduced value, as is the Nukon.

2 VICE CHAIRMAN BANERJEE: How much is the
3 truckload?

4 CHAIRMAN WALLIS: Four or five hundred
5 cubic feet. That's a good full-size truck reasonably
6 loaded.

7 MR. PETERSON: I know, when we do these
8 tests, they are scaled values and scaled factors of
9 like 50, and we have quite a few garbage bags and cans
10 of debris to throw out.

11 CHAIRMAN WALLIS: Now wait a minute. No,
12 I'm sorry. I was comparing -- I was dividing it by --
13 I got five truckloads. It's about 80 to 100 cubic
14 feet. I'm sorry, I was multiplying by five. Okay.

15 MR. MATHUR: I just want to make one
16 clarification. When I was talking, I said that we had
17 replaced all our known Min-K insulation. The only
18 thing I did not tell you was -- and on Unit Number One
19 you see apparent 5.3 cubic feet of Min-K insulation
20 that we are putting in our testing.

21 The reason was, as I said, on Unit Number
22 One we did not remove our sandbox. So it would have
23 been very expensive for us to replace that insulation.
24 So we are going to do it in the next outage of Unit
25 Number One, which will be toward the fall of next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year.

2 So in the meantime we have added that one
3 into our debris generation calculation here, and for
4 Unit Number Two you see a 24 cubic feet number. The
5 reason is our drawings show this to be a metallic
6 reflective insulation, but some of our people who do
7 a lot of walkdown, they think there is some Min-K
8 insulation. So just to be on the conservative side,
9 we have put that in our debris generation calculation.

10 VICE CHAIRMAN BANERJEE: So latent fiber
11 looks like 12 1/2 cubic feet; whereas, latent
12 particulates is one. So you have latent fiber which
13 is roughly 12 times as much as --

14 MR. PETERSON: The ratio -- It's 85
15 percent fiber to 15 percent particulates.

16 CHAIRMAN WALLIS: This is from clothing.
17 Is that what it comes from?

18 MR. PETERSON: Well, the numbers we use,
19 there was several stations that provided samples, I
20 believe, to Los Alamos, and they did a screening.
21 That was the average, and given the margin we have put
22 into our total relative to what we measured.

23 CHAIRMAN WALLIS: Was debris from the
24 fiberglass and stuff like that cleaned up?

25 MR. PETERSON: Yes. We didn't really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterize it. These are weight samples, and we
2 used the characterization that was out there.

3 You know, the one thing that really is
4 interesting on that is, of course, people had normal
5 housekeeping, but no awareness of GSI 191 for all
6 years of operation. Well, now they do. They are
7 going to be cognizant of that, and this is -- We went
8 in there and did these walkdowns.

9 You know, it was what was out there after
10 all these years, and it really was not much at a plant
11 like Salem, and we have sufficient margin, we feel,
12 using this 200 pounds.

13 Okay. So after the values are generated,
14 the next portion is the debris transport. We are in
15 agreement with the NEI 04-07 document and the
16 associated SER guidance.

17 We made limited use of CFD, and we will go
18 into what that is. I see color photos open. We used
19 FLUENT 6.1.22. And if you look at this photo, what
20 you will see is the inside of the containment -- next
21 slide -- looks like it's missing.

22 Well, it is in the CFD analysis. When we
23 are at this minimum flood level of 2 feet, 10 inches,
24 the inside -- this inside annular area is an elevated
25 portion of the containment. So the openings we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussing down by the accumulators, you actually have
2 to go downstairs.

3 So early when you go into recirc, there
4 really is no water except the sheeting action inside
5 the annulus. So even though we have a very large
6 containment, the water is all concentrated out in that
7 outside annulus, and we have relatively high
8 velocities.

9 VICE CHAIRMAN BANERJEE: Why is the lower
10 velocity around the upper left?

11 MR. PETERSON: The door -- Yes, in the 10
12 o'clock position. That door is -- We did not modify
13 that door, and there is an extremely strong potential
14 that door will block.

15 VICE CHAIRMAN BANERJEE: You blocked it in
16 your calculations?

17 MR. PETERSON: We blocked it analytically,
18 because we believe that would be the first door, and
19 it would block. For this simulation, all we were
20 really trying to do was, by maximizing the flow-out of
21 the other three doors, you will see the one adjacent
22 to that at like four o'clock has some relatively low
23 velocity region. That's all we are really trying to
24 credit here, is some minor settling in that area, and
25 it really was not that successful, because of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relatively high velocities.

2 VICE CHAIRMAN BANERJEE: But you have some
3 velocities which look like zero. Right?

4 MR. PETERSON: Yes. There is a dead spot
5 between the two doorways, between the one at two
6 o'clock and four o'clock there or whatever. There is
7 a dead spot, and that would be expected, because the
8 screen -- It's which unit we are showing. The screen
9 is in the upper -- in the lefthand side.

10 CHAIRMAN WALLIS: The strainer is all up
11 in the top to the northwest or whatever.

12 MR. PETERSON: Right. Maybe we'll start
13 using directions.

14 CHAIRMAN WALLIS: There is nothing down in
15 the bottom at all?

16 MR. PETERSON: Correct. So the flow comes
17 out and finds its way to the screen and really leaves
18 that dead area.

19 VICE CHAIRMAN BANERJEE: But the debris
20 never gets there.

21 MR. PETERSON: Correct. You are correct.
22 The debris is generated predominantly inside the
23 annulus. It is pushed down these doors.

24 VICE CHAIRMAN BANERJEE: And you take no
25 credit for debris settling, which was my issue with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CFD, that it is not sufficiently --

2 MR. PETERSON: Because of the nature --
3 Well, for some other stations that has been done, but
4 for this, given the elevated --

5 VICE CHAIRMAN BANERJEE: You are not going
6 to present any of those to us.

7 MR. PETERSON: No. This is my only --

8 CHAIRMAN WALLIS: But one might suppose
9 that quite a bit of the RMI doesn't make it to the
10 strainer.

11 MR. PETERSON: Yes. RMI, yes, and that's
12 also part of this trash rack concept, to keep it away
13 from the bottom of the screen.

14 VICE CHAIRMAN BANERJEE: That may tumble
15 around that portion.

16 MR. PETERSON: But the RMI is really not
17 a head loss constituent to worry about. It's these
18 other items.

19 VICE CHAIRMAN BANERJEE: As far as the
20 other stuff is concerned, you don't drop it out
21 anyway.

22 MR. PETERSON: No.

23 VICE CHAIRMAN BANERJEE: The rest of it is
24 almost irrelevant then.

25 MR. PETERSON: Well, we --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: What is relevant
2 about this?

3 MR. PETERSON: Okay. Well, if you will
4 notice, it says preliminary. This does not have the
5 trash rack in. There's another run that is in process
6 to quantify velocities at the trash rack, and I will
7 get to -- in a few slides down, I will get to why we
8 are doing that.

9 VICE CHAIRMAN BANERJEE: There's a problem
10 with these calculations, if I might just make a
11 general remark, is that these flows are being driven
12 by differences in level.

13 MR. PETERSON: Yes.

14 VICE CHAIRMAN BANERJEE: And these types
15 of computer quotes do very badly when it comes to
16 calculation of the free surface area. So for example,
17 they have no free surface module in those. But what
18 happens is that every time it goes past an obstacle,
19 as you know, things have to go up and down.

20 So inherently, these are extremely
21 inaccurate calculations. You may do this for fun, but
22 they have --

23 MR. PETERSON: There is information, but
24 I guess I wouldn't characterize it as "for fun."
25 There was information that is used, and I will show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you where it was used as we go forward here.

2 VICE CHAIRMAN BANERJEE: So if you go past
3 a bridge, for example, the surface changes, you now.

4 MR. PETERSON: Right. And this is --

5 CHAIRMAN WALLIS: Well, if you get
6 shooting flow, then you get all kinds of stuff.

7 MR. PETERSON: This is even -- you know,
8 as far as the grid, the floor has a relatively steep
9 slope on it also here. You know, that is why there is
10 not even a straight shot across the floor here.

11 VICE CHAIRMAN BANERJEE: The floor is not
12 flat.

13 MR. PETERSON: Sloped in the annulus also.

14 CHAIRMAN WALLIS: Which way is it sloped?

15 MR. PETERSON: I should have known that.

16 CHAIRMAN WALLIS: Slopes outwards or
17 something?

18 MR. PETERSON: Toward the sump. So that
19 was part of our concern.

20 CHAIRMAN WALLIS: Slopes toward the sump?

21 MR. PETERSON: Toward the original sump.
22 So that was part of the concern on making sure the
23 outermost screen is still submerged.

24 VICE CHAIRMAN BANERJEE: So your concern
25 was to make sure the screen remained submerged?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: Right. You want to make
2 the screen as tall as possible to minimize the real
3 estate, but you have to also cope with that. I mean,
4 it's just another design consideration.

5 CHAIRMAN WALLIS: Well, if these
6 velocities are like this, the velocities to the old
7 sump could have been fairly high, seems to me.

8 MR. PETERSON: Yes.

9 VICE CHAIRMAN BANERJEE: In fact, one of
10 the things that might be of concern here is that, if
11 these calculations are indicative of something, that
12 the debris comes primarily with the flow. So it would
13 reach some part of these strainers, whereas the other
14 part of the strainers would be relatively inactive,
15 because the velocities --

16 CHAIRMAN WALLIS: Until the first ones get
17 caught.

18 VICE CHAIRMAN BANERJEE: Until they get
19 caught. But that is a different calculation. Right?
20 That would be slowly changing in that some part of it
21 would get clogged, and then the flow would be direct.

22 MR. PETERSON: The fun you just mentioned
23 just went up exponentially if you started running all
24 those cases.

25 VICE CHAIRMAN BANERJEE: And, certainly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you wouldn't want to do it with this code.

2 MR. PETERSON: I know. Yes.

3 VICE CHAIRMAN BANERJEE: You would
4 probably do it with something that handled the free
5 surface.

6 MR. PETERSON: Yes. Okay, next slide.

7 So this is also something a little unique
8 to the Salem station. I mentioned that the fiber has
9 a size distribution of small, large, and intact. So
10 the concern was, if I trap pieces of these bigger
11 pieces of fiber, do they erode?

12 The original SEI guidance had a 90 percent
13 erosion factor. So remember when I was talking about
14 these zones of influence. It's sort of -- It really
15 penalized you. You had these very, very large zones,
16 and then you hit yourself with this large erosion
17 factor.

18 We thought there was some big benefit to
19 go after there in parallel with the testing that was
20 going on. So we did some plant specific testing. We
21 developed pieces of Nukon and Kaowool in the size
22 distribution.

23 I know early on there was concerns, do you
24 bake these things? We baked them for six hours at 600
25 degrees, and we used the velocities in the CFD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis to get us a flavor of the velocities we would
2 expect in the containment, so we could look at these
3 erosion parameters. Next slide, please.

4 VICE CHAIRMAN BANERJEE: Let me ask you
5 one question.

6 MR. PETERSON: Sure.

7 VICE CHAIRMAN BANERJEE: The reason you
8 went down to 7D or 8D or whatever you did was because
9 you had stainless steel coating on your Nukon. Right?

10 MR. PETERSON: Stainless steel jacketing.

11 VICE CHAIRMAN BANERJEE: Jacketing.
12 That's what I mean.

13 MR. PETERSON: Yes.

14 VICE CHAIRMAN BANERJEE: So that was
15 protecting.

16 MR. PETERSON: Yes.

17 VICE CHAIRMAN BANERJEE: Otherwise, you
18 would do 18D or 17D, whatever that is.

19 MR. PETERSON: Yes. We matched with the
20 testing that was going on, and we did both of these
21 again. Both of these activities in parallel, some way
22 to reduce the Nukon load. You've heard, and I think
23 you are well aware, that these fiber loads are one of
24 the bigger problems. So these are two parallel paths,
25 and it turns out we plan to use both of them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this slide shows the test facility.

2 CHAIRMAN WALLIS: What is being eroded
3 here?

4 MR. PETERSON: It's samples of Nukon and
5 Kaowool. The next slide after this I will --

6 CHAIRMAN WALLIS: What do you mean by
7 being eroded then?

8 MR. PETERSON: It's samples -- If you go
9 here, these are baskets that are in the flume. So
10 these are pieces of insulation that were dislodged due
11 to line break. They are no the fines. So they are
12 not going to move along right away, and they are going
13 to tumble and move along the floor.

14 They may get caught up --

15 CHAIRMAN WALLIS: By erosion, you mean --

16 MR. PETERSON: Break down to -- they are
17 all fines. Correct.

18 CHAIRMAN WALLIS: I see. Okay.

19 MR. PETERSON: And the original guidance
20 had a 90 percent factor. We felt that was really a
21 burden on us, and we felt some subsequent testing at
22 plant specific flow rates would generate some
23 meaningful answers, and this was that test.

24 VICE CHAIRMAN BANERJEE: But this flume
25 has a fairly uniform velocity. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: Correct.

2 VICE CHAIRMAN BANERJEE: So if you had,
3 say, these chunks of stuff coming out, and flow
4 turned, as it does in your containment if you go back
5 to this picture there, you tend to get accumulations
6 of material sitting on the floor in those sort of --
7 what are obviously vortical regions that there isn't
8 much action going on.

9 So those would move much more slowly, and
10 they would generate a lot of fines probably. That is
11 a function of time. I don't know.

12 It's a difficult calculation to base on
13 just the flume experiments. That's all I'm saying.

14 MR. PETERSON: Well, the original data was
15 some testing at the University of New Mexico. They
16 ran it for a few hours, and figured out an erosion
17 rate and then integrated it for 30 days. That's where
18 the 90 percent came from.

19 We used the CFD. We used the highest
20 velocities we found in the CFD analysis, and we put
21 those in the flume. We thought that more than bounded
22 anything else that would be out there.

23 So these are velocities substantially
24 higher than what would be needed to tumble the
25 insulation, and we thought, well, this was indicative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of a piece of insulation either getting trapped
2 somewhere or, hopefully, getting trapped on our debris
3 interceptor.

4 VICE CHAIRMAN BANERJEE: Depends what is
5 causing the --

6 CHAIRMAN WALLIS: The uniform velocity
7 doesn't really do anything, does it? It just carries
8 it along. But these vortices could do something
9 different altogether. Is this an issue anyway?

10 VICE CHAIRMAN BANERJEE: This is in a
11 basket. I mean, how much of an appeal do you have to
12 make to this erosion to save your skin here?

13 MR. PETERSON: Not that much.

14 VICE CHAIRMAN BANERJEE: So you don't
15 care.

16 MR. PETERSON: Well, I mean, we -- The 90
17 percent is -- and we are using this, but --

18 VICE CHAIRMAN BANERJEE: Can you live with
19 90 percent?

20 MR. PETERSON: Probably not.

21 VICE CHAIRMAN BANERJEE: So what is the
22 amount that you --

23 MR. PETERSON: If I show you -- Well, I'm
24 not going to in this public meeting present the actual
25 results, but we'll show you a few more slides, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then let's get back to it. But we ran these tests,
2 for example, in these baskets, and we experimented
3 with ways to run the tests.

4 We put them on little spikes, and we did
5 some stuff, and we thought the basket was the best
6 idea in that it somewhat tumbled like a dryer, and we
7 ran these 10 days, and the erosion -- after there is
8 an initial kind of puff kind of cleaning process, the
9 erosion term is not very great as a function of time.

10 VICE CHAIRMAN BANERJEE: So what --

11 MR. PETERSON: You've heard 30 days as
12 kind of our goal here and, like I said, we ran these.
13 I have a slide. I forget if it's 10 or 12 days, but
14 we ran these -- 10 days. We ran these quite a long
15 time.

16 CHAIRMAN WALLIS: These things are
17 tumbling around in this cage all the time?

18 MR. PETERSON: A little bit, but at this
19 velocity they don't move that much. They really
20 don't.

21 VICE CHAIRMAN BANERJEE: So how much
22 credit do you get for this reduction in the erosion
23 rate?

24 MR. PETERSON: It was significant.

25 VICE CHAIRMAN BANERJEE: You don't want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say it in a public meeting. You want to close the
2 meeting eventually at the end?

3 CHAIRMAN WALLIS: Well, you claimed it.
4 Did the NRC accept it?

5 MR. PETERSON: It's -- Yes, it's like 20
6 percent rather than 90 percent. It's down to the 20
7 percent.

8 VICE CHAIRMAN BANERJEE: So it's 20
9 percent rather than 90?

10 MR. PETERSON: Yes.

11 CHAIRMAN WALLIS: That's a big difference.

12 MR. PETERSON: Yes.

13 CHAIRMAN WALLIS: Has this just been a
14 claim so far or has it been accepted by the staff?

15 MR. PETERSON: I don't believe the staff
16 has.

17 CHAIRMAN WALLIS: Nothing has been
18 accepted.

19 MR. SCOTT: Mike Scott, NRR. Remember, we
20 have not seen this information.

21 CHAIRMAN WALLIS: Oh, you haven't seen it
22 yet?

23 MR. SCOTT: This particular licensee is
24 fortunate enough to be an audit plant. So we are
25 going to be seeing them in -- what is it? -- October.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Right? So we will have more information for you after
2 that.

3 CHAIRMAN WALLIS: You might have some
4 questions about this tumbling and erosion?

5 MR. SCOTT: Yes.

6 MEMBER ABDEL-KHALIK: But what is the
7 break-up mechanism?

8 MR. PETERSON: The original is the energy
9 from the jet, and now --

10 MEMBER ABDEL-KHALIK: But in this process,
11 what is the break-up mechanism?

12 MR. PETERSON: We are envisioning as
13 insulation that moved down these stairwells and --

14 MEMBER ABDEL-KHALIK: I mean, if you look
15 at that, you know, small particles being generated
16 because of break-up of a large pieces, what is the
17 break-up mechanism that separates these small
18 particles? Is it sheer?

19 MR. PETERSON: I believe it's some basic
20 sheer on the outside, yes.

21 MEMBER ABDEL-KHALIK: So if that is the
22 case, wouldn't that be controlled by velocity
23 gradients rather than velocity?

24 MR. PETERSON: Well, now we are back to
25 the let's try to predict velocity gradients in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pool.

2 CHAIRMAN WALLIS: It isn't controlled by
3 velocity at all. It's by tumbling against solid
4 surfaces that it gets broken. So rattling around in
5 this cage, it's collisions with the cage that break
6 it, isn't it? Aren't the forces much bigger that way?

7 MR. PETERSON: There is this terminology,
8 and I've heard -- You know, I was here. As I heard
9 the discussion earlier today of incipient tumbling
10 velocities.

11 For Nukon, I believe it's .12 foot per
12 second. We are using velocities five times that in
13 this. We feel that the justification is in the
14 substantial increases on the LOCA velocity. Relative
15 to, one, what it would take, the stuff would just move
16 along, and we are envisioning it got stuck somewhere
17 and, therefore, had the opportunity to erode.

18 We are also envisioning it got stuck at
19 the location within the containment that had the
20 largest velocity, and on a volume basis that's an
21 extremely small spot. It's right around those
22 accumulators, and we are eroding them there.

23 We eroded these for a long period of time,
24 and saw a substantial reduction.

25 VICE CHAIRMAN BANERJEE: What happened in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the New Mexico test? You said that --

2 MR. PETERSON: They had a couple of data
3 points. It was in a pool, and they measured -- and
4 this is from memory. It was out a few hours, and they
5 measured the before and after, and got a loss, a
6 material loss, for that time, and then did an
7 extrapolation to 30 days, and that wa s--

8 VICE CHAIRMAN BANERJEE: This was a chunk
9 of some --

10 MR. PETERSON: They were samples that the
11 University of New Mexico had. Right.

12 VICE CHAIRMAN BANERJEE: And they had it
13 in a moving fluid or --

14 MR. PETERSON: It was in a pool.

15 VICE CHAIRMAN BANERJEE: It was just
16 sitting there?

17 MR. PETERSON: No. It was in a moving
18 pool, a recirculation. It was meant to model a
19 recirculation pool.

20 VICE CHAIRMAN BANERJEE: And this was in
21 the Los Alamos report? I don't remember that.

22 MR. PETERSON: No. This was a separate
23 NUREG from the University of New Mexico. I don't have
24 those numbers with me.

25 VICE CHAIRMAN BANERJEE: It wasn't in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those -- It was separate?

2 MR. PETERSON: It was in also in the
3 knowledge base NUREG that was put together. This
4 stuff is all several years old.

5 VICE CHAIRMAN BANERJEE: So, you know,
6 that's fine. I would appreciate the reference to
7 that.

8 MR. PETERSON: Okay.

9 VICE CHAIRMAN BANERJEE: In any case.
10 You were trying to build up a larger
11 database, if you like, experience with this type of
12 phenomena to augment what was there with the New
13 Mexico experiments. Right?

14 MR. PETERSON: Yes.

15 VICE CHAIRMAN BANERJEE: You used -- did
16 you use the same sort of treatment that they used, or
17 different?

18 MR. PETERSON: I really can't speak for
19 how they prepared the samples. Like I said, we baked
20 our samples, indicative of an insulation that was on
21 a hot pipe for 20 years, to provide -- There is well
22 known literature data that there is a breakdown of the
23 binder material on this insulation. That happens at
24 temperature. When it is installed, they do this to
25 off-gas it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNING: This is John Lehning of the
2 NRR staff. What Bob was talking about was, I think,
3 published in around 2002, and it was an integrated
4 debris transport testing. That debris was a little
5 bit different. Like he said, it was in a pool, and
6 they measured quantities of debris. This is just
7 blocks of that fiber, small pieces.

8 So they measured this debris before and
9 after, and then the missing quantity was attributed to
10 erosion. It wasn't controlled cubes of debris in
11 baskets in that case.

12 VICE CHAIRMAN BANERJEE: But they were
13 lying on the bottom?

14 MR. LEHNING: That is correct.

15 VICE CHAIRMAN BANERJEE: And they were
16 exposed to unit directions or more chaotic?

17 MR. LEHNING: It was not unit direction.
18 It was in a pool, and there were different structures
19 in there to model walls of internal compartments of
20 the containment.

21 VICE CHAIRMAN BANERJEE: Yes.

22 MR. LEHNING: And there was turbulence, I
23 believe.

24 VICE CHAIRMAN BANERJEE: Right. Yes. So
25 it would be a little different from this, but I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't know which is closer to your physical
2 situation, but the problem is that, if you look at the
3 geometry of this, it's quite a complicated -- I mean,
4 there are three river-like spots, but there is quite
5 a lot of obstruction of the geometry.

6 CHAIRMAN WALLIS: I think you worry about
7 if it got caught in an eddy and was banging against
8 the wall many, many, many times.

9 VICE CHAIRMAN BANERJEE: There are regions
10 of -- vortec regions.

11 CHAIRMAN WALLIS: Well, you could talk
12 about this forever, seems to me, without ever
13 resolving it. We should move on.

14 MR. PETERSON: Okay, we will.

15 VICE CHAIRMAN BANERJEE: But it is a
16 fairly substantial credit.

17 CHAIRMAN WALLIS: Oh, yes. I think it is
18 a thing to be questioned, but we should move on. We
19 are not going to resolve it here until we do the right
20 test.

21 VICE CHAIRMAN BANERJEE: No.

22 MR. PETERSON: Next slide, please. I
23 guess we did that one already.

24 CHAIRMAN WALLIS: Where are we now?

25 MR. PETERSON: Why don't we get to slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 30. So after the erosion testing, we did some
2 screening tests to design a trash rack/debris
3 interceptor, the device that you saw the photos of,
4 and we added RMI debris into this test matrix.

5 We looked at vertical plates, just with
6 grating. We looked at vertical perf plates, and we
7 will show you what we came up with.

8 This was really meant to start from the
9 test data that was available in the literature, once
10 again from tests at the University of New Mexico, for
11 lift over curbs. So the data was out there that, if
12 you had a jump over a curb, there was a certain debris
13 retention capability, and we wanted to make use of
14 that. Next slide.

15 CHAIRMAN WALLIS: Was the idea that you
16 put this right across the flow passage, and then the
17 fluid has to go over the top when it gets --

18 MR. PETERSON: Yes. This is like the
19 trash rack that was shown in the photos earlier
20 installed. This is roughly nine inches high, a
21 three/four inch overhang there, and it goes around the
22 perimeter of the screen near the floor to keep this
23 debris that is sliding along the floor off the screen.

24 CHAIRMAN WALLIS: It goes on the floor
25 where the strainers are?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: Yes. Yes, we showed you a
2 photo earlier. We could run back.

3 VICE CHAIRMAN BANERJEE: Is it on both
4 sides or just on one side?

5 MR. PETERSON: Just the one and the two
6 ends.

7 VICE CHAIRMAN BANERJEE: Fifteen. Is that
8 right?

9 CHAIRMAN WALLIS: Fifteen?

10 MR. PETERSON: Fifteen or 16, if you go
11 back. Sorry.

12 CHAIRMAN WALLIS: Well, what do I see? I
13 don't see anything there.

14 MR. PETERSON: Right on the floor. You
15 see the pillars? Right behind them there is --

16 CHAIRMAN WALLIS: Oh, that's it. That's
17 it there.

18 MR. PETERSON: Yes, that grating.

19 CHAIRMAN WALLIS: Okay. You talked about
20 it then. This doesn't look quite like this thing.

21 MR. PETERSON: No, it doesn't. This was
22 what was used for the testing. Now we feel that the
23 actual grating offers additional resistance.

24 CHAIRMAN WALLIS: It's like a pre-
25 strainer, really, because the fluid has to -- The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stuff on the floor has to go through there to get to
2 the strainer.

3 MR. PETERSON: Or over it. As it starts
4 clogging up, it's -- It becomes this curb.

5 CHAIRMAN WALLIS: But conceivably, all the
6 RMI will get caught there.

7 MR. PETERSON: If it transported that far.

8 CHAIRMAN WALLIS: If it gets that far?

9 MR. PETERSON: Right. And if it didn't,
10 that's fine, too.

11 CHAIRMAN WALLIS: Okay.

12 MR. PETERSON: Okay.

13 CHAIRMAN WALLIS: Another thing to try to
14 model, though.

15 MR. PETERSON: So Slide 32, just a photo
16 from the test rig. This was a cable test, somewhat as
17 expected, a triangular debris pile. As we put in
18 more, it backs up, and we would determine threshold
19 velocities.

20 CHAIRMAN WALLIS: Do all these things, but
21 then how to quantify it in design is another question.
22 How do you actually predict how much is going to get
23 caught?

24 MR. PETERSON: This is where we made use
25 of the CFD, to work our test data with the CFD here to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand prototypical velocities in the plant and
2 then apply those velocities in the test flow.

3 CHAIRMAN WALLIS: Okay.

4 MR. PETERSON: Next slide, 33. Thanks,
5 John. So this is the debris load for both units, and
6 we have repeated the generated numbers that I showed
7 you earlier, and by "transport it," we mean transports
8 to the strainer. You see, for example, on the Nukon,
9 oh, roughly a 50 percent reduction.

10 VICE CHAIRMAN BANERJEE: The Transco RMI
11 is -- because you are saying some will remain on the
12 floor somewhere.

13 MR. PETERSON: Correct. The fines are
14 what are moving along.

15 VICE CHAIRMAN BANERJEE: So but then you
16 look at the Nukon. You've got half the Nukon coming
17 out, and quite a bit of the Kaowool. Right?

18 MR. PETERSON: Correct.

19 VICE CHAIRMAN BANERJEE: What is the
20 rationale for that?

21 MR. PETERSON: It is moving up in a
22 simplistic way. It moves up to the debris -- the
23 trash rack and is exposed to an erosive term there
24 that, after 30 days, was indicative of these values.

25 VICE CHAIRMAN BANERJEE: So this is like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the tumbling that you were talking about?

2 MR. PETERSON: This is -- The output from
3 that was used to justify this. Correct.

4 CHAIRMAN WALLIS: Okay.

5 MR. PETERSON: Other items that we didn't
6 test: You will see basically no reduction, things
7 like Min-K at the smaller numbers. We just carried
8 them through.

9 VICE CHAIRMAN BANERJEE: Why is there a
10 difference between U1 and U2? Maybe there isn't, but
11 if I look at the Kaowool there, U1 it is 128,
12 generated 37, transported; whereas, U2 it is 116 and
13 76.

14 CHAIRMAN WALLIS: It is more easily
15 transported, for some reason.

16 MR. PETERSON: It has to do with its
17 location.

18 VICE CHAIRMAN BANERJEE: Oh, I see.

19 MR. PETERSON: Some of these atypical
20 insulations are not necessarily mirror images.

21 CHAIRMAN WALLIS: All right.

22 MR. PETERSON: Next one. So the last
23 analysis was the chemical effects analysis. Now this
24 uses the WCAP-16530 that Westinghouse had presented in
25 the morning. So this is the execution of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spreadsheet.

2 At this time, the later discussion
3 regarding possible inhibition, we have not credited.
4 So this is the base value, if you would, out of the
5 WCAP. Next slide.

6 As Kiran mentioned, sodium hydroxide
7 buffer, approximately 48 minutes of spray duration,
8 relatively high; spray pH, followed with onset of
9 recirculation for 30 days.

10 The maximum sump pH long term is 8.4. We
11 did do sensitivities regarding the pH. We used
12 maximum sump temperature profile to maximize any of
13 the corrosive effects.

14 CHAIRMAN WALLIS: So you have a prediction
15 somewhere of the amount of aluminum calcium and
16 silica?

17 MR. PETERSON: Yes.

18 CHAIRMAN WALLIS: We are going to get to
19 that?

20 MR. PETERSON: Yes. This slide. One
21 thing you will hear about later when we do the
22 chemical testing, the value of that we analytically
23 predict -- we will call that the 100 percent value.
24 Because of some of the uncertainties in the ongoing
25 REIs and discussion, we have actually put a margin on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there, and we are using what we are calling 140
2 percent of our analytical value when we do our
3 chemistry tests.

4 This has, in addition, all the
5 conservatives, and we have heard in the Westinghouse
6 discussion. The big thing is this is the three-day
7 integrated chemical load.

8 VICE CHAIRMAN BANERJEE: So this is based
9 on the correlations?

10 MR. PETERSON: Yes, that you discussed
11 earlier today. Correct. And at this point, we are
12 assuming all the precipitates happen, time zero
13 dropout, and they are all available as a debris load.

14 The values for this station, sodium
15 silicate, 571 kilograms, and the aluminum
16 oxyhydroxide, 17 kilograms.

17 VICE CHAIRMAN BANERJEE: So you are
18 assuming the precipitate is out?

19 MR. PETERSON: Yes.

20 VICE CHAIRMAN BANERJEE: Before it arrives
21 at the screens?

22 MR. PETERSON: It is the precipitant that
23 is available as a debris load in front of the screen.

24 CHAIRMAN WALLIS: On the screen?

25 MR. PETERSON: It is in front of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 screen.

2 CHAIRMAN WALLIS: Precipitate means it's
3 on the screen. It's a confusing term.

4 MR. PETERSON: Well, I want to call it --
5 It's in front of the screen.

6 CHAIRMAN WALLIS: In front of the screen?

7 MR. PETERSON: Well, we don't pack it on
8 the screen. We put in a test loop in front of the
9 screen, just like any other debris. You dump it in as
10 close to the screen as you can, and Dr. Blumer will
11 get into all those details.

12 MEMBER ABDEL-KHALIK: Just for my own
13 information, you update this calculation over the 30-
14 day period?

15 MR. PETERSON: It's an integrated value
16 over the 30-day period.

17 MEMBER ABDEL-KHALIK: So you don't march
18 in time, taking into account time variations of both
19 pH and temperature. How do you do that?

20 MR. PETERSON: Yes, we do. The
21 spreadsheet allows -- that is one of the inputs, is a
22 pH transient and a temperature transient, and then the
23 debris load. You put that in, and you determine the
24 amount of precipitants after 30 days. But as the
25 people from Westinghouse pointed out, the ability is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in there. You could stop it at five days. You could
2 stop it and capture the answer at anytime, and
3 depending on the results of the test, we had those
4 plans. We just so far haven't needed to do those.

5 MEMBER ABDEL-KHALIK: So typically, how
6 does the pH change with time over a 30-day period?

7 MR. PETERSON: We are using limiting
8 values. For example, we know, depending on the debris
9 load is a higher or lower pH conservative, and we have
10 run studies to determine that.

11 So, for example, your calculation -- Your
12 analytical value, your analysis for long term pH, may
13 be a pH between 7 and 8 1/2, as an example. You would
14 make runs at 7. You would make runs at 8 1/2, and you
15 would understand the sensitivity.

16 In a plant like Salem that has a lot of
17 different sources, that was the best way to go. If
18 you had just limited sources, you could look at the
19 available data and determine should you bias the pH
20 high or low, as an example.

21 MEMBER ABDEL-KHALIK: Thank you.

22 VICE CHAIRMAN BANERJEE: Now the last
23 bullet you have, which is -- I want to get back to
24 that -- primary precipitates in the post-LOCA sump
25 pool, 371 kilograms of whatever at 17 kilograms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 oxyhydroxide.

2 This is coming out of the calculation you
3 just talked about?

4 MR. PETERSON: Yes. This is the results
5 of that calculation. It is the execution of the WCAP
6 16530.

7 VICE CHAIRMAN BANERJEE: Okay. And these
8 precipitates are then somehow ratioed and put
9 appropriately into the experiments that you will be
10 talking about, but this is the total for your --

11 MR. PETERSON: For this plant, and if you
12 think of it -- I had those debris tables earlier that
13 we were trying to determine how many truckloads. This
14 is another debris. Those were all given in cubic
15 feet. These are in kilograms. They are scaling
16 factors that are applied to go to the head loss
17 testing.

18 VICE CHAIRMAN BANERJEE: And these are at
19 whatever temperature and pH?

20 MR. PETERSON: These are long term, and
21 typically we bring the temperature down, back down
22 probably lower than the LOCA started, to get
23 everything back out, everything that has dissolved as
24 precipitate.

25 VICE CHAIRMAN BANERJEE: So how do you go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from these numbers to the numbers that you then
2 deliver for the experiments? How do you scale it
3 down?

4 MR. PETERSON: Dr. Blumer can get into all
5 that, but it is a scaling based on the screen area.
6 So if you have 5,000 square feet of screen and you are
7 going to test 50, you apply that scaling factor.

8 VICE CHAIRMAN BANERJEE: But now one of
9 the real problems I see is that even your CFD
10 analysis, for what it's worth, shows that there are
11 only certain parts of the screen that actually see any
12 velocity. Otherwise -- So that what is being
13 delivered is being delivered to a fairly small part of
14 the screen.

15 In fact, that is one of the points that I
16 was saying earlier, that it is very hard to do a
17 representative experiment if you don't have really
18 reliable CFD. Unfortunately, the CFD is much less
19 than reliable, because of what you are doing.

20 So what you end up with is -- If you look
21 at this diagram here, let's assume for the moment that
22 it is correct. So we do with that favor. But --
23 wherever that is. Yes, here. Much of the stuff is
24 being delivered to the screen in those discolored
25 tongues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If you look at the areas, the rest of it
2 is quiescent. Nothing is happening.

3 MR. PETERSON: Well, no, there's velocity
4 through all those areas. It's just, due to the
5 height, it is a relatively low velocity. On the
6 lefthand side, you are passing an elevator, and there
7 is a small area there, so a lot higher velocity. And
8 then up on the other you will see -- The three white
9 lines you see are the pedestals for the pressurizer
10 relief tank. Once again, it occupies area, and you
11 have a higher velocity through there.

12 These are also velocities right on the
13 floor.

14 VICE CHAIRMAN BANERJEE: Well, without
15 going into detail, the white sort of arcs are where
16 the strainers are. Right?

17 MR. PETERSON: Yes.

18 VICE CHAIRMAN BANERJEE: Okay.

19 MR. PETERSON: Or walls or other devices.

20 VICE CHAIRMAN BANERJEE: Yes, but at
21 least--

22 CHAIRMAN WALLIS: Some is coming in from
23 the wall sides.

24 MR. PETERSON: Yes.

25 CHAIRMAN WALLIS: Some of the stuff is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coming in from the back side over here.

2 VICE CHAIRMAN BANERJEE: Right, right.
3 But what I'm saying is that it is only where the
4 velocities are significant -- let's say 0.09 or
5 something -- because most of it is just blue, and I
6 can't tell the difference between blue and --

7 MR. PETERSON: Blue and blue?

8 VICE CHAIRMAN BANERJEE: -- blue and blue.

9 MR. PETERSON: Right.

10 VICE CHAIRMAN BANERJEE: So it's hard for
11 me to tell, but I'm assuming that most of the stuff
12 which is being delivered are in these plumes which are
13 light blue. Okay? Or green or yellow.

14 So now the strainer on the left at the ten
15 o'clock position has reasonable coverage, let's say.
16 Even on the back there is some delivery, and certainly
17 about half of it is getting delivery in the front, but
18 the strainer on the right is not getting all that much
19 debris.

20 That was the point I was making early this
21 morning when I said that it is very hard to do a test
22 in representative conditions, because it's an
23 iterative process. You can't really test the scale
24 model of this unless you --

25 CHAIRMAN WALLIS: Well, let's say it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another way. Every strainer, every piece of strainer
2 has different conditions. As you go around the arc,
3 you get one which has a lot of stuff, some which may
4 have no stuff, and some in between.

5 MR. PETERSON: Or another way to think of
6 it is, as I block a portion of the strainer, the
7 debris is going to move on to the next one, and it is
8 going to balance itself out, which is --

9 CHAIRMAN WALLIS: Are you going to model
10 all of that?

11 MR. PETERSON: The testing does, and we'll
12 get to that.

13 CHAIRMAN WALLIS: Let's see if it does.
14 Are you sure it does?

15 MR. LU: Dr. Banerjee, maybe I can add
16 something here, from NRR staff.

17 I think that is related to most of the
18 other strainer testing, so not even in particular a
19 Salem test. Then as he indicated, that if you have
20 average assume all the debris, it is going to approach
21 all the surfaces uniformly. That's the conservative
22 assumption for the helos testing, because if you have
23 -- just as you pointed out, that a lot of debris will
24 end up on a significant portion of the strainer
25 preferentially only, and then the rest of the strainer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may be just clean. If you have clean strainer
2 surface, it will be very small.

3 So that's the principle, and that's one of
4 the fundamental assumptions for the prototypical helos
5 testing is to perform the areas of scaling, and then
6 that's the -- You know, that's the assumptions that
7 are used by most of the strainer vendors there, too.

8 VICE CHAIRMAN BANERJEE: Yes, and it may
9 be a good assumption, but there are, unfortunately,
10 another aspect of this that might occur. Imagine now
11 that you have debris of different sizes. Extremely
12 fine debris will be carried even with the very low
13 velocities through the areas which are open.

14 The other debris will go and block the
15 regions which are associated with the higher
16 velocities --

17 MR. LU: That's right.

18 VICE CHAIRMAN BANERJEE: -- because you
19 know, basically, there is going to be a size
20 separation system going on. So what you may find is
21 that you get these areas blocked off, some fine and
22 some --

23 MR. LU: That's right.

24 VICE CHAIRMAN BANERJEE: And the fine
25 debris all goes through the other part.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LU: Well, if you have a preferential
2 debris transported to certain portions of the
3 strainer, that portion of the strainer will take the
4 debris load first. Right?

5 VICE CHAIRMAN BANERJEE: Right.

6 MR. LU: So you have a significant
7 accumulation of the debris on that portion, and then
8 the rest of the strainer surface will take much less,
9 no matter whether it's a fine or large chunk of the
10 debris.

11 VICE CHAIRMAN BANERJEE: Right. So the
12 way to do an experiment here that would be interesting
13 would be to see if there is an entrainment effect of
14 the fines, even at low velocities, through the open
15 screen areas which are not being blocked by the coarse
16 material.

17 So, you know, if you have one fine and one
18 -- Let's say you have one relatively blocked area
19 because of high velocity, one relatively open area
20 because it has low velocity. The thick stuff only
21 gets through this relatively high velocity area.

22 MR. LU: Okay.

23 VICE CHAIRMAN BANERJEE: The thin stuff is
24 like a fluid tracer everywhere. Okay? So it goes
25 everywhere.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Falls off in the core.

2 MR. LU: So if you look at the assumption
3 then, the assumption is the uniformly distributed.
4 For the fines it is also assumed it is uniformly
5 distributed, and in that case they may have already
6 taken into account this effect already.

7 CHAIRMAN WALLIS: We have to know what the
8 vendor and what the utility proposes as a method.
9 Otherwise, you can speculate forever about it.

10 MR. LU: That's right.

11 CHAIRMAN WALLIS: And I don't think we
12 want to do that.

13 MR. PETERSON: In the next section, I will
14 go into all the testing. You know, I seem to have
15 gotten prematurely into the testing mode, and we
16 should let Dr. Blumer do that.

17 CHAIRMAN WALLIS: We'll get to that.

18 MR. PETERSON: Yes.

19 CHAIRMAN WALLIS: And someday this closure
20 arm which is going to be proprietary, because you are
21 not going to tell us today all the sort of details of
22 the numbers and how you actually moved the numbers.

23 MR. PETERSON: The numbers would be a
24 stack of paper about this big.

25 CHAIRMAN WALLIS: You aren't going to tell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us that today.

2 MR. PETERSON: Yes, there will be.

3 CHAIRMAN WALLIS: You are?

4 MR. PETERSON: Yes.

5 CHAIRMAN WALLIS: Okay.

6 MR. PETERSON: It's in the next section.

7 CHAIRMAN WALLIS: Well, let's get to it
8 then.

9 MR. PETERSON: Okay.

10 MEMBER ABDEL-KHALIK: Can I just ask a
11 question? To get that 371 kilogram and the 17
12 kilogram number, you presumably figured out the total
13 surface area of aluminum components.

14 MR. PETERSON: Yes.

15 MEMBER ABDEL-KHALIK: And if you have done
16 that, that means you know the total mass of these
17 components. What does this 371 and 17 kilogram
18 represent in terms of percentage? Is it a hundredth
19 of a percent?

20 MR. PETERSON: I heard your question this
21 morning, and I regrettably -- I had that slide in
22 here. I deleted it. So I don't have that with me.
23 I can provide that to you.

24 MEMBER ABDEL-KHALIK: All right.

25 CHAIRMAN WALLIS: But it's a small

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent?

2 MR. PETERSON: It's a small percentage,
3 yes.

4 CHAIRMAN WALLIS: The ladder doesn't
5 disappear. The ladder still is a recognizable ladder.

6 MR. PETERSON: Yes. You have taken a
7 little film off of it.

8 CHAIRMAN WALLIS: Okay.

9 MR. PETERSON: But, yes, I do not have
10 that with me.

11 MEMBER ABDEL-KHALIK: But I think it would
12 be a good idea to know the order of magnitude of what
13 we are talking about.

14 MR. PETERSON: That concludes my portion.
15 So Dr. Blumer will talk about testing.

16 DR. BLUMER: Okay. On the next slide you
17 see the scope of my presentation. I will talk a
18 little bit about the design and the considerations of
19 the layout, about the testing, and then about the
20 overall calculation methodology and also the results
21 that we've got so far, mainly for Unit One.

22 On the next slide, you see a typical
23 layout. This is for Unit One. You see that we have
24 a number of standard modules, and in between there
25 where the "m" of modules is there, you have a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit longer module, which is the 15 pocket long module.
2 The others have 10 pockets in the flow direction.

3 This train of modules comes to a Z-shape
4 duct at the end. We had to implement a Z-shaped duct
5 because of constraints with the geometry of the sump.
6 Then we come into the suction box where the two pipes
7 of the RHR are taking suction.

8 CHAIRMAN WALLIS: Can I ask about the
9 material that gets to the back side of the strainers
10 near the wall, the outside wall.

11 DR. BLUMER: Well, that's the next thing
12 I will -

13 CHAIRMAN WALLIS: Presumably, in some
14 accidents it has to come around the ends. There isn't
15 enough water on top of the strain.

16 DR. BLUMER: That is the beauty of the
17 arrangement exactly, because the water has to flow
18 over the strainers to get to the other side, because
19 there is too much constriction on both ends for the
20 water to go through.

21 CHAIRMAN WALLIS: But there are some
22 accidents where you don't have that much water.

23 DR. BLUMER: Yes, we do have three inches
24 as a minimum.

25 CHAIRMAN WALLIS: Over the top of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strainer always?

2 DR. BLUMER: On top of the strainer.

3 CHAIRMAN WALLIS: For a large break LOCA,
4 but not for all LOCAs.

5 MR. MATHUR: No, but for small break LOCA,
6 you do not go into recirculation more --

7 CHAIRMAN WALLIS: Well, there must be some
8 intermediate break where there is water on the floor,
9 but it doesn't cover the strainers.

10 MR. MATHUR: We calculated 80 feet 10
11 inches to be the minimum flood level.

12 CHAIRMAN WALLIS: That doesn't always
13 happen, does it?

14 MR. MATHUR: I don't know what kind of
15 LOCA we are talking about.

16 CHAIRMAN WALLIS: Well, in the small break
17 LOCA there is no water there. IN the large break LOCA
18 there is a lot of water. There must be some
19 intermediate size where there is an intermediate
20 amount of water.

21 MR. GASPER: Joe Gasper, Omaha Public
22 Power. In order to go to recirculation, you empty the
23 entire --

24 CHAIRMAN WALLIS: That's right.

25 MR. GASPER: -- tank.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Therefore, it has to be.
2 Okay. Just conservation of water.

3 MR. MATHUR: Yes. You do not turn over
4 until you have --

5 CHAIRMAN WALLIS: You wouldn't pump -- You
6 wouldn't start pumping unless you had that much water.

7 MR. MATHUR: That's exactly right.

8 CHAIRMAN WALLIS: That's obvious. Okay.
9 Thank you. That's very clear.

10 DR. BLUMER: So if we look at these
11 pictures, also the next slide which is almost a mirror
12 image, the next slide has for Unit Two just a
13 connection duct, due to this obstacle that we have
14 there, and this just connects to standard modules.

15 CHAIRMAN WALLIS: Now the velocity in the
16 connection duct is presumably quite high?

17 DR. BLUMER: No. It has been designed to
18 have a reasonable head loss. We calculated the head
19 loss, and it was in reasonable limits.

20 CHAIRMAN WALLIS: A few feet a second or
21 something?

22 DR. BLUMER: It's got the same width like
23 the standard models inside, more or less. I'll show
24 you the standard module picture afterwards.

25 I just want to show you still with this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 layout here what we do for testing. We take a slice
2 of this, and we assume that we can test only with one
3 side of the strainer. So flow to one side. This
4 means that for the other side we are very
5 conservative.

6 For the wall side, the water actually has
7 to flow over the strainer, and the strainer itself
8 acts as a big curb or a big trash rack, preventing the
9 debris to also go over the obstacle of the --

10 CHAIRMAN WALLIS: Unless it's fine, unless
11 it is very fine.

12 DR. BLUMER: So we did testing for another
13 U.S. unit about exactly this arrangement where we have
14 one side against the wall, and we had strainers, test
15 strainers, with both sides, and we saw a significant
16 reduction of head loss. So this shows that we have a
17 very conservative test arrangement.

18 CHAIRMAN WALLIS: Very low head loss, but
19 perhaps more bypass of fine material.

20 MR. MATHUR: Which is exactly what I was
21 saying.

22 DR. BLUMER: But I understood that we have
23 quite a margin in downstream effects here of fibers.

24 MEMBER ABDEL-KHALIK: What is the scale on
25 this picture? What is the space between the back of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the strainer and the wall?

2 MR. MATHUR: I don't remember. I should
3 know that.

4 CHAIRMAN WALLIS: It's a couple of feet or
5 something, typically, like that?

6 DR. BLUMER: It's about -- The width of
7 the strainer modules is about four feet, roughly.

8 MEMBER ABDEL-KHALIK: This is a fairly
9 substantial gap, like two feet.

10 DR. BLUMER: Yes, sure. The modules are
11 about four feet, I think, and this gap is about two
12 feet or something like that.

13 CHAIRMAN WALLIS: In figure 41, it
14 actually looks less. I don't know how to scale that
15 is, though.

16 MR. PETERSON: You've got to get around
17 the columns you will see on like Figure 39.

18 DR. BLUMER: Let's go to Figure 40 now.
19 There you see a module. This is the standard module
20 with 140 pockets, 70 pockets on each side. You see
21 that the cover on top is all unperforated. We have
22 not done that like this for all the U.S. utilities.
23 When we have a lot of water coverage, more than a foot
24 or two feet, then we have usually also perforated area
25 on top.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Like this, we prevent any air vortexes,
2 and we have done testing to show that air vortexes in
3 these conditions do not occur.

4 VICE CHAIRMAN BANERJEE: Now in the
5 pockets that you are showing, are you going to show us
6 this in more detail, each of these, what these pockets
7 look like?

8 DR. BLUMER: I have a slide later on which
9 shows a pocket, yes.

10 What you also see on this slide is the
11 fixation to the floor. We have bolts that are
12 adjustable, and with these little bolts that you have
13 beside them, you can adjust to the floor, to the floor
14 level, because it is not perfectly even, the floor;
15 and we can also locate the location of rebars. The
16 rebars can be detected, and then we can choose the
17 location with this turning plate that you have there
18 that we can not hit the rebars in the concrete.

19 Of course, you have these feet on both
20 sides of the module. They are only shown on one side
21 here. In the middle we have the central duct for the
22 water, and we do calculation of this head loss in the
23 central duct as well. I'll talk about this later on.

24 In the next slide, we see the last module
25 in the flow direction and the Z-shaped duct, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the suction box.

2 MEMBER ABDEL-KHALIK: What happens if this
3 Z-shaped duct were to fail?

4 DR. BLUMER: Due to what reason?

5 MEMBER ABDEL-KHALIK: Is it seismically
6 qualified?

7 DR. BLUMER: Oh, sure. Yes. Well, we
8 have taken out all the slides about the structural
9 qualification, because we wanted to reduce the total
10 number of slides. But we have loads of differential
11 pressure, the maximum that you can expect, and then
12 seismic loads, OBE and SSE, and we have qualified
13 this, including some loads of the water acting on the
14 structures, not only the structures' weight itself but
15 also the interference fluid structure interaction and
16 so on. So we have qualified this.

17 MEMBER ABDEL-KHALIK: Thank you.

18 DR. BLUMER: The next slide shows you an
19 optimization that we did especially to have acceptable
20 head losses and to gain margin for the overall head
21 loss. We put in veins that you see in the kinks of
22 this Z-shaped box, and you also see a defuser to the
23 left of it. This defuser allows us to regain some of
24 the dynamic water head, and as we go into the box
25 there is another -- a beam that goes across.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We made the whole CFD calculation to see
2 what the head loss would be with and without these
3 veins in the defuser. So we have chosen for Unit One
4 to implement these already in the last outage, and I
5 will show you the CFD calculations that we have used.

6 CHAIRMAN WALLIS: There is no screen in
7 the box? The box is just a box with a whole in the
8 bottom to go into the pump? In the corners of the box
9 you could get debris accumulating past the bypass
10 debris.

11 DR. BLUMER: I'm not sure I understand
12 your question.

13 CHAIRMAN WALLIS: It's a two-phase mixture
14 in the box. There's the water and there is the fine
15 particles that came through the screen, and the
16 velocity isn't very high in the box, is it?

17 VICE CHAIRMAN BANERJEE: The velocity is
18 fairly high.

19 CHAIRMAN WALLIS: So you think everything
20 is perhaps stirred up enough?

21 VICE CHAIRMAN BANERJEE: Yes. I don't
22 know if it will be -- There could be dead regions.

23 CHAIRMAN WALLIS: That's right. So there
24 may be piles in the corners. Okay.

25 VICE CHAIRMAN BANERJEE: Growing piles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: The cross-section is
2 the bottom?

3 DR. BLUMER: We'll have to scale it. I
4 don't have the numbers and the drawings with me.

5 MEMBER ABDEL-KHALIK: I mean, roughly.
6 Are we talking about five foot square?

7 CHAIRMAN WALLIS: More than that.

8 DR. BLUMER: It's about eight feet long
9 and maybe four feet wide.

10 CHAIRMAN WALLIS: Looks like a pick-up
11 truck bed or something.

12 MEMBER ABDEL-KHALIK: The cross-section is
13 about 30 square feet?

14 DR. BLUMER: Well, I mentioned also that
15 the fluid velocities are very low in there, and we can
16 see that from the CFD calculation, which I will show
17 you just now.

18 MEMBER ABDEL-KHALIK: This is just a way
19 to geometrically connect one side to the other,
20 because you have to avoid some obstacles?

21 MR. PETERSON: This is the original hole,
22 the original sump, and now we have this box to connect
23 to it and to seal it up. It's a box on top of a sump.

24 VICE CHAIRMAN BANERJEE: That's why they
25 have this weird V-shaped --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: To connect to it.
2 Okay.

3 MR. PETERSON: And then out of the sump
4 are the pipes that go out to the pumps.

5 VICE CHAIRMAN BANERJEE: And you are
6 trying to lose as little head as possible.

7 DR. BLUMER: Right. Yes. So Slide 42
8 shows you the goals, as I said already, that we wanted
9 to optimize the load.

10 CHAIRMAN WALLIS: Is there any air in this
11 box?

12 DR. BLUMER: No. It is --

13 CHAIRMAN WALLIS: Free surface on top,
14 isn't it?

15 VICE CHAIRMAN BANERJEE: What happens if
16 it is not completely full?

17 CHAIRMAN WALLIS: Is it full of water, or
18 what is it? Is there air on top of the water in the
19 box?

20 DR. BLUMER: The air would go out.

21 MR. PETERSON: It is submerged.

22 DR. BLUMER: It is submerged, yes.

23 CHAIRMAN WALLIS: Are you sure? Well, is
24 it full of air when you start this? Where does the
25 air go that is in the strainer to start with? The Z-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shaped duct comes down. I would think there would be
2 a lot of air left behind in the --

3 DR. BLUMER: The modules are on the same
4 level as the suction box.

5 CHAIRMAN WALLIS: It comes out through the
6 strainers. It comes out through the top.

7 DR. BLUMER: Right. As you fuel up,
8 during the injection?

9 CHAIRMAN WALLIS: Through the top of these
10 pigeonholes here. That's where it comes from. Okay.

11 VICE CHAIRMAN BANERJEE: Oh, they closed
12 off the vents on top.

13 CHAIRMAN WALLIS: And it comes out through
14 here.

15 DR. BLUMER: Well, as you have the
16 injection phase, the water level slowly rises, and the
17 water gets out, but the top pockets -- You have no
18 flow yet in this.

19 The goals, as I said before, is the
20 optimization of the flow geometry with veins and
21 diffuser and minimizing the head loss.

22 VICE CHAIRMAN BANERJEE: Do these pumps
23 need to be primed or are they self-priming, or how
24 does it work?

25 MR. MATHUR: I'm not sure, but we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recirculation. Those recirculate --

2 CHAIRMAN WALLIS: There is a problem in
3 some of these pumps, or there has been, with air in
4 the suction line to the pump. I guess that's been
5 sorted out now. There has been a problem with some
6 pumps.

7 Well, if you don't remember that, you can
8 run the pump and nothing happens.

9 VICE CHAIRMAN BANERJEE: I've done that
10 many times in my life, unfortunately.

11 DR. BLUMER: Okay. The method that we
12 used to determine the head loss in this region was CFD
13 modeling of the whole geometry from the last module up
14 to the suction pipes in the sump itself. So we did
15 steady state and transient computations.

16 We saw that there was some instability of
17 flow, and that is why we chose to use also transient
18 computations, and for the head losses that we later on
19 use is the maximum of the fluctuation affecting head
20 loss.

21 We modeled the entrance of the chemical
22 effects on viscosity a little bit. Although we have
23 turbulence regime, it is not very important, and we
24 have looked at the two flow rates mentioned earlier.

25 In the next slide --

1 VICE CHAIRMAN BANERJEE: What were the two
2 flow rates? I have forgotten.

3 DR. BLUMER: 5,110 for Unit One, and 9,000
4 GPM for two-pump operations.

5 MR. MATHUR: There is one-pump operation
6 and two-pump operation. That's what we are talking
7 about here.

8 DR. BLUMER: And this is the basic
9 geometry of the CFD model.

10 The next slide shows you the velocity
11 distribution. You see that at the ends of the
12 diffuser you see this beam that's in the way there.
13 We modeled this beam as well to see some back pressure
14 occurring, and you see that there is quite an
15 efficient function of these veins that really take the
16 flow around the corners of Z-shaped duct.

17 The next slide shows you --

18 VICE CHAIRMAN BANERJEE: What are the
19 velocities? I can't read the slide.

20 DR. BLUMER: That's the maximum of the
21 scale above there is 2.8 meters per second. Yes,
22 meters per second, that should be. Yes.

23 CHAIRMAN WALLIS: Nine feet a second?

24 DR. BLUMER: Yes. It's quite a high
25 velocity. That's why we chose to use these veins in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the diffusers.

2 CHAIRMAN WALLIS: That's more than a foot
3 of water.

4 DR. BLUMER: It was quite substantial, but
5 if we wanted to reduce that, that would have been a
6 big effort, and it would have been difficult to put it
7 in, in the existing geometry of the whole containment
8 there.

9 VICE CHAIRMAN BANERJEE: And what are the
10 pressures? Again, I can't read the pressures.

11 DR. BLUMER: Let ;me see. That's Pascals,
12 and I think the last to the right of the scale is
13 4,000.

14 VICE CHAIRMAN BANERJEE: Four thousand
15 Pascals?

16 DR. BLUMER: Yes.

17 VICE CHAIRMAN BANERJEE: And on the left?
18 It's not zero, is it?

19 DR. BLUMER: It's something close to zero,
20 probably. I cannot read on my thing as well.

21 CHAIRMAN WALLIS: Anyway, it's all figured
22 out. The NPSH they need is 25 feet or something like
23 that?

24 DR. BLUMER: Well, anyway, I showed the
25 results in the next draft. There, I have the head

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loss portions transferred from Pascals to feet. You
2 see the two flow rates that we have, and with the
3 plane geometry -- that means without veins and
4 diffuser -- we have 1.32 and 3.95 feet. With the
5 improvement that we have designed, we have 0.61 and
6 1.86, which gives us more than two feet for the two-
7 pump operation. It is quite substantial what these
8 things bring that we use for optimization.

9 So that s just something on the green side
10 of the strainer, and I am going to tell you about --

11 MEMBER ABDEL-KHALIK: What do you mean
12 when you say gives you more than two feet for the two-
13 pump operation? Just allowing for the net positive
14 suction head?

15 DR. BLUMER: Yes, for the overall head
16 loss and then also for the NPSH margin, yes.

17 MEMBER ABDEL-KHALIK: Based on the 2 foot
18 8 inch --

19 DR. BLUMER: I'm just talking about --

20 MR. PETERSON: He's saying the reduction
21 is two feet. He went from 3.95 to 1.86 by installing
22 these turning veins.

23 MEMBER ABDEL-KHALIK: Oh, I see.

24 MR. PETERSON: That he reduced the head
25 loss by two feet. So that bought us two feet to use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for debris or chemicals or anything else.

2 DR. BLUMER: Then I come to the next slide
3 with the test facilities. We have in Switzerland the
4 small size vertical test loop, a large size horizontal
5 test loop. They are both used for head loss testing,
6 and then a multi-functional horizontal test loop.
7 Here we have done quite a number of testing for
8 chemical effects, as well bypass testing, transport
9 testing, and flume sedimentation testing.

10 CHAIRMAN WALLIS: What you don't show here
11 is the man with the bucket who pours the debris in.

12 DR. BLUMER: Yes, well, we have several of
13 these people now, because we are doing such a lot of
14 testing.

15 VICE CHAIRMAN BANERJEE: But CCI is not
16 associated with Sulzer anyway.

17 DR. BLUMER: We were Sulzer originally in
18 Switzerland in Winterthur, and 10 years ago we were
19 sold to an American company, CCI in California, and we
20 have the Switzerland location.

21 CHAIRMAN WALLIS: I went to see this, and
22 I think one of the variables certainly is the way the
23 man with the bucket stirs the bucket and pours the
24 debris into this system.

25 DR. BLUMER: We have come quite a way for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris preparation as well. We use the mechanical
2 stir. That is a mechanical drill with a propeller at
3 the end, and we have seen through testing that there
4 is a better way, and we use a water jet now to
5 dissolve the fibers very much better into single
6 fibers, which gives also a thin bed, if that occurs at
7 all.

8 VICE CHAIRMAN BANERJEE: So you don't use
9 a blender. I remember in the past people used
10 blenders.

11 CHAIRMAN WALLIS: But the material sits
12 around in buckets, doesn't it, before it gets poured
13 in?

14 DR. BLUMER: It is put together -- All the
15 debris is put together in a bucket with the water, and
16 then we use a water jet to dissolve the fibers.

17 CHAIRMAN WALLIS: Stir it up. And you do
18 that while you are pouring it in?

19 DR. BLUMER: Yes, partly, and then we fill
20 up. Of course, if we have --

21 CHAIRMAN WALLIS: When we first saw it,
22 there was a trowel used to get the mud out of the
23 bucket. Now he uses a jet.

24 DR. BLUMER: Yes. We usually have several
25 buckets also if we have a big amount of debris, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we can really stir the whole lot, and we don't
2 have a deep --

3 CHAIRMAN WALLIS: So you are try, I
4 think, to be as conservative as possible, to stir it
5 up more than it would be stirred up in the plant.

6 DR. BLUMER: Right.

7 CHAIRMAN WALLIS: Because it's very
8 difficult. You can't simulate what happens in the
9 plant, but you can try to be extra conservative.

10 DR. BLUMER: Well, what we try to do is
11 all the debris that Bob Peterson was explaining that
12 was transported to the screen that this is all fine
13 fibers, completely fine, and not various classes of
14 fibers.

15 VICE CHAIRMAN BANERJEE: I think the point
16 I was making is, unfortunately, stirring makes a big
17 difference in the sense that, if you stir it up too
18 much, as Graham was saying, everything goes to the
19 screen, and it's nice and uniform. But if you don't
20 stir it quite that much, you could get some part of it
21 going and blocking some part of the screen and the
22 other part just going and passing through, or bypass.

23 It may not be a problem for this plant,
24 but all I'm saying is that it could be a problem for
25 other plants. Uniform stirring is not necessarily the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worst case.

2 CHAIRMAN WALLIS: Uniform stirring is
3 different from you have it in a bucket uniformly
4 stirred. You pour that into a pool. What the
5 contents of the bucket does now is not necessarily
6 uniformly distributed.

7 VICE CHAIRMAN BANERJEE: No, I'm sorry.
8 I thought you meant stirring up the pool as well.

9 CHAIRMAN WALLIS: You don't stir the pool,
10 do you?

11 DR. BLUMER: No, no, no. We just -- of
12 course, we get some waves and some --

13 CHAIRMAN WALLIS: Just all the way through
14 here that does natural stirring. But you don't have
15 a stirrer in the pool itself.

16 DR. BLUMER: No. No.

17 CHAIRMAN WALLIS: But when you pour a
18 dense mixture from a bucket into a pool, it goes to
19 the bottom and flows around, presumably.

20 DR. BLUMER: Well, we get sort of vortexes
21 on the horizontal axis that go like this.

22 VICE CHAIRMAN BANERJEE: Vortexes are
23 wonderful separators, actually.

24 DR. BLUMER: Yes, very slow vortexes.

25 CHAIRMAN WALLIS: IN a teacup.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: That's the
2 problem. All I'm saying is that you can get tight
3 separation.

4 CHAIRMAN WALLIS: Well, the staff is well
5 on top of all this, I'm sure.

6 DR. BLUMER: Okay. The next slide shows
7 you the vertical small scale loop. I think we haven't
8 used that very much after some initial testing.

9 The next slide shows you the university of
10 Winterthur loop. That's quite a large loop, and we
11 have separation plates that allow us to simulate the
12 geometry of the plant that's as good as possible.

13 The next slide shows you --

14 VICE CHAIRMAN BANERJEE: This is the --
15 What is the laminar flow zone around strainer module
16 mean?

17 DR. BLUMER: Well, what we usually have
18 done for the French, for example -- this is the thing
19 that shows how we have done it for the French. You
20 see this pipe there with the holes in it? That's the
21 pipe bringing in the water, and we have there a
22 turbulent zone from these holes, and we have no
23 sedimentation in this compartment. That's why we put
24 in the debris.

25 Then the debris and the water would flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around this plate, this first plate, into the
2 strainers with a relatively quiet zone there. That
3 was the specification of the French. They wanted to
4 have it done this way.

5 For the U.S. plants, we usually put the
6 debris directly before the strainers, less
7 sedimentation.

8 CHAIRMAN WALLIS: Were you doing the Salem
9 tests when we visited you, or not? Do you remember?

10 DR. BLUMER: I think it was not Salem, no.

11 CHAIRMAN WALLIS: It was Salem?

12 DR. BLUMER: No. Actually, when you were
13 in Winterthur, we didn't do actual testing which were
14 valid for QA tests for any plant, I think, but a
15 different one, yes. Yes.

16 VICE CHAIRMAN BANERJEE: I didn't know
17 there was a university in Winterthur.

18 DR. BLUMER: There's different levels, I
19 think, at a university where you do a BSE, and then in
20 Zurich the Federal Institute of Technology, you make
21 a Master's degree.

22 CHAIRMAN WALLIS: That's an offshoot of
23 Zurich.

24 DR. BLUMER: Not really. It has different
25 roots in Winterthur.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: It is not the
2 ATR?

3 DR. BLUMER: No, no. The ATR is in
4 Zurich, yes.

5 CHAIRMAN WALLIS: Much more practical than
6 the ATR.

7 DR. BLUMER: Okay. The next slide shows
8 you the multi-functional loop, and that is actually
9 the configuration as we used it for the chemical
10 testing. So you have some compartments before the
11 strainer, and you see a typical strainer module with
12 a certain number of pockets, for example, 10 rows high
13 and four rows wide, and then the pump behind.

14 The water is brought back from the pump
15 above in a part into the first compartment again. So
16 you will see a better picture of this again later on.

17 VICE CHAIRMAN BANERJEE: So this is a
18 once-through or the recirculating?

19 DR. BLUMER: This is recirculating. The
20 older loops are recirculating.

21 VICE CHAIRMAN BANERJEE: So the fines get
22 carried around?

23 DR. BLUMER: Right. Everything that goes
24 -- except for the bypass testing. for the bypass
25 testing, we captured the fines in a special screen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where we brought back the water in the first
2 compartment there, and then we took out the screen,
3 the fine screen, later on, dried it and weighted it
4 and analyzed it for bypass.

5 VICE CHAIRMAN BANERJEE: So the screen now
6 is a submicron filter of some sort?

7 DR. BLUMER: Yes. It was. I don't know
8 the size of the mesh anymore. I don't say a number,
9 because I don't recall it, but it was considered fine
10 enough to capture practically all the fibers and most
11 of the particulates. But we tested mainly for fibers.
12 Especially for Salem we tested with fibers only for
13 bypass.

14 So the next slide shows you the different
15 types of testing. You see small scale, large scale,
16 bypass testing, and chemical testing, the last two
17 being done on the multi-functional loop. The debris
18 types are for the small scale and large scale the
19 Nukon, Kaowool, particulates, RMI; and for the bypass
20 testing, as I said before, we used only fibers.

21 CHAIRMAN WALLIS: the mix that you put in
22 is the mix that you expect from the plant?

23 DR. BLUMER: Yes. Yes. We actually
24 bounded it by extreme cases. We used only Nukon and
25 then a mixture of Nukon and Kaowool, and we saw that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Kaowool was much more severe with respect to head
2 loss.

3 CHAIRMAN WALLIS: You know, head loss
4 things are rather peculiar. If you have -- if the
5 Nukon all goes to the first few strainers and some of
6 the other stuff goes down, it makes a thinner bed, it
7 could be worse for head loss than if it was all mixed
8 together; because sometimes a thin bed is worse than
9 a thick bed with the same amount of particulates in
10 it.

11 DR. BLUMER: I have a last column there,
12 benefits of learning. We also learned that thin beds
13 have not really formed. We couldn't see a head loss
14 there with the thin beds, which was 1/8th of an inch.
15 We also have seen that the RMI, which is actually, as
16 we have learned before, is held up by the trash rack,
17 but we didn't take account of this. So the RMI head
18 loss was not important anyway.

19 MEMBER ABDEL-KHALIK: How is the head loss
20 measured in this facility?

21 DR. BLUMER: Well, we have two little
22 parts that go before the strainer and after the
23 strainer, and we have a U-tube that we use normally
24 for these tests. So this is a very accurate
25 measurement, just by measuring the lengths. Then we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also have a calibrated electric gauge that tells the
2 head loss.

3 MEMBER ABDEL-KHALIK: So the elevation of
4 the upstream tap is where -- I mean, you are saying
5 you have 10 --

6 DR. BLUMER: At the mid-height of this
7 vein, yes.

8 MEMBER ABDEL-KHALIK: And you are assuming
9 that the pressure upstream of this thing is pretty
10 much uniform?

11 DR. BLUMER: Yes. Well, you have the
12 gradient from the gravity, of course.

13 MEMBER ABDEL-KHALIK: Right.

14 DR. BLUMER: But that is equal on both
15 sides.

16 MEMBER ABDEL-KHALIK: But the outlet here
17 doesn't seem to have the same cross-section as the
18 inlet.

19 DR. BLUMER: Well, actually, this drawing
20 is misleading that you have, this CAD drawing, because
21 we have a taped connection between the strainer and
22 the pump.

23 VICE CHAIRMAN BANERJEE: Is this the
24 facility you are using primarily or that one?

25 DR. BLUMER: For chemical effects, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the third one, this one, yes. And the large scale one
2 was used for learning and, as I said to you, we
3 learned about sand bed effects, about RMI influence,
4 about influence of the fiber type, that Kaowool would
5 be more detrimental for head loss.

6 CHAIRMAN WALLIS: What type of testing are
7 you going to use for engineering purposes?

8 DR. BLUMER: Well, the bypass testing was
9 done in the multi-functional loop, and then the
10 chemical testing.

11 CHAIRMAN WALLIS: When you calculate head
12 loss in the plant following a LOCA in order to get
13 NPSH, are you going to use the results from the large
14 scale testing?

15 DR. BLUMER: No. We have decided to use
16 the last MFTL testing, including the chemical effects.

17 CHAIRMAN WALLIS: From the chemical
18 effects tests?

19 DR. BLUMER: Yes, because that includes
20 everything. That includes the fibers, the
21 particulates and the chemicals and also the RMI. So
22 we have the totality of all --

23 CHAIRMAN WALLIS: -- distributed across
24 that tall skinny screen?

25 DR. BLUMER: I'll talk about this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: So if we go back to
2 Slide Number 51, what does this picture really look
3 like?

4 DR. BLUMER: Maybe we have a better
5 picture later on. Fifty-nine, yes. Well, okay.
6 Fifty-nine is actually showing better what we did for
7 Salem. Fifty-eight is just a --

8 CHAIRMAN WALLIS: There is a bigger
9 diffuser or whatever you want to call it.

10 DR. BLUMER: You see that there is a taped
11 connection piece which joins to the pump there.

12 MEMBER ABDEL-KHALIK: The downstream
13 pressure tap is located where?

14 DR. BLUMER: We have two different ones,
15 one on this taped section and one before the pump.

16 MEMBER ABDEL-KHALIK: Before the pump?

17 DR. BLUMER: Yes. We looked at the
18 velocity influence of that, and that proved to be
19 acceptable.

20 MEMBER ABDEL-KHALIK: But if the cross-
21 sections are the same, the difference from the
22 hydrostatic head will be important.

23 DR. BLUMER: Yes, sure, but we checked
24 with the velocity that we expected there, that this
25 would be within the allowable difference. So the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dynamic head was not important here. That was
2 checked.

3 MEMBER ABDEL-KHALIK: No. That's not what
4 I'm talking about. If you are measuring -- if you are
5 putting your pressure tap at the mid-level elevation
6 upstream, and you are putting the downstream pressure
7 tap at the mid-level elevation of this smaller cross-
8 section, there is a hydrostatic pressure difference
9 between the two. Are you accounting for that?

10 DR. BLUMER: But your piping, the flexi-
11 piping that goes to the instrument also is full of
12 water, and the hydrostatic difference is taken care of
13 by the piping that you have. There is no flow in this
14 little piping. So you just have to make sure that
15 your little pipes that connect up to the measuring
16 instrument are full of water. You cannot have air in
17 there.

18 CHAIRMAN WALLIS: There is no flow. The
19 level is the same in the little piping.

20 DR. BLUMER: There is no flow, and you
21 must make sure that there is no air pocket in there.
22 That's clear.

23 VICE CHAIRMAN BANERJEE: And the other
24 thing that you said is that the change in the velocity
25 from the inlet to the outlet doesn't give you any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant velocity head difference.

2 DR. BLUMER: Can you repeat that?

3 VICE CHAIRMAN BANERJEE: You have a
4 difference in cross-section area going from the inlet
5 -- at least from what I can see in 58.

6 CHAIRMAN WALLIS: To the green arrow.

7 VICE CHAIRMAN BANERJEE: To the green. So
8 just due to Bernoulli's effect, there will be some
9 change in the pressure, static pressure, that you
10 measure. I'm assuming that the velocity head
11 difference is small then.

12 DR. BLUMER: Yes. It is very small. Yes.

13 VICE CHAIRMAN BANERJEE: So what is the
14 fluid velocity going in there?

15 DR. BLUMER: I would have to calculate it.

16 VICE CHAIRMAN BANERJEE: Roughly.

17 DR. BLUMER: It's similar to the real
18 situation in the plant, because it is scaled.

19 VICE CHAIRMAN BANERJEE: Point-one meters?

20 DR. BLUMER: Less than .1 foot, I think.

21 VICE CHAIRMAN BANERJEE: .03 meters per
22 second?

23 DR. BLUMER: It's very, very -- Well,
24 before the strainer it is completely negligible, and
25 after maybe it is one millimeter or something like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. We measured also the clean head loss always, by
2 the way, and it was negligible. So already without
3 debris we should have seen this influence, and we
4 always measured -- For every test before we started
5 the test, we did a zero measurement. That means with
6 a clean strainer.

7 CHAIRMAN WALLIS: By the way, maybe I
8 should say my intention. It is now five o'clock. My
9 intention is to just keep going.

10 DR. BLUMER: Okay.

11 CHAIRMAN WALLIS: Is that all right with
12 everybody? Until we finish.

13 VICE CHAIRMAN BANERJEE: What is a typical
14 pressure loss across the screen?

15 DR. BLUMER: Without debris?

16 VICE CHAIRMAN BANERJEE: Well, without
17 debris and with debris. Start without debris.

18 DR. BLUMER: Without debris, it is, I
19 think, maximum at 0.01 foot or something like this
20 head loss, almost zero. Excuse me?

21 VICE CHAIRMAN BANERJEE: Can you give it
22 to me in pascals?

23 DR. BLUMER: I have the head loss reports
24 with me. So I could look it up.

25 VICE CHAIRMAN BANERJEE: So what is that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 .1 foot

2 DR. BLUMER: No, .01 foot about. It's
3 almost not measurable within the grounds of the
4 signal.

5 VICE CHAIRMAN BANERJEE: Okay. So the
6 screen material or the strainers have almost no loss
7 associated with them?

8 DR. BLUMER: Right.

9 VICE CHAIRMAN BANERJEE: And with the
10 debris, what does it come to?

11 DR. BLUMER: This depends on the
12 conditions. I'll talk about this later on.

13 VICE CHAIRMAN BANERJEE: But roughly. I'm
14 just looking for a measurement.

15 DR. BLUMER: Well, about up to -- we
16 measured up to five feet or something like this.
17 It depends very much -- Ocone, for example, which is
18 another plant which I won't talk much about, but they
19 have head losses of .1 foot, including the green
20 strainer cavity head loss and so on. So they have
21 very, very low head loss.

22 CHAIRMAN WALLIS: Put enough chemicals in,
23 you can make it pretty high.

24 DR. BLUMER: I doubt it there, because we
25 have very little fibers there, which cannot capture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the chemicals.

2 CHAIRMAN WALLIS: Once you get the fibers,
3 though, you can then stop putting in particles.

4 MR. PETERSON: To answer your question,
5 two feet is upper limit on the test at Salem, head
6 loss.

7 CHAIRMAN WALLIS: So your NPSH you want is
8 25 feet, and you are looking at something like 2 feet
9 pressure drop?

10 MR. PETERSON: The NPSH-R that was on the
11 earlier slides is what is required by the pump. We
12 will show you the limit. I mean, you got to subtract
13 the friction losses and the static and all of those
14 calculations. We just gave you the raw data for the
15 pump on that early slide. We will show you later the
16 limit.

17 CHAIRMAN WALLIS: We'll get to that then.

18 DR. BLUMER: Okay. So --

19 VICE CHAIRMAN BANERJEE: We never can fill
20 up these pockets. With so much pocket area that these
21 six truckloads or whatever --

22 DR. BLUMER: No. We can show you some
23 pictures in another slide later on that you see the
24 degree of filling of the pockets.

25 I'll talk a little bit about bypass

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing that we have done. We found out that some
2 people use percentages of this bypass quantification.
3 We have used another measure, because we found that
4 there is a certain saturation of the amount that goes
5 through a certain screen.

6 It means the saturation level is
7 proportion to the screen area and, more or less, also
8 a function of velocity through the screen.

9 CHAIRMAN WALLIS: You are off at the
10 beginning before you build up the fibers.

11 DR. BLUMER: Right. Right. And so --

12 CHAIRMAN WALLIS: If you do build up the
13 fibers.

14 DR. BLUMER: So we thought using a
15 percentage is maybe not the best way of doing it, but
16 we chose a certain amount of cubic feet of fibers per
17 square fee of screen that goes through.

18 VICE CHAIRMAN BANERJEE: Is this some sort
19 of a steady state that you get to?

20 DR. BLUMER: Right. Right. So once you
21 get to certain fiber thickness on the screen, then
22 nothing passes through anymore. Then later on you
23 don't get more.

24 In the next slide 54, you see the fiber
25 amount and the ordinate -- this value that I was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about; and you see at the very low fiber
2 amounts you also get low fiber bypass, and then you
3 get with some scatter, more or less steady amount of
4 fibers. Excuse me?

5 CHAIRMAN WALLIS: Are these repeatable
6 experiments? If you do test two again, do you get the
7 same value?

8 DR. BLUMER: There is some scatter, and
9 then this -- I also depends, of course, whether --
10 what type of fibers you use, whether it's Nukon or
11 Kaowool.

12 CHAIRMAN WALLIS: You're not bold enough
13 to put an equation through this?

14 DR. BLUMER: No, but you can give quite
15 easily an upper limit to that.

16 CHAIRMAN WALLIS: That's what they use for
17 design.

18 DR. BLUMER: I have not used these
19 results. So maybe --

20 MR. MATHUR: Five cubic feet. That's what
21 we came up with, actually. Five cubic feet per foot
22 square.

23 CHAIRMAN WALLIS: Out of 5,000 square
24 feet. So that's .01?

25 MR. MATHUR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So that's .01.

2 MR. MATHUR: One cubic feet per square --

3 CHAIRMAN WALLIS: So it's the top of the
4 graph. You use .001?

5 VICE CHAIRMAN BANERJEE: It's not. Here
6 it's about three cubed per thousand feet squared. So
7 you could be --

8 CHAIRMAN WALLIS: Well, that's three, but
9 here it's -- They could be low, yes.

10 VICE CHAIRMAN BANERJEE: These are
11 representative. The issue that I was having was much
12 more severe than this. I am still having this issue.
13 As was pointed out, as a region gets blocked off, you
14 keep moving the region.

15 CHAIRMAN WALLIS: So you get more bypass.

16 VICE CHAIRMAN BANERJEE: You get much
17 more.

18 CHAIRMAN WALLIS: You should get much more
19 bypass.

20 VICE CHAIRMAN BANERJEE: Much more bypass.

21 CHAIRMAN WALLIS: Right.

22 VICE CHAIRMAN BANERJEE: That's exactly
23 what I was saying.

24 CHAIRMAN WALLIS: Yes. This is probably
25 not acceptable as a predictive tool for the real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing.

2 MR. PETERSON: But if you do it on a per
3 square foot, every new section behaves just like the
4 previous.

5 VICE CHAIRMAN BANERJEE: No, because you
6 get an initial -- before it starts to build up the
7 bed, the bypass --

8 CHAIRMAN WALLIS: And then to a saturation
9 value.

10 VICE CHAIRMAN BANERJEE: Eventually, but
11 it takes a while.

12 CHAIRMAN WALLIS: But maybe the fibers
13 don't make it that far, just the fines, in which case
14 it is going through all the time. Yes.

15 VICE CHAIRMAN BANERJEE: The other
16 scenario.

17 CHAIRMAN WALLIS: Well, the staff is going
18 to sort all that out.

19 MEMBER ABDEL-KHALIK: These tests are
20 presumably run for a long time in order to reach --

21 CHAIRMAN WALLIS: The staff is very aware
22 of all these problems. They are going to sort them
23 all out.

24 VICE CHAIRMAN BANERJEE: The staff are
25 aware that you might be getting fines popping through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: To get back to the
2 point that you were making at the beginning, these
3 tests were done for a long time in order to reach this
4 asymptotic value for the bypass?

5 DR. BLUMER: They were done until the
6 water was relatively clear. So that we didn't expect
7 the values to go up more anymore.

8 VICE CHAIRMAN BANERJEE: But the bypass
9 was initially very high. Right?

10 DR. BLUMER: Right. That is why you get
11 high turbidity at the beginning and then water clears
12 off after a while. Yes.

13 CHAIRMAN WALLIS: Why was test 6 so high?

14 DR. BLUMER: We have to look at the test
15 report. But you can clearly see that there is a
16 function of penetration velocity at 0.05 inch per
17 second. There is distinctly less bypass than at the
18 high velocity.

19 CHAIRMAN WALLIS: What happened to Riot
20 Zane? Didn't appear on the --

21 DR. BLUMER: Well, the Riot Zane is
22 another thing which is not shown. I think there are
23 only nine points in the other one as well.

24 CHAIRMAN WALLIS: Right. So it's not
25 scale?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: I want to ask you
2 where you got the transient data on the bypass? Do
3 you have --

4 DR. BLUMER: We have turbidity
5 measurements, yes, and we have also samples taken at
6 different times. Yes. We see a peak at the
7 beginning, and then very low values --

8 CHAIRMAN WALLIS: We've seen that. We've
9 seen that. We saw that last time.

10 DR. BLUMER: Well, I can show you the
11 graphs of the test report, if you are -- So we
12 definitely see a very high peak at the beginning and
13 then almost nothing afterwards.

14 VICE CHAIRMAN BANERJEE: How long does
15 that peak last?

16 DR. BLUMER: I can't pick a number now
17 from my memory.

18 VICE CHAIRMAN BANERJEE: This is
19 interesting, because if you, one, was actually doing
20 a series here of peak calculation, you could probably
21 take some of this into account as the screen blocked.

22 CHAIRMAN WALLIS: But we are not going to
23 do that.

24 VICE CHAIRMAN BANERJEE: They are not
25 going to do it, but if we wanted to amuse ourselves,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we could.

2 CHAIRMAN WALLIS: You can do it.

3 DR. BLUMER: Okay. I come to the chemical
4 testing after the bypass testing. We have a plant
5 with the ICET Number 1 chemical condition. We have
6 done testing at room temperature and also with
7 simulated plants' pH, and as was mentioned before by
8 Bob, we had WCAP methodology to come up with the total
9 precipitate amounts.

10 What is perhaps special here is that we
11 used the test loop as a particle generator, which has
12 some advantages. We have avoided another step in the
13 whole process. We don't have a particle generator.
14 We would have to analyze the particle generator, then
15 the loop.

16 CHAIRMAN WALLIS: So you used the particle
17 loop as a chemical reactor.

18 DR. BLUMER: Right. Right. And I will
19 explain that a little bit in the next slide then.

20 We also have precipitate concentration
21 which is much closer to the real plant situation than
22 if we would do it in a particle generator.

23 VICE CHAIRMAN BANERJEE: But the
24 temperature is kept at room temperature.

25 DR. BLUMER: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN BANERJEE: So the kinetics
2 of the reactions --

3 DR. BLUMER: Well, we saw that what we put
4 in, and I will talk about this later on, is
5 immediately precipitate, and so we know that the flow
6 -- the rate of the chemistry reaction is not really
7 important here.

8 Then we've done pre-analysis by lab
9 benchtop testing. We wanted to see the effect of tap
10 water in the other debris, like stone flour that we
11 have used, and we made tests of the filterability, the
12 settling rate, the viscosity effect, and also the size
13 distribution of the precipitates.

14 So after having done all these things, we
15 started the procedure in the test loop. We put in all
16 the debris, and we added then the boric acid to a
17 certain concentration, and established a certain pH of
18 four-point-something, 4.1, I think.

19 MEMBER ABDEL-KHALIK: How does the
20 settling rate that you measured compare with the
21 settling rate specified by Westinghouse for the
22 surrogate debris?

23 MR. PATERSON: All of the data was
24 comparable to the Westinghouse values.

25 MEMBER ABDEL-KHALIK: For the surrogate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris?

2 MR. PATERSON: They had limits specified
3 in their particle generator portion of the WCAP that
4 they measured, and we compare to those same limits for
5 filterability, settling.

6 MEMBER ABDEL-KHALIK: Okay. Thank you.

7 DR. BLUMER: We increased the pH and also
8 started precipitation by slow addition of sodium
9 aluminate, and then there was, as I said, immediate
10 precipitation. So the chemistry reaction rate is not
11 really very important here.

12 We have done similar steps, which I won't
13 go into detail about, with calcium chloride and sodium
14 silicate that was formed, and we did additional
15 buffering to adjust the pH value according to the
16 measured pH value in the loop.

17 VICE CHAIRMAN BANERJEE: This is a
18 different surrogate procedure from Westinghouse's.

19 DR. BLUMER: Right, and maybe we have a
20 lady here who can explain to you about this.

21 MS. PENROSE: Yes. There are a couple of
22 things that are different. I'm Jeri Penrose with
23 Sargent and Lundy.

24 The first thing that's different is that
25 we wanted to do the precipitation in borated water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our feeling was that boron would likely absorb on the
2 aluminum hydroxide and, if it did, we wanted that to
3 happen.

4 It turns out that the boric acid helps us,
5 in a way. We need a source of acid to counterbalance
6 the alkalinity of the sodium aluminate, which was the
7 source of aluminum, and by mixing the two, the pH
8 worked out pretty well.

9 So we used the sodium aluminate. We added
10 it first, so that we would precipitate some aluminum
11 hydroxide. Next, calcium was added as a source of
12 calcium. We didn't really expect calcium to do much,
13 but it might participate in a calcium aluminum
14 silicate instead of a sodium aluminum silicate. And
15 since it was there in prototypical conditions, we
16 wanted it there.

17 The last thing that we added was the
18 silicate, sodium silicate. We added it last to make
19 sure that we added it to an alkaline solution. We
20 were afraid that, if we added it first, that to an
21 acid solution we might precipitate colloidal silica.

22 So we had a particular order that we
23 selected. The whole idea behind this was to add the
24 masses of aluminum, calcium, and silica to match what
25 would be seen in containment, and let the reaction do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what it wants to do. Whatever it wants to make, it
2 makes.

3 VICE CHAIRMAN BANERJEE: Is the sequencing
4 sort of what one would expect in containment?

5 MS. PENROSE: It would happen
6 simultaneously in containment.

7 VICE CHAIRMAN BANERJEE: Right. But would
8 you precipitate colloidal silica in containment?

9 MS. PENROSE: No, because it is alkaline.
10 by the time it cools enough, it's going to be
11 alkaline.

12 VICE CHAIRMAN BANERJEE: So this is
13 another alternative to the Westinghouse surrogate.

14 MS. PENROSE: Well, we didn't develop it
15 as an alternative. It was actually done in parallel.
16 At the time this work was done, the Westinghouse
17 information was not available, and we actually started
18 with predicting quantities from hydrogen generation
19 calcs. You can get the amount of aluminum from that.

20 We took the ICET resolves and tried to use
21 it, and only later when we went to do the test, the
22 Westinghouse data was available. So we calculated the
23 masses from the Westinghouse data, but the procedure,
24 the methodology, we had developed in parallel.

25 So we don't have an issue with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse methodology. This is -- We did it this
2 way; they did it that way.

3 VICE CHAIRMAN BANERJEE: Right, but
4 there's some sort of a continuing program where there
5 would be perhaps evaluation of effects due to
6 radiolysis of water and other things, peroxides going
7 on, which -- Are you going to do some sort of a
8 parallel program to take into account some of those
9 things which came out of -- The original peer review
10 group comments came into this whole program, and now
11 the surrogate, but on the other hand, there are some
12 remnants of the peer review group comments which are
13 going to be applied to make sure everything is okay
14 with peroxides or whatever.

15 MR. PETERSON: We did not add any
16 peroxide.

17 VICE CHAIRMAN BANERJEE: You didn't do
18 anything like that?

19 MR. PETERSON: No. I'm not sure what the
20 peroxide would do in this kind of a test.

21 VICE CHAIRMAN BANERJEE: It cannot do
22 anything. I have no idea. I'm just saying you are
23 cognizant of all that stuff, though.

24 MR. PETERSON: Sure.

25 MEMBER ABDEL-KHALIK: Are there any plans

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to duplicate these experiments using the Westinghouse
2 surrogate to show equivalency?

3 MS. PENROSE Not that I'm aware of.

4 MR. PETERSON: As Jeri outlined, we made
5 -- we've put some estimates together based on
6 literature and ran these tests. I think they were
7 probably the first non-vertical head loss tests in the
8 industry, and this was prior to the Westinghouse data.

9 Now when the spreadsheet methodology
10 became available, we, of course, checked those
11 quantities and all of that test data relative to our
12 estimates, and switched to that estimate. It was
13 based on a lot more experimental data.

14 The exception, if you would, is just the
15 choice to use the surrogate generator outside the
16 loop. We had already embarked on this.

17 MS. PENROSE: And our thinking in doing it
18 inside the loop was that it avoided a step of
19 handling. We didn't want to double handle the
20 precipitate. If there was going to be any
21 flocculation or other changes from time of storage --
22 Now if you make the stuff and let it sit around for a
23 couple of days -- It wasn't that we thought there
24 would be a difference. We just wanted to avoid the
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: I think my question
2 should have been directed to Westinghouse as a way to
3 validate their methodology.

4 MR. PETERSON: Yes. Other people have
5 experienced aging issues with the surrogate. We have,
6 obviously, minimized that.

7 DR. BLUMER: I just have an additional
8 argument for using the loop instead of a particle
9 generator. The WCAP tells you, you have to use at
10 least 20 percent of the volume in the particle
11 generator.

12 Now if you say we don't want to use the
13 minimum, maybe 30 percent or so, then it would be a
14 third of the water to add to the loop, which means the
15 water level changes during the test enormously, which
16 makes completely different approach velocities and so
17 on.

18 So we found it also from this standpoint,
19 it is much more practical to use the loop itself as a
20 particle generator and not change the amount of water
21 value and also the water level.

22 VICE CHAIRMAN BANERJEE: How quickly do
23 these particles form?

24 DR. BLUMER: I think instantaneously.

25 MS. PENROSE: Immediately.

1 VICE CHAIRMAN BANERJEE: I see.

2 DR. BLUMER: Okay.

3 MR. PETERSON: One of the keys to our
4 acceptance of this methodology was all the bench tests
5 we did prior to going in the loop, and then there are
6 also our samples extracted from the loop to make sure
7 we are still getting in the loop with all the other
8 debris, getting the characteristics we had
9 anticipated.

10 DR. BLUMER: So I think we've looked at
11 this slide of the --

12 VICE CHAIRMAN BANERJEE: The tests have
13 now been concluded?

14 DR. BLUMER: For Unit One, yes. For Unit
15 Two, we are still going to do it.

16 CHAIRMAN WALLIS: Although we have looked
17 at it before, might we please look at it again, this
18 one? You say debris introduction there, just before
19 the strainer.

20 DR. BLUMER: Right.

21 CHAIRMAN WALLIS: Now it seems to me that
22 those particles have some sort of a trajectory, and
23 depending on just where you put them in, some may fall
24 down preferentially at the top or part-way down or all
25 the way to the bottom, depending on the velocity of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the water and the size of the particle and exactly
2 where and how you put them in.

3 DR. BLUMER: Yes.

4 CHAIRMAN WALLIS: It makes a difference
5 how you put the debris in.

6 DR. BLUMER: Of course, it also depends
7 very much how quickly you pour the bucket. So while
8 you put the thing in, you create some turbulence, of
9 course, and this --

10 CHAIRMAN WALLIS: The characteristics of
11 the man with the bucket again becomes pretty important
12 here.

13 DR. BLUMER: It's very difficult to really
14 introduce that in a way that is predictable. It's
15 very, very difficult to do that, because what you can
16 do is put it in far away, but then you get the local
17 sedimentation.

18 CHAIRMAN WALLIS: Well, what do the
19 results mean if it depends on how you manipulate the
20 bucket?

21 MR. PETERSON: If you think about in the
22 plant, especially with Salem where I mentioned the
23 debris, if we back off from the chemicals for a
24 moment, as generated inside the annulus and then is
25 swept down the stairways, and then probably settles at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that point, sits for 20 minutes, and then when I turn
2 the pumps on in recirculation --

3 CHAIRMAN WALLIS: It may or may not move.

4 MR. PETERSON: -- it meanders toward the
5 screen, predominantly near the floor. So the fact
6 that we are introducing it up high is only helping on
7 getting some of --

8 CHAIRMAN WALLIS: More conservative than
9 putting it on the floor.

10 MR. PETERSON: -- putting it all on the
11 floor and trying to get it to jump up. You know,
12 gravity is still going to be out there, and --

13 CHAIRMAN WALLIS: Did you try sort of
14 using different people with different buckets to see
15 how much scatter there was in the results?

16 MR. PETERSON: I think they are all Swiss.
17 Right?

18 CHAIRMAN WALLIS: No, it's not a trivial
19 thing, and you know, it would be interesting to see
20 how much variability you could get by how you put the
21 stuff in. They would all be conservative, but it
22 would still be interesting.

23 DR. BLUMER: What we actually --

24 VICE CHAIRMAN BANERJEE: Are they
25 uniformly distributed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: We have done repeat tests.

2 DR. BLUMER: They are not uniformly
3 distributed. You will see a picture later on.

4 CHAIRMAN WALLIS: More at the bottom than
5 the top, of course.

6 DR. BLUMER: Definitely. That's why we
7 don't get the same bed as well.

8 CHAIRMAN WALLIS: Well, if you put it in
9 very close to the top, you might get it all at the
10 top. If you trickled it down --

11 DR. BLUMER: Well, that is what happens
12 when you introduce the debris. You have a higher
13 density of the fluid, and it goes to the bottom and
14 forms a sort of a vortex; and when you see what is
15 happening, also the modules before get dark very
16 quickly. First, of course, you have clear water, and
17 the whole thing really moves around.

18 CHAIRMAN WALLIS: So the plume from the
19 bucket depends on the velocity of the fall from the
20 bucket.

21 DR. BLUMER: But I don't think the bucket
22 introduction method is very important, because you've
23 got a fairly quick distribution in the whole thing.
24 But the most conservative we can do is put it in front
25 of the strainer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we stuff it manually into each pocket,
2 that's also not reasonable. It's not realistic. So
3 we must put it as close as possible --

4 CHAIRMAN WALLIS: As long as, I suppose,
5 you have a big margin, it's all right. But if you
6 came to the point where you were --

7 DR. BLUMER: Well, we'll talk about --

8 CHAIRMAN WALLIS: -- then you might be
9 able to fiddle the results by manipulating the bucket
10 appropriately. You might be able to vary them by a
11 factor of two, let's say.

12 VICE CHAIRMAN BANERJEE: In this case,
13 there's so much area, it's probably not an issue.

14 CHAIRMAN WALLIS: Maybe it's not an issue.

15 MR. PETERSON: Maybe one way to answer, we
16 have done repeat tests. Now I don't know how -- You
17 know, I assume it was introduced the same way, but the
18 repeats came out relatively close to each other for
19 the debris loads.

20 CHAIRMAN WALLIS: Well, you didn't have
21 someone trying to get different results by putting it
22 in differently?

23 MR. PETERSON: No. These were meant to be
24 repeats.

25 CHAIRMAN WALLIS: I think you ought to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk to NRC staff and say see what you can do with the
2 bucket, see if you can make it different, because this
3 is the number you are going to use for design, isn't
4 it? They won't be too sensitive to the experiment.

5 MR. PETERSON: And, you know, as we have
6 described, we feel there is conservatism on most steps
7 as you work your way through it.

8 CHAIRMAN WALLIS: That may be true, but
9 then you could have easily got four instead of two or
10 one instead of two.

11 MR. MATHUR: But if we introduce a
12 different precipitate --

13 MR. PETERSON: That's the other thing.

14 MR. MATHUR: It was not just one time we
15 introduced it.

16 MR. PETERSON: It's staged. When we did
17 these, we -- First, you don't know the answer.
18 Second, as I mentioned in my statement that you are
19 doing these debris calculations simultaneously with
20 testing. The hope is that you test something that
21 works that you can support by analysis.

22 So we did these as introductions. We did
23 40 percent, 70 percent of the final debris load.

24 CHAIRMAN WALLIS: Right. You put it in
25 different batches.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: So it's at least different
2 buckets.

3 CHAIRMAN WALLIS: You put it either all in
4 one bucket or in a whole series of buckets?

5 MR. PETERSON: It's a whole series of
6 buckets.

7 CHAIRMAN WALLIS: Right. All those things
8 make a difference.

9 DR. BLUMER: The chemicals were tested up
10 to 140 percent. So --

11 CHAIRMAN WALLIS: Okay. Maybe we should
12 go on. We've talked enough about it.

13 DR. BLUMER: Well, the next slide shows
14 you what was asked in an earlier question about the
15 form of the bucket, and you see that there is one
16 entrance of the water and actually five sides where
17 the water flows out again. So that's the basic
18 principle of our strainers, and we have used that
19 principle for BWR strainers as well as PWR strainers.

20 CHAIRMAN WALLIS: I think we need to let
21 the recorder have a short moment. Is that right? So
22 we are going to have to take a break. How long is
23 this break going to be? Five minutes?

24 We'll let's take a break until, let's say,
25 25 to six. Would that be okay? You want to take a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more substantial break? We could take a break until
2 20 minutes to six then, and then we'll come back
3 refreshed, and we can ask more questions.

4 (Whereupon, the foregoing matter went off
5 the record at 5:31 p.m. and went back on the record at
6 5:43 p.m.)

7 CHAIRMAN WALLIS: Let's come back into
8 session and continue where we left off.

9 MR. LEHNING: May the staff just make a
10 comment on the debris at this time?

11 CHAIRMAN WALLIS: Absolutely.

12 MR. LEHNING: We were looking -- I guess
13 we heard the different comments based on the debris
14 addition and for what purpose it is and uniformity.
15 Our position is that we expect a conservative approach
16 and not necessarily analyzing small perturbations to
17 that, as long as the licensees do a conservative job,
18 and for the purpose of maximizing the head loss, for
19 the tests that we have observed we felt that adding
20 this debris near the front of the strainers was
21 conservative in the sense of generating a uniform
22 debris bed.

23 There are a few pictures in here of the
24 debris bed. It's a little bit hard to see it for this
25 case, but the mixing and dispersion of adding that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debris to the test tank was often greater than the
2 flow going into the pockets and --

3 CHAIRMAN WALLIS: It's conservative with
4 respect to what happens in the plant?

5 MR. LEHNING: That is what we would
6 expect.

7 CHAIRMAN WALLIS: it may be conservative
8 by a factor of 10.

9 MR. LEHNING: In addition to the other
10 points as they already raised, the non-uniformity in
11 the vertical profile and the actual plant.

12 So that was our staff view.

13 CHAIRMAN WALLIS: Okay.

14 MR. LU: I just want to add one more point
15 there. Since you also mentioned it as non-
16 conservative, the variation might be acceptable. I
17 just want to point out what might be the conservative
18 here.

19 They are conducting tests assuming all the
20 debris, including the eroded fiber. They end up on
21 the screen surface right out of the recirc time.
22 That's an additional conservative. And the internals
23 of the corroded aluminum and then the chemical effects
24 is less than -- the corrosion were less upon several
25 days, hours. It generated that much. It would take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several days. Then they assume it's 100 percent --

2 CHAIRMAN WALLIS: So this is conservative
3 from the point of view of pressure loss.

4 MR. LU: So, yes. We asked them these
5 questions about testing protocols. We can delve into
6 many, many different variations which can trigger the
7 question what's the uncertainty, but if we consider
8 the input, the debris inputted to the head loss
9 testing, actually it covers not only CCI but also for
10 the entire fleet, and then the other inputs are
11 conservative.

12 So should we delve into that much detail
13 regarding the variation and the uncertainty there? I
14 think the staff took a stab, and we believe that is
15 reasonably --

16 CHAIRMAN WALLIS: It may well be
17 conservative from the point of view of head loss, but
18 from the point of view of bypass, it may go the other
19 way. Putting on the uniform debris may be not
20 conservative from the point of view of what gets
21 through.

22 MR. LU: We have somebody else here.

23 CHAIRMAN WALLIS: Okay.

24 DR. BLUMER: Okay. Well, again this slide
25 shows you the typical pocket, as we have used it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everywhere.

2 The next slide, you see some results. The
3 filter surface is given the approach velocity --

4 CHAIRMAN WALLIS: This velocity is flow
5 rate divided by the total area of the strainer
6 pockets?

7 DR. BLUMER: Right. Right.

8 CHAIRMAN WALLIS: Runs off the facial
9 area?

10 DR. BLUMER: No, no. And then --

11 VICE CHAIRMAN BANERJEE: How about if you
12 use the facial area for velocity?

13 DR. BLUMER: But for what purpose?

14 CHAIRMAN WALLIS: Transporting debris to
15 it.

16 DR. BLUMER: For that, you surely have to
17 use the approach velocity to the strainer and not the
18 filter screen velocity.

19 VICE CHAIRMAN BANERJEE: No. I meant what
20 is the approach velocity to the face approach?

21 DR. BLUMER: I think it's about a factor
22 of 12 or 14 higher, probably more on the order of
23 magnitude.

24 VICE CHAIRMAN BANERJEE: So in the
25 experiment you did, the approach -- the face of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strainer was not this velocity. This is the approach
2 velocity to the filter area.

3 DR. BLUMER: Right. Right. So multiply
4 that by 12 or 14 or a bit more. I don't know for
5 Salem exactly the factor between the approach surface
6 and the filter surface, but it is about 12 or 14 or
7 something.

8 VICE CHAIRMAN BANERJEE: So your actual
9 velocity was like .04 or .05.

10 DR. BLUMER: Just take away one zero after
11 the comma -- after the period.

12 The pH value is typical. Maybe somebody
13 else can comment about this. The theoretical debris
14 bed thickness is 1.6 inches, which is theoretical,
15 because you get some overlap within the pocket, of
16 course. The fiber to particulate ratio, which is one
17 over eta, is 0.74. Then the water turnovers per hour,
18 depending on the loop volume, was 6.3 for the high
19 flow velocity and 3.6 for the one-pump operation.

20 VICE CHAIRMAN BANERJEE: It went round 6.3
21 times?

22 DR. BLUMER: Per hour, yes. There you see
23 the debris that we have used and the chemical that was
24 used as well, the sodium aluminate and the sodium
25 silicate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the next graph shows you what happened.
2 We did some testing, and then we also decided at
3 Christmas we want to let the test run until after the
4 long holidays there in Switzerland, and we had a 12-
5 day test.

6 The head loss went up almost linearly over
7 these whole 12 days. We made two fits there, but if
8 you look at the whole range, we have steady increase
9 from about one foot of head loss up to two feet of
10 head loss.

11 CHAIRMAN WALLIS: And it's still going on.
12 It's still going on.

13 DR. BLUMER: Yes, right.

14 CHAIRMAN WALLIS: But you haven't changed
15 any chemicals or anything?

16 DR. BLUMER: We dumped in all the
17 chemicals at zero hours and all the debris. The only
18 thing we did before, a test at 9,000 gallons per
19 minute, and then we reduced it to 5,110 for this test
20 that you see here.

21 CHAIRMAN WALLIS: Why is it going up for
22 12 days?

23 DR. BLUMER: Well, we can have two
24 reasons. One is we had some settlement of debris
25 before, and there is a certain erosion of the settled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precipitates that is occurring, or that there is
2 certain aging of the chemicals, of the precipitates
3 that is occurring in the loop are the things I can
4 imagine.

5 That is what was measured, and we decided
6 to extrapolate this linear relationship up to 30 days,
7 and that is what you will see --

8 CHAIRMAN WALLIS: What happens in the sump
9 in the plant? Does this go up like this? When does
10 it stop?

11 MR. PETERSON: The part that was -- We had
12 a stability criteria that was very tight. We were
13 meeting our stability criteria during this time. It
14 was a unique time frame for us, because we had this
15 holiday area.

16 I was at a previous public meeting, and
17 there were some concerns expressed by the staff to, I
18 believe, some tests at Argonne that had been run a
19 period of time. So we chose to run this.

20 We have, as Dr. Blumer mentioned, a few
21 theories, but we penalized ourselves with -- you know,
22 extrapolated to 30 days and penalized ourselves with
23 it right now.

24 CHAIRMAN WALLIS: You are going to be
25 going beyond 30 days or you just stop at 30 days?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: As was mentioned earlier
2 today, there's quite a few things you can start doing
3 long term. You can start doing your emergency
4 operating procedure. People have used 30 days as a
5 mission time for this.

6 MEMBER ABDEL-KHALIK: This debris
7 thickness that you refer to as being 1.6 inches --
8 when was that measured?

9 DR. BLUMER: Well, that's just a
10 calculation.

11 MEMBER ABDEL-KHALIK: It's a calculated
12 value responding to all the debris --

13 DR. BLUMER: You just take the volume of
14 the debris and divide it by the theoretical surface.

15 MEMBER ABDEL-KHALIK: Assuming what --

16 DR. BLUMER: Three thousand feet, the
17 spread-out surface.

18 MEMBER ABDEL-KHALIK: Yes, but you know,
19 is it solid or assuming some kind of packed bed of
20 particles?

21 DR. BLUMER: No. It's the as-fabricated
22 density that we use of the fibers, and that gives us
23 a certain volume, and actually it is specified as a
24 volume.

25 MEMBER ABDEL-KHALIK: Would be compacted?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BLUMER: I don't think so at these
2 head losses there is a big compacting going on.

3 MR. PETERSON: Well, a couple of things.
4 First, it's a calculation, same as when people used to
5 refer to an eighth of an inch as a thin bed; and
6 second, in these pockets it is not a true thickness,
7 something you can go in and measure. You know, you
8 have pockets --

9 CHAIRMAN WALLIS: It's a big fraction of
10 the pocket volume, isn't it?

11 MR. PETERSON: It's just a
12 characterization of the --

13 CHAIRMAN WALLIS: But the width of the
14 pocket is how much?

15 DR. BLUMER: Well, if you look at the next
16 slide -- maybe you can show the next slide. You see
17 that the pockets are pretty full. Yes. In the middle
18 picture that you see there, you see that there is not
19 much free space. So if you have it spread out as
20 screen, a theoretical one, you get 1.6 inches, but
21 here, of course, you get overlap between the surfaces,
22 and they interfere. So that you don't have a full --
23 not a filling of the pockets, but still quite a
24 substantial using up of the interstitial space.

25 VICE CHAIRMAN BANERJEE: How long do your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 normal experiments last?

2 DR. BLUMER: Until we reach termination
3 criteria.

4 VICE CHAIRMAN BANERJEE: Which is
5 typically when in terms of hours?

6 DR. BLUMER: Well, we've done testing
7 between a day of, say, eight hours or two days,
8 typically.

9 VICE CHAIRMAN BANERJEE: So 48 hours?

10 DR. BLUMER: Right, yes.

11 VICE CHAIRMAN BANERJEE: So how here you
12 have a condition which is a head loss of one foot in
13 48 hours. What's the variability on that, if you
14 repeated these tests, typically?

15 MR. PETERSON: We didn't repeat the long
16 term tests. The other tests we repeated, and within
17 a few tenths of a foot.

18 VICE CHAIRMAN BANERJEE: So here is one
19 foot. Right?

20 MR. PETERSON: Right.

21 VICE CHAIRMAN BANERJEE: Will you get --
22 I looked at your data or you showed it to me. How
23 variable is that going to be at one foot at 48 hours?

24 DR. BLUMER: Well, it depends also the way
25 you are doing the testing. What is not shown here is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the history up to 48 hours. We had a flow rate of
2 9,000, which we reduced to 5,110 afterwards. So we
3 get some pre-compaction of the whole debris layer,
4 which we thought was conservative for this flow rate.

5 VICE CHAIRMAN BANERJEE: So if you repeat
6 it whichever way you like -- I'm just trying to get a
7 handle on the variability. Is it that, if you
8 repeated this test for 48 hours, you would get 1 1/2
9 feet sometimes, .5 feet sometimes?

10 DR. BLUMER: Well, we have not repeated
11 this test, but we can say from other tests, for
12 example, for another U.S. plant, we had very good
13 repeatability for the chemical tests. There we
14 repeated the test, and we had very similar values.

15 MR. PETERSON: Let me try to answer that.
16 As far as on the debris portion of it, we have
17 repeated it, and I believe the repeatability was on
18 the order of -- the variation, a tenth of a foot.
19 It's pretty close.

20 VICE CHAIRMAN BANERJEE: On how many feet?

21 MR. PETERSON: It would be something less
22 than a foot.

23 VICE CHAIRMAN BANERJEE: Well, with
24 chemicals you are getting one foot loss at these
25 velocities. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PETERSON: Correct.

2 VICE CHAIRMAN BANERJEE: So without
3 chemicals you must get a lot less.

4 CHAIRMAN WALLIS: Yes. What do you get
5 without chemicals?

6 MR. PETERSON: Regrettably, we probably
7 could have had 300 slides. We deleted so many of
8 them.

9 CHAIRMAN WALLIS: What do you get without
10 chemicals?

11 MR. PETERSON: I just don't recall.

12 CHAIRMAN WALLIS: Is it much less or is it
13 half or something? Is there a very big effect here?

14 VICE CHAIRMAN BANERJEE: Well, everywhere
15 else it seems to have a huge effect.

16 CHAIRMAN WALLIS: Three orders of
17 magnitude.

18 VICE CHAIRMAN BANERJEE: Three orders, two
19 orders of magnitude.

20 MR. PETERSON: That was not -- We did not
21 see anything like that. I think the way a number of
22 people have characterized this is, as long as you
23 still have some open area, then the chemicals aren't
24 so bad. If you close the area, then you see these
25 orders of magnitude.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: But the pockets --
2 whether you actually fill up every pocket. If you
3 don't fill up a pocket, then there is no chemical
4 effect for that pocket. There's no fibers in it. It
5 makes a difference how you distribute the fibers among
6 the pockets.

7 MR. PETERSON: The center slide here -- I
8 mean, this is after drain-down, because there is no
9 way to really get inside.

10 MR. SCOTT: Can I make a point here,
11 please? I think it's important to remember that the
12 objective for the testing that the licensees are doing
13 is simply to show that they are adequate conservative.
14 So they've made the point here that dumping it in at
15 the top is conservative, and I think for the same
16 effect that mentioned, it is also conservative as
17 well, Dr. Wallis.

18 So as long as they can show that it is
19 conservative, then the variabilities in, for example,
20 the bucket loading that you were talking about, I
21 don't believe, are going to going to come into play,
22 unless I misunderstand your concern.

23 CHAIRMAN WALLIS: Well, sometimes it's not
24 so easy to know just what is conservative.

25 MR. SCOTT: Okay. Well, I just wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make -- I understand, but I wanted to make the point
2 that these licensees are testing to show that they are
3 conservative, and when they get to that point, they
4 consider themselves complete.

5 MEMBER ABDEL-KHALIK: Well, how do they
6 know that linear extrapolation of this plot over a few
7 days, up to 30 days, is conservative?

8 MR. SCOTT: That's a separate question.
9 I was referring to the loading that he was talking
10 about.

11 MEMBER ABDEL-KHALIK: But, you know,
12 without understanding the mechanism for the increase
13 in pressure over this multi-day period.

14 MR. PETERSON: The thought process was we
15 ran roughly a third of our 30-day mission, and it was
16 quite linear during that whole time.

17 MEMBER ABDEL-KHALIK: But what is the
18 cause of the pressure increase during that period?

19 DR. BLUMER: We have mentioned two things,
20 that I can imagine some erosion of the stuff that is
21 lying next to the strainers, as you see it in this
22 graph on the lefthand side. You see some deposition
23 at the lowest rows. And that there may be some
24 erosion occurring just similar to the erosion of the
25 fibers that have been tested before.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second thing could be an aging of the
2 chemicals.

3 MEMBER ABDEL-KHALIK: Well, how about a
4 change in the morphology of the bed?

5 MR. BUTLER: That's the point I was going
6 to make. You are starting with your 30-day loading of
7 chemicals and debris. At that day one, you are
8 starting with 30-day loading. You've already got a
9 bed there. There may be over time a changing of flow,
10 a compression, further compression of that bed over
11 time, but you've got to view that in part as day 31,
12 day 32.

13 MR. PETERSON: And to clarify, we are
14 using 140 percent of the chemical load, which the hope
15 is when the subsequent WCAP comes out from
16 Westinghouse with the inhibition and things like that
17 -- We have not credited any of that, but that
18 analytically we could go back and possibly credit some
19 of that. We got to look into it. Then it might be,
20 rather than a 40 percent chemical margin,
21 substantially higher, much like how we did the debris
22 load where we have the test results and then somewhat
23 fit the analysis, you know, to justify that load. But
24 at the present, it's got a 40 percent margin, plus as
25 John just said, it's the whole 30-day at time zero.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: Thank you.

2 VICE CHAIRMAN BANERJEE: What is the end
3 result of the chemicals?

4 DR. BLUMER: I have the results on the PC.
5 Can I go on with this in the meantime?

6 CHAIRMAN WALLIS: Please.

7 DR. BLUMER: Okay. On these figures you
8 see on the left side, there is some sedimentation.
9 You also see some RMI that's lying there, and as I
10 mentioned before, we didn't get much effect from the
11 RMI, but you still see --

12 CHAIRMAN WALLIS: How much of the material
13 is sedimented here? What fraction? Do you have an
14 idea?

15 DR. BLUMER: It was measured, but --

16 CHAIRMAN WALLIS: Looks like a fair amount
17 of stuff down there, like quite a lot of material
18 sedimented.

19 DR. BLUMER: And on the righthand side you
20 see a look into the loop after removal of the
21 specimen.

22 CHAIRMAN WALLIS: So there is material
23 deposited all the way along the loop, or no? Not a
24 long way along. It's clean beyond. We are looking
25 upstream in the loop on the righthand side?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BLUMER: Yes.

2 MEMBER ABDEL-KHALIK: So when you
3 correlate the pressure drop data, you correlate it in
4 terms of the total amount that was placed in the loop
5 or the total amount minus the amount that was
6 deposited upstream of the filters?

7 DR. BLUMER: We decided that this is the
8 most realistic way we can do the testing, and
9 sedimentation is part of reality here. We cannot do
10 experimenting in space, and it couldn't be realistic.
11 So we have to have the gravity effect within the
12 testing, and --

13 MEMBER ABDEL-KHALIK: But this is true
14 only if you expect sedimentation in your experiment to
15 be identical or similar to what you expect in the real
16 system.

17 MS. PENROSE: Well, don't forget the
18 materials added immediately upstream of the strainers,
19 and in reality it is considerably further upstream.
20 So if you see a wedge shape here, you would expect to
21 see a wedge shaped deposit in the prototypical.

22 MR. PETERSON: The screen velocity -- not
23 using the terminology of an approach, but the velocity
24 near the screen is scaled the same as in the plant.
25 So we have a flow rate, if it's a two-train scenario,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 9,000 gpm, and we have ratioed that based on the
2 number of modules. So we have the same flow rate
3 approaching the screen.

4 So if settling occurs because we drop it
5 directly in front of the screen, it would happen in
6 the plant, and it would be swept along the floor.
7 There is nothing different that we are doing here. We
8 are doing it at the same flow rate as would be
9 experienced in the plant.

10 MEMBER ABDEL-KHALIK: The particle number
11 density upstream of the filter during your experiment
12 is the same as what you would expect in the plant?

13 MS. PENROSE: The mass load on the screen
14 is the same.

15 MR. PETERSON; Yes. It's ratioed by the
16 area, by the number -- by the pocket area.

17 MEMBER ABDEL-KHALIK: But in terms of
18 particle density, number of particles would be the
19 same?

20 DR. BLUMER: Yes. That's the scaling load
21 that we use all the time. So flow rate and surface
22 and debris quantities are scaled by the same number.

23 MEMBER ABDEL-KHALIK: Okay. And
24 therefore, that's the basis for saying that you would
25 expect that the amount of material settling upstream

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the filter would be in this case much smaller than
2 what you would expect in the real plant; because the
3 transit time --

4 DR. BLUMER: In the real plant, it will be
5 much better, because the water has to flow over the
6 strainer to the other side.

7 MEMBER ABDEL-KHALIK: For a much longer
8 distance.

9 MR. PETERSON: Yes.

10 DR. BLUMER: And you get this curb effect
11 in the plant, because the water flows predominantly
12 over to the other side, and we didn't model that. We
13 just modeled the approach from one side. So if you
14 take this effect into account that the water actually
15 to the other side has to flow over a very high
16 entrance, then it's much better in reality.

17 CHAIRMAN WALLIS: So the decision here all
18 depends on the judgment of the staff that you have
19 been conservative enough.

20 VICE CHAIRMAN BANERJEE: Well, I'm not
21 convinced that you have been, because if you look at
22 the flow velocities approaching, which is what we are
23 talking about, they lie in the range of half a foot
24 per second to .7 feet per second, your own
25 calculations. That's what the flow velocities are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You are using velocities which are a
2 fraction of that.

3 If you look at your slide 25 and assume
4 that those are flow velocities, because they are one
5 to three inches above the floor, then you've got
6 velocities which lie in the range of .45 to .63 feet
7 per second, which is almost two orders of magnitude
8 higher than what you are showing there.

9 MR. PETERSON: Correct, but those are
10 quite distant as you work around this large
11 accumulator, around a stairwell.

12 VICE CHAIRMAN BANERJEE: Well, this is
13 actually leading up. So the fact that the debris
14 won't be transported to these is a specious argument.
15 I think, if you wanted to emulate this, you would have
16 the turbulence conditions which are typical of this.
17 You would have had approach velocities which were
18 lying between .5 and .7 feet per second.

19 So I don't believe that you have answered
20 Graham's question. In fact, I don't believe it's a
21 conservative argument that you have put forward.

22 MR. PETERSON: One thing, as I mentioned
23 when I showed the CFD and the reason it is stated as
24 preliminary and needs to be rerun with the trash pack.

25 VICE CHAIRMAN BANERJEE: Well, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fine. I'm just going on this. When somebody got up
2 and said that they believed it was conservative or
3 maybe they didn't -- I don't know -- but I think
4 Professor Wallis' point is that it matters how you
5 dump this stuff in, because I think it's a lot more
6 turbulent in the real situation than you are talking
7 about.

8 If you believe these numbers, it's a lot
9 more turbulent.

10 MR. PETERSON: So again in the real
11 scenario in the plant, we would generate the debris
12 inside the annulus, would --

13 VICE CHAIRMAN BANERJEE: We are talking
14 two orders of magnitude lower than this.

15 CHAIRMAN WALLIS: Actually, you wait. You
16 put it, and then you leave it there before you turn on
17 the pump.

18 MR. PETERSON: Right. I wait 20 minutes.
19 I let it settle down to the floor --

20 VICE CHAIRMAN BANERJEE: You increase the
21 velocity to half a foot per second. It's quite a high
22 velocity. The Reynolds numbers here must be of the
23 order of hundreds of thousands foot per second. It's
24 a very turbulent floor.

25 MR. PETERSON: When you go through those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restricted areas. Correct, and then they hit other
2 areas.

3 VICE CHAIRMAN BANERJEE: I'm just saying
4 that I'm not -- and I think Graham is not convinced
5 that dumping it the way you did it, a quiescent fluid,
6 is actually typical of what is happening.

7 MR. PETERSON: Well, quiescent -- I mean,
8 when we dump it in, the pumps are running.

9 VICE CHAIRMAN BANERJEE: They are running,
10 and your approach velocity is .02 feet per second.
11 Here it is .5 on the ground. On the ground.

12 MR. PETERSON: I see in front of it the
13 dark blue.

14 VICE CHAIRMAN BANERJEE: Yes. Look at the
15 yellow stuff.

16 MR. PETERSON; I see down to something
17 less than .09.

18 VICE CHAIRMAN BANERJEE: No, no, no, no.
19 Look at the velocities approaching -- We are talking
20 of entrainment of this material into the floor. This
21 is the velocity near the floor, one to three inches
22 from the flow, one to three inches from the floor that
23 you have shown.

24 MR. PETERSON: Correct.

25 VICE CHAIRMAN BANERJEE: Okay? These

1 velocities in the yellow and green regions which are
2 screening the debris --

3 MR. PETERSON: They are nowhere near the
4 screen, though.

5 VICE CHAIRMAN BANERJEE: Doesn't matter,
6 near the screen. I'm saying whether it's turbulent
7 enough to entrain the material.

8 MR. PETERSON: Yes.

9 VICE CHAIRMAN BANERJEE: And what's
10 happening is you are dumping this stuff into quiet
11 water. Here it will all sink, naturally.

12 MR. PETERSON: No, no. The water is not
13 quiet, though.

14 VICE CHAIRMAN BANERJEE: It's moving at
15 .02 feet per second. If that's not quiet water, what
16 is quiet?

17 MR. PETERSON: Oh, I don't have that.

18 VICE CHAIRMAN BANERJEE: Look, it's in
19 here. I really don't want to get into this, but I
20 just object to the fact that it is called
21 conservative. If you look at Slide 60, multiply those
22 numbers by 10 to get the FIS, it's .04 and .02, and
23 your numbers there are .5 and .7. Okay? So whatever
24 is entraining the stuff -- I mean, if you just look at
25 the Reynolds numbers, you are a factor of at least 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to 100 off on the Reynolds numbers.

2 CHAIRMAN WALLIS: So we have something
3 that has to be resolved next time we meet perhaps?

4 VICE CHAIRMAN BANERJEE: I think so.
5 Turbulence is important. It's sort of important in
6 most things.

7 CHAIRMAN WALLIS: It doesn't die away
8 right away. I mean, if you have the jets with
9 turbulence at one end of this annulus space, that is
10 going to continue.

11 VICE CHAIRMAN BANERJEE: Maybe you have
12 another argument why it is not turbulent.

13 MR. LU: I'm just adding one observation
14 here. They are talking about the circumferential
15 velocity. If you are comparing a screen approach
16 velocity versus that CFD analysis, you are absolutely
17 right.

18 I think that we are supposed -- For this
19 particular case we are supposed to compare the
20 circumferential velocity, so which is several factors
21 higher than the approach velocity.

22 CHAIRMAN WALLIS: You can do a test.
23 During analysis you fill the sump with water, and you
24 turn on the recirculation pumps, and you see what
25 happens.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LU: It's a full scale analysis and
2 test.

3 VICE CHAIRMAN BANERJEE: I am simply
4 objecting to this being called conservative.

5 CHAIRMAN WALLIS: Well, if it's not
6 conservative, then what are they going to hang their
7 hat on?

8 MR. LEHNING: This is John Lehnig of NRR
9 staff. We identified the same question. We had a
10 conversation with Salem and vendors over the phone and
11 asked this similar question on the turbulence and
12 other effects based on this test. So just so you
13 know.

14 CHAIRMAN WALLIS: I think the staff is
15 asking all the questions we are asking, and they are
16 the ones who have to sign whether it's okay.

17 MEMBER ABDEL-KHALIK: Is there any way to
18 estimate from the data how much of the material has
19 actually settled?

20 MR. PETERSON: Yes.

21 MEMBER ABDEL-KHALIK: Or is it too late?

22 MR. PETERSON: No. There's observations
23 that are recorded during the test of how much. You
24 know, they have run test after test. There's an
25 observation of how much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, I think next time
2 we meet with the Commission, we will nominate Sanjoy
3 to be the spokesperson.

4 MEMBER KRESS: That's an idea. His time
5 has come. But it's not just the staff.

6 CHAIRMAN WALLIS: Okay. I think we should
7 move on. This is something for further discussion.

8 MEMBER ABDEL-KHALIK: If I could go back
9 to the question I was asking, do you recall how much
10 of the material has actually precipitated upstream?
11 Is it 10 percent or 50 percent or 90 percent?

12 DR. BLUMER: I must get back to the
13 testing people to find out. I will tell you right
14 away. I don't know the number by heart.

15 MEMBER ABDEL-KHALIK: Thank you.

16 CHAIRMAN WALLIS: It would also be good to
17 have photographs of all of the pockets, not just the
18 bottom rows, to see how much material is in the top
19 row.

20 DR. BLUMER: We have additional
21 photographs, of course.

22 CHAIRMAN WALLIS: Interesting to see how
23 much material is in the very top row of pockets where
24 you put the bucket in, whether you get much in there
25 at all, because you could have a bypass of four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pockets at the top.

2 Okay. Are we ready to move any further
3 on?

4 DR. BLUMER: Okay. Next slide, please,
5 next one. Next one. Okay.

6 Well, again the head loss increased from
7 one to two feet in 13 days or 12 days, however you
8 count it, and the head loss was --

9 CHAIRMAN WALLIS: That second one, I
10 marked that as being interesting, because in fact,
11 presumably, it's the ones on the very top that have
12 the least material in them.

13 DR. BLUMER: Right.

14 CHAIRMAN WALLIS: And so perhaps that is
15 how you managed to avoid a higher head loss, by having
16 not much material on the very top. So it would be
17 interesting to know how much there is there.

18 DR. BLUMER: And we still have an
19 increase. It was almost linear over the whole time,
20 as I said before, and adding RMI didn't affect the
21 head loss very much. Of course, we also got some
22 settling there.

23 Then the reduction of the flow from 0.0046
24 to the one-pump operation reduced the flow rate, not
25 in a proportional manner but more than that. Then we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increased it again, and we had an increase from 2 to
2 only 2.5 feet, getting back there.

3 MEMBER KRESS: Were those two different
4 tests or during the same test?

5 DR. BLUMER: Well, if you look at the --

6 MEMBER KRESS: Yes. I was looking for the
7 reduction first, from 2.6 to one foot.

8 CHAIRMAN WALLIS: It doesn't seem to be on
9 the figure, does it?

10 MEMBER KRESS: No.

11 DR. BLUMER: So you see on the graph that
12 we had measured head loss up to 2.5 feet.

13 CHAIRMAN WALLIS: Oh, this was at the
14 beginning.

15 DR. BLUMER: No.

16 MEMBER KRESS: No, at the end.

17 CHAIRMAN WALLIS: No, but this reduction
18 of 2.6 to 1, was that at the very beginning?

19 MEMBER KRESS: Yes, that's what I was
20 thinking.

21 DR. BLUMER: No. I think --

22 CHAIRMAN WALLIS: You see, the experiment
23 was --

24 DR. BLUMER: It was at the beginning,
25 right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: This is the beginning.

2 DR. BLUMER: Right. That was at the
3 beginning at 48 hours.

4 CHAIRMAN WALLIS: That's at the beginning.

5 DR. BLUMER: And the other one is at the
6 end, and so we were back to 2.5, which was not
7 proportional to the flow rate.

8 CHAIRMAN WALLIS: Now we are a
9 subcommittee, and we are going to have a meeting of
10 the full committee in July at which this is going to
11 be presented. It seems to me personally we are going
12 to come around to this again, but the most interesting
13 part of all of this is the particular test which is
14 going to be used for the plant design, which is what
15 we are talking about now.

16 That's the most interesting part of
17 everything we have heard so far. This is what should
18 be presented to the full committee. Is it planned
19 that you folks will be there for that meeting? Is
20 that the idea?

21 MS. ABDULLAHI: I don't think we've
22 planned the agenda yet.

23 CHAIRMAN WALLIS: Because I think the last
24 thing we want to hear is there's all the work in
25 process, and nothing has been finished, which is what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we heard this morning. But this sort of stuff is --
2 You're going to hang you hat on this for design
3 purposes. I think the committee would be really
4 interested in that.

5 VICE CHAIRMAN BANERJEE: We like to see
6 data, and the only aspect of this which is a little
7 unsettling is what is the uncertainty in this slope.
8 In other words, if you had, say, even more data at 48
9 hours and that showed what the uncertainty was, is it
10 48 hours 1.5 or 2 or .5, some measure of this.

11 DR. BLUMER: You mean to say, if you did
12 more than one test?

13 VICE CHAIRMAN BANERJEE: Well, if you had
14 even other tests which ran out for a period --

15 MR. PETERSON: As I mentioned earlier,
16 without the chemical test with the debris, which makes
17 up a bigger chunk of the total, we have done repeat
18 tests.

19 VICE CHAIRMAN BANERJEE: Right.

20 MR. PETERSON: We have all that data.
21 There was a slide earlier of the number of tests that
22 had been done specifically for Salem. There have been
23 numerous head loss tests, including for the design
24 basis like fiber load and, you know, Min-K load. With
25 the predominant actors, we've done repeats. Those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 came out relatively close.

2 VICE CHAIRMAN BANERJEE: I think that
3 would be in itself valuable to have, because without
4 the chemicals, clearly, it's interesting to know what
5 the uncertainties are.

6 CHAIRMAN WALLIS: Well, we want to see
7 data, but we also particularly want to know the basis
8 for the staff's decision, and the basis for the
9 staff's decision, to my understanding, is these type
10 tests. You are going to use these tests to validate
11 the design in the plant.

12 Really, apart from that, everything else
13 is irrelevant. This is the key part of your decision
14 making. That's what we should focus on.

15 MR. PETERSON: But one second. We may be
16 able to give you --

17 DR. BLUMER: That was a repeat, but not
18 for 12 days, of course.

19 MR. PETERSON: No, no. This is a data
20 with 100 percent of the chemical. We didn't get the
21 140 in yet. Same debris load with a repeat. This is
22 in millibars. One test was 76. The other one was
23 75.5.

24 CHAIRMAN WALLIS: They are about the same?

25 MR. PETERSON: Then we went up to the 140

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- the same test, but on each -- 77 and -8.

2 CHAIRMAN WALLIS: It didn't make that much
3 difference.

4 MR. PETERSON: So those were repeats.

5 CHAIRMAN WALLIS: They were repeats.

6 MR. PETERSON: That's what I'm showing,
7 that those were short durations.

8 VICE CHAIRMAN BANERJEE: How long were
9 they?

10 MR. PETERSON: These were -- We would have
11 to look. My guess is a few days.

12 CHAIRMAN WALLIS: So I think what we need
13 to do is have sort of a set of criteria that the tests
14 are demonstrably conservative, that they are
15 repeatable, that they are this and this, and then you
16 want to show it by evidence. That would be the
17 argument to be presented to the full committee.

18 VICE CHAIRMAN BANERJEE: And I think the
19 concern about the approach stream turbulence has to be
20 dealt with in some way, because even though the flow
21 is circumferential and not perpendicular to the bank,
22 it still stirs it up. You understand the argument.

23 Here is the filter. The flow is going
24 this way. Okay? And the approach velocity this way
25 may be low, but the turbulence is generated by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow going that way, and that is what is mixing up the
2 stuff, and then that is being transported.

3 Now the flow going this way is at a very
4 high Reynolds number. So it is very, very turbulent,
5 even though the approach velocity sideways is rather
6 small. You see?

7 So it would be like if you had, let's say,
8 your box here, and it was sucking, but now you had a
9 very fast flow going this way carrying the debris.
10 It's fast enough that even right running from the
11 bottom it is half a foot per second. So if you take
12 a long velocity profile, it's of the order of two or
13 three feet per second in the main stream.

14 CHAIRMAN WALLIS: It is a high Reynolds
15 number, but it's -- It's just these pockets.

16 VICE CHAIRMAN BANERJEE: Unless your
17 calculations are wrong.

18 MR. PETERSON: You are looking at an area
19 remote. You are looking at the accumulators.

20 VICE CHAIRMAN BANERJEE: No, I am not
21 looking at the accumulators. I'm looking at the
22 circumferential velocity in front of the filters. If
23 you look at your figure, that's what I was saying.

24 I'm assuming your calculations are right.
25 I take no responsibility for them. But look in front

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of --

2 MR. PETERSON: We can do those
3 confirmatories. They are easy enough calculations.

4 VICE CHAIRMAN BANERJEE: Yes, but as they
5 stand right now --

6 MR. PETERSON: Yes?

7 VICE CHAIRMAN BANERJEE: -- look at this
8 part of the flow. Look at your ten o'clock region.
9 Right? Ten o'clock region there in front of your
10 filters. Your velocities are yellow, green. Now they
11 could be parallel to the filters. It doesn't matter
12 if they parallel to the filters.

13 MR. PETERSON: They won't be, once -- Like
14 I mentioned earlier, this is without the debris trash
15 rack. The only purpose of these is currently --

16 VICE CHAIRMAN BANERJEE: It's okay.

17 MR. PETERSON: It is going to move you
18 away from the screen farther.

19 CHAIRMAN WALLIS: But, look. They flow
20 also past all these pillars. There is a wake from
21 every pillar, and you can get into a --

22 VICE CHAIRMAN BANERJEE: Actually, I think
23 the flow -- these types of flows with this height are
24 very turbulent. It could be that the approach
25 velocity going in is pretty low, because you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high surface area. But the flow that is going by is
2 very turbulent.

3 CHAIRMAN WALLIS: The Reynolds number is
4 humongous.

5 VICE CHAIRMAN BANERJEE: It's humongous,
6 and it is going to churn everything up. Honestly,
7 believe me, I am not trying to --

8 MR. PETERSON: And our analysis has that
9 in there right now.

10 VICE CHAIRMAN BANERJEE: It is very
11 important that you have experiments or effect. That's
12 why I said did you put some propellers or something to
13 stir it up. I thought you were stirring it up.
14 That's why I asked that question. Maybe there is no
15 reason to stir it up, but in general --

16 CHAIRMAN WALLIS: Well, we are certainly
17 stirring things up today, and I would like to move on,
18 because I think we have made the point that there is
19 an issue here.

20 VICE CHAIRMAN BANERJEE: Okay.

21 CHAIRMAN WALLIS: And the staff is
22 scratching their heads about what they are going to
23 do. So could we return to Slide 64 then?

24 DR. BLUMER: Okay. Now I'm talking
25 finally about the overall head loss determination

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steps. We had this head loss which was a conservative
2 value with regard to picking the flow rate.

3 We had two different flow rates, as you
4 know, for one-pump and for two-pump operation; and we
5 picked the one which had the higher relative value,
6 and then we came up with a head loss as a function of
7 time, of course, using these 12-day periods and
8 extrapolated to 30 days, then as a function of
9 temperature.

10 Because we tested only at room
11 temperature, we had to use the viscosity to scale the
12 head loss for other temperatures with the viscosity of
13 the water. Then also the debris loading thickness,
14 because as we have a long train here -- I'll come at
15 that in the next slide. As we have a long train, we
16 have an axial pressure gradient within these green
17 channels, and we have a non-uniform flow rate into
18 these modules as you go along in this long train.

19 We assumed that we have also a debris
20 loading proportional to the flow rate into each
21 individual module. So we came up with such a head
22 loss function of these three parameters.

23 Then we made the final difference model
24 computation. Maybe I will show it in the next slide.
25 Yes, that is it. We have a pressure degree of freedom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in each intersection between two modules. We have a
2 inflow over the debris layer, and the axial flow was
3 in the clean flow path, and we produced a finite
4 difference scheme to calculate what's happening.

5 If we have higher head losses -- say, at
6 low temperature where the viscosity is high -- and
7 we've got a fairly uniform influx into the modules,
8 typically 10 percent difference between the first
9 module and the last one. But when we have very low
10 debris head losses at high temperatures and early on
11 in the first day, for example, then we get non-uniform
12 debris influx into the modules, which can be a factor
13 of two difference between the first and the last
14 module.

15 So we used such a finite difference scheme
16 to calculate that. Now we can go back to the other
17 slide again, one before. Yes,

18 The second bullet was shown in this graph
19 afterwards, and then we added the Z-shaped connection
20 channel head loss, which we calculated by CFD, as you
21 have seen before. The result is the graphs that we
22 have as a function of time, temperature and flow rate.
23 Now we can go two slides ahead. Yes, this one.

24 This is what we get for the 5,110 gpm.
25 This is a one-pump operation. You see the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature, and you see also the curves for a zero
2 base. That is the beginning of the test for two days
3 and for 30 days.

4 These numbers of time points were picked
5 because they are interesting for the NPSH
6 calculations. Then you also see the limit that was
7 imposed. You see above the design temperature of 190
8 degrees that there is a small intersection of the
9 curves, but actually it is not reasonable to have 190
10 degrees at 30 days. So this point at the intersection
11 there is not really critical.

12 The next slide shows you that we have more
13 margin with a 9,000 gpm flow rate. The graph shows
14 you basically the same thing.

15 So you see that these two graphs show you
16 that we have very large margins at lower temperatures,
17 even after 30 days. The only critical time point is
18 at the very high temperatures, above the design point
19 of 190 degrees.

20 Of course, our chemicals have not formed
21 all at these temperatures. So our head losses there
22 seem to be fairly conservative. My overall conclusion
23 on this is that we have substantial margins here.

24 MEMBER ABDEL-KHALIK: The temperature
25 effect that you have included here is primarily a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 viscosity effect?

2 DR. BLUMER: Right. Yes, that's the
3 viscosity effect. Yes.

4 MEMBER ABDEL-KHALIK: But the change in
5 the source term itself, the amount of material?

6 MR. PETERSON: That was already included
7 to come up with that 30-day integrated chemical value
8 that we actually used 140 percent that we introduced
9 at time zero.

10 MEMBER ABDEL-KHALIK: Oh, I see. So --

11 MR. PETERSON: So this is just the
12 viscosity.

13 MEMBER ABDEL-KHALIK: -- that corresponds
14 to the temperature of 190 degrees?

15 MR. PETERSON: The total loading
16 corresponds to the 30-day integrated temperature.
17 This temperature is just the viscosity change.

18 MEMBER KRESS: It's just the viscosity
19 with water.

20 MR. PETERSON: Viscosity with water. We
21 also put the chemicals in based on what was noted in
22 ICET.

23 MEMBER KRESS: But they wouldn't affect
24 the viscosity much.

25 MR. PETERSON: It was slight and we put it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in. I think Dr. Blumer --

2 DR. BLUMER: Yes. I made an evaluation of
3 the results of the ICET tests, and I took those
4 viscosities and factored them into the results on the
5 conservative side.

6 MEMBER KRESS: The delta is a linear
7 function of what? You just extrapolated -- The
8 pressure drop is linearly proportional to the
9 viscosity?

10 DR. BLUMER: They are the portion of the
11 debris, but of course, the turbulent part is assumed
12 as constant and independent of temperature for this
13 calculation. So you cannot scale it directly, if you
14 look at these curves, because part of it is the clean
15 head loss that was factored into this finite
16 difference scheme.

17 CHAIRMAN WALLIS: I think we've got to the
18 end here, haven't we? Have we got to the end? Then
19 there is something called questions, isn't there, that
20 haven't been asked yet. We can now leave the floor
21 open for questions.

22 VICE CHAIRMAN BANERJEE: I noticed that
23 you say some additional testing in the vendor's
24 facility, supplemental testing at vendor's facility.
25 So you could still conceivably stir up the stuff and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see what difference it makes, especially with the
2 chemicals. I think that would satisfy almost
3 everybody in some way, if you stir it up. It may not
4 matter if you actually stirred it up after that.
5 Shouldn't matter that much.

6 CHAIRMAN WALLIS: It would be interesting
7 to stir it up, try and get a uniform distribution.

8 VICE CHAIRMAN BANERJEE: You know, I was
9 sure that you were stirring it up.

10 CHAIRMAN WALLIS: If you dumped as you
11 stirred, you could dump it so that more of it fell to
12 the bottom as you put it in. If you put it in further
13 upstream and stirred it, you get a more uniform
14 distribution on the screen, whichever way you want to
15 do it. There's a lot of ways to change things.

16 DR. BLUMER: We've seen that through a
17 quite bit of turbulence we reduce head loss
18 enormously, because we disturbed the layer of debris
19 on the screen. In some cases we dumped in RMI. The
20 head loss went down, because we disrupted the layers.

21 VICE CHAIRMAN BANERJEE: See, I think what
22 you've got in the real situation is that outside those
23 pockets the external flow is pretty turbulent, as you
24 would expect, because the Reynolds number is quite
25 high.

1 Of course, once it goes into these
2 pockets, it is not because your approach velocity is
3 so low in these pockets in some way. As you correctly
4 point out, it is very low. So what you are faced with
5 is material which is fairly well stirred up outside,
6 eat least for some part of the system, and it is
7 sucking it into this reasonably well distributed.

8 That was why I asked you initially whether
9 you stirred this before you introduced it, because I
10 thought you were trying to emulate the system in the
11 containment where the Reynolds numbers for the
12 external flows would be expected to be quite high, not
13 in the pocket itself. The local Reynolds number is
14 very low there.

15 DR. BLUMER: Maybe we have to look at this
16 more closely. But again, as you see in these curves,
17 the margins that we have are --

18 VICE CHAIRMAN BANERJEE: May not matter at
19 all. Sure. Sure.

20 MEMBER KRESS: Perhaps one approach might
21 be if you had a pressure drop function as a function
22 of the amount of debris on a unit area. I don't know
23 if you have this anywhere or not, but one could
24 develop a calculational tool that distributes it along
25 the height different ways, and actually make an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 estimate of whether you get a different pressure drop
2 for a uniform distribution or one that varies.

3 CHAIRMAN WALLIS: I think the problem with
4 that is the chemical effects.

5 MEMBER KRESS: Well, yes, of course.

6 CHAIRMAN WALLIS: Because we don't know --
7 We have no way of predicting chemical effects.

8 MEMBER KRESS: I know, but that would be
9 one approach.

10 CHAIRMAN WALLIS: That would be all right
11 if you didn't have the chemical effects, I think.

12 VICE CHAIRMAN BANERJEE: They have a
13 multi-node calculation which is one dimensional. If
14 they made it two-dimensional, had a vertical --

15 MEMBER KRESS: Yes.

16 VICE CHAIRMAN BANERJEE: You could do it,
17 exactly what they are saying.

18 MEMBER KRESS: But he's right. You don't
19 know what to do about the chemical effect.

20 MEMBER ABDEL-KHALIK: Aside from all the
21 questions that have been asked today, I would like to
22 compliment you on, really, the amount of effort and
23 systematic work that you have done on this issue.

24 CHAIRMAN WALLIS: And are you going to
25 stay for tomorrow?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BLUMER: I have a flight at six. So
2 I'm not sure whether I can --

3 CHAIRMAN WALLIS: Now tomorrow we have
4 another three cases. Each one of them is very
5 interesting, and we will obviously go over the time.

6 VICE CHAIRMAN BANERJEE: I have a flight
7 at 5:40.

8 CHAIRMAN WALLIS: Oh, so the last
9 presentation is --

10 Okay. I think we ought to close it for
11 today, unless someone has a burning desire. I don't
12 see anyone leaping up and down, wishing to stay. So
13 we will meet again tomorrow, same place, same time,
14 8:30 in the morning.

15 Thank you all very much.

16 (Whereupon, the foregoing matter went off
17 the record at 6:37 p.m.)

18

19

20

21

22

23

24

25