

1 UNITED STATES
2 NUCLEAR WASTE TECHNICAL REVIEW BOARD

3 ***

4 FALL 1997 BOARD MEETING

5 ***

6
7 Hyatt Fair Lakes
8 1277 Fair Lakes Circle
9 Fairfax, Virginia 22033

10
11 Tuesday, October 21, 1997

12
13 The above-entitled matter commenced, pursuant to
14 notice at 8:40 a.m.

15 BOARD MEMBERS:

16 JEFFREY WONG, Presiding

17 JOHN ARENDT

18 DANIEL BULLEN

19 NORMAN CHRISTENSEN, JR.

20 PAUL CRAIG

21 DEBRA KNOPMAN

22 PRISCILLA NELSON

23 RICHARD PARIZEK

24 ALBERTO SAGUES

25

1 STAFF:
2 DAVONYA BARNES
3 DANIEL FEHRINGER
4 LINDA HIATT
5
6 ATTENDEES/PRESENTERS:
7 KJELL ANDERSSON
8 D. WAYNE BERMAN
9 STEPHEN BROCOUM
10 MELVIN CARTER
11 STEVE FRISHMAN
12 ROBERT L. KIMBLE
13 ARJUN MAKHIJANI
14 PHILLIP NIEDZIELSKI-EICHNER
15 ABRAHAM VAN LUIK
16 ENGELBRECHT von TIESENHAUSEN
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

[8:40 a.m.]

1
2
3 DR. WONG: I think we need to grab our coffee and
4 our chairs and start up. Good morning, ladies and
5 gentlemen. Welcome to this meeting of the Nuclear Waste
6 Technical Review Board Panel on environment regulations and
7 quality assurance. My name is Jeff Wong, and I'm the chair
8 of this panel, and luckily I get to chair this meeting.

9 Let me begin by going through some introductions
10 of panel members and other board members that are here
11 today. As you know, the board has undergone some transition
12 so it would be important for me to give a little background
13 of each one of the board members that are here.

14 First, John Arendt. John, raise your hand? John
15 began his career as a research engineer for the Manhattan
16 Project. Since then he has acquired extensive experience in
17 uranium processing, accountability, packaging,
18 transportation, as well as the management of engineering
19 projects related to the various aspects related to the
20 nuclear field cycle. Mr. Arendt is the founder and
21 principal of John W. Arendt Associates, Incorporated, a
22 consulting firm located in Oak Ridge, Tennessee.

23 The next member of the panel is Norm Christensen,
24 Junior. Norm is professor and dean of the School of the
25 Environment at Duke University, at Durham, North Carolina.

1 Dr. Christensen brings to the Board special expertise in
2 biology and ecology. One of his research interests, the
3 effects of disturbance on the function and structure of
4 populations and communities within the ecosystem, is
5 particularly relevant to evaluating the possible ecological
6 effects of the Yucca Mountain project.

7 Our next member is Dr. Paul Craig. Paul? Dr.
8 Craig is professor of engineering emeritus at the University
9 of California-Davis, and is a member of the University's
10 graduate group in ecology. His expertise and research
11 interests include energy policy issues associated with
12 global environmental change. His current work includes
13 developing the Presidio Pacific Center, a new institution
14 emphasizing sustainable development in the Pacific Rim
15 nations.

16 The next member of the panel is Debra Knopman.
17 Debra is the director of the Center for Innovation and the
18 Environment of the Progressive Foundation in Washington D.C.
19 Her previous experience ranged from free lance science
20 writing and editing, to Congressional staff member, to staff
21 and management positions at the USGS, to deputy assistant
22 secretary for Water and Science at the U.S. Department of
23 Interior. Her expertise and interests lie in hydrology,
24 environmental and natural resource policy, systems analysis,
25 and public administration.

1 And there is myself. Again, my name is Jeff Wong.
2 My day job is with the California Environmental Protection
3 Agency. And there I am the chief of the Human Ecological
4 Risk Division, and I deal with the toxicology and the risk
5 associated with the regulation of hazardous waste.

6 Also with us, right now there is only one of them,
7 but we also have three other Board members who are not
8 members of this panel but are here in attendance today.

9 And the first person is Dr. Dan Bullen. Dr.
10 Bullen is the director of the Nuclear Reactor Laboratory,
11 and is an associate professor of nuclear engineering at Iowa
12 State University.

13 He has extensive experience in performance
14 assessment modeling for radioactive waste disposal
15 facilities, engineered barrier systems, performance
16 assessment, radiolysis effects in spent fuel dry cask
17 storage environments, radiation effects on materials, and
18 materials degradation in severe service environments.

19 Later on today, hopefully, Dr. Priscilla Nelson
20 will be here. She is the program director of the
21 Directorate for Engineering at the National Science
22 Foundation, and previously was a professor of civil
23 engineering at the University of Texas at Austin. Her
24 expertise is in rock engineering and underground
25 construction. Her current research interests lie in the

1 development of probabilistic risk analysis approach to the
2 prediction of underground construction project performance.

3 Later on, also, Dr. Richard Parizek will be with
4 us. Dr. Parizek is a registered professional geologist. He
5 is also a professor of geology at Pennsylvania State
6 University. His expertise is in hydrogeology and
7 environmental geology. His research interests include
8 hydrogeology of carst fractured rock found in glaciated
9 terrains, factors controlling groundwater currents and
10 movement, and the relationship between land use and
11 groundwater pollution.

12 So that's the Board members that are here today.
13 Before we begin the meeting there is one administrative
14 announcement. On the agenda today we have reserved time to
15 receive comments from members of the audience. I would ask
16 you that if you are interested in making a comment, please
17 sign up with Linda Hiatt or Devonia. They are sitting back
18 there in the corner.

19 Everyone will get a turn and have an opportunity
20 to speak. We do ask that you limit your comments to five
21 minutes. And if you have any written records or written
22 materials you wish to submit, please give them to Linda and
23 Davonia in the back.

24 Now that we've gotten past the introductions,
25 let's turn to the purpose of today's meeting. As most of

1 you know, the nation does not have an environmental
2 radiation protection standard against which to judge the
3 performance or the projected performance of the Yucca
4 Mountain repository.

5 The U.S. EPA was assigned this responsibility and
6 they are still working on it. And I don't think we need to
7 delve into the reasons why we don't have that with us today
8 to discuss.

9 Our concern today is that of the efforts of the
10 U.S. DOE, and their efforts to move forward toward the
11 assessment of the viability of Yucca Mountain as a potential
12 repository. And this assessment will be done within
13 approximately a year. One component of this viability
14 assessment will be the total system performance to project
15 how well the repository at the site will isolate radioactive
16 waste from the environment.

17 And today we want to review the performance
18 measures that will be calculated in DOE's performance
19 assessment. One question, or our question is a fairly
20 simple one, though I think very difficult to answer. Do we
21 agree that DOE is calculating an appropriate measure of
22 repository performance or would some other measure be
23 better? If we disagree with DOE's plans, it is important
24 for us to let them know before the performance assessment is
25 completed.

1 It is difficult to evaluate DOE's performance
2 measure without having some context of how it will be
3 applied. To provide that context, we will begin this
4 meeting with a presentation describing the biosphere near
5 Yucca Mountain, especially the agricultural features of the
6 nearby Amargosa Valley.

7 Our first speaker is Mr. Steve Frishman. Mr.
8 Frishman is the technical policy coordinator for the State
9 of Nevada's Nuclear Waste Project Office. Mr. Frishman is a
10 geologist whose previous experience includes work on in situ
11 uranium mining and mine restoration.

12 He also has experience in hazardous waste
13 management and coastal and marine resources management.
14 Prior to assuming his current position, Mr. Frishman was the
15 director of the Texas Nuclear Waste Program Office, where he
16 was responsible for the state's oversight of the search for
17 a high level repository in the State of Texas. Mr.
18 Frishman?

19 MR. FRISHMAN: Thanks, Jeff. This morning before
20 we started, Tom Cotman and I were thinking back about 15
21 years ago to what we were doing then, relative to the Waste
22 Policy Act which hadn't quite passed yet. And we came to a
23 very somber conclusion, and that's that we're not any
24 smarter than we were then but we know a hell of a lot more.

25 This morning I've been asked to talk about what

1 you don't see from the top of Yucca Mountain. And that's
2 the people whose future generations will be the
3 beneficiaries of whatever performance Abe comes up with.

4 When you stand at the top of Yucca Mountain, you
5 look out and you see what looks like desert floor stretching
6 to other mountain ranges. When you stand down on the desert
7 floor you look back and Yucca Mountain is very prominent.
8 The Lathrop Wells cone is very prominent. And in many
9 places from that desert floor you are surrounded by green
10 and water, something that you don't know from the top of
11 Yucca Mountain.

12 Let me just check. I've been curious about this,
13 I've talked about this before at other groups. How many
14 people here have actually travelled around in Amargosa
15 Valley and seen what's there?

16 [Show of hands.]

17 MR. FRISHMAN: Well, it's getting better. A year
18 and a half ago that wasn't the case. I wanted to just sort
19 of give you a sketch of what is there, how it operates, and
20 a few of my thoughts about how maybe this ought to be
21 thought about in the performance system and in a regulatory
22 system. And I'll just go through sort of statistics with
23 some discussion. This is not my what-do-your-babies-eat
24 survey. You'll hear more of that later from the M&O.

25 The population in Amargosa Valley is about 1,250

1 people and is growing fairly fast. A number of those people
2 are active in farming or agricultural pursuits. It's
3 becoming -- there is a slightly increasing number of people
4 who live there just because they want to live there and they
5 work in Beatty and Pahrump. Some of them are actually in
6 Las Vegas because it's not that far to go.

7 And I think we can expect, just as everything else
8 is happening in southern Nevada, we can expect that the
9 population will continue to grow. Depending on economics,
10 we can expect there will be some growing economic activity
11 in Amargosa Valley rather than it sort of blossoming up into
12 a bedroom community.

13 Water is sort of the key to the whole situation,
14 the population situation in Amargosa Valley. And Amargosa
15 Valley, from the water administration standpoint, is what is
16 called by various names but it's a closed basin, closed in
17 the sense that all the water has been appropriated by the
18 State. And, in fact, from what almost everybody knows, it's
19 over-appropriated. There is about 22,000 acre feet of water
20 appropriated right now.

21 Of that, on the order of 5,000 acre feet is used
22 every year. And that's the amount that we can account for.
23 And that is used in agriculture. Another smaller amount is
24 used in domestic wells. And we don't know how much it is
25 because domestic wells don't have to be reported. But

1 anybody who owns a piece of property is entitled to a
2 domestic well. If you are going to use it for farming or
3 any commercial purpose, then you have to acquire a water
4 right.

5 If you look at just the depth of water, at Lathrop
6 Wells the water table is on the order of about 300 feet. As
7 you go south in Amargosa Valley the water table comes closer
8 and closer to the surface. Farmers quite a ways south,
9 about 10 or 15 miles south of Amargosa Valley, are drawing
10 water from anywhere from 45 to a little over 100 feet.

11 I know of one farmer who is drawing water from
12 about 40 feet. I asked him if he had draw down problems
13 because his family has been farming there for at least 40
14 years. And he said that the water is about 10 feet lower
15 than it was when they first started irrigating

16 But there is some question about whether that's
17 draw-down or whether it's a result of some faulting activity
18 in Ash Meadows that may have resulted in a drop of the water
19 table. And USGS is not sure what happened. They are not
20 sure whether it's a draw-down or whether it's due to seismic
21 activity.

22 Much of the irrigated farming is done on what are
23 called pivots. They are circular fields that are roughly
24 130 acres. And you can see these from the air, and they
25 just look like big green circles when you are flying over

1 them. And I'll show you in a few minutes a very short video
2 and you'll see how they are irrigated. The other way some
3 of the fields are irrigated is just by either ditch or drip
4 irrigation.

5 On these pivots they're using about 2 acre feet
6 per year per acre. So it comes out that they are actually
7 putting a lot of water on these fields. One of the reasons
8 for that is that they have a long growing season. They have
9 a growing season of a little over 200 days, which means for
10 the primary crop, which is alfalfa, they can get about seven
11 cuts a year. So for the land that is actually in
12 cultivation every year, which is 2,500 to 3,000 acres, they
13 are producing about 25,000 tons of alfalfa a year.

14 And there is about 5,000 acres that actually is in
15 cultivation but the land is rotated. So sometimes a portion
16 of it is out of cultivation for a year or two and then they
17 bring it back in. So at any given time, we are looking at
18 2,500 to 3,000 acres out of approximately 5,000 acres that
19 are right now either have been farmed or are being farmed.

20 Just as everywhere else in southern Nevada, most
21 of the land is not in private hands. In Amargosa Valley
22 there is only a total of about 19,000 acres that is
23 privately owned out of -- and it's about 30 square miles out
24 of a much larger valley. But, as history has shown and
25 we'll continue to see in the future, the land that's held by

1 the Bureau of Land Management can go into to private hands.
2 Land trades are depending on who is thinking about it when,
3 but land trades are fairly common and will probably become
4 more common.

5 And also, if you recall when you were in the
6 county, where the cover of Time magazine pictured the chair
7 of the County Commission insisting that the Federal
8 Government return the lands. And that's primarily a
9 ranching mentality but I think that it can spread to
10 farming, if that's the way people are so inclined in the
11 future. So it's not out of the question that much more land
12 in Amargosa Valley could be farmed in the future.

13 As I said, alfalfa is the primary crop. And if
14 you want to sort of break it down, I'd say it is about
15 25,000 tons a year that's produced. Just to sort of give
16 you a sense, they get about a ton and a half per acre per
17 cut. And right now this year the price of alfalfa is way up
18 because of the floods in California last year. But
19 depending on demand and availability, alfalfa can go
20 anything from about \$80 a ton up to -- I know some people in
21 the northern part of the state right now who are getting as
22 much as \$150 a ton.

23 Now most of the alfalfa is baled, but there are
24 people who find other innovative ways of dealing with their
25 crops. Now a few years ago, some people -- one of the

1 implement manufacturers invented a way to cube alfalfa. And
2 what it does is it compresses it after it's cut, and
3 actually produces cubes that are about this long
4 [indicating] and about an inch on the side. And so this
5 makes it very much denser and it makes it a lot cheaper to
6 ship.

7 But the problem has been that this equipment is
8 very hard to maintain and keep working. And it became
9 really inefficient. There is one guy in Amargosa Valley who
10 is some kind of a mechanical wizard because he's figured out
11 how to keep his cubing machine working and is able to make
12 money at it. And part of the reason he is doing this is
13 because alfalfa when you can ship it easily, you don't have
14 to ship in large bales, when you can ship it in cubes is a
15 good product to ship overseas.

16 Well, he's got a market through a broker in Los
17 Angeles where he's shipping about 4,000 tons a year of cubes
18 to Japan for some of the very high-priced beef that's raised
19 in Japan. So he's found a specialized market. He's got
20 about 400 acres where every year, as I said, about 4,000
21 tons go to Japan. So I think you are going to see, as I go
22 along, that what we're doing is we know that there are
23 pathways that go far out of Amargosa Valley. This is just
24 one.

25 Another one is something that is fairly new to

1 Amargosa Valley and the condition is increasing. And that's
2 that there is a very large dairy there and there is plans
3 for another. And I asked the manager of the dairy, you
4 know, "Why did you set up here?" And he said, "It's real
5 simple. There is a lot of feed available and there is a lot
6 of water available."

7 So what's happening is many of the farmers in
8 Amargosa Valley are raising alfalfa, selling to the dairy.
9 The dairy right now is milking just over 4,100 cows a day.
10 They are shipping about 32,000 gallons of milk a day to Los
11 Angeles for processing and distribution. So the primary
12 output of this valley is to Los Angeles in the form of milk.

13 There are other agricultural activities that are
14 much smaller, but some of them approach commercial when the
15 markets are right. Some of them are working into commercial
16 markets that exist. The climate is right for growing
17 pistachios. And there are at least two big orchards, one of
18 them with over 2,500 trees that is now in production.

19 Garlic and onions are a rotation crop for alfalfa,
20 so when they are growing those go into a commercial market.
21 There are also some sort of small garlic producers that grow
22 some very specialized, very large garlic. And they have
23 local markets for it, but it's not a real big market. There
24 are other places in Nevada that are large garlic and onion
25 producers compared to Amargosa Valley.

1 Oats is another rotation crop. It produces small
2 amounts, but they do go into the market. There is one place
3 that has in the past commercially raised hogs and will be
4 doing it again soon. It's just how the people are about
5 getting in and out of the market.

6 And then there is a new sort of interesting market
7 that's been experimented with in a lot of places, and it
8 looks as if the experiment probably will pay off in Amargosa
9 Valley. And that's that some people are beginning to raise
10 ostriches. And they are taking sort of the smart way.
11 There has been about 10 years of experience with it in the
12 southwest. And what they are doing is raising breeder
13 birds, rather than raising birds for meat.

14 But there is a large world demand for ostrich meat
15 that South Africa has not been able to meet. And so people
16 in this country are getting into it. There are just some
17 logistics problems with it but they seem to be getting over
18 it. One of the large demands is Switzerland, which I found
19 kind of surprising. But the world market looks pretty good
20 for it, so there are people who are interested in playing
21 with it. And there is good money in it, if you can make it
22 work.

23 So I think what you see is, you can chase pathways
24 around all you want. You can talk about critical groups,
25 you can talk about the maximally exposed individual. But

1 you have to recognize, when you are trying to work out
2 pathways, is this area that the primary product that could
3 contain radionuclides from not only Yucca Mountain, but also
4 from water associated with the Nevada test site, and also
5 water associated with the Beatty low level site.

6 The primary recipients are people outside of
7 Amargosa Valley. And there is no reason to think that this
8 will not continue. And, if anything, agriculture could
9 probably increase because the water rights are there. It's
10 just whether the people want to use them for agriculture or
11 not.

12 There has been at least one attempt to sort of
13 force a change in the use of the water. And that's since
14 there is about on the order of 15,000 acre feet of water
15 that is appropriated and not used and, as I said before,
16 maybe some of that shouldn't be used anyway, but there is on
17 the order of about 15,000 acre feet.

18 A few years ago a bright group of people went to
19 the State engineer and told the State engineer they wanted
20 him to exercise his right to forfeit water rights that were
21 not being used by those who owned one. And what these
22 people had in mind was they wanted the State engineer to
23 forfeit 15,000 acre feet of water per year to this company
24 so this company could build a pipeline and ship that water
25 to Las Vegas.

1 Well, we don't look too kindly in the State of
2 Nevada on interbasin transfers of ground water. And also,
3 Las Vegas has access to water from other ways. And it would
4 also most likely turn into mining water out of Amargosa
5 Valley that probably would not be recharged because we
6 really don't know what can recharge in that basin.

7 So the State engineer just denied the whole thing
8 and those water rights are still sitting there, owned but to
9 some extent not used.

10 Just so some of the Department people don't think
11 that I don't read the paper, I noticed that you've just
12 applied for a very large amount of water compared to the
13 temporary water right that you acquired back in 1992. The
14 Department had applied for something over 2,000 acre feet
15 per year when right now their permit is for 95 acre feet.
16 So that will not go unnoticed. I did have to read it in the
17 paper, so thanks for the information.

18 There is one other feature in Amargosa Valley that
19 is noteworthy, and that's the wildlife refuge and the
20 springs in Ash Meadows. The springs in Ash Meadows are
21 discharging on the order-- from the carbonate aquifer,
22 discharging on the order of 25,000 gallons per minute.
23 Large springs.

24 Crystal Springs, which is one I'll show you quick
25 glimpse of a video in a minute. Crystal Springs alone is

1 discharging about 10,000 gallons a minute, and that's the
2 surface expression in Amargosa Valley of the water table.

3 The Amargosa River flows through the southern
4 part, well, flows from Beatty down through Amargosa Valley.
5 Most of the time, it doesn't flow. But when it does, it's
6 in a flash flood condition. About the only way you can find
7 the Amargosa River most of the time is watch for what looks
8 like sort of a straggley line of trees and taller brush.
9 You know, most of the time that's about the only way you'll
10 recognize that there is a river there. But when there is a
11 flash flood, it becomes a really raging river. And that
12 happens maybe once a decade, maybe not even that often.

13 One of the things that is worth thinking about
14 relative to Yucca Mountain and water and the surrounding
15 area is that I've been watching the developing information
16 on El Nino for this winter. And looking at any of the maps
17 that I can find for forecasts shows that southern Nevada
18 this winter is going to be considerably higher than normal
19 rainfall.

20 And it has occurred to me that if from what we are
21 thinking we see relative to Chlorine 36, maybe this is a
22 good time to start planning some tests. Because it's
23 possible that this is going to be one of those winters when
24 we actually have episodic flow both in the fractures in
25 Yucca Mountain and some heavy surface flows. So it seems to

1 me that the project ought to be thinking about how to get
2 ahead of that and collect some worthwhile data, rather just
3 lose trucks in a 40-mile wash again.

4 That's, I guess, a general description of what's
5 there. I think it's important to sort of keep it in context
6 when you are thinking about the concept of what constitutes
7 a reasonable standard. And if you'd look at the pathways,
8 look at where the agricultural products go, it's going to be
9 very difficult to come up with a convincing argument that
10 you can identify a critical group where if that group is
11 protected, everyone else is protected. It's going to be
12 very difficult to work that out.

13 And this is the same message that I left with the
14 NRC's Advisory Committee and I'd like to leave that message
15 with you as well. Just in terms of how are you going to, in
16 a very conservative way, convince people that any standard
17 will protect people, out in the general global population,
18 who are the recipients of the performance or lack of
19 performance of Yucca Mountain in the future.

20 Let me put on just a very short video tape so
21 those of you who have not been around can see these scenes,
22 get a less than a five minute feel for what it looks like in
23 Amargosa Valley sort of looking back at Yucca Mountain.

24 [Presentation of video.]

25 MR. FRISHMAN: Pump fish. Some of them are

1 threatened, some of them are endangered. And for Devil's
2 Hole there is an endangered species. And one of the keys to
3 the whole question of water production in Amargosa Valley
4 and Ash Meadows is that there was a law suit to preserve
5 that endangered species. They ended up at the Supreme
6 Court. And at this point the rule is that there is a mark
7 in Devil's Hole, on the side of the spring on the rock wall,
8 and the water level can't go below that. And we know that it
9 will be pumping that takes it down if it goes below that.
10 So that's a constant monitoring point.

11 And if the water table will start dropping,
12 something is going to give. What's going to give is people
13 are going to have to stop pumping in areas that are even
14 possibly related to the discharge at the spring.

15 The reason for that water level is that there is a
16 rock shelf in the spring, very near the surface, which is
17 where the endangered pump fish breed. And if the water gets
18 below the level of that shelf, they won't reproduce because
19 that's the only area where they do reproduce.

20 So you've got sort of a walking tour of Amargosa
21 Valley. And I'll be glad to take any questions or just sort
22 of let the pictures settle into your heads so with the next
23 talk you can think about the relevance.

24 DR. WONG: Thank you, Steve. Any questions from
25 the panel? Dan.

1 DR. BULLEN: Bullen, Board. Steve, you mentioned
2 that there is 20,000 acre feet that are currently available.
3 So is alfalfa the best example of a crop that uses a couple
4 acre feet per acre so you basically have a limit of like
5 11,000 acres cultivatable per year, or do you expect that to
6 change?

7 MR. FRISHMAN: The only other crop that takes an
8 equivalent amount of water would be onions and garlic. And
9 they are rotation crops. I think the situation right now is
10 one that is best suited for alfalfa just because it markets
11 better within a system. People can make more money on it
12 and more easily. I don't know of another crop that would
13 take more water.

14 DR. BULLEN: I guess the question I'm asking is,
15 could you bound the maximum number of people and tillable
16 acres that you could have, based on the amount of water
17 that's currently available, and do you expect the amount of
18 water to change or do you expect that that 22,000 acre feet
19 is the maximum you are ever going to have?

20 MR. FRISHMAN: That 22,000 acre feet is probably
21 the maximum that will be appropriated. My guess is if it
22 started being used at that level, we would see draw down and
23 there would be some adjustments made.

24 DR. BULLEN: So you could bound it and put a limit
25 on it?

1 MR. FRISHMAN: You could put a limit on it. But
2 at this point you could double the agricultural production
3 and it would still be well within available water and maybe
4 even triple. Also, this question came up before. They are
5 drawing from fairly shallow wells. As you go up gradient
6 towards Lathrop Wells, you are still in a range where it's
7 not out of the question that you can lift water.

8 Lifting water 300 feet is something that people do
9 all the time. It's just that it's cheaper if you don't have
10 to. But if the markets are there, if land trades are
11 desired and can be accomplished, it's not at all out of the
12 question that you can see agricultural production right next
13 to Highway 95 at Lathrop Wells, because the water lift is
14 not that limiting.

15 DR. KNOPMAN: Knopman, Board. Steve, could you
16 walk us through the population changes over time? What
17 approximately was the population of the valley at, say, the
18 turn of the century, what was it, let's say, after World War
19 II? I don't know if you know these numbers --

20 MR. FRISHMAN: I don't know the numbers --

21 DR. KNOPMAN: -- but if you could say just
22 approximately. And, again, the last part of the question
23 would be, suppose you had no agricultural production going
24 on in the valley and all the water available currently were
25 used for municipal purposes, municipal and commercial? What

1 would be the approximate carrying capacity of the area, if
2 you weren't importing any water and you weren't --

3 MR. FRISHMAN: I'd have to do some fast arithmetic
4 in my head here.

5 DR. KNOPMAN: If you want to get back to us on
6 that, that would be fine.

7 MR. FRISHMAN: Okay. I'd rather do that because I
8 can do the numbers in my head but I'd have to think about
9 them and I'd probably miss by an order of magnitude. But I
10 will calculate that out for you.

11 I don't know actual numbers. I think the
12 population is probably larger now than it's ever been. In
13 the past the stable population were farmers. There are a
14 lot of absentee land ownership. There was a proposal at one
15 point, in fact, what led to the lawsuit over the endangered
16 species, there was a proposal to put in a residential
17 development for about 5,000 people. And its location, it
18 was determined, would result in a draw down of the water
19 table.

20 But my guess is that the population there has
21 probably grown 300 or 400 people in the last 10 years, and
22 they are probably all people who are not farming. But I
23 will try to calculate out what the available water would
24 support in population.

25 DR. KNOPMAN: I think it'd be good just to get a

1 sense of history over the last 100 years or so.

2 MR. FRISHMAN: Okay. And you are very well aware
3 of what Las Vegas Valley has done. And it's a much larger
4 valley. But at the same time even 25 years ago I don't
5 think anyone would have predicted that we would be looking
6 at over 1 million people in Las Vegas Valley now.

7 DR. WONG: Steve, I have a question. This is Jeff
8 Wong. You were talking about the alfalfa production. You
9 said there is 25,000 tons per year being produced. And you
10 said approximately 4,000 tons is destined for Japan. What
11 happens to the remaining 21,000 tons?

12 MR. FRISHMAN: A good part of it either goes to
13 the dairy in Amargosa Valley or it goes to dairies in
14 California. It just gets shipped -- it's baled and you see
15 it on the doubles and the triples heading down the highway.

16 There is an interesting 100 tons that I was really
17 surprised to hear about. It's an alfalfa that has a very
18 weak stem and very large leaf. And about 100 tons of it a
19 year is actually cut and picked up by a company in
20 California that uses it as a filler in herbal tea.

21 And I asked the farmer, "Isn't this stuff really
22 hard to handle? It doesn't bale." And he said, "Well, I
23 get the same per ton as everybody else is getting and all I
24 have to do is water it." People come cut it and pick it up
25 and haul it off.

1 But that's certainly another novel use for it
2 because it's just a particular type where the herbal tea
3 people are looking for the leaf. The people who bale
4 alfalfa need to have the stem in order to make it bale. And
5 that's about 100 tons a year. You know, every year you are
6 going to see something different.

7 DR. WONG: One last question. In terms of the
8 production of alfalfa what's the limit? Is it the water
9 that's the limit or is it the market demand currently?

10 MR. FRISHMAN: It's how much land you have in
11 production. You can sell all the alfalfa you can grow.

12 DR. WONG: Okay. Thank you, Steve.

13 Before we move on, I'd like to point out that Dr.
14 Parizek has arrived. And I have been remiss in forgetting
15 one member that's with us, and that's Dr. Dan Fehringer.
16 He's senior professional staff. He's right here. And Dr.
17 Fehringer has been key to arranging and putting together
18 this meeting, so if it weren't for him this would be running
19 much less well.

20 So now we will turn our attentions to modeling
21 the biosphere that Steve has just described to us. Our goal
22 is to project how any of the radioactive materials that
23 might be released from the Yucca Mountain repository could
24 enter the biosphere, move into drinking water, into the food
25 chain, and ultimately reach human receptors.

1 Today we have Robert Kimble, who is the assistant
2 vice president for program management and department manager
3 with the Science Applications International Corporation. He
4 is a member of the management and operating contractor for
5 Yucca Mountain site characterization activities. He will
6 describe for us today the M&O's effort to develop models of
7 the biosphere near Yucca Mountain. Please, Mr. Kimble?

8 DR. KIMBLE: Can everyone hear me? You already
9 did the introduction so I'll skip on past that.

10 As indicated, my presentation is related to effort
11 to get my project to model the biosphere in the vicinity of
12 Yucca Mountain. The efforts we have undertaken the last
13 year and a half or so to work with the environment Mr.
14 Frishman described.

15 DR. KIMBLE: A brief schematic of total system
16 performance assessment as it's being done for the Yucca
17 Mountain project. And following TSPA-1995, they began work
18 on the biosphere modeling, which is virtually the last total
19 system performance assessment once the radionuclides have
20 passed through the unsaturated zone and the saturated zone
21 and reached the accessible environment biosphere. And at
22 that point, we've been working at essentially that area
23 above the root zone where people might be living, using that
24 water for agriculture, using contaminated water for domestic
25 purposes.

1 And then the final product of the biosphere
2 modeling is biosphere dose conversion factors which are fed
3 back to the performance assessment group and they do the
4 dose calculations. Here is the definition of biosphere that
5 we're using, a section from the National Research Council
6 Report, commissioned by the Environmental Protection Agency.
7 I'm going to read this one. "The bio is a region of the
8 earth in which environmental pathways for the transfer of
9 radionuclides to living organisms are located, and by which
10 radionuclides in air, ground water, and soil can reach
11 humans to be inhaled, ingested, or absorbed through the
12 skin. Humans can also be exposed to direct irradiation from
13 radionuclides in the environment." Again, that's from the
14 recommendations report from the National Research Council.

15 The objectives of the biosphere modeling efforts
16 project of the Yucca Mountain project are relatively
17 straight forward. We are attempting to model radionuclides
18 movement through the site-specific environmental pathways.
19 And there are obviously a number of those that need to
20 address. We are calculating the biosphere dose conversion
21 factors for each radionuclide expected to enter the
22 environment from the repository.

23 And those factors are unit concentrations and the
24 total effective dose equivalent for in-ground water. The
25 unit of measurement is milli-rems per year, per picoCurie,

1 per liter. The total system performance assessment group is
2 providing us with the radionuclides of interest. We are
3 comparing the biosphere dose conversion factors which are
4 literally per unit calculations. And then back in the
5 performance assessment effort the conversion of those
6 factors to a total dose is concluded.

7 The factors we are looking at are scenario-
8 specific. In particular, we are looking at the population
9 in Amargosa Valley and the immediate vicinity of Yucca
10 Mountain. We're looking at the hypothetical subsistence
11 farmer. While that individual does not exist in the real
12 world out there, it's obviously an issue of some interest.

13 We're looking at the potential residential farmer
14 which probably is the population characteristics that Mr.
15 Frishman was assessing. And we're also looking at the
16 average person within the area. And I'll discuss a little
17 bit later biosphere food consumption surveys we've recently
18 completed.

19 We're also looking at three precipitation
20 scenarios. The actual precipitation currently in the
21 Amargosa Valley area, as well as double and triple
22 precipitation possibilities. Those scenarios were added as
23 a result of a review process that we went through in the
24 June-July time frame.

25 Again, a brief schematic of the process, as we

1 started it, again, relatively straight forward. We were
2 assigned a task to look at the biosphere in the region and
3 develop a way to model the effect of the repository on the
4 biosphere. We began that process with the development of a
5 scientific investigation implementation plan.

6 The next step in the process was to develop a
7 site-specific assessment context. In other words, looking
8 at the region, the Yucca Mountain project itself, and
9 determining exactly what factors, what scenarios, what
10 issues were relevant in the process of biosphere modeling.

11 From that we built a conceptual model, again,
12 trying to identify exactly what issues would be key to the
13 biosphere modeling process. And also to enable us to then
14 look at the available computer codes for biosphere modeling
15 to see which one or ones of those available programs would
16 address our particular needs.

17 The initial work with the selected code, and I'm
18 going to address that a little bit later, the initial work
19 was to do some sensitivity analyses to try to better
20 identify the key parameters, where we should focus our
21 resources in looking at additional data acquisition to drive
22 the biosphere modeling effort. We conducted some of that
23 data, did the acquisition analysis effort.

24 We, at this point, are in the process of
25 calculating preliminary biosphere dose conversion factors.

1 We are rerunning the analyses to verify that the parameters
2 that we thought would be included are, in fact, the ones
3 that are most interesting and useful for the modeling
4 process. And we will shortly be developing a set of
5 biosphere dose conversion factors to hand back to the
6 performance assessment group for use in total system
7 performance assessment for viability assessment.

8 One of the early steps in the process, that I just
9 showed you, was developing a site-specific assessment
10 context and a conceptual model that would allow us to go
11 forward with some of the other steps. To do that, we formed
12 a team within the Yucca Mountain site characterization
13 project, and started looking at the relevant site-specific
14 features, events, and processes that would need to be
15 considered in the biosphere modeling efforts.

16 We looked at environmental compartments of
17 interest. Obviously, right at the top, those are the
18 plants, the animals, the humans that would be potentially
19 affected by contaminated ground water. And then we are also
20 starting to look at that point at available transport
21 mechanisms to determine how, in fact, those pathways would
22 work, what pathways needed to be examined.

23 Now, based on that, we've established a conceptual
24 model of the issues that we needed to address.

25 The human exposure pathway for a ground water

1 release scenario is a simplified schematic of what we're
2 looking at. The radionuclides of interest and the ground
3 water unit concentrations, again, from our perspective, as
4 far as the modeling, we are just dealing with units rather
5 than concentrations at this point. Potential contamination
6 of a well that is used for drinking water, irrigation water
7 from that same well to another well in terms of potential
8 concentration of radionuclides in the soil and external
9 radiation sources. Those result in a potential for
10 livestock uptake, crop uptake, re-suspension from the soil.

11 As Mr. Frishman was alluding to, from the crop
12 uptake you may, in fact, have a pathway where humans consume
13 crops, humans also consume animals that have consumed those
14 crops. And that leads to that ingestion dose. From the
15 soil we have the potential for an inhalation dose. And we
16 also have the potential for an external dose of radiation.
17 All of these together lead to the final biosphere dose
18 conversion factors for each radionuclide of interest.

19 Evaluation and selection of computer code was the
20 next step in the process. Selection criteria for the model
21 that we wanted to use is that it had to be an existing,
22 essentially off-the-shelf model. We didn't have the time or
23 the resources to undertake code development process. We
24 needed to find a model that had been used in a regulatory
25 environment, some indication that it would withstand the

1 test of a project like this. And it also had to be capable
2 of handling a multitude of scenarios.

3 At that point in the process, we had a reasonably
4 good understanding of what scenarios we would be dealing
5 with, but we also had to deal with the possibility of
6 additional scenarios would be added along the way. And, in
7 fact, they were.

8 The codes evaluated. I won't read through a bunch
9 of acronyms, those are on the screen. The computer program
10 that was selected is the GENII-S program that was originally
11 developed at the Hanford site.

12 The next step in the process involved some data
13 collection and sensitivity analyses, again, to identify the
14 parameters and pathways of interest. Initially, we used the
15 generic data that was available with the model, as well as
16 generic information available from other sources, to conduct
17 that initial sensitivity analysis. We used that analysis to
18 identify the parameters and pathways of interest.

19 The next step then would be to collect data in the
20 area, site-specific information that would better inform the
21 model regarding that particularly sensitive information.

22 Then repeat the analyses and finalize the input parameters.

23 Based on those initial runs, we determined that
24 there was certain information that we probably need to
25 develop a better understanding of. And some of these

1 processes have already started, some of them have been
2 completed, others are just in the works now.

3 But we initiated a program of far-field water
4 monitoring to determine background radiation in in-ground
5 water in the area. We put the biotransport mechanisms and
6 processes, we did a soil types and characteristics survey
7 just this past summer in the Amargosa Valley area and north
8 of the area that's currently being heavily used or heavily
9 used for agriculture, looking at the possibility of that
10 agricultural practice expanding to the north.

11 And we also did a pretty robust survey of
12 consumption patterns of locally produced food.

13 It is, in fact, my area of interest, food
14 consumption. I'm going to use it as an example of exactly
15 what was done, what site-specific information for the
16 biosphere modeling effort.

17 Back in the spring, actually back last fall,
18 almost a year ago, we initiated work at the University of
19 Nevada-Las Vegas, to identify some of those issues that
20 needed additional research in the Amargosa Valley area.

21 The first effort was a focus group where we were
22 in Amargosa Valley and discussed with a small group, 10 or
23 12 local residents, including some of the major agricultural
24 producers, discussed with them the issues that they
25 considered relevant. What kinds of questions we would need

1 to ask to determine how much locally produced food was
2 consumed in the area.

3 Following that focus group we did a pilot survey
4 again utilizing the resources of the University of Nevada-
5 Las Vegas to make sure that we had an survey instrument that
6 was capable of getting the information that we were seeking.

7 And following that process, in June we completed
8 1,079 interviews of households in the immediate vicinity of
9 Yucca Mountain. And the distribution by the community in
10 the area is shown here. The concentration in Amargosa
11 Valley, the survey of the respondents there represent almost
12 half of the population in the Amargosa Valley.

13 The disconnect with the information Mr. Frishman
14 gave us is that our respondents were households rather than
15 individuals. So 195 households represents upwards of 700 or
16 800 residents.

17 We used the inverse gradient sampling process to
18 focus the survey results in the immediate vicinity of
19 Amargosa Valley, less so when you get further afield. And
20 then, at the end of that process, we also at that point had
21 been asked to look at the double and triple precipitation
22 scenarios, which obviously are very difficult to do in the
23 Amargosa Valley area because it is the 1x scenario.

24 So we added about 400 surveys, in addition to the
25 one shown here on the screen, in the Lincoln County area,

1 Pioche, and Canaca, and Caliente in Lincoln County have
2 annual average precipitation rates that approximate double
3 and triple what's current in Amargosa Valley. That
4 information gathering effort has just been completed and the
5 results from that should be available within the next couple
6 of weeks.

7 One of the interesting aspects of the survey, in
8 fact from the pilot study, we identified a not particularly
9 large but nonetheless significant Hispanic population in the
10 Amargosa Valley area. As a result of that, we asked NLV to
11 create a spanish language version of the questionnaire, and
12 have an interviewer who is a telephone survey interviewer or
13 interviewers for people to administer the survey in spanish.
14 As a result of that, of that 1,079, 21 of the surveys are in
15 spanish.

16 The other thing that we did as a result of this
17 process was some relatively rigorous test result
18 assessments. We went back and we tried over and over again
19 to interview some of the people who had initially refused to
20 participate in the survey. As a result of that, we got 33
21 additional respondents, and it also gave us a set of
22 responses that allowed us to address the question of non-
23 response bias.

24 Here, we did a number of surveys in the four
25 principal communities in the area and the percentage of the

1 total population that they represent. In Amargosa Valley,
2 it's about 43 percent of the households in the community,
3 unincorporated town of Amargosa Valley were surveyed.
4 Beatty it's a little bit less, about a third of the
5 households. Indian Springs and Pahrump, less still.

6 Preliminary results from the survey analysis to
7 create biosphere dose conversion factors. The first columns
8 here represent all the respondents to the survey. The
9 figures here are in kilograms of locally produced food, or
10 liters of locally produced water or milk. And the first set
11 of columns represents an average for all the column
12 respondents in the survey.

13 The second set of columns, which show a little bit
14 more consumption of locally produced commodities, represent
15 those folks that indicate they eat some significant portion
16 of their diet from locally produced sources. And the last
17 set of columns is essentially a hypothetical construct that
18 we developed. Over the course of the survey we found that
19 individuals who would be at subsistence level for one or
20 another of the food groups, no individuals that were
21 subsistence level for all of those food groups. In other
22 words, no respondent who was surveyed indicated that they
23 consumed nothing but locally produced food.

24 But, nonetheless, based on the responses by
25 particular food groups, we were able to construct the

1 hypothetical subsistence individual in the area. The next
2 page is a presentation of the results of that table, and I'm
3 not going to go over those.

4 This is a graphic depiction of the same
5 information that was on that previous table. And as you
6 might expect, as you go through the different scenarios
7 differences are relatively dramatic. That in the total
8 population the average individual consumes less locally
9 produced food for each of the food groups than this
10 hypothetical construct with the subsistence individual. The
11 partial subsistence group is in between those.

12 Some of these processes have been gone through so
13 far. The attempt here is to calculate the biosphere dose
14 conversion factor and uncertainty for each of the
15 radionuclides of interest. There were 39 radionuclides that
16 were identified in TSPA-1995 that we are currently working
17 with. We're looking at the three receptor scenarios, the
18 average individual, the partial subsistence individual, and
19 the subsistence individual.

20 And the three precipitation possibilities, current
21 annual average precipitation in Amargosa Valley area, as
22 well as doubling and tripling that. And we're evaluating
23 the uncertainties in terms of the sources of uncertainty and
24 the range of uncertainties for each of those biosphere dose
25 conversion factors.

1 A couple of examples of the preliminary output
2 from the biosphere modeling process. This is representative
3 of Iodine 129. And it shows the efforts and culmination of
4 the efforts, and the kind of product that we will be
5 providing to the Performance Assessment Team. One more of
6 those, and it actually has a label on the top of it. This
7 one represents the biosphere dose conversion factors for
8 Technicium 99.

9 In summary then, to indicate where we are in the
10 process at this point, the biosphere modeling team has
11 completed the process of developing the scientific
12 investigation implementation plan, the site-specific
13 context, and the selection of the model.

14 We have conducted the initial sensitivity analyses
15 and data acquisition. We have completed that data
16 collection and evaluation for the first runs.

17 We are scheduled to deliver the preliminary
18 biosphere dose conversion factors to the performance
19 assessment group next month. Following that, we will do
20 some refinements. We may look at the possibility of
21 enhancing some of the site-specific information, as
22 necessary. And we will provide the final dose conversion
23 factors to the Performance Assessment Team in March for use
24 in TSPA-VA.

25 DR. WONG: Thank you, Mr. Kimble. Questions from

1 panel members? Debra.

2 DR. KNOPMAN: Let me just try and make sure I
3 understand what you are delivering to the Performance
4 Assessment Team. You said you are calculating the biosphere
5 dose conversion factors for 39 radionuclides, 3 receptor
6 scenarios, and 3 precipitation states. That's 350
7 conversion factors you are giving them.

8 Now what do they do with 350 conversion factors,
9 in terms of some kind of summarizing? Is it a distribution
10 then of -- how do you take 350 pieces of information, in
11 effect, and get it into the performance assessment in a
12 meaningful way?

13 DR. KIMBLE: I'm smiling and looking at Abe Van
14 Luik who --

15 DR. VAN LUIK: This is Van Luik, DOE. The way
16 that we will use these, the team will have the look-up
17 tables, and depending on the scenario that we are
18 calculating at any given time, the precipitation or other
19 scenario, we will go to the table with the distribution
20 function, of which you saw some examples, that's appropriate
21 for that scenario and select from it.

22 If they are creating a very large data set for us
23 with uncertainties evaluated and distributions, then we will
24 sample from those distributions in the actual calculations.
25 And there will be a chapter in the TSPA-VA that outlines

1 this whole process.

2 DR. KNOPMAN: You generate distribution from the
3 350 factors? Do you sample from the factors or are you
4 sampling from something else? Each factor has a
5 distribution.

6 DR. VAN LUIK: Yes. It's my opinion at this
7 point, and I haven't delved into this in the greatest
8 detail, my opinion is that, for example, if we are in an
9 enhanced climate, you know, scenario where we have double or
10 triple precipitation, we will go to the PDF, of which he
11 showed a couple of examples, for that precipitation state
12 and sample off of that distribution. Does that answer the
13 question?

14 DR. KNOPMAN: Somewhat.

15 DR. VAN LUIK: Somewhat. So we will have multiple
16 distributions and they are scenario-specific depending on
17 which scenario we happen to be calculating at the time, we
18 will go to that PDF and sample from it.

19 DR. KNOPMAN: And when you are sampling from the
20 probably distribution function do you have a sampling rule
21 that you're following, or is this simply random sampling?

22 DR. VAN LUIK: It's my impression that it's random
23 sampling at this point. We could, you know, of course as
24 time goes on, get a different set of rules put together.

25 DR. WONG: Norm?

1 DR. CHRISTENSEN: Christensen, Board. With regard
2 to the trends in precipitation, and this may be what Debra
3 was getting at, will there be or are there predictable
4 relationships going from one 1x, 2x, to 3x? And the reason
5 I ask that, because another likely scenario would be 1/2x.
6 Would you be able to infer that?

7 DR. KIMBLE: I think you probably can. My
8 understanding of the modeling process, that the intuitively
9 appealing answer is that as you increase precipitation you
10 are going to reduce the requirement for, for instance,
11 irrigation on the alfalfa that has been alluded to.

12 Therefore, less of the crop will be watered with
13 potentially contaminated water, and therefore, as you
14 increase the precipitation you probably reduce potential
15 radionuclide concentrations in those rocks.

16 At this point I'm not sure that there is a linear
17 relationship but there is certainly something we are
18 interested in examining, because at one point in the process
19 we also were asked to look at 5x precipitation scenarios.
20 But the likelihood is that other scenarios are certainly
21 there, and we'd like to develop an understanding what kind
22 of relationship there is.

23 MR. CHRISTENSEN: It does seem to me like the
24 assumption is that we're as dry as it ever gets. I suspect
25 that that's not the case. And that, and I'm going to

1 bracket on the other side as well, if you have higher
2 evapotranspiration, greater irrigation needs, if the
3 assumption is that these are linear relationships than maybe
4 you can extrapolate but you will be outside the domain of
5 your data.

6 DR. KIMBLE: I'm not sure that's the assumption.
7 We, quite frankly, don't know enough at this point to make
8 that assumption. That is something we are looking at.

9 DR. BULLEN: Bullen, Board. As a follow on to
10 that, isn't a bounding case just 0x precipitation, where you
11 completely irrigate, and the complete irrigation case would
12 give you the highest dose? And wouldn't it make sense to at
13 least do that so that you know what the bound is, what's the
14 worst possible scenario?

15 DR. KIMBLE: Actually, that's probably correct.
16 Given the annual precipitation out there, we're not talking
17 about dramatic shifts either. You know, our information
18 would suggest that, in fact, the irrigation of alfalfa which
19 is the cash crop of interest out there is much heavier than
20 Mr. Frishman has indicated.

21 The agricultural operators we talked to out there
22 have been putting upwards of 5 acre feet a year per acre on
23 their alfalfa. And so when you are talking about is it 6
24 inches of precipitation, or none, or three times that, it
25 doesn't make a particularly dramatic difference.

1 DR. BULLEN: A couple of quick questions about
2 your dose calculations. Did the bounding cases that you
3 use, you noticed it for the average adult, are you taking
4 into consideration infants, for example, in milk
5 consumption, or teens in total caloric intake, when you do
6 your analysis?

7 DR. KIMBLE: No. We are looking strictly at
8 adults in the households.

9 DR. BULLEN: Okay. And I guess the follow-on
10 question to that would be how you address cumulative dose
11 effects. Do you talk about things like bone seekers and
12 radionuclides that are uptake by the body and not
13 discharged. Do you take a look at committed cumulative dose
14 effects?

15 DR. KIMBLE: I'm going to turn that question over
16 to one of our modelers who is here. Ning Liu.

17 MR. LIU: Ning Liu, with SAIC. I think we have to
18 in the cumulative dose, the dose factor, we are calculating
19 the total effective dose equivalent which accounts for the
20 accumulation in the human body.

21 DR. BULLEN: What's your dose scenario then? Is
22 it a 50-year committed dose so it's 50 years of exposure and
23 50 years of dose?

24 MR. LIU: That's correct.

25 DR. KNOPMAN: You said you did the sensitivity

1 analysis to drive your additional data calculations and then
2 it led to four different, I guess, you thought out
3 additional data in four areas. Among those four was far-
4 field water monitoring, biotransport mechanisms, soil types,
5 consumption of locally produced food.

6 What was the single most important, what is the
7 parameter your model is most sensitive to than the next
8 parameter down? I'm trying to get a sense of magnitude here
9 on importance, what's driving the model?

10 DR. KIMBLE: I'm going to leave the answer to
11 Ning, also. He's the one who's been actually performing the
12 model work.

13 MR. LIU: The defence of the parameter highly
14 depends on the radionuclide. For example, with iodine 129
15 the most sensitive, the driving pathway would be beef and
16 milk. Whereas, the other radionuclides, for example,
17 technicium 99, there would be water consumption, vegetables,
18 fruit. So it depends on radionuclide. Does that answer
19 your question?

20 DR. KNOPMAN: So you are talking about the actual
21 activity of the radionuclide itself is what --

22 MR. LIU: That's right. It depends on each
23 radionuclide.

24 DR. KNOPMAN: I realize it's dependent. I'm just
25 trying to understand. You have lots of steps along the way

1 in processing some concentration here of the radionuclide
2 until it gets to its exposure endpoint. What along the path
3 is having the greatest effect on your endpoint dose, what
4 parameter?

5 MR. LIU: That also depends on the radionuclides.
6 I'm still using the example of iodine 129 because beef and
7 milk is the most sensitive pathway. And all the parameters
8 along this pathway, for example, transfer coefficient from
9 soil to plants, from plants to animals is most sensitive
10 parameters.

11 DR. KIMBLE: Is there one in particular or is the
12 transfer mechanism from soil to plants or from plants to
13 animals, for example?

14 MR. LIU: Those two are basically the most
15 important parameters. Could I show you a couple of slides?
16 If you are interested, perhaps we could discuss this later.

17 DR. KNOPMAN: Perhaps you could just provide us
18 with hard copies of your slides?

19 MR. LIU: Yes. We have breakdowns how much
20 toxicity each parameter contributed to overall toxicity.

21 DR. KNOPMAN: If I can just follow up. And the
22 reason for asking this, in all of the modeling that we are
23 looking at here we are trying to understand what's in fact
24 driving the results. And then the obvious question is what
25 kind of data do we have to estimate that parameter?

1 MR. LIU: Yes. If you can give me one more
2 minute, I can show that very quickly. I have those slides
3 in my briefcase. It's an overhead.

4 DR. KNOPMAN: Well, if we could quickly look at
5 the overhead.

6 MR. LIU: Or I can send you a copy later on.

7 DR. KNOPMAN: Well, if you have a summary
8 overhead, I think it would be helpful. While we're waiting
9 for that, I guess the other related point has to do with how
10 one tests your model. How do you know this is a good model?

11 Do you have some independent set of results of the
12 independent and dependent variables here in which you can,
13 in a sense, calibrate your model so you have some idea of
14 its goodness of fit with real data?

15 DR. WONG: If we could hold that question.

16 MR. LIU: We see annual optic scale, which is the
17 parameter used by this model, GENII-S model, to change the
18 transfer coefficient from plants to animal. So in this case
19 you see -- is that better -- here the cracks are, how
20 sensitive a parameter is.

21 So you can see from here, the most important
22 parameter is the annual optic scale and the crop
23 interception question. So you can see that the pathway from
24 soil to plants and then from plants to animal, it's the most
25 important pathways. They are the parameters.

1 DR. KNOPMAN: So is this one big, is this just a
2 regression model you have?

3 MR. LIU: Actually, the sensitivity analysis we
4 did is we used Monte Carlo technique to sample each input of
5 parameters. And then we used in the step rise regression, I
6 tried to establish the relationship between output and input
7 parameter. And then we identified most important parameter.

8 DR. KNOPMAN: Okay. That's a huge difference
9 between the top two parameters and everything else.

10 MR. LIU: That is correct. In most cases there is
11 only a few driving parameters for each scenario.

12 DR. BULLEN: In the GENII-S analysis stochastic
13 variability, and you've pictured distributions, do you do a
14 deterministic approach also where you basically just set the
15 parameter that you are going to evaluate?

16 I'm a little bit familiar with the GENII-S code,
17 and so the question I'm asking is, you know, are there a
18 couple of switches that you can set, one of which basically
19 doesn't allow you to do the sampling but pegs it as a
20 certain number so you can essentially do the bounding
21 analysis by forcing it to the ends of distribution? Have
22 you done those sensitivity analyses also?

23 MR. LIU: No. Right now we're taking the
24 stochastic approach, but in order to get a conservative
25 conclusion you can take, you know, for example, 95

1 percentile from your output as the upper limit. You can do
2 it that way or you can, like you said, using the upper bound
3 input parameter and then using the deterministic approach to
4 calculate end dose.

5 DR. BULLEN: How does the stochastic nature of
6 your calculation get transferred on to TSPA-VA where that's
7 also going to be a stochastic dose and so, essentially, what
8 you are doing is you are compounding, aren't you?

9 MR. LIU: That's correct. What we're doing now is
10 calculated dose from unit concentration. And performance
11 assessment people will combine the radionuclide
12 concentration in ground water and a dose conversion factor
13 to come up with the final dose.

14 DR. BULLEN: So is there a probability associated
15 with your dose also?

16 MR. LIU: That's correct.

17 DR. BULLEN: And so there will be another
18 probability -- but that's same --

19 MR. LIU: Yes. There would be another random
20 sampling exercise when they come down to PA for the final
21 dose calculation.

22 DR. BULLEN: I have two last questions.

23 DR. KNOPMAN: Jeff, excuse me. There was one more
24 question about the model verification.

25 MR. LIU: Okay. Previously, the VA in this

1 project's language is classified as conventional quality,
2 which is we do not have to do the QA for the model for VA.
3 And lately we decide to switch this VA into a Q program. In
4 that case, we have to do a VME for the model. And actually
5 we're doing the model verification at this time.

6 DR. BULLEN: Okay. Again, I have two last
7 questions. One is, for your values up there, let's say the
8 crop interception fraction, how did you arrive at the range
9 of values? And then, number two, not related to the slide
10 but related back to overhead number 7, how did you arrive at
11 the drinking water exposure pathway being limited just to
12 ingestion? That's the two questions.

13 MR. LIU: Okay. The first question, like Bob
14 pointed out earlier, is the parameter sensitivity analysis,
15 we used generic data basically that either comes with the
16 model itself, or it's published in the literature, or it
17 comes from other site, or other similar studies. And that's
18 the range in this right side of the slide. What was the
19 second question, again? I'm sorry.

20 DR. BULLEN: The other question I had which goes
21 back to Mr. Kimble's presentation on slide number 7, it
22 shows the drinking water pathway limited totally to
23 ingestion. And my question was, how did you arrive at
24 excluding other potential pathways and focusing only on the
25 ingestion pathway?

1 MR. LIU: This drinking water, I'm not sure what
2 you refer to other possible pathways for drinking water? My
3 understanding is drinking water is only for drinking.
4 Obviously it's ingestion.

5 DR. BULLEN: Inside a home there are other
6 domestic uses of water.

7 MR. LIU: Oh, you mean external exposure?

8 DR. BULLEN: Right.

9 MR. LIU: Yes, we did the screening calculation
10 for external exposure for domestic water usage. Basically
11 for other radionuclides the external pathway is fairly
12 minimum compared to other pathways. So most of the pathway
13 comes from ingestion.

14 DR. BULLEN: So ingestion is the dominant dose?

15 MR. LIU: That's correct.

16 DR. BULLEN: Thank you. Any other questions?
17 It's now 10:00. According to the agenda, we're scheduled
18 for a 15 minute break. So I suppose that puts us a little
19 bit behind schedule, but at 1:25 we'll get back together and
20 listen to a presentation by Steve Brocoum and Abe Van Luik.

21 [Recess.]

22 DR. BULLEN: If we can take our seats, please? It
23 looks like we have a few tardy board members.
24 I guess the last board member in is going to buy doughnuts
25 for everybody. Okay. I guess we'll just get under way. We

1 have a series of presentations, and then one after lunch,
2 and then later on this afternoon we'll have a round table
3 discussion.

4 So related to our next presentation, as I
5 mentioned before. The DOE has defined an interim
6 performance measure that it intends to use for performance
7 assessment for a potential Yucca Mountain repository. To
8 describe that performance measure and its rationale, we have
9 a tag team presentation by Steve Brocoum and Abe Van Luik,
10 both with DOE.

11 Dr. Brocoum is the assistant manager for
12 suitability and licensing. Dr. Van Luik works with Dr.
13 Brocoum as a team leader for the Technical Synthesis Team.
14 Dr. Brocoum, Dr. Van Luik, I look forward to your
15 presentation.

16 DR. BROCOUM: I will be talking about the DOE
17 postclosure performance measure, sometimes people refer that
18 to the interim standard. That's politically incorrect. And
19 the reason that's politically incorrect, of course, is
20 because DOE doesn't set standards. Our job is to implement
21 whatever standards are set by the regulatory agencies, in
22 this case, that will be set by EPA. So we call that our
23 interim performance measure. I'll be talking about a little
24 background, what that measure is, and our rationale for it.

25 Most of us know the background. Basically, in

1 1987 the U.S. Court remanded EPA's 40 CFR 191. Since that
2 time the Yucca Mountain project has been without an
3 applicable postclosure standard. In 1992, Congress directed
4 the EPA to promulgate a site-specific standard for Yucca
5 Mountain.

6 And there was a whole National Academy of Science
7 study that started in 1992, 1993 time frame and we're still
8 waiting for that standard. We developed our internal
9 interim performance measure to help guide the technical
10 program.

11 I need to make one comment at this point because
12 at the introduction to this meeting, Jeff Wong related the
13 interim performance measures to the viability assessment and
14 they are not related. The viability assessment will state
15 how the site might perform. It will not necessarily compare
16 it to a standard or a measure.

17 Interim postclosure performance measure. The
18 measure. Expected annual dose to an average individual in a
19 critical group living 20 kilometers from the repository
20 shall not exceed 25 milli-rems from all pathways and
21 radionuclides during the first 10,000 years after
22 closure.

23 You also have a goal, to conduct analyses beyond
24 10,000 years to gain insight into longer term of system
25 performance. For this period, the expected annual dose to

1 an average individual in a critical group living 20
2 kilometers from the repository should be below the 10,000
3 year performance measure. And that is the goal, i.e., not a
4 requirement.

5 Our rationale. We believe that 10,000 years is a
6 sufficiently long time period for public protection. There
7 is lots of regulatory precedence, for example, RCRA. And we
8 believe that a time frame greater than 10,000 adds to the
9 regulatory complexity without providing added public safety
10 and protection.

11 Time frame. Post 10,000 year calculations can
12 provide insight regarding how a system may behave in a long
13 time frame, and they can help us evaluate potential
14 engineered barrier enhancements that may allow us to improve
15 performance. The post 10,000 goal was established to
16 complement the 10,000 year performance measure, which in a
17 sense would be a requirement. And it's based on new
18 information regarding time of peak dose.

19 When all of this started back in the '92 time
20 frame, when the Act was passed and the National Academy
21 began their study, our performance assessments at that time
22 showed a peak dose occurring somewhere between 4 and 600,000
23 years in the future. Several hundreds of thousand years in
24 the future.

25 Since that, due to increasing percolation, due to

1 we're using more current data on solubility of neptunium,
2 the peak doses in the area from 20 to 30,000 years, so that
3 when we started the National Academy of Sciences process we
4 felt that 10,000 years was the appropriate time frame for
5 regulation.

6 The goal at that point seemed very realistic since
7 we were talking about many hundreds of thousands of years in
8 the future. Now we're talking about peak dose in a few ten
9 thousands of years in the future.

10 With regard to the dose limit, we feel a dose
11 limit on the order of 100 milli-rems a year is protective of
12 the public. This is consistent with all of these
13 regulations and the EPA generic draft Radiation Protection
14 Guidance which was never actually issued but was in draft
15 form. They all recommend 100 milli-rem or 1 mil li-
16 sievert.

17 We selected a dose limit of 25 milli-rem a year
18 for our interim performance measure. It represents a
19 fraction of the 100 milli-rem limit. We think it provides
20 for some reasonable assurance, and it is consistent with the
21 NRC Commissioner Jackson's testimony to the House
22 Subcommittee on Energy and Water on April 29th of this year.
23 And it is consistent with the recent NRC rule on license
24 termination which refers to the decommissioning rule which
25 has a limit of 25 milli-rem per year for unrestricted public

1 access.

2 I'd like to read to you her testimony on this
3 issue. "With respect to proposed performance standards for
4 the repository HR 1270, the Commission does not object to a
5 single overall performance standard for a 10,000 year period
6 following commencement of repository operations.

7 "The Commission considers that 10,000 years is a
8 sufficient length of time to demonstrate the isolation
9 capability of a system including contribution of engineered
10 and natural barriers.

11 "The Commission notes the standard in HR 1270 of
12 an annual effective dose of 100 milli-rem per year, 1 milli-
13 sievert to the average member of the general population in
14 the vicinity of Yucca Mountain. It views that standard as
15 consistent with the protection of the public health and
16 safety.

17 "The NRC believes that within the context of
18 implementing the 100 milli-rem annual dose limit specified
19 in HR 1270, it has the flexibility to implement the
20 internationally accepted average member of the critical
21 group approach using a reference biosphere as recommended by
22 the National Academy of Sciences for application at Yucca
23 Mountain repository.

24 "To provide reasonable assurance that the 100
25 milli-rem limit will be met, the Commission anticipates that

1 the expected, again, the expected value for the average
2 member of the critical group would be constrained below 100
3 milli-rem on the order of 30 milli-rem a year."

4 So that is the Commission's statement on the
5 subject. In fact, that 30 milli-rem, that statement was
6 made in April, the final decommissioning rule came out a
7 couple of months later. It came out at 25. So we are
8 consistent with the Commission's statement on our interim
9 performance measure.

10 With regard to location, we believe that the
11 critical group would be located down gradient from Yucca
12 Mountain where that's the group most at risk. And that the
13 characteristics of this critical group should be established
14 based on present day knowledge using cautious but reasonable
15 assumptions.

16 That was the recommendation of the National
17 Academy of Sciences panel and is consistent, and we believe
18 that protecting future population way in the future, would
19 be very speculative and insupportable. So we think we are
20 being consistent with the panel recommendations.

21 We believe that based on present day
22 characteristics, the critical group would located in the
23 community which we heard about this morning. There are 30
24 farms in the repository, that's where the people are living
25 today, that's where the majority of the wells are located,

1 if you look at a well distribution map.

2 The ground water is relatively shallow there and
3 it gets deeper as you approach closer to Yucca Mountain.
4 The water is used for farming and personal use and the soil
5 conditions are conducive to farming.

6 Let's see here. This just illustrates what we're
7 talking about here. That is the repository, that's the
8 Nevada Test Site, this is 20 kilometers, this is 30
9 kilometers, farms in Amargosa Valley, Ash Meadows, that you
10 heard mentioned, and Franklin Lake Playa which is the closed
11 basin. The valley kind of goes like this and ends up in
12 Franklin Lake Playa.

13 We chose 20 kilometers, that is in compliance with
14 our performance measure. That's conservative, as we believe
15 the actual -- as I noted the community is 30 kilometers.
16 There are several wells located at Lathrop Wells Junction,
17 although we don't think that's representative of current day
18 characteristics for a critical group.

19 So we believe for our program today that the
20 interim postclosure performance measure provides a
21 reasonable target to guide our program. And we believe that
22 it is also protective of public health and safety, and we
23 think we are consistent with the NRC comments to the
24 Congressional committee.

25 That's the first half. Abe follows me here. Are

1 there any questions up til for now or should we let Abe go?

2 DR. BULLEN: Why don't we let Abe go.

3 DR. BROCOUM: Okay.

4 [Beginning overhead presentation.]

5 DR. VAN LUIK: When I looked at the panel's
6 request for information, Steve Brocoum just gave an
7 explanation for the overall content and context of the
8 performance measure. And then I thought well, they're
9 asking, "This is cute, you've done a good imitation of EPA,
10 now do an imitation of NRC and tell us how you are going to
11 implement this."

12 So I thought that these questions basically were
13 implementation questions. And so my outline basically tries
14 to answer these questions. When we talk about undisturbed
15 performance, we have to recognize a couple of things. The
16 interim performance measure is a target to guide the
17 technical program. One of the reasons we needed that target
18 is because of design activities, they need a high level
19 performance goal in order to specify their lower level
20 design goals.

21 System and component design performance goals
22 address the undisturbed case. Now, the undisturbed case
23 however, does include climate change effects, the thermal
24 effects from the repository itself, and design basis seismic
25 events. Higher probability scenarios, in other words, those

1 features, events, and processes with a higher probability,
2 are considered part of the undisturbed case.

3 If we go to disturbed performance and human
4 intrusion, all lower probability events like vulcanism,
5 major seismic events, and criticality in package near-field
6 and far-field, are part of the disturbed performance cases.
7 And human intrusion, we are addressing, as was recommended
8 by the National Academy of Sciences work on behalf of the
9 EPA. It'll be treated separately as a sensitivity study to
10 evaluate the potential effects on system performance.

11 To get to the heart of the question that I think
12 was being asked, the interim performance measure includes
13 both disturbed and undisturbed performance. The expected
14 annual dose language that we used is basically based, as
15 Steve made clear, on Chairman Jackson's wording.

16 And the way that we are interpreting this for
17 implementation is that it's expected right now, the 50th
18 percentile value on a probabilistic dose distribution
19 function curve. We will also look at the mean value, the
20 statistical mean value comparison. And we will include both
21 the undisturbed case with its uncertainties and the
22 perturbations from low probability events with their
23 uncertainties.

24 Bob Kimble just talked about the biosphere
25 definition and gave a description, which is misspelled, for

1 which I apologize, for the critical group. And the modeling
2 that is described in that presentation, and just to remind
3 you that he talked about this modeling chain here, this is
4 the modeling that you heard of this morning that will be
5 part of TSPAs from now on.

6 We looked at an average individual at 20
7 kilometers. The statement, as Steve read it, was to
8 calculate dose to an average individual in a critical group
9 within 20 kilometers from the repository. We decided it
10 would not, you know, we could take our own little goal and
11 interpret it in such a way that would just look at people at
12 Lathrop Wells, but that doesn't quite fit the bill.

13 The average individual defined in the biosphere
14 modeling, that you heard about this morning, is more
15 representative of a critical group centered at 30
16 kilometers. The biosphere modeling, we have to remember,
17 prepares for addressing a critical group based on current
18 locations and practices. And the regulatory requirements
19 are the implementation requirements of that requirement that
20 are set by the NRC are not presently known.

21 So the right thing to do is to look at the total
22 population there and define it that way. That our taking
23 the reference individual for that critical group, which is
24 more representative of the 30 kilometers and artificially
25 moving that person to 20 kilometers is somewhat conservative

1 since there is less home or business activity at 20
2 kilometers. And we expect that ground water concentrations
3 will be slightly higher.

4 This is approach that we're taking for the TSPA-
5 VA. The TSPA for the license application will be based on
6 the applicable regulations which will be in place by then,
7 or at least we hope so. As Steve pointed out though, we are
8 not going to say we meet our performance goal if we don't
9 meet our performance goal. We will show a series of impacts
10 in various different settings.

11 Like we will evaluate at 20 kilometers, we will
12 evaluate at 30 kilometers, and we will do sensitivity
13 studies given the different biosphere pathway modeling that
14 you heard about this morning, and show it all in TSPA-VA.
15 And that others can make a decision as to whether this is
16 viable or not and move forward.

17 This is the map that we have referred to a couple
18 of times already. Copies are available in the back. It's
19 not in my presentation per se. And you can see that the 20
20 kilometers of the NTS boundary, approximately, we just
21 rounded up. It's about 17 kilometers to the boundary.

22 This is not, however, what's driving us to that
23 location. What's driving us to that location is we think
24 that even in a slightly enhanced rainfall scenario, 20
25 kilometers is about the limit of where you can practice

1 agriculture and pump water unless, of course, economic
2 conditions change significantly.

3 So this is the place where the people are
4 currently. If we were basing everything on current
5 practices and locations, this is where we would be. For
6 conservatism's sake, we moved it up a little bit.

7 Steve had something on one of his viewgraphs about
8 protecting ground water and I wanted to make a statement.
9 Ground water protection standards specifies a limit of
10 radionuclide concentration to protect the drinking water
11 pathway. That's one pathway. We are looking at an all-
12 pathway dose goal and therefore all pathways includes that
13 one pathway. So to us the groundwater protection standard
14 adds nothing to public health protection, it's redundant and
15 unnecessary.

16 In summary, we think that we have provided, for
17 ourselves to guide the technical program and predictably
18 design a reasonable target, we think that it protects public
19 health. Modeling of the biosphere is addressing the current
20 population and practices of the area. They are resulting in
21 an average member definition that's pretty good for 30
22 kilometers. We're evaluating that person at 20 kilometers
23 to be conservative. And at this point we do not know what
24 our actual regulatory requirement will be at the time of
25 licensing.

1 Now, Steve and I will be happy to entertain any
2 questions.

3 DR. BULLEN: Thank you. Questions from the Board?
4 Debra.

5 DR. KNOPMAN: Maybe you won't be so happy with
6 this question. How would you characterize right now, based
7 on what you know, the orders of magnitude of uncertainty
8 that you have in estimating performance in the biosphere
9 component of TSPA?

10 DR. VAN LUIK: You make a good point. The point
11 is that if we look at all the uncertainties and roll them up
12 and follow them through the calculations, if we go from the
13 expected value or the 50th percentile to the 99.9 percentile
14 there are probably a few orders of magnitude involved.

15 And this is one reason that I like the bill that
16 the Senate passed last year because they said, "Take the
17 average of the 95th percentile distribution," meaning you
18 lop off the first two and a half percent and the last two
19 and a half percent of the basically insupportable
20 uncertainty. And, you know, I like that approach because
21 the thing that you point out is that the tails of the
22 distribution could look pretty wild because of the
23 uncertainties involved.

24 DR. KNOPMAN: And even when you truncate the
25 distribution and your 95 percent of your probability, what's

1 your range of spread in performance? How many orders of
2 magnitude, even when you are cutting off the tails, are you
3 left with?

4 DR. VAN LUIK: I hesitate to answer that because
5 if I answer it based on the calculations that we've done to
6 this point, it would still be plus or minus two orders of
7 magnitude. However, the calculations that we are preparing
8 for TSPA-VA are based on different models than we've used
9 heretofore. In fact, you will see some of the very
10 preliminary results of some of the subsystem modeling, in
11 this coming full Board meeting.

12 And so the answer that I might give based on
13 previous ones may not be as true as it used to be. But my
14 gut feeling is that if you go to the 95th percentile, you
15 are probability looking at close to two orders of magnitude,
16 maybe not quite, plus or minus, on that distribution.

17 DR. KNOPMAN: Okay. I'm just trying to put that
18 in perspective with uncertainties of some of the physical,
19 the other aspects of site characterization.

20 DR. VAN LUIK: Okay, now, in my answer to you, I
21 did not say that this is just a swing introduced by the
22 uncertainties in the biosphere modeling. When you do your
23 fully probabilistic analysis, it's that very far field that
24 looks at the extremes of every PDF, you know, the 3 or 400
25 PDFs that go into the calculation. That may be even more

1 extreme than that.

2 But a reasonable, like 95th percentile, I would
3 think, given all of the uncertainties, that's not too bad a
4 swing, especially if the doses stay well below that goal.

5 DR. KNOPMAN: I'm sure that we'll be following up
6 with you.

7 DR. VAN LUIK: Yes. You will be following that
8 up. And don't forget that in January, February time frame
9 we will have our first actual calculations for you to look
10 at. And so that question can then definitely be answered.

11 MR. LIU: Okay. Thank you.

12 DR. WONG: Dan Bullen?

13 DR. BULLEN: Bullen, Board. I just want to make
14 sure we're getting the semantics right here. All your doses
15 for the 25 are total effective dose equivalents?

16 DR. VAN LUIK: Yes.

17 DR. BULLEN: Which is a cumulative dose?

18 DR. VAN LUIK: Using the modeling that was
19 described to you just a while ago.

20 DR. BULLEN: Now the follow-up question to that is
21 that you were saying that you picked the 25 primarily
22 because you had to set an interim performance measure for
23 the design activities.

24 DR. VAN LUIK: That was one of our largest
25 drivers. The other one was that we had other questions, of

1 course, ourselves, yes.

2 DR. BULLEN: Right. Would you expect a
3 significant change in the design if the 25 turns into 15 and
4 4? Fifteen total and four drinking water?

5 DR. VAN LUIK: I believe the answer to that would
6 be, no.

7 DR. BULLEN: Okay.

8 DR. BROCOUM: I think Abe gave you the right
9 answer. Mr. Snell is in the back of the room, if you want
10 to contribute to that answer. But let me make a point.
11 There is a much bigger change if we go from 20 or 30
12 kilometers. At least past calculations showed a half order
13 of magnitude of difference, as an example. So a 15 to 25 is
14 really not significantly different, but it is consistent
15 with what the NRC has done for their decommissioning.

16 DR. WONG: Any other questions from the Board? I
17 have one question. You emphasized the fact that moving a
18 potential receptor from 30 to 20 kilometers from the
19 repository is a conservative assumption, or adds additional
20 conservatism. How much conservatism do you think is, order
21 of magnitude 10 fold, 2 fold?

22 DR. VAN LUIK: Steve just answered that question.
23 In the previous calculations that we did it looked like a
24 half order of magnitude difference, and so that's about what
25 we expect it to remain at.

1 Our next two speakers, Dr. Mel Carter and Dr.
2 Arjun Makhijani. Both of their presentations are designed
3 to provide some view or response to your presentations. And
4 so Dr. Makhijani would like the opportunity to ask you a few
5 questions. And so I would like to afford him that
6 opportunity and, on the same hand, I'd like to afford that
7 opportunity to Dr. Carter, if he so chooses. So, Dr.
8 Makhijani?

9 DR. MAKHIJANI: Thank you very much. I really
10 appreciate your clarifying what is the ratio of the dose of
11 the maximum to the minimum exposed person in your critical
12 group?

13 DR. VAN LUIK: I believe that I'm not aware of
14 that. I don't know if that modeling has been done.

15 MR. LIU: Ning Liu, again, with SAIC. I think I
16 can answer, in part, to that question. The only part I
17 can't answer is in the biosphere part. From what we see so
18 far, it depends on the radionuclides, the range between the
19 5th percentile and the 95th percentile is between a factor
20 of 5 and a factor of 10. But it depends on the
21 radionuclides.

22 DR. MAKHIJANI: Now, is this averaged out over the
23 whole population so you are not considering a population
24 that's relatively homogenous but you're considering a
25 population -- how homogenous is the population from which

1 you are sampling, in terms of their lifestyles?

2 MR. LIU: The assessment end point is the total
3 effective dose equivalent or TEDE, to an average individual
4 in a critical group. So that's individual dose, it's not a
5 population dose.

6 DR. MAKHIJANI: No, no. How varied is the
7 lifestyles of the critical group of the people in it? Are
8 there farmers, for example, computer operators and farmers
9 in the critical group, or how varied is it?

10 MR. LIU: I'd like to direct this question to Bob.
11 He is an expert in this.

12 DR. KIMBLE: Bob Kimble, M&O. Obviously, in the
13 critical group and the whole survey we did of the area there
14 is a wide variation in lifestyles and occupations. But in
15 the important characteristics, particularly food consumption
16 pattern for locally produced food, the variation is
17 relatively minor, not dramatic changes from one place to
18 another, or one household to another in terms of comparing,
19 for instance, the four communities.

20 Food consumption of locally produced food in
21 Amargosa Valley tends to be a little bit higher than it is
22 in Beatty on the order of a few percent rather than an order
23 of magnitude.

24 DR. MAKHIJANI: I have two other, these are all
25 just clarifying questions. Now the NRC regulations about

1 the 100 milli-rem dose, at least as I understand them, are
2 that a maximum of 50 milli-rem can be delivered by the water
3 pathways, and 55 milli-rem by the air pathways. And the DOE
4 practice is to take 100 milli-rem undifferentiated, and you
5 seem to be following that in your presentations.

6 I understand you set a limit of 25 milli-rem, but
7 you are citing NRC as the eventual regulator, and you said
8 this is a fraction of 100 mill-rem. But since the dose is
9 primarily by water, is it true that it's only a factor of 2
10 away from the limit of 50 milli-rem that NRC has for the
11 water pathway, or am I making a mistake about that?

12 DR. BROCOUM: I'm not sure what you are talking
13 about.

14 DR. MAKHIJANI: I'm talking about 10 CFR 20. This
15 is how I understand 10 CFR 20, and perhaps you can clarify
16 later on.

17 DR. BROCOUM: No, but I think Abe said two or
18 three times during his talk, we don't know what the
19 implement in regulations will be and that will depend on the
20 NRC.

21 DR. MAKHIJANI: Okay.

22 DR. BROCOUM: But it think this is an important
23 conversation here because it's showing you the debates. We
24 can get into huge debates about the biosphere, future
25 assumptions and all this other stuff. And that's why we've

1 always argued these things ought to be in a regulation so we
2 know exactly what we have to do and they're not debatable
3 once they're in the regulations.

4 So these kinds of questions, some of these that
5 have come up, we can debate forever and there is no right or
6 wrong answer, you see, so that makes it very difficult. In
7 the regulatory environment you defend your position.

8 DR. MAKHIJANI: My last question is also about a
9 regulation, about 40 CFR 190. 40 CFR 190, as I understand
10 it, limits doses from the uranium fuel cycle to 25 milli-
11 rem. And since you are using a 25 milli-rem limit here, one
12 would assume that there would be no other sources from the
13 uranium fuel cycle to this critical group for a 10,000
14 period. Is that sort of an operating assumption that you
15 are using?

16 DR. BROCOUM: There's been some debate within the
17 project on this, and I think, yes, you are correct. I think
18 the operating assumption now is that there is no other
19 sources like, for example, from NTS which I don't think
20 flows down towards Amargosa Valley.

21 DR. MAKHIJANI: Or from Beatty. So there are two
22 potential sources currently of doses from the uranium fuel
23 cycle to this critical group that you decided to ignore for
24 the present, for your viability assessment?

25 DR. BROCOUM: No. We're not using this for the

1 viability assessment.

2 DR. MAKHIJANI: For these calculations.

3 DR. BROCOUM: For these calculations, we will show
4 what the impact of our repository is on the down stream
5 population, which is the whole purpose of the viability
6 assessment. But you're right, I think the recommendations
7 that I was quoting earlier on the milli-rem are from all man
8 made sources of radiation.

9 DR. MAKHIJANI: Right. So it would be in
10 violation of the EPA regulations if your critical group got
11 25 milli-rem from this and then anything at all from Beatty
12 or NTS?

13 DR. BROCOUM: I'm not a lawyer so I don't think
14 I'll give a legal answer on that one.

15 DR. CRAIG: I'm not a lawyer either but that's a
16 very good question. Can I throw out a question here?

17 DR. WONG: Paul?

18 DR. CRAIG: This is a question that was sort of
19 working in the back of my mind. Paul Craig, Board. In
20 going through Steve's presentation and then the later
21 remarks, I'm confused on the role that you see the DOE
22 playing. A portion of your presentation was an analytic
23 role providing the context.

24 And I can understand how you need to make some
25 assumptions in order to deal with whatever EPA comes out

1 with. On the other hand, you are taking a very clear
2 position that a water standard is not needed. And there was
3 a statement that you believe it was not needed. That's not
4 a baseline position, that's an advocacy position.

5 DR. BROCOUM: We've had that position since 1992.

6 DR. CRAIG: I'm just trying to understand the
7 stance of the DOE with respect to the interaction with the
8 regulatory process.

9 DR. BROCOUM: Yes, we are taking the position that
10 a separate groundwater protection standard is not needed.
11 And I believe the NRC has taken that same position.

12 DR. CRAIG: Oh, boy. I think you need to talk to
13 EPA on that also. There are some EPA people in the audience
14 here, if they want to contribute to this conversation.

15 DR. WONG: Dr. Carter, did you have any comments?

16 DR. CARTER: Let me comment on a couple of things.
17 The EPA standard 40 CFR 190, my interpretation of this is
18 when they came out it it indeed dealt with 25 milli-rem
19 limit but they excluded three specific things when they did.
20 They excluded mining, they excluded transportation, and they
21 excluded waste disposal, so those three items were not part
22 of that standard.

23 The other thing is that overall the standard for
24 members of the public is 100 milli-rem, and that's the
25 controlling standard. And if you allocate then various

1 parts to it, the sum should be less than 100. So I think
2 that's an important point. As far as I know, no one divides
3 the pathways as far as 50 for the air pathway and 50 for the
4 water pathway. As far as I know, it's 100. The only people
5 that are using a specific pathway is EPA with ground water,
6 drinking water standards.

7 DR. WONG: Thank you. Any more questions from the
8 Board. Thank you, Dr. Van Luik. Thank you, Steve. It
9 looks like things are getting a little more lively. We must
10 be drinking more coffee and we're all waking up. And I'm
11 coming off California time and joining you on east coast
12 time.

13 We just had two folks come to the microphone and
14 ask DOE some questions and they happen to be our two next
15 speakers. Our next two will offer views on DOE's interim
16 performance measure presumably from a somewhat different
17 perspective.

18 First, we will hear from Dr. Melvin Carter who was
19 just at the microphone. Dr. Carter is an international
20 consultant on radiation protection who's been involved in
21 high level waste issues for many years. Among other things,
22 Dr. Carter was a member of the Committee on Technical Bases
23 for the Yucca Mountain Standards. He is member of the
24 National Academy of Sciences Board on Radioactive Waste
25 Management, and is one of the original members of the

1 Nuclear Waste Technical Review Board.

2 Dr. Carter is also the past president of the
3 International Radiation Protection Association and the
4 Health Physics Society, and was on the Board of Directors of
5 the National Council on Radiation Protection and
6 Measurement. Dr. Carter, we look forward to your views and
7 the presentation that's ahead of us. Thanks.

8 DR. CARTER: Can everybody hear me? Mr. Chairman,
9 members of the panel and members of the Board, I'm very
10 pleased to be here, having been steeped early on in the
11 responsibilities and the work of the Board and also in the
12 sense of being an alumnus of the Board.

13 While I mention that, let me indicate that I'm
14 really travelling under false colors. I'm a Neely Professor
15 Emeritus from Georgia Tech and not part of it at the moment.
16 So my biggest affiliation with the University at this time
17 is going to ball games, football games that is, and
18 hopefully winning a few, and also tapping into the
19 retirement system.

20 [Beginning overhead presentation.]

21 Now what I'd like to do is start out and talk a
22 little bit about background exposures of the public to
23 radiation and radioactivity. To give you some idea of the
24 system in which regulations are established in this area,
25 and this is the milieu that you have to deal with.

1 Now, to begin with we normally divide up exposures
2 from items in several ways. And the natural background, we
3 split it up and usually do this by taking a look at cosmic
4 radiation, terrestrial radiation, and internal radiation.
5 And these are some of the things that are involved. And, by
6 the way, this is a simplification of the area because it is
7 indeed quite complex.

8 In both internally, as far as the body is
9 concerned, and from the terrestrial standpoint, we normally
10 are concerned with these three series.

11 You may remember each of these is headed by a very
12 long line of radionuclide. It decays through several dozen
13 transformations, and finally ends up with stable lead. So
14 when you talk about one of these series, there is several
15 dozen radionuclides that contribute to exposures. And
16 these, by the way, are listed in the order, that's the
17 uranium series, the actinium series, and the so-called thorium
18 series.

19 In addition, we have to concern ourselves with
20 individual radionuclides that are not part of this series
21 thing, and several of the important ones are rubidium 87 and
22 potassium 40. Now, these are both long lived and then decay
23 to stable elements eventually.

24 They also happen to be,
25

1 potassium 40, in particular, is both a beta and a gamma
2 emitter, so it's of concern from a terrestrial standpoint,
3 outside the body. It's also a problem internally. In fact,
4 a fair amount of the internal exposure that people receive
5 come from this single radionuclide.

6 And if you run in a lab, for example looking at
7 environmental things, you'd be amazed at the amount of
8 radioactivity that are in, for example, milk, grass, and
9 lots of other things. And a lot of that is due to potassium
10 40. In fact, as I recall a normal liter of milk contains on
11 the order of 1200 or so picoCuries per liter of potassium
12 40.

13 We in laboratories these days, if you are
14 interested in the environmental side of it, are looking for
15 a couple of picoCuries of things like strontium 90, cesium
16 137, and so forth. So you are looking at a milieu that
17 contains well over a thousand and you are looking for just a
18 few parts of this. The cosmogonic radionuclides are listed
19 there, tritium carbon 14 and sodium 22.

20 There are a number of other ones and probably one
21 other one from a dosimetric standpoint that makes a
22 significant contribution would be beryllium 7. Now we have
23 a fair amount of variability listed here for terrestrial and
24 cosmic things, not all of them in one instance, but at one
25 time or another.

1 You have to worry about the location, the
2 elevation, whether you are on a mountain top or at sea
3 level. The sealing of structures you may live in or spend
4 time in, the amount of time you are outdoors, the season of
5 the year, whether there is snow on the ground, and this sort
6 of thing, whether you have sun spots, and also the weather.

7 And I've indicated here that cosmic radiation in
8 the U.S. varies by over an order of magnitude, if you take
9 picoliter exposed to the smallest amount of this component
10 to maximum. And also, I might add, that terrestrial
11 radiation varies by a factor of about 3 in the U.S.

12 And, for example, if you spent a year in
13 Washington D.C. versus a year in Denver, Colorado, you'd get
14 about 30 milli-rem per year if you spent it in Denver versus
15 here. As far as I know, I know of no one that I'm aware of
16 that makes these conscious decisions based on whether or not
17 they are going to visit Denver, a skiing resort, or
18 something of this sort based on the amount of radiation or
19 increased radiation that they would receive by doing so.

20 And quite often these differences, this
21 variability is quite large compared to some of the standards
22 that we have already discussed to a limited extent this
23 morning and undoubtedly will discuss a little bit later on.

24 Now, this is a pie chart I hope you can read.
25 I'll just mention a couple of things about it. This was put

1 together by the NCRP about 10 years ago. It took a look
2 then at all sources that irradiate members of the
3 population. The biggest chunk of this, shown at the bottom,
4 is radon, and it's some 55 percent of the total.

5 Then the cosmic, terrestrial, internally there,
6 they are about 27 percent. Man made medical, therapeutic as
7 well as diagnostics, about 15 percent. There is roughly 3
8 percent devoted to consumer products. And the other things
9 concern occupational exposures, fall out, nuclear fuel
10 cycle, and so forth. All of those constitute considerably
11 less than 1 percent of the total.

12 Now we'll take a look at a table that shows the
13 actual milli-rem or micro-sievert activity. These are the
14 same items that were shown in the pie chart except now we've
15 got listed the milli-sieverts per year and the percentage of
16 the total. So you look then at the natural, look at radon.
17 I mentioned it was 55 percent of the total, that's shown as
18 the first item there, some 2 milli-sieverts or 200 milli-
19 rem.

20 The rest of the material you can see it gives what
21 I mentioned earlier, you can see the things that we
22 discussed at the bottom, the occupational and the nuclear
23 fuel cycle, and so forth, are extremely small. The
24 interesting thing about this now, the total is around 360
25 milli-rem per year, or 3.6 milli-sieverts per year. That's

1 roughly 1 milli-rem per day.

2 So when you are talking about the drinking water
3 standard, for example, of EPA, at 4 milli-rem you are
4 talking about the equivalent of 4 days of background average
5 in the United States. Not a year, not a month, but about 4
6 days.

7 Now the general standard, and I mentioned that in
8 the comments at the microphone a few moments ago, and I've
9 seen this develop by the way, over many, many years, but it
10 seems to have reached the consensus now that on the order of
11 100 milli-rem per year, and that excludes medical and
12 background or radioactivity, and it indeed is a consensus.

13 At one time that was not the case, each agency had
14 their own regulations. And back in the old days --
15 certainly the EPA, when the media programs were quite
16 strong, and by "media" I'm talking about air, water, and so
17 forth -- we complained in the radioactivity radiation part
18 of the Public Health Service and EPA for the simple reason
19 that this ought to be looked at uniformly.

20 For example, all pathways, all radionuclides, and
21 not have individual water, individual air, and so forth. So
22 this is still being discussed, obviously, after an awful lot
23 of years. But the standard is supported by groups that make
24 recommendations, they certainly don't set standards, but
25 they do a lot of the leg work, the studies, the analyses,

1 and so forth.

2 The International Commission on Radiological
3 Protection, the National Council on Radiation Protection and
4 Measurements in the U.S., the International Atomic Energy
5 Agency, the United Nations Scientific Effects of Atomic
6 Radiation, the World Health Organization.

7 And then from what we are talking about here, EPA
8 in their guidance for the general public and the environment
9 and some others, the Nuclear Regulatory Commission in 10 CFR
10 20 and DOE actually addresses this in DOE Order 5400.5.
11 That looks at radiation protection for the public and the
12 environment.

13 And I might add, in a way it sort of predisposed
14 dividing up this 100 milli-rem because that standard in that
15 order sets 100 milli-rem per year as the allowable level for
16 members of the public. It also admonishes the directors of
17 the field laboratories or field offices of the DOE that it's
18 their responsibility to keep the public exposure below that.

19 Not only that, but to know what's going in the
20 area, whether there are other sources, that Dr. Makhijani
21 mentioned earlier, that might make contributions to this.
22 And actually sort of be the steward, if you will, for the
23 public in that area to make sure that the total, if you add
24 up all the pieces, is less than 100 milli-rem per year.

25 Now the apportionment of dose. I'll talk a little

1 bit about this. It's somewhat broader than the discussion
2 we're having on the performance measure but since I feel
3 fairly strongly about it, I'll leave this in. We need to do
4 this, and to some extent EPA has done this, if you look at
5 their 40 CFR 190, their fuel cycle standard.

6 They actually looked at a number of parts of this
7 thing and come up with the exposures that are caused by that
8 aspect of it. And that in a way is a forerunner now of
9 apportionment. They've also endorsed this in their guidance
10 that came out in the Federal Register, as far as members of
11 the public is concerned.

12 Again, the basic standard being 100 milli-rem, or
13 1 milli-sievert per year, and then allocate this as far as
14 the sources. Again, though, if you do this the sum of all
15 these pieces must be less than 100. And, by the way, as far
16 as I know, we're not anywhere close to this. And, in fact,
17 many of the sources that we're dealing with, major sources,
18 are sort units standing. There's nothing nearby that
19 contributes to them.

20 On the other hand, there is a case in Nevada
21 where, indeed, there are some other potential sources and
22 these will obviously have to be considered in the
23 evaluations and assessments that go on.

24 Now, internal examples for waste disposal, these
25 are numbers that other countries are using at least on a

1 planning basis, run from .05 to .3 milli-sievert per year.
2 And there are some roughly 10 countries, or so, that are
3 this far along that they've actually got numbers. And those
4 numbers, of course, run from 5 to 30 milli-rem per year.

5 So DOE selection of 25 milli-rem per year, as far
6 as I'm concerned, is a fairly appropriate number to take for
7 design purposes, the basis of evaluations and assessments.
8 And if that number should change, for example, I think it's
9 fairly simple in many cases to extrapolate directly from
10 that, either up or down, whatever way that number may move.

11 The compliance time. The NAS technical bases for
12 Yucca Mountain standards suggests that a period of --
13 essentially a very long period, and we suggested a period of
14 maximum risk be covered by the standard. I think that
15 report basically says that if you don't do this, then it's a
16 little difficult to see how you are going say you are
17 protecting the health and safety of the public, if you
18 exclude that.

19 Now, on the other hand, at that time, and I think
20 it was Dr. Brocoum that indicated some few years ago, and
21 it's not been too many, that the expected maximum risk was
22 to occur at on the order of a half a million years. So I'm
23 very pleased to see that the DOE has made enhancements in
24 the repository design, that they are doing several things.

25 They've decreased that maximum dose considerably.

1 And they've also moved the period that the maximum dose will
2 occur to a much shorter period. Now instead of half a
3 million years we're talking on the order of 20 to 30,000
4 years.

5 These are the things that I've essentially just
6 indicated. Now, the ICRP recommends the selection of a
7 critical group. The group should be either real or
8 hypothetical.

9 Now if you read their reports carefully, and there
10 are a number of their reports that deal one way or the other
11 with critical group, average individual in the critical
12 group, or average member of the critical group, and so
13 forth. And they give some directions, for example, on the
14 statistical variability of a homogenous group, and so forth,
15 so they've pretty well covered this.

16 But what they essentially say, if at all possible,
17 you use a real group, you don't conjure up a hypothetical
18 group when you've got some real groups to work with. So
19 what you are really interested in is locating the critical
20 group. And I think there may be some confusion between what
21 I'll say and what Esmond said about the critical group.

22 As far as I'm concerned you have to evaluate a
23 number of groups to determine what the critical group is.
24 He might be lucky and throw something at a dart board and
25 say, "We hit close to what the critical group is." You've

1 actually got to go through the analyses or assessments
2 before you can do this.

3 So, for example, whether the critical group, in my
4 opinion a real critical group is going to be at Lathrop
5 Wells or is going to be at the Amargosa Valley area where
6 the people are living, is quite moot at this point when you
7 make the evaluations of these. This sort of thing, by the
8 way, the selection of critical groups and so forth, goes on
9 all the time.

10 You know, it's been pushed by a lot of people, so
11 there are a lot of people who've had a fair amount of
12 experience in this sort of thing. And, again, if you want
13 to worry about location, the habits, and so forth, then
14 these are things now that directly affect the amount of
15 exposure, dose, risk, whatever you want to call it, that are
16 involved in the process. So you want to maximize these as
17 far as the critical group is concerned.

18 That basically says that same sort of thing, with
19 a couple of bullets. Okay. I say here DOE has
20 conservatively selected Lathrop Wells. In my opinion, at
21 the moment when you look at that in detail, I don't know
22 whether that's going to be a good one or not. It may be the
23 people living down the -- some 1200 or whatever in the total
24 group and then select a critical group out of that number.

25 Critical group now is on the order of two tens of

1 people or a few people. It's not 1200 or 291 or something
2 like that. It's a number like two handfuls, or that sort of
3 thing. Now, the reason I say this, as far as I know they
4 have a few wells at Lathrop Wells, in spite of the name,
5 that take water and use it essentially for domestic
6 purposes, for drinking, and so forth, at the establishments
7 there.

8 And, by way, people were talking about the growth
9 in that area. I happen to have been fortunate enough to
10 have spent 8 years as a resident of Nevada, part of that
11 divided about 4 years in the early 50s to mid 50s, and the
12 other from '68 to '72. Now, I visited these areas off and
13 on for that period of time, so it's some roughly 40-
14 something years since I was first out there in 1953.

15 So I've spent a fair amount of time there and I
16 probably know more about that area than any other area that
17 I've lived in for the simple reason that part of my job was
18 to be familiar with what went on and I did monitoring in the
19 old days around Mercury, Indian Springs, Lathrop Wells,
20 Death Valley Junction, and so forth.

21 We were talking about changes that have occurred,
22 so I was quite interested in Steve's slide show, looking at
23 some of the things have gone on. And I can tell you from
24 first-hand experience that the population growth in some of
25 those areas has been nothing but spectacular over that many

1 years.

2 I can remember, for example, Pahrump was really
3 just a place that had a funny sounding name. I mean, people
4 really didn't live there, and the first people that did I
5 think primarily raised cotton. And now I've got friends
6 that have retired and live in Pahrump and grow pistachio
7 trees as a hobby and perhaps as a money involving process as
8 well.

9 Now, getting back to this point. I'd like to make
10 the point very strongly. When you select the critical
11 group, you have got to go through the analysis and the
12 critical group essentially selects itself. It might be at
13 Lathrop Wells, but the chances are that if they only get
14 drinking water there, they are not irrigating crops, they're
15 not feeding domestic animals, and this sort of thing, then
16 the chances are it's not there, it's probability down where
17 they do these other things.

18 On the other hand, it's closer so you'd expect it
19 to be somewhat higher as far as the amount of contamination
20 in the ground water, and so forth. And by the way, the
21 other thing is that over a period of time, certainly the
22 time periods we're talking about, the critical group can
23 well change, you know, any number of times. So I might move
24 from Lathrop Wells, if it happened to be there, the next
25 thing you might know, it might be in Pahrump or somewhere

1 else.

2 So this will change over this lengthy period of
3 time that we're talking about. So in my opinion, right now
4 like I say just on quick blush, it might be more appropriate
5 to have it in the Amargosa farms area where one has the
6 people that does all of these things. But you don't know
7 that until you go through the analysis and find out. We've
8 obviously got people that are working on exactly that. Next
9 slide, please.

10 And it is a real population, they've got ground
11 water and this is what they tend to do with it. And, by the
12 way, I think Steve said it's very difficult but we've done
13 this for fall out over many years, business of sampling milk
14 and other environmental media. I wouldn't say it's an art
15 now but there has been an awful lot of experience that goes
16 into this.

17 And I was involved certainly from a lab
18 standpoint, EPA lab in Las Vegas, from not only knowing
19 where the people lived out there but knowing what they were
20 doing and what their routes of exposure were in various
21 parts, and not only Nevada but several other states as well.

22 When you are talking about milk, you've got to get
23 into the milk industry and find out how it operates. And,
24 you know, growing alfalfa, feeding it to cattle, and milking
25 those cows, and shipping the milk to Los Angeles, that's not

1 unusual at all that it goes that far. There are a number of
2 areas supplying Las Vegas, for example, in the Las Vegas
3 Valley. They also get a lot of milk from Utah and so forth,
4 that milk that leaves any particular dairy, whether it's
5 4,000 cows or whatever.

6 Now, how much percentage would that be of the Los
7 Angeles milk supply, for example? Probably a drop in the
8 bucket. So that milk, if it should happen to be
9 contaminated, it would be diluted I suspect thousands of
10 times in that particular milk market.

11 Okay. You can read the rest of this. But very
12 important, the critical group sort of has defined itself on
13 a statistical basis and, by God, it's hopeful that it's been
14 advocated primarily by the ICR.

15 Again, as far as I'm concerned, you should look at
16 all pathways. One of them might be critical but the
17 standard, if you deal with 100 in the sum allocation of
18 that, you are going to find that you are taking a look at
19 all pathways, hopefully. And certainly the water pathway is
20 one of those and the water pathway may indeed be the
21 critical one. But you won't know that until you go through
22 the analysis.

23 And then, hopefully, this would help focus the
24 effort so when we talk about hundreds of radionuclides or
25 even dozens of them, a lot of these are not going to merit

1 an awful lot of work, they're going to fall out of the
2 equations pretty early and you'll be left, hopefully, with a
3 handful of critical radionuclides that you've got to do a
4 real detailed analysis of.

5 Okay. Essentially the same thing as far as the
6 radionuclides, you need to look at them. And, again, some
7 of those will fall out as well as the pathways. And, again,
8 that'll help you focus your effort. And by the way, one of
9 the things that a lot of people don't talk about but it
10 turns out to be in the ICRP publication, Number 60, that
11 deals with waste disposal.

12 And, basically, it addresses in a paragraph or two
13 the fact that your efforts in this sort of thing ought to go
14 in important things and not be diluted or wasted by chasing
15 minute details. And they then tend to address, you know,
16 some level of de minimus, or below regulatory concern, or
17 whatever. That's in there and it's probably a good
18 admonition.

19 You know, if you are chasing something blindly and
20 you are looking for really things that are inauspicious, as
21 far as importance, as far as significance is concerned, it's
22 important that you make a division of your resources and
23 allocation of these on a live basis. Next slide, please.

24 Okay. I'd like to make several recommendations
25 and I'm going to do this in two different areas. One of

1 these deals specifically with what we are going to address
2 today, and there are a couple of them, like I say, that are
3 somewhat broader than this. So let me do this.

4 Like I said a little earlier, that the selection
5 of this interim performance measure, as far as I'm
6 concerned, looks reasonable. At least the number that we
7 use now we recommended in the Academy's study that risk be
8 used. As far as I'm concerned, you can basically use three
9 things on the standard. You can either use health effects,
10 you can use dose, or you can use risk. But somehow or
11 other, you've got to relate them to one of these.

12 This is why we took a dim view, for example, of
13 release limits that EPA had provided earlier. Because
14 without some idea of how a source term interacts with
15 people, you have no reality about what you can evaluate.
16 Just so you remember that.

17 And like I say, if you take a number whether it's
18 25, the risk equivalent of that, or you are talking about a
19 10, or a 2, or 100, or whatever it might be, a lot of this
20 can be based on sliding it one way or the other, so it can
21 be based on taking a look at that.

22 Now, I'd certainly like to admonish DOE while I
23 have the opportunity, to continue working on this thing.
24 And I had a couple of questions and maybe these will come up
25 during the discussion as far as the panel is concerned.

1 Well, let me mention these and a couple of them
2 that I was interested in is, what, basically, from an
3 engineering standpoint -- I'm not going to ask these guys to
4 respond now, but I'll bring this up a little bit later on,
5 maybe this will be one of the items -- allowed you to do
6 this not only to basically flatten the peak dose or peak
7 risk and also to reduce the time at whether this occurs? I
8 assume this is probably due to the corrosion of canisters,
9 and what not, but that's just my guess. So I'll ask you
10 guys that later.

11 The other one, for example, how well does DOE know
12 the hydrology of the system out there? We talked glibly
13 that it comes under Yucca Mountain and it goes down and
14 dribbles out at these places. How do I know that some of
15 this hasn't channeled over and is coming out now at Pahrump,
16 for example? Do you have any idea of this or is this
17 speculation?

18 So those are two questions I certainly would like
19 to have answered. But, anyway, whatever the reason, I'm
20 pleased to see that they are doing this and I certainly
21 would hope that they would continue looking at new designs
22 as far as tightening up the repository, perhaps lowering the
23 exposures that are involved.

24 I went through the reason for this. It's not only
25 there but it's elsewhere as well. Like I say, this could be

1 some other location. And like I say, when you get the data,
2 then, yes, you can dismiss some of these sites as of no
3 further concern at the time. But you can't make the
4 decision a priori before hand.

5 So just arbitrarily saying, "Let's move it closer
6 to the test site," it may help and it may not help in terms
7 of identifying or defining the critical group. I'm
8 interested, obviously, in when the maximum occurs does this
9 reduce uncertainty? It does all sorts of useful things for
10 you. Okay.

11 These are the two that are somewhat broader than
12 this. I've been interested since I've been in this business
13 40 plus years, I guess, and the fact that we finally now do
14 have a consensus, not only nationally but internationally as
15 far as the 1 milli-sievert per year for members of the
16 public. This has taken a long time coming.

17 Like I say, at one time there was all sorts of
18 numbers out there and no two groups had the same numbers.
19 So it's interesting to see some degree of uniformity, and so
20 forth, developing here. And I can say the EPA did somewhat
21 close to this in looking at the fuel cycle as far as
22 allocation within them or what they produced in terms of
23 dose.

24 And I might say that to some extent it's going on
25 now when we come out with 10 CFR 20, for example, it's got

1 numbers in there. We've got numbers dealing with
2 decommissioning and decontamination, and so forth. But
3 these now, and there are several regulatory bodies, as you
4 well know, that are involved in this, but you find that they
5 are making these decisions on an ad hoc basis or on a
6 piecemeal basis, and I personally feel that that's the wrong
7 way to go about it.

8 If you are not careful, if we get enough sources,
9 you are going to find, you know, you start adding them up
10 and there might be over 100. So you want to make sure you
11 stay well below that. You want to make sure you've also got
12 some reserve.

13 So in the U.S., if someone were to ask me how to
14 do this, I would suggest that the regulatory groups that are
15 involved, EPA, the DOE, NRC, and perhaps several others,
16 would do this on a real broad basis involving the public,
17 environmental, lots of other people. And I suspect
18 involving the Office of Science and Technology Policy as
19 being the arbiter for the Administration as far as these
20 sorts of matters are concerned, and they also happen to have
21 some radiation radiological expertise there.

22 That's the way I would go about allocating the 100
23 milli-rem to make sure that you take care of the things that
24 are necessary, and that you also have some left over for
25 either emergencies or miscellaneous things that will deal

1 with unknowns that could occur later.

2 And the second part of this, if you think about
3 it, we don't have, as far as I know, a performance
4 assessment now dealing with what we've got in the way of a
5 mish mash in terms of high level waste at the moment. It's
6 being stored, managed, at any number of places, as you know,
7 probably on the order of 100 or so, if you include the high
8 level waste of the DOE and include reactor waste from the
9 civilian side of the house.

10 And the question is, what's the risk to the
11 average member of the public from this, and what would that
12 look like if it were compared with the system that had Yucca
13 Mountain as it's centerpiece? In other words, are we going
14 to reduce the risk, are we going to reduce the dose, are
15 they about the same, or what not?

16 So it's almost like looking for the critical group
17 and when we do this you probably don't know what the answer
18 is. So I would have some admonition that we do this sort of
19 thing one of these days. I think it would be very helpful.
20 And with that I think I will close and see if the Board
21 members and the panel members have any questions.

22 DR. WONG: Thank you, Dr. Carter. Questions from
23 the Board?

24 DR. CRAIG: Paul Craig. You gave a fairly
25 philosophical talk there, Mel, so let me ask you a

1 philosophical kind of question. And it goes back to the
2 earlier question about the difference between water and
3 other kinds of things. And the important thing to me about
4 water, as contrasted to air, specifically, has to do with
5 reversibility.

6 To what extent should our generation be
7 constraining choices of future generations? If it's an air
8 emission, you can do something about it fairly easily. But
9 once you've got the water table filled up with material,
10 it's very difficult to reverse it. So that's the framework.

11 And the question that I'd like you to reflect on a
12 little has to do with the allocation of the 100 milli-rem
13 per hour. One can think about that in terms of what we do
14 today but now we're asking a question about generations a
15 long way down the line. And I'd like to understand a little
16 better how you think about the legitimacy of passing on
17 various fractions, or using up various fractions of this
18 allocation for generations far down the line.

19 It's not even obvious to me whether the right
20 policy is to say we should save a lot for them or whether we
21 should assume that they will have better technologies and we
22 don't need to save very much. How do you think about this
23 problem?

24 DR. CARTER: Well, certainly I have no problem
25 with intergenerational equity. And that is I don't think we

1 should expect them to have more risk than we have, have more
2 dose, if you will. So I would also flip that over and say
3 that, you know, you certainly ought to take care of the
4 resources that you have and not turn over things that they
5 can't reverse, for example.

6 I think the biggest problem, by the way, with the
7 drinking water standards has to do with something entirely
8 different, but let me mention that as we answer the
9 question. One is that those drinking water standards now
10 refer to drinking water as such, and this is water that came
11 out of the tap as defined by EPA. So it didn't deal
12 directly with ground water per se.

13 So they were derived in an entirely different
14 arena, the same with whether treatment was involved, whether
15 it wasn't water treatment now that was involved. So these
16 are the two kinds of things that people have a problem with
17 the drinking water standards, is the appropriateness of
18 those to here.

19 Having said that now, I think that you probably
20 know there is an awful lot of ground water under our earth's
21 crust that is completely unsuitable for drinking water. It
22 will probably remain that way for a long, long time. All
23 this is caused by salt, some of the individual chemicals
24 that are in it, and so forth. Now I don't know the ratio of
25 the good stuff to the bad stuff, but we're obviously

1 interested in the good water and the water that can be used
2 presently and, like you say, passed down.

3 So as far as I'm concerned, I don't want to see us
4 commit ourselves to allocating that kind of resource that's
5 going to affect adversely future generations. I think we
6 ought to do everything we can to protect it. Whether you
7 can break it down that neatly between water and air, I'm not
8 too sure. Obviously, both are necessary for existence.

9 DR. WONG: Okay, any further questions? All
10 right, thank you, Dr. Carter.

11 Our next speaker will be Dr. Arjun Makhijani, from
12 the Institute for Energy and Environmental Research. Dr.
13 Makhijani has authored or co-authored several articles and
14 studies, including a critique of the United States Waste
15 Management Policy titled, High Level Dollars, Low Level
16 Sense.

17 Dr. Makhijani was the leading critic of the report
18 Technical Basis for the Yucca Mountain Standard. And we
19 look forward to hearing his views in the DOE's interim
20 performance measure. Please, Dr. Makhijani.

21 DR. MAKHIJANI: Thank you very much. I think the
22 leading critic of the technical report, Technical Basis for
23 the Yucca Mountain Standard is actually a member of the
24 panel. He's not here. Dr. Pigford. But I know him, he was
25 one of my teachers when I was in graduate school, and we've

1 talked about this quite a lot.

2 I want to thank you for inviting me, and
3 especially Dr. Fehringer for inviting me and reassuring me
4 as to the nature of the forum, and I appreciate being
5 invited and asked to make a presentation.

6 I want to make a comment on Dr. Carter's natural
7 background thing. It's a very common display but it didn't
8 always have the same content, so far as I know. You go
9 farther back, Dr. Carter, so you might correct me if I'm
10 wrong.

11 Until a decade or so ago, it wasn't common to
12 include indoor radon in natural background radiation, and I
13 think in the last decade or so the addition of 200 milli-
14 rem into the natural background makes natural background
15 look a lot bigger.

16 And I think it's an illegitimate addition because
17 if you live in an apartment, then of course you don't get
18 this indoor Radon. And if you live in an unremediated that
19 you didn't know enough to pay attention to when it was being
20 built, for the most part that's the case, and so you get a
21 couple of hundred milli-rem, you may get a couple of rem,
22 you may get some more. It's an artifact of construction,
23 and I don't think artifacts of construction and living
24 styles ought to be included in natural background.

25 I have one other philosophical comment on this

1 business of natural background and voluntary choices and
2 potassium 40, and so on. I was in a debate about a low
3 level waste facility in California and the vice president of
4 U.S. Ecology was there and he said, "Well, you get about as
5 much radiation from the potassium 40 sleeping next to
6 someone as you would get from this facility."

7 And my response was that as a person in the
8 business, I am fully aware that when I sleep next to
9 someone, depending on how close, I am getting zapped. But I
10 thought that the industry's cost benefit calculations were
11 completely wrong because I didn't know anyone to get the
12 kind of benefits from sleeping next to a dump that I got
13 from sleeping next to --

14 DR. CARTER: Let me interject something. You
15 missed the main point of the difference. I can't avoid
16 giving you --

17 DR. MAKHIJANI: Go ahead. You are privileged,
18 Doctor.

19 DR. CARTER: -- peerless advice. And that's the
20 main point of the discussion. The discussion involved the
21 amount of potassium 40 in men or women --

22 DR. MAKHIJANI: Yes, I didn't miss it. I just
23 wanted to tell an interesting anecdote --

24 DR. CARTER: Okay. You didn't allude to it
25 though, but you get a lot more radiation if you sleep close

1 to a lean bodied man than if you sleep with a woman.

2 DR. MAKHIJANI: Well, I think I've made the
3 appropriate choice for risk reduction in that way.

4 I think underlying this there is a very serious
5 issue because natural radiation is put there by God, and God
6 is going to kill us all one day, and God gave us birth,
7 philosophically speaking, whether you believe in a specific
8 kind of God or not.

9 But if your neighbor came up to you and punched
10 you in the nose and said, "God is going to kill you one
11 day," this is a much smaller dose, you'd want them to be
12 locked up, and society does tend to agree that this is an
13 illegitimate kind of comparison.

14 But somehow in the radiation business the
15 legitimacy of this comparison has not been systematically
16 questioned, and I do believe that it is an illegitimate
17 comparison to compare natural background. Perhaps it is
18 because of the birth of the nuclear age and Oppenheimer and
19 what he said that nuclear folks feel more or less in the
20 position of the gods, and so they compare radiation doses
21 that they impose on society with what the gods are doing to
22 us.

23 I do think that it's time to stop that kind of
24 comparison and let's deal with the facts as they are, and
25 the risks as they are, and not pretend that these are

1 comparable kind of risks. We're imposing risks from choices
2 that we have made, that certain layers of society actually
3 have made, not even the full society, on generations far
4 into the future where we have really no idea how to
5 understand things.

6 This country prides itself on longevity. It's
7 only 200 years old. Less than a century into this country's
8 history there was a very brutal war in which more people
9 died inside the war in this country than have died in all
10 the foreign wars in this country's history. I think some
11 kind of recognition of this reality is absolutely necessary
12 because it is a fact.

13 You cannot avoid this reality by saying this is
14 simply a discussion milli-rem deep in the ground, because
15 we're talking about institutional things, first of all, and
16 I'll talk a little bit more technically about institutional
17 issues briefly, shortly.

18 I think in regard to the critical group, I cannot
19 agree with the approach that is being taken. I do think
20 there is a way to deal with long term futures, other than
21 looking at current life styles. In fact, I will say that
22 looking at current life styles is completely wrong because
23 there are a lot of different tendencies in society and we
24 have no idea how they will play out.

25 Just as 1,000 years ago people had no idea how the

1 tendencies in society would play out 100, or 200, or 1,000
2 years from then, I think we have no idea how tendencies will
3 play out. And I will give you two completely different
4 tendencies that exist that we can see today and we don't
5 know how they will play out.

6 On the one hand we have a tendency toward
7 urbanization, and factory food, and factory water, and a
8 completely artificial environment. On the other hand we
9 have also a clearly expressed and very strongly growing for
10 people to want to control their food, to eat more natural
11 food, to eat more food that has been more close in contact
12 with the earth. And if you go to the farmers' markets, you
13 see them proliferating and prospering.

14 These are two completely tendencies in society
15 that have grown up in the last 50 years in reaction to the
16 same kind of technical developments. That is the growth of
17 urbanization and they are diametrically opposed tendencies.
18 And I don't think it is very sensible or rational to try to
19 say that people will not want to live very close to the land
20 10,000 years from now or 1,000 years from now, or that
21 subsistence farming won't be an extremely productive
22 enterprise.

23 Just because peasants haven't been very
24 technically productive before, doesn't mean that 500 years
25 from now peasants cannot be technically production in the

1 future, and that this won't be an entirely satisfactory way
2 of living. So I think that it is really completely wrong
3 technically, based on what we know and what we can see today
4 in society, to take an existing group as a critical group.

5 I do think that what Professor Pigford has been
6 saying is a more reasonable way to look at the critical
7 group, by very strictly examining the subsistence farmer
8 question. And I think there is a very solid technical basis
9 for it and I will try to present a part of my own reasoning
10 about that.

11 I cannot agree with the National Academy 1983
12 publication nor this report that the focus should be solely
13 on individual dose. I agree that there are lots of
14 uncertainties about low dose radiation, especially at milli-
15 rem type of doses. We don't know how to sort out the
16 technical issues right now. I'm not among the
17 environmentalists who claim that we know this very well and,
18 therefore, I do think that we don't know it very well and we
19 should leave some elbow room to learn a lot in the future.

20 I think that my own speculation is, and this is
21 just my own speculation based on what I have seen about
22 radiation related studies which is not a negligible amount,
23 is that I think response of people to radiation, like other
24 environmental factors, is likely to be highly genetically
25 dependent.

1 And that individual people respond differently
2 within any population, this is not a racial or ethnic thing,
3 that within any population group in the same way that we are
4 all differently responding to spring season and all the
5 pollen in the air, that within any population group you are
6 likely to have quite a lot of variation in the response to
7 any environmental factors. And we have no idea what the
8 vulnerabilities about radiation are.

9 But we certainly should not presume that
10 population dose is irrelevant. I do think that the EPA
11 standard, which has been sidelined by arbitrary legislation
12 that said there should be a special standard for Yucca
13 Mountain, is wrong because the EPA legislation does have in
14 the form of absolute limits on emissions, a population dose
15 limit.

16 They are really the only technically verifiable
17 thing that you can say about repository performance, and I
18 think this technically verifiable thing is being completely
19 ignored in favor of a lot of models with 300 and odd
20 probability distributions. And I will come to how many
21 orders of magnitude that I think you might have to deal with
22 from examples that we've already got.

23 I don't think two orders of magnitude anywhere
24 near covers it. I think we have got and history often says
25 that we must have measurable ways of assessing performance.

1 The EPA has put forward a measurable way of assessing
2 performance by limiting releases of radionuclides in
3 absolute quantity from a repository.

4 And I am amazed to see that on a technical basis
5 the only measurable things that are there, total releases of
6 radionuclides and concentrations of radionuclides in water,
7 have been completely thrown overboard in this discussion as
8 primary criteria in enforcement, but the models with huge
9 numbers of distributions that are full of speculation should
10 be a substitute for protecting generations that we do not
11 even properly know how to count.

12 So I would encourage the DOE and I encourage the
13 Board to insist that some kind of population analysis be
14 done. In this context I think the carbon 14 issue is quite
15 important. I think there is absolutely no reason to ignore
16 the carbon 14 issue because it is an important population
17 dose issue.

18 The reason it has been thrown overboard is very
19 clear. It has been thrown overboard because the population
20 doses are very high and there was no guarantee the Yucca
21 Mountain repository can meet the standard.

22 However, the EPA committee which looked at this
23 issue did conclude that there are lots of other repositories
24 that could meet this standard. And so I think a comparative
25 assessment in this regard, whether there are repository

1 environments that can meet the standard, is very important.

2 In this regard, let me mention the 1983 Risk Panel
3 Waste Isolation Systems Panel Report of the National
4 Research Council. I think it was an excellent report. In
5 that report there was a suggestion for exploration of a
6 repository type that could answer many different objections
7 to repositories and the many uncertainties that they face.

8 One of the biggest problems with repositories that
9 has not been addressed is the problem of intrusion, either
10 inadvertent intrusion or deliberate intrusion. Deliberate
11 intrusion would be resources and inadvertent intrusion, of
12 course, would be because we lose track institutionally of
13 where we put this stuff.

14 The recommendation in that report, in regard to
15 intrusion, particularly that I liked was that the repository
16 environment should contain brackish water, the kind of water
17 that we don't think future generations will use, rather than
18 consign what we know is a very scarce resource in an area
19 where people are highly likely to use it.

20 We have selected the area that is probably the
21 most problematic area, from the point of view of likelihood
22 of use of resources, which is a deserted area with very
23 little surface water dilution potential with a very small
24 and scarce ground water resource so concentrations of
25 radionuclides will be high and a very high likelihood. It's

1 the worst possible site you could pick.

2 And completely taking away from future generations
3 the choice of using the resource when we've got plenty of
4 places now, and I must admit they happen to be in east where
5 there is brackish water in granite, and I'm not advocating
6 this or my environmental friends would be very unhappy and
7 my neighbors would be too. But I think in fairness, we have
8 to look at these repository sites and we cannot avoid
9 looking at them these geologies because they are politically
10 inconvenient.

11 The other question in regard to uncertainties, and
12 this we can see on the horizon today, is that all of these
13 models and standards even though there is a consensus about
14 them are based on 70 kilogram standard man. And I think
15 this is an inappropriate choice, even in the case of one of
16 the sensitive radionuclides that has been discussed here,
17 iodine 129. Standard man is a completely inappropriate
18 technical choice.

19 I noted that the milk consumption that has been
20 written down in the model and is .03 kilograms, I think --
21 I've lost the place here -- your milk consumption variation
22 is .03 to .08 kilograms or something like that from the
23 chart, if I remember correctly. And this is a standard man
24 milk consumption.

25 We know from a controversy that is going on right

1 now in society about iodine doses from testing that
2 children's doses are an order of magnitude higher. And
3 there is absolutely no reason, when we know these technical
4 facts, to have selected standard man just because it -- we
5 know why this is done.

6 And in regard to the orders of magnitude of
7 uncertainty, let me kind of just reel off what have been
8 calculated in the last 15 years in relation to Yucca
9 Mountain maximum doses. 2,000 rem, this was published in
10 1983 by the National Research Council as the worst case
11 dose. 30 rem was their best case dose. 1993 we had
12 published by a DOE contractors doses in the 1 to 10 rem
13 range. So that's already you are two or three orders of
14 magnitude right there. And of course the peak dose was in
15 the several hundred thousand range.

16 Now we have got an order of magnitude change in
17 peak dose 20,000 years, and this was presented in September,
18 is it Steve? This is from September, DOE contractor
19 calculation peak dose is 200 milli-rem, about, if I'm
20 reading it right, approximately log scale. Now we have lost
21 a factor of 20 here in one month and peak dose is 10 milli-
22 rem.

23 DR. BROCOUM: Of those one chart is at 5 kilometer
24 the other one is at 20 kilometer.

25 DR. MAKHIJANI: Yes, it's a different distance but

1 what is the basis -- allow me to carry on with my
2 presentation. After all I'm holding it up for you to read
3 it. I'm not keeping it secret from you.

4 The basis for choosing a 20 kilometer site is that
5 people live there now. And we have amply heard that within
6 the memory of Dr. Carter that places where there was nobody
7 are teeming today. And we know that places that 50 years
8 ago where there were people are empty today of people.

9 Now the basis for choosing something 5 kilometers
10 away and making a factor of 20 go away, this is an
11 illegitimate basis for calculating for 10,000. I think this
12 is another illustration of how uncertainties for the future
13 are being wished away by modeling.

14 Now let me say something. You asked a question
15 about how many orders of magnitude and models. These
16 models, since Oppenheimer started the whole nuclear business
17 by making reference to the Hindu gods, I might as well make
18 reference to Hindu mantras. Models are being used like holy
19 mantras. They are somewhere there.

20 But we have tried to look at some specifics of
21 models. Now, I looked at the list of the models that was up
22 there. Cap 88 was one of them. Now, my institute is
23 involved in monitoring an independent audit of Los Alamos
24 National Labs compliance with the Clean Air Act as part of a
25 settlement Los Alamos made with a local community group over

1 a Clean Air Act lawsuit.

2 They used Cap 88 to assess compliance. Cap 88
3 assumes uniform emissions throughout the year. But as soon
4 as you look at their measured sources, you find that one of
5 their most important source from the chemical and
6 metallurgical building is a source from which more than 80
7 percent of the emissions came out during one week.

8 We don't know if they came out in one second in
9 that week or during uniformly 7 days over the week.

10 Probably likely they came out in a very short time.

11 Now if you just change that single assumption,
12 based on the data available to you from Los Alamos, and then
13 choose an appropriate location of the maximally exposed
14 individual, you arrive at a dose difference of four orders
15 of magnitude. So they are using what is manifest it is
16 allowed by the EPA, it is within the regulatory parameters,
17 but it is four orders of magnitude off. All right.

18 How about water models? The Science Application
19 International Corporation which is doing these calculations
20 also did calculations for depleted uranium for the Louisiana
21 Enrichment Services case where the enrichment plant was to
22 be built. They did calculations that I find don't comport
23 with common sense or anything else I know about uranium
24 doses.

25 If you drill a well in your backyard where there

1 is 2 picoCuries per gram of uranium in the soil, and maybe a
2 couple of picoCuries per liter of uranium in the water, you
3 get, I don't know, a milli-rem, a couple of milli-rem,
4 something like that, dose. They calculated that the dose
5 from disposal of depleted uranium in wooden boxes, that is
6 no engineered barriers, would be 9 orders of magnitude less
7 than this. We have absolutely no reality check.

8 You asked about, you know, how are you going to
9 validate this model? And they haven't done it yet. I
10 really think that may be, in regard to models, the most
11 important thing. These models have no reality check.

12 At Savannah River they use a plutonium migration
13 model into the ground water that assumes that it will be
14 bound up in soil for hundreds of thousands of years, but at
15 Savannah River and other places, Hanford, Oak Ridge, they
16 have had migration due to organic complexing of plutonium
17 and transuranics into the water that's five orders of
18 magnitude, 10 to 20 years.

19 So you can see we've got 10 orders of magnitude
20 right there, 5 orders of magnitude from modeling, 5 orders
21 of magnitude. Okay. It's not a surprise that from pure
22 depleted uranium disposal they are getting doses that are 9
23 orders of magnitude less than a backyard well. And I think
24 that does not comport with common sense. I haven't gotten
25 in all the details of their model. What's the staff at the

1 NWTRB? How much help do you have, Doctor?

2 DR. FEHRINGER: Ten technical staff.

3 DR. MAKHIJANI: Ten people. I think it's going to
4 be very, very difficult to check these things. I have a
5 staff of 10 people also, sort of like yours. Not 10
6 technical, half your technical staff. A total of 10. It's
7 a very difficult job to keep up with this and to get into
8 all the fine print.

9 I do think that 2 radionuclides are of great
10 concern to me in regard to adult doses, they are carbon 14
11 and tritium. Both of these radionuclides cross the
12 placenta. I think the doses from these two radionuclides
13 should not be calculated in regard to adults or even
14 infants. I think doses to these two radionuclides and
15 iodine 129 should be calculated to fetuses at the most
16 sensitive time of their development.

17 I think, in regard to fetuses, there should be
18 special attention to female fetuses and the time of
19 development of the eggs of the female fetus. You know there
20 are a part of us that are as old as our mother's fetus.
21 Right. If you think about it. I'm as old as -- the egg I
22 came from was made 79 years ago. And that is a very
23 particular time at which the exposure should be calculated
24 for sensitive radionuclides, even though there is not
25 complete consensus that 100 milli-rem is the appropriate

1 standard because 70 kilogram man is not the appropriate
2 standard.

3 Now I want to say something about institutional
4 issues. Because the regulatory apparatus and especially the
5 Board's kind of apparatus and apparatus like ours, public
6 interest groups cannot possibly have the resources to look
7 into every single thing that you need to look into.

8 The integrity of the institution that is doing
9 this work is very important. And in my experience, the
10 institutional issues are the most important issues because I
11 do not trust the integrity of the process. The DOE has
12 thrown out all the inconvenient things as very often and
13 whenever convenient to ignore the inconvenient advice and to
14 take only the convenient advice.

15 And this technical panel report is one example.
16 So Pigford got ignored, fine. But this report also says
17 that there should be no time limit. This report does say
18 that there should be no time limit. The 1983 report also
19 said there should be no time limit. So in that regard we
20 are going to accept what the EPA said, 10,000. EPA said
21 carbon 14 should be limited but in that regard EPA is really
22 not good, we are going to take this.

23 Well, in 1986 the DOE published an eastern area
24 recommendation report. In the east, the National Academy
25 has recommended the kind of repository that I mentioned to

1 you should be investigated. On page 1 of that -- not page
2 1, the first three pages of that were actually torn out
3 before it was sent to the public. I don't what was in that
4 -- page 1, that I could find, and we have still no
5 explanation of why they tore three pages out of 1,000 copies
6 of this thing before giving it to the public -- [holding up
7 a copy of Technical Bases For Yucca Mountain Standards].
8 They said that they are not going to investigate this kind
9 of repository because it would take too long.

10 One issue that is very important. All of the
11 calculations are focused on spent fuel. This is also a very
12 convenient thing. I think a lot of the calculational
13 resources should be focused on borosilicate glass and what
14 is going to happen to borosilicate glass. Argonne National
15 Lab has done quite a lot of work on hydration aging.
16 Hydration aging shows the formation of colloids, and the
17 collapse of surface layers of glass into the water.

18 Until a month or so ago when that news about
19 plutonium migration from the test site came out, there had
20 been some more uncertainty about what would be the fate of
21 these colloids and whether there would some absorption on
22 the rock surfaces sufficient that even a colloidal form of
23 transuranic dissolution or transuranic migration into the
24 water from glass would not be of great concern.

25 But I think it is very clear now that there is

1 some evidence that colloidal transport is taking place from
2 the test site, that this evidence about hydration aging
3 cannot be ignored. It was published in 1982 by Argonne
4 National Lab the same year in which DOE decided to select
5 borosilicate glass for high level waste disposal.

6 And it did not systematically pay attention to Dr.
7 Bates' research until after the Yucca Mountain legislation
8 had been passed because Yucca Mountain is really the only
9 repository site of all the repository sites at which
10 hydration aging would be a very serious concern. But
11 hydration has been ignored.

12 Now I will give you one more example in which
13 inconvenient evidence was ignored. At the Hanford site,
14 which also wound up in the top three of repository -- sorry
15 to dig up this ancient history -- it goes to institutional
16 integrity questions. There was a question about horizontal
17 to vertical stress ratios. And these stresses are causing
18 core diskings and shattering of the rocks in the repository
19 and the most inconvenient ratio numbers of that data was
20 ignored even though it was published by the National Academy
21 of Sciences.

22 Now in regard to institutional memory, I'd just
23 like to give you an anecdote that we found that -- how many
24 people know that the definition of Curie for natural Uranium
25 was changed in 1960? Does anybody here know this?

1 [Mr. Fehringer raises his hand.]

2 DR. MAKHIJANI: One person. We are all in this
3 field.

4 I was surprised to find a few years ago that the
5 definition of a Curie that only applied to natural uranium
6 was changed by the regulations in 1960. It didn't apply to
7 enriched uranium, it didn't apply to anything else, and
8 wasn't designated in any way so if you look at uranium
9 emissions statistics from a mill in 1963, it may be twice as
10 much as you think it was. There is no way to tell.

11 It was changed back in 1970-something at the
12 request of General Electric.

13 I could not find anybody in the EPA DOE or NRC who
14 had an institutional memory of this or who could produce for
15 me the set of regulatory records that went into these
16 decisions. Our librarian has to painstakingly collect all
17 of these records so we could go back and assess doses from
18 historical operation of a Uranium mill. That's how it came
19 up.

20 I think that construction of a repository in this
21 whole of viability assessment and doing things rapidly and
22 having totally unrealistic deadlines is grievously wrong and
23 it's a serious technical injustice. You cannot do serious
24 technical work in this way, you cannot do serious scientific
25 work in this way, you cannot do any justice certainly to

1 future generations by setting completely -- the U.S. has for
2 no reason the fastest deadline for repositories of any
3 country. That's because in the U.S. my economic theory of
4 how the U.S. Government, let me share it with you and then
5 stop there.

6 The U.S. Government appears to be an economic
7 machine to do two things, convert public assets into private
8 profits, and to convert private liabilities into public
9 liabilities. And what is happening now is to take these
10 private liabilities and to convert them into public
11 liabilities as fast as possible.

12 Now, I am not against the Government taking charge
13 of these particular private liabilities because I recognize
14 the Government made some commitments in this regard. I also
15 recognize that this stuff contains plutonium it has been
16 useable material, society will have to look after it,
17 whatever your opinion about nuclear power and the creation.
18 We've got this problem. It's here, we have to manage it.

19 I am for the most responsible way to manage this.
20 I don't think that the kind of calculations standards and
21 assumptions that are being presented are anywhere near
22 realistic or near sensible to fulfill the responsible that
23 we have and so we should not be only 50 years down the line,
24 let alone 10,000 years where our children will say, "iodine
25 129 didn't they have the fallout scandal in the same month

1 that this viability calculations were presented to this
2 Board and they said 70 kilograms?" I don't think that you
3 want that to happen. I certainly don't want it to happen.

4 And I think that you're confronted with a
5 monumental job in the Technical Review Board of making sure
6 that this kind of -- I don't think you can even put a bound
7 on the number of orders of magnitude if you are going to
8 have 300 distributions 95 percent, What is the basis for
9 choosing 95 percent?

10 95 percent is from these everyday confidence
11 limits of how sure are you that you are going to arrive on
12 time to your meeting. It's not a sensible way to cut off
13 the tails of the distribution for 100,000 years from now.
14 It's not at all sensible to say 95 percent.

15 I think this whole process on which we are using
16 the familiar and ignoring history -- I know that in the U.S.
17 it is a tradition to ignore history. "It's history" means
18 it's irrelevant. We can look back 10,000 years and see what
19 has happened. We can look forward at least 500 years and
20 try to project. Thank you.

21 DR. WONG: Thank you, sir. Questions from the
22 Board? Dan Bullen.

23 DR. BULLEN: Just a quick question. You talked
24 about the carbon 14 issue as being important and you said
25 that the population dose was high, or did you say the

1 individual dose was high?

2 DR. MAKHIJANI: Well, on a global basis, if you
3 assume carbon 14 becomes carbon 14 dioxide and becomes part
4 of the air, the individual dose is extremely small. The
5 population dose is very high. And there is an EPA Science
6 Advisory Board Report on this where these doses are laid out
7 which came to the conclusion that it would assure that it
8 would meet the carbon 14 release limits that were then set
9 in the EPA standard.

10 DR. CRAIG: Given the framework that you set up.
11 I'd like to ask you to talk a little bit about what you
12 consider a reasonable program for the DOE? Specifically, if
13 you were designing the DOE program for the next five to ten
14 years, how would you structure it?

15 DR. MAKHIJANI: Yes. I passed out our newsletter
16 in which exactly this question is answered. Because I do
17 take this seriously in that I don't think it's enough for
18 those of us who oppose the current program as unsound to say
19 nothing about how we should manage this.

20 I think the first element in a sound program is to
21 stop the bad things. This program is unsound. The doses
22 that have been calculated from this repository are at best
23 very marginal, within a factor of 2 of the best case doses
24 within a factor of 2 of your limit.

25 There is absolutely, and this has been brought

1 down in all kinds of funny ways that I tried to outline, I
2 think from a number of points of view, it's necessary to
3 stop the program and abandon these unrealistic deadlines and
4 have on site storage.

5 Under those conditions I think it's also proper
6 for the U.S. Government to fulfill its responsibilities
7 partly at least to the utilities by paying for that on site
8 storage. I think on site storage for 50 to 100 years,
9 coupled with a delay of decommissioning of reactors is very
10 important, because there is a vast decrease in
11 decommissioning wastes if you wait for 50 years. That way
12 the amount of low level waste you have to deal with is
13 decreased by more than 90 percent and there are actually a
14 great many economic advantages from combining the delay of
15 decommissioning with on site storage.

16 I think the Swedish approach of putting equal
17 emphasis on engineered barriers and repository performance
18 is a good one, rather than the approach the NRC has chosen.
19 I think we should have sub-sea bed disposal research,
20 because from the point of view of resources we are likely to
21 use, that is probably the least dangerous or the safest way
22 to do it. I'm not advocating sub-sea bed disposal because
23 we have not done sufficient research to know whether it is a
24 good option or not within the framework of all bad options,
25 whether it is the best or not.

1 I think that we need to have a waste
2 reclassification that makes sense. Only talking about what
3 is called spent fuel and high level waste now doesn't make
4 sense. There is a quite a lot of other repository destined
5 waste which should go to a repository, depleted Uranium, for
6 example, 300 nanoCuries per gram should go to a geological
7 repository.

8 In Europe intermediate deep geologic repositories
9 contain everything essentially about Class B waste is this
10 country which we put in shallow land burial. And so I think
11 the repositories should be designed according to that. So
12 that would be my program. And we should got to scientific
13 research rather than looking at specific places.

14 I think we should emphasize at this time extremely
15 serious work so that we are confident 50 years from now that
16 we know what we are talking about when we talk about doses
17 from a repository. Right now I am confident that we don't
18 know what we are talking about because if in 15 years bodies
19 have calculated 6 orders of magnitude difference in doses, 5
20 or 6 from the same repository, and 1 order of magnitude of
21 difference in peak dose time, although this is a little bit
22 of a disingenuous because after the peak dose time it is
23 flat for a million years. So it's really a peak dose going
24 out to a million years.

25 I think we don't know what we are talking about

1 yet. I am confident that we can know what we are talking
2 about if we do better science than what is being done now.
3 I'm very unhappy with the quality of science in the DOE.

4 DR. WONG: Dan Bullen.

5 DR. BULLEN: Just one last quick question. You
6 mentioned that you wanted on site storage. Do you think in
7 your analysis that the risks associated with on site storage
8 are less than a central interim storage facility? And why?

9 DR. MAKHIJANI: Well, I think that the risks
10 associated with on site storage are a tiny fraction of the
11 risks associated with reactor operation for one thing. So
12 the main risks are not coming from storage of spent fuel,
13 they are coming from operation of the reactors.

14 DR. BULLEN: But just a question to focus it. If
15 you had 100 years of on site storage that reactor is not
16 operating after

17 DR. MAKHIJANI: That's right, I agree. So that's
18 not the only point. Secondarily, waste are not going to get
19 magically to centralized storage place, so there are
20 transportation risks and you don't know where the repository
21 is going to be although a lot of people wish that it would
22 be in Nevada, not everybody. And so you have to take the
23 transportation risk before you have decided where the
24 repository is going to be. And I think right now based on
25 the evidence, I think Yucca Mountain is a bad place, so I

1 think transporting it to an interim storage would be a bad
2 idea.

3 There is also an extremely grave political and
4 proliferation risk in centralized storage. I think once you
5 have centralized storage the industry pressures for
6 reprocessing will only grow because you've got all the fuel
7 there. As it is, we are hearing quite a lot of talk about
8 reprocessing commercial fuel to take to Savannah River site,
9 put it through the F canyon and the H canyon. All of these
10 factors have to be taken into account.

11 Then, finally, you put it into a centralized place
12 and because nobody wants it it will be the place which will
13 automatically have the best performance of any repository
14 site in the country because it will be most politically
15 convenient site. This is not a total hypothetical
16 construct. This has already happened once before when they
17 had the crisis in Denver, in Rocky Flats with the fire in
18 1969, and AEC was doing research in Lyons, Kansas.

19 After they promised the Governor of Colorado they
20 take away this waste they announced that Lyons, Kansas was
21 one of the best sites in the country, even though it was
22 full of holes and where they established only two years
23 later that it was a lousy site.

24 So I think that we can't examine centralized
25 storage as an artificial construct in which we are going to

1 look at certain technical risks and ignore all other
2 technical risks.

3 And, finally, I would say that while we have seen
4 a lot of movies of these transportation casks, and so on,
5 the real world when those movies are converted into mass
6 manufacture of thousands casks the quality control on these
7 thousands of casks -- I'm not against transportation of
8 waste, and I truly have a lot of arguments with my
9 environmentalist friends that you should not frame
10 transportation arguments in the way they are being framed,
11 and I'm saying this for the public record now, since you
12 have raised this question.

13 I want to be very frank with you and give you the
14 best benefit of my thinking at some political risk to
15 myself. But I think we must not couch transportation issues
16 in a way that forecloses us from saying, We've got to move
17 this stuff because I think we can't leave it on site
18 indefinitely. That would be very wrong and very risky.

19 However, I think institutional constraints can be
20 placed for 50, 60 year periods which we need to do a
21 sensible job. I think if you rush building thousands or
22 hundreds of casks, you are likely to have bad casks, bad
23 quality control, a bad centralized site, and a bad
24 repository. That's a lot of reasons to oppose a centralized
25 storage.

1 DR. BULLEN: Just a quick follow on. If you've
2 quantified the risks, I'd like to see.

3 DR. MAKHIJANI: I have not quantified the risks,
4 and I don't think a sensible quantification of this list
5 that I have presented to you is possible. That's why we
6 have not attempted to do it.

7 And I don't think -- can anybody quantify for me
8 the risk of reprocessing if we centralized storage and what
9 the proliferation consequences of it might be? Or is it to
10 be dismissed because we can't quantify it? Would you
11 dismiss it --

12 DR. BULLEN: I don't dismiss it. I was just
13 wondering, at what point do you think you might be able to
14 quantify it?

15 DR. MAKHIJANI: I don't quantify -- can you
16 quantify this? If you can provide me with some guidance as
17 to how this is to be quantified then I will do it for you.

18 DR. BULLEN: Okay.

19 DR. MAKHIJANI: You provide me with guidance as to
20 how some of these risks are to be quantified. When you have
21 to do thousands of welds, instead of one for the TV movies,
22 what kind of quality control are you going to get, under
23 political pressures? This may be possible to quantify,
24 after a great deal of study.

25 The risks of reprocessing, I don't think can be

1 quantified. And the risks the political risks that a
2 repository would be found to be a shining example of
3 technical performance once all the fuel is there, granted we
4 are seeing because it was selected.

5 I call it a double standard standard, what is
6 happening with Yucca Mountain. We got one repository
7 standard, it didn't fit so we got another standard. We have
8 can have a triple standard standard. That's what is going
9 on with this viability assessment.

10 So the National Academy recommends something, it's
11 not a very convenient, EPA doesn't like the indefinite time,
12 DOE doesn't like the ground water limit, they can't agree,
13 there is a political impasse, so we have a triple. This is
14 the third standard. We have got one legal standard, we have
15 one recommended standard which Congress said we would be
16 sent, and now we have a triple standard.

17 How can you put a calculation to this kind of
18 political environment which is without any serious thought
19 to 10,000 years from now? Although we're talking about it
20 all the time. I don't trust the system for 10 years. What
21 has happened in the last 10 years to this, what were we told
22 in 1982? So the industry was given a promise in 1998 that
23 this would be taken away.

24 But the public was also given some promises as to
25 the integrity of the process. And I have been following the

1 integrity of the process since 1984, very close to it. And
2 I haven't any. So what about all those promises to the
3 public, so we have even more promises that this won't be a
4 temporary storage. You know, Brooklyn Bridge can be
5 privatized but this, you can't buy it.

6 DR. WONG: Thank you, Dr. Makhijani. That's a
7 nice high level, high energy presentation. I think this
8 afternoon is going to be a lot of fun. It's now 12:30.
9 It's time for lunch. I suggest that all of you watch and
10 manage your time better than I can, so please be back here
11 at 1:30.

12 [Whereupon, at 12:30 p.m., the meeting was
13 recessed, to reconvene at 1:30 p.m., this same day.]
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

[1:40 P.M.]

1
2
3 DR. WONG: We have one more prepared presentation
4 on today's agenda. And it's Dr. Wayne Berman. He is one of
5 the authors of a study conducted by the Electric Power
6 Research Institute to examine the requirements for disposal
7 of non-radioactive waste. And, hopefully, he may identify
8 some possible lessons that might apply to the Yucca Mountain
9 repository.

10 Dr. Berman received his Ph.D. in physical
11 chemistry from the California Institute of Technology. And
12 since then he has amassed 16 years of experience developing,
13 performing, and managing site investigations and risk
14 assessments for both government and private clients. So,
15 Dr. Berman?

16 DR. BERMAN: I want to thank Dan Fehringer and the
17 Board for inviting me today. Although I will be talking
18 quite a bit about a number of the regulations and
19 interpretations of the regulations from EPA and other
20 agencies, these are my personal perspective. I am in no way
21 a spokesman for any of these agencies.

22 DR. BERMAN: As Jeff mentioned, I will be talking
23 about requirements for disposal of non-radioactive waste and
24 possible lessons for Yucca Mountain. The study actually,
25 that Chris Whipple, Mike Easter and I conducted for the

1 Electric Power Research Institute, had the purpose to learn
2 what existing regulations and their implementation for
3 environmental carcinogens suggest for the proposed high
4 level waste repository at Yucca Mountain.

5 Although I might mention that I probably will be
6 recovering some ground that has already been discussed
7 earlier today, but I believe it will be from a very
8 different perspective, so I hope that people find that
9 useful.

10 The study questions that we looked at were, one,
11 do the existing regulations address problems that are
12 sufficiently similar to those faced at Yucca Mountain to
13 provide useful comparisons? In other words, we wanted to
14 provide a framework for doing this study.

15 And that, if so, what parts of the existing
16 regulations are potentially informative to the development
17 of future HLW standards, high level waste standards? And
18 then what are the details, what are the regulatory
19 approaches, and the underlying policies that may usefully
20 inform policy makers regarding regulations or standards that
21 might be developed for Yucca Mountain?

22 With regard to answering the first question, we
23 examined the similarities and differences in the
24 characteristics of chemical and radiological wastes
25 themselves, as well as the kinds of sites where chemical

1 wastes are deposited in comparison to Yucca Mountain. We
2 also looked at the nature and magnitude of the hazards that
3 are posed by chemical and radiological carcinogens, and the
4 kinds of exposure pathways that need to be controlled to
5 mitigate risks from chemical waste sites and from Yucca
6 Mountain.

7 Now, the kinds of risks posed prospectively by
8 hazardous chemicals and by radionuclides. Chemicals
9 potentially pose both carcinogenic risks and non-
10 carcinogenic risks. Radiological risks, at least the
11 chronic radiological risks, are due primarily to the
12 induction of cancer. However, radionuclides also are
13 chemicals and therefore they have chemical effects. And so
14 they may also pose non-carcinogenic risks that is entirely
15 incidental to the radiological hazards that they pose.

16 Typically, the non-radiological risks that are
17 posed by radionuclides are small relative to the
18 carcinogenic risks posed by their radiological properties.
19 There are exceptions to this, however. For example, Uranium
20 is primarily a hazard due to the fact that because of its
21 chemical properties it interrupts kidney function. And that
22 the carcinogenic risks posed by its radiological properties
23 are in fact relatively minor compared to the hazard it poses
24 to the kidney.

25 And just to put this in perspective, I put

1 together a little table here. And what this list is a
2 selected set of radionuclides. Except for uranium I tried
3 to select the ones that I believe are expected to pose or
4 contribute most substantially to the long hazard potentially
5 posed by Yucca Mountain. And I've also selected from a
6 broad range of the kinds of chemicals that are typically
7 evaluated at chemical sites.

8 And what I've done is, based on the internal
9 radiological hazards that are posed by these radionuclides,
10 I've estimated cancer slope factors for the radionuclides
11 that can be compared directly to the published cancer slope
12 factors for the chemicals that I have here. And I've done
13 that both for the ingestion pathway and the inhalation
14 pathway.

15 And I think the main take-home lesson that one
16 might glean from this is that you can see very quickly that
17 the range of risks that are covered on a per weight basis by
18 radionuclides and by chemicals overlap to a large degree.
19 They are roughly similar. They cover a very broad range.

20 And I think the main reason I wanted to point that
21 out is that there really is not something new, something
22 mystical about radiation hazards. That you can manage these
23 just like you can manage chemical hazards and it's a
24 function of being able to manage the concentrations to which
25 people are exposed.

1 One other thing is, I didn't put the half-lives up
2 here for the radionuclides. And, as you can see, I put
3 question marks next to the chemicals. Now, chemicals tend
4 to be, when they evaluate risks from chemicals at chemical
5 waste sites, they tend to but not always assume that the
6 chemicals are stable and will last forever. And that, in
7 fact, is not true in general.

8 Arsenic is a metal that will not, within any
9 reasonable period of time, transform and so that is, in
10 essence, stable. On the other hand, the organics I've
11 listed here, particularly vinyl chloride and the lower
12 chlorinated polychlorinated biphenyls, those are the PCBs.
13 There is good literature that shows that they do degrade in
14 the environment at reasonable rates.

15 And even 2378 petrochloride dybenzodioxin, which
16 is everybody's favorite carcinogen, will degrade at some
17 rate in the environment. And, in fact, based on my
18 experience, I believe that the half lives for these
19 materials in the environment will be relatively short
20 compared to the hundreds of thousands of years or so that
21 most of these others, radionuclides, tend to take to decay.

22 DR. KNOPMAN: Dr. Berman, excuse me. Would you
23 just explain to me what a cancer slope factor means exactly?

24 DR. BERMAN: Okay. Yes, they have very strange
25 units also. It's basically the relationship between dose

1 and risk. And because we tend to use what's called a non-
2 threshold -- I'm going to cover this in a little more detail
3 later, but we tend to use an assumption for both
4 radionuclides and chemical carcinogens of linear non-
5 threshold model.

6 Then, basically, it's a proportionality factor
7 between dose and risk. And in this case you can see the
8 strange units of reciprocal milligrams per kilograms per
9 day. These numbers are based on an assumed daily dose that
10 one might take over a 70 year lifetime. Okay?

11 DR. KNOPMAN: So the higher the number, the worse?

12 DR. BERMAN: Yes. The higher the number the more
13 potent, yes. Okay. In fact, that's the reason I put the
14 TCDB up there, is that's one of the most potent carcinogenic
15 chemicals to deal with.

16 Now, like I said, we also want to look at some of
17 the properties of the facilities themselves. And what I've
18 tried to do here is put in perspective the scope of the
19 kinds of problems that the chemical waste regulations deal
20 with and try to compare them to what you might see at Yucca
21 Mountain.

22 Let me just point out a couple of -- there is a
23 lot of information on this slide, but let me point a couple
24 of what I think are particularly important and interesting
25 features. One is that you have to recognize that the

1 chemical waste regulations were developed to deal with the
2 thousands to tens of thousands of chemical waste sites that
3 exist around the country. Whereas standards that will be
4 developed for Yucca Mountain will apply to one facility or
5 at most a very small number of facilities.

6 The volume of waste, chemical waste that's
7 produced annually in this country is huge relative to the
8 volume of nuclear waste that's produced. In fact, I can't
9 confirm this at the moment but I believe that the volume of
10 chemical waste produced annually is probably larger than all
11 of the nuclear waste that currently exists.

12 Another very important difference is that,
13 typically, at chemical waste sites you are dealing with
14 materials in which the hazardous components represent no
15 more than a few hundreds to a few thousands of parts per
16 million. Whereas, my understanding is that the wastes that
17 are going to be deposited at Yucca Mountain, that the
18 radionuclides that are potentially important there may
19 represent as much as several percent of the material.

20 There are also differences in design, typical
21 design features, deep disposal versus relatively shallow
22 disposal, and the fact that the chemical waste regulations
23 are largely, at least initially were largely retrospective,
24 because they knew they were dealing with sites that already
25 existed all around the country, many of which were poorly

1 designed and not controlled.

2 Whereas the standards will be prospective, meaning
3 that they will be designed and the facility will then be
4 designed to comply with the standards.

5 I'm going to present the next two slides out of
6 order from the package. Like I said, we wanted to look at
7 the exposure pathways that one needs to look at and evaluate
8 to look at the hazards associated with these facilities.
9 And they are similar, generally, between the Yucca Mountain
10 and between chemical waste facilities with a few exceptions.

11 First of all, some radionuclides emit gamma rays.
12 And this leads to a direct exposure pathway called "shine,"
13 which is unique to radionuclides. It's not associated with
14 chemical waste, therefore this pathway, the shine pathway,
15 is unique to Yucca Mountain. At the same time, because most
16 chemical waste facilities tend to be shallow, you have
17 pathways such as erosion and dust entrainment which may be
18 largely considered to be unique to chemical facilities.

19 But overall, at least generally, the framework of
20 the types of pathways you need to consider should be similar
21 for the two types of facilities, although they certainly
22 vary in the site-specific details that you'd have to
23 evaluate.

24 Now going back one overhead from the package, the
25 special exposure considerations associated with shine is

1 something that needs to be looked at, because when intrusion
2 occurs in a chemical facility, typically the wastes are not
3 immediately hazardous to life and health. That's a term of
4 art from the Occupational Safety and Health Administration,
5 actually. What this means, basically, is that simply by
6 coming into contact with these materials, your life is not
7 immediately threatened.

8 And it's my experience that, even though it's not
9 formally listed in the regs in this way, that that's
10 prohibited, that I doubt that there will ever be a case
11 where chemicals will be deposited in a facility at such
12 concentrations where they would be immediately dangerous to
13 life and health. And that's in contrast to the Yucca
14 Mountain facility where, at least for the first 300 to 1,000
15 years after disposal, due to shine these materials may be
16 immediately hazardous to life and health.

17 So the conclusions that I draw from this quick
18 summary, to provide a framework from which we could evaluate
19 the chemical waste regulations, is that there are clearly
20 similarities in the types of problems that are addressed by
21 these regulations. And so they are worth evaluating. And
22 it would be important to focus on carcinogenic risks.
23 However, one does need to consider the differences in site
24 designs and also needs to consider differences in
25 concentrations.

1 Now what we did then was we tried to identify the
2 components of the existing regulations to find those pieces
3 which we thought may provide some useful information vis a
4 vis Yucca Mountain. Since we were looking at risk-based
5 type of analyses, it is true that there are many regulations
6 that exist and policies that are associated with them where
7 there is an attempt to set acceptable risk levels. And
8 these should be transferable across a wide of exposure
9 considerations, and so there are a number of lessons that
10 can be learned on how these risk levels were set.

11 At the same time, the primary requirements that
12 apply the chemical waste disposal facilities derives
13 specifically from two regulations from the Comprehensive
14 Environmental Response Compensation and Liability Act, or
15 CERCLA, also known as the Superfund Law, and the Resource
16 Conservation and Recovery Act, or RCRA.

17 RCRA, the Resource Conservation and Recovery Act,
18 does deal specifically and primarily with engineered waste
19 facilities. So that, at least initially, we thought that
20 this might be the regulation that would be potentially the
21 most applicable to Yucca Mountain. However, it turns out
22 that the RCRA regulations are largely proscriptive and
23 therefore they don't necessarily deal directly with risk,
24 although they tend to be conservative.

25 There are sections that deal with corrective

1 actions and for requirements for closing a site. And those
2 sections are probably the most relevant of the RCRA
3 regulations. And they deal with risk-based decision making.
4 However, the rules for the risk-based decision making in
5 those sections of RCRA derive from CERCLA. Okay.

6 Now, CERCLA addresses existing contamination at
7 both controlled and uncontrolled sites. A controlled site
8 is an engineered facility, a facility where you've designed
9 it to be protective of the environment and you've put things
10 in that you know something about.

11 An uncontrolled facility is basically a hazardous
12 waste site that you may have some or no information about
13 but you know that there are hazardous chemicals that are
14 present. This may also include orphan sites which are sites
15 that don't even have any identifiable responsible party for
16 them.

17 CERCLA does incorporate risk-based decision
18 making. And the procedures under CERCLA that address
19 permanent waste disposal, i.e., the remedies at uncontrolled
20 sites which would include leaving waste in place where
21 you've showed that the risks associated with leaving the
22 waste in place are acceptable, or if you actually dig up
23 those wastes and construct a permanent engineered facility
24 on the site to then deposit those wastes.

25 Again, there are procedures for doing that and

1 deciding whether the risks associated with that facility are
2 acceptable. Those parts of CERCLA are the most useful for
3 looking at to try and find lessons that you might
4 extrapolate to Yucca Mountain.

5 The opportunities for lessons concerning
6 regulatory approaches and their underlying policies
7 includes, as I mentioned before, the setting of target
8 acceptable risks. And I'm going to talk about that in some
9 detail in a moment. The application of these target risks
10 to setting quantitative standards and then the scope of the
11 exposure scenarios that are considered for compliance, how
12 you comply with these standards once you set them.

13 And there are some special features here that I
14 want to touch on, specifically. One is include the time
15 frame over which you evaluate risks, another is the
16 assumptions concerning future land uses, and the last is
17 assumptions concerning institutional controls.

18 One other area that I will try to touch on briefly
19 is the approaches that are incorporated into these
20 regulations for controlling uncertainty. Typically, when
21 regulators set an acceptable risk target, this is a policy
22 decision and that's important to keep in mind. What they
23 are setting is they are setting an absolute number and the
24 number has no error associated with it. Okay.

25 And it's typically based on some concept of the

1 levels of concern that might be placed on that level of risk
2 that deal, for example, with various levels of risk, with
3 perceived differences between voluntary and involuntary
4 risks. Now a voluntary risk is a risk that people tend to
5 take willingly because there is a direct benefit associated
6 with it. An example of that is we're willing to take the
7 risk associated with having an accident because we like
8 driving our car, or some of us are willing to take the risk
9 of developing cancer because we like smoking.

10 Interestingly, at least I think it is interesting
11 that work place hazards are considered to be voluntary risks
12 under most Federal regulations. Involuntary risks that we
13 are subjected to but that we do not perceive as being
14 associated with any direct benefit, an example of that would
15 be living near an airport, or living near an industrial
16 facility, or a hazardous waste site. Generally, the setting
17 of an acceptable risk is established through a politically
18 accountable process.

19 I want to give a brief history now of how
20 acceptable risks have tended to be defined. And this since
21 it started with the Food and Drug Administration, this is an
22 FDA story. Initially the FDA discovered it, or at some
23 point it was discovered that there are certain chemicals
24 that at that time were shown to be carcinogenic that were
25 found to be in the food supply.

1 And so, initially, the FDA set what they called
2 safety factors where they looked at the lowest observed
3 effect levels in various animal and chose an arbitrary
4 factor of between 2,000 and 5,000 to divide that observed
5 effect level and then to apply that as a safe level for
6 humans.

7 However, by the 1950s it was concluded that there
8 was no safe level for exposure to carcinogens because it
9 turned out that the no-observed-effect level was simply a
10 function of the size of the populations of the animals that
11 you exposed these materials to. As you increased the size
12 of the population, then you could get effects at lower and
13 lower doses.

14 So in 1958, because of that, Congress established
15 a policy of zero tolerance, the Delaney Amendment. And what
16 that said is, basically, that there would be no carcinogens
17 in the food supply. And the Delaney Amendment was based on
18 two, what turned out to be erroneous, assumptions. The
19 first assumption was that there are a small number of bad
20 chemicals. In other words, that there were really a very
21 limited number of chemicals that exist that cause cancer.

22 The second assumption was that it would be easy to
23 eliminate these few chemicals from the food supply. What
24 happened was is as these debates continued, analytical
25 detection limits improved. And because analytical detection

1 limits improved, we found these chemicals in more and more
2 foods at lower and lower concentrations.

3 Also, additional toxicity studies were being
4 conducted. And as they were being conducted, it turns out
5 that there were a much larger number of quote, unquote,
6 "bad" chemicals than the very few that were initially
7 identified when the Delaney Amendment was first promulgated.

8 And now the rest of the story. Leaping backwards
9 for a moment. In 1961 Mantel and Bryon proposed an approach
10 for setting a virtually safe level combined with a defined
11 statistical assurance. In other words, we were assuming
12 that basically there is no threshold for cancer. That no
13 matter how low the dose, there would be some probability of
14 developing cancer if you are exposed to a carcinogen.

15 However, that doesn't mean that you can't set an
16 acceptable risk level. And what Mantel-Bryon proposes is if
17 you could set an acceptable risk level where the chance of
18 getting cancer would be sufficiently small as to not be
19 important in most people's daily lives; at the same time
20 they would establish a procedure for assuring that if you
21 comply with that requirement, that there a statistical
22 confidence that you would not underestimate the risk to
23 which you were subjecting the public.

24 By 1970 it was recognized that it wasn't possible
25 to eliminate all carcinogens from the food supply. And so,

1 in 1977, the FDA adapted the Mantel and Bryon approach and
2 actually -- let me back up for a minute. Mantel and Bryon,
3 in their original paper, proposed a virtually safe level of
4 ten to the minus 8th risk, which is a one in a hundred
5 million chance of getting cancer, as being the virtually
6 safe level.

7 And just to provide something to compare that to,
8 the background cancer rate in the U.S. is one in five. So
9 basically, one in five people die of cancer. But they were
10 suggesting that we should prevent introduction of cancers
11 from controllable chemical sources at one in a hundred
12 million.

13 In 1977 when the FDA adopted the Mantel-Bryon
14 approach, they set a target lifetime risk on it of ten to
15 the minus six, one in a million. By the way, it is
16 important I point out that all the risk levels that I'm
17 going to be talking about today are lifetime risks. And the
18 reason I wanted to mention that is because I know that in
19 the field of radiation people tend to talk about annualized
20 risk. And so you have to make the conversion. Okay.

21 In 1988, the EPA also adopted the FDA approach,
22 and they also established a one in a million level of
23 lifetime risk as de minimum. In other words, the level, any
24 risks below that they would figure were not important and
25 not worth regulating.

1 I want to spend a little bit of time talking about
2 the application of these risk targets. Let me go through
3 this. If you want to apply these risk targets, typically
4 the first thing you have to do is you do this in a risk
5 assessment. And the first thing you need to do is you need
6 to relate this risk to a dose through some kind of a dose
7 response model. And here is how you generate slope factors.

8 You usually take either animal toxicity studies or
9 human epidemiology studies. And especially if you assume a
10 linear no threshold relationship then it's basically a
11 proportionality factor that relates dose and risk.

12 And doing this introduces error because you are
13 taking an absolute number that someone set as a policy, and
14 you are now relating it to measurements that have some
15 errors associated with them and to a model with which you
16 are interpreting those measurements. And so you are
17 introducing uncertainty and error and you need to control
18 that uncertainty and error. And the procedures that are
19 used to convert risk to dose typically, to a greater or
20 lesser degree, try to incorporate some kind of control of
21 this uncertainty.

22 Now, once you do that, then that's called the
23 toxicity assessment part of the risk assessment. Then what
24 you need to do is you need to relate the doses to
25 environmental concentrations so that you can then regulate

1 facilities or other things that you are interested in. And
2 how you do that, basically, is you then take the dose and
3 you relate that to an exposure point concentration.

4 That's the concentration in the environment that a
5 person would experience. And then, due to the way they take
6 up either through inhalation, or ingestion, or whatever,
7 some model of that would relate the actual dose that gets
8 into their body through the external concentration. And
9 there is additional error associated with that model.

10 Then especially for regulating facilities, you
11 have to then also relate an exposure point concentration
12 back to the source concentration using some type of fate and
13 transport model. And, again, there is additional error
14 introduced in the use of those models.

15 Now, let's talk a little bit first about the
16 toxicity assessment part of risk assessment. As I mentioned
17 before, the model that was adopted in the 1950s for
18 radiation was a linear non-threshold model. And what that
19 means, once again, is that by non-threshold it means that
20 the line for the relationship between risk and dose goes
21 through the .00. So that any non-zero dose would be related
22 to a non-zero risk.

23 It's linear at low doses. That's considered to be
24 conservative, in fact. And that's an assumption. And the
25 reason that it's important to state what the shape of the

1 curve is at low doses is that, typically, the experiments
2 that we have to establish these dose response factors are at
3 relatively high doses, but we're interested in extrapolating
4 them down to very low doses to determine what the risks are
5 associated, let's say, with the Yucca Mountain facility, or
6 so on, and so forth.

7 This same model was adopted generally for
8 chemicals in the 1970s, so at least the same kind of model
9 in general is common. We apply both to radiological agents
10 and to chemicals. The parameters for these models are
11 typically selected to a greater or lesser degree to control
12 for uncertainty. And, typically, the greater the
13 uncertainty the more conservative the selected parameters.
14 And the slope factors I mentioned before could be derived
15 either from epidemiology studies or from animal toxicity
16 studies.

17 It's interesting, just to give an example,
18 typically when you are using an animal toxicity study to set
19 a slope factor, the point you select is what's called a 95
20 percent upper bound of the estimate of the slope factor.
21 And the reason you use that as your estimate, again, is to
22 control for the uncertainty between extrapolating from an
23 animal species to humans.

24 When epidemiology studies are used to establish
25 slope factors, they typically take what's called the maximum

1 likelihood estimate, the best estimate of the slope factor
2 you derived from the data. So that you are not accounting
3 for the uncertainty because theoretically there is no inner
4 species extrapolation. And that's true.

5 However, there is still is uncertainty associated
6 with the model that you apply to the epidemiology data and
7 there is still uncertainty or error associated with the
8 finite amount of data you have from the epidemiology study
9 as well. And so there is inconsistencies in how one tries
10 to control for uncertainty in the way the slope factors are
11 derived.

12 If one wants to set quantitative standards, one
13 can actually do this at any point in the risk assessment.
14 And I want to emphasize this. And let's first talk about
15 the options for setting quantitative standards. And then
16 I'm going to go back for minute to go, over once, more the
17 relationship between risk and various kinds of environmental
18 concentrations.

19 Regulatory options for quantitative standards.
20 They can be prescriptive. And prescriptive standards have
21 to be prospective. An example of prescriptive involve, for
22 example, design specifications, limits on the total mass,
23 the total volume, or the maximum concentration of the
24 material that can be placed in the facility. And these are
25 usually not directly risk-based, although they tend to be

1 designed so that they are conservative.

2 Another set of options are called performance
3 based options, and these can be either prospective or
4 retrospective. If they are prospective than the compliance
5 will be based on some type of modeling. That'll be required
6 because the facility will not have been built yet. If
7 theyou are retrospective then, theoretically, you can base
8 compliance on actual measurements at various points in the
9 environment.

10 And these examples of performance-based standards
11 might be limits on peak exposure point concentrations or
12 limits on release rates at defined locations. Or you could
13 simply model the estimated risk from source concentrations
14 going through the entire chain that I mentioned before. And
15 then do that on a site-specific basis, and then compare the
16 estimated risk that you've come up with, presumably using a
17 procedure that controls for the uncertainty in that risk
18 estimate to the acceptable risk level that you've set. And
19 that, in fact, is the paradigm that's used in CERCLA for
20 site-specific assessments, and these are typically risk-
21 based.

22 Now to go back to this one last time. As I
23 mentioned before, you establish an acceptable risk level at
24 the bottom. The risk level is an absolute number, it has no
25 error associated with it. And then through modeling you can

1 establish a dose that can be basically equivalent to that
2 risk level, or in exposure point concentration or source
3 concentration. And in all cases these are all connected by
4 various kinds of models that have various sources of error
5 in them and they are all based on various kinds of data that
6 have various sources of error associated with them. When
7 you are setting a quantitative, you can do it at any point
8 in the ladder. You can go up this ladder or down this
9 ladder. The point is, it's conservation of the complexity
10 of the problem. What happens is, you know, for example, if
11 I decide to set a quantitative standard as an exposure point
12 concentration, then I'm taking an absolute of risk that has
13 no error, modeling up to an exposure point concentration and
14 introducing error into my estimate of the acceptable
15 exposure point concentration. And then I would take a
16 source concentration from the field, model that down to an
17 exposure point concentration with error associated with it
18 and make my comparison there.

19 The point is, wherever I do that or however I set
20 the quantitative standards you can't get out of the fact
21 that you are introducing error in these steps. It's just a
22 question of whether the error is going to be introduced in
23 the standard or it's going to be introduced in the estimates
24 you've derived to compare to the standard.

25 Current quantitative standards at EPA. They are

1 remarkable consistent due to the bootstrapping effect.
2 Basically, when they found that something works for one
3 regulation, they simply applied it then to the later
4 regulations. Actually, I should do this in chronological
5 order. In the Clean Air Act, in the Clean Water Act, in the
6 Safe Drinking Water Act, and then in CERCLA they all
7 incorporate currently the same acceptable risk range which
8 is a range of one in a million to one in ten thousand.

9 And, again, the standards, however may be in terms
10 of environmental concentrations and so I'm just talking
11 about the risks that these concentration standards are
12 theoretically equal to, given the models that they use in
13 the various regulations. So this risk range is defined such
14 that below the lower end, below one in a million, the risks
15 are generally considered acceptable.

16 At above one in ten thousand, risks are generally
17 considered unacceptable and something needs to be done. And
18 risks that fall within the range may be acceptable depending
19 on site-specific conditions and on cost considerations. At
20 least that's how the risk range is applied under CERCLA.

21 Importantly, these are risks to individuals. My
22 understanding is that EPA does not deal with population
23 risks and it's because of the fairness issue. Basically,
24 EPA does not want to be viewed as being more protective of a
25 person simply because he lives in New York City than because

1 he may live in Lee Vining, which is a very small town in
2 eastern California. And that's why they regulate risks to
3 individuals.

4 In the attempt to help provide a frame of
5 reference, what we've done here is we've developed a table
6 where we've converted some of the existing regulations and
7 standards for radiological hazards to lifetime individual
8 risks. And so you see on the right, these are some of the
9 converted numbers.

10 Now, the first number there is actually quite
11 large. It's certainly well above the risk range of 10 to
12 minus 4, ten to minus 6, 3 times 10 to the minus 2.
13 However, there is a very practical reason for that and that
14 is that EPA decided it wasn't in the business of trying to
15 regulate nature.

16 These other numbers, many of them you can see are
17 above 10 to the minus 4. Now you might conclude from this
18 that that would suggest that chemical hazards are regulated
19 more stringently than radiological hazards. And if you did
20 conclude that, I would say you were probably wrong.

21 And the reason is that you have to understand
22 there are differences in the procedures that are used, first
23 of all, for deriving slope factors between radiological
24 agents and chemical agents, and the uncertainties are
25 different there. Plus, the way that these are applied are

1 different.

2 And until you work through those details and
3 understand how uncertainty is controlled and what the
4 relative magnitude of the control of that uncertainty is
5 with each of the models that are used to apply these
6 different standards, you can't make a judgement as to
7 whether these are more stringent or less stringent than the
8 standards that are applied to chemicals. And at this point
9 in time, I'm not prepared to tell which I think are more
10 stringent because I don't know.

11 Application of EPA's quantitative standards under
12 CERCLA. Risk assessments are performed for three purposes
13 at a site. One is to determine whether remediation is
14 warranted. That's called the baseline risk assessment. The
15 second is to derive cleanup levels, if remediation is
16 required. And the last one is to support an evaluation and
17 selection of remedial options.

18 Now, interestingly, during a baseline risk
19 assessment, as I mentioned before, nowadays typically if the
20 risks that you find for a site are less than 10 to the minus
21 4, typically remediation is not required. However, if you
22 conclude that remediation is required then typically cleanup
23 standards are set equal to 10 to the minus 6. So if you
24 have to cleanup anything, you've got to clean things to 2
25 orders of magnitude greater than the decision that you use

1 to decide whether cleanup is required.

2 However, one is allowed to adjust those cleanup
3 levels, if it can be shown that cleanup to that level is
4 technically infeasible. And with growing experience, it's
5 turned out that in a lot of cases EPA has had to back off
6 because it has been shown that in a lot of cases cleanup
7 targets at one in a million are just not feasible at a lot
8 of sites.

9 To continue with this. Usually EPA's quantitative
10 standards are applied using conservative models, this is in
11 the exposure assessment side, and that are very likely to
12 underestimate risk. And this is to control uncertainty.

13 Typically, they assume that the nearest individual
14 is subject to the highest risk, and that others are
15 adequately protected if the nearest individual to the site
16 is adequately protected. This is not usually the real
17 nearest individual, it's usually a hypothetical individual
18 at defence line of the site.

19 They do allow use of more realistic models than
20 the ones that they offer in the guidances. As long as still
21 adequate statistical assurance that the risks are not
22 underestimated. And I believe, based on some research that
23 I've done recently, that there are problems with these
24 models that are typically used because there is a mismatch
25 between the characteristics of the data that are typically

1 evaluated and the way that the data are being evaluated.

2 And this results in the fact that the desired
3 level of assurance is not consistently achieved across
4 sites. In some cases it's more than achieved, and in some
5 cases it's a lot less than achieved.

6 A brief word about the evolution of standards
7 under CERCLA because this is interesting. The National
8 Contingency Plan, which is basically the document that
9 describes how the standards and the requirements of CERCLA
10 are to be implemented, has formally been revised three
11 times, in 1982, in 1985, and in 1990. In addition to those
12 three formal changes, there have been a tremendous number of
13 informal changes in the guidelines and practices that have
14 been adopted over the years.

15 And the trends are as follows. Initially, when
16 CERCLA was first promulgated in 1981 and we started doing
17 site risk assessments, first of all the pathways that were
18 evaluated for each site, they considered every conceivable
19 possible future land use. What this meant is, basically
20 they assumed that whatever site they were looking at
21 initially, that some point in the future someone would build
22 a house on it because residential exposures tend to be the
23 most conservative.

24 They also initially adopted a risk range of 10 to
25 the minus 7 to 10 to the minus 4. And there was a really

1 strong preference not to allow risk greater than 10 to the
2 minus 6 to be left in place. There are also strict cleanup
3 requirements again, to risks below 10 to the minus 6, if
4 cleanup was required.

5 There was also a strong emphasis on what are
6 called permanent remedies. These are remedies where either
7 the hazardous materials would either actually be destroyed
8 or be removed from the site or at least the mobility of
9 these materials would be severely restricted by chemical
10 modifications.

11 Now, with time and with experience it turned out
12 that many of these goals were overly optimistic and so that
13 some of these have had to be relaxed. Nowadays they
14 consider for most sites only the most likely future land
15 uses. The risk range is now from 10 to the minus 6 to 10 to
16 the minus 4. And, more and more, the decision point at most
17 sites seems to be on the order that cleanup is not required
18 unless the combined risks from all pathways is greater than
19 10 to the minus 4.

20 There are now flexible cleanup requirements that
21 are based on technical feasibility. There is a vastly
22 reduced emphasis on permanent remedies, and there is a much
23 greater emphasis on the use of institutional controls. And
24 I'm going to talk about a few of these in greater detail
25 because I think they are interesting.

1 Time frame considerations. RCRA design and
2 monitoring requirements typically extend for an initial
3 period of 30 years. So you might think they are only
4 looking 30 years into the future. That's not true.

5 Regulators have discretionary authority under RCRA
6 to determine the extent, and frequency, and duration of
7 further monitoring and for sites that are not clean
8 closures.

9 Clean closures are sites where you've removed all
10 known waste from the site. In other words, if you leave any
11 waste in place, there are perpetual five year reviews that
12 are required at these facilities. And during these five
13 years reviews it may be concluded that additional actions
14 can be triggered, either cleanup actions or additional
15 monitoring actions under with RCRA or CERCLA, and whatever
16 might be required to protect health and the environment.
17 Therefore, basically they are assuming that these sites will
18 be maintained in perpetuity.

19 The other thing is, under CERCLA when you do a
20 risk assessment, you typically have to evaluate the risks
21 over a sufficient period of time to be sure that you've
22 included the peak exposures. And they tend to be, for some
23 sites, especially those that have long ground water
24 pathways, they tend to go out maybe as much as few a 100
25 years. They don't tend to go out much longer than that for

1 chemical sites.

2 Regarding land use considerations. Under CERCLA
3 the exposure pathways considered are defined based on the
4 current and anticipated future land use for the site. And
5 historically, like I said before, they considered all
6 possible land uses. Nowadays land uses that are considered
7 are defined based on a combination of current use, zoning
8 restrictions, and the local master development plans.

9 And in some cases also interviews with local
10 community leaders to see what the consensus is about what is
11 likely to happen in this area in the future. In some they
12 are also part of negotiated settlements. Certain land uses
13 can be excluded from consideration at a site, if the owner
14 of the site agrees to incorporate a deed restriction.
15 Basically, they'll say in the deed directly that this site
16 will never be used for residential use, for example.

17 Now the fact that they incorporate institutional
18 controls basically come from what I believe is an underlying
19 assumption that I could not find stated anywhere, although
20 it's very consistent with the way the regulations and both
21 written and the way they are applied, and also has basically
22 been confirmed by interviews with a number of EPA staff were
23 directly involved with the development of regulations.

24 That is that existing regulations incorporate the
25 assumption that social institutions will be stable and

1 dependable for the long term, i.e, forever. And like I
2 said, although this is not formally written in the
3 regulations it seems to be a tacit assumption.

4 The consequences of this assumption is that, as I
5 mentioned before, institutional control, such as deed
6 restrictions, are routinely incorporated into allowable
7 remedies for sites. Chemical wastes are also typically
8 allowed to remain in place even at uncontrolled sites as
9 long as the risks are acceptable for the anticipated future
10 land use. And that obviously incorporates the assumption
11 that the land uses will not change in the future beyond what
12 was considered.

13 Sites that are closed with residual waste on site
14 are assumed to be subject to perpetual five year
15 reevaluations, as I mentioned before with a perpetual
16 ability to conduct corrective actions, if needed. Again,
17 this assumes that the institutions will be around, both to
18 have the memory to know where these sites are and to enforce
19 the requirement for reevaluating them and making any changes
20 that are required.

21 Now, we found this interesting and so we tried to
22 delve into this a little further and understand what the
23 apparent difference is in the way institutional controls and
24 institutional memory are considered for chemical waste
25 regulations and the way they seem to be headed for Yucca

1 Mountain. And with talking with a number of EPA staff,
2 we've come up with a number of hypothesis.

3 We couldn't get an absolute answer to this, but
4 two are inferential. One is that, as I mentioned before,
5 times to peak exposure for most chemical hazards at most
6 chemical facilities are much shorter than for the proposed
7 Yucca Mountain and those facilities. Therefore, over a
8 horizon of maybe a few hundred years, it may not be
9 unreasonable to assume that our government will remain
10 stable and that institutional controls can be maintained.

11 Another idea potentially is that, and this is
12 ironic in fact, is that since chemical wastes are assumed to
13 be infinitely stable whereas it's known that radiological
14 agents decay with time, the idea of time was introduced into
15 people's minds when they started to look at these hazards.
16 And so, ironically again, regarding the agents that are
17 known to decay with time, they started to look more
18 carefully about what will happen over longer periods of
19 time.

20 There is also a practical consideration here. The
21 practical consideration is that the United States may simply
22 not have sufficient resources to handle the volume of
23 chemical wastes to the same degree of rigor as the more
24 limited volume of high level waste.

25 Finally, the existing regulations incorporate both

1 formal and informal procedures for controlling uncertainty.
2 I already talked somewhat about how they control uncertainty
3 to some degree in setting slope factors, and at least for
4 animal studies they incorporate formal statistical bounds.
5 But also on the exposure side, when concentrations are
6 estimated, like source concentrations, and so forth, they
7 formally incorporate use of upper bound estimates of those.

8 Informally, they also incorporate conservative
9 assumptions for parts of models when the input values for
10 those parameters cannot be reasonably defined for
11 measurement or formal derivation. And, once again,
12 typically the greater the uncertainty, the greater the
13 degree of conservatism that is incorporated. Questions?

14 DR. WONG: Thank you, Dr. Berman. Questions from
15 the Board?

16 DR. CRAIG: Back at the beginning of the talk, you
17 made a reference to the difference between voluntary and
18 involuntary. And you also made reference to perceived
19 risks. And then those important concepts didn't show up
20 later on in the presentation. So what I'd like you to do is
21 go back and
22 talk to us about those, particularly the way in which the
23 regulatory process deals with perceived risks which, as we
24 all know, are critically important in the area of concern to
25 us.

1 DR. BERMAN: That's a difficult question to
2 answer. Let me try answering it this way. First of all,
3 the part of the talk that I introduced, those concepts had
4 to do with the policies with which acceptable risk levels
5 are set. Once you set acceptable risk levels then it
6 becomes more of a technical problem in how you are going to
7 derive quantitative standards and how you are going to apply
8 them. And so that's why I introduced the concept early on.

9 The problem is that, at least to the level that we
10 were able to delve into this, there is not a lot of formal
11 documentation on these kinds of considerations. I believe
12 that there were considerations, with regard to perceived
13 risks, in setting acceptable risk levels. First of all, at
14 least initially, people just simply set the lowest levels,
15 as I showed at the history of the FDA story.

16 People started by setting the absolute lowest
17 levels that they could even think of because they figured
18 they could punt on the problem then and not have to worry
19 about making more realistic decisions. But as time
20 progressed and they realized these had to be applied in real
21 situations they had to back off on those. And so then they
22 did start looking at comparative risks, you know. And there
23 are a number of published studies I know, that I'm sure that
24 people who set risk levels have looked at.

25 For example, relating to the difference between

1 certain contributions to risks and the magnitude that is
2 perceived for those contributions versus the actual
3 contributions to risk in daily lives. And there also is
4 clearly a difference in the acceptability of a risk whether
5 it's voluntary or involuntary.

6 And, for example, in the case since it is known
7 that the risk associated with living near a hazardous waste
8 site is clearly an involuntary risk, they, I would say
9 rightly, decided that that had to be regulated more
10 stringently than the kinds of consumer protections, for
11 example, which tend to fall under the categories of
12 voluntary risks, and people are willing to accept larger
13 voluntary risks.

14 DR. CRAIG: So in some fashion there is a hidden
15 assumption in regulatory process that allows for different
16 standards to be set for involuntary and voluntary risks.
17 Does that show up in your interviews?

18 DR. BERMAN: I wouldn't go so far as to say that.
19 And I certainly wouldn't speak for the regulators. But I
20 will simply say the way I would phrase it is simply that I
21 think that the regulators who set these acceptable risk
22 levels, that we are now living with, were cognizant of those
23 differences and the sensitivities that the public showed
24 towards the difference between voluntary and involuntary
25 risk.

1 DR. WONG: Debra?

2 DR. KNOPMAN: Could you tell us a little bit more
3 about EPA, the folks in the EPA for whom you did this, who
4 are using your analysis? I think it's an interesting
5 comparison to do and I'd like to know how it's informing
6 their own --

7 DR. BERMAN: First of all, we did this analysis
8 for the Electric Power Research Institute.

9 DR. KNOPMAN: But you said you spoke with EPA.

10 DR. BERMAN: I interviewed various EPA staff who
11 were identified as having been involved with the development
12 of the policies for a lot of these regulations so we could
13 try to get a feel for the history. But at this point in
14 time, they are not yet familiar with the results of this
15 study.

16 DR. KNOPMAN: Okay.

17 DR. BERMAN: A lot of this, by the way, is based
18 on my own experiences because I started, basically I was
19 with a group at Clement Associates who pioneered the
20 development of procedures for site risk assessments right
21 after CERCLA was promulgated. And I've been working under
22 Superfund for the last 16 years since that time so that I've
23 seen how it's evolved with time.

24 DR. KNOPMAN: For whatever it's worth, when you
25 get outside of the hazardous waste area, EPA is involved

1 with setting risks on a population basis rather than
2 individual basis. The Clean Air Act is a good example.
3 It's very clear legislative history that its' populations as
4 opposed to individuals.

5 DR. BERMAN: That's a point well taken.

6 DR. WONG: Any more questions: Okay, thank you,
7 Dr. Berman. At this point in the agenda it's called for
8 that we have a break for about 15 minutes while we set up
9 for the round table. So 15 minutes let's have everybody
10 back here.

11 [Recess.]

12 DR. WONG: Let's try to start. We'll begin the
13 round table portion of the meeting. As you can see, we
14 divided up into like teams, like a debate, with Dan and I in
15 the middle. So, again, we will begin our round table
16 discussion.

17 First, we have some participants with us now that
18 did not make formal presentations earlier at this meeting.
19 And I'd like to offer them each an opportunity for a short
20 opening statement.

21 First, I would like to turn to Dr. Kjell
22 Andersson. Kjell has been very kind to travel all the way
23 from Sweden to join us today. Dr. Andersson has extensive
24 experience with nuclear waste programs in european nations,
25 especially Sweden. Among other projects, Dr. Andersson has

1 served as a consultant to the Swedish National Council for
2 Nuclear Waste, which is the advisory body very similar in
3 organization and function to the NWTRB.

4 Dr. Andersson, given your familiarity with
5 environmental and safety standards for radioactive waste
6 disposal in Europe, we would enjoy your thoughts on DOE's
7 performance measure that you've heard about today. Please.

8 DR. ANDERSSON: Thank you. I appreciate being
9 here and being invited by the Board to discuss these issues.
10 First of all, I will address three issues, but as background
11 maybe a little bit of a perspective. You have three
12 varieties of regulation. You have the existing one, you
13 have the proposed one, and you also have the DOE sort of
14 interpretation of the situation which I've heard about
15 today.

16 In Sweden we have a sort of equally confusing
17 situation in that we don't have specified regulation for a
18 repository. We do have regulations for releases from
19 existing nuclear installations in operation. But for a
20 repository there is no official criteria set, although there
21 have been a number of advisory documents to the responsible
22 bodies.

23 And also there is draft regulations which have
24 been sent out from the Radiation Protection Institute and
25 the Swedish Nuclear Power Inspectorate. They have been sent

1 our for comments and are being commented on, and probably
2 not too far into the future there will be regulations in
3 Sweden.

4 But, of course, we can say that the same kind of
5 issues come up in my country as we heard about here. One is
6 the issue of time limit, whether you should have a time
7 limit or not, it's also a discussion in Sweden. In a way
8 it's easier for the Yucca Mountain case because for Swedish
9 repository we would expect to have an ice age where the ice
10 would actually cover the area of the repository in Sweden,
11 which certainly is a much more difficult situation to
12 evaluate. If I understand it rightly, in Yucca Mountain you
13 would expect during an ice age you are talking a factor of
14 two or three increase in precipitation which is something
15 different than having an ice cover over the repository.

16 Still there are arguments that there should be no
17 time limit in the regulations. And my personal comment to
18 that is this is rather an issue of value judgements which
19 should be discussed rather broadly and not just among the
20 experts. I observe that you have now, which have been
21 discussed by the DOE here, a 10,000 year performance
22 measure, but then also a post-10,000 year goal, I saw in one
23 of the papers. I have also seen calculations for millions
24 of years.

25 And I've seen in the papers and we've heard it

1 today that you would expect the peak doses to come, say,
2 within 20,000 to 30,000 years from now. So then one could
3 ask, why not have a time limit of 50,000 or 100,000 years
4 and you would cover the expected peak doses, or just
5 performance measure for the time of peak dose?

6 The second thing I would like to address is,
7 transparency of performance measure assessment. How do you
8 make it understandable to the public? Because, as we have
9 discussed in Sweden, we cannot get a repository if it's not
10 acceptable and accepted by the public. And to get it
11 accepted you must establish some sort of public dialogue.

12 And the probabilistic approach which is entirely
13 being used here adds a dimension of complexity versus a more
14 deterministic analysis because you talk about regression
15 analysis and so on. These are not really issues which you
16 are so easy to discuss with the public.

17 Of course, I realize the probabilistic assessment
18 is comprehensive and takes care of, in principle at least,
19 all the uncertainties, provided that you can assign
20 probabilities to them. But my personal reflection would be
21 that the probabilistic analysis would need to be somehow
22 complemented with deterministic approaches to discuss some
23 sort of "what if" scenarios, and so on, with the public.

24 And then the third reflection concerns that we
25 have, I would say, value judgements behind what is being

1 done in performance measure in setting criteria. Another
2 probablistic analysis presented here, it's done in a way
3 that it seems to take care of everything in a very technical
4 manner.

5 But there is a danger then that you hide the
6 underlying value judgements in the analysis behind the
7 assumptions, figures, and so on, being used.

8 The issue of time scale is just one such issue,
9 and whether to include human intrusion in the performance
10 assessment or not is another, and if you should do it, how?

11 So there are a number of ethical issues that need
12 to be discussed and we need to invent some sort of
13 procedures for doing this. It does not mean that science is
14 not important, of course. Still we have things which are
15 factual issues that you must be able to discuss between
16 experts, but you also have uncertainties where you need to
17 take care of with some sort of expert judgements.

18 And when you put the expert judgement into the
19 probablistic assessment, how do you discuss them, and also
20 the value judgements which are behind the basic assumptions?
21 So my advice then would be to put this upper layer on the
22 table, make it transparent to public dialogue.

23 DR. WONG: Thank you. Next we have somebody
24 representing Nye County, Phil Niedzielski-Eichner, the home
25 of Yucca Mountain. And Phil has been following the site

1 characterization work for many years. And, Phil, would you
2 like to share with us any comments?

3 DR. NIEDZIELSKI-EICHNER: Thank you. Nick
4 Stellavato, at this point will not be here. He will be here
5 this evening and enjoying the activities tomorrow. He asked
6 me to step in on his behalf. I'll just note that Nick is
7 Nye County's on-site representative, essentially the eyes
8 and ears for the County at Yucca Mountain.

9 And beyond just monitoring the work of DOE and its
10 contractors, Nick has designed and implemented a program of
11 kind of proactive site investigation of his own, on behalf
12 of the County, which includes data collection. And he has
13 done some fine work and we'd commend any of that work that's
14 done under Nye County's oversight program to those in the
15 room.

16 I thought what I would do is just very briefly
17 highlight the fact that there is great uncertainty about the
18 future when you come to the point of trying to predict
19 population. Nye County's own vision for example, of what
20 will happen in Nye County is substantially different than
21 what you see out in the population centers now, even as
22 Steve described this morning.

23 For example, the County within the past four
24 months, has designated the 95 corridor running from Indian
25 Springs in Clark County north to Tonopah as the Nevada

1 Science and Technology Corridor, an explicit economic
2 development strategy to take advantage of or better
3 advantage of the Federal activities that occur within Nye
4 County.

5 Now, one might say that the aspiration is wishful
6 thinking, but we recently completed some scenarios that
7 would look at a low end population growth perhaps exceeding
8 50,000 population within the southern Nevada rural areas,
9 this is separate from the urban center in Los Vegas, going
10 up to 180,000 with a much more diversified economic base.

11 The plans the County has begun implementing
12 include development centers, for example, towns that have
13 been referenced this morning, Beatty, Amargosa Valley,
14 Pahrump, and again, Indian Springs. And there are those of
15 you who might be involved in economic development might
16 appreciate the possibilities that exist along the corridor,
17 and I won't elaborate on them today.

18 Just to emphasize though that the uncertainty as
19 to what will happen in Amargosa is significant. It could
20 stay the same, or it could be significant -- one bounding
21 factor of course, is water. And what that remaining
22 unappropriated water, what happens to that unappropriated
23 water and how it's used by the community is going to be an
24 important in this development in the future.

25 The second I'd make is with regard to ground

1 water. And we agree with the assessment that there is an
2 inadequate characterization of the ground water whether it
3 be the flow, for example, what basins flow from certain
4 basins, or whether closed basins are now complete, that
5 there is an inadequate characterization leading also to
6 volume.

7 Steve referenced what was perceived to be
8 available at this time, but we really believe that
9 additional characterization of the ground water will tell us
10 a different story than we know now, to the point where the
11 County has completed a comprehensive look at the currently
12 existing data bases. It has a report about to go out to the
13 community, particularly Pahrump and Amargosa Valley, as to
14 what it anticipates would be available water. Plus, what
15 needs to happen to more effectively characterize the site or
16 the region surrounding the site.

17 It has put together a program, a long return
18 program, for putting wells in and monitoring off-site the
19 water supply and water characteristics. And with that I'll
20 just be happy to participate in the discussion.

21 DR. WONG: Thank you, Phil. Next we have
22 Engelbrecht von Thiesenhausen, who represents Clark County,
23 that's the county that Las Vegas is located in. And as the
24 largest population center near Yucca Mountain, Clark County
25 has an obvious interest in the Yucca Mountain project and

1 it's impact on the region. So Mr. von Thiesenhausen would
2 you like to make some comments, please?

3 DR. VON TIESENHAUSEN: Thank you for allowing me
4 to participate in this discussion. When I first moved to
5 Clark County in 1965, it had a population of about 250,000,
6 and today we're looking at well over a million. So this
7 will give you some idea of the growth rates in the area.
8 Whether those same rates will be reflected in Nye County
9 also, is difficult to say, as Phil mentioned, because of the
10 water situation.

11 But it is certainly not unreasonable to assume
12 that there will be major changes in population, in
13 demographics, in the economic base of Nye County in time.
14 And I guess the reason I bring this up is with the question
15 of the critical group it is probably, I hate to say,
16 shortsighted almost, but just to look at today and say that
17 this is going to be what it's like 5,000 years from now or
18 200 years from now, even.

19 Otherwise DOE's interim post closure performance
20 measure I think is fairly reasonable. I would like to see
21 the goal of 25 mr past 10,000 made into a performance
22 measure actually. The difficulty I have is with the whole
23 concept because so far TSPA has been basically intransparent
24 to me.

25 I have not gotten any documents that have given me

1 detailed assumptions that were made, issues that were
2 decided on, what data was used, and how it was put into the
3 calculations. And I would strongly recommend DOE to come
4 out with a decisions document, or something on that basis,
5 that goes through all those steps for TSPA.

6 In other issues, I guess, a lot of comment has
7 been made that work on Yucca Mountain should stop and there
8 should be no interim storage. I don't advocate Nevada as
9 the place to have either a repository or an interim storage
10 facility, but I think from a standpoint of generational
11 equity, it is probably unjust to drop the ball and wait 200
12 years to see what will happen.

13 And I think we owe it to our children and their
14 children to address an issue that has benefitted this
15 society. And to address it in a manner that is safe and
16 still leaves them the option of doing whatever they might
17 decide to do in the future. And, otherwise, I'll be happy
18 to throw in my two cents worth whenever I get the chance.

19 DR. WONG: Thank you. Let's open this up to a
20 general discussion. We've heard a number of calls for
21 increased transparency, reconsideration of what the exposure
22 scenario should be, consideration of change in population
23 and land use. And, I guess, that's all implied criticism of
24 the current DOE approach. So with that, I'd like to ask
25 Steve or Abe Van Luik to maybe make a few comments about

1 that.

2 DR. BROCOUM: Let me just make one general comment
3 here. Sitting around the table looking at people around the
4 table, and I'd say two of the three parties are not at the
5 table. In other words we are talking about our performance
6 measure which will probably be in place a year, maybe two
7 years, maybe three years depending on how long it takes EPA
8 their standard.

9 The fact is that we don't decide that is, EPA
10 does. So EPA is not at the table. I do see them in the
11 audience. And, of course, the other part, how to implement
12 it is very important to the NRC. They are not at the table
13 either. So it's a kind of interesting discussion that the
14 two key players who will decide what the standard is and how
15 it's implemented are not at the table.

16 That's my general comment. Now is there anything
17 else, did you want me to comment on something else? You've
18 mentioned a few things.

19 DR. WONG: There is the issue of transparency.

20 DR. BROCOUM: We talked a second about the issue
21 of transparency, and Abe can talk a lot more about this. Of
22 the key areas, scientific investigations, the design, and
23 the TSPA, the first two have been Quality program for quite
24 some time. TSPA has not. And we are in the process of
25 putting the TSPA under the QA program which should help in

1 our traceability.

2 In other words, tracing through what kind of data,
3 what data was used. Making sure there is traceability from
4 one document to another, and so on. We recently visited
5 WIPP, where they've gone through this process in applying
6 for the certification from the EPA. And they told us it was
7 a much bigger job and challenge than they thought it was
8 when they started it four years ago.

9 Actually getting all this stuff, getting it
10 traceable, getting a system in place that they know exactly,
11 you know, control the codes, control the parameters, we have
12 a big job to do that for a license application.

13 We are on our way doing that now, but we don't
14 know if we can cover all of that in time for the VA. But we
15 have started the process and we've put it under a Q process,
16 and we'll do the best we can over the next year.

17 But looking at WIPP, it took them four years to
18 get that whole process, and I'm not even sure it's completed
19 yet, at the place they think they should be. So that's my
20 comment on transparency. Did you want say something, Abe?

21 DR. VAN LUIK: Well, I can say something to the
22 effect that Engelbrecht has read our documents and couldn't
23 make heads nor tails out of our value judgements, I think it
24 was the term Kjell used. In fact, we're very acutely aware
25 of that, because even internally, with the NRC reading our

1 products and asking us questions that should have been
2 obvious had they done the work that we did and thought what
3 we thought, we're acutely aware of this need.

4 And we are trying very hard to address this by
5 having the people doing the modeling write down their
6 assumptions as they do the work. What this is going to do
7 is create a very large document which in itself is very
8 daunting to the average reader. Even though it may be more
9 transparent, there is also a price to pay on whether or not
10 anybody is going to open it and tackle it. So we're very
11 aware of it.

12 We are also looking at doing deterministic
13 analyses as illustrations. And the issue was brought up
14 this morning, are you going to do just random sampling?
15 Also, to illustrate certain sensitivities, we will also do
16 what we have called "stratified random sampling" where we
17 push it out to the boundaries to see what the importance of
18 an analysis actually is. And all of that will also be
19 described.

20 We're looking at well over 1,000 pages this time,
21 and it may be more than that in order to fold all of that
22 into the document. So that no matter who the reader is, if
23 they really want to know what the assumptions were, what the
24 underlying importance of something is, they will be able to
25 find it in this document.

1 It's a daunting task but this is what we're trying
2 to do in practice for this year. And then in a couple of
3 years for the license application, of course, it'll be for
4 real because the societal decision will be based on that
5 latter document.

6 DR. WONG: Engelbrecht, do you have any specific
7 suggestions for the DOE on increasing transparency? I guess
8 I would ask that also of Kjell.

9 DR. VON TIESENHAUSEN: I guess I could just
10 comment that traceability and transparency are not
11 necessarily synonymous. And putting something under a QA
12 program doesn't make it more understandable. It may mean
13 that with a lot of time and effort you can finally find out
14 where you got to and why you did it, but that isn't going to
15 help me and it isn't going to help the other participants in
16 the program.

17 It is an immense undertaking at TSPA. And I have
18 to agree it is going to be a very difficult task to go
19 through and say, We made this assumption here, and We made
20 this assumption here, and Here we had a data point, and Here
21 we had two data points, and Here we made another assumption,
22 but this is the kind of thing that we're looking for.

23 And we're also looking for the degree of
24 uncertainty in the data points. We're looking for the total
25 degree of uncertainty in the final answer. And just

1 something that I can go to my commission and say, "This is
2 where they are, this is what they've done, and this is how
3 much faith I can put in that number."

4 DR. WONG: Phil?

5 DR. NIEDZIELSKI-EICHNER: I've raised the point
6 about inadequate data. And no matter what kind of
7 machinations one puts into the TSPA, in the assumptions that
8 go into it, with the limited data points that we understand
9 exist, if you don't have some more informed data or more
10 data that can inform the model, than we would question the
11 value of that, you know, that the models are inadequate in
12 their data. It's as simple as that.

13 So our greatest concern, Nye County's greatest
14 concern, is the way in which the water supply is
15 characterized and the flow patterns are identified. And if
16 the model is inadequate in its base data, while expert
17 judgement is to help compensate for that, we're concerned
18 that that may not be sufficient.

19 DR. WONG: Dr. Makhijani?

20 DR. MAKHIJANI: I'd like to make a relatively
21 simple suggestion for making transparent the numbers that
22 have been generated so far. In my talk I cited a variety of
23 dose estimates that have been made by official bodies the
24 last 15 years, contractors, the National Research Council,
25 DOE. They have been ranging from a few milli-rem to 20

1 sieverts.

2 It would be interesting to write down these doses,
3 who has made the calculation, what were the basic
4 assumptions in the calculation, starting with the 1983
5 National Research Council Report, and what were the changes
6 in the assumptions that were made that resulted in the
7 different dose numbers, and how that relates to exactly how
8 the scientific work was done that resulted in the change of
9 numbers.

10 One would hope that changing calculations were not
11 just tweaking models but actually reflected some progress in
12 the scientific investigation of the site. So I'm presuming
13 that you are able to show that there is some scientific
14 investigation that is going on and that it is somehow
15 related to these dose numbers. That, I think, would be an
16 extremely meaningful exercise.

17 And if you can make the documentation available to
18 folks like us that might want to check up on it, that would
19 also be interesting, because in the example that I cited
20 earlier about the science applications and the depleted
21 uranium doses, they cited some swedish literature, KBS
22 study, for certain values of groundwater parameters. And
23 when we looked at the study, actually the original reference
24 didn't reflect what was cited.

25 So things like that. Relatively straight forward

1 stuff that you might submit to an english major that loves
2 how to write, some published story teller that can
3 understand numbers. There are people like that. I have a
4 couple of them in my office that do our editing. And a set
5 of references that are for more egghead folks like me.

6 DR. CARTER: Excuse me, Mr. Chairman. Might I?
7 I'd like to suggest something that's related to what Dr.
8 Makhijani is saying. I don't know what he'd call that list
9 to begin with unless it's Walk the Plank List, Go overboard
10 If You've Made a Mistake, or something. I'd like to add not
11 a facetious thing, but related to this morning.

12 I thought if I had an opportunity that I would ask
13 Dr. Brocoum if he would comment on changes in the dose
14 versus time curves that have been mentioned by several
15 people. As far as I know, the changes on those, namely the
16 lowering or flattening of the peak risk or the peak dose,
17 the shortening of the period in which that will occur in
18 terms of the time into the future.

19 I think that's extremely significant, and there
20 obviously has to be reasons for this rather than, you know,
21 errors in the calculation, and what not. So I wonder if
22 they would address that, what engineering enhancements or
23 fixes, if you will, explains the changes, the significant
24 changes in the dose time relationships? And they relate
25 very significantly to at least part of Dr. Makhijani's --

1 DR. MAKHIJANI: If I've actually helped them catch
2 errors, I think it would be a great accomplishment. Because
3 this is the time to do it, not 40 years from now, because
4 right now you can fix the mistakes.

5 And I think there is absolutely no shame or
6 anything negative in catching an error in science. I mean,
7 we all make mistakes. Certainly I have, I don't claim to be
8 and don't -- I try to be as error-free as possible, but I
9 know that's not possible. And so a process that makes you
10 actually check your work and catch the mistakes, I think
11 should be a good one.

12 DR. CARTER: Well, I think we're both on the same
13 side of that, you know.

14 DR. MAKHIJANI: Yes, I agree.

15 DR. CARTER: I'm not for errors and you're against
16 errors. Otherwise, I'd like to reframe the question.

17 DR. WONG: Go ahead, Steve.

18 DR. BROCOUM: Let me just answer the first
19 question about making the material more available. What
20 we're looking at doing for the license application is
21 actually write the document or documents in the format that
22 they would be on line on the Internet, so when you see a
23 reference you can click to it and it can take you right to
24 the reference.

25 We have experimental development in house. We've

1 done it for a couple of small documents, the seismic
2 topicals one and two, and so forth. The license
3 application, our vision is, you know, we'll have a license
4 application with a TSPA outlay, it'll be online. All the
5 links will be in blue so if you want to check a swedish
6 reference, you click it and it'll take you into our
7 database, that reference. You can even go through data from
8 that, if we can pull this all off.

9 That's a big job to implement. In a sense it
10 requires a different way of working than we've been working
11 up to today. We won't have that for the VA but we are
12 working on it. Okay. So I think by the time we get to
13 L.A., much of our information will be available on the
14 Internet, many of the references, you can click to. In a
15 sense, the license application will be on an electronic
16 documents.

17 We've broached this idea with the NRC. They like
18 it. It goes a long ways to addressing their concerns about
19 the LSS, and so on. So I think that's coming and in the
20 next few years that'll come very fast.

21 I just wanted to make a comment here on some of
22 the changes, and then I'm going to let Abe go into a little
23 more detail. But, basically, the big change we've had in
24 the last few years at the mountain is the percolation flux,
25 the amount of water flowing through the unsaturated zone.

1 And based on a higher percolation fluxes, we've
2 had more water, you know, and the waste packages and the
3 waste packages corrode faster. And that's led to the
4 earlier releases and to the big doses that occur in the 20
5 or 30,000 year time frame.

6 Also, I understand we are using a more up-to-date
7 solubility for neptunium, several orders of magnitude lower,
8 and so you don't get that peak from neptunium that occurred
9 several hundred thousand years in the future.

10 The latest work we are doing on PA suggests that
11 two key things that are driving performance right now is the
12 corrosion waste packages, and the models you use, and how
13 many of them get wet in all of this, that's the first thing.

14 And the second thing that's related is the amount
15 of infiltration in the drift. That's more important, in a
16 sense, than the percolation flux.

17 So understanding infiltration to the drift is key.
18 And understanding how wet or what percentage, however you
19 want to characterize it, waste packages get wet, is also
20 key. Those two things affect performance more than just
21 about anything else right now, based on our state of
22 knowledge at this point. If Abe wants to amplify anything I
23 said --

24 DR. VAN LUIK: Well, at the risk of taking time
25 away from other issues, I don't detract from anything that

1 Steve said. The change in the solubility of neptunium is
2 interesting because it was hotly suggested to us by a member
3 of the Board. And so we did an internal inquiry into all
4 the data available and decided, yes, we can lower, that's
5 defensibly, for a couple of orders of magnitude.

6 And so that brought the previous, you know, second
7 peak into first place. And that second peak has always been
8 a lot sooner than the hundreds of thousands of years. And
9 then multiplying the infiltration an order of magnitude from
10 the modeling updates from a year and a half ago, basically
11 got us off our butts. Because the low infiltration rates
12 that we were assuming before made it very easy to ignore a
13 lot of things in the near-field environment that now stand
14 out as very important.

15 So a lot of these changes that you've seen over
16 the last year basically in the dose curves have been due to
17 our progressively changing understanding. I wouldn't say
18 improving, but changing understanding of the way that things
19 work. And I believe that in the VA you will see yet more
20 changes coming up because of the greater emphasis we're
21 putting on understanding the processes in the near field.

22 About your other suggestion about doing a little
23 history of dose curves, I actually advocated that at one
24 point and compromised with the people doing the work. My
25 favorite thing is to always go back to the 1983 WISP report

1 because I think in a way it was prophetic. Because, you
2 know, the calculation was done for the saturated zone with
3 the warning that, Hey, this may not work out too good, and
4 then, Oh, if you're going to go to the unsaturated zone, add
5 4 orders of magnitude to the time but everything else stays
6 the same. That's very interesting because you know, there
7 is something to that, although we're seeing a lot of non-
8 linearity in the way that we're approaching things now.

9 But to get to the point, for the TSPA-VA, we are
10 going to compare the calculations since TSPA-1991, maybe
11 throw in the P&L calculations that were done in 1988. But
12 we're still not sure of that, because the point is to start
13 at a point where we had a conceptual model and then to walk
14 through the changes that happened over time in that
15 conceptual model which drives these changes.

16 We don't particularly want to get into what
17 everybody else has assumed for a conceptual model except the
18 NRC. We want to look at their calculations and throw them
19 into the comparison. So we're thinking along the same wave
20 length that you are, except in a more truncated fashion, to
21 make it more manageable and to make it more meaningful for
22 us.

23 DR. WONG: Kjell?

24 DR. ANDERSSON: I think there are ways for one to
25 make the criteria the performance assessment more

1 transparent. Certainly, traceability is one part of it but
2 certainly it's not the key problem. And I hope Abe didn't
3 mean that it would only mean that the reports would be even
4 more extensive just on the extra that you put into it.

5 I think two areas, first, the TSPA itself and then
6 the procedures around it. And for the performance
7 assessment, itself, I mean we've just got illustrated from
8 DOE that certainly there are alternately key factors that
9 really drive the results from the performance assessment,
10 waste package degradation, radionuclide solubilities,
11 dilution, whatever. A few of these things are really
12 important ones when you look on the results.

13 Hopefully, that could be explained maybe even not
14 within 1,000 pages but with 5 or 10 pages. That's about how
15 to present the results from the performance assessment
16 itself.

17 And then something could probably be done about
18 the procedures around the performance assessment and somehow
19 try to establish fuller or more dialogue between those who
20 do the performance assessment and non-experts with the aim
21 to make it clear what are the facts, why do the experts
22 disagree, or why do we have uncertainties, what are the
23 values judgements behind, a much more interactive approach.

24 Of course, this is easy to say coming from a small
25 country like Sweden and probably much more difficult to do

1 in a big country like the U.S. But in Sweden at least there
2 is now really a strong trend in this direction in
3 establishing more open meetings and public inquiries, and so
4 on.

5 One of the ways, and this is what I think Abe or
6 what Steve said here, is that you don't have the regulators
7 here. And what we've seen in Sweden with site selection
8 program, which really then involves also the local
9 communities, that they ask for the opinions of the
10 regulators, they ask, "What criteria are you setting for the
11 performance of the repository?" From our perspective at
12 least, they should be participating.

13 DR. VAN LUIK: Can I make a quick reply to that?

14 DR. WONG: Sure, go ahead.

15 DR. VAN LUIK: I think you'll find this
16 interesting and I hate to keep doing this, saying, "Yeah,
17 we're doing that, it's in there," but I have just reviewed
18 from the M&O, in fact, an overview chapter that walks you
19 through what's important in the chapters that follow and why
20 it's important in the context of the whole system. Also,
21 it's not an easy chapter to write, but I think we've done a
22 credible job. I think it was 11 pages, so it fits your
23 criterion almost.

24 MR. FRISHMAN: I want to go back and take a look
25 again at what's driving the changes and estimated doses

1 through time. And my take is in a way similar to what was
2 described, but I think it also points up something really
3 fundamental that's going on in the program right now that
4 needs to be recognized.

5 First, I think that for having watched it all
6 these years, the big changes have been coming from two
7 things that are interrelated. One is changing
8 understandings of the conceptual model of the site. And
9 that was said a slightly different way earlier, that that's
10 a really key factor and primarily having to do with the
11 percolation flux.

12 The second is changes in the conceptual design of
13 the repository in response to the changes that data have
14 brought in the conceptual models. And what's happened is
15 we're now looking at a site that is conceptually, in terms
16 of operating as a repository, very, very different from the
17 site that was named in 1987. What we're looking at now is a
18 site that relies on engineered barriers, a site including
19 thermal loading. We're looking at a site that relies very
20 heavily on dilution at the water table.

21 Both of these are entirely contrary to our concept
22 of geologic isolation beginning back in the late 50's.
23 We're doing things now trying to show that this site
24 performs in ways that we never thought were valid in terms
25 of why we talked about geologic isolation in the first

1 place, because we were looking for a stable geologic and
2 hydrologic system.

3 So it has gotten to the point now -- I just want
4 to read a couple of paragraphs from a statement that John
5 Garrick, chairman of the NRC's ACMW made, back in their July
6 meeting, because I think it's really telling and I think he
7 sees what's going on just as some of the rest of us do.

8 "It's clear to me that we're never going to be
9 able to characterize a geologic site with sufficient
10 confidence to say that we can depend upon that 100 percent
11 for containment for all time. We haven't been able to do
12 that, we're not even close to it."

13 So unlike maybe we were thinking a few years ago,
14 we were sort of content with the concept of geologic
15 isolation and it's ability to dispose of waste, I think now
16 we're seeing that, at least for high level waste, we're
17 going to have to depend on some form of engineered system
18 probably regardless of the site.

19 This tells me that at least some people, in
20 positions of understanding and probably influence,
21 understand what's happening to the concept of geologic
22 isolation. And it's happening because of Yucca Mountain.
23 And it's happening because of what little sort of continuing
24 data come in keep changing the conceptual model of the
25 undisturbed system, and lead to reliance on engineering, and

1 lead to something that is essentially anathema to all
2 pollution control thinking today, and that's that you don't
3 rely on dilution in order to mitigate pollution. So we're
4 really going backwards and away from what we originally
5 thought of as geologic isolation.

6 And let me show you the extent in the current dose
7 estimates, the extent of reliance just on dilution and
8 engineered barriers. I'm just looking at the same two
9 charts and I'll give you some numbers. These are the 20
10 kilometer dose estimate and the 5 kilometer dose estimate.

11 At 20 kilometers you don't even see any doses at
12 10,000 years. And you see 1 milli-rem at approximately
13 20,000 years. At 5 kilometers you begin to see doses at
14 about 7,000 years. You see 1 milli-rem at about 10,000
15 years, as opposed to 20,000 at 20 kilometers. And your peak
16 dose shows up at about 17 or 18,000 years for 5 kilometers,
17 and it shows up way out at 24,000 for 20 kilometers.

18 That is, first of all, evidence of a remarkable
19 reliance on dilution based on distance between 5 and 20
20 kilometers. The period of time when the doses appear and
21 when the peaks appear show a remarkable reliance on what
22 nominally is going to become probably a 10,000 year waste
23 container. So the big question I think, the fundamental one
24 that this points out is that, yes, we do understand, or at
25 least I think I understand why the dose estimates have

1 changed so much.

2 And it's because the entire concept of geologic
3 isolation is gone and we have a new concept which is
4 engineering isolation in a geologic system and reliance on
5 dilution. I think that's fundamental to what's going on
6 here now. And it shouldn't surprise us that we see doses
7 through time jumping all over the place because we're not
8 even talking about the same systems.

9 DR. NIEDZIELSKI-EICHNER: I'd like to speak to
10 that as well. Steve points up a concern that Nye County has
11 had and that's been evolving over the past year, to the
12 point where the county has put forward the proposition that,
13 at a minimum, if there is going to be a shift to an
14 engineered system that the alternative must be considered
15 that includes ventilation in some type of fashion.

16 Because if dilution is to be relied upon, if we're
17 moving in the direction of dilution, then the County is
18 very, very concerned about that and believes, based on its
19 own modeling, that the closed but ventilated system is going
20 to provide the better alternative. At least we believe that
21 the Department, the regulators, ought to take a look at that
22 alternative.

23 MR. FRISHMAN: Can I just follow up with one
24 additional point that's right on top of this, very quickly?

25 DR. WONG: Sure, go ahead, Steve.

1 MR. FRISHMAN: If you look at the 20 kilometer
2 versus the 5 kilometers of 40 CFR 191, as I tried to point
3 out and illustrate, that's your dilution field. But at the
4 same time from a policy standpoint and especially from a
5 policy standpoint relative to the State of Nevada, what that
6 is saying is, if this is accomplished, the DOE is doing
7 something that no one else is allowed to do and that's
8 pollute the ground waters of the State.

9 These are public waters. And this distance out
10 there for 20 kilometers, that is water that's under the
11 jurisdiction of the State. And the State doesn't allow
12 anyone else, under not only State law but Federal law which
13 we have adopted and we administer -- what's that doing is
14 injecting pollutants into the ground water of the state.

15 So I don't quite understand why it's so cavalierly
16 stated that this 20 kilometers is such a good thing when you
17 are using up permanently somebody else's resource. It's not
18 even a resource that's yours to burn. What you are doing is
19 you are relying on the dilution capability of the resource
20 of the State of Nevada to try to solve your problem, and
21 doing it in a way that would be illegal for anyone else to
22 do.

23 DR. WONG: Kjell?

24 DR. ANDERSSON: Comments to what Steve said here.
25 One is about dilution. I mean, as soon as you have

1 individual dose as a performance measure, inevitably
2 dilution will be an important factor in the PA because the
3 dose will be inversely proportional to the dilution. And we
4 have a very good example of that also in Sweden when we
5 discuss for instance whether to have an inland repository or
6 a coast repository.

7 The inland repository there will be lakes and
8 wells as the primary recipients. A repository close to the
9 sea, we would have the sea as a recipient, a much higher
10 dilution and probably much lower doses, although this is not
11 really discussed in Sweden so far. But when we come to
12 these valuations behind performance assessment and criteria,
13 we will certainly get that issue on the table.

14 The other comment is about the role of the
15 geosphere. I think it's not just something for Yucca
16 Mountain it's also in other countries and other programs,
17 also in crystalline, where we have repositories in
18 crystalline rock that the role of the geosphere is
19 decreasing as a barrier for radiation transport has been
20 decreased. We are now talking about things like fast
21 transport pathways also in crystalline repositories, and so
22 on.

23 DR. WONG: Arjun.

24 DR. MAKHIJANI: I think that dilution is not the
25 inevitable solution. I think that this is frowned upon by a

1 lot of people, it's not inevitable. The first approach to
2 that is to select a place such as the one I mentioned, where
3 the question of the consumption of the resource doesn't
4 arise. So if you are talking about, say, the east, in which
5 there are plenty of surface water resources and you are
6 talking about a repository in which there is brackish water,
7 so far as human intelligence is going to allow us to
8 project, these resources are really uninteresting.

9 And no one is going to go down into brackish water
10 in this area because it would be much cheaper, even if you
11 wanted salty water, to desalinate the ocean. And so I think
12 the idea that an individual dose -- dilution is the solution
13 or that it is inevitable is really not correct.

14 I'd really like to hear a response to Steve's
15 remark because I'd like to know whether it's correct or not
16 that the two things that he said, that you have moved from
17 the concept of geologic isolation as the primary barrier to
18 relying much more on engineered barriers, and that you are
19 really looking to dilution as the solution.

20 Before I finish, I'd like to say one more thing.
21 The other way to solve the problem of individual dose and
22 dilution is to adopt population dose limits and
23 concentration limits. And if you have a population dose
24 limit, then the temptation to dilution disappears because it
25 is no longer a solution. And this is why I mention that

1 individual dose limit, while it has been endorsed by a lot
2 of people and official bodies.

3 I do think that the EPA, in its original standard
4 in limiting the total number of cancer deaths and therefore
5 total dose was quite right. There are calculational ways in
6 which this can be done reasonably without having to do diet
7 surveys.

8 DR. WONG: Engelbrecht.

9 DR. VON TIESENHAUSEN: I don't want to get into
10 policy issues because that's not my area of expertise. But
11 in the issue of dilution, I would just like to know again,
12 what data was used to come up with the dilution factor? To
13 my knowledge, and as I said I don't understand the whole
14 document, there is really insufficient data available to
15 make that kind of conclusion.

16 Another issue I'd like to address is the
17 engineered barrier system. And yes, it does seem to be a
18 propensity to go more and more toward engineered barriers as
19 a solution. But that doesn't relieve DOE from the necessity
20 to thoroughly characterize in your field and get a good
21 understanding of the environment that they are putting these
22 engineered barriers in. Without that understanding they
23 cannot make anything but bad assumptions about how long
24 those barriers will last.

25 DR. BROCOUM: Let me talk about dilution for one

1 second here. It's a little history now. In 1992, the EPA
2 was told to develop a health-based standard. We heard Mel
3 Carter this morning say there were three ways you could
4 measure, health effects, risk, doses. To do that you cannot
5 get away from the dilution, which I think is the point you
6 made.

7 Once we went away from a release-based standard,
8 we had to go then look at the pathway from the repository to
9 the population center. You just can't get away from that,
10 it's just inherent in that system. The other thing to keep
11 in mind though when we talk about population doses at Yucca
12 Mountain, it feeds a closed basin. So from the water
13 pathway you'll never get a world wide population dose, you
14 will get a population dose in that region to south Yucca
15 Mountain towards Death Valley.

16 With regard to engineering versus site, I've
17 always felt that that's a little bit of a red herring. On
18 the one hand, for example, the doses get lower as you get
19 further away because you are diluting, you are dispersing,
20 you are retarding, whatever. And that's using the natural
21 environment.

22 On the other hand, we're trying to design a
23 repository that'll function well in Yucca Mountain. It's
24 the combination of the site and the engineering. You ask
25 what we're trying to do with our TSPA, look at that whole

1 combination. So I think separating one in isolation from
2 the other really detracts from the discussion as to how the
3 thing will perform overall. So I've always felt that when
4 you try to break those apart and talk about one in isolation
5 to the other, you could be misleading.

6 Third, on the date that we used, I'd have to turn
7 to somebody in the audience. Is there anybody here? Larry
8 Hayes, is he here? Can you answer that for Engelbrecht
9 here?

10 MR. HAYES: Larry Hayes, M&O. What was the
11 specific question on data, Steve?

12 DR. BROCOUM: The basis for the dilution and the
13 information we used to --

14 MR. HAYES: We've been doing considerable work at
15 what we call our C wells complex. And based on what we've
16 learned there through some aquifer hydraulic testing through
17 some tracer injection testing we feel there is valid reason
18 for taking credit for dilution. Now, I think that's all put
19 into your PA models and that's partly why we see a decreased
20 dose with travel time and distance. Did that answer your
21 question?

22 DR. VON TIESENHAUSEN: Well, I'm aware of the
23 testing being done at the C well complex. I guess the word
24 "scaling" comes to my mind.

25 MR. HAYES: Sure.

1 DR. VON TIESENHAUSEN: It's still basically a
2 fairly limited data set.

3 MR. HAYES: That's true.

4 DR. VON TIESENHAUSEN: And I wouldn't want to hang
5 my hat on dilution based, on that data set. Now other
6 people may feel differently but I wouldn't.

7 MR. HAYES: Everything you said is correct and of
8 course, we are aware of that. And what we are planning this
9 year is a large scale test out in the future down flow from
10 the repository, what we're calling our southern tracer
11 complex. And in that test, we're trying to come up with
12 some ways we could deal with the scaling problem.

13 DR. VON TIESENHAUSEN: How many orders of
14 magnitude of dilution have you got?

15 MR. HAYES: Abe, what are you using in your model
16 for the dilution?

17 DR. VAN LUIK: Actually, this is the subject of a
18 lively internal debate at this point. We've had an Expert
19 Elicitation on the saturated zone model. They found some
20 fault with the model and made suggestions for corrections
21 that lower the degree of dilution to some extent.

22 We've also had a lot of interaction with the NRC
23 who feel that we should take a more stratified approach to
24 modeling the saturated zone which gives us less dilution,
25 but then they also say in that case you need to be realistic

1 about the mixing at the well head. And when we do that,
2 they come about equivalent to the mixing zone without the
3 wellhead mixing that we assumed before. So this is work in
4 progress.

5 Your people are working on it, the model itself,
6 so the next version of it is going to be out, I forget just
7 when, but it's actively being worked.

8 And it's not something for which right now we
9 could put our finger down and say, "Say, this is the answer,
10 this is the final approach," because, like Steve said, we've
11 only been working the saturated zone seriously, with the
12 need for licensing, that is. We were fooled by the old
13 standard into not meeting it. Because it was a release-
14 based standard, we could meet at the interface between the
15 unsaturated and saturated zones.

16 MR. HAYES: I think the question for the experts
17 is perhaps not so much the dilution at the C wells area but
18 as we travel out in time, does the plume spread out and do
19 we get additional dilution? And is it true that the experts
20 are not all in agreement?

21 DR. VAN LUIK: The experts, being true experts,
22 are not in agreement. However, we were able to take their
23 results and quantify them using standard techniques to give
24 us a broad distribution of uncertainties which we will use
25 until these larger tests come in and better inform us. But

1 we realize that this is an issue which is ripe for both
2 controversy and constructive discussion.

3 DR. MAKHIJANI: There is a concentration at the
4 repository that you are assuming. You've got a number for
5 dose. There is an implicit dilution there between what dose
6 you would get if you use the water from the repository and
7 the water that you are using. What's that factor? There
8 has got to be a factor.

9 DR. VAN LUIK: I don't remember exactly what the
10 factor was in the last -- I think it was 2 orders of
11 magnitude perhaps, going from the repository boundary to the
12 20 kilometers. It might be 1 order of magnitude or 1-1/2
13 from the 5 to the 20. It's when it gets out of the tough
14 aquifer into the alluvial aquifer that we were assuming most
15 of our dilution. And this is the subject of controversy at
16 this point.

17 DR. MAKHIJANI: Okay, thank you.

18 DR. WONG: It's my job to manage time here. So I
19 would like to ask the panel if they have any last comments,
20 short comments. If you talk too long, I'm going to warn you
21 with this and you only get two chances.

22 DR. NIEDZIELSKI-EICHNER: I just have what I think
23 is a quick question for DOE. And that's with regard to if
24 the movement is toward a greater emphasis on engineered
25 system, has the Department explored the ventilated

1 alternative design? And if not, why not? And if so, what's
2 your consideration at this point?

3 DR. BROCOUM: The Department is looking at a
4 series of potential enhancements. And a ventilated or
5 keeping it open longer, if you like, not closing it, is one
6 of the things under active consideration. So that has not
7 been rejected and is being looked at very actively.

8 DR. WONG: Steve?

9 MR. FRISHMAN: I think it's important for the
10 Board to spend some time thinking about how this fundamental
11 change is coming about and whether it's one that should go
12 forward just through its own evolution or whether it's
13 serious enough to reopen in some form the question of the
14 national policy of geologic waste isolation.

15 I think it is that serious. And I think it is
16 primarily because of the recognition that I think we have
17 not only in this country but we hear in Sweden as well. And
18 that's that the public was led to some pretty profound
19 expectations about geologic isolation. And those came to a
20 peak in 1982 when the Waste Policy Act was passed. And that
21 act was passed to do something that the current system isn't
22 doing.

23 And the public understood geologic isolation to be
24 essentially zero release. And because the concept was at
25 that time probably overblown any way. But now the concept

1 is an entirely different one and it's one where I think the
2 public is owed an airing of the issue. Here we've gone, as
3 I said earlier this morning, we've gone 15 years. The
4 public and the utilities certainly are still expecting
5 something to happen. Well, what their expectations were are
6 never going to be realized. Something else might be but
7 it's going to be a compromise on what the original
8 expectations were.

9 So I think just from that standpoint, it's
10 important that the Board take their charge to look at the
11 technical validity of what's going on to include the
12 technical issue that is at hand, and that's are we going to
13 have a system that relies on engineering for not only
14 containment but isolation and a system that is contrary to
15 what the EPA said when they adopted 191, which is that
16 individual dose is not a good standard because it encourages
17 the reliance on dilution. And that is something that
18 national policy has been trying to get away from in all
19 other areas.

20 So I think it's worth some consideration by the
21 Board and some public discussion that has to do with a
22 national policy that by fiat is getting changed steps at a
23 time.

24 DR. WONG: Any other comments? Kjell?

25 DR. ANDERSSON: Individual dose, I think it has

1 also a positive side to it because it really addressed the
2 risk that the individual at the site takes. So that as a
3 person I think that's a question you will ask in any risk
4 evaluation, how dangerous is it for me? And here it is, I
5 mean, individual dose as risk standard. For me, it feels
6 good but, of course, dilution is something that comes with
7 it.

8 DR. CARTER: Mr. Chairman, I wonder if I could
9 interrupt your order? I have to leave and I apologize.

10 DR. WONG: Sure.

11 DR. CARTER: I've got to dash out in a moment to
12 catch a cab. But I appreciate very much being invited to be
13 here. I've enjoyed it. I think, as I recall, one of the
14 responsibilities or goals, at least, of the NWTRB is to
15 foster and improve scientific technical communication and
16 other things, so I commend you for doing that.

17 And I would say "Go to it," in addition to more of
18 these sorts of things because we can already hear, "Oh, I
19 didn't know that," or "I didn't see that," or "Why are these
20 numbers different?", and so forth. So I think,
21 fundamentally, communication is extremely vital in the
22 process. And no matter what view you have, I think we can
23 all benefit from this sort of exchange interested parties.
24 Thank you very much.

25 DR. WONG: Thank you, Dr. Carter. Arjun?

1 DR. MAKHIJANI: Yes, I'll say it stronger than
2 Steve. I really do think that we need both an individual
3 dose limit and a population dose limit, given the fact that
4 DOE is operating without a standard, and you are doing a
5 viability assessment which you call a total system viability
6 assessment.

7 I don't think you can call it a total system
8 viability assessment unless you do population dose
9 calculations as well as individual dose calculations,
10 especially as the only standard in effect still has a
11 population dose component or a stand-in for a population
12 dose component in it.

13 I think that the point that Dr. Carter made about
14 the uniqueness of groundwater resources, he made it very
15 eloquently and in response to a question Craig put to him.
16 And I think that this factor does have to be considered in a
17 viability assessment. And I would very strongly urge that,
18 at least, if we have abandoned a real investigation of other
19 repository sites, that some kind of comparative analysis be
20 done of Yucca Mountain with potential other repository
21 sites. I mean there is literature on this subject.

22 And, finally, I think this charge or observation
23 that Steve Frishman has made is partly disturbing and partly
24 heartening. If it were in a different context, it would be
25 heartening. In this context, it's very disturbing that

1 we're going to engineered barriers because the repository
2 performance is not expected to be good. That's sort of the
3 bottom line that I understand from what is happening.

4 And I think that the NRC standards would need to
5 be revisited in that case because the NRC standards, in
6 effect, do not reflect a primary reliance on engineered
7 barriers. The NRC standards, in effect, reflect a primary
8 reliance on geologic isolation. And if the project is in a
9 situation where that is no longer true, a very, very
10 fundamental reassessment of where we're at is really needed.

11 And I think perhaps the NWTRB is the only body
12 that could provide that. So it made me sit up. I had not
13 thought of it that way, what Steve said. And I can't make a
14 judgement about it because of that, but I think if it's
15 anywhere near true, it does require very fundamental
16 reassessment.

17 DR. WONG: Thank you. Engelbrecht?

18 DR. VON TIESENHAUSEN: I have very few additional
19 comments to make on top of the ones I made already. I'd
20 just like to thank you for allowing me to participate and I
21 hope DOE gets that document together.

22 DR. WONG: Thank you. Steve or Abe?

23 DR. BROCOUM: Let me make one final comment here.
24 There has been several suggestions around the table that,
25 you know, we air the issue, it's time for the country to air

1 the issue. Part of the viability assessment is to present
2 the information to the Congress so it can air the issue.
3 They are our representatives, they are the right body, in my
4 view, to air the issue.

5 I think though, in airing the issue, there is one
6 thing we need to consider and we always say, should it be
7 Yucca Mountain or should it not be Yucca Mountain?

8 But if it's not Yucca Mountain, we still have the
9 problem, we still have the waste. And so I think in
10 entering the issue, we ought to be talking about the risks
11 at Yucca Mountain, whatever they are, versus the risks of
12 not doing anything. That's the other extreme. I think
13 that's called the "no action alternative" in the EIS.

14 But anyway, I think that's an important issue that
15 hasn't come up yet, I just wanted to raise it, raise
16 people's awareness. If, for example, the country decides
17 not to go forward with Yucca Mountain, it hasn't solved the
18 problem. The problem still exists. And that's the main
19 point I'm trying to make.

20 DR. VAN LUIK: Okay. By default I get the last
21 word. I think the primary concern is public health. If
22 this repository is not particularly for public health, it
23 should not be built, should not go forward. Everything
24 else, including the issue of whether or not we've shifted
25 reliance from the site to the engineered system, is to me,

1 secondary.

2 The other thing is that there has been kind of a
3 hint that there is a better site out there somewhere. Well,
4 the best site is always the one you haven't studied yet.
5 I'll never forget big arguments during the time of the
6 environmental assessments when they did the comparative
7 study between the sites to recommend which ones to
8 characterize.

9 One of the Hanford spokespeople at that meeting,
10 and they always brought more than anybody else did, he
11 blurted out, he said, "If you guys had characterized your
12 sites, we wouldn't be last, we'd be first." He said, "The
13 minute you start characterizing you find out that all the
14 things you assumed weren't quite the way you thought they
15 were."

16 And I think that's true, basically. And that's,
17 you know, for salt, Texas, and you were probably in charge
18 of this. Texas was very smart, worked on the contract to
19 DOE and figured out that. No problem, the dissolution front
20 wasn't going to reach the repository for 10,000 years. You
21 know, it's been around for millions of years.

22 But the point is that every time you start
23 characterizing, you start finding out things that you didn't
24 think were the way they were. And we mentioned granite as
25 being an ideal site, especially granite underlain by

1 brackish water.

2 But if you look at the granite countries, the
3 Swiss have had a real comeuppance bringing experts in that
4 said, "Whoa, you guys, there is going to be new glaciation.
5 When that glaciation lifts, you get decompression and you
6 get fracture zones where you didn't know -- you have no way
7 of predicting where they are going.

8 So the Swiss thought they'd be real smart and send
9 them to Sweden, these experts. And what did they come back
10 with from Sweden? "Those people are reckless." So you
11 know, until you start studying something, you don't know
12 what the uncertainties really are. And to me, the best U.S.
13 granite sites are the Wolf River batholith in Wisconsin and
14 the White Mountains of New England. Those are absolutely
15 the best, least fractured pieces of rock in the United
16 States.

17 However, there you have the question, the same
18 question that the Swiss bring up, once you start studying
19 these sites you will come up with some uncertainties you
20 didn't know about, and you are going to spread your doses to
21 sizeable populations in those areas. So to me the best site
22 is a moot point. It's a non-issue.

23 The issue is, will this site with this system be
24 protective of public health? That's the real issue, that's
25 the question we have to answer to the NRC. And we will

1 answer it honestly, and the NRC and the country can make up
2 their mind.

3 DR. WONG: Thank you, Abe. Okay, at this time I'd
4 like to end the round table. I'd like to thank all of you
5 for your comments and energetic contributions. It makes my
6 job a lot easier.

7 At this time the agenda calls for the Board to
8 listen to questions and comments from the audience. And our
9 sign-up list indicates that, again, Ms. Judy Treichel would
10 like to make a contribution.

11 MS. TREICHEL: I'm not sure I ever make much of a
12 contribution, I want to take a little of the time. And you
13 said that part of this was for questions and I have a
14 question.

15 After listening to Kjell talk about, in your very
16 opening statement, you talked about how if the public
17 doesn't accept the idea of the repository, that it's not
18 going to happen. And that, as well as scientific issues,
19 you've got to discuss ethical issues. And this question has
20 come up in public meetings before.

21 And at one point one of the DOE spokespeople was
22 nailed by a member of the audience to say, "Do you have
23 ethicists on your staff? Do you do any work on ethics?"
24 And I already know that the two of you can answer that by
25 saying, "No." Right? And so I'm just wondering if that's

1 even a possibility in this whole issue?

2 DR. BROCOUM: I guess anything is possible. I'm
3 not aware that we have a philosopher and ethicist on our
4 staff.

5 MS. TREICHEL: Okay. And it would be a tremendous
6 leap to try and get to that. And as was mentioned here by a
7 couple of the panelists, it's about time to go back and take
8 a lot -- I don't think you could infuse an ethicist into the
9 system at this point. That would have to be a part of going
10 back to relook and reask all of these questions when it came
11 up.

12 And it would seem to me that when we get into any
13 sort of public discussion, you wind up with incredible
14 frustration because all that's left for the public is to
15 say, "Yes." They have absolutely no avenue for saying,
16 "No." And some of that is very evident in the EIS process
17 where we are now. There is no need to consider the need.
18 That makes this thing unEIS-able. It's a game that people
19 are being asked to play.

20 And many, many, many of these things wind up being
21 games when you don't have to consider the need. And
22 particularly when you've got something that's involuntary
23 and that you've got a whole lot of people out there who
24 don't want, they do not want this project. Just to throw
25 in, you know, everybody is doing statistics here.

1 There is somewhere between 20 and 30,000 little
2 postcards that have just gone off to the President as a
3 result of the two concert tours. They came together in Los
4 Vegas, so they were both there together. But the Honor the
5 Earth tour was off in one direction in the east and the No
6 Nukes tour was off in another direction.

7 And they both had these little postcards that
8 people were filling out there. And there were 20,000 and
9 more of those. And one of the things that happened, I know
10 in Los Vegas there was a friend of mine who attended the
11 concert. She happens to be a bartender, and she picked up a
12 handful of cards, and in one night got 40 additional ones
13 signed. And so she threw those in an envelope and sent them
14 off.

15 So I don't think that the numbers are in on where
16 people come down on this. And I don't think they've been
17 asked. And I don't think there is any way that they can be
18 asked. And even if they are not asked there is no way that
19 they can actually let anybody know. And we are continually
20 trying to set up public meetings, and we argue a lot about
21 whether we can do that.

22 And the person now working with the project, to
23 who that falls, is generally scared to death of having DOE
24 get bashed. Well, I would say that DOE-bashing has been a
25 minor league sport compared with what you may see if this

1 thing just keeps rolling along, if the thing goes through
2 that's sitting in Congress right now, if Yucca Mountain goes
3 through.

4 We just recently had, I think, what I could report
5 to you as the first Yucca Mountain court case in Los Vegas.
6 And it was a public meeting by the way, Steve. You could
7 have come to that. It was really very interesting. It was
8 supposed to last one morning because the D.A. had other
9 things to do.

10 Well, as it turned out, the thing went on for a
11 day and a half. And the protestors who had chained
12 themselves to Highway 95 and stopped a couple of trucks and
13 disrupted Nevada Test Site operations, they let the regular
14 traffic go through but they were out to get the Nevada Test
15 Site and make a statement on Yucca Mountain.

16 The three of them acted as their own attorney, and
17 the judge gave them tremendous leeway. And the judge became
18 more lenient as time went on. And the second day he brought
19 to Court his mother, his wife, and his infant child, because
20 he thought this was incredibly important. And he wanted
21 them to be able to see what was going on. I'm not sure what
22 the baby got out of it, but, you know, he couldn't leave it
23 parked outside, as the danish woman learned.

24 But, any way, it all came down and there were very
25 interesting questions asked of everybody, particularly the

1 police that had been involved in the action. And when it
2 all came down and all was said and done, they were
3 sentenced. The whole group was sentenced to 40 hours of
4 community service and that was to be served working for
5 their own organization. So, you know, we may have a very
6 interesting precedent here.

7 And one of things you better never try to put into
8 a model and do assumptions, predictions, calculations on, is
9 public behavior. Because once they get forced -- you know,
10 if you've got an airplane full of people and you throw a few
11 out because you said you had to lighten the load so that
12 everybody didn't crash, and then they find out later that it
13 was because somebody wanted more leg room, then you are
14 going to have a situation where people decide they've got
15 nothing to lose.

16 And I've played this game for a long time. I've
17 been in a lot of public interest, public representation
18 things, and when people think they've got nothing to lose,
19 they get real dangerous. It gets real fun. But I'm not
20 sure that you want to do a project like this that has to do
21 that not only without public confidence but without even
22 public tolerance. So I guess that's the only rant that I
23 have to put on today.

24 But, you know, just for those from the nuke
25 industry who are here, I think we learn a lot more each time

1 after they've run all of those ads that say that it's
2 totally arid, completely unpopulated, and oppressively hot.
3 I'll go with hot. But, you know, the assumptions aren't
4 holding up. Thanks.

5 DR. WONG: Thank you, Judy. Are there any further
6 comments from any member of the audience?

7 [No response.]

8 DR. WONG: Okay. If not, I'd like to offer the
9 panel members or any of the other Board members the
10 opportunity to express any conclusions they've reached
11 during the closing remarks that they wish to offer.

12 DR. MAKHIJANI: After the speech about future
13 generations, I did want to offer an environmental response
14 about alternatives. And the technical challenge of Judy's,
15 of how to put all those things into a model, I think it can
16 be done, public response, I mean.

17 MS. TREICHEL: You would try and model those
18 responses?

19 DR. MAKHIJANI: Yes.

20 MS. TREICHEL: Yeah, I want to work on that.

21 DR. MAKHIJANI: There is a real life model as to
22 what happened, it's in Gorleben. They can fit that into a
23 model and try to figure out the cost. I think it can be
24 done. They drove the public bananas, the bananas public
25 responded. They showed you what it's going to cost you per

1 canister. You can put it in a model, I think it can be
2 done.

3 DR. WONG: Okay.

4 MR. FRISHMAN: One more comment, and that's that
5 I've completed my back-of-the-napkin calculation for the
6 homework assignment I was given earlier this morning. And
7 that's approximately what size population would the current
8 22,000 acre feet of appropriated water and Amargosa Valley
9 support? The answer is, on the order of 110,000 people.

10 DR. WONG: Thank you Steve. Again, trying to
11 stick to our schedule, is there any other comments from the
12 Board members?

13 [No response.]

14 DR. WONG: As there is no further discussion then
15 we have reached the end of our meeting. I'd like to thank
16 all of you who have participated, either with formal
17 presentation, round table discussion, and comments again
18 from the audience. You've given the Board, I think, a lot
19 of things to think about. It's been very educational for us
20 and I've enjoyed the discussion this afternoon. Thank you
21 all for coming.

22 [Whereupon, at 4:10 p.m., the meeting was
23 recessed, to reconvene at 9:30 a.m., Thursday, October 22,
24 1997.]