

1 UNITED STATES
2 NUCLEAR WASTE TECHNICAL REVIEW BOARD

3 ***

4 FALL 1997 BOARD MEETING

5 ***

6
7 Hyatt Fair Lakes
8 1277 Fair Lakes Circle
9 Fairfax, Virginia 22033

10
11 Wednesday, October 22, 1997

12
13 The above-entitled matter commenced, pursuant to
14 notice at 8:40 a.m.

15 BOARD MEMBERS:

16 JARED COHON, Chairman, NWTRB, Presiding
17 JOHN ARENDT
18 DANIEL BULLEN
19 NORMAN CHRISTENSEN, JR.
20 PAUL CRAIG
21 DEBRA KNOPMAN
22 PRISCILLA NELSON
23 RICHARD PARIZEK
24 ALBERTO SAGUES
25 JEFFREY WONG

1 STAFF:
2 PAULA ALFORD
3 WILLIAM D. BARNARD, Executive Director
4 MICHAEL CARROLL
5 SHERWOOD CHU
6 CARL DI BELLA
7 DANIEL FEHRINGER
8 LINDA HIATT
9 RUSSELL K. MCFARLAND
10 DANIEL METLAY
11 VICTOR PALCIAUSKAS
12 LEON REITER
13
14 ATTENDEES/PRESENTERS:
15 JACK BAILEY
16 LAKE BARRETT
17 JAMES BLINK
18 WILLIAM BOYLE
19 STEVE BROCOUM
20 PAUL CRAIG
21 GEORGE DANKO
22 THOMAS DOERING
23 PAUL HARRINGTON
24 LARRY HAYES
25 KLAUS KUHN

1 ATTENDEES/PRESENTERS: [continued]
2 DAN MCKENZIE
3 CARL PETERSON
4 RICHARD SNELL
5 ABRAHAM VAN LUIK
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

[9:30 a.m.]

1
2
3 CHAIRMAN COHON: Good morning. My name is Jared
4 Cohon. I'm the Chairman of the Nuclear Waste Technical
5 Review Board. It's my pleasure to welcome you to the
6 Board's annual Washington meeting. I have to note, of
7 course, we are in Fairfax County, not Washington, D.C., but
8 nevertheless this is our Washington meeting.

9 We used to have our Washington meetings in
10 January, but our January meeting upcoming will be held in
11 Amargosa Valley in Nye County, Nevada.

12 Let me make a disclosure at the outset. I'm from
13 Cleveland. I grew up in Cleveland. So I'm feeling really
14 on edge and very tired this morning. You won't even have to
15 watch the games or read the newspaper. You'll be able to
16 tell what happened the night before just by my mood each
17 morning. We won't talk about last night.

18 I would like now to introduce to you each of the
19 members of the Board. It's important that you know who we
20 are, and I hope that you will take advantage of that
21 knowledge during the breaks to interact with the Board
22 members, get to know them, meet them for the first time, if
23 appropriate, or reacquaint yourselves with them.

24 As I introduce you, colleagues, please raise your
25 hands and turn towards the audience or otherwise make

1 yourself known to them so they know who you are.

2 I want to emphasize that each of our members
3 serves on a part-time basis. We all have full-time jobs.
4 In some cases more than full time.

5 In my own case, I am president of Carnegie Mellon
6 University. My own experience and expertise is in systems
7 analysis techniques and their application to environmental
8 problems, including nuclear waste.

9 John Arendt is a chemical engineer who retired
10 from Oak Ridge to form his own firm. He specializes in many
11 aspects of the nuclear fuel cycle of which standards and
12 transportation are two examples. He chairs the Board's
13 panel on the waste management system, and he'll be convening
14 this afternoon's session on repository operations.

15 Daniel Bullen is in the Mechanical Engineering
16 Department at Iowa State University where he specializes in
17 nuclear engineering and in particular nuclear waste
18 management. He chairs our panel on performance assessment
19 and he'll be convening tomorrow morning's session on waste
20 package design.

21 Norman Christensen is dean of the School of
22 Environment at Duke University. He brings to the Board
23 expertise in biology and ecology and he has had extensive
24 experience in the management of large-scale and complex
25 scientific projects with policy implications.

1 Paul Craig is professor emeritus of engineering at
2 the University of California, Davis. He's a physicist by
3 training with special expertise in research interests in
4 energy policy issues especially as they relate to global
5 environmental change.

6 Debra Knopman is director of the Center for
7 Innovation and the Environment in Washington, a former
8 deputy assistant secretary of Interior, a former scientist
9 and science manager at the USGS, and an expert in
10 groundwater hydrology. She chairs our panel on site
11 characterization.

12 Priscilla Nelson is program director in the
13 Directorate for Engineering of the National Science
14 Foundation in Washington, a former professor at the
15 University of Texas, and an expert in geotechnical
16 engineering. She chairs our panel on the repository, and in
17 that capacity she will be chairing this meeting, the focus
18 of which is design.

19 Richard Parizek is professor of hydrologic
20 sciences at Pennsylvania State University and an expert in
21 geology and groundwater hydrology.

22 Albert Sagues is professor of civil and
23 environmental engineer at the University of South Florida.
24 He's an expert in materials and corrosion with a particular
25 expertise in concrete and its behavior under extreme

1 conditions. He will be convening tomorrow's session on
2 waste package degradation.

3 Jeff Wong is chief of the Human and Ecological
4 Risk Division of the Department of Toxic Substances Control
5 of the California EPA in Sacramento. He's an expert in risk
6 assessment and chairs our panel on environment, regulations
7 and quality assurance.

8 The Board is supported by an outstanding staff.
9 Many of them are here arrayed along that wall. I won't
10 introduce them because most of you already know them, but I
11 do want you to know that their continuity and their quality
12 have been and continue to be invaluable in getting our new
13 Board members up to speed and way up on the learning curve.

14 As usual, we have a very full agenda over today
15 and half of tomorrow. As I mentioned already, it's focused
16 on the repository and waste package design, which is one of
17 the four elements of the viability assessment. It's also a
18 vital component related to the other three elements of the
19 VA.

20 In a moment I will be turning the meeting over to
21 Dr. Nelson, but I do want to say a few things of an
22 administrative nature and a substantive nature as well.

23 One is about the budget. The energy and water
24 appropriations bill for fiscal year 1998 was passed by
25 Congress and signed by the President just a few weeks ago.

1 It's a bill that contains funding for both this Board and
2 for the Office of Civilian Radioactive Waste Management.
3 OCRWM received \$350 million, which is about 8 percent less
4 than the amount in the President's request to Congress. I
5 expect that Lake Barrett will be informing us shortly on
6 this year's program in light of that shortfall in
7 appropriations.

8 Similarly, the Board did not receive all of the
9 funding it asked for. This means that we will have to
10 adjust. We intend to have three meetings of the full Board
11 in 1998 rather than four. We have moved to a smaller, less
12 expensive office at Courthouse Plaza in Arlington. The
13 Board will be reducing its staffing level somewhat.
14 Fortunately, it appears that we can accomplish that on a
15 voluntary basis.

16 There is no question that when the viability
17 assessment is delivered there will be much to do by the
18 Board to evaluate it. This meeting will focus on repository
19 design, one of the four key elements of VA, as I mentioned.
20 Future meetings will address other critical issues that
21 affect the VA. For example, our January Board meeting will
22 focus on saturated zone hydrology.

23 I want to say a few words about Board positions
24 and Board pronouncements and member statements. The NWTRB,
25 this Board, matters. What it says is taken seriously by

1 policymakers and members of the public. The Board generally
2 conveys its findings, conclusions and recommendations in
3 writing in the form of formal reports, letters to Congress,
4 and/or the secretary of DOE and/or the director of OCRWM,
5 and in written congressional testimony.

6 Of course the Board consists of several members,
7 individuals, each with his or her own style, each free to
8 say whatever they choose. But comments by individual
9 members, including me, are just that. Of course, on
10 occasion, one of us, especially the chairman, will make
11 statements on behalf of the Board, as I am right now, and in
12 doing so I am speaking for the Board and you can take it as
13 a Board position. Otherwise, when we make individual
14 comments, they are no more than that.

15 Whether comments of Board member eventually become
16 a Board position only time will tell, but of course a Board
17 member's thinking is relevant. In effect, at these
18 meetings, when we make statements and ask questions, we are
19 thinking out loud as a Board. They do not represent
20 positions unless we indicate so. They may be on their way
21 to becoming positions which we will convey in writing.

22 To indicate to the DOE how the Board's thinking is
23 evolving, we intend to begin giving relatively rapid
24 feedback to the DOE following each of our meetings, perhaps
25 in the form of letters to the program director. Such

1 letters would give initial Board reactions to at least some
2 of the key issues covered at the meetings. We are going to
3 start this practice with this meeting.

4 A few more housekeeping and administrative
5 announcements. First of all, we ask that all participants
6 sign in, and, as you know, or least those of you who have
7 been to prior meetings know, these meetings are on the
8 record. So I ask that all speakers, Board members,
9 presenters, anybody who is speaking here to identify
10 themselves before they speak and to speak clearly into a
11 microphone.

12 We will have a public comment period this
13 afternoon at approximately 5:20, depending on when the
14 scheduled sessions end, and tomorrow at approximately one
15 o'clock, depending on when those sessions end. If you wish
16 to comment during either of these times, please sign up at
17 the registration table in the back and we will call on you
18 at the appropriate time.

19 Each speaker will be limited to five minutes and
20 only five minutes, but there is no limit on the length of
21 written materials that may be submitted for the record, and
22 we welcome such submissions.

23 Now, without further ado, I am pleased to
24 introduce Priscilla Nelson.

25 DR. NELSON: Thank you, Jerry, and welcome to

1 those who have come to our meeting, to Board members, to
2 speakers, and of course to our consultants who I will
3 introduce in a moment.

4 I want to begin this meeting by commenting on the
5 focus. We will first heart project updates. Then we will
6 move on into the meeting focus of the repository design
7 operations and waste package design sessions.

8 Our meeting objective here is to gather
9 information, enhance the Board understandings of the
10 assumptions and the hypotheses under consideration or made
11 by the DOE, focusing on data and models and processes,
12 methods of analysis and their interpretation and how these
13 various facets of the overall projects are fitting together
14 into the viability assessment and will continue to be
15 considered on into license application down the road.

16 We appreciate in particular all the conversations
17 that we have had with project people, especially over the
18 past few months, in preparation for setting up this meeting.
19 There has been an awful lot of cooperation and we thank you
20 very much.

21 We have a lot to cover. I will keep introductions
22 generally to a minimum and ask all speakers to maintain
23 their focus and make sure that we can set aside time for
24 questions and answers because Board members always have lots
25 of questions, and that is very important and valuable time

1 for us to consider.

2 Moving right into the agenda, I would like to
3 invite Lake Barrett to make a presentation. Lake is the
4 acting director of the Office of Civil and Radioactive Waste
5 Management, U.S. DOE, and he will tell us about the status
6 and the 1998 outlook for the program leading to the
7 viability assessment about this time next year.

8 Lake.

9 MR. BARRETT: Thank you very much, Priscilla.
10 Good morning, members of the Board. I would like to make
11 about ten minutes worth of general remarks. I believe the
12 Board members should have the written statement. It will be
13 available in the back in. And I will leave time for
14 questions to the Board's content.

15 I would like to start off talking about the
16 congressional and the status of the program and touch on
17 design a little bit and talk about standards development,
18 which is consistent with what the Board has been doing here
19 in the session.

20 Congress has completed the work on the 1998
21 appropriations. We effectively received \$346 million in
22 FY-98. Congress stipulated that \$12 million of the
23 reduction should be taken in science activities at Yucca
24 Mountain, \$16 million be taken from other program management
25 and other accounts not directly related to site

1 characterization and interim storage. Of the remaining \$6
2 million, \$2 million was unspecified and \$4 million was in
3 the Nuclear Regulatory Commission's certification for the
4 multi-purpose canister that President Clinton line item
5 vetoed on last Friday.

6 The reductions in our 1998 budget affect ongoing
7 and proposed scientific work related to the viability
8 assessment at Yucca Mountain. These reductions are causing
9 some delays in the schedule for collection of scientific
10 data in several areas including that in the East-West drift.

11 We have been able, however, to sustain
12 construction and the basic science construction activities
13 in the East-West drift. The program direction cut affecting
14 contractual services will adversely affect our validation of
15 activities in the design features, concepts of operation,
16 and refined cost estimates on these designs. Although the
17 cuts are having an impact on the program, I firmly believe
18 the program funding is adequate to complete a satisfactory
19 viability assessment.

20 During 1997 the project has continued to make
21 substantial progress in the investigation at Yucca Mountain.
22 The majority of the project activities during the year were
23 focused on providing the information needed in the viability
24 assessment. These efforts have advanced our understanding
25 of Yucca Mountain and provide a sound basis for completing

1 the viability assessment this coming year.

2 The program continues to collect scientific
3 information and, using the insight gained from our
4 performance analyses, we are focusing on a testing strategy
5 for key uncertainties. An example of our performance
6 assessments have show that the seepage of water into the
7 emplacement drifts to be significant to repository
8 performance. To better understand this process, we have
9 isolated niches in the underground facility to observe the
10 presence or absence of water in the fracture system. We
11 felt this was especially important with the upcoming
12 predictions of an El Nino that we may have more rain in the
13 Nevada area to see if we could pick up any of that in
14 experiments.

15 Over the next two days we will discuss the
16 progress we have made in our waste package design and
17 repository design efforts. Although we are developing a
18 workable reference design for the viability assessment, we
19 consider design work to be work in progress. We are
20 evaluating alternative design features and concepts and
21 expect that alternatives will continue to be evaluated
22 throughout the licensing, construction and operation period.

23 Our design strategy recognizes the need for a
24 workable reference design as well as the reality that
25 technological advances can be expected over the decades of

1 repository operation. We are preserving flexibility to
2 ensure the design features identified now as possible
3 alternatives, as well as those that may emerge with
4 advancements in technology, can be accommodated in any
5 future repository.

6 Since we published our last performance assessment
7 in 1995, we have continued to conduct informal site
8 performance assessments on a regular basis to help us manage
9 the ongoing science and engineering activities. Our recent
10 efforts have focuses on developing the foundation for the
11 total system performance assessment for the viability
12 assessment.

13 In 1998, the year that we are in now, we expect
14 this to be a particular important one for the program as we
15 complete the viability assessment, as directed by the
16 President and the Congress. Presentations over the next two
17 days will focus on the project activities leading to the
18 viability assessment. I intend to use my time just talking
19 about from my perspective the strategic significance of what
20 we are going to be doing.

21 One of the foremost challenges in a complex,
22 first-of-a-kind endeavor is to converge on a working concept
23 and to define the additional information required to
24 implement that concept. The viability assessment is a
25 management tool that accomplishes this for the geologic

1 disposal program. It's completion will culminate a
2 three-year effort by the program to assemble the information
3 collected during the site characterization into a workable
4 repository concept for Yucca Mountain and to focus the
5 program on the key remaining technical uncertainties.

6 The program has shared its plans for the viability
7 assessment with the Board and with other interested parties
8 over the last year. Much of the attention has been
9 appropriately focused on the design, the performance
10 assessment, and the supporting science activities. We
11 recognize that the products associated with these efforts
12 will not be sufficient for licensing.

13 Their completion, however, will help integrate the
14 ongoing activities and help guide the completion of the
15 characterization efforts by identifying areas where
16 additional scientific or technical work is required to
17 evaluate the site or to prepare a complete defensible
18 license application for the Nuclear Regulatory Commission.

19 We have previously noted that the completion of
20 the viability assessment will give all parties a clearer
21 understanding of the information gained over the past years
22 and the remaining work required to support national
23 decisions on geologic disposal at Yucca Mountain. The
24 license application plan will describe this additional work
25 and provide an estimate of its cost. The plan will identify

1 the work necessary to complete the site recommendation
2 process and prepare the license application within the cost
3 and schedule constraints imposed by an ever-tightening
4 federal budgetary situation.

5 General agreement between the program and its
6 overseers and regulators on this remaining work is central
7 to the continuation of the geologic disposal program. We
8 would appreciate the Board's views on this effort to ensure
9 that we have identified tests and activities that are
10 appropriate for the task at hand and that can be conducted
11 within the constraints of the program.

12 Yesterday the Board held a panel meeting regarding
13 the performance standards for a repository at Yucca
14 Mountain. The regulatory standards for a geologic
15 repository have been the subject of much debate since the
16 beginning of this program. It would be timely for the Board
17 to examine the issues associated with the standard and
18 provide its views and insights. I would like to provide a
19 few thoughts on those regulatory standards from my
20 perspective.

21 Our revised program plan recognized the need to
22 update the regulatory framework for the repository to
23 reflect the policy changes since the enactment of the
24 Nuclear Waste Policy Act, the realities of the budget
25 constraints on the program, and, in particular, the

1 understanding gained in more than 15 years of site
2 investigations here at Yucca Mountain and also across the
3 world. I understand you even have speakers from other
4 countries as well, which I think is very important to get a
5 global view of what is going on, because there are many
6 similarities in the various programs.

7 We have considered these factors in the proposed
8 amendments to our siting guidelines. It is similarly
9 important that these factors be considered by the EPA and
10 the NRC, respectively, in developing radiation protection
11 standards and revising the licensing criteria for a
12 repository at Yucca Mountain.

13 The Department believes that the regulatory
14 framework for the repository should focus on issues central
15 to protecting public health and safety and be implementable
16 in a contentious licensing environment. That is,
17 demonstrating compliance with the standards should not
18 require a degree of proof that is beyond what science and
19 engineering can reasonably provide. The National Academy of
20 Sciences' report and subsequent discussions regarding the
21 Yucca Mountain standard indicate that the level of
22 protection provided by the repository standard should be
23 commensurate with existing facilities.

24 We certainly agree that future generations should
25 be afforded the same protection as current populations.

1 This standard, however, will be applied to estimates of
2 repository performance over thousands of years in the
3 future, which will involve an unprecedented level of
4 uncertainty. Much of this uncertainty is irreducible within
5 the bounds of a rational site characterization program and
6 approach to design. Consequently, the regulations
7 associated with repository development must maintain a
8 degree of flexibility to accommodate the inherent
9 uncertainty in the results of site characterization and
10 performance assessment. The Board's views regarding the
11 acceptability of this residual uncertainty will be
12 significant to the rulemaking process and to the subsequent
13 national decisions on geologic disposal.

14 Yesterday's discussions addressed the biosphere
15 assumptions that the Department will use to evaluate
16 repository performance. Many of the key issues associated
17 with the repository standard relate to these biosphere
18 assumptions that provide the context in which to evaluate
19 repository performance. Since the future behavior of
20 society cannot be predicted with scientific certainty, these
21 assumptions are ultimately policy decisions.

22 We agree with the National Academy of Sciences
23 that these assumptions should be defined in a rulemaking
24 process. We must be careful to define reasonable
25 assumptions because they are central to the implementability

1 of the standard. We believe that the biosphere assumptions
2 should be based on current conditions surrounding Yucca
3 Mountain and not speculation about future populations or
4 other regulatory precedents.

5 It is incumbent upon all knowledgeable
6 participants in this process to ensure that the regulatory
7 framework for the repository provides a reasonable basis to
8 assess whether a Yucca Mountain repository will adequately
9 protect the public health and safety and not be constructed
10 so as to defeat the nation's policy on geologic disposal.

11 The program is continuing to implement the revised
12 program plan and looks forward to completing the viability
13 assessment this fiscal year. This milestone is important to
14 the nation's geologic disposal program and will represent
15 the culmination of a significant effort by all our program
16 participants. We intend that this assessment will provide
17 an unbiased, technically sound analysis of a Yucca Mountain
18 repository. We look forward to the Board's review of this
19 effort.

20 In the management area, I believe you are aware
21 that Mr. Barnes left his position as project manager last
22 month. I have appointed Dr. Dyer to be the acting project
23 manager and Ms. Susan Jones to be the acting deputy project
24 manager. Unfortunately, Russ could not be here today and
25 Susan was stricken with an illness, and she will not be able

1 to be here. Dr. Brocoum will carry that on very ably for us
2 at the project.

3 Regarding the future, I intend to stay the course
4 in the Yucca Mountain area while we concentrate on
5 completing the viability assessment documents. TRW has
6 recently announced a restructured organization to increase
7 their focus on the underground postclosure aspects of the
8 viability assessment while being able to adequately respond
9 to surface preclosure issues such as surface facility,
10 storage, transportation, and waste acceptance issues.

11 I expect that I will make some minor adjustments
12 to the federal structure to reflect the change in policy
13 setting for the program and the evolving nature of our work.
14 I expect these changes will complement but not mirror the
15 TRW changes.

16 Unfortunately, I also expect to implement a
17 reduction in force of approximately 20 percent in our
18 headquarters element next spring in response to the
19 congressional direction which we received in our 1998
20 budget. However, despite these actions, I remain confident
21 in our ability to meet the program milestones that have
22 stated we will do.

23 That is sort of the end of my remarks, and I will
24 be pleased to answer any questions or enter discussions the
25 Board would like.

1 DR. NELSON: Thank you very much.

2 Are there any questions from the Board?

3 Jerry.

4 CHAIRMAN COHON: First, let me say, Mr. Barrett,
5 that I was impressed by the way you characterized VA. I
6 think that is just right and I think it is setting up VA to
7 be just what it should be, the management tool that you
8 describe. I have several specific questions. Let me say
9 them all, and then you can respond as you like.

10 One is whether the President offered a reason for
11 the line item veto of the multipurpose canister design money
12 for NRC.

13 Two, why a 20 percent reduction in force is
14 prompted by something like an 8 or 10 percent reduction in
15 appropriations.

16 You didn't mention in your remarks, but it is in
17 your written statement, something about the legislation, and
18 also the lawsuit. If you could say something about those
19 two things.

20 MR. BARRETT: The 1998 appropriations law, now
21 that it is signed by the President, specified \$16 million --
22 or is \$14 million? I get those two reversed -- in program
23 direction lines, which includes federal salaries. It also
24 had language that went on and said that the Congress expects
25 our office to meet the secretary's strategic alignment

1 numbers for FY-98. We briefed the Congress to what those
2 were.

3 For total federal staff today we have 201 people,
4 114 in the Forrestal and 87 out in Las Vegas, at Yucca
5 Mountain project. The SAI target for the end of FY-98 is
6 173. That is 20-some-odd folks. Given that the focus is on
7 the viability assessment, I do not want to adversely impact
8 job one, which is a credible viability assessment. I am
9 somehow going to take those hits in the Forrestal Building.
10 If you take nominally two dozen people out of 114, it comes
11 out to 20-some-odd percent.

12 It's in the Forrestal. I must preserve the
13 essential aspects of the program, and that's the viability
14 assessment at Yucca Mountain. We may have onesies, twosies
15 reductions at Yucca Mountain. We are in the midst of a
16 buyout. We have offered buyouts, and we have to see how
17 this will all go. We have had all-hands meetings with all
18 our staff as to what that is.

19 The line item veto. There is a process. For each
20 bill the President sets up a criteria with Mr. Raines in OMB
21 as to how to apply the line item veto properly in accordance
22 with the line item veto law and looking ahead at all the
23 various complications that go with line item veto,
24 constitutionality, et cetera.

25 It starts off with what is in the bill that the

1 President didn't ask for and then goes through criteria: it
2 benefits a small segment of population; it's an unwarranted
3 corporate subsidy. This item was automatically on the list
4 and it went through various culling within the
5 Administration, and it was on the final list of eight items
6 that the President line item vetoed.

7 It was considered an unwarranted corporate
8 subsidy, I think is the quote that was in the President's
9 statement. Basically that came down to a situation where
10 the NRC is set up under its statutes to recover. They would
11 charge the people who are asking for things. What the costs
12 are would be reviewed for all canisters, be they single
13 purpose, dual purpose, or multipurpose, which is
14 tri-purpose. The costs would be recovered by the NRC and
15 there was no need to have a direct government payment to the
16 NRC out of our DOE money.

17 I'll make no bones about it. I tried to preserve
18 that \$4 million for the program. I am told by my CFO that I
19 am probably not going to have the money. So it's
20 effectively the \$346 million. We felt very firmly and made
21 the arguments not that I was against this being done by the
22 NRC, because the multipurpose canister is a valuable thing
23 and it will do that in a market-driven way.

24 The way that finally came out, money going to the
25 NRC for all the vendors to use, was not destabilizing, did

1 not create an unequal playing field for the various vendors
2 in a market-driven approach, but that \$4 million would have
3 been better utilized supporting the scientific and
4 engineering work that the Board is immersed in at Yucca
5 Mountain, and that's where the money belonged.
6 Unfortunately, I wasn't able to get it, but I'm still
7 looking.

8 What was the third one?

9 CHAIRMAN COHON: What's happening in Congress and
10 also the lawsuit.

11 MR. BARRETT: The lawsuit is in court. The oral
12 arguments were on the 25th of September. People stated
13 their cases. We presented our defense. Under the statute,
14 we cannot select an interim storage site. The linkage is
15 fairly clear. I think we have been through that. The court
16 asked hard questions of all the parties, as judges should
17 do, and they are considering what they are going to do and
18 when they are going to do it, and I have no idea when that
19 is going to be. You will have people say it's months away
20 and some will say it's weeks away.

21 The legislative action. We all know S.104 passed
22 last spring, two votes shy of a veto override. It was
23 introduced in the House. We testified, et cetera. It
24 passed the Commerce Committee in the House. I think it was
25 a 42 to 3 vote.

1 Then it was referred to Transportation and Natural
2 Resources committees. The transportation Committee passed
3 it with a letter; the Natural Resources Committee held a
4 markup on it. They reported it out unfavorably but did
5 report it out, which allows floor action to happen. Now the
6 Rules Committee needs to establish what the rules for that
7 bill would be for the floor. That may happen any day now
8 from the Rules Committee. Congress has stated their intent
9 to go out on recess on November 7, two weeks from Friday.
10 Many people believe the bill will come to the floor and will
11 pass the floor before the House adjourns.

12 Then it needs to go back to the Senate. Depending
13 on what changes are introduced by the managers of the bill
14 on the floor in the House of Representatives -- I expect
15 there will be changes. If it looks very much like the
16 Senate bill, then they may not have to do a conference. The
17 Senate could pick up.

18 If it remains in its current form, then there
19 would probably be a conference and it will follow the due
20 process. That would probably happen when the Congress
21 returns in January or February, because I don't believe
22 there is time if they really want to go out on November 7.
23 That will be what that will be. The Administration's
24 position has been clear and has not changed regarding the
25 bill.

1 DR. NELSON: Any other questions from the Board?

2 [No response.]

3 DR. NELSON: Thank you very much.

4 MR. BARRETT: You're welcome.

5 DR. NELSON: We will move on to our next speaker.

6 Presentation to be made by Steve Brocoum, assistant manager
7 for licensing at the Yucca Mountain Site Characterization
8 Project Office. Steve will be telling us about the fiscal
9 year 1998 activities, the activities related to the ECRB,
10 the enhanced characterization of the repository block, and
11 other project office activities.

12 Good morning, Steve.

13 MR. BROCOUM: I will be presenting the Yucca
14 Mountain project updates. If you look at this package, it
15 has 29 viewgraphs. I'm actually going to talk to about half
16 of them. The rest you can read at your leisure.

17 [Slide.]

18 MR. BROCOUM: Some of the topics that we will be
19 covering today include the components of the viability
20 assessment, design and scientific testing, the enhanced
21 characterization of the repository block, and plutonium
22 migration.

23 [Slide.]

24 MR. BROCOUM: First, about the viability. You are
25 going to hear a lot about the design today. So I'll just

1 very quickly make a few points.

2 It's a performance driven design.

3 The design is constantly evolving from today
4 through the LA.

5 The priorities for FY-98 and for the VA are those
6 systems with no regulatory precedence, the kind of things
7 that fall into the bin 3 category. Some of them are listed
8 here. That is where the focus of the design effort will be
9 this year in getting ready for the VA. In other words, we
10 are focusing on things that impact particularly the
11 postclosure performance.

12 [Slide.]

13 MR. BROCOUM: We have a board called the
14 Consultant Sub-board that reports to the M&O, consisting of
15 experts in various fields to help guide us and give us
16 advice on the design.

17 That board is focusing on the waste package design
18 and fabrication, the waste package material and waste form
19 degradation. A very important topic. This is one of the
20 two key areas that really drives the performance of the
21 repository according to the PA sensitivity studies.

22 Surface facilities function and design.

23 The met twice, recently, at the end of September,
24 and they will be meeting two or three times during fiscal
25 year 1998.

1 [Slide.]

2 MR. BROCOUM: I will now jump to page 8. The
3 previous pages have a whole series of issues being looked at
4 in design. Those issues will be addressed. This is the bar
5 that addresses all those 21 issues listed. They will all be
6 addressed satisfactorily for the VA design by the end of
7 June of next year.

8 For all the four VA design products we are
9 producing management plans. The very first thing that we
10 are producing this year will tell us who is doing what, who
11 is reviewing what, what all the schedules are, what the
12 outlines of the documents are, so we know up front exactly
13 where we are heading for the following year.

14 The design development draft will be done by 6/98
15 and it will be completed for viability assessment by 8/98.
16 Not much time when you look at these schedules.

17 Basically, all the work of the viability
18 assessment has to be done in the next to eight or so months.
19 There isn't really much time to go out and do new tests or
20 go out and collect new data to feed into the VA. Any tests
21 and data we collect for the VA are of a confirmatory nature
22 and of course will be included in the license application.

23 [Slide.]

24 MR. BROCOUM: With regard to the TSPA, we are
25 focusing on model development and documentation. We are

1 trying to get uniform databases and input to be used by all
2 computer modelers. This is part of making our document
3 traceable and transparent.

4 The TSPA this year is going under a QA program.
5 In the past, science programs and design products have been
6 under QA. TSPA has not. This year it is going under a QA
7 program.

8 We are trying to use multiple lines of evidence to
9 provide reality checks for modeling.

10 Of course, we have an independent peer review. We
11 got a report from them. I think it was in July. We are
12 trying to consider their comments for the VA, and they will
13 have a second report July of 1998.

14 The real purpose of this peer review is to give us
15 an improved TSPA for LA, but where we can incorporate their
16 comments on the TSPA-VA, we will.

17 [Slide.]

18 MR. BROCOUM: This schedule reinforces my major
19 point that all the work is occurring this fall and early
20 spring. If you look at these bars, you will see the various
21 chapters that make up the PA all in draft form by February
22 1998. You will also note that the base case calculation is
23 completed by January of 1998. So really the VA is coming
24 together this fall and early next spring.

25 Again, we complete the draft in 6/98; the final

1 TSPA 8/98; and then we only have a month to get it through
2 the whole system and get it out of DOE, which includes
3 printing, editing, all the review cycles it must go through.
4 Under secretaries have to approve it and all those things.
5 So we have a very tight schedule, but we have tried to buy
6 as much time for the technical people to do their work.

7 [Slide.]

8 MR. BROCOUM: The license application plan is a
9 very important component of VA, because this is going to
10 tell the NRC and the Congress and the rest of the world
11 exactly what needs to be done to get to an LA. It will
12 basically describe what we are going to do for the major
13 milestones in products that are coming up: the EIS, the
14 site recommendation, license application.

15 It will explain why that work is necessary and why
16 it will be sufficient, in our opinion, and it will give us a
17 schedule, and it will provide the cost between the VA and
18 the LA.

19 [Slide.]

20 MR. BROCOUM: We also have a management plan for
21 the TSPA. We will have three iterations through the year of
22 the LA plan for review. The final iteration will produce
23 the final plan which will come out in 7/98.

24 [Slide.]

25 MR. BROCOUM: I am skipping a page here and

1 jumping to page 14.

2 The MGDS-VA cost estimates. We have broken the
3 periods into what we call development evaluation,
4 engineering and construction, emplacement, caretaker,
5 closure and decommissioning.

6 We will have the costs. They will be reviewed.
7 There is a management plan. There will be independent
8 review by Foster Wheeler, and that review starts this month.

9 [Slide.]

10 MR. BROCOUM: I am jumping to page 16. This shows
11 a schedule of the management plan, the various steps to get
12 there. The final VA estimate 6/98; the report will come out
13 in 7/98.

14 So all four of the reports are coming out July or
15 August of 1998. They are kind of coming together at the
16 same time. The management challenge is to keep them all
17 integrated, all consistent with each other, minimize any
18 discontinuities among them, and that kind of thing. I think
19 from a management perspective it's a big challenge this
20 year.

21 [Slide.]

22 MR. BROCOUM: I will move on now to design and
23 scientific testing.

24 The key attributes in our latest incarnation of
25 the famous waste container isolation strategy, which we are

1 going to rename, are these four:

2 Limited water contacting the waste packages.

3 Containment -- the longer the better.

4 Once the containment is breached, a slow rate of
5 radionuclide release.

6 Then, once released, the dilution of the
7 radionuclides during transport.

8 [Slide.]

9 MR. BROCOUM: The next few pages describe the
10 hypotheses, which I am not going to show. I want to jump to
11 page 19 because I want to talk about a couple of testing
12 programs we have put in place this year. I want to talk
13 about the first two in the upper left, limited water
14 contacting waste packages.

15 We are making some changes in alcove 7. We are
16 installing bulkheads to bulkhead off the Ghost Dance fault
17 and then to bulkhead off a section of alcove 7 that is not
18 in the Ghost Dance fault. We have an El Nino year coming
19 up. So we want to see if we can see any infiltration, any
20 differences between a faulted area and a non-faulted area.
21 We also bulkheaded off alcove 1 above the PTN -- this is
22 below the PTN -- and doing that.

23 We have two niches that are bulkheaded off now.
24 We will have two more. So in a sense we will have a total
25 of seven bulkheaded off niches to help us understand

1 percolation flux, infiltration into the drifts, the second
2 important parameters in the performance of the repository.
3 So those are big efforts this year.

4 [Slide.]

5 MR. BROCOUM: I want to move on to the status of
6 the enhanced characterization effort, which includes, of
7 course, the East-West drift, several boreholes, labs, tracer
8 tests and heater tests. I will talk about some of the
9 those.

10 [Slide.]

11 MR. BROCOUM: The East-West drift. This is the
12 schedule. I need to preface that the 1998 plan has not been
13 baselined yet. It will not be baselined until about
14 mid-November. So I think these dates are reasonably
15 accurate, but they could move a little bit.

16 Basically, we are doing design. The launch
17 chamber excavation starts in December of 1997. That is
18 almost the same date that we are due to start the drift
19 scale heater test. That is due to start December 8. So we
20 have a lot of interface issues of concern here, because they
21 are going to cut off the north ramp for a period of time as
22 they construct a launch chamber and all the scientists will
23 have to go in from the south; the power, of course, will be
24 uninterrupted because we are just starting up a test. A lot
25 of issues there.

1 The actual excavation of the East-West drift
2 starts in March, completes just as the VA is coming out the
3 door, in a sense, and then there will be some alcove
4 excavation in the East-West drift following that which will
5 be completed early in calendar year 1999.

6 [Slide.]

7 MR. BROCOUM: Some of the other parts of the
8 enhanced characterization include SD-11, I believe to the
9 north. One is to the north and one is to the south. All
10 now in fiscal year 1999. Part of the cutback that Lake
11 mentioned was taken by moving the boreholes out. These two
12 boreholes will be moved out, and also reducing the design
13 efforts in bins 1 and 2 versus bin 3.

14 We will also have a southern testing complex for
15 studying the saturated zone. The exact siting hasn't been
16 decided, but that will be a cooperative effort among the
17 engineers, the PA people and the scientists. That all
18 starts in fiscal year 1999 also. So all of these elements
19 are in fiscal year 1999 and later. Had we got that \$30
20 million, we would have considered moving some of these up.

21 [Slide.]

22 MR. BROCOUM: Another issue that has come up
23 lately is plutonium migration from the Benham event. I
24 think in 1968 there was a nuclear explosion below the water
25 table. I think it's 1,600 meters away from that event.

1 There was also another one here, in Tybo, in 1975.
2 They have interfered with this. There are a lot of issues
3 here.

4 I think the migration is 50 meters a year. I'm
5 not sure.

6 [Slide.]

7 MR. BROCOUM: The next few viewgraphs have a lot
8 of detail. There are just a couple of points I want to make
9 on these viewgraphs.

10 First, we recognize the potential for transport of
11 colloids. The early site characterization plan, we had
12 plans in there. Since 1988 we have been doing various
13 laboratory and field studies to understand the formation of
14 colloids and to understand their transport. We are also
15 doing modeling to see how we can incorporate colloids into
16 the TSPA. That's the major point of that viewgraph.

17 [Slide.]

18 MR. BROCOUM: We are doing additional work from
19 now out to license application both on modeling and in field
20 work on the Busted Butte. We will be starting that
21 experiment, which is our first detailed look at transport in
22 the Calico Hills. It includes colloid transport.

23 [Slide.]

24 MR. BROCOUM: The next few viewgraphs give you a
25 look at the next three months. I will not put them up. As

1 you can see, there are a lot of milestones coming up in the
2 next few months as we go into the VA year.

3 [Slide.]

4 MR. BROCOUM: My final few comments here. We have
5 less than 12 months. It is already the 22nd of October.
6 October is gone. We basically have 11 months. We really
7 have eight to ten months on the outside to get this
8 together. So we really have to focus. We don't have time
9 for distractions this year.

10 Last year we had lots of distractions. I'm
11 looking at the record here. We don't need too many changes
12 in requests; we don't need too many added experiments; we
13 don't need much added. We have our hands full getting this
14 done and getting the East-West drift done and keeping the
15 program moving, I think. It will take all our efforts to
16 get this done.

17 Our focus will be good science and engineering for
18 the foundation of those products. We are trying to produce
19 a product that is uncolored, that tells it like it is.
20 That's the key thing, tells it like it is. We are going to
21 lay out the science, lay out the engineering, lay out the
22 performance. That's our goal, to make it in a way that is
23 readable and understandable.

24 We have 15 years of information. We have to
25 assemble that into a coherent repository concept, how that

1 will perform, what more work needs to be done, and what it
2 will cost. That is our fundamental job.

3 We had a strategic planning off site a week or two
4 weeks ago and Lake told me my major job this year was to get
5 this VA out and everything else is secondary. If I have
6 competing things on my desk, all the competing things are
7 swept off to get this VA out.

8 Thank you.

9 DR. NELSON: Thank you, Steve.

10 Let me ask you one question to start off the
11 discussion. There has been a lot of discussion about
12 various alternatives and enhancements. To what extent are
13 they going to be included in VA, in all parts of the VA, the
14 idea of the various engineering enhancements?

15 [Slide.]

16 MR. BROCOUM: The engineers will talk about that.
17 There is a reference design and options. Those will be
18 included. There is also program enhancements that the
19 program is considering that are not in the baseline program
20 yet. I will turn that over to Lake to answer that question.

21 MR. BARRETT: I assume the question is to the drip
22 shields and ceramics and coatings and those sort of design
23 options. When you use the words options and enhancements,
24 there are all kinds of definitions. What jargon would you
25 like to use here?

1 DR. NELSON: That's fair enough for you to define
2 it the way you did and answer that one. Will those be
3 carried on through for all four parts of the VA? Will they
4 be included in cost?

5 MR. BARRETT: Yes. For example, backfill is one
6 of the design alternatives. So we will have a reference
7 design. We are not sure yet, but right now it does not have
8 backfill in it. We will examine if we were to backfill,
9 what does that mean? We would describe what does backfill
10 do as far as cost, what does backfill do as far as
11 performance, and is it doable from an engineering point of
12 view.

13 The degree of detail and specificity on options
14 will not be as much as the reference case, but it will be
15 enough that you can look at it. An analogy would be, here
16 is your basic Chevrolet car. It doesn't come with, say,
17 power door locks. If you want power door locks, here's what
18 it does for you and here is how much it costs. We can look
19 at that. The Congress, the President, the Board, others can
20 look at that and say that option obviously is worth that
21 money, or that option obviously is not. That's a value
22 judgment call. But we will try to present that information.

23 We recognize that there are lots of evolving
24 things and we may learn other options as we go through,
25 because it's a very dynamic environment.

1 DR. NELSON: So there will be a treatment by
2 performance assessment for these options as well?

3 MR. BARRETT: Yes.

4 MR. BROCOUM: We have already done some
5 assessments on various options.

6 DR. NELSON: Any other questions?

7 Dan.

8 DR. BULLEN: In your MGDS VA design product
9 development status viewgraph, which was number 8, you talk
10 about the documents that have come out. As we review the
11 VA, one of the things that is very important for us to
12 understand are the underlying assumptions that went into all
13 the calculations that were necessary. You mentioned that
14 these are now coming under a quality program. Could you
15 tell me which of the documents that are listed in viewgraph
16 8 that have been completed are under your quality program
17 and how easily traceable are those underlying assumptions?

18 In essence, I am asking you to help guide us in
19 our understanding of what assumptions were made during the
20 course of your completion of these documents.

21 [Slide.]

22 MR. BROCOUM: That's a perfect question to bounce
23 off to Younker.

24 Is it design or the TSPA you want to talk about?

25 DR. BULLEN: It's number 8. Is that the one

1 you've got up there?

2 MR. BROCOUM: Yes.

3 DR. BULLEN: Those documents were done previous to
4 when you are coming into quality?

5 MR. BROCOUM: No. Design has been under a quality
6 program for years. So everything that they do is under a
7 quality program. The PA is what is going under QA right
8 now. So I would assume that all the products that are going
9 to come out for QA will be quality products. This is it.
10 Remember, they are either the base case calculation or
11 chapters for the TSPA-VA.

12 I'm looking at Jean here for confirmation. So
13 they will be quality products.

14 DR. BULLEN: So our ability to determine the
15 assumptions that underlie all the calculations will be very
16 easy is what you are telling me.

17 MR. BROCOUM: It will be there. We'll make it as
18 easy as we can. That's the goal.

19 In yesterday's meeting we made some comments on
20 that and we visited with recently. It took them four years
21 to go from where they were four years ago, which was not
22 traceable, to where they are today. We see this as kind of
23 a dry run for our TSPA-LA, if we get to that point. By then
24 I think we could tell you it's truly traceable and easy to
25 trace and all of that. This is the stuff on the way.

1 MR. BARRETT: We are using the word "quality."
2 What we are talking about here is Nuclear Regulatory
3 Commission quality assurance, documentation and pedigree.
4 If it's not under, let's say, the quality requirements, it
5 does not necessarily mean it's a non-quality piece of work.
6 When we through the word "quality" around, that's a
7 complicated word. Thank you.

8 MR. HAYES: Larry Hayes, M&O. Steve, would you
9 put that slide back on?

10 MR. BROCOUM: The TSPA one?
11 [Slide.]

12 MR. HAYES: I'm sort of following up, Lake, what
13 you just said. I didn't want to leave people with the wrong
14 impression. If you look at the products there, the UZ
15 transport chapter, UZ flow chapter, all of that work was
16 done under a quality program; all of that work is documented
17 under a quality program. I just wanted to make that point.

18 MR. BARRETT: That doesn't necessarily mean that
19 it's easily traceable. It's all there; it's still
20 complicated stuff.

21 MR. BROCOUM: All the stuff was done under science
22 is under a quality program. That's the point Larry is
23 trying to make. The same with other areas here.

24 DR. NELSON: Dr. Knopman.

25 DR. KNOPMAN: I have three questions.

1 You said, for all practical purposes, any new
2 information that comes down the pike over the next 12 months
3 will not be incorporated into VA but will be used in a
4 confirmatory setting. Can you explain how VA will express
5 that process?

6 For example, as crossing construction proceeds as
7 some of the creation comes about. How would you be able to
8 take that newly acquired data and respond to it in a
9 confirmatory nature in VA? Will there be a separate chapter
10 with the heading Confirmatory Testing?

11 MR. BROCOUM: I can't give you a clear answer, but
12 let me give you kind of a vision. If the new data that
13 comes in is within the bounds of what is in the distribution
14 of the current data, say, for a particular parameter, well,
15 it's the same, and you don't make any changes; you just keep
16 going.

17 Let's say we get into the west end of the block,
18 in Solitario Canyon fault, and we see percolation or water
19 or something that is different than what we have seen
20 before. That is outside. At that point we have got to
21 decide, how do we handle this, because it's something we
22 haven't seen before. If it's in August, for example --
23 that's when we get into that end of the block -- I really
24 don't see how we can handle it given the schedule for VA at
25 that point in time, because we already probably at the

1 press. We may be able to handle that in some other
2 document, an overview or something. If, God forbid, we
3 delay VA, possibly we could handle it.

4 But there is a reality here. We are not going to
5 get to the west end of the block until August or that time
6 frame, and that is where you are most likely, in my view, to
7 find new information.

8 Basically, if the information is within the
9 current bounds of current information, it's confirmatory.
10 If it's outside, we pause and see how we handle it. We
11 don't ignore it, but I'm not exactly sure how we can handle
12 it. It depends on scheduling.

13 DR. NELSON: Let me just say one thing. You
14 mentioned that if you get some information that tends to be
15 confirmatory that you wouldn't necessarily worry about it,
16 but in fact I would encourage to really include that in
17 whatever way you include the material that is less
18 confirmatory. The way it's being assessed through PA it's
19 very important to have that.

20 MR. BROCOUM: Both of you have made a good point.
21 We will think about how to do that, reserve a section that
22 we write at the very last minute to say, hey, this is late
23 breaking news. We do that in the progress report. We kind
24 of a late breaking, up-front section, I believe. Maybe we
25 can do that here.

1 DR. KNOPMAN: Second question. I can't see on
2 your charts where the overview chapter or executive summary
3 or the pull-it-all-together chapter gets written.

4 MR. BROCOUM: Which overview chapter?

5 DR. KNOPMAN: For VA.

6 MR. BROCOUM: The VA will consists of the four
7 products. Each of the products will have an executive
8 summary. There will not be for the VA itself an overall
9 executive summary or chapter.

10 Is that correct, Lake?

11 MR. BARRETT: That's correct.

12 DR. KNOPMAN: Third and last question. Since one
13 of the products of VA is the license application plan, you
14 will have a timetable there for products to support LA.
15 When at this point are you assuming a suitability
16 determination will be made and when, backing up from that
17 date, will be sort of the close date on new information that
18 would go into suitability?

19 MR. BROCOUM: The current baseline schedule for
20 suitability is in the year 2001. I think it's in the middle
21 of the year.

22 MR. BARRETT: License application is 302. This is
23 published in our program plans. That's where this is. 701
24 is the site recommendation. There is various technical work
25 that leads up to those things. There is no cutoff date. If

1 the day before the Secretary is to recommend to the
2 President we find something new, we will deal with that and
3 we will deal with it properly. So there is no magic cutoff
4 date.

5 DR. KNOPMAN: So you will have a comparable
6 situation you have now with VA, where essentially 10 months
7 before the document comes out you have kind of put the lid
8 on further study.

9 MR. BARRETT: It is very similar to what you will
10 see with the VA. We have a 5,000 node work plan schedule
11 that we have on the master computer and it's available to
12 your staff to see, all the various feeds and all the
13 technical work in the laboratory and where it all flows
14 together.

15 Steve was showing you what we have for the
16 viability assessment, and there is a very similar network,
17 not to the same specificity, for what you would have for the
18 site recommendation and also for the LA. Some of the long
19 lead time LA things are being done now. Some have already
20 been done, volcanism, et cetera. It's all in there, but
21 there is no magic cutoff date.

22 I don't want a misperception. Schedule is
23 important; quality is more important than schedule. If
24 Steve says, look, I am driving this using this schedule,
25 still we will do quality first on this, and if something

1 happens, we will deal with it.

2 If the schedule has to slide to make an accurate
3 portrayal of what the situation is, how good and how bad
4 Yucca Mountain is, I will delay it; I will not put an
5 improper quality document that disregards something. But
6 you always know there is always something coming up every
7 single day; there is new information. There is not a cutoff
8 per se.

9 We have had lots of debates. We do this as soft
10 of like a yearbook supplement of late breaking information
11 and how to deal with it, but I would not propose to the
12 Secretary a viability assessment that does not address
13 things appropriately. It doesn't mean every single
14 experimental data has to be in, but you certainly have to
15 use a lot of judgment and balancing to go with it.

16 MR. BROCOUM: We will submit an initial LA; we
17 will update the LA. We've got a conformance confirmation
18 program and they'll be getting new information. You would
19 hope you would get no surprises, but you don't really know.
20 The more information you have, the less likely a surprise.
21 Again, that remains to be seen.

22 DR. NELSON: Jerry.

23 CHAIRMAN COHON: You said early on in your
24 presentation that the design will continue to evolve until
25 LA. This is in the same spirit as Dr. Knopman's questions.

1 I'm just trying to understand the realities of the next
2 several months when you have got to focus on VA, quite
3 appropriately.

4 With regard to design, effectively are we talking
5 about there will be basically a pause in the continued
6 development of that design for several months until VA is
7 done?

8 MR. BROCOUM: There will be handoff from the
9 design people for the things that are important for the PA
10 to the PA people so they can do their base case. That
11 handoff is occurring between now and November, and from
12 November to January the PA people do their base case. Then
13 they can go back and do some sensitivity studies, and
14 anything new in design can be plugged in then. That's how
15 the process works. They don't really pause. They pull the
16 stuff together and hand it off and they just keep going.

17 CHAIRMAN COHON: Whatever they have in November is
18 what gets handed off but the design people continue to
19 develop.

20 MR. BROCOUM: Right. They are trying to focus on
21 the things up front that TSPA is very sensitive to so they
22 can hand it off so the PA people can do their work.

23 CHAIRMAN COHON: I understand.

24 MR. BROCOUM: They have worked very closely in
25 planning all this all this year to do that.

1 CHAIRMAN COHON: So again you've got that kind of
2 delicate management problem of finding yourself in August or
3 September with design having evolved further.

4 MR. BROCOUM: Right. It will evolve in areas that
5 don't impact the PA work. It's Dick's job to manage that
6 and Jean's job on the PA side to manage that interface.
7 It's very difficult and it's very realistic.

8 CHAIRMAN COHON: You skipped over it, but I would
9 like nevertheless to ask you about it, and that's slide 18
10 with the hypotheses.

11 [Slide.]

12 CHAIRMAN COHON: I'm not asking that you go
13 through each one in detail. I guess I'm trying to
14 understand this slide in the context of the VA. This is the
15 hypotheses with which we currently are working but they may
16 change post-VA?

17 MR. BROCOUM: Right now Younker is working on the
18 revision to the waste containment isolation strategy. That
19 revision will be out in the middle of November.

20 CHAIRMAN COHON: You say you are going to change
21 the name of that, by the way?

22 MR. BROCOUM: Yes.

23 CHAIRMAN COHON: What's it going to be called?

24 MR. BROCOUM: I don't know. We haven't decided
25 yet.

1 [Laughter.]

2 MR. BROCOUM: We've got to decide among ourselves.
3 Probably a safety case with some name.

4 CHAIRMAN COHON: Okay.

5 MR. BROCOUM: It will revise one more time during
6 the year. I think next July or August it comes out again.
7 So that's another thing we want to keep in track with all
8 the other work we are doing. So these may not be the exact
9 hypotheses that come out in November. We are working on
10 that right now. We just had an issue resolution meeting on
11 that.

12 CHAIRMAN COHON: The next slide was the design and
13 scientific testing programs that you did show us, which are
14 tied to those hypotheses.

15 MR. BROCOUM: Yes.

16 CHAIRMAN COHON: You may have said this and I
17 might have missed it, but are all these ongoing or planned
18 or in some cases completed?

19 [Slide.]

20 MR. BROCOUM: They are all in our baseline plan.

21 CHAIRMAN COHON: VA may identify additional
22 testing programs not on this slide; is that correct?

23 MR. BROCOUM: That's possible, and this is not a
24 complete list of tests; these are only some of them. Then
25 you would have to implement those tests and the information

1 in those tests would probably go into TSPA-LA.

2 CHAIRMAN COHON: Finally, with apologies.
3 Everything you said about plutonium just went by me much too
4 quickly for me to have gotten anything out of that. I don't
5 believe we are going to be hearing about that during the
6 course of this meeting. Yet it's a timely issue. Can we go
7 back over this?

8 MR. BROCOUM: I would like to ask Larry Hayes to
9 say a few words on that. It's under his area. He can talk
10 about it a lot better than I can.

11 MR. HAYES: Larry Hayes, M&O. Specifically, what
12 would you like me to address?

13 CHAIRMAN COHON: What's the issue? Why did you
14 bring it up?

15 MR. BROCOUM: Because Los Alamos issued a paper, I
16 think in July, on some work they had been doing. Previous
17 to that, we knew they were doing the work, but it was all
18 classified. They issued this paper in July and it hit the
19 press. A big deal. Plutonium is moving 50 meters a year,
20 whatever the distance is. A lot of interest. The point I
21 was trying to make here is that we know about it, it didn't
22 surprise, we had been working on it for years; Los Alamos
23 has done a lot work on it for us. We are continuing to work
24 on two key aspects, how they form and how they move.

25 I don't know if Larry wants to say anything else.

1 That was point I was trying to make.

2 MR. HAYES: We've considerable work ongoing in
3 looking at colloidal formation stability in both the
4 unsaturated zone and saturated zone. Some of what we are
5 seeing, for example, would show that the charge on the
6 colloids are more important in retarding transport rather
7 than the size. We have looked at some water from J-13 and
8 we find very small amounts of colloids.

9 In our plans for our new southern tracer tests we
10 are going to try to design some experiments to where maybe
11 on a relatively larger scale than we have been working at we
12 can say something more definitive about colloidal movement.

13 The problem, as you probably are aware, is that we
14 can latch on to something like plutonium, very long lived,
15 and move it through the environment through these colloidal
16 attachments, and we would like to be able to get better
17 field information to put into our models to be able to more
18 accurately predict whether that is a real problem or not.

19 There are a number of things being done at the
20 test site on colloidal plutonium primarily that we are
21 trying to latch into. What they are going to do at the test
22 site we're not certain. It's frankly very difficult to do
23 some of the experiments they would like to do, and we are
24 still discussing with them what would be the best thing to
25 do combining their resources and our resources.

1 We also have our Busted Butte test plan. That's
2 an analogue site where we will go into Busted Butte, conduct
3 the testing facility, and try in that area to also get some
4 field information on colloidal movement.

5 CHAIRMAN COHON: Thank you.

6 DR. NELSON: We are just about of time. Dan, you
7 want one question?

8 DR. BULLEN: One quick question. This may not be
9 the appropriate place to answer it because we are going to
10 talk about the enhanced characterization of the repository
11 block later. I did raise an issue in the June meeting with
12 respect to the potential adverse effects of the location and
13 position of the East-West drift. I was just wondering what
14 the status was of any evaluation you might be doing to
15 address that.

16 MR. BROCOUM: We brought the expert with us that
17 will address that. Is Peter Hastings here? He's in the
18 back of the room. I'm not sure if this the right time or it
19 comes up later.

20 DR. BULLEN: ECRB is later on the agenda.

21 MR. BROCOUM: The actual expert, the person who is
22 responsible for evaluation is here. We guessed you might
23 ask that question.

24 DR. BULLEN: I didn't want to disappoint you.

25 DR. NELSON: Thank you, Steve.

1 I want to make this transition right now. We have
2 scheduled this morning's session just continuing because we
3 started at 9:30 and we are going to be finishing at about
4 noon. If people want to take a break, they'll have to take
5 on of their own.

6 Thank you very much, Lake and Steve, for the
7 overview, the update on the project. We are going to move
8 into a sequence of sessions that are really geared towards
9 presenting information on the repository. We will have
10 presentations on the underground portion of the repository,
11 the repository thermal management, engineered barrier
12 system, and alternative repository concepts.

13 I would like to take this opportunity as we make
14 the transition from the overview mode to hearing more about
15 specific issues related to repository to introduce three
16 consultants that the Board has invited to be in attendance
17 to develop a resource for us as we embark upon this very
18 fast track VA process.

19 The first person I would like to identify -- they
20 are right behind me. If they could stand up and acknowledge
21 who they are, let everyone see. The first person is Dr.
22 Carl Peterson. Carl is professor emeritus of mechanical
23 engineering from MIT. He's an outstanding, even notorious
24 mechanical engineer with many, many ideas. His work has
25 been widely applied, including in underground construction.

1 He's a first-time consultant to the board, and we welcome
2 Carl and appreciate his efforts here.

3 The second consultant I would like to introduce is
4 Dr. Klaus Kuhn, who has participated in several Board
5 meetings in the past and has hosted the Board on visits to
6 the German geologic repository for high level radioactive
7 waste and spent fuel. Dr. Kuhn has served in a number of
8 senior positions in the German nuclear waste program in his
9 30 years on the project, and we welcome him.

10 Thirdly, I would like to introduce Dr. George
11 Danko, who is a professor in the Mining Engineering
12 Department at the Mackie School of Mines at the University
13 of Nevada in Reno. Dr. Danko has also participated in a
14 number of Board meetings in the past, and he first served
15 with the Board in 1992 and has several times since, offering
16 contributions understanding and encouraging evaluation of
17 repository ventilation, a topic we will hear about today.
18 He has also worked directly with DOE subcontractors. We
19 welcome him to our meeting. Thank you, George.

20 The purpose of the sequence of sessions is to get
21 information out for the Board to understand the assumptions
22 data on models, processes and analyses, hypotheses made,
23 rationale behind the assumptions, and come to an
24 understanding of the uncertainties that remain, those that
25 may or may not be addressable before VA, those that may or

1 may not be addressable as we move on toward suitable and
2 license applications in the future.

3 We have a very full agenda over the next day and a
4 half. Generally this is constructed to be overview, more
5 information probably present in the transparencies that can
6 be delved into in depth in the discussions here, but we
7 really can't use these meetings as the detailed critique of
8 technical issues and the close dialogue.

9 We will look, however, towards looking closely at
10 any deliverables produced in the next 11 months in
11 particular leading up to VA, be they draft or final, and to
12 continuing conversations and meetings that the Board is
13 going to be holding through their panel or smaller group
14 discussions and interactions with DOE people. We appreciate
15 DOE's participation and trying to keep that information flow
16 going.

17 I would like to move on at this point between now
18 and our noon lunch break. We have invited Richard Snell to
19 give us a presentation on the repository layout, design,
20 construction sequence for waste emplacement in the
21 underground repository. Richard Snell is the manager of
22 engineering and integration operations with the M&O
23 contractor.

24 MR. SNELL: Good morning. I'm Dick Snell. I'm
25 the manager of engineering and integration for the M&O at

1 Yucca Mountain project.

2 [Slide.]

3 MR. SNELL: This is a presentation on repository
4 layout, design, construction sequence/waste emplacement. It
5 is an overview type of presentation. The way the agenda is
6 structured, it's in response to questions that have been
7 asked.

8 The information that is being presented to you is
9 coming to you kind of in short, snappy doses on various
10 aspects of design. As we go through the program, it may
11 seem to be a bit fragmented, but I think as we move through
12 the whole agenda you will get the full picture. This
13 presentation is indeed an overview.

14 I might comment in follow-up to a couple of the
15 questions that were asked earlier about how we respond to
16 changes. One somewhat positive aspect about what we are
17 doing in the design is that a lot of the interest is
18 concentrated in a relatively small portion or concentrated
19 area of the design, namely, the emplacement drift, the waste
20 package, and things related to it.

21 Because we get new information as we go forward
22 does not mean that we necessarily upset the entire
23 arrangement or overall approach to the repository design.
24 The changes in many cases will tend to be highly focused.
25 So we will be able to accept new information in those areas

1 fairly readily, and I expect we will be able to respond to
2 those reasonably well.

3 [Slide.]

4 MR. SNELL: We are going to talk a little bit
5 about the controlling design assumptions or factors that we
6 have, the layout, some of the excavation and emplacement
7 sequences that we are anticipating right now.

8 I'll talk a little bit about the ECRB cross-drift
9 and how it interfaces with the repository, or would, and you
10 will hear more about that later in the program as well.

11 [Slide.]

12 MR. SNELL: The first topic is the design
13 assumptions and the decision process and the analyses that
14 we are doing in siting the repository and deciding its
15 overall features.

16 [Slide.]

17 MR. SNELL: This is kind of a long list of those
18 things that influence the repository design.

19 The geologic setting, of course. By that I will
20 include not only the physical setting but there are climatic
21 effects, as you all know, which have a major bearing on what
22 we are doing.

23 The waste inventory heat output is a major factor,
24 and the thermal loading that we select for the repository
25 has a major bearing on the arrangement.

1 Physical characteristics of the waste package.
2 The transport and handling system for the waste
3 package.

4 A desire to use mechanical excavation methods for
5 developing the repository itself.

6 Drainage controls for the postclosure in the event
7 that we have water in the repository.

8 Something about the performance confirmation
9 program requirements.

10 And something also on retrievability requirements,
11 which is part of what we are tasked with.

12 [Slide.]

13 MR. SNELL: We will talk a little bit about layout
14 first.

15 [Slide.]

16 MR. SNELL: Some of the major siting
17 considerations for the repository.

18 In 10 CFR 960, one of the stipulations is that we
19 maintain a 200 meter minimum cover over the emplacement
20 areas, earth cover or rock cover.

21 We need to be located above the saturated zone.
22 This is also out of 960.

23 The minimum of 100 meters above the saturated zone
24 is a design assumption listed here, but it's based on
25 expectations on water table rise or unsaturated zone rise

1 over geologic time periods. The information that is
2 available to us in the system right now suggests about 100
3 meters is the maximum rise that one would expect to see in
4 the saturated zone in any climatic variation and geologic
5 time period variation.

6 We need to avoid major faults to the extent that
7 that is practical, partly based on guidance from the NRC and
8 also prudence from a design standpoint.

9 We are going to use the Topopah Springs welded
10 unit, TSw2, as the notation here. That's the geologic unit
11 that has been selected, given these other considerations and
12 other factors in design, as the most suitable for location
13 of the repository host horizon.

14 [Slide.]

15 MR. SNELL: This is a picture of repository siting
16 area. This is not the repository footprint itself but it's
17 the siting area. It's referred to as available upper
18 repository because in earlier designs we had shown a
19 repository with both an upper and a lower section. With
20 some changes that we have made that I will talk about we do
21 not now need the lower section of the repository. So what
22 we are showing you is the upper portion. The lower section
23 would be over in this area here.

24 There are several pieces of information on here
25 that are relevant. I mentioned some of the criteria. There

1 is a 200 meter cover limit, and it's outlined; it's noted
2 here on the chart.

3 There are some major faults on the western side, a
4 Solitario Canyon fault and a Solitario Canyon splay fault.
5 Both seem to represent perimeter limits for us for this
6 primary area.

7 In the north, up in this area here, there is what
8 appears to be either a fairly steep hydrologic gradient or a
9 rise or a higher location, if you will, in the saturated
10 zone. We want to maintain 100 meters as a minimum over the
11 saturated zone. So that tends to be a limitation on the
12 north.

13 There are some faulted areas that are shown that
14 go into the repository, but based on the exploration that
15 has been so far, those do not seem to be features that are
16 significant enough to preclude the use of this land for
17 emplacement areas, but they are identified here nonetheless.

18 Those generally are the translation of those
19 criteria into the footprint of the overall repository area.

20 [Slide.]

21 MR. SNELL: This doesn't show very well on the
22 overhead. It probably shows better on your handouts. The
23 actual repository footprint starts right about in here and
24 ends right about here. So there is some usable real estate
25 to the north and to the south if we should need it.

1 The current exploratory studies facility is
2 portrayed here on the diagram. It's hard for me to read,
3 but it generally comes in this way.

4 The ESF north-south main drift is about at the
5 eastern boundary of the repository. Again, we are working
6 up towards to the Solitario Canyon fault and splay fault on
7 the left. There is about a 60 meter standoff from that
8 fault right now.

9 With some design changes that have been
10 incorporated, I am referring to a modification in how the
11 ventilation is being handled, ventilation drift, and also
12 some improvements in the way the emplacement drifts would be
13 constructed which reduces the amount of space needed for
14 what is called a launch chamber for the mining equipment.
15 We get more effective emplacement space out of each drift.
16 Right now these emplacement drifts go all the way across
17 this area, and they are about 1,000 meters long. We can
18 start the tunnel boring operations and use a little bit less
19 space on either side. The net result is that we don't need
20 quite as large a footprint for the repository.

21 What we are using here in this emplacement area
22 leaves us with probably somewhere between 10 and 20 percent
23 expansion capacity over what is currently identified. We
24 are talking about 70,000 metric tons of waste to be
25 emplaced, and I am suggesting that if we had to we could

1 probably put in a little bit more in this same footprint, or
2 if we get into areas where we have some difficulty using
3 some of this area, we have some additional space that is
4 available to us as a reserve, if you will.

5 [Slide.]

6 MR. SNELL: I have flipped this around. For the
7 same orientation, it would appear like this if you compare
8 it to the other charts, but it's easier to read the
9 notations this way.

10 Here again is the exploratory studies facility
11 that we now have.

12 As it is presently envisioned, there will be an
13 emplacement exhaust shaft located in the northern portion of
14 the area that we have tentatively selected.

15 There is an intake shaft for ventilation air for
16 development purposes: mining on the south.

17 The emplacement drifts run all the way across from
18 the east main to the west main. The way the repository is
19 laid out there would be an exhaust main located under the
20 primary footprint, running the full length of the footprint.
21 Those exhaust mains were on the perimeters. By putting them
22 underneath, that helps to reduce the amount of space that is
23 required for pure construction purposes and improves the
24 utilization for emplacement purposes.

25 You see for reference here the Ghost Dance fault.

1 In prior presentations we have talked about it. I think you
2 will hear a little more about the thermal test alcove or
3 drift scale test, the one that is going to start in December
4 that Steve Brocoum mentioned. That is located right here.
5 This is the alcove where that thermal testing will be
6 started in December.

7 There are some other alcoves for testing purposes
8 shown here. Here they intercept or come close to the Ghost
9 Dance fault, which is relatively modest in character. By
10 that I mean it's not the sort of structural separation that
11 Solitario Canyon seems to be based on some drilling and
12 testing that has been done in these alcoves.

13 There is a cross sectional cut that is shown here.
14 If you take a cut through this footprint and imagine you are
15 standing down there at the emplacement horizon, looking from
16 the south to the north -- one other thing I will mention
17 here. I mentioned there was expansion room to the south.
18 We have shown an expansion area here. There is somewhat
19 more available.

20 There is an emplacement exhaust shaft to the
21 north. If there should be a collective decision to expand
22 to the north, that decision would need to be made fairly
23 timely because that exhaust shaft would need to be moved
24 further north as well. So it's a decision that one would
25 like to make fairly early in the sequence of things.

1 [Slide.]

2 MR. SNELL: Going back to the section, if we are
3 looking south to north, this is kind of what you would see
4 in the repository. There is a lot of nomenclature on both
5 these charts, by the way. The coding for those is indicated
6 here on this cross section. What these refer to principally
7 is that the layers that exist in the TSw2 stratigraphy were
8 put down over a period of time. There are references here
9 to non-lithophysal and lithophysal zones. There is a lower,
10 a middle and an upper. That's why you have all these
11 various gradations.

12 The cross section of the repository as we
13 currently envision it starts, as I say, about 60 meters just
14 to the east of the Solitario Canyon fault, runs across
15 through the stratigraphy. As you can see, it's sloped down
16 from the west to the east. It terminates west of Ghost
17 Dance fault.

18 The area we formerly identified for the lower
19 repository block is down in this area. As I said, that is
20 still available to us for expansion purposes if we should
21 need it or choose to use it.

22 We have indicated here the top of the saturated
23 zone. That is referred to here as the groundwater surface.
24 The line indicating about a 100 meter water table rise and
25 the 200 meter cover limit and the surface profile are shown

1 here as well.

2 That gives you some feeling for what for what the
3 cross section would look like.

4 [Slide.]

5 MR. SNELL: I'm going to go through these fairly
6 quickly. I am looking at about 11:15 on timing here, and
7 that should work fine. I will talk a little bit about the
8 construction sequence as we currently envision it.

9 [Slide.]

10 DR. NELSON: Dick, this is probably the last time
11 we are going to be able to really get a look at this until
12 the VA document comes out. So if you want a few more
13 minutes in order to be able to go through it the way you had
14 planned, go ahead.

15 MR. SNELL: You steer me any way you wish. I can
16 go faster or slower at your option.

17 This is the current exploratory studies facility.
18 As it's currently envisioned, the development would begin
19 coming off the south ramp. We would start with a large
20 tunnel boring machine that would begin excavating a
21 perimeter drift. That's about a 7.6 meter tunnel boring
22 machine as we currently envision it.

23 You can start with tunnel boring machines of a
24 smaller diameter excavating these drifts here. The
25 expectation is that we would use two of the smaller diameter

1 tunnel boring machines. Those are the 5.5 meter diameter
2 that is associated with emplacement drifting.

3 What this shows is one is completed and you have
4 got a machine here and a machine here with work in progress.

5 The planning right now suggests that a single
6 tunnel boring machine for the 5.5 meter drifts could be
7 sufficient, but two does offer some advantages in
8 construction timing. So we are showing two at this time.

9 [Slide.]

10 MR. SNELL: This is a little bit later in the
11 development. The large perimeter drift around the
12 repository will have been excavated. Those three early
13 cross drifts have been excavated, and excavation has begun
14 on the north end with emplacement drifts.

15 Excavation will have begun under the primary
16 horizon here starting on the ventilation drift that is going
17 to go underneath the repository horizon.

18 [Slide.]

19 MR. SNELL: The ventilation drift under the
20 repository footprint will have been completed at this stage.
21 A group of emplacement drifts have been completed here on
22 the north end.

23 This chart is identified as the start of
24 simultaneous emplacement and development, which is the
25 current expectation.

1 You need a substantial separation between waste
2 emplacement areas and development or mining areas. That is
3 what we will have. The judgment here is that to initiate
4 emplacement you need four or five emplacement drifts
5 available to you.

6 We expect we may have to do some mix and match on
7 the wastes that come to the repository. So having a group
8 of four or five drifts open at one time and the ability to
9 use any one or all of them as you begin waste emplacement is
10 what dictated this. The separation on the emplacement side
11 and the development side I will show you on a later chart.

12 At this point you could begin. The underground
13 development is probably 10 percent or so complete in terms
14 of the overall quantity of excavation.

15 [Slide.]

16 MR. SNELL: This is a view of where you might be
17 in year ten. In other words, ten years after you have
18 initiated emplacement operations. It's progressing to the
19 south, as you can see.

20 The sequence is that as you complete a group of
21 mined drifts you can move a bulkhead that exists between the
22 two areas, between emplacement and development area. You
23 can move that bulkhead to the south, reestablish the
24 ventilation separations, and then open up additional drifts
25 for emplacement purposes, moving in this direction here.

1 [Slide.]

2 MR. SNELL: A similar picture here in 15 years,
3 progressing from north to south.

4 [Slide.]

5 MR. SNELL: At this point, in a caretaker phase.
6 That is, you have got all the waste emplaced, no more active
7 mining operations, and you are at point now where you are
8 simply monitoring the facility.

9 [Slide.]

10 MR. SNELL: A little bit closer look now at some
11 of the ventilation considerations for the repository as we
12 now envision them.

13 Same orientation, north at the left of your
14 picture. There is an emplacement area exhaust shaft at the
15 north with exhaust fans there. The system has about a
16 600,000 cfm capacity.

17 Intake is at the north portal, that is, the north
18 portal of the current ESF, if you will. Air comes in
19 through that north ramp and is circulated through the
20 facility, is collected in the exhaust duct underneath the
21 emplacement area, and then exhausted out that shaft.

22 There is a bulkhead separation shown here.

23 To the south, in the development areas where
24 emplacement is ongoing, you will see notes here about a road
25 header here, which is the machinery that is used to open up

1 the start of an emplacement drift and give the tunnel boring
2 machine a straight heading that it can work on. That is one
3 of the changes that allowed us to use a little bit more of
4 the space.

5 We have got a road header initiating a drift here
6 and two tunnel boring machines at work moving across,
7 building a new emplacement drift.

8 That whole area from the bulkhead south operates
9 under a separate ventilation system. In this case it's a
10 push system with the duct here on the south. Outside air is
11 brought into the system, circulated through the development
12 areas and exhausted out the south ramp of the current ESF.
13 That also is about a 600,000 cfm capacity system.

14 [Slide.]

15 MR. SNELL: This is kind of a mindblower when you
16 first look at it because of the way it's portrayed. You
17 have to study it for a while to understand it. These
18 numbers are year of emplacement.

19 At the north end of the facility, or over here on
20 the picture, it tracks the expected emplacement as you go
21 through the life of the facility, starting in the year 2010,
22 which is what the current program plan calls for, and then
23 moving all the way out with the last of the waste being
24 emplaced in the year 2033 out on the south, about a 23 year
25 emplacement period.

1 There is one glitch on this chart that I will
2 mention. We show a standby drift here, which is just that.
3 It's for standby purposes. These cross-block drifts are
4 ventilation drifts. One of these cross-block drifts should
5 be identified also as a standby drift. We really need three
6 ventilation drifts going across the block.

7 The air in those cross-block drifts is used to
8 temper the temperature of the air coming out of the
9 emplacement drifts because it gets pretty warm in there.

10 [Slide.]

11 MR. SNELL: I'll talk a little bit about the ECRB
12 and what the relationship is with the layout that I just
13 showed you for the repository.

14 [Slide.]

15 MR. SNELL: This was done in color. So it's not
16 quite as easy to read on the viewgraph, but I think I can
17 probably talk you through it and it will be clear in your
18 handouts.

19 I think you are familiar with the footprint now.
20 The cross-block drift as we envision it at the moment would
21 be initiated from the north ramp, right about here.

22 I mentioned earlier that the thermal test facility
23 is down in this area here where you see that little J-hook.
24 So the references to the launch chamber for the cross-block
25 drift refer to the launching operations in this region right

1 here. That is where your cross-block drift would start. It
2 is going to go up and over the top of the emplacement zone
3 and run from northeast to southwest across the block,
4 terminating down in this area.

5 There are others who are more erudite on the
6 specifics, but in brief, there are two areas of principal
7 interest on the cross-block drift that dictated the geometry
8 that you are now seeing. One is variability in the
9 properties in the selected host horizon from east to west is
10 of major interest.

11 Most of the exploratory information we have is
12 based on the ESF, which is on the eastern side of the block.
13 We have drill hole information and other data on the west,
14 some of it offset from the block, some to the north, some to
15 the south.

16 There is clearly a desire to see what happens if
17 you think about the cross section that I mentioned where you
18 are sloping from west to east, you're sloping down. The
19 repository host horizon, the eastern side of it is in the
20 upper portion of that host horizon. The western portion of
21 it is in the lower section of that same host horizon. The
22 variability from east to west is important, but there is
23 also a strong interest in seeing what the variability is in
24 this emplacement horizon from north to south.

25 Again we have information around the footprint

1 from drill holes and other information, but this ECRB
2 cross-block drift with this kind of an orientation really
3 gets you to both things. It lets you look at what is
4 happening as you move across the block east to west, and it
5 also gives you some ideas on what trends you can see south
6 to north or north to south, either way. That's why the
7 diagonal concept was tentatively selected. That's where we
8 are right now.

9 It is offset from the repository horizon that we
10 expect to use and it's above it by about 15 meters. We have
11 done evaluations on how much of an offset you need to avoid
12 interference between the ECRB and the repository itself and
13 the structural and thermal analyses so far suggested about
14 two diameters gets you away from cross talk between the two.
15 So 10 or 11 meters is the standoff that is regarded as a
16 minimum. This is laid out right now with a minimum
17 separation of 15 meters at the bottom and about no more than
18 20 meters at the top.

19 It slopes, or will slope, to drain from south to
20 north. That's the way the whole repository is sloped to
21 drain, from south to north.

22 [Slide.]

23 MR. SNELL: A couple of comments on the
24 interfaces. I have covered some of this already.

25 A minimum of 15 meters. It will be 5 meters in

1 diameter. There is some tunnel boring machinery available
2 with a 5 meter capability. I mentioned the grading from
3 south to north.

4 [Slide.]

5 MR. SNELL: That drift can be used as part of the
6 performance confirmation program. You will hear more about
7 that later in the program. It would then serve a dual
8 purpose, not only give us information on the geology early,
9 but later on information as part of the PC program.

10 It does provide access to other performance
11 confirmation drifts which you will hear more about later.
12 There is an intersection between this one and those other
13 performance confirmation drifts.

14 [Slide.]

15 MR. SNELL: As I mentioned, based on the
16 information we have right now, we don't expect any impact
17 from the ECRB on the repository. We do have drainage and we
18 do have the separation.

19 You will get more detail on it later. We have a
20 group that does something called determination of importance
21 evaluations, DIEs. When the planning for this ECRB was
22 initiated one of the early activities was to look at using
23 the DIE techniques to look at possible interactions or
24 adverse impacts from having the ECRB drift close to the
25 emplacement horizon. That work was begun in that planning

1 stage and the early results are what dictated the 15 meter
2 separation, and so forth.

3 There is some additional DIE work that is still
4 ongoing. There is a piece of it that will be completed over
5 the next one to two months. I think completion of all the
6 DIE work is early in the next fiscal year.

7 That's all that I have in this presentation. If
8 you would like to ask questions, please do.

9 DR. NELSON: I am sure there are many questions
10 sitting out there. I want to start off with a couple of
11 questions of my own.

12 The first thing I would like to know, as you go
13 through this design and carry it on into the VA, is there a
14 percentage of the emplacement drift lengths that you are
15 considering to be unusable because of conditions encountered
16 when you do this planning? If there a percentage or some
17 aggregate length of the tunnel that you would think you
18 would not be placing in, how did you arrive at that?

19 MR. SNELL: At this time we do not have an
20 expectation of unusable drift. I think our expectation
21 right now is, based on what we know, we will be able to use
22 all of the emplacement area.

23 DR. NELSON: So you expect 100 percent of the
24 drift to be usable for emplacement?

25 MR. SNELL: Yes.

1 DR. NELSON: How are you going to get the tunnel
2 boring machines at the end of one drift going back in and
3 making a new tunnel? Are you planning on having it turned
4 around at the end of one of the drifts?

5 MR. SNELL: The machines can be backed up; they
6 can be physically moved. You can back them out of an
7 excavation or you can turn them.

8 DR. NELSON: If you are putting in lining, you
9 can't usually back them up.

10 MR. SNELL: We have access from both sides of the
11 drift. If you are lining behind the tunnel boring, you can
12 take it all the way across.

13 DR. NELSON: And then what? You're going to march
14 it all the around and come back in this way.

15 MR. SNELL: You might. If you have to, you can
16 disassemble the machines underground and move them in
17 pieces. Are you concerned about damage to a concrete liner
18 that is already in place?

19 DR. NELSON: Because the cutter head is usually
20 full perimeter distance, you'd have to knock down the cutter
21 head if you are going to back it out or somehow go to a
22 specially designed tunnel boring machine that is a little
23 bit shorter than the ones that would normally be made so
24 that they would be turnable in the east or the west main.

25 That's fine. I'm after information in terms of

1 what has been thought of.

2 MR. SNELL: You have pretty much any option you
3 want. As I say, they can be pulled out or turned or
4 disassembled or partially disassembled if you choose.

5 DR. NELSON: Will this whole picture of the step
6 by step be part of the scenario that would be put together
7 for the VA in terms of how the whole thing would be put
8 together operations-wise? Like what you would plan to do
9 with the tunnel boring machines?

10 MR. SNELL: I think that's a reasonable thing to
11 do, yes. We hadn't gotten into that much detail in the VA
12 documentation necessarily, but I think that's probably a
13 good thing to include so that it's clear what the sequence
14 will be.

15 MR. BARRETT: Dick, I would like to make a comment
16 on that.

17 Probably not. The reason I'm saying that is we
18 have got a lot of work to do. The critical issue from our
19 perspective is the postclosure ability to do this. When it
20 comes to digging tunnels and emplacement, there are a
21 million good technical construction questions, like how do
22 you do the tunnel boring machine and do you take it around
23 on a train or do you take it apart, or whatever.

24 I believe the technology exists to be able to come
25 up with the right way to do that, whatever it is. But that

1 is not essential to determining the doability of a deep
2 geologic repository. All that is is time and money. I
3 believe good engineers will come up with how to turn tunnel
4 boring machines around and all that sort of thing, but that
5 is not central between now and the VA product.

6 I want the engineering people focused on the
7 essential, most important first items which basically is,
8 can you do it, and how good and how bad does it perform in
9 the postclosure sense? Is there any reason from a surface
10 or any preclosure issues that technology can't reasonably
11 deal with?

12 So there should not be very much in this viability
13 assessment that will address those very good questions.
14 They are excellent questions. I'd love to play engineer on
15 them, but we don't have a lot of time; we don't have excess
16 resources to do a lot of that sort of thing.

17 DR. NELSON: That's fine. I'm trying to
18 understand the scope.

19 MR. BARRETT: I'm constantly on his case: do not
20 do a lot of preclosure stuff; focus on job one, postclosure
21 and doability.

22 DR. NELSON: Let me ask if there are a couple of
23 other things that may well, in your mind, fall into the same
24 bin, which might be consideration of orientations of
25 openings or diameter of the tunnels. They would have a cost

1 impact. Will this be discussed in the context of VA?

2 MR. SNELL: It will be discussed. The current
3 basis will be. The tunnel diameters are affected by several
4 things, but the 5.5 meter diameter on the emplacement
5 drifts, for example, is a diameter that is consistent with
6 the large size waste package we have, the ability to move
7 one package over another, and it's also consistent with
8 reasonable construction machinery. I don't expect that to
9 change between now and VA.

10 Based on what we know at the moment, 5.5 meter
11 emplacement drift is a reasonable emplacement drift. I
12 won't say we close the door on any other information we get,
13 but we don't know of anything right now that would cause us
14 to change that.

15 There was a second part to your question. I'm
16 sorry.

17 DR. NELSON: Orientation of openings.

18 MR. SNELL: Right now the orientation of the
19 emplacement drifts, those openings, is roughly a
20 west-northwest orientation, and it's based on what we have
21 seen in the tendency in the rock fracturing patterns based
22 on exploratory information that we now have. The geotech
23 folks tell you would like to cross faulted areas or major
24 discontinuities head on; you don't want to get into a
25 situation where you are parallel or quartering into them, if

1 you will. They picked the orientation we now have as
2 advantageous.

3 There is some indication that the orientation of
4 the natural faulting does vary around the block. I think
5 some of the conversations I've had is that it might be
6 somewhat fan shaped, that is, more northerly trending at the
7 north part of the site and tending to be a little more
8 westerly or southerly trending as you move to the south.

9 We haven't seen that yet. If and when we do the
10 ECRB at the cross-block drift, perhaps that will tell us a
11 little bit more about those trends. It is possible, I would
12 think, that we might modify the orientation slightly on the
13 drifts. I don't think we have seen anything so far that
14 says we've got something gross in the way of a change in
15 orientation, but I'd hold an answer on that until we take a
16 look at some more data.

17 DR. NELSON: Dan Bullen.

18 DR. BULLEN: You just alluded to something that
19 sort of peaks my interest. Why are you preserving the
20 opportunity to pick a waste package over another waste
21 package for retrievability? Why do you want to do that?

22 MR. SNELL: It has some retrievability merit.
23 That's not the only reason for it, though. Retrievability
24 is one thing. We are still looking at various emplacement
25 strategies because of the different kinds of waste that we

1 have to deal with.

2 It is possible that if we go to mixtures of high
3 thermal output and low thermal output waste package, we
4 could get into a situation where we would want to insert a
5 low thermal output package between two high thermal output
6 packages in order to balance the thermal loading. It's an
7 operational consideration.

8 From a retrievability standpoint, it might be a
9 desire to retrieve a package of certain characteristics.
10 Most of the waste might be performing just the way we
11 expect. If you found something weird about some one
12 package, some particular thing that was troublesome, you
13 might want to go in and pull that one type of package. It's
14 a fairly straightforward thing to do based on the designs
15 right now. That's where we are at the moment.

16 DR. BULLEN: I guess the reason I have concern is
17 the remote handling operations for something moving into a
18 radiation field. Granted you never expect anything
19 unexpected to happen, but when it does break it's a real
20 bear to get it out. It's also very difficult to send people
21 into that type of field unless, of course, you change to
22 self-shielded packages and ventilation. Which actually
23 leads me to the next question. I'll ask it real quickly and
24 then defer.

25 MR. SNELL: One quick comment on the remoting.

1 Any remoting equipment that we put in down there we will
2 have a very definite way of removing that equipment if it
3 malfunctions. We are not going to send people down there on
4 some kind of an ad hoc basis or temporary basis that I
5 envision right now.

6 DR. BULLEN: I understand that. There is no way
7 you would send anybody to that RMA.

8 MR. SNELL: Right.

9 DR. BULLEN: Things break.

10 MR. SNELL: Yes.

11 DR. BULLEN: Are you going to have the ability to
12 pick up a waste package if you drop it off a pier?

13 MR. SNELL: If we drop it off a pier?

14 DR. BULLEN: If you break the pier and the waste
15 package is canted in the side of the tunnel, how are you
16 going to get it out? First off, you might not want to, but
17 how are you going to get it out?

18 MR. SNELL: It's an accident scenario that will be
19 evaluated. The equipment that we are looking at right now
20 is a straddle type carrier. I honestly don't know to what
21 extent our folks have looked at that specific scenario. It
22 is, I would think, a realistic kind of an operational
23 accident, and we'll have to address it.

24 DR. BULLEN: At the risk of not monopolizing you,
25 I have one more quick question with respect to ventilation.

1 The ventilation you showed us, if we decide to actively
2 ventilate throughout the entire lifetime, is the system
3 adequate to do that, or do you have to make some significant
4 modifications to it?

5 MR. SNELL: I'm giving you an answer off the top
6 of my head, but I think the ventilation flow schemes that we
7 use probably would not change dramatically. The ventilation
8 quantities that we would use may change. When you asked the
9 question, I assume you are thinking about the possibility of
10 high ventilation flow rates in all the emplacement drifts
11 for an extended period.

12 DR. BULLEN: Active ventilation while it's open,
13 exactly.

14 MR. SNELL: In that case you need lots and lots
15 more air. I mentioned that these are 600,000 cfm systems.
16 Those system capacities would go way up. We are talking
17 about more fans, larger airflows. When you look at the
18 perimeter drifts and the air supply paths, maybe you need
19 larger ducts, if you will, on the supply side where you are
20 handling larger volumes. Possibly.

21 DR. BULLEN: And more shafts on the exhaust side,
22 too, or will one shaft be enough?

23 MR. SNELL: More. In some of the extreme
24 scenarios we looked at there are as many as a half a dozen
25 shafts for air supply and exhaust because of the quantities.

1 DR. NELSON: Dick Parizek.

2 DR. PARIZEK: On the ventilator shafts, we don't
3 see any filters implied either in the intake or the outlet.
4 Will there be filters? I assume there probably would be on
5 the exhaust part of it.

6 MR. SNELL: Yes. We didn't show them, but on the
7 emplacement side we expect we are going to have a bank of
8 HEPA filters for full flow capability and pre-filter
9 systems. HEPA filters tend to load up with dust. This will
10 be a fairly clean emplacement area, but my thinking right
11 now would be that you would probably have either pre-filters
12 ahead of the HEPAs so you could change those out and keep
13 the HEPAs clean, or you might have a diversion system with
14 monitoring and change the flow path from a normal filtration
15 system to a HEPA flow if you had an accident.

16 DR. PARIZEK: On the east-west drift, if that's
17 going to be used for confirmatory testing and you may have
18 that open for ten or 15 years or more for observation, is
19 that going to be a hostile environment from the point of
20 view of temperature buildup? I don't have a sense of how
21 warm that could be. That will cross a number of emplacement
22 drifts that are already backfilled.

23 MR. SNELL: Once you get into the emplacement
24 mode, I think from a personnel standpoint -- I'm giving you
25 a guess right now; we'd need to look at some curves -- I'd

1 say, yes, high temperature. Hostile from a radiation
2 standpoint, I doubt it, because that much rock between the
3 drifts probably gives you pretty good radiation shielding.
4 But I think thermally, yes.

5 DR. NELSON: Debra.

6 DR. KNOPMAN: I have a couple questions. The
7 first has to do with the sequencing idea, that you are going
8 to start emplacing waste north and move to the south. To
9 what extent will VA address the questions of differential
10 heating that creates as you are moving down and the
11 mobilization of moisture south of where you have got waste
12 emplaced? That is, will you be creating wetter conditions
13 as you are boring these new drifts?

14 MR. SNELL: It's an interesting comment. I would
15 say the VA is going to have to address is fairly thoroughly.
16 Right now the focus is especially on humidity conditions in
17 the emplacement areas because we are looking at primary
18 performance, and humidity is a very important performance
19 indicator for the emplacement areas.

20 Influence on the development side, which I think
21 is part of what you are asking about, is something we have
22 not looked at in a lot of detail yet. I think to a degree
23 yes, but the VA is going to have to address it because it's
24 a reasonable question to ask. We have to deal with that as
25 an operating environment on the emplacement side.

1 DR. KNOPMAN: If it's okay to do the east-west
2 crossing above the repository horizon, would it also be okay
3 to have the main exhaust drift above rather than below? Can
4 you explain why the exhaust drift is below?

5 MR. SNELL: It was considered as an option that we
6 put the exhaust drift either above or below the horizon.
7 One of the reasons that we put it below was that the
8 expectation was that we were going to have more than one
9 performance confirmation drift. We expected the PC drifts
10 to be above, or at least desired to have them above the
11 working horizons rather than have an interference problem
12 with them. That was part of the reason for selecting a
13 ventilation drift below the working horizon.

14 DR. KNOPMAN: To what extent do you lose
15 efficiency in your ventilating system by having your exhaust
16 go up, the heat source?

17 MR. SNELL: There will be a full explanation of
18 the ventilation system and why we have selected the system
19 that we have. That will be in the VA. I think it needs to
20 be there.

21 DR. KNOPMAN: You said the drain slope will go
22 from south to north?

23 MR. SNELL: Yes.

24 DR. KNOPMAN: Why is that?

25 MR. SNELL: That's the trending that we see in the

1 natural setting. If we do get water in the emplacement
2 system, we would like to drain it that way. We need some
3 drainage. I think the natural setting gives us a west to
4 east and a south to north. We are in the footprint. When
5 you get outside the repository footprint, the drainage
6 patterns do change. I think you've seen some maps that show
7 you that you get a southeasterly move on drainage and then
8 gradually it moves over to a southwesterly move, but within
9 the footprint it tends to be easterly and somewhat north.

10 DR. NELSON: Alberto.

11 DR. SAGUES: This is an elaboration on what Dr.
12 Parizek indicated. Has anyone checked on the possibility of
13 organic matters or biological matters brought in through the
14 air circulation system? I understand it's about ten year or
15 15 years that this will be blowing at the 600,000 cfm.

16 MR. SNELL: You're talking about organics?

17 DR. SAGUES: Right.

18 MR. SNELL: With regard to performance of the
19 ventilation system itself or just the presence of organics
20 in the repository?

21 DR. SAGUES: The presence of organics in the
22 repository.

23 MR. SNELL: That's an interesting question. I
24 really don't. Organics is a major concern for the design
25 part of the determination of importance work, the DIE work

1 that I referred to earlier. One of the concerns there is
2 organics and avoiding organics.

3 To what extent they have looked at organics that
4 would be ingested, if you will, and carried underneath, I
5 don't know. Steve mentioned that Peter Hastings, who leads
6 our DIE work, is here, and later on when we get back into
7 the ECRB it might be a good question.

8 CHAIRMAN COHON: Your slide number 4 was entitled
9 Controlling Design Assumptions/Decision Process. I couldn't
10 glean from that anything about the decision process. Could
11 you say something about the decision process?

12 [Slide.]

13 MR. SNELL: I'll come back to this slide. As it
14 turns out, the decision process for the footprint of the
15 repository for this location is fairly straightforward. The
16 ground rules that we have been given tend to give us a
17 pretty good definition on the footprint. The decision
18 process, I would say from a design standpoint, was as
19 follows.

20 [Slide.]

21 MR. SNELL: These are indeed factors that
22 influence the design. The geologic setting and the
23 footprint that we have comes from many of the siting
24 considerations.

25 Maybe I should talk a little bit more about these.

1 Good question.

2 Areal thermal loading is still under evaluation.
3 Initially we looked at a range of thermal loads, and you
4 will hear more about this later.

5 Anything from zero up to 100 metric tons of
6 material was where we started. We have ruled out pretty
7 much anything over 85 MTU per acre because of temperature
8 limitations on the rock and temperature limitations if we
9 want to preserve the zeolites underneath the repository host
10 horizon. But 85 looks to be a practical number. You could
11 go a little bit beyond that, but not much. Anything below
12 85 is feasible, it would seem.

13 We are doing comparisons now on which of the
14 thermal loading seems to be most attractive. Zero would be
15 perfect. That's no insult to the environment at all; 85
16 seems to be right near the desired upper boundary; the range
17 of particular interest is 25 to 85, and we are still looking
18 at it.

19 The reason we are still looking is that the areal
20 thermal loading is very sensitive to several factors: how
21 much water do you have? How much heat is released? How
22 rapidly and to what degree do you drive off the moisture
23 that is already present in the rock? How soon does it
24 return? Those are all considerations in that selection.
25 That's still under evaluation.

1 CHAIRMAN COHON: That's useful to hear.

2 Let me focus this, because I don't want to make
3 you rehearse every one of these items.

4 Other than geologic setting, every other item on
5 that list is basically not really set. There are ranges,
6 and you just discussed the thermal loading. This is true
7 for everything else. The physical package is subject to
8 design decisions, et cetera, et cetera, et cetera. What I
9 am interested in is the process you are following and will
10 be following to integrate among all of these different
11 considerations.

12 I do mean process. I don't mean the substance of
13 it. How do you do it day to day?

14 MR. SNELL: The performance assessment work is the
15 integrating tool for all that we are doing, because the
16 performance assessment models are going to portray the
17 performance of the repository. If we are going to present a
18 case for why it works, how well it works, how sensitive it
19 is to different things, it's the performance assessment
20 results that have to convey that message.

21 The performance assessment work incorporates the
22 various design features that we produce and it incorporates
23 the scientific data which has been collected in the site
24 characterization program.

25 The process that we are using is that PA is the

1 focal point for our work. Our design people work actively
2 with the performance assessment people in developing and
3 exercising the model that describes the performance for the
4 mountain. That's the only way that PA can correctly portray
5 the design.

6 We work with them on such things as what's the
7 corrosion behavior of waste package materials; what kind of
8 waste degradation behavior do we get from the spent fuel
9 forms that we are dealing with; how can you move waste forms
10 out of the waste package through pinhole leaks or breaches
11 or whatever; how can you get it out and into the near-field
12 environment; how does it behave going through the invert.
13 We help them in constructing and exercising those models.

14 The scientific people do the same on their side:
15 how much water is there out there in the natural
16 environment; how does it move; is it forced off by heat, and
17 so forth. They help PA in constructing models in the same
18 way.

19 So the process is PA is the backbone for the
20 evaluation effort and the process is that PA, which is an
21 evolving or an iterative function, is getting better and
22 better. That's how we are converging on our design.

23 We have agreed with PA that at the end of fiscal
24 year 1997, the end of September, we told the PA folks we
25 will give them a set of design parameters that represent our

1 design as we understand it now.

2 We are currently undergoing a review of
3 essentially every aspect of our design that has a bearing on
4 waste isolation performance. That's underway now. We said
5 by November 15, approximately, we are going to get back with
6 PA -- we work with them every day, but formally. That's all
7 documented, by the way -- by the 15th we will get back with
8 them and say, is there anything after review of every one of
9 these aspects that drive performance, is there anything
10 there that we think we need to change or modify. We'll hand
11 that off to PA, and then they can begin their formal
12 evaluation of the TSPA-VA item.

13 Science is in the process of doing the same kind
14 of thing. PA has agreed that by the end of February or
15 early March they will be able to accept some modifications
16 of inputs that we have given them in November. In other
17 words, they can tweak the models, if you will; they can take
18 reasonable modifications.

19 If we come back to them with something that says,
20 oh gosh, we just changed the waste package drastically, or
21 the drifts got three times as big, or we changed the
22 repository model, or something, that they couldn't very well
23 deal with. But we are confident enough right now in what we
24 have that the information we give them at this time is
25 fundamentally correct, and we expect, like I say, within a

1 couple of weeks now, three weeks, to give them a near-term
2 update. They will use that as the basis for what they carry
3 forward for PA models. In March we will give them any
4 adjustments, corrections that we think we might want, and
5 then they will go ahead and produce the VA product.

6 CHAIRMAN COHON: Thanks.

7 MR. BARRETT: Under the system we have in place,
8 the design is controlled. Other than the first one, they
9 are controlled in the design package that will be supporting
10 the VA. They will have what the design is, what its basis
11 is, and the bases for why we chose those. As things change
12 we have the control board. They go to various boards. An
13 engineer within TRW will decided minor things, and it will
14 go on up the line. When they want to add billion dollar
15 concrete liners, it comes to my office.

16 There is a whole hierarchy of people who have
17 authority. People look at it and look at the cost
18 implications, the performance implications, the
19 constructibility, and all the various disciplines with
20 appropriate qualified people look at it, sign off on it,
21 document it in the QA space so successors can go and look
22 and see why did you do what did kind of thing. There is a
23 process and it is all written and documented.

24 CHAIRMAN COHON: That's good. To me the two key
25 aspects among many are, one, the connection to TSPA, which

1 you have explained well, and the other is making sure all of
2 these issues come together in one place, and they seem to,
3 so that you are seeing the tradeoffs and you are able to
4 analyze the tradeoffs between the different components.

5 MR. BARRETT: He controls the design as the
6 engineering lead person at TRW. He signs them off.

7 DR. NELSON: Let me ask one question, interjecting
8 while you have that slide up. What do you interpret the
9 retrievability requirements to be?

10 MR. SNELL: In brief, there are a few
11 retrievability issues that are mentioned in the law, in the
12 Nuclear Waste Policy Act, and there are some that are in 10
13 CFR 60, and there are some additional retrievability issues
14 that are embodied in the program plan. We have collected
15 all those into a set of requirements that are internally
16 assembled, if you will. We have extracted what we have seen
17 that relates to retrievability out of all those things.

18 There is a CRD document, which is a programmatic
19 level requirements document, and we have repository
20 requirements document and a control design assumptions
21 document, all part of what Lake was talking about in terms
22 of controlling design.

23 So whatever we have collected out of those sources
24 we have incorporated into either the control design
25 assumptions, which is under M&O control, or under the RD,

1 the requirements documents, which is the DOE control. We
2 put them in there and then we proceeded to design to those.
3 We tried not to overly constrain ourselves. Requirements
4 are literally that. If the law says you must have a
5 provision for this or that on retrievability, we put it in.
6 If 10 CFR 60 says you must be able to do this from a
7 retrievability standpoint, we put it in.

8 Anything else that represents an extension of
9 those stated requirements we would put in what we call the
10 control design assumptions document. That's an internal
11 control that we choose to impose, but it is changeable; it's
12 under program control.

13 The true requirements on retrievability are quite
14 limited, actually. There are two, three, four or five broad
15 statements about you must be able to retrieve waste, what
16 reasons you want to retrieve, and there are only two, I
17 think, that are formally stated, and that's resource
18 recovery and performance problems.

19 Those are very limited. Like I say, we have
20 collected them, put them under our requirements documents
21 where they are literally requirements that are mandated by
22 law or by regulation.

23 DR. NELSON: Debra.

24 DR. KNOPMAN: Following up on Jerry's question
25 about process of integration, to what extent will VA

1 actually incorporate tradeoff curves? In this idea of
2 transparency so that readers can understand why decisions at
3 least to date have been made the way they have, will you
4 actually have some curves that will show cost versus some
5 continuum of, let's say, engineered barriers or some of the
6 other variables, knobs you have to turn in various waste
7 package design.

8 MR. SNELL: Curves and tables. For us to design
9 the facility properly, as was mentioned earlier -- Steve had
10 it on one of his charts -- it's performance driven design.
11 If you can't make the repository do the waste isolation job
12 that it's supposed to do and demonstrate it with PA, then
13 nothing else matters. It has to be successful in that
14 regard.

15 What I expect of the VA is, first of all, a set of
16 performance curves that will be in PA and we'll probably
17 have them in our design documentation as well that portray
18 the design as we present it for VA. Then are going to be a
19 several options that we will carry forward in reasonable
20 detail. I would expect that we will have probably
21 performance curves that depict how those options would
22 influence the performance of the repository.

23 In tabular form, I would expect we will have cost
24 data and other technical data on those options so that one
25 can understand what they are, what those features are, what

1 the performance implications are for them, and how much are
2 they worth. As Lake said, the level of detail may not be
3 precisely the same as what is in the VA design, but it is
4 going to be adequate to understand them, understand their
5 performance, and have a pretty good basis for recognizing
6 what the cost implications are if you choose to exercise the
7 option.

8 MR. BARRETT: The four sub-products within the VA
9 will basically describe the reference design and be a
10 summary of the design packages, which will be hundreds of
11 TRW deliverables and will some degree talk about some
12 options. Like the backfill we mentioned; the major options.

13 Beneath the four VA products are nominally a
14 million pages of TRW and laboratory deliverables:
15 scientific analysis of an experiment; or some of Larry
16 Hayes' reports from USGS; engineering studies. In many of
17 those engineering studies you will find parametrics, what if
18 this, what if that, and a conclusion.

19 The actual design package section in the VA may
20 not have it. The underlying will have it. We are going to
21 great pains to try to have all of these reports, of which
22 there will be hundreds, available to everybody as part of
23 the technical and scientific feeds into the four VA
24 products. The four VA products themselves may be less than
25 1,000 pages. I hope they are.

1 For example, there is a study that we did about
2 small waste packages. I know the Board had asked for copies
3 of that. That included the pros of cons of small versus
4 large and what the history was. That's in the suite of
5 documents that were feeds. You will find some things we
6 did, some things we didn't do, some options we kept open,
7 and some options we will study later that we haven't even
8 thought of yet, or somebody hasn't thought of them yet.

9 So you will find that in the companion documents
10 to the VA, which is sort of the basement of all the
11 scientific reports that feed the four VA products, there
12 should be a lot of those kinds of things. I doubt there
13 will be a lot of those parametric tradeoff things in the
14 four VA documents themselves, but they will all be together.
15 A lot of this we are still working out to try to make it
16 understandable but not be a million pages, a truck full of
17 books.

18 CHAIRMAN COHON: I can't help pointing out we are
19 going from about one million pages to 1,000 to the one page
20 memo to Congress.

21 [Laughter.]

22 CHAIRMAN COHON: I have some short questions which
23 I think have very short answers. It just shows that there
24 are things I just don't know that I need to.

25 What are the assumptions on worker exposure in

1 that phase development and emplacement procedure?

2 MR. SNELL: On the emplacement side and in active
3 radiation areas there are a set of formal guidelines that
4 are imposed both by Code of Federal Regulations and by DOE
5 orders. We will satisfy the normal operational requirements
6 in terms of radiation exposure for 40 hours a week for
7 normal workers.

8 CHAIRMAN COHON: Why do you need standby drifts?

9 MR. SNELL: Standby drifts are there for
10 unexpected or unencountered conditions. They may help us on
11 that mix and match of waste that I was talking about. We
12 might find operationally that we put a package in and they
13 look at the areal loading that they are trying to match and
14 decide that another package maybe should go in. They'll
15 back one out and put another one in.

16 CHAIRMAN COHON: Rather than having to take it all
17 the out, you can just store it in a standby?

18 MR. SNELL: Yes. You can sort of put it on hold
19 and then put it back in.

20 CHAIRMAN COHON: A final one. The answer should
21 be yes or no, I think. We'll see.

22 MR. SNELL: Thank you for the guidance.

23 CHAIRMAN COHON: Is the following characterization
24 a fair characterization, that the ECRB geometry was chosen
25 because of the interest in understanding north-south

1 variation as well as east-west variation? I'm just
2 repeating what you said.

3 MR. SNELL: My answer is yes.

4 CHAIRMAN COHON: I'm not done with the question.

5 MR. SNELL: Sorry.

6 [Laughter.]

7 CHAIRMAN COHON: If the interests are only
8 east-west, one could have dug an east-west drift that
9 coincided exactly with the future emplacement drift, should
10 there be one.

11 MR. SNELL: That's true.

12 CHAIRMAN COHON: But it's because of the interest
13 in the north-south variation as well that we now have the
14 ECRB displaced above the repository level.

15 MR. SNELL: Above and moving diagonally across.

16 CHAIRMAN COHON: It's because it's moving in this
17 diagonal fashion that it must be above so as to minimize
18 interference with the repository itself. If we were only
19 interested in east-west variation, we could have just gone
20 right through the repository block; we could have dug an
21 emplacement drift.

22 MR. SNELL: That's true. I believe that's a
23 correct statement, that it's an interest in north-south as
24 well as east-west. There are other who have more
25 background, but that's my understanding.

1 CHAIRMAN COHON: Thank you.

2 MR. BARRETT: I would add one thing. If they
3 would have come to me and said, I want to dig an east-west
4 drift for exploration and it's down looking like what an
5 emplacement drift would have been at the bottom, I would
6 have had a say about that.

7 I'm not sure what I would have said, but I'll tell
8 you what weighed heavily on my mind -- Lyons, Kansas. We
9 think we know a lot about engineering; we think we know as
10 lot about design; we don't know what it's finally going to
11 be. We can approximate it and say technology and
12 engineering can do it, but there is a lot we don't know yet
13 as far as detailed designs. Before we go into the block I
14 want to be darn sure we are right before we go ahead. I
15 don't think we are there yet. So I would hesitate going
16 into that block until I knew a lot more about it, until
17 there was more uncertainty resolved.

18 DR. NELSON: Do any of the consultants have any
19 questions?

20 MR. KUHN: My question goes along the same line.
21 The footprint of your repository is very schematic and very
22 homogeneous. How are you sure that the detailed geology is
23 as homogeneous as was supposed? You haven't talked about in
24 pre-investigation using any boreholes or geophysical tools.
25 Is this foreseen or not?

1 MR. SNELL: There were a substantial number of
2 pre-investigations. There is borehole data that has been
3 collected over several years in the site characterization
4 programs.

5 I missed the point of your question. Would you
6 restate?

7 MR. KUHN: That's not the point of my question.
8 The question is about a detailed pre-investigation of the
9 block which is foreseen to be used for the repository
10 construction for the drifts.

11 MR. SNELL: I'm probably not the right guy to
12 answer the question.

13 Larry.

14 MR. HAYES: Larry Hayes, M&O.

15 In addition to the east-west drift that will give
16 us information not only in an east-west but also a
17 north-south, we also will get information about the entire
18 vertical sequence of rock that we expect to encounter in the
19 emplacement areas. That we don't have now. With the
20 exploratory studies facility we sort of went along one part
21 of the potential repository block. The east-west drift will
22 give us information in the entire vertical.

23 Additionally, we are drilling three boreholes:
24 SD-13, which will give us information in the entire vertical
25 up to the north part of the block; SD-6, which is on the

1 central western side.

2 [Slide.]

3 MR. BARRETT: Larry, we put a viewgraph up for
4 you.

5 MR. HAYES: Good. You can see SD-6 on the central
6 western side. That will give us vertical information as
7 part of the ECRB. Then SD-11, which will give us
8 information on the southern western part of the block where
9 we lack information. Those three boreholes are very
10 important to the question you asked, getting vertical
11 variability as well as horizontal variability.

12 Before we drill these boreholes -- we are in the
13 process of doing it now -- we have our 3D geologic framework
14 model that was constructed on all the geologic information
15 we have, and we will predict what we expect to encounter in
16 the boreholes. That will help us not only validate our
17 model but also improve our model.

18 So I think by the time Dick is ready to construct
19 emplacement drifts we should have a pretty good handle on
20 what you are asking.

21 MR. BROCOUM: Let me make one comment. We would
22 have liked to have done SD-11 and SD-13 this fiscal year.
23 We already are drilling WT-24. We are ready to start SD-6.
24 Then we could have moved on the other two. But our budget
25 constraints had us defer those two holes.

1 The other comment I want to make about SD-11 and
2 SD-13. When we had that three month team planning the
3 enhanced characterization, the value of SD-11 and the value
4 of SD-13 in that team's opinion equalled the valued of the
5 east-west drift.

6 MR. SNELL: I would like to make one other comment
7 in response to that question. Any time you do mining or
8 underground work you are going to get surprises. Priscilla
9 asked a question earlier that relates to this, about do you
10 expect to use 100 percent of the available space. I
11 remarked that we do have probably 10 to 20 percent of
12 surplus available area in the footprint.

13 I would be really surprised if we didn't get
14 surprised somewhere in the underground development. Nature
15 does that to you. I fully expect that as they go through
16 the exploration and development of the underground they are
17 going to find places where we can't do what we expected to
18 do, and we're going to have to perhaps abandon a drift or
19 modify the details of the drift design locally or do
20 something else in order to respond to that condition. I
21 think that's going to happen.

22 I suppose I have oversimplified the response. I
23 would just say that I think we have enough area available to
24 us so that we can respond to those kinds of problems, and I
25 do believe they are going to occur.

1 I would say that from the information we have
2 scientifically so far we haven't seen huge variability in
3 the features. We have gotten fairly consistent kinds of
4 data. You don't see abrupt sort of changes in the footprint
5 that we are working with right now. The combination of what
6 seems to be reasonable gradations in character of the
7 stratigraphy that we are in and having the extra available
8 space gives reasonable confidence that we can go ahead with
9 a development that is going to look like this.

10 DR. NELSON: Thank you.

11 To finish out the session, we are going to let
12 George Danko ask a question. Then we will finish off with
13 Richard Parizek, and that will close the session.

14 MR. DANKO: I would like to ask you a question
15 about the number of shafts which may be needed to increase
16 the ventilation air volume and keep the repository maybe
17 accessible for the full period of the closure. You
18 mentioned about a half a dozen shafts which may be needed.
19 I would like to ask you if it is really a problem or whether
20 DOE considers that having more shafts and being able to
21 sequence the repository would be a benefit instead of a
22 liability.

23 MR. SNELL: Several comments. First of all, I
24 said six. I think the number I've heard is from four to
25 six, depending on how you design the system. We are

1 currently doing evaluations of the relative benefits of
2 continued ventilation. I think we've had questions along
3 those lines from several people, and we are doing some of
4 that work now. I expect we will have some answers fairly
5 quickly. We are looking at both ventilation for shorter
6 terms and for longer durations. What we are looking for
7 especially are things that would help us with waste
8 isolation performance, a long-term benefit, if you will.

9 So the answer on what the value is of that, in our
10 minds anyway, is still under investigation.

11 So far I do not know of any reason why adding more
12 shafts would necessarily be a problem. I don't think that
13 there is some physical constraint or geological condition or
14 something like that that would prove a problem. They do
15 cost money.

16 MR. BROCOUM: Dick, there is a preference in 60 to
17 minimize the number of openings.

18 MR. DANKO: But it is not necessarily a dogma
19 which is carve din stone?

20 MR. SNELL: They would ask you to justify it.

21 MR. BARRETT: As a basic principle, you would like
22 not to put more holes into where you are putting the waste
23 than you need to. If it's better to have good ventilation,
24 it's a tradeoff of competing goods, and we'll have to
25 balance that. There is a consideration about putting extra

1 holes and pathways into where you are going to put in
2 material. Can you do it? Yes, you could, and you must
3 properly trade it off, and Dick is doing those tradeoffs.

4 DR. NELSON: Carl Peterson.

5 MR. PETERSON: This is a question kind of on
6 design philosophy. Priscilla ask a question about what's
7 the meaning of retrievability, and the answer was kind of
8 it's a legal requirement. That's the easy part. If
9 something has to be retrieved, the likely reason is
10 something is going wrong, and it probably isn't going wrong
11 in isolation; everything around it is deteriorating. It
12 seems to me this could influence the entire design, the
13 simplicity of the design and the choice of materials and all
14 that. I hope that is in the process not just with that
15 issue but with the whole issue of the long-term state of the
16 repository.

17 MR. SNELL: It is. You'll hear more about the
18 performance confirmation program. I think that is one area
19 where probably some choices have yet to be made in terms of
20 how long do you want to run a performance confirmation
21 program and what might you do with the results that you get
22 from such a program.

23 Retrievability -- there are some must-dos that the
24 regs and the law prescribe. We have to satisfy that. The
25 extent to which you want to extend those capabilities is

1 something I think that still has to be discussed. We
2 haven't slammed the door on those kind of things.

3 MR. PETERSON: I think even the must-dos require
4 some careful thought in the basic design. I'm sure you
5 agree.

6 MR. SNELL: They do indeed.

7 DR. NELSON: Last question to close it out.

8 DR. PARIZEK: There was a question about the three
9 boreholes. I'm not familiar with what is planned in each of
10 those. They could be very useful, as was implied by the
11 response, or not so useful. The stratigraphy of the rock,
12 is it water contents and isotopes and pneumatic tests, and
13 so on?

14 MR. SNELL: I don't have the specific details on
15 those boreholes. Larry may have those in his head.

16 MR. HAYES: The answer is yes to all your
17 questions. The boreholes will provide information on
18 geology, mineralogy, hydrology, isotopes, the whole thing.

19 DR. PARIZEK: Does the Board have a study planned
20 for that drilling program?

21 MR. HAYES: We certainly have detailed plans on
22 the boring program that we could get to you if you would
23 like.

24 DR. NELSON: I thank you very much, Dick.

25 MR. SNELL: My pleasure.

1 DR. NELSON: And Steve and Lake for your
2 contributions this morning.

3 We will adjourn the session now to reconvene at
4 1:15. We have a full session this afternoon. Thank you.

5 [Whereupon, at 12:10 p.m., the meeting was
6 recessed, to reconvene at 1:15 p.m., this same day.]
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

[1:25 p.m.]

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. NELSON: Welcome back.

Again, my name is Priscilla Nelson and I am coordinating the presentations for the first part of this afternoon. Following a break at about 20 after 3 or 25 after 3, I will turn the control over to John Arendt, who will run the rest of the afternoon sessions.

It is my pleasure to introduce to you three presentations that will present to the Board information on repository thermal management, engineered barrier systems, and the alternative repository concepts.

Our first speaker this afternoon is Jim Blink with the M&O. He's out of Lawrence Livermore National Laboratory, and he will be speaking on the status of the thinking in repository thermal management.

MR. BLINK: I guess I have ten seconds left in the talk. I have 15 minutes to speak and we are 14:50 behind.

DR. NELSON: I know you are eloquent, but let's not push it.

[Slide.]

MR. BLINK: What I am going to go through today are:

What are our thermal goals, how have we in this design process put together some limits for ourselves, how

1 are we doing on meeting those limits

2 Extending that picture from individual component
3 limits to the overall performance of the entire mine
4 geologic disposal system to the bottom line.

5 Some words about how ventilation might affect
6 thermal behavior.

7 Finally, something in response to what Jack Bailey
8 is going to talk to about later. Jack is going to show you
9 four design options that we are carrying for the VA.

10 One is cladding credit. The other three all
11 influence the performance of the cladding, but that's not
12 the reason they are in there. They are backfill, drip
13 shields and a ceramic coating on the waste package.

14 In each case those do something for a component in
15 the EBS but they also increase the temperature of the
16 cladding, which is a negative effect. So I am going to show
17 you some means to counteract that negative effect on the
18 cladding, some means other than those three options, and
19 then finally a quick summary.

20 [Slide.]

21 MR. BLINK: Here are our assumptions, our
22 requirements, our goals, or what have you.

23 The first one is we are going to have a high range
24 of thermal loading, 80 to 100 MTU per acre. That's our
25 reference design assumption. The reason for that is that

1 level of thermal loading will accommodate the 70,000 metric
2 tons that are in the law, the Nuclear Waste Policy Act, in
3 the area that we are characterizing. It's predicted to have
4 an acceptable performance, and finally, the higher the
5 thermal load in general the lower the cost and the smaller
6 the footprint.

7 Since we really don't know if, for example, the
8 acceptable performance is true or not, there is an
9 uncertainty on that, for risk mitigation we are going to
10 carry some alternative thermal loads, at least from the
11 viewpoint of doing conceptual work on them.

12 We are actively considering thermal loads down in
13 the lower end, 25 to 36 MTU per acre, in many of our various
14 studies. I guess I would advocate looking at a higher level
15 as well, although we are doing that to a much lower degree.
16 I will get back to that a little bit later.

17 This is documented in our controlled design
18 assumptions document, which is where we collect the things
19 that are in the higher level requirements documents plus add
20 our assumptions, and it's key assumption 19. In all the
21 rest of these charts I have abbreviated it CDA.

22 The second thermal goal that we have set for
23 ourselves is what we call point loading. That is, we decide
24 to space our waste packages based on the metric tons of
25 uranium equivalent that is in each one.

1 Point loading is a misnomer. Point loading would
2 really mean that each waste package is an individual
3 isolated heat source and the heat effects don't overlap. We
4 are not that far apart. So point loading is the other
5 extreme from line loading where the waste packages are right
6 up end to end. We are actually somewhere in the middle
7 there, but we do tend to call that point loading.

8 For this one the defense high level waste packages
9 are assumed to have no metric tons of uranium equivalent in
10 them and we just insert them in the spaces between the
11 larger commercial packages.

12 If we do this within the areal mass loading
13 constraint above and the temperature limit constraints I
14 will show you in a minute, if we do the point loading, then
15 we maximize the drift spacing and we minimize the waste
16 package spacing, and that reduces costs.

17 [Slide.]

18 MR. BLINK: What are those temperature limits?
19 Here is one, the zeolites. Zeolites are minerals that are
20 below the repository horizon and at the horizon as well that
21 sorb some of our radionuclides. In order to get a
22 reasonable amount of sorption from those zeolites, we have
23 set a limit of 90 degrees C and we imposed that limit on all
24 areas that are more than 170 meters below the repository
25 horizon.

1 That sets the areal mass loading. If you do a
2 conduction-only calculation, you get a number of 85 MTU per
3 acre, and that is our reference case right now. That's
4 embodied in the CDA design concepts subsurface assumption
5 number 25.

6 The second temperature limit is the drift wall
7 temperature. We have set that at 200 degrees C, which is a
8 nice round number. For the reference drift diameter, that
9 sets the drift spacing to 28 meters and consequently sets
10 the waste package spacing.

11 The rationale for this is we want to limit the
12 thermal stress in the near field. That's really an input to
13 the subsurface designers. We could have a higher thermal
14 stress and they would just have to use more engineering
15 means to accommodate it.

16 The reason that we picked that 200 is up around
17 the 225 to 230 range cristobalite, which is up to 50 percent
18 of the rock, has a phase change that causes it to swell. So
19 we are trying to stay well below that phase change.

20 There is another mineral, tritomite, that has a
21 phase change at lower temperatures, but it's not nearly as
22 extensive a component.

23 [Slide.]

24 MR. BLINK: The third major temperature limit is
25 the cladding. We have set a limit on that of 350 degrees C.

1 The reason for that is cladding can give us one to
2 two orders of magnitude improvement in our bottom line
3 performance, that is, the peak dose rate at the accessible
4 environment. So it's important to look at that. Right now
5 we don't take credit for it in our performance assessments
6 other than in our sensitivity cases.

7 The reason you get the one to two orders of
8 magnitude is intact Zircalloy cladding is 98 percent or more
9 of the received waste. The inventory is projected to have a
10 tenth of a percent failed Zirc cladding when we get it, and
11 that is based on what failed in the early days plus the
12 current kind of failure rates, which are very, very low, and
13 a little bit over one percent of the cladding is stainless
14 steel cladding, and we expect that would probably fail in
15 the repository environment, although there may be some
16 performance to be had from that. If you just take the
17 intact cladding, you get 98 percent, which is almost two
18 orders of magnitude.

19 The intact Zircalloy cladding is very resistant to
20 corrosion. So it would limit the radionuclide mobilization.

21 To get that mobilization you have to have to
22 independent failures.

23 The first one is you have to have enough internal
24 pressure in that cladding due to the temperature that the
25 fission gases and the cover gas in the fuel pin make enough

1 of a pressure that the pin creeps and eventually perforates.
2 When it perforates you end up with about a 10 micron pinhole
3 in it, which relieves the internal pressure, and after that
4 you have no further problems.

5 If the second failure happens, that is the waste
6 package breaches so you lose the inner gas that is in the
7 waste package and replace it with whatever gas is in the
8 drift, if there is free oxygen in that gas, that free oxygen
9 can go through that pinhole and start to oxidize the UO₂ to
10 a higher oxidation state. The U₃O₈ swells significantly
11 from UO₂ and causes cladding gap or pinhole to spread, and
12 it literally unzips and gets a longitudinal split in it up
13 its length.

14 Furthermore, that expansion of the UO₂ increases
15 its surface area by a lot so that it would dissolve faster
16 if water came. The only time that that can happen is within
17 the first 150 years, because after that the temperature is
18 below 200 degrees C and the oxidation process is much slower
19 below 200 degrees C.

20 So we have to have these two independent failures
21 in order to lose the cladding. We are pursuing now as to
22 whether that can happen.

23 [Slide.]

24 MR. BLINK: There are four other temperature
25 limits that have. I won't go through them in detail. You

1 can just look at them up here:

2 Temperature limits in the shafts and ramps.

3 In the main drifts.

4 In the Paint Brush tuff non-welded unit above the
5 repository horizon. That one is so we don't have further
6 fracturing up there creating more fast paths.

7 Finally, the surface temperature rise of 2 degrees
8 C, which is an ecology type of limit.

9 [Slide.]

10 MR. BLINK: So how are we doing at these meeting
11 these goals?

12 I have shown here the three limits that I
13 discussed earlier: the cladding as a horizontal line; the
14 drift wall, the 200 degrees C; and the zeolite, the 90
15 degree C.

16 Then the curved lines underneath show the
17 performance of the reference design. Actually it's a
18 calculation similar to the reference design. This is a
19 thermal hydrology calculation and it was for a slightly
20 earlier design that had a closer drift spacing, but it's
21 good enough for this purpose.

22 The green is the margin that we have to each of
23 those limits, and the margin is a reasonable margin.

24 For cladding I have shown you two. One is for the
25 hottest package and the other is for the average package.

1 But those three limits really aren't the bottom
2 line; the bottom line is the peak dose at the accessible
3 environment. So how do you deal with that?

4 [Slide.]

5 MR. BLINK: Well, we can't tell you with numbers
6 right now. Our models are not sophisticated enough to get
7 at that, but that's what we are working at in TSPA-VA.

8 What I have done here is given you a notional
9 plot. Please remember it's notional. There is no scale on
10 the y axis. I don't even say whether it's log or linear.

11 I show you the areal mass loading on the x axis.
12 Let's just start out over here. At zero areal mass loading,
13 that is, you take the 70,000 tons and you spread it out in a
14 huge repository underground, no well downstream will see
15 enough of the source to get much dose. Basically the source
16 is diluted. So you would have none.

17 As you start bringing the repository footprint
18 smaller and smaller you get more and more source term and
19 you get more and more heat. The heat accelerates the
20 failure of the waste packages and accelerates the
21 mobilization of the radionuclides, and so it keeps climbing.

22 Eventually the heat starts to do you some good.
23 Eventually you have enough heat that you can drive the water
24 away from the near-field rock, and since water is the thing
25 that causes the waste packages to fail and mobilizes the

1 waste, if we can get rid of it, that should give us some
2 performance. So the performance starts getting better as we
3 heat it up.

4 I've shown here the three limits that we have set
5 for ourselves in those three components, and I claim that
6 the performance probably gets better as you go beyond that,
7 although we don't have enough calculations to really
8 demonstrate it.

9 Eventually, however, you are going to get to the
10 point where the heat and the free oxygen is going to cause
11 some of those early waste package failures to breach the
12 cladding; you are going to cause the zeolites down below to
13 overheat and dehydrate and evolve to another mineral that is
14 not sorptive; and you will even start to put a lot of cracks
15 in the near-field rock.

16 Eventually the performance will turn around and
17 start getting worse and it will get worse and worse as you
18 add heat until finally it levels out at some intrinsic value
19 that is limited by things like solubility of radionuclides,
20 percolation flux, and dilution in the saturated zone, all
21 things that are sort of far away from your EBS design.

22 We would like to in this project put numbers on
23 this graph and do it right, and that is one of the goals of
24 PA and of the organization that I'm in, part of engineering
25 called design basis models.

1 [Slide.]

2 MR. BLINK: How do we get at that? We have to go
3 step by step.

4 The first step is to look at the temperature on
5 the waste package, because the temperature on the waste
6 package is one of the key inputs to the waste package
7 survivability, its life.

8 This is from the same calculation. I showed the
9 hottest average and the coldest waste packages as a function
10 of time what the temperatures are. I don't have any limit
11 lines or green areas of margin because we have no limit
12 except for the waste package yet.

13 [Slide.]

14 MR. BLINK: At boiling you have one atmosphere of
15 water vapor pressure. If you go above boiling, the
16 saturated water vapor pressure is above an atmosphere. But
17 we can only have one atmosphere of pressure in the drift
18 because the drift is connected to the fractures in the
19 mountain and eventually to the outside world. So that means
20 that we have less water vapor in that drift than could be
21 there thermodynamically. It means the humidity drops.

22 What happens with the heat is we drop the relative
23 humidity down below 50 percent for centuries. By the way,
24 that implies that all of the gas that is in the drift is
25 water vapor, that you have excluded the air by pushing it

1 away with the water vapor.

2 Low humidity gives us low corrosion. So that's a
3 good thing. Well, how can we put that together into a
4 performance calculation?

5 [Slide.]

6 MR. BLINK: This chart is a little complicated.
7 So I will take a minute or two to go through it.

8 What I have done is cross plotted the previous two
9 graphs, the humidity on the side and the surface temperature
10 across the bottom. First let's look at the green and the
11 white and the red regions to define the corrosion windows of
12 susceptibility.

13 For the outer barrier, the corrosion allowance
14 material, it fails by humid air corrosion, and humidities as
15 low as 50 percent could cause humid air corrosion if you
16 have salts on the waste package.

17 How could you get salt on the waste package? If
18 water seeps and drips into the drift and lands on the
19 package and then boils off, it leaves behind any salt that
20 was dissolved in it. If we have that situation, we could
21 have humidities this low causing this corrosion. If you
22 don't have that situation because you have something in
23 between like a drip shield, then maybe the limit is in the
24 80 percent range.

25 I have shown a slanted line here up to room

1 temperature, 25 degrees C, at 100 percent humidity. By the
2 way, our ambient condition is about 26 degrees C and 98
3 percent humidity. I have shown that slanted line because
4 lab tests have shown that we can have humid air corrosion
5 down to room temperature, and it's slanted because we think
6 the corrosion is faster at the higher temperature than the
7 lower, but that slant is just notional.

8 I have got a slant on this side as well, because
9 at the higher temperatures you can get boiling point
10 enhancement by having stuff dissolved in your liquid solutes
11 and by having pores in the surface.

12 For the corrosion resistant material I only have a
13 temperature window of susceptibility. The red is the
14 temperature limits in here that you could have crevice and
15 pitting corrosion of that inner nickel base material.

16 So how do we use this?

17 First of all, we can't be out here in the white,
18 because that would imply a pressure greater than one
19 atmosphere in the drift. So we are in the green or the red
20 regions only.

21 We start out up here at ambient, and by ten years
22 the hottest waste packages reach that place. It's 200
23 degrees C, about 5 percent humidity. Then it starts
24 tracking up this one atmosphere of water vapor pressure
25 line. At 100 years it's here; at 1,000 years it's here; it

1 turns over at 10,000 there at about 60 degrees; and finally
2 at 100,000 years it's back to the normal original starting
3 point.

4 What about the cold waste package, the defense
5 high level waste? The H standards for Hanford, by the way.
6 At ten years it's there; at 100 years, 1,000, 10,000, and
7 100,000. So it follows very much the same path. It just
8 doesn't get as dry and warm at the beginning.

9 If you are in this red region, you are corroding,
10 and you probably lost a few thousand years perhaps in that
11 environment before you breach that 10 centimeter thick outer
12 barrier, at which point you have to look and see what
13 temperature you are at, and you look up into the inner
14 barrier. If you are in the red there, then in a few hundred
15 to a few thousand years that barrier breaches.

16 The goal of design here and the goal of PA is, can
17 we find an engineered barrier system configuration that has
18 a path that goes like this, that stays in the green? Then
19 if you do have some sort of failure, maybe a juvenile
20 failure, manufacturing defect, you pop up here into the
21 green there.

22 If we can find a design situation like that, then
23 we are in really good shape. But this is what our current
24 design is right now and we can use this sort of thing in our
25 PA models to estimate performance time. For all of the

1 design options that Jack is going to show you we draw plots
2 like this to see how we are doing.

3 [Slide.]

4 MR. BLINK: Currently, our ventilation is a 10th
5 of a cubic meter per second in the drift once we have filled
6 the drift with waste packages. That is a very low level,
7 and it's there primarily so that we don't have backward
8 flow. In case we had any sort of failure we wouldn't want
9 any radionuclides to go backwards into the drifts that are
10 occupied. We want it to go forward to the place where our
11 sensors and filters are. So we are removing some water with
12 that but we are not really limiting the temperature very
13 much.

14 In the ESF we have done measurements and
15 quantified how much water we are taking out in the
16 ventilation system, and it works out to be about 200
17 millimeters per year based on the surface area of the drift,
18 and of course that drops with time as we dry out that
19 near-field rock.

20 The design group has done calculations as to what
21 you would have to do to blast cool the drift to bring it
22 down to a temperature that you could operate equipment in in
23 case you had to retrieve or do some sort of a repair
24 operation.

25 University of Nevada-Reno, as the Board well

1 knows, has been doing calculations like this for sometime.
2 I believe George Danko has given you a report. We currently
3 have George under contract and he is doing some of that work
4 for us as well, and I will show that in a minute. He's
5 looking at natural convection in both open and closed
6 repositories. By open, what I mean is you keep a shaft open
7 so that you can get natural convection but you have the
8 shaft sealed in such a way that you can't have people go up
9 and down it, just air.

10 [Slide.]

11 MR. BLINK: Let me show you the results of design
12 calculation. Right now we are at the 0.1 cubic meters per
13 second.

14 What happens if you go up to a factor of ten more
15 or a factor of 100 more? You can see you drop your
16 temperatures from the 140 degree range down into the 40s and
17 50s, so you get about 100 degree C temperature reduction if
18 you are willing to pay the price to build those extra half
19 dozen exhaust tunnels and half dozen inlet tunnels or
20 shafts.

21 This is an important number to me. How much of
22 the 100 year integrated heat load that came out of those
23 waste packages was removed by the ventilation system?
24 Current design has taken out about 8 percent, but you can
25 see we can get up to 50 percent at an order of magnitude

1 increase and up to over 80 percent at two orders of
2 magnitude increase. So there is something to be had there
3 as a design option, and we are looking at it.

4 [Slide.]

5 MR. BLINK: This is one of the pictures out of Dr.
6 Danko's reports. What happens if you move the central
7 exhaust drift above instead of having it below? In this
8 case he's got it 30 meters above so that we have enough
9 temperature difference between the two elevations to give us
10 enough buoyancy to cause the air to move.

11 The airflow is like this. It comes in from the
12 perimeter drift to the center, up the upcomer, along the
13 central main exhaust drift, outside sideways in the
14 performance confirmation drift, and then back down some
15 downcomers that we would have to add. So you just have a
16 closed loop circulation there.

17 That does three things for you. Number one, it
18 limits the peak temperature in the drift, because it tends
19 to smooth the temperatures out along the drift by more
20 effectively transferring heat from the highest temperature
21 packages than from the lower temperature packages.

22 Secondly, it actually removes some average heat
23 deposited in the performance confirmation drifts above.

24 Thirdly, that movement of heat and the relative
25 humidities involved will cause some of the water to be

1 vaporized from the near-field rock at the repository horizon
2 and deposited up in those performance confirmation drifts.

3 If you do the design of those drifts in a way that
4 the water drains out to the perimeter, it doesn't have a
5 chance to come back on you, and even if you didn't do that,
6 if you just let it percolate in, the drifts don't occupy 100
7 percent of that plane underneath, so a lot of it is going to
8 pass through and miss you. So this is way to limit the
9 water as well.

10 [Slide.]

11 MR. BLINK: Let's talk about the cladding for a
12 minute. Let's say that we adopt one of those three options
13 or some other options that give us performance but also
14 increase cladding temperature. Is there anything we can do
15 to counteract that?

16 We have aluminum shunts in the basket inside the
17 waste package. We can just add more aluminum to those,
18 which means that we reduce the temperature difference
19 between the cladding and the outside waste package and gain
20 something there.

21 Another thing we can do is something called
22 thermal blending. Thermal blending is mixing and matching
23 the assemblies above ground in the waste handling building
24 so that instead of having waste packages that are 10 plus or
25 minus 8 kilowatts, maybe they are 10 plus or minus 4

1 kilowatts. That would limit the peak temperatures.
2 Remember that earlier chart with the green. It was only
3 those very hot packages that got near the cladding limit.

4 The standby drifts that Dick Snell talked to you
5 about are a place that you could temporarily park a hot
6 package and ventilate it pretty strongly and take it out
7 after it had cooled down some and move it into its final
8 resting place in the emplacement drift. You just leave a
9 hole for it as you are emplacing the rest of the packages.

10 You could increase the waste package spacing and
11 reduce the drift spacing. It would become more of a point
12 load type design so that the heat fields don't overlap.

13 You could go the other direction. You could line
14 load. If you line load the packages so they are nearly
15 touching other so that they radiate to each other, the cold
16 package acts as a fin for the hot package. That way the hot
17 package loses more of its heat proportionally because the
18 radiation to the next metal package is more effective than
19 radiation to the rock. That will smooth the temperatures
20 between the packages but it will not lower the average
21 temperature; it will not lower the peak temperature of the
22 hottest waste package but it will smooth things more so that
23 you don't move water from one package to the other as much.

24 Finally, the preclosure ventilation that we talked
25 about.

1 [Slide.]

2 MR. BLINK: To summarize this, the reference
3 design we expect to meet DOE's guidance as far as peak dose
4 at the accessible environment, but there is some uncertainty
5 in that expectation.

6 The design features that Jack is going to talk to
7 you about do have the potential to significantly reduce
8 those dose rates but they also tend to increase cladding
9 temperatures.

10 Finally, we have identified some methods to
11 compensate for that increase in cladding temperature.

12 DR. NELSON: Thank you very much, Jim.

13 Let me ask you one question. All of your analyses
14 on temperature were for a 5-1/2 meter diameter opening?

15 MR. BLINK: Five and half meter as mined; five
16 meters after we install the liner.

17 DR. NELSON: They all include liners in that
18 analysis?

19 MR. BLINK: Yes, they do.

20 DR. NELSON: How important is the diameter
21 assumption on the conclusions that you made here?

22 MR. BLINK: I guess I would ask Tom Doering or Dan
23 McKenzie to answer that. I think they have both done
24 parametric studies of that in the past. I don't think we
25 have done it much recently and I don't think there was much

1 effect. I think Tom is back there somewhere. He said he
2 would be.

3 DR. NELSON: He's finding a slide.

4 MR. DOERING: Tom Doering with the M&O. The drift
5 diameter does have an effect on the overall package and
6 cladding temperature. We went all the way down to a 3 meter
7 drift and found that it was not tolerable to the larger
8 packages, the 18 kilowatt packages. About the smallest we
9 can get down to is 4.3 or comfortably 4.5 meters before we
10 can say that we can accommodate all the waste that is
11 supposed to come our direction without having over temp.

12 DR. NELSON: Linked to that, have you investigated
13 if you use something like ventilation how much more closely
14 spaced the packages and/or drifts might be? Is that a
15 parameter that has been considered?

16 MR. BLINK: That's one of the things we were
17 looking at in a study that we have been doing recently. We
18 don't have the results on it yet, but we are combining 50
19 years of aggressive ventilation with, say, adding backfill.
20 We have been asked to look at can we employ some of these
21 means to lower dose rate and still close at 50 years. So we
22 are looking at that as a means, but we don't have numbers to
23 show you yet.

24 DR. NELSON: Any other questions.

25 CHAIRMAN COHON: Are all of those temperature

1 limits, the various ones that you identified, fungible so
2 far as you are concerned? That is, can any one of those be
3 changed if one can come up with a good reason for doing so?

4 MR. BLINK: Sure. You can trade them. For
5 example, the 200 degree C. Clearly you could change that.

6 CHAIRMAN COHON: Good enough. None is hard
7 constraint?

8 MR. BLINK: That's true.

9 CHAIRMAN COHON: On the red and green diagram --
10 you don't have to put it up -- are you or someone else doing
11 experiments to firm up the shape of the location of that
12 red?

13 MR. BLINK: Yes. We have a department called
14 waste package materials, and one of its prime functions is
15 to do the experiments and the analyses to lay that out for
16 us.

17 CHAIRMAN COHON: Do you expect that that is going
18 to remain very uncertain, or do you think we will be able to
19 get a good handle on that from these experiments?

20 MR. BLINK: We will get a much better handle on it
21 than we have now, but the corrosion process does have some
22 statistical features in it. You're never going to get it
23 down to a tee, but certainly you can get it to within an
24 order of magnitude.

25 CHAIRMAN COHON: Thanks.

1 DR. NELSON: Debra.

2 DR. KNOPMAN: In terms of VA, how much more
3 refined do you expect the red and green figure to be than
4 what you showed us today?

5 MR. BLINK: I was reading a report on the plane
6 about the upper range. It's already getting more refined.
7 On the lower one there are humidity chamber experiments
8 ongoing that are giving us results. So I think we will know
9 that considerably better.

10 DR. KNOPMAN: You didn't say much about water
11 vapor refluxing and anticipated flow paths and how you use
12 the design features, particularly spacing between drifts to
13 work to your advantage for that. Could you say something
14 about how that is figuring into your design process?

15 MR. BLINK: At 85 MTU per acre for the point
16 loading the boiling isotherms do not coalesce between the
17 drifts, so that you end up with a sub-boiling region that
18 you can shed water through between the drifts. If you went
19 to a line loading case, you push the boiling isotherms out
20 farther and coalesce them axially more, but still you leave
21 some space.

22 So we think there will be a considerable amount of
23 shedding from the water that we mobilize. We calculate we
24 will mobilize some hundreds of millimeters per year of flux,
25 and that will persist within a few diameters of the drift

1 for decades to as much as a couple of centuries, depending
2 on the way we lay out the packages. That's definitely a
3 concern because that's a number that is at least an order of
4 magnitude bigger than the ambient fluxes. So we are working
5 that.

6 In addition, the fact of refluxing itself creates
7 low porosity areas and high porosity areas. You get low
8 porosity where the boiling is taking place and high porosity
9 where the condensation is taking place, and we think that
10 has the potential to make a mineral cap above the repository
11 that acts somewhat as a flow diverter or an umbrella, but it
12 also can deposit minerals in those pillars and underneath
13 the drift.

14 We are actively looking at that. We have lab
15 scale experiments and three dimensional reactive transport
16 codes that we are using to model the experiments and then
17 extend the model out to repository scenarios.

18 DR. NELSON: Alberto.

19 DR. SAGUES: The assumption that the steam from
20 the evaporated water will effectively sparge the drifts
21 seems to be common in a number of these modeling approaches.
22 What is the likelihood in your opinion that maybe it will
23 not work that way? For example, that water condensation at
24 the edges of the drift areas will effectively reduce the
25 partial pressure of water in the system and therefore you

1 will end up with a significant amount of air left in the
2 tunnels.

3 MR. BLINK: That's a really good point. I'm not
4 so much thinking about the condensation of the water,
5 because as long as we are well above 100 degrees C we are
6 not going to see that. But I think about convection
7 currents using the natural fractures in the mountain linked
8 up with the drifts to get gas flow that brings fresh air
9 back in. So even though thermodynamically it wants to be
10 all water, if you bring air in, you have some mixing and so
11 forth.

12 To fail a cladding you need three things. You
13 need to have oxygen, you need to fail the waste package to
14 get it in contact, and you need to have the creep rupture.
15 We are really only thinking about two of them. We are not
16 thinking about the air exclusion.

17 DR. SAGUES: What is the temperature prediction
18 for the ends of the drifts?

19 MR. BLINK: It falls off some but it's still
20 substantially above boiling. Not for as long, of course.
21 We have done studies that emplace waste packages closer
22 together out in those regions to try to counteract that as
23 well.

24 DR. NELSON: Dan.

25 DR. BULLEN: One of the mechanisms that you

1 identified to mitigate the clad temperature rise was
2 improvement in conductivity with aluminum spacers. Have you
3 looked into through-rod consolidation as a potential way of
4 improving heat transfer out and maybe reducing the number of
5 packages required?

6 MR. BLINK: I'll throw that one over to Tom
7 Doering, the manager of waste package design.

8 MR. DOERING: Actually we looked at rod
9 consolidation probably two to three years ago. There are
10 some pros and cons with consolidation in the thermal region,
11 and also if you start failing the rods due to that fact, if
12 you put the rods together, you have interaction with the
13 cladding more and you actually could get earlier cladding
14 failure because of hot spots on the cladding itself.

15 Studies that have been done. It's a 1.7 at very
16 best consolidation. So what you gain from consolidation is
17 not as good as we anticipated. Therefore we have gone on
18 with the non-consolidated and transferring of the heat this
19 way.

20 We will talk a little bit tomorrow about the
21 effect of thermal conductivity methodology that we have that
22 benchmarks all those calculations.

23 DR. BULLEN: With respect to the one to two orders
24 of magnitude improvement in dose to the public that you get
25 when you take credit for cladding and your assumption you

1 have got 98 percent intact clad and if you keep it oxygen
2 free until it's cool that it will hang around, how are you
3 dealing with the pellet-clad interaction problem with
4 respect to volatile fission product gases crossing the gap
5 at the pellet interface?

6 As we go to higher and higher burnup fuels, 50,
7 60, 70 gigawatt days, that kind of problem can be
8 exacerbated. So you are talking about failure from the
9 inside out, which is very difficult to predict and a tough
10 argument in the licensing arena. So PCI may end up being a
11 real problem for you and I just wondered how you are going
12 to address it.

13 MR. BLINK: I think that's one reason why we have
14 considered this defense in depth in the past. We think we
15 are going to get some performance out of it, but we are not
16 sure exactly how to argue for it.

17 In the last year we spent more time looking at
18 this than I think we have in the last five years. Eric
19 Seegman from PA and Kevin McCoy from the design group have
20 spent a fair amount of time looking at the alternative
21 failure mechanisms besides just creep rupture. Eric has got
22 a draft report out now that goes through them.

23 I'm not sure if the one that you are raising is
24 one that he looked at, but for the three or four that he did
25 look at they all had less failure than the creep rupture.

1 DR. BULLEN: There is some data that were
2 published by the Canadians about a decade ago about
3 pellet-clad interaction, and the Skinner report is taking a
4 look at cesium iodide transport where what you will get is
5 dissolution that can go 90 percent through wall, which is
6 not detectable outside, but the through wall 90 percent is
7 gone and all of a sudden you don't have to worry much about
8 creep rupture because it's going to fail by other
9 mechanisms.

10 MR. BLINK: If that becomes an issue, we are
11 obviously going to have to cut some rods up and look at them
12 to take credit.

13 DR. NELSON: Last question.

14 Paul.

15 MR. CRAIG: I'm going to ask a question which is a
16 little bit redundant but it's to emphasize a point. Your
17 figure 11, the red figure, is really quite fascinating.

18 [Slide.]

19 MR. CRAIG: My engineering experience says that
20 when some piece of machinery is in the red zone you ought to
21 watch out. This is really quite a wonderful figure; it
22 really highlights an important point and has the potential
23 to contribute to the transparency of the whole process and
24 understanding what's going on, which, as many people have
25 said, is extremely important.

1 Clearly, if you can move out of the red zone,
2 you've bought yourself a lot. What I would like to
3 understand better is what the options are that might
4 realistically allow you to move significantly out of the red
5 zone.

6 MR. BLINK: I have some charts with me which
7 perhaps I can show you at the break that show the equivalent
8 figure for line loading and backfill and low thermal loading
9 and combinations of those three. I could meet with you at
10 the break or after the meeting and show you those. Some
11 combinations give you substantial benefit.

12 DR. NELSON: Let me ask you one concluding
13 question. Are there any identified negatives associated
14 with ventilation?

15 MR. BLINK: Dan.

16 MR. MCKENZIE: It's expensive.

17 MR. BLINK: Dan McKenzie says it's expensive. If
18 you are blowing that hard and you detect something in your
19 sensors, you have to make a decision of slowing down the
20 ventilation and having temperatures go up or being able to
21 handle with HEPA filters that kind of flow rate. That's all
22 preclosure; that's not postclosure. If you are talking
23 about postclosure, it's a different matter.

24 DR. NELSON: Thank you very much.

25 MR. BLINK: I think Dick Snell wants to make a

1 comment.

2 DR. NELSON: All right. Very fast. We're already
3 very, very far off schedule.

4 MR. SNELL: Additional penetrations in the
5 mountain, which we touched on this morning, are not
6 necessarily desirable. If the benefits are there, perhaps
7 you want to do it, but it's something to consider.

8 The other things is, once you introduce
9 ventilation as a long-term operational feature, that carries
10 with it a lot of baggage in terms of redundant systems,
11 guarantees that the system will remain operable, that you
12 can handle maintenance issues satisfactorily and maintain
13 your flow conditions while you do the maintenance. I'm not
14 saying that they rule out these possibilities, but they are
15 things to think about when you look at ventilation
16 possibilities.

17 DR. NELSON: There is also the combinations of
18 active versus passive.

19 Fine. Thank you very much for an excellent
20 presentation, Jim.

21 I would like to introduce our next two speakers
22 simultaneously. They are Jack Bailey. Jack is deputy
23 manager for engineering and integration operations of the
24 M&O. We have asked him to divide the topic in two areas to
25 focus the conversation, first on the engineered barrier

1 system and secondly on alternative repository concepts.

2 MR. BAILEY: Good afternoon. I am going to speak
3 to you today about the engineered barrier system and a
4 series of questions associated with what does it look like,
5 how do we put it together, how do we make decisions. So I
6 will walk through how we are going about that. I'm going to
7 talk VA and I'm going to talk LA. As an engineer, they get
8 a little hard to separate sometimes. So I have a concluding
9 slide to try and bring that difference into clarity.

10 [Slide.]

11 MR. BAILEY: The engineered barriers must work in
12 concert with the natural site features. We have been given
13 the site to work with. What's out there, we are
14 characterizing it, we are learning what's in it, what do the
15 engineered features have to do to best work with those
16 features.

17 Not only best work with the features working in
18 concert -- that's concert, not harmony. Lots of things have
19 to work together. But it also can't adversely impact the
20 natural barriers.

21 We really have to make sure that we honor the site
22 and that we work with it. If we make a decision to in some
23 way impact the site adversely and its capability of
24 providing a barrier or redundancy or prevention of corrosion
25 or prevention of radionuclide release, we must think through

1 that very carefully.

2 There was a question earlier for Jim about are all
3 the temperature limits sacrosanct. Well, we are trying to.
4 They all mean something. They protect the zeolites; they
5 protect the clad; they protect uncertainties associated with
6 changes in the wall. We try and honor those. If we have to
7 give one up, it's going to be a very conscious decision and
8 have a very good reason as to why we do it. So it works
9 both ways, with the engineering and the natural.

10 As an engineer, we don't like to put things into
11 one arena, one thing that is going to make this thing work.
12 Most of us prefer having some redundant systems. I know I
13 fly too much and I'm glad that there are lots of engines on
14 the plane and plenty of hydraulic lines.

15 So we look at multiple barriers. What are we
16 trying to do with those multiple barriers?

17 We want to delay the failure of the waste package.
18 The longer we can keep it intact, ala what Jim said, the
19 better off we are. It keeps the radionuclides isolated from
20 the environment.

21 If and when, since we are looking at a very long
22 time when, the waste package fails, we want to see if there
23 are ways that we can keep them in the waste package as long
24 as possible. Preserve the clad; make use of other materials
25 that perhaps corrode and fill the package and exclude other

1 corroding agents. What can we do to keep it in the package?
2 Finally, once it escapes from the package, can we
3 do anything to that radionuclide release to slow it or
4 condition it so it will work better with the natural
5 environment? That's what we try and do with the engineers.
6 That's what our job is here with regard to the EBS.

7 [Slide.]

8 MR. BAILEY: I will back up for a minute. Because
9 we have to meet preclosure requirements, we have to be able
10 to pack it in some kind of a manner. As Jim said, maybe
11 thermal variability, maybe not; put it into canisters,
12 something that we can handle, something that we can put
13 underground, and something that we can close with.

14 We have preclosure limits. We have preclosure
15 requirements laid on us by Part 60. They basically take us
16 back to Part 20 for radiation exposure and for accidents or
17 abnormal events. We have to satisfy the health and safety
18 of the worker and the health and safety of the public
19 throughout the preclosure period. So we have to have
20 something that does all that and yet does all the things
21 that I just said it had to do with regard to the
22 postclosure.

23 So we have to develop a design that provides
24 acceptable performance. Our approach is to go after the
25 expected postclosure case: What is that we think is going

1 to happen in the mountain? What is the most likely set of
2 events that are going to occur? And make sure that this
3 multiple barrier approach handles that.

4 Then we use additional barriers to improve our
5 confidence in the engineering system for the uncertainties
6 in the natural processes and the uncertainties in the
7 response of the design features. I'll talk about that a
8 little bit more.

9 We looked at, what do we think the flux in the
10 mountain is? What do we think we are really going to see,
11 and then, how big is it really? Let's make sure we can deal
12 with what we think it's going to be and then look and see
13 what we have to do in order to deal with the extremes or the
14 uncertainties associated with that.

15 [Slide.]

16 MR. BAILEY: What are the inputs that TSPA needs
17 in order to perform their analysis?

18 Well, they have to know the subsurface layout,
19 where is it, what strata is it located in, what is the drift
20 size and spacing, what is the thermal load, the ground
21 support and the ventilation system. What have we put down
22 there and how do we affect the environment that this has to
23 be in in order to have their starting conditions.

24 The engineered barrier system. They want to know
25 what material is in the invert; they want to know any

1 packing, which is a lower backfill, and backfill which is
2 the upper backfill. They have to know what that material
3 is. And if we have any flow diversion, how we accomplish it
4 and how well it works, for how long.

5 Finally, the central piece, the waste package.
6 How big is it? What is it's heat load and what materials
7 and fabrication technique is used so that we can do the
8 degradation predictions with some level of confidence?

9 [Slide.]

10 MR. BAILEY: As Dick Snell said this morning, this
11 is what we gave TSPA as our reference design at the end of
12 the fiscal year. It's reference design. Doesn't mean that
13 it won't change, doesn't mean that it's absolutely final,
14 because, as Lake Barrett said this morning, we will be
15 engineering until we close. It is an ongoing and evolving
16 process and we have to pick something and move forward.

17 Further, we are picking something to move forward
18 with for the VA, and the VA case is not necessarily the
19 licensing application case.

20 I have pulled out basically everything that PA
21 needs to show you here. We have a waste package sitting on
22 a support located inside a 5-1/2 meter drift with precast
23 concrete liner and an invert sitting at the bottom, rock
24 being all this stuff around, showing us down into a water
25 table, if you will, down there, and a mountain up above.

1 Trying to give us a little pictorial representation.

2 What do we have? We have a drift liner with
3 normal concrete.

4 We have an air gap, which is a capillary barrier
5 presumably. It's really in two places. It's both on the
6 mine surface of the rock and it's also on the inside of the
7 concrete liner. We want to take advantage of the fact that
8 the water is likely to run around that barrier rather than
9 drip, if we can show that.

10 The waste package itself is made up of a corrosion
11 allowance material, a corrosion resistant material. We take
12 galvanic protection should we encounter conditions where it
13 is appropriate to use it. It is a larger package and it is
14 in-drift emplaced, as it shows.

15 We have a layout of the emplacement drift, which
16 is sloped slightly to the north, as Dick Snell said. We
17 have the pedestal and what materials it's made of. We have
18 the invert, which is located below, mostly for chemical and
19 support.

20 We also put the zeolites on our chart because our
21 thermal load is present in order to try and protect the
22 zeolites. So we think about what that natural feature is
23 while we do this.

24 When we come around for the thermal design, we
25 have an areal mass load. We've chosen high, 85 MTU, as Jim

1 Blink said.

2 The waste package spacing is what we call point,
3 no end-to-end communication of the packages.

4 We do enough spent nuclear fuel blending to meet
5 an 18 kW maximum thermal package and to meet our criticality
6 limits.

7 We have the ability to do waste package sequencing
8 in the emplacement area itself by keeping four drifts open.
9 With four drifts open and two entrances to each drift, we
10 have the ability when a package comes down the ramp to put
11 it in a place to satisfy the loading pattern. Our analysis
12 to this date says that will probably allow us to set up the
13 facility in the manner that we are currently analyzing it.

14 The thing that I should have started with but I
15 always end up doing last. Over here you see the four
16 symbols: limiting the waste package environment, which is
17 the star; as robust waste package; limit mobilization; and
18 the radionuclide concentration reduction.

19 Those are the same that Steve Brocoum talked to
20 this morning in terms of the waste containment isolation
21 strategy. We look at the design to see how it affects the
22 waste containment isolation strategy and what's there, and
23 that will come up again in a later slide.

24 [Slide.]

25 MR. BAILEY: We clearly have some assumptions and

1 some uncertainties for the reference case. We're not done.
2 We don't have the licensing case and we don't know
3 everything that we probably need to know at this point in
4 time.

5 What are the ones that are associated in the drift
6 area, in the engineered area where we can work?

7 Seepage, how much seepage, where.

8 Waste package surface relative
9 humidity/temperature time histories, as Jim Blink talked
10 about in terms of the heat pushing the water away, letting
11 the water return and getting that humidity back in. All
12 predictions.

13 Waste package degradation. We have this corrosion
14 allowance material, galvanic protection, and corrosion
15 resistant material. The question was asked, are we doing
16 something to make these better? Yes, we are. We are also
17 looking at the materials to make sure we have chosen the
18 correct materials for the VA.

19 Radionuclide solubility. Once you get into the
20 package and you are trying to prevent its release, how does
21 it really corrode inside the package? Is the clad there?
22 Is the clad not there? How does mobilization occur?

23 Transport through the waste package. Is it
24 advective? Does it flow through or does it move through
25 diffusion? Trying to come up with the proper assumptions

1 and the proper ways to model that that are realistic so that
2 we have a handle on what we really have to do.

3 Finally, how we transport through the invert. How
4 does it actually get into the natural environment again once
5 it leaves the engineered area?

6 These are big uncertainties that we have to work
7 with and those are what are on our screen for the VA so that
8 we can try and make use of experts or the use of existing
9 data or perhaps additional testing if we can get it done in
10 the time frame and identify that for follow-up action to
11 clarify or solidify what we have chosen to do.

12 [Slide.]

13 MR. BAILEY: Let's go to the options and then we
14 will come back to the assumptions.

15 These are the options that Jim Blink talked about.
16 We chose these. You will see that there are three of these
17 charts in here and they grow. Each time there is yellow
18 it's things that weren't on the chart before.

19 The cladding credit, taking credit for the
20 cladding as we discussed before. Once a package is
21 breached, can we retain the spent fuel inside the clad or is
22 it released fairly quickly?

23 We are looking at a ceramic coating. Can we coat
24 the outside of the package? Can we push the heat through
25 it? It provides an alternate barrier to the metal, a

1 different failure mechanism, a different way to protect the
2 package, and it does a number of things for us.

3 We are looking at a drip shield, which is
4 essentially a ceramic device as well, but instead of being
5 attached to the package with the inherent problems of going
6 through expansion and contraction and getting it to adhere,
7 this in fact would lay on top of the package.

8 There are crevice conditions, obviously, but this
9 would lay on top of the package and prevent drips from
10 falling directly into the package or onto the package and
11 make release from the package tend to be more diffusive,
12 which is a much longer time frame and helps us a great deal
13 in terms of release from a package as it ultimately fails.

14 Finally, backfill which we put in there both for
15 rock fall protection so as to protect the ceramic liner or a
16 drip shield, should we put one in, so that we can get a high
17 confidence that the conditions in the drift after closure
18 won't cause those to fail.

19 And limiting of the flow and the humidity. The
20 backfill tends to keep the salt off the package and tends to
21 keep the water away from the package. We believe because of
22 the heat it forms a barrier. That gives us some help.

23 So those are the four options that we are
24 reviewing for the viability assessment, and our intent is to
25 have those done to about the same level of detail both in

1 the performance assessment area and in the design area as
2 the reference design so that they are available to us.

3 [Slide.]

4 MR. BAILEY: If we go back to what our assumptions
5 and uncertainties were, you can see that I have chosen them
6 and listed them again here, and now we have taken a look at
7 the options and how the options help us with the various
8 certainties.

9 In other words, how can I deal with the fact the
10 seepage into the drifts is a bit uncertain? How big is it?
11 I don't know exactly. But if I go with ceramic coatings or
12 drip shields or backfills, that uncertainty is not quite as
13 interesting to me, because now I have something that if I
14 can get some certainty in an engineer design, then I can
15 take the uncertainty associated with that seepage out of the
16 equation, or at least account for it in a different manner.

17 The same is true for seepage onto the package, the
18 drift thermo-hydrologic response, the degradation. You will
19 notice I put "alternate materials" here. Although that isn't
20 one of the options, it is something that we are looking at
21 prior to actually closing out the VA design; one last look
22 at the materials to see if we have the best materials that
23 we can defend.

24 Radionuclide solubility. We want to look at the
25 cladding.

1 And the transport through the waste package, the
2 drip shield.

3 The transport through the invert. I chose not to
4 put one on there. You could make a drip shield that is so
5 big that it skirts the entire waste package down to the
6 invert, but we are not looking at that real hard right now.
7 So I chose to leave that one out.

8 So those are options that help me with my
9 uncertainties, and those are both natural uncertainties and
10 engineered uncertainties, but it layers another type of a
11 design that can help me reduce what I don't know about my
12 system.

13 [Slide.]

14 MR. BAILEY: We have to be fair. There are
15 uncertainties for the options.

16 The cladding. As Jim described it briefly, it has
17 various failure mechanisms: Does it pinhole, unzip?
18 Mechanically could it break? Could we have rock falls and
19 break the packages at a time late in life? Or maybe we want
20 the rocks to fall and bridge and become comfortable while
21 the package is still very robust.

22 And what are the initial conditions at
23 emplacement? In regard to Dr. Bullen's discussion, do we
24 really know what we are putting in there and how long it's
25 going to last. We have to think through how to handle

1 those.

2 Ceramic coating:

3 Long term permeability. Will it really keep water
4 off the waste package? That we ought to be able to figure
5 out.

6 Mechanical integrity. Again a test that should be
7 runable, that's demonstrable for a long period.

8 And we need to look at the failure modes. Those
9 are a little harder in the long term, but what are they?

10 The drip shield:

11 We have a waste package interaction, the gap
12 question, and all the ceramic issues.

13 Backfill:

14 We have to look at the thermal conductivity. Do
15 we ventilate before we put backfill on to satisfy the clad?
16 Do we wait a long time? Do we age the fuel before we put a
17 backfill on? So we have to worry about the thermal
18 conductivity. Or can we find that really transmits the heat
19 well?

20 Finally, seepage and wicking. What really happens
21 because the water falls on it? Or does it draw water up
22 from below?

23 I want to give an even treatment to those, but we
24 think we can solve most of those questions on engineered
25 features. We think we can come up with answers on those.

1 [Slide.]

2 MR. BAILEY: If you go back to the strategy,
3 develop design features for the expected case. What do we
4 really expect to see? Let's make sure that case can be
5 handled.

6 Systematically evaluate options for the design
7 features to improve performance:

8 Use the performance tools. Those include the
9 performance assessment; they include the things that Jim
10 Blink talked about, a variety of tools in that regard.

11 And evaluate the sensitivities to the low
12 probability events and scenarios. How do we deal with those
13 and what is the result? Maybe it's low probability; maybe
14 it's low consequence. If it's a high consequence, then
15 that's a different consideration.

16 Then, finally, go through and evaluate the
17 performance sensitivities for data uncertainties and
18 document the features that help you with that.

19 [Slide.]

20 MR. BAILEY: And then look at the performance.
21 How do we think the engineered features are going to behave?
22 Look at what those tradeoffs are and what we don't know, and
23 document those.

24 Finally, once we know all of them, select the
25 appropriate design features to satisfy an expected case and

1 how we chose to deal with the sensitivity or the low
2 probability cases.

3 [Slide.]

4 MR. BAILEY: How do we do that? If you've got
5 one, let me know. Lots of ways to skin this cat; lots of
6 things we can do.

7 Are all of them as effective as all the others?

8 No. But there is something there and it can have an effect
9 on performance, sometimes a good effect, sometimes a bad
10 effect. We have to walk through them.

11 What else will we pick up? All the way to the
12 surface control. Can we withdraw the land everywhere this
13 is going to go forever? Probably not.

14 Infiltration control. Can we plant trees, put the
15 alluvium on? Could we cover the top of the site and lower
16 the amount seepage, lower the amount of percolation flux?
17 It's something to think about.

18 Change the pH of the concrete for chemistry
19 reasons; different kinds of concrete. If concrete doesn't
20 work, we are actually doing a design such as steel sets
21 could be used without concrete. If we find concrete is such
22 a problem, we'll be prepared with a design to show that the
23 facility is viable with steel sets.

24 We have the crown joint and the no crown joint,
25 which is where do you put your joints? On the vertical? Do

1 you put them above the waste package or do you make the top
2 piece into a long arc so that it runs all the way past the
3 waste package so if you have mobilized water during the time
4 when the support system is in place you can keep the drips
5 off the top of the package?

6 Ventilation, both preclosure and postclosure. Is
7 there something that we can do with ventilation?

8 Filler material as a way to exclude water, maybe
9 for criticality, maybe for preventing the radionuclides from
10 getting out.

11 Small, small-in-large waste packages; different
12 kinds of waste packages.

13 Vertical boreholes, horizontal boreholes. Maybe
14 the repository should be level. It probably doesn't matter.

15 We can put some additives in the invert, put some
16 sorbers or something down there. We can put things in that
17 will capture the radionuclides perhaps, or slow down their
18 transfer.

19 We have restricted and non-restricted, meaning
20 those things which restrict human access or don't restrict
21 human access. Some are benign to us and some of them we
22 might not necessarily want to be around without protective
23 actions.

24 The backfill can condition water and sorb
25 releases. We could mix it in there. We could have

1 different kinds.

2 I alluded to this. Here is a drip shield, free
3 standing and, if successful, it will keep advective, it will
4 keep flow and make it diffusive everywhere inside the waste
5 package, the one I described. Then my bat wing is suspended
6 inside the backfill, which takes away all of my gap issues
7 but is very difficult to install.

8 Different kinds of backfill. Also hard to install
9 anything other than a single layer, but you could. We could
10 put in different layers if we thought that was helpful and
11 create a capillary barrier inside of the backfill.

12 We can lag storage if we had to, surface and
13 subsurface. Currently not part of the program, but if we
14 felt that was necessary for thermal aging or blending, it's
15 there as a consideration.

16 Controlling thermal variability, as Jim Blink
17 suggested. Low thermal load or a line spacing.

18 In addition, we can work on the drift wall, grout
19 injecting to fill in voids and perhaps seal this better.
20 And then perhaps there are some altered near-field rock that
21 goes on where we create some mineral caps that might have
22 flow control or structural integrity for us in the long
23 haul.

24 Those are things we are looking at. As I say, if
25 you have some ideas, we'll certainly give them

1 consideration.

2 [Slide.]

3 MR. BAILEY: How do we do this? If you go back,
4 this side is everything that's on the charts.

5 Up here are our postclosure goals: delay breach,
6 keep it in the package, try and catch it once it gets out.

7 Postclosure environments. There are a lot of
8 things that can go in this column. I chose environments.
9 That's the flux, and it's supposed to be water. Water flux,
10 relative humidity, chemistry, rockfall and drift collapse.
11 You could put uncertainties in there; you can put in
12 performance; you can put in cost.

13 There are lots of things out here to consider.
14 When you start making these matrices, you find out that the
15 corrosion allowance material does a good deal for that. It
16 helps there, it helps there, and these are the things it
17 works against. So you can start seeing how much do you get
18 out of each type, i.e., there are lots of them, what do you
19 really get in terms of performance. There should be a
20 performance column. This doesn't show numbers. An X and a
21 Y. There is no gradation or criteria other than major or
22 minor.

23 But then you can start looking vertically.

24 Do we have a lot of ways to prevent the breach of
25 waste package?

1 Do we have a lot of ways to mitigate? Not really
2 as many.

3 Do we have lots of ways to deal with rockfall?
4 Not really as many.

5 So we can start looking at the different ways and
6 different means by which we can do the design, and we
7 document it and show it.

8 [Slide.]

9 MR. BAILEY: There is a second page for
10 completeness.

11 That's how we are going about it. I have mixed,
12 putting together an expected case with a defense in depth
13 case, which would be a licensing case.

14 [Slide.]

15 MR. BAILEY: EBS design development strategy. I
16 have a top of the chart VA design focus and a bottom of the
17 chart LA design focus.

18 The VA design focus is to work the expected
19 scenarios and perhaps a standard deviation on either side so
20 that we are working into the right area, and we'll include
21 variability. Not only uncertainty, but variability.

22 From that we will come up with what we believe the
23 EBS reference design will perform.

24 We will then take the various options that I
25 described, the clad, the backfill, and we'll add those on,

1 singly or synergistically, and identify that we have the
2 capability to suppress the dose even further should we chose
3 to make those kinds of decisions, and with the type of chart
4 that I just showed you show that we have the ability to deal
5 with some of the sensitivity cases, and we will do just a
6 limited set of sensitivity cases for the VA.

7 For the LA we will sample, for the most part, the
8 whole probability range. It will probably be truncated a
9 little bit at either end. It hasn't been decided how much
10 or where. That is dependent, frankly, upon the parameter of
11 interest. But we will basically sample the entire scenario
12 range with the entire design, both the reference design and
13 the EBS, and we will come with what we believe the entire
14 system will perform on an expected value basis.

15 We will then do some low probability scenarios of
16 those low probability high consequence, and will at theirs
17 to do an evaluation of how important or what contribution to
18 dose could that low probability scenario have, and we'll
19 look to see how that works out.

20 It may come out under the regulatory standard; it
21 may go above the regulatory standard. This slide is not
22 making a commitment to stay under the regulatory standard in
23 that case. It's an evaluation of what is the event, what is
24 it's likelihood, and what does it really cause in the way of
25 a problem.

1 DR. NELSON: Thank you, Jack.

2 I would like to open it for questions from the
3 Board dealing particularly with these engineered barriers
4 that are contemplated on the reference design as opposed to
5 the next discussion, which will be the alternative
6 repository concepts, which are a little bit more radical
7 changes from the reference design.

8 Are there any Board questions for Jack Bailey at
9 this time?

10 DR. BULLEN: Jack, in light of the waste package
11 degradation expert elicitation and their somewhat lack of
12 endorsement with respect to ceramic coatings and galvanic
13 protection, can you comment on your estimate of the
14 likelihood that those will actually have an impact on the
15 alternate design concepts?

16 MR. BAILEY: Yes. I'll be happy to. The expert
17 elicitation suggestion that the galvanic protection might
18 not be as effective as we had believed because the mechanism
19 of corrosion is probably expected to be a broader spalling
20 general corrosion than a deep pitting corrosion, as we were
21 previously modeling. There are times in the life of the
22 package, especially with the concrete present, that we may
23 in fact be seeing pitting.

24 Our intent is to continue our testing and continue
25 our evaluation of the galvanic protection, because we do

1 believe that it can prove effective, and to use it at the
2 appropriate times, when a couple processes say that it may
3 come into play.

4 We are continuing with the testing. We built the
5 bi-metallic structure last year, and we are cutting it up
6 and putting it into the tanks to test. So we will go
7 through and do the testing and have a good basis for it.

8 As I said, if we can show that that works, then
9 when a couple processes say that it should be invoked, it
10 probably will be. It, however, will not have the stature,
11 if I can use that word, that it would probably have from the
12 TSPA-95 model where the corrosion of the package was driven
13 very heavily by pitting as opposed to a general corrosion.

14 With regard to ceramics, I guess it's who you ask.
15 Ceramics people tell us it will work real good and you can
16 attach it and it will stay real nice. A lot of
17 metallurgists say that it won't. I don't know if it's turf
18 or if it's understanding of different mechanisms.

19 We are putting in place and are in fact about to
20 test some ceramics to look at exactly the three things that
21 I said, the permeability; its mechanical resistance, which
22 is frankly third on the list because we can protect it; and
23 then what its ultimate failure mechanism it.

24 It may very well be that a scratch or a crack in
25 the ceramic may merely -- I say may -- cause corrosion at

1 that point as opposed to a falling off of the entire
2 ceramic.

3 Our intent is in fact to do some testing. We are
4 going to elicit some experts to see what they think is
5 possible, and we are going to proceed with that course until
6 we disprove it.

7 One of the problems that we have is a great deal
8 of anecdotal information: don't go work on clad;
9 pellet/clad interaction, PCI. Can it really work? Well, we
10 will go find out if it works or not and we'll write it down
11 and we'll document it and have a basis. We can do it or we
12 can't do it.

13 The same thing is true for ceramics. We'll go
14 document it and we'll test it. If it doesn't work, we're
15 not going to use it, and if it does work, we are going to
16 use it.

17 I'll just flip back to my chart here.

18 [Slide.]

19 MR. BAILEY: We have to do that. That's
20 everything that can happen. We've got to go figure those
21 things out and say yea or nay and decide whether they are
22 meaningful, whether they are not meaningful, whether they
23 help us, whether they hurt us. Once we do that, then we
24 will start making decisions. We have to be reasonable and
25 prudent in our actions and we have to understand what all

1 the things are that we have to work with.

2 For the VA, we can't get all that done. We have a
3 pretty good idea about the things that we are working with.
4 We have worked with them for a number of years; we know what
5 our weaknesses are and we know how to go after them in a
6 short term to shore them up and say can we or can't we.
7 This is a longer term. We have a couple of years, and we've
8 got to go through this. There isn't another way to do it
9 for the design path that we are on, not to dissuade the
10 alternatives discussion we are about to have.

11 DR. NELSON: Alberto.

12 DR. SAGUES: I guess the most interesting part of
13 the presentation for me was the design features evaluation
14 matrix, which is basically a way of making a decision,
15 trying to take out some of the options and commend the
16 others.

17 My question goes is this. Who is going to do the
18 tally and fill in the blanks and cross things off as better
19 and not so good? Do you have a provision for two different
20 groups or three different groups going through the same
21 exercise and then seeing whether they actually happen to
22 agree with each other? Do you have any way of introducing
23 some element of eliminating bias or preferences that may
24 already exist?

25 MR. BAILEY: Our intent is to evaluate the chart.

1 We are going to be way beyond X's and O's pretty soon. We
2 have to get real numbers to put in there. That will be done
3 through PA tools; it will be done through the work that we
4 do in the design basis modeling inside of engineering; it
5 will be done from science. They will provide all those
6 inputs into this chart so that we have hopefully not that
7 much bias.

8 I will add that we have a repository consulting
9 board who has expertise in the engineering areas. We have a
10 TSPA peer review committee who has expertise in a number of
11 areas. We get to meet with you folks periodically. So we
12 certainly get to see some other opinions. And we have an
13 obligation to make sure that what goes in here is in fact as
14 true as possible and it is not anecdotal and it is not what
15 Joe wants to talk about or what Joe thinks is true. We have
16 to get that bit of objectivity.

17 The other thing, which Dick Snell alluded to this
18 morning, is that we are going to control the design. I can
19 tell you exactly what PA has as of the 30th of September,
20 and it can't be changed unless it goes through a process
21 that Dick Snell or I say it can be changed. It can't be
22 changed. Nobody can change it except us, and I expect that
23 my management and the owner is going to be very interested
24 in anything we do that changes that.

25 So as we built this chart and as we recommend low

1 thermal loads, changes in materials, addition of ceramics,
2 all that has to go through the system, and it has to go
3 through the system based on performance; it's going to have
4 charts for what are the uncertainties and likelihood of
5 success, what is the cost, how does it fit with the rest of
6 the system.

7 That's why I make the big chart, because you don't
8 want to work on that one in isolation; you want to look at
9 everything. If I've got all those ways to keep the thing
10 from getting wet, maybe I don't need to find another way to
11 get it wet; maybe I do. We want to put all that information
12 in front to make those decisions. It is a first of a kind
13 and it is sometimes hard to do.

14 Yes, sir.

15 CHAIRMAN COHON: Just to follow up on that exact
16 point. Suppose you had that matrix all filled in with the
17 numbers that you want and suppose they were objective even,
18 and suppose you had all the other information you mentioned.
19 How would you go about deciding? How would you chose which
20 options to implement or include in the design and which not
21 to?

22 MR. BAILEY: First you have to know what your
23 standard is, what is it that makes you acceptable. That's a
24 number, what dose to the public and at what distance from
25 the facility and what time frame. That's first and

1 foremost.

2 Second, you have to be able to provide a
3 reasonable assurance argument to the NRC.

4 Third, you have to look at that reasonable
5 assurance argument and decide is the reasonable assurance
6 argument such that by evaluating the uncertainties that
7 there isn't a pop-up that is going to move the whole thing
8 away. In other words, the defense in depth approach.

9 With those three things you can start making your
10 decisions.

11 Have we written our criteria for that? No. But
12 that's the process that we have to go through, and I believe
13 those are the three factors that we really have to consider.
14 There is a fourth factor, which is cost, and we have to look
15 at what the cost of all of these items are.

16 CHAIRMAN COHON: Yes. You said before cost is one
17 of the things.

18 MR. BAILEY: But we absolutely have to understand
19 the performance and how well it works, and then we will work
20 with the cost issue.

21 CHAIRMAN COHON: I was thinking also, though, in
22 terms of method. This thing sort of cries out for the
23 application of some kind of decision theoretic approach.
24 This also goes to Alberto's question, that if you had some
25 methodology that you could use to turn the crank, it would

1 give you a way also to try different subjective views of the
2 competing factors relatively easily.

3 MR. BAILEY: Yes. I would agree with that. It
4 isn't intended to be three people sitting in a dark room.

5 DR. NELSON: At this point, are you ready to move
6 on to the next subject?

7 MR. BAILEY: Yes.

8 DR. NELSON: Here's our next speaker.

9 [Slide.]

10 MR. BAILEY: In the previous talk, we reviewed the
11 EBS design, what we think we have to do to satisfy an EBS
12 for the chosen basic considerations that we have at this
13 point in time. It's an economical design that we have
14 chosen. It puts lots of waste into a few packages; it loads
15 the packages into the repository in a manner that saves us
16 as much space as possible and minimizes our construction.

17 The performance assessment suggests that we aren't
18 doing too badly with the design that we have right now.
19 It's what provides us a basis to work. Everything that I
20 talked about was a process and what we know right now should
21 we take the VA design to LA.

22 This talk is about alternative designs. Let's get
23 out of the box; let's do something different, something a
24 little more radical.

25 Perhaps the way that we chose those is to try and

1 do away with some of the uncertainties that we have
2 encountered because of what we have chosen. The high
3 thermal load and the effect on the rock and how the water
4 moves is a good example.

5 [Slide.]

6 MR. BAILEY: There are four that are of particular
7 interest, I think.

8 Thermal loading. There are a lot uncertainties
9 with the thermal loading. We will move a lot of water. We
10 are doing a lot of testing to find out how that water moves
11 so that we can bound it. We are coming up with engineered
12 features to deal with that uncertainty because we may not
13 know exactly how to resolve all of it, but if we can get
14 engineered features like ceramics and backfill, then we have
15 a chance of staying away from those particular
16 uncertainties.

17 The waste package size is always of interest. How
18 big should it be? Should it be economical sized, or should
19 we make it much smaller so that we can spread the heat out
20 or spread the radionuclides out? That is, of course,
21 related to a certain extent to thermal loading and certainly
22 to the thermal goals that Jim Blink talked about.

23 Ventilation is of interest because there is a
24 mechanical thing that we can do, a mechanical approach that
25 talks about the control of the heat, again staying away from

1 the uncertainties associated with heat. And the potential
2 removal of moisture both in the preclosure case, if we
3 ventilate for the 50 years, or for a long time should the
4 repository stay open longer, or the suggested natural
5 circulation of a closed repository that Dr. Danko has
6 suggested, or an open repository. Just keep removing the
7 moisture. Moisture is the enemy. Don't let it corrode the
8 package. So keep it away.

9 Finally, the questions of human access to the
10 repository. Should we be able to go in and look at the rock
11 to see how it's really behaving inside a drift?

12 Probably more importantly than that is the ability
13 to deal with upsets in the placing of packages or as
14 packages are in their resting place to avoid the remote
15 handling issues, which as an engineer I think are completely
16 handleable. Being able to go in there and see and touch and
17 be closer to upsets provides that ability to have a little
18 higher confidence that you can deal with them.

19 Those are what we chose as the big four
20 alternative design features to give some consideration to.

21 As Jim Blink said, we have done some work this
22 year and a study which we haven't issued. The reason we
23 haven't issued that study is that we are still looking at
24 the results with regard to what conclusions we can draw from
25 those results.

1 To go back to Dr. Sagues' comment, we want to make
2 sure there are no biases and we want to make sure that there
3 is a pure basis for why we make these choices. The choices
4 are probably not design decisions at this point in time. We
5 probably don't have enough fidelity in our calculations to
6 be able to say it's low thermal load time, but we learn
7 something about as we move through.

8 [Slide.]

9 MR. BAILEY: In the interest of time, we did look
10 at three different package sizes represented by the 21
11 package BWR. Tom Doering will talk a lot about the sizes, I
12 think, tomorrow; the 12 size PWR, which is about half that
13 many, so you have a little source term and a little less
14 heat; and the 5 PWR, which is a very small package.

15 We looked at them with and without shielding.
16 What are the thermal effects? Can we shield them? What
17 physically happens because you want to shield this?

18 We looked at an 85 MTU per acre, which is the high
19 end, and we looked at 25 MTU per acre, which is the load
20 thermal load area.

21 In the 25 MTU area we actually did two pieces. We
22 actually looked at allowing boiling above 100 C in a rock
23 and how would we do it to not let the rock get to 100 C.
24 What would we have to do to not cause the rock to go through
25 the boiling? Not going through boiling doesn't mean there

1 aren't geochemical effects, but you do limit the boiling of
2 the water per se.

3 Then we looked at various ventilation schemes. We
4 tried to do combinations and permutations of that. I'm
5 going to talk just a little bit to that today.

6 We looked at the physical parameters; we looked at
7 the things that we could really measure, the temperatures,
8 the sizes, the mass, the cost. We tried to look at those
9 items with it, keeping a skewed eye to the performance
10 aspects of them.

11 [Slide.]

12 MR. BAILEY: We did a preliminary analysis of the
13 alternative designs. That's what we are doing for VA. We
14 are focusing on the VA design. It is important that we
15 develop that VA design and be able to make the management
16 decisions that Mr. Barrett talked about this morning.

17 While we are doing that we will work and try and
18 understand what are the important aspects of the various
19 alternatives.

20 How do we improve the fidelity of our models?
21 What is it that we have to learn in order to -- I like the
22 word "calibrate; the PA guys don't -- calibrate those models
23 so they'll work at high thermal loads and low thermal loads
24 and different corrosion areas and different temperature
25 regimes? We tend to focus testing on those areas. We want

1 to make sure that we have an apples and apples comparison
2 when we finally get down to it.

3 We are pushing for the VA design and we are doing
4 scoping or small studies, one of which is being completed,
5 with regard to the alternative designs.

6 For the LA we pretty much have to have a full
7 treatment of the alternative designs. That's required for
8 the license and Part 60, and we have to be through that to
9 an extent that we can explain why we chose what we chose.

10 In the coming year it's important that we stay
11 focused on the VA and that we look at the alternatives and
12 how to get specific performance out of those alternatives
13 for the future.

14 [Slide.]

15 MR. BAILEY: Jim Blink went through the thermal
16 goals, clad, drift wall rock, zeolites, and there is an
17 at-surface which he mentioned briefly and a couple of
18 others.

19 We have below 40 and above 40. This is where the
20 boiling isotherm coalesces down the drift. As I said, we
21 also looked so that there was no boiling.

22 Some good guy numbers. It takes about 10,000
23 waste packages to place at 85 MTU per acre and a 28 meter
24 drift spacing and about 740 acres.

25 At 25 MTU per acre you are down to about a 56

1 meter drift spacing, and it takes between 10,000 and 16,000
2 waste packages to accomplish it, mostly because of the heat.

3 CHAIRMAN COHON: Is that drift spacing drift to
4 drift?

5 MR. BAILEY: Drift to drift, yes. I'm sorry.
6 It's drift to drift in the block.

7 The more interesting number to get down, it takes
8 about 2,520 acres. It takes almost four times as much space
9 to emplace, which makes sense because it's more than a third
10 reduction. So it takes a great deal more space in order to
11 do that. As you might expect, cost goes up as you start to
12 excavate and need to characterize greater portions of the
13 facility.

14 If you go to the no boiling case, it's pretty much
15 five packs of fuel for the PWR. You have to age the hot
16 packages about 20 years more than they already are before
17 you can put them underground, and it takes about 33,000
18 packages, about double the number of packages for 25 MTU per
19 acre, which allows boiling.

20 So when it comes down to strict numbers, we have a
21 pretty good idea of physically what it takes. We can show
22 you those numbers when the report is issued of how much it
23 physically takes. The cost becomes pretty clear.

24 The considerations: mobilization of water,
25 geochemistry, structural effects, and it shows 50 kilometers

1 of additional tunnels. It's probably a lot more than that
2 when you start taking into account how you get there.

3 So we have a pretty good idea on the physical
4 handle.

5 [Slide.]

6 MR. BAILEY: But then you look at the total system
7 performance. Okay. Now we've got the money, now we know
8 what physically has to happen. That's all very interesting.
9 Do you get anything for it? Does the place work better? Is
10 it something we should be doing?

11 Those competing effects. You want to move the
12 moisture away and you want to keep the moisture away. The
13 hot packages seem to do that better, as you might expect.
14 It tends to boil it and have the energy necessary to move it
15 away. As such, you would expect it to stay away longer to
16 percolate back; colder you would expect it not to go as far
17 and come back sooner.

18 The kinetic effects of temperature on the
19 corrosion of the corrosion allowance and the corrosion
20 resistant materials. One of the other pieces that came up
21 in the expert elicitation was that perhaps we have too much
22 temperature dependence in our change in degradation rates;
23 perhaps the rate doesn't change as much as we believe it is.

24 We have a fairly steep curve which we elicited a
25 couple of years ago, and we have got some test data now that

1 says maybe it's a little flatter, so maybe you don't get
2 quite as much effect from temperature, lowering the
3 temperature, on the degradation of the packages as we
4 believed. On the other hand, galvanic protection changed.
5 So where we used to work with pits, we don't work with pits.

6 The study that will be issued soon was done with
7 TSPA-95 calculations, which are changing. The testing that
8 we are doing thermally in the field suggests that we need to
9 calibrate our models a little bit on how the water moves.
10 The expert elicitation has suggested we need to calibrate
11 how our metals corrode.

12 We need to put those couple processes together to
13 get the time histories, the movement of the water, and put
14 all of that together into the couple processes. Jim Blink's
15 trajectory chart, as we call it, his red and green chart is
16 going to change. Those things are different. So we think
17 that's probably going to change now. The humidity may
18 change; the areas of corrosion may change.

19 Of course his didn't go into the mechanism of
20 corrosion, just that there was corrosion. Before we looked
21 at that trajectory chart it came to a certain point and then
22 galvanic kicked in, and you could then hold it for a long
23 time. Now maybe galvanic doesn't kick in, but maybe it
24 corrodes slower.

25 There are too many things to try and go "that's

1 the answer, let's move forward." So we have to calibrate
2 those models, and that's what is happening. The models are
3 being updated for the competing effects, and we are working
4 through those.

5 You will notice in there that it suggests
6 potentially improved performance from the low thermal load.
7 The calculations on TSPA-95 runs say it's a big deal; you
8 get a lot of improvement at low thermal load; it works a lot
9 better. But it's hard to say that that's true or it's not
10 true based on our better understanding of the natural
11 systems and the response to the engineered material.

12 What it tells me, and I'm trying to be consistent
13 with before, is that we had better look at it again. Once
14 we get these models updated, there is something here to be
15 considered. We don't know what the answer is and it's not
16 time to change, but we certainly are finding out what we
17 need to focus on, and we need to focus on what happens at
18 these lower temperatures and what happens at these lower
19 thermal areas inside the rock system.

20 [Slide.]

21 MR. BAILEY: Alternate waste packages.

22 The design considerations are corrosion
23 resistance, thermal output, being able to handle, and
24 emplacement and the cost. The engineers tell me that 65,
25 75, 80 tons is probably as much as we can reasonably handle

1 underground. We are into a different technology perhaps if
2 we have to get a lot bigger than that. So we are kind of
3 there. Anything is engineerable, I believe, but that's kind
4 of where the no-lab coats is right now.

5 The corrosion resistance. Well, we have to be
6 careful of radiolytic corrosion, as you might expect, and
7 general corrosion, and we are trying to pick the right
8 materials to make sure we get the right materials in there.

9 The thermal. As I just described, we can move it
10 around, or we can age. Aging isn't in the program at this
11 point, but if aging turns out to be the right thing to do,
12 then we can recommend aging.

13 The current design considers five basics:

14 The 12 to 21;

15 44 BWR assemblies;

16 The 4 to 5 DOE high level waste with DOE spent
17 nuclear fuel as part of that;

18 Canistered commercial fuel, the NPC;

19 And canistered Navy spent fuel.

20 Those are all the things that we look at that we
21 have to deal with.

22 So we are taking a look at, as alternatives, how
23 about something smaller, the 5, the 12, the 21, as I
24 suggested, going all the way down to a 5.

25 [Slide.]

1 MR. BAILEY: And shielding it. We did some work
2 on shielding with A516 using depleted uranium and some
3 magnetite concrete, concrete with some steel in it to act as
4 a shield.

5 As well as aging. How long do we have to store it
6 to get the dose down?

7 Lower thermal output. We can look at a smaller
8 package; we can look at aging; ventilation, short term, long
9 term.

10 And, of course, aged fuel again.

11 [Slide.]

12 MR. BAILEY: Preclosure ventilation. We looked at
13 a current design, which is a 0.1 of a meter per second flow
14 through the drifts to make sure the air is moving in the
15 right direction if there is a radiological event.

16 An alternative was 10 cubic meters per second
17 through the drifts. As Jim Blink showed you, 10 cubic
18 meters per second will make a 50 degree centigrade max drift
19 temperature at the end of the drift; it's 26 at the entry
20 end and 50 at the center. So you can go in and you can go
21 through.

22 We looked at heat transferred to the natural
23 system.

24 Our analysis said the heat isn't in the natural
25 system. We start from a cooler temperature.

1 What happens to the moisture in the near field?

2 Again we looked at the cost, the cost of putting
3 in that big a system, and then the operating cost of it for
4 a number of years.

5 [Slide.]

6 MR. BAILEY: It was alluded to and my engineers
7 are a little unhappy with me because this is pretty
8 notional; it's not a good economical design at this point,
9 but I thought it was useful to show that you have to have a
10 lot of intake shafts and you have got to have a lot of
11 exhaust shafts in order to keep the temperature down so that
12 people can actually go in and work in those areas as they
13 are exhausting.

14 There are a lot of shafts to dig and a lot of
15 extra drift work to do to move the ventilation around. Not
16 that it can't be done, not that it's unacceptable. It's a
17 question of the gain in performance versus the cost and does
18 it do for us.

19 [Slide.]

20 MR. BAILEY: Postclosure ventilation I won't say
21 too much too other than there is natural convection; it
22 could be human induced and controlled, i.e., something from
23 the outside.

24 The considerations are feasibility. You've got to
25 make those drifts stand up. Somehow or another we have got

1 to be able to keep the circulation path open. I haven't
2 figured out how to keep the emplacement walls up forever, so
3 I don't know if I can do this, but it's a consideration. It
4 is in a different thermal regime and it may be an easier
5 chore, but we have to consider that; we have to consider the
6 human intrusion issues.

7 But it does remove heat and humidity, as Jim Blink
8 suggested.

9 [Slide.]

10 MR. BAILEY: I like things without moving parts.
11 It says it might work and it says it might give us some
12 benefit. So it needs to be looked at. And it's the same
13 picture that you saw before with the same flow paths.

14 [Slide.]

15 MR. BAILEY: Finally, human access. I've talked
16 to it a little bit. Ventilation of 10 cubic meters a second
17 to get it so that a person can go in and live there or walk
18 through.

19 The 21 PWR package has between 100 and 200 REM per
20 hour gammas on contact, 1 to 4 REM neutron on contact,
21 unshielded.

22 We allow 200 degrees C in a drift. As I said, we
23 can get it down to 50.

24 So we did some looking at the shielding it would
25 take. I'll run through it very quickly, although the report

1 does a nice job of it.

2 We basically looked at what it would take to get
3 down to 2.5 millirem an hour, allow 2,000 hours per year
4 access for your 5 REM total dose. Just a flat division as a
5 way to really get it down to small.

6 What we found is that you needed about 100
7 centimeters of A516; you needed a whole lot of steel; you
8 also needed a whole lot of depleted uranium; and both
9 packages became unwieldy, in excess of 100 kilograms if you
10 maintained the same package size that we have now. It was
11 just unacceptable.

12 We then look at the 5-pack. Let's say we go to
13 the 5-pack, or the no boiling case if you prefer. It
14 requires about 100 years of aging in order to put concrete
15 or depleted uranium on it. It will still fit inside the 2
16 meter size that we have right now, meaning it's handleable,
17 but it takes about 100 years of aging to cool it enough so
18 that you won't exceed your clad temperatures by the time you
19 get it shielded.

20 Very difficult to show the shielding. The reason
21 is that when you have the big package, the inner elements
22 are pretty much shielded by the outer elements. So all you
23 are seeing in the package is the outer elements for your
24 shielding. When you make the thing smaller, all you did was
25 take away the self-shielding from the stuff in the middle

1 and have to put it in another package and shield it
2 separately.

3 So shielding is not sitting real high right now.
4 You might be able to go in and walk around, but you won't be
5 able to see the package. It pretty much has to be encased
6 in a foot and a half or two and half feet of concrete. So
7 you won't be able to see the package.

8 Right now we haven't found physically that
9 shielding is going to work very well if we are going to try
10 and get down to that low a value.

11 [Slide.]

12 MR. BAILEY: I'll go back to the first slide for
13 alternative design features, the four. We think we have to
14 look at them.

15 There may be performance gains from thermal
16 loading; there may be some performance gains from the size
17 of the waste package. Certainly some cost, but there may be
18 some performance gains from the size of the waste package.
19 We have found in the analysis that there wasn't a whole lot
20 of difference between the 5-pack, the 10-pack or the
21 21-pack. It really didn't make a lot of performance
22 difference. It was mostly based upon the areal mass
23 loading. That's what really drove the issue.

24 That's what the first piece has shown us, but we
25 will continue to look at package size, mostly with regard to

1 the individual heat of the wall and whether or not the wall
2 and localized problems create a problem for us. Thermal
3 blending may be a better answer than waste package size.

4 With regard to ventilation, we are going to
5 continue to look. We may need backfill; we may need
6 ventilation in order to accomplish backfill alone; and
7 ventilation may in fact provide us with a significant
8 performance change by taking moisture out of the rock. We
9 don't know, but we are going to go look to try and calibrate
10 our models to accomplish that.

11 Finally, human access to the repository. The
12 shielding question is making that a little more difficult,
13 but we can get in there for the ventilation aspect.

14 We did spend a few minutes looking over old work
15 done on borehole emplacement and a lot of rock questions
16 associated with the temperature there of drilling all the
17 holes and putting the package into a tight fit.

18 We are trying to think of some alternative
19 designs. There is one that suggests a waste package sitting
20 in a trench. Build a concrete trench up above, put the
21 waste package in there, and you can get enough shielding in
22 the concrete trench so that you can walk around underneath
23 and inspect the rock as an alternative perhaps. I'm not
24 sure how much that gains you in terms of human access
25 because you still can't see packages and you can't be around

1 them. But we are looking at some of those kinds of pieces.

2 What I am trying to say as I stumble through the
3 end of this is that we haven't closed these things. We have
4 learned a lot more about it. We have taken the anecdotal
5 stuff of how many packages do you have to have and how thick
6 is the shielding. We are getting that math done, and now we
7 have those things as facts in our quiver, and now we can go
8 after the performance aspects that need to be worked on.

9 That's what we are going to be doing in a limited
10 manner this year and certainly fairly whole hog as we
11 proceed to the LA.

12 Thank you.

13 DR. NELSON: Thank you, Jack, for double duty.
14 Appreciate it.

15 Let me ask you one question. I was struck by the
16 drawing that you had up there which was effectively the
17 current repository or the VA repository with a bunch of
18 extra tunnels and shafts in it. How much are you going to
19 reopen all facets of the design? I suspect that there is a
20 design for either passive or active ventilation that might
21 be more efficient in terms of developing the capabilities of
22 ventilation than that particular one.

23 MR. BAILEY: I would agree with that. As I said,
24 my engineer was a little amazed that I bothered to put it
25 in. I asked him what it would take, and that's what he did

1 for me. I tried to represent as that to you. I'm not
2 trying to tell you that it's horrendous, but you do have to
3 move a lot of air, and there may be better ways. The
4 question is one of performance. If that performance says we
5 get something, then we will go very hard after the design to
6 come up with the most economical design.

7 DR. NELSON: But it's sort of hard to do some of
8 these things that do represent alternative repository
9 concepts along the line of the existing layout. In some
10 cases it doesn't make a whole lot of sense.

11 MR. BAILEY: That's correct. We may have to
12 reconsider that. One of the interesting things that happens
13 in the performance assessment world -- I'll see if anybody
14 shakes their head at me wildly -- is that you model in the
15 performance assessment world.

16 You don't necessarily have to have a pure design
17 in order to model. You can do some parametrics to find out
18 what do I really get from this. The secret is to calibrate
19 it. The guy who did ventilation effects for us never saw
20 that. We told him what we thought we could accomplish with
21 ventilation and he plugged it into the PA and then he gave
22 us some thoughts as to how that was going to work.

23 The concern we have is that the testing and the
24 metallurgy and some other things are not as high fidelity as
25 we believe they would be in another few months. It's

1 changing. It doesn't mean it's changing down; it doesn't
2 mean it's changing up; it's just changing; and we need to
3 put those couple pieces together.

4 It was good work, and now we are a little smarter
5 and we know how to put it together better. So we can do
6 things in the alternative area by having the PA guys do some
7 modeling. We can come up with a basic "what is it we are
8 trying to accomplish and what are the criteria?"

9 If you noticed, I tried to talk a lot to criteria.
10 Jim talked a lot about what are numbers and where these
11 things are. I tried to talk to criteria and what we are
12 trying to accomplish. If we can stay with what we are
13 trying to accomplish, then we will start picking some
14 numbers and say, can we do it. So we find out from PA, do
15 we get anything from ventilation, and if we do, then we'll
16 go figure out how to design it. And if we don't, then we're
17 not quite as interested.

18 DR. NELSON: We'll go to Debra, and I want to open
19 the questions up also to the consultants.

20 Debra.

21 DR. KNOPMAN: You just gave me the perfect segue
22 into my question. I realize there is a lot of analysis that
23 is still to be done. If you look at your alternative design
24 features for thermal loading, waste package and ventilation,
25 let's pick one performance criterion, like delaying release

1 from waste packages. Could you give us order of magnitude
2 guesses? I realize that's all they are now, but at least
3 your feel based on what you know, the possible range of
4 gains you get in performance from changing thermal loading,
5 from enhancements to the waste package, and through a much
6 higher ventilation rate.

7 I'm just trying to get some feel for whether we
8 are talking about dying a few hundred years in the case of
9 the waste package or a few thousand years, or in the case of
10 thermal loading another thousand years or so of dryness.

11 Do you want to try that?

12 MR. BAILEY: Sure. First, don't believe that we
13 know nothing. I'm an engineer. So I'll represent me.
14 Nothing is absolute. There is always a little give and
15 take. We know a lot about what goes on inside that
16 mountain. We know a lot about what happens in that
17 metallurgy.

18 Putting it all together and making it a licensing
19 case -- my background is nuclear licensing in the commercial
20 nuclear business -- we have a little ways to go to make that
21 work. But we have some awfully good understanding and
22 knowledge of what it is that actually is going on there. So
23 don't let me leave you with "we don't know anything." We
24 are trying to make it better before we move forward.

25 What we found is that waste package size doesn't

1 make a whole lot of difference. You don't change very much
2 with regard to it to say it's mass loading that seems to
3 make the difference. We found that the mass loading did
4 make a significant difference and we believe that it's tied
5 to the kinetic effects of the corrosion, and we believe that
6 the results are tied to the kinetic effects of the
7 corrosion, and we believe that it's tied to how quickly the
8 water comes back, both of which we are looking at
9 specifically in our model evaluation. There was a
10 significant difference between low and high.

11 As I said, I'm not certain. I think we need to
12 run new models before we know for certain, or at least get a
13 little closer to what is there to get them calibrated
14 properly.

15 Ventilation just gave you a different starting
16 point. The preclosure ventilation gives you a different
17 starting point. It starts you out at a lower temperature,
18 perhaps removes some water from the drifts. So you start at
19 a little bit lower temperature so your boiling isotherms
20 don't move quite as far and you don't move quite as much
21 water. I don't recall the results from that. I think we
22 did run it, but I don't recall the results. I don't think
23 there was a significant difference.

24 We did not evaluate Dr. Danko's specific on how to
25 move it. We didn't have an easy way to model that right now

1 in terms of how to move that and some of the feasibility
2 questions.

3 The only thing that really seemed to make a big
4 difference was in fact the thermal load, and there is some
5 question with regard to the modeling.

6 The non-boiling case also turned out to be a
7 little worse the way that the models worked. It actually
8 turned out to be a little worse than the boiling case. I
9 can't explain that. I wish that I could. The idea, I
10 guess, is that the moisture is there and it's still hot
11 enough; it's warm enough, it's toasty, and it's dripping.

12 But I don't know. Again we are into models. I
13 don't want to say no boiling is no good out of this side of
14 my mouth while I say low thermal load is no good out of this
15 side. But we didn't find a significant difference. I think
16 the models are not bad for comparing items at similar
17 conditions, but it isn't clear that they work across broad
18 ranges very well.

19 DR. KNOPMAN: Between now and LA will you be
20 conducting lab and field studies that will substantially
21 improve your predictive capability on these various
22 alternative design features, or is it all strictly modeling,
23 basically model enhancements or adding complexity to
24 existing mathematical models?

25 MR. BAILEY: No. The improvement to modeling

1 should be based as much as possible upon factual data from
2 the field, either our testing or someone else's testing, or
3 natural analogues. That's what we should be using. There
4 is in fact a fairly extensive corrosion testing program
5 which Dave Stahl will talk to you about to close out your
6 session tomorrow.

7 There is testing associated with thermal aspects
8 of the mountain going on in several places around the
9 mountain, which Larry Hayes can talk to at great length. It
10 should provide us some information on how that is going to
11 work better.

12 Ventilation is a little different problem. That I
13 have to think about. I don't know that there is anything
14 specific other than, I guess, the niche tests which are
15 going on, and they will provide us a good deal about what is
16 going on.

17 DR. NELSON: Jerry, Dan and then George.

18 CHAIRMAN COHON: Two quick questions. In all
19 these statements you were just making about whether
20 something mattered or not, that was always with regard to
21 peak dose as estimated by the TSPA models.

22 MR. BAILEY: Is that a question?

23 CHAIRMAN COHON: Am I right?

24 MR. BAILEY: No.

25 CHAIRMAN COHON: What was your basis for saying

1 that?

2 MR. BAILEY: I have to go back to my other chart
3 that we all like.

4 CHAIRMAN COHON: Your matrix?

5 MR. BAILEY: Yes.

6 CHAIRMAN COHON: Good enough.

7 [Slide.]

8 MR. BAILEY: The matrix says there are more of
9 them. The other thing is you want defense in depth.

10 CHAIRMAN COHON: Good enough. I got it.

11 On your chart 10 on postclosure ventilation you
12 listed three considerations. One that you didn't list but
13 you mentioned during your presentation was human intrusion.

14 [Slide.]

15 CHAIRMAN COHON: That it's not on the printed list
16 of considerations, do I read from that --

17 MR. BAILEY: I buried it in feasibility.

18 CHAIRMAN COHON: Okay. Thanks.

19 DR. NELSON: Bullen

20 DR. BULLEN: Jack, I have sort of three quick
21 questions for you.

22 You said you had to get down to 2.5 millirems per
23 hour so you could have human access. Why so low?

24 MR. BAILEY: We chose that arbitrarily. The idea
25 was 2,000 hours so somebody could work there and get 5 REM a

1 year. That's why we chose the number. It was arbitrary.
2 We could have chosen it as 30. It doesn't change the
3 results a whole lot between 2.5 and 30.

4 DR. BULLEN: Have you done the cost analysis with
5 respect to waste package shielding versus the cost for
6 performance confirmation? With all the tunneling above and
7 below, if you've got shielded waste packages, I could stroll
8 down the aisle and inspect and ventilate so that I could get
9 in there. How much does that save me versus the cost of
10 having to put in performance confirmation testing above and
11 monitoring? Has that cost analysis been done?

12 MR. BAILEY: No, that cost analysis hasn't been
13 done, but the performance confirmation that we area really
14 interested in is what is going on in the rock more so than
15 what's going on in the package or in the drift.

16 The drift is interesting, but it's lined. There
17 isn't much to see except whether the wall is staying up. We
18 can see that. What we really want to find out is what is
19 going on inside the rock. We want to find out what the
20 temperature is doing, where the water is going, how the
21 isotherms are moving, what's physically happening. I don't
22 know that we'll take samples from that. But we're really
23 trying to find out what is going on in the mountain itself.

24 Being in the drift is really there more for
25 upsets. If I were choosing a basis, it would be to deal

1 with upsets, not trying to deal with the PC. PC is what is
2 going on in the rock, and I don't have a reason to drill my
3 hole from inside. I'd just as soon take it from above, from
4 the undisturbed area and start poking into the disturbed
5 area to learn about it.

6 DR. BULLEN: I am a little bit perplexed where you
7 come up with a meter of A516. We can build a dry storage
8 cask that only needs a quarter of a meter for licensing.

9 MR. BAILEY: Maybe I read it wrong out of the
10 report.

11 Did I read it wrong, Tom? I probably did.

12 MR. DOERING: Basically what we are dealing with
13 for dry storage casks and things like that, they are looking
14 at specific fuel types that have maybe a 5-year-old 33 gig
15 burnup. What we are looking at is a much higher dose rate
16 of 70,000 metric tons burnup, something in the 10-year-old
17 time frame, so the gammas and neutrons are coming out very
18 heavily. So we are dealing with a higher dose rate out of
19 the fuel; the source term is higher.

20 Secondly, we are also restricted from using
21 interesting materials like polyethylene that we normally
22 would use, or glycol that we would normally use. With that
23 you are having to deal with the basic materials which
24 require thicker.

25 DR. BULLEN: I think the key here is that you

1 should divide up the two radiation doses. If you shield for
2 gammas for one thing and then if you actually have to go in
3 there, you can always take in your polyethylene and put a
4 cover on whatever you need to get to to take a look at the
5 neutron doses. Those are the kinds of things that they do
6 in dry cask storage all the time. They'll take a cask and
7 they'll move it out and then they will put the neutron
8 shield on it. So the only thing you've got for impact
9 limiting is the neutron shield may get destroyed.

10 I don't want to have to say that you need to do it
11 all in one shield, to put those extra meters of material on
12 just to take care of the neutrons.

13 MR. DOERING: It's an option that we haven't taken
14 a look at. If that's another operations thing. We can take
15 a look at it. But if you are moving one shield, what's the
16 need to put another in? Now you have two mechanisms you're
17 dealing with.

18 DR. BULLEN: I just think it's a little bit of a
19 misnomer to try and do it all with A516.

20 MR. BAILEY: Tom reminds me that we took a
21 heavy-handed approach to the shielding, and that, yes, we
22 could do it and we could probably cater it for specific
23 types of fuels and we could use specific shields if we have
24 a need to go in there. Part of this is what's the need to
25 go in there.

1 DR. BULLEN: True, but if you are taking a look at
2 the design option for access postclosure or access after you
3 are doing this, you don't necessarily have to take a look at
4 the worst case and then preclude it because you've have to
5 buy a meter for everything.

6 MR. BAILEY: I understand.

7 MR. DOERING: Going into that answer and that
8 question a little bit, then you'd have to have a design
9 bases waste package for the many different kinds of waste
10 forms that we are dealing with and how do you segregate
11 that. So it becomes a licensing issue also. Basically
12 nothing is for free.

13 DR. NELSON: George.

14 MR. DANKO: I would like to have a question about
15 drift diameter. You presented us a great number of design
16 alternatives. I'm almost dizzy about the many solutions.

17 [Laughter.]

18 MR. DANKO: But I am still missing one, so please
19 forgive me for this. My question is whether you feel that
20 the drift diameter could be reduced maybe even down lower
21 than Tom Doering told us, that it was 4.5 or 4.6 meters
22 based on cladding temperature. If you happen to consider
23 seriously ventilation, you could probably come down with the
24 drift diameter from temperature constraints, down maybe to
25 3.5 meters, or below a little bit of 4 meters.

1 My question is whether that reduction in drift
2 diameter is compatible with other aspects of waste
3 repository design or if the drift diameter is driven by some
4 other constraints, like construction or other points?

5 MR. BAILEY: I'll look at Dan here for a minute.
6 I think the answer to the question is that we have a size
7 for keeping the temperature down, as Tom suggested. The
8 ventilation might be able to help with that temperature.

9 We do have to have a big enough gantry to pick
10 these things up and carry them in. We do not have to be
11 able to carry one over another. We could abandon that if we
12 need to. It's present now. So we are preserving it unless
13 we don't need it. But we do have to have a gantry that has
14 enough steel on it to basically be able to pick this up and
15 carry it. That may in fact be the driving consideration.

16 Can you help me with that, Dan? Is the size of
17 the drift in fact involved in the size of the gantry?

18 MR. MCKENZIE: This is Dan McKenzie with the M&O.
19 In my briefing we will see a cross section of the drift that
20 shows the liner and the emplacement gantry and two packages
21 imposed one over the other. You'll see that there is not a
22 whole lot of room left in there. That's assuming that we
23 use the concept that we have now. If we went back to rail
24 cars, which is what we had in ACD or something like that,
25 you might be able to change that space a little bit, but for

1 right now with the concept we have the drift size is
2 reasonably tight.

3 MR. DANKO: When you work on alternative design
4 concepts and also with the shields, you might consider that
5 the smaller drift is better self-shielded. It is more
6 integral in the long-term range, and that would be a great
7 advantage.

8 MR. BAILEY: Yes. As an engineer, when we choose
9 our design, we are going to make the best one we can. If it
10 ought to be smaller, it will be smaller.

11 DR. NELSON: Klaus.

12 MR. KUHN: Apparently Yucca Mountain is located in
13 the unsaturated zone. Nevertheless, one main objective of
14 your design is to prevent water seeping into the repository
15 to prevent contact with the waste package. My question is,
16 have you looked into the international available concepts
17 for repositories which are located in the saturated zone?
18 They have the problem per se; they will be refilled with
19 water after some time. I am wondering if you have
20 considered, as the Swedes, for instance, and the Swiss and
21 the Canadians do, making use of bentonite as backfill
22 material.

23 MR. BAILEY: I personally am not familiar with
24 those designs. If there is someone here who wants to try
25 and address that specifically. We certainly are staying

1 alert to what goes on in the community, but I personally
2 can't address that question.

3 DR. NELSON: Carl Peterson has a question.

4 MR. BAILEY: You want to answer that, Abe?

5 MR. VAN LUIK: This is Abe Van Luik, DOE. We
6 looked at bentonite and decided that there are a couple of
7 properties that in the unsaturated zone give us a problem.

8 One is that they would imbibe water and therefore
9 create a wet environment around the waste package.

10 The second one is, even though there would be a
11 diffusion controlled environment, if you can't maintain the
12 saturation under heat, it tends to crack.

13 So those were the two reasons I think that we
14 decided bentonite is wonderful for a saturated environment
15 but questionable for an unsaturated environment.

16 MR. PETERSON: It looks like a conspiracy to talk
17 about the diameter of the drift, but I assume that these
18 temperature limitations were for a given linear loading. Is
19 that right? Or given waste package.

20 MR. BAILEY: There is a series of design waste
21 packages that we look at, yes.

22 MR. PETERSON: If you reduce the drift diameter
23 and you reduce the load diameter which is to say you reduce
24 the thermal load in proportion to the square of the drift
25 diameter, then the ratio of thermal load to surface area

1 changes favorably, so all the temperatures go down.

2 MR. DOERING: We had done some studies in this
3 area. If you don't have the convection going through
4 pushing a lot of air, radiation is the dominant heat
5 transfer mechanism inside the packages, and that's what is
6 really the benefit in the in-drift emplacement. So you do
7 have a large area to radiate to and to remove the heat from
8 the package. If you get smaller packages, that helps you,
9 and you put less heat in the package. So you can do some
10 tradeoffs with that.

11 The tradeoff we did was with the 5, 12 and 21. We
12 try to keep them with our 18 kW package, and we did some
13 variation on that too. If we move off of that, we would
14 require some blending and some holding time, and I can talk
15 to that a little bit tomorrow also.

16 MR. BAILEY: Remember what we are trying to
17 accomplish here, as I said very early in my presentation, is
18 we are working on the VA and we are trying to find out what
19 we should be studying about the alternatives. That's where
20 we are going right now and that's what we are doing.

21 They are good questions, but there are details of
22 how we tweak it a little bit. I don't think I said we ruled
23 anything out and that anything was gone. I think shielding
24 is a little problematic, but we basically haven't thrown
25 anything out and we are finding out what we need to go look

1 at. Your questions are reasonable and what it is that we
2 need to look at. So we are continuing to do that.

3 DR. NELSON: Any final questions from the Board?

4 [No response.]

5 DR. NELSON: I thank you very much for doing
6 double duty, Jack, and thank you as well to Jim. Appreciate
7 those presentations.

8 We will have a break now for 10 minutes.

9 Reconvene in 10 minutes, back on schedule, I hope.

10 [Recess.]

11 DR. ARENDT: The balance of the afternoon will be
12 spent on a session on repository concept of operations.
13 There will be four presentations: Overview of repository
14 operations; subsurface operations, remote operations,
15 performance confirmation facility design.

16 The concept of operations is extremely important
17 as it relates to cost and safety.

18 Another factor is the recovery of failed remotely
19 operated equipment is very expensive, particularly in drifts
20 that are 1,200 meters long.

21 So these are things that the Board is interested
22 in.

23 Our speakers this afternoon will start with Paul
24 Harrington. Paul is a team leader for the license
25 application team for DOE. He's a mechanical engineer, and

1 he will give us an overview of repository operations.

2 MR. HARRINGTON: You mentioned the Con-Ops on one
3 of the earlier slides today. We did have a bullet on there
4 for the update of the Con-Ops document to happen in July of
5 next year. So we agree that that is important. I wanted to
6 mention that.

7 [Slide.]

8 MR. HARRINGTON: The objectives today. We will
9 talk about the overall repository site, the surface
10 operations area, what goes on at the north portal, and talk
11 through to the handling activities in the waste handling
12 building.

13 [Slide.]

14 MR. HARRINGTON: First, an idea of what it is we
15 expect to have come to us. This is representative.

16 This has loaded weight. We know now that some of
17 the canisters that we will get will be heavier than this.
18 Specifically, the naval canisters are a little bit larger
19 than what we have been using as our design. The navy hasn't
20 closed on their design. They are trying to bring theirs
21 down to be as minimally impactful to us as they can. When
22 that is done, then this design will be readjusted to
23 accommodate that.

24 A lot of the products that we have sizing already
25 done for bridge cranes, canister handling devices. That is

1 preliminary; it's conceptual. As we close with the navy on
2 the size of their canisters and as we work through with the
3 RSAs, what we may be getting from them, that will have to be
4 adjusted.

5 We have been putting most of our design work into
6 the major uncertainty areas and waste package and subsurface
7 design, the surface facility. We are developing a concept
8 for the operation. It will support the cost estimate and
9 the viability assessment, but we are not doing a lot of
10 detailed work for that.

11 [Slide.]

12 MR. HARRINGTON: The overall MGDS operations area
13 includes the north portal operations area. There are
14 blowups of this later in the presentation. Waste packages
15 will come down the north ramp to be emplaced in the
16 subsurface emplacement drifts with development proceeding
17 out the south ramp.

18 As Dick said earlier, we will be emplacing through
19 the north ramp. There will be ventilation barriers across
20 the drifts separating the emplacement from the development
21 side with concurrent excavation activity going out the south
22 ramp.

23 [Slide.]

24 MR. HARRINGTON: Overall at the north portal waste
25 comes in both in rail cars and trucks through the security

1 station at the portal. This is a truck parking lot, a rail
2 storage yard. This is a carrier preparation building.
3 There is more truck parking. One rail line goes up to where
4 the empty new disposal containers are received.

5 [Slide.]

6 MR. HARRINGTON: This is the main building of
7 interest, the waste handling building. The waste treatment
8 building is attached to it. The administration area is
9 adjacent to it with warehouse, shops, admin, et cetera.

10 We published a rev 1 to the RDD, the repository
11 design description document, a month ago. We talked earlier
12 today about the evolving design. This looks a little bit
13 different than the drawing that is in there. Specifically,
14 the disposal canister receipt facility is now integral to
15 the waste handling building. It had been separate, and this
16 building has been turned 90 degrees. It works a little
17 better for us that way. As you compare the RDD to this,
18 this is an update.

19 [Slide.]

20 MR. HARRINGTON: There is a mockup building there.
21 This is obviously post-license application,
22 post-construction. That building will be used for
23 development of whatever subsurface operational or even
24 surface operational activities we may need to do. It's not
25 going to be the location that we do the proof of principle

1 testing that we will identify in the license application.

2 [Slide.]

3 MR. HARRINGTON: This is tough to read. I brought
4 a second set that will walk through the activities
5 themselves.

6 Nomenclature. Carriers are either rail cars or
7 trucks. They will come in. They will have casks on them.
8 The casks may or may not have canisters in them. If there
9 is a canister, it may or may not be disposable.

10 Once we take the canister, if it is disposable, or
11 the fuel if it's bare, we will put it into a disposal
12 container. A loaded disposal container is considered a
13 waste package. There is a whole series of terminology. I'm
14 not sure that everybody has gotten all of that before.

15 [Slide.]

16 MR. HARRINGTON: This is the carrier bay. This is
17 where incoming carriers, both rail and truck, will be
18 received.

19 I skipped on the outside, and I'll back there just
20 momentarily, because we have to prepare the carriers before
21 coming into the waste handling building.

22 [Slide.]

23 MR. HARRINGTON: This is the carrier preparation
24 building. In there there will be a receiving inspection.
25 The load limiters, the impact limiters will be removed, and

1 the personnel barriers will be removed. From there it's
2 ready to come into the waste handling building.

3 [Slide.]

4 MR. HARRINGTON: When it gets to the waste
5 handling building -- this happens to show a rail carrier
6 with the impact limiters removed. It goes through a water
7 washdown to remove any road grime. Then it's taken into the
8 carrier bay where it is upended. The washdown is outside at
9 the prep area. It comes into the carrier bay. There is a
10 bridge crane that will take it to one of three wet trains or
11 two dry trains. We call them assembly lines for handling of
12 individual fuel assemblies, or the canister line for
13 handling of disposable canisters.

14 Disposable canisters. There will be the navy
15 canisters we expect to be disposable for SNF. We may get
16 some disposable commercial canisters if the multipurpose
17 canister concept comes to fruition. And the high level
18 waste canisters will be disposable.

19 This comes in. The cask gets upended by the
20 bridge crane, lifted out to the trunnions, picked up and
21 moved over and set it on a transfer cart.

22 [Slide.]

23 MR. HARRINGTON: For the assembly side of it, if
24 there are individual assemblies to be handled, the transfer
25 cart will go in one of these three doors. At that point it

1 will be brought in through an airlock, set into a
2 preparation area. The cask lid will be loosened. Gas
3 sampling will be taken of internal gases. It will be
4 vented; it will be cooled.

5 [Slide.]

6 MR. HARRINGTON: This shows a cask lid being
7 removed. That's only in the event that has a disposable
8 canister, has a dual purpose canister in there. If that is
9 bare fuel in there, then the cask lid is not removed.

10 The cask is then taken and set into the pool. If
11 there is a DPC in it, then the DPC is removed from the cask.
12 The DPC lid is cut off the DPC and set in there. If there
13 was no DPC, then the cask lid is removed. In either event
14 the fuel is available in an uncanistered cask here or in a
15 DPC with the lid removed there.

16 [Slide.]

17 MR. HARRINGTON: Fuel transfer machine or assembly
18 transfer machine will remove the individual fuel assemblies
19 and can put it into storage racks or directly into the
20 transfer canal.

21 All of this is standard power plant mechanisms.
22 It's exactly the same or virtually the same as we used in
23 the power plants to get fuel from the waste handling
24 building into the fuel handling building and the
25 containment.

1 It can be stored there, individual assemblies
2 stored under water for blending, for thermal or criticality,
3 or other issues you may have.

4 [Slide.]

5 MR. HARRINGTON: When it's time to load it, it
6 will be dropped into this, laid down on the incline, taken
7 up.

8 [Slide.]

9 MR. HARRINGTON: There is a transfer machine that
10 will pick it up here, take it through a transfer port into a
11 drying station. It's a vacuum drying station. It will dry
12 it. It's a sealed port to minimize contamination transfer.

13 Once it has dried it will be picked up, moved over
14 and set into a disposal container through another transfer
15 port for radiological contamination minimization.

16 [Slide.]

17 MR. HARRINGTON: When the canister is full, then
18 it will be temporarily lidded and rolled on a cart out
19 through an airlock to this decon cell. The remaining
20 decontamination will be done; it will be backfilled with
21 nitrogen and taken out to the welding area.

22 We will treat that in a moment.

23 [Slide.]

24 MR. HARRINGTON: This was the individual
25 assemblies getting into disposal containers. If we receive

1 a canister, it goes up the other line, the dry line.

2 [Slide.]

3 MR. HARRINGTON: Before I jump to that, let me
4 show on the plan view these things. This was the
5 preparation pit. It was moved into the pool here. The
6 assemblies were taken out, set into the racks there, run
7 through the incline plane, and moved into the disposal
8 containers at that point. The disposal container is then
9 ready to be moved out through that door into the welding
10 area, the sealing area.

11 If you have canisters instead, it will go up these
12 two lines. They're dry. One of the issues we've had is, is
13 it better to do wet or dry handling? Both systems have
14 advantages. We've chosen the dry handling for canisters to
15 minimize radwaste generation. We have chosen the wet
16 handling system for handling individual fuel assemblies. It
17 gives us a lot more operational flexibility.

18 [Slide.]

19 MR. HARRINGTON: For canisters, the casks will
20 come in, go through the same preparation area. This is a
21 manipulator to remotely de-tension the lid, do the same
22 venting, gas sampling. There is a decon station here for on
23 the way back out. It goes inside and the lid is removed.
24 The canisters are individually taken out.

25 If it is a large spent fuel canister, an MPC, a

1 navy canister, it will be set directly into a disposal
2 container. If they are the smaller canisters for DOE spent
3 fuel that would come canisterized or high level waste, there
4 are some storage racks that they may be set into. It's
5 operational flexibility.

6 Some of the DOE SNF is commercial in origin and it
7 will be handled as other commercial fuel. EM is expecting
8 to send us some uncanisterized DOE SNF which has commercial
9 origins. But the majority of it will come in canisters like
10 this.

11 Once it gets inserted into this disposal
12 container, it's lidded and moved out to the disposal
13 container handling system.

14 [Slide.]

15 MR. HARRINGTON: Now we have taken canisters or
16 loaded disposal containers both through the dry system and
17 through the wet system and have them here staged at these
18 four carts ready for welding. The transfer cart has brought
19 it out. Bridge crane will pick it up, can stage it or it
20 can sent it directly to the welding station.

21 [Slide.]

22 MR. HARRINGTON: This shows having the canister
23 turn and the welding head stationary. That's another one of
24 our open issues. This is a system that we believe can work.
25 The last repository consulting board meeting we had they had

1 not yet come to agreement within themselves. One factor
2 says turning the cask is the better move; another factor
3 says having a rotating welding head is the better move.

4 This is our approach at this point. This gives us
5 some more flexibility in that the welding gantry can be
6 readily removed for maintenance.

7 [Slide.]

8 MR. HARRINGTON: The inner lid is what gets
9 installed in here. This will be brought out. The inner lid
10 will be welded. It will be NDE'd, backfilled with helium.
11 Then the outer lid, the canister allowance material will be
12 installed, welded, NDE'd. At that point it's picked up and
13 brought over.

14 [Slide.]

15 MR. HARRINGTON: There are some staging areas for
16 completed disposal containers, which are now effectively
17 waste packages. They're loaded, they're sealed, they're
18 ready to go.

19 [Slide.]

20 MR. HARRINGTON: When they are ready to be loaded
21 underground, they are brought into the tilting station,
22 hooked up to the trunnions, lowered down onto transfer
23 carts, moved out into the decon area, picked up through a
24 handling device with a similar configuration to the trolley
25 underground, engaging in the skirts, loaded onto a rail car

1 and moved into the transporter. At that point it's ready to
2 go underground.

3 [Slide.]

4 MR. HARRINGTON: Also on this is a change from the
5 one that is in the RDD. It's an evolution. We now show
6 emergency generator and HVAC areas. They weren't in the
7 RDD. It's an evolution.

8 [Slide.]

9 MR. HARRINGTON: There is more detail in the kind
10 of cold and hot support cells that you need. This has the
11 waste treatment building adjacent to it. It will be fairly
12 standard radwaste handling processes.

13 [Slide.]

14 MR. HARRINGTON: There are sections through the
15 building. This is through the assembly transfer line, the
16 bare fuel line. This is to through the canister line. As
17 you saw before, the carrier bay, the cask preparation pit.
18 The cask gets lowered into the pool. Assemblies are
19 individually removed and set into storage racks.

20 [Slide.]

21 MR. HARRINGTON: This is the inclined plane that
22 takes it up where they are put into the dryer and then into
23 the disposal canister which is taken out into the disposal
24 canister welding area.

25 [Slide.]

1 MR. HARRINGTON: This one is a little more
2 straightforward. It doesn't have the equipment for bare
3 fuel handling. You don't need it.

4 Questions?

5 DR. ARENDT: Thank you. Are there questions from
6 the Board?

7 Dan.

8 DR. BULLEN: You are going to take all the spent
9 fuel assemblies and put them back into water. Do you have
10 any concern about their integrity having been in dry cask
11 storage for maybe 20 or 30 years? I guess the question I
12 raise is the issue with respect to degradation within a dry
13 cask storage environment which I don't know how much we know
14 about.

15 MR. HARRINGTON: Certainly degradation during
16 in-storage is going to be an issue.

17 Jack, have you or your folks looked very closely
18 that yet?

19 MR. BAILEY: Specifically, we look at the thermal
20 question and we cool the fuel down slowly to avoid the
21 thermal question. The degradation question has been looked
22 at. I don't know the specifics of it. It has to do with
23 the ongoing question of clad integrity. So it deserves a
24 little bit more look.

25 MR. HARRINGTON: For DOE SNF we know that a lot of

1 that, the in-reactor fuel particularly, we will not handle
2 that there. That will come canistered.

3 DR. BULLEN: The concern would be creep rupture,
4 hydride reorientation, those kind of things.

5 MR. HARRINGTON: Yes.

6 DR. ARENDT: Other questions?

7 [No response.]

8 DR. ARENDT: This is fairly straightforward
9 technology and there is nothing really new here, as I see
10 it, except maybe some details. I believe that's it then.
11 Thank you very much.

12 Our next speaker will be Daniel McKenzie. Daniel
13 is manager of the subsurface repository design for the M&O.
14 His topic is repository concept of operations, subsurface
15 operational area.

16 MR. MCKENZIE: Good afternoon. I'm real glad to
17 be back up here and talk to the Board again. I think the
18 last time I talked to the Board was two and a half years ago
19 or so. I think it was Mr. Arendt's very first meeting.

20 Two and a half years is a long time, but I'm back
21 and I want to tell you a little bit about the subsurface
22 concept of operations. I really kept this briefing very
23 simple. It's just a few charts.

24 Essentially all I'm going to do is describe how
25 the waste packages get from that waste handling building.

1 The last chart that Paul had showed the package going into a
2 transporter, and I'm going to take it from that point down
3 into the underground until the package is set on the
4 pedestals and its final emplacement place. Then there
5 should be plenty of time for questions. This shouldn't run
6 too long.

7 [Slide.]

8 MR. MCKENZIE: The transporter is moved
9 underground. The transporter is not self-propelled. It is
10 pulled and pushed by two 45 ton locomotives. You really can
11 make case that only need one, but we put one on either end
12 as an extra measure of safety.

13 The transporter provides a certain amount of
14 shielding to allow manned access around the transporter when
15 it's required. It's not usually required. There is an
16 operator in the locomotive, but he's a good distance away
17 from the transporter. So you don't need to have this 2.5 MR
18 per hour dose rate.

19 The dose rate at the surface of the transporter
20 with the design basis package -- the design basis fuel is
21 very hot, very young high burnup fuel. The dose rate is
22 about 40 millirem per hour on the surface of the
23 transporter. For average fuel it's about 10.

24 The shielding in the transporter. For gamma
25 shielding you have carbon steel and for neutron shielding

1 there is borated polyethylene. Altogether it's about 10.5
2 inches thick with the stainless steel layer on the inside
3 and outside.

4 The empty weight, as it says, is 164 metric
5 tonnes. A pretty good load, a pretty good size rail car.
6 The heaviest package in it, 233 tonnes. So it's pretty easy
7 to see how we arrived at rail haulage for our waste transfer
8 and movement, because you've got a pretty heavy load to move
9 around. It's also why we laid the repository out very flat
10 with various shallow grades.

11 [Slide.]

12 MR. MCKENZIE: The arrows is the direction of
13 waste travel. Everything comes down the north ramp, and if
14 it's going to be emplaced in the eastern half of the block,
15 it comes down this way and it's emplaced from this main. If
16 it's going to be emplaced in the west side of the block, it
17 comes down around here and it's emplaced from the west side.

18 So emplacement proceeds drift-wise from north to
19 south, but within a single drift, the first package from the
20 west is emplaced right there and you work your way back out.
21 I'll talk about this again in a minute.

22 We talked about the carryover capability, but
23 that's not the VA concept. The concept is emplace the
24 packages sequentially from the furthest one in first all the
25 way out to the door. To do it the other way involves more

1 complexity in terms of failure modes and how to recover from
2 them, just like Dr. Bullen was talking about earlier.

3 [Slide.]

4 MR. MCKENZIE: This is a 3D CAD, one of our
5 engineering drawings that we just cut a slice out of. We
6 have a nice 3D CAD system where you can get these views like
7 this and send them to another routine and color the surface
8 so they look nice. It is to scale, essentially.

9 This is the transporter. This is the 233 ton
10 gross weight vehicle, two 45 dc trolley locomotives. They
11 are the 750 volt dc trolley system that powers the
12 transportation system, 1,500 kW rectifiers and all that good
13 stuff.

14 Peak starting load is based on two locomotives
15 starting under full load and also a gantry operating in that
16 same electrical area so that it also is under its full
17 start-up load. That's what the rectifiers are based on.

18 [Slide.]

19 MR. MCKENZIE: The locomotives move the
20 transporter from the surface. They come in the north
21 portal, down this ramp. It's 2.15 percent ramp. Most of
22 you have probably been in the tunnel. It's very flat. When
23 you are standing there, you kind have to look both ways to
24 see which way is downhill. That's the kind of grades you
25 want for rail haulage.

1 This is about the steepest grade that you have to
2 move the package on, 2.15. It comes down around the curve.
3 If it's going on this side, it actually turns and goes back
4 uphill from that point. That's the lowest point, 1.35
5 percent. So it's still very flat.

6 The transporter will be moved either to the east
7 side or the west side. I think the rest of my pictures show
8 a view of it on the west side, and we'll look at that in a
9 minute.

10 [Slide.]

11 MR. MCKENZIE: The shielding transportation
12 portion lasts as long as the package is in the main.

13 [Slide.]

14 MR. MCKENZIE: This picture kind of assumes that
15 we are in that area somewhere and we are kind of looking at
16 it from that angle. We are looking to the northeast.

17 [Slide.]

18 MR. MCKENZIE: This is kind of a compressed view.
19 These are the bulkheads that separate the emplacement system
20 from the development system. In real operations you
21 wouldn't be this close. There would be probably half a
22 dozen drifts between you and the bulkheads, but I just kind
23 of squashed it all together so I could get it all in one
24 picture and get some decent detail. So these are bulkheads.

25 This is the development side. Normally people or

1 equipment, neither one, pass through those bulkheads. They
2 are only there and there are doors in them for people to
3 move only in emergencies. So there is not a lot of traffic
4 passing through the bulkheads from one side to the other.

5 [Slide.]

6 MR. MCKENZIE: Since we have a locomotive on each
7 end, we have to drop one of them. He uncouples. The other
8 locomotive just pushes and backs the transporter in up close
9 to the doors. This shows it already there and doors all
10 open. There is a transaction that happens.

11 The transporter moves to within four or five
12 meters of the door. At that point the operator leaves. The
13 operator can back the locomotive in there, but then he
14 leaves after that. He just walks away from the area. The
15 rest of it is done remotely from the surface in a control
16 station. It's not automatic. It doesn't happen by itself,
17 but there is a guy on the surface pulling the switches.

18 The doors are opened on the transporter. The
19 transporter has doors that open 270 degrees, all the way
20 around so that the doors are actually against the sides of
21 the transporter. These are the blue doors here, the doors
22 to the drift. The drift door is open, the transporter is
23 backed up to a loading dock, and it matches up to the
24 loading dock. That's the end of the transportation phase.

25 There is a car inside of the transporter. You saw

1 it in the surface discussion that Paul gave. The package
2 was set on a little car and that car is drawn into the
3 transporter. It's an integral part of the transport unit.
4 It has what is called a rigid chain concept that allows the
5 machine to push the car out of itself and then pull it back
6 in.

7 The package is deployed into the position you see
8 there on the loading dock. It's still sitting on the car
9 that it was pushed out of the transporter on.

10 [Slide.]

11 MR. MCKENZIE: The last part of the emplacement
12 process is this gantry. This is sort of a notional picture.
13 I will show you a little bit better although not quite as
14 pretty a picture of it here in a minute.

15 This is the gantry. It moves in. It's dc powered
16 also. It moves in over the package. It essentially goes
17 over and straddles it. It lifts it by the ends, just like
18 the crane you saw on the surface. The package is
19 countersunk on the ends; it has flanges. It reaches over
20 and picks it up and trams into the drift to the point where
21 it is to emplace that package, and it sets it down.

22 The gantry is remotely operated. There was a
23 concern because of the radiation environment. You have to
24 be able to recover it. We have spent most of our time
25 trying to make the gantry very, very bullet proof, to have a

1 lot of redundancy and to be a very simple machine. We don't
2 want it to have to do too much.

3 [Slide.]

4 MR. MCKENZIE: This is just another picture zoomed
5 in a little bit more. You can see the package sitting on
6 the cart and the gantry is poised and ready to come over and
7 engage the package and pick it up.

8 [Slide.]

9 MR. MCKENZIE: The key thing here is the gantry
10 doesn't have to do too much. It has to engage packages, it
11 has to disengage them, it has to raise them, it has to lower
12 them, it has to motivate itself with dc power along a drift.
13 Its trip is a maximum of 600 meters one way. It doesn't go
14 1,200 meters. It only has to go from the edge of the block
15 to the center and back. That's the longest trip that it
16 makes. So we've tried to keep its mission pretty simple so
17 that we can make the machine simple.

18 [Slide.]

19 MR. MCKENZIE: All this machine does is engage and
20 disengage, raise and lower and move. It's has four wheel
21 units. It's driven on all four corners but only two of
22 those wheel units have to run in order to get it back out.
23 That is one measure of redundancy. It has multiple
24 controllers; it has multiple communication systems.

25 These boxes on the end are fairly thick. They are

1 shielded boxes for electronic components that don't get
2 along well with radiation. The printed circuits and what
3 not are shielded inside there so that we don't have to worry
4 about them failing from the radiation.

5 The dose is like 40 REM per hour or something with
6 a design basis package. It's not a super high high
7 radiation field, but it's high enough that it can affect the
8 electronics.

9 [Slide.]

10 MR. MCKENZIE: I'd like to have a chart here to
11 show you my go get it machine, because we always worry about
12 if it breaks down and it just won't talk to you and you
13 can't talk to it and it just won't come out, and how are you
14 going to get it out of there.

15 The way we are going to do it is just to pull it
16 out. We are just showing tow lugs down on the tows of the
17 wheel units. We'll have a machine that is just a simple
18 heavy locomotive type of machine that can go in, grab onto
19 those lugs and drag it out of there. That's kind of the
20 fallback position. If all of my redundant controls don't
21 work and my redundant wheel units don't work and all that
22 sort of thing, we'll go in and pull it out that way.

23 Actually we have measures beyond that if we have
24 to get into very abnormal conditions, roof falls and that
25 sort of thing. We have measures described in some analyses

1 that are for really severe cases, but we don't want to get
2 into those. They're not a part of the normal operations.

3 [Slide.]

4 MR. MCKENZIE: This is the picture I was talking
5 about. It demonstrates that there is not a whole lot of
6 wasted space in that drift right now. It's a 5.5 meter
7 drift with a 200 millimeter liner, which gives you 5.1
8 clear. We told the gantry designers that the last 100
9 millimeters they can't have. Their machinery -- nothing can
10 protrude into that 100 millimeters. They actually did
11 pretty good. There aren't any places that protrude within
12 about 180 millimeters of the liner. So they got it in
13 there.

14 [Slide.]

15 MR. MCKENZIE: This is a 2 meter diameter waste
16 package, and that's another one. If you want to maintain
17 the ability to carry one over the other, you can see that
18 the drift is just not going to get a whole lot smaller; it's
19 reasonably tight in there right now. If we decided that we
20 didn't need to maintain the ability to carry over, it
21 doesn't get as small as you think. It gets down to still in
22 the 5 range, 5.2. The gantry still has to have a fair
23 amount of mass and it has to be able to lift the packages.

24 I think I have a picture that might have shown a
25 shadow shield. That's a concept that we have incorporated

1 in VA.

2 [Slide.]

3 MR. MCKENZIE: This is really a high tech deal
4 here. That's a big block of concrete. We can set that in
5 there. We call it a shadow shield. It just precludes a
6 direct shine from coming out of the drift and it lowers the
7 dose quite a bit at the door. If you want the shadow shield
8 to be in there all the time while you are emplacing that
9 drift, you always have to be able to carry the packages over
10 it. So you have to raise the package kind of high.

11 That's a tradeoff. You decide whether you want
12 that dose attenuation all the time or can you afford to have
13 a higher dose there until that drift is full. Then you
14 could set that shield in there at the end of that. When
15 that drift is full, then you could put the shield in. So we
16 got a little choice to make there. They don't cost much and
17 they're a real good measure to keep the dose down in the
18 mains.

19 [Slide.]

20 MR. MCKENZIE: I mentioned that one shows carry
21 over. Carry over is really not in the concept. It's just
22 something that has been expressed as a potentially good
23 thing, so we shouldn't preclude it. It's kind of like
24 backfill. So we have maintained the ability to carry one
25 over the other, but we haven't looked into what the

1 differences might be in licensing an emplacement system that
2 this ability to carry over versus one that didn't, that was
3 never was going to go beyond packages.

4 [Slide.]

5 MR. McKENZIE: This one shows what it looks like
6 ultimately. The packages are just sitting in a drift.
7 These are carbon steel pedestals. I notice that there are
8 different spacings here. That's a true rendering. The
9 packages are not all created equal, so they are not all
10 going to be spaced equal. Some of them will be very close
11 together, some of them there will be a fair space between
12 them.

13 This is what it looks like for quite a long time
14 until the liner starts to degrade.

15 [Slide.]

16 MR. McKENZIE: This is called a remote inspection
17 gantry. This is the only piece of machinery that we have in
18 our arsenal that is conceived to go into the hot
19 environment, up to 200 C type environment. This is a
20 performance confirmation tool. I think Bill is going to
21 address it. It's one of our data acquisition methods for
22 performance confirmation. It just thought I would put it on
23 here and show how it fit into the geometry of the drift.

24 [Slide.]

25 MR. McKENZIE: The Board asked for a discussion of

1 failure mode. I think this springs from the fact that if it
2 breaks down in there, how are you are going to get it out?
3 That's a valid concern.

4 The formal evaluation FMEA, failure modes and
5 effects analyses, is going to be done prior to LA and the
6 results fed back into the design.

7 From the beginning, the design for this concept
8 has really focused on the elimination of these single point
9 failures, the things that really can hang you, that can get
10 something stuck there and you have a hard time getting it
11 out. These are just a few of the things.

12 Multiple control unit. It's programmable logic
13 controllers in a network where there are multiple PLCs. The
14 failure of any one PLC is not going to torpedo the
15 operation; it can work around it.

16 Two separate communications systems. It will be
17 direct radio communication and one of two other concepts,
18 either leaky feeder coax cable or slotted microwave. Either
19 one of those two concepts. So you have two totally separate
20 and different concepts for communicating with the machine.

21 It's a dc powered system, and the power feeds from
22 both ends. You have a dc network that goes all the way
23 around the block and you have feeds from both sides. The
24 pickup bar for the dc power is continuous from the east all
25 the way to the west. So you get power feeds from either

1 side. So it takes two short circuits in order to interrupt
2 power to the gantry.

3 If you noticed on the gantry picture, there are
4 two power pickups, one close to either end of the machine,
5 so that it has two different connections to the bus bar so
6 it can pick up power.

7 Those are the kind of things that we are trying to
8 design into it to make it as bulletproof as we can.

9 Continuing strongly this year we are looking into
10 NRC guidelines, trying to use all the guidance that is
11 available to us from the NRC in the way of crane design and
12 maintenance and that sort of thing. We are going to try to
13 incorporate all the stuff that the NRC is already used to
14 seeing in crane development so they'll be comfortable with
15 it when we present it.

16 We talked to some vendors that supply cranes to
17 the nuclear industry so that we can start thinking along
18 those lines.

19 [Slide.]

20 MR. MCKENZIE: You can't go out and buy a waste
21 emplacement machine. Nobody has ever made one before. We
22 are trying to build it as much as we can out of components
23 that are available. A good example are those wheel units,
24 those wheel bogies. Those drive units are the same thing
25 you see on various kinds of bridge cranes. Although you

1 can't buy an emplacement gantry, you can buy a lot of the
2 parts as components that exist. That is fairly important
3 from a reliability standpoint.

4 I already mentioned that PLCs are going to be used
5 pretty heavily. They are simple; they run on a simple
6 logic; and they are going to be the basis for the control
7 system.

8 The formal failure mode evaluation is really an LA
9 activity.

10 I think that's all I got.

11 DR. ARENDT: Thank you.

12 Are there any questions from the Board?

13 Jerry.

14 CHAIRMAN COHON: Why would you use people at all
15 underground in waste emplacement?

16 MR. MCKENZIE: That's a good question.

17 Essentially the only guy is the fellow that runs the
18 locomotive. You only need one because it's a master/slave
19 situation where one locomotive is synchronized with the
20 other one.

21 It's almost a perception sort of thing. People
22 are going to worry if we just kind of turn that waste
23 package loose at the surface and say good luck. I think
24 it's almost a perception thing. If we could get away from
25 it, it's not a lot of money, but the machinery would look

1 much the same. The locomotive is remotely operated. It can
2 be remotely operated or manually operated.

3 CHAIRMAN COHON: Getting the waste to the drift is
4 the simplest part. It should be the easiest thing to do
5 without a person.

6 MR. MCKENZIE: It would be reasonably simple to
7 do. There are ramps to be negotiated, curves and switches
8 in the mains. The emplacement drifts are dead straight and
9 no curves, no switches, no anything. It is a pretty simple
10 transfer. You're right. We tried to make it that way.

11 CHAIRMAN COHON: We've got robotic vehicles that
12 can drive highways.

13 What happens to the gantries after the waste is
14 emplaced?

15 MR. MCKENZIE: I would think you would store them.
16 They are, number one, the primary retrieval mechanism. If
17 everything is normal and retrieval is mandated because
18 either your long-term performance is projected to not be
19 what it's supposed to be or you need the fuel back for
20 recovery of resource or whatever, you would retrieve in the
21 reverse of the emplacement process. You would use the same
22 machinery if it was still available.

23 If has been sitting there for 50 years, it may not
24 be very serviceable. You'd probably exercise them and keep
25 them up, at least one or two of them. You're going to have

1 half a dozen of them. They're just there to help you move
2 packages if you need to move packages for one reason or
3 another.

4 CHAIRMAN COHON: Is there some provision for
5 substitution of gantries that fail for one reason or
6 another?

7 MR. MCKENZIE: As with almost any machine that has
8 got more than one part, you keep a spare one around. We'd
9 probably have six to run four, or something like that.

10 CHAIRMAN COHON: Have you gotten to the point yet
11 where you can estimate how long it would take to move a
12 package from the surface to emplacement?

13 MR. MCKENZIE: In general terms, yes. Most of it
14 is transport time. We don't let it go very fast. It goes
15 like 8 kilometers an hour, or 5 miles an hour. That
16 transport time can take upwards of an hour. The total cycle
17 time is less than 4 hours. It's maybe 3 hours or something
18 like that. It depends if you are going there or there.

19 CHAIRMAN COHON: Thank you.

20 DR. ARENDT: Dan.

21 DR. BULLEN: A quick and easy one. It looks like
22 you've essentially identified the limit of waste package
23 spacing. You've got to have the ability to get in there and
24 grip it and it looks like you've got about a meter or so on
25 the ends. When we talk about line loading of waste

1 packages, we are basically limited by getting in there and
2 grabbing the ends of the containers.

3 MR. MCKENZIE: If you use this concept, yes. If
4 we want to stay with this gantry concept, a meter is about
5 as close as it's going to get. If we want to go line load,
6 we could probably come up with a way of engaging it from the
7 side or something. We haven't thought a whole lot about it,
8 to be honest with you, but there has got to be more than one
9 way to pick up a can.

10 DR. BULLEN: If you did line load, then maybe the
11 waste package designers would look at a different way to
12 pick up the can as opposed to using those lips on the end?

13 MR. MCKENZIE: Yes. You probably wouldn't want to
14 engage it from the end if you were going to try to line load
15 and really put them close together, because you've got to
16 have room to disengage too. I'd probably be looking at some
17 sort of a side lift mechanism. Maybe you could put lugs on
18 it or something.

19 DR. BULLEN: Thank you.

20 DR. ARENDT: Paul.

21 MR. CRAIG: I'd like to hear a little more
22 discussion about the kinds of accident failures that you
23 might think about. I presume you have a list of events from
24 which you might have to recover. I'm thinking of events
25 such as unlikely things, a rock fall where the top of the

1 tunnel caves in, or an earthquake where you get an offset in
2 the tracks. How do you go about recovering from events of
3 that sort?

4 MR. MCKENZIE: I knew somebody was going to ask
5 that. We have done some analyses for fairly extreme cases.
6 It was done as a retrieval analysis, but it applies to any
7 kind of an off-normal type of thing.

8 Let's say you have roof fall in a drift and it's
9 tight and it's on the packages. That is obviously an
10 off-normal situation that you are not going to continue to
11 operate in, at least in my mind. I can't say I know how
12 this place is going to operate exactly, but if I was the
13 NRC, I would probably make us stop for a while if I had a
14 big fall in an emplacement drift and clean it up.

15 Assuming that the concept was going to be we are
16 going to go in and clean that up, our concept for that would
17 be to in as normal a manner as possible recover the packages
18 that are between the door and the fall with the gantry.
19 Just take them out one at a time starting with the closest
20 one and working my way to the fall. After that you have to
21 set up to do a very abnormal process. You might bring in
22 fill with normal type mining equipment. I happen to have 10
23 million tons of crushed tuff sitting out in a pile. So I've
24 got plenty of fill.

25 I could bring in fill and build a roadbed so I

1 don't have to worry about running on the rails. They're not
2 going to be much use to me because of the fall up in that
3 area. I'd build a roadbed and I can use rubber tired or
4 crawler vehicles to get in there and break up the fall and
5 move it.

6 Again, this stuff has got to be remotely operated
7 from a distance. It doesn't necessarily have to be run from
8 the surface, but it has to be run from a position where the
9 operator is safe.

10 We have sort of notional pictures of a machine
11 that has multiple uses. It has an arm on it and it can be
12 used to grapple, connect a cable onto a package flange, or
13 it can be used to break up rocks with a hydraulic hammer.
14 Or you can put a backhoe bucket on it and scrape rocks away.
15 It's a fairly primitive process, as you can imagine. It's
16 not going to be elegant or pretty. But we have a way lined
17 out that we think we can do it, and it's really pretty
18 central to the whole concept.

19 DR. ARENDT: Alberto.

20 DR. SAGUES: This is related to the same thing.
21 You are going to have a couple hundred miles of rail?

22 MR. MCKENZIE: One hundred fifty-seven kilometers
23 of drifting, right.

24 DR. SAGUES: That's going to have to be available
25 for what, about 100 years?

1 MR. MCKENZIE: Right.

2 DR. SAGUES: Any idea what the statistics are of
3 failures in a mining type environment and the like? Would
4 you expect you are going to get a failure, or does it look
5 like a very remote event?

6 MR. MCKENZIE: A failure of the rail system?

7 DR. SAGUES: Right.

8 MR. MCKENZIE: I suppose you could. If we got a
9 bad enough failure that the gantry system is not feasible,
10 then we are going to have to go to the brute force, put in
11 fill, and pull them out that way. Remember, the traffic on
12 this rail system is going to be very, very low when compared
13 to any kind of rail system you've ever seen. There's only
14 10,213 packages to get emplaced over the course of 24 years.
15 So there are not going to be any wear problems. Nothing is
16 going to wear out. It will get old, but it won't wear out.

17 Again, the rail or the bus bar could also be a
18 failure point. Those are both things that we have to be
19 able to recover from. I think we have a couple of things in
20 our pocket that we can use to deal with those situations.

21 DR. ARENDT: Questions from the staff?

22 Bill.

23 MR. BARNARD: Dan, I've got a couple questions for
24 you and then a couple for Paul.

25 On an annual basis, how much spent fuel are you

1 estimating that you can emplace?

2 MR. MCKENZIE: It gets up to 3,000 metric tons a
3 year through the fifth or the sixth year. It goes 300, 600,
4 1,200, 1,800, and then I think it goes up to 3,000 MTU. The
5 peak year for waste packages total is 524. That's the
6 highest single peak year with the current waste stream, and
7 that includes the DHLW, DOE spent fuel packages. So you are
8 looking at just commercial fuel probably 400 packages or
9 something a year.

10 MR. BARNARD: What is the estimated lifetime of
11 your carbon steel pedestals?

12 MR. MCKENZIE: I hope it's at least 100 years.
13 I'm kind of a preclosure guy, but Jack always beats me when
14 I say that. The pedestals are part of the engineered
15 barrier system. They are actually being designed by the
16 waste package design group. That's Tom Doering, if he is
17 out there somewhere. But I don't think they are considered
18 to be particularly long lived. They are just carbon steel
19 and they're not real thick. I don't think they are going to
20 have the longevity of the waste package, for example.

21 MR. BARNARD: A couple questions for Paul. What
22 is the annual handling capacity of your waste handling
23 facility?

24 MR. HARRINGTON: Peak year it's 700 casks, and we
25 expect to ship out in a peak year 400 empty DPCs.

1 MR. BARNARD: So it's compatible with the 3,000
2 metric tons a year that you are emplacing in the repository?

3 MR. HARRINGTON: Yes. The waste handling building
4 was sized with that same 3,000.

5 MR. BARNARD: How much spent fuel do you assume is
6 in lag storage?

7 MR. HARRINGTON: We have several different areas,
8 as we showed on the slides there. It varies in the
9 different storage areas between about two and a half weeks
10 and six weeks.

11 [Slide.]

12 MR. BARNARD: Do you assume that you are going to
13 have 10,000 or 20,000 metric tons of spent fuel in lag
14 storage?

15 MR. HARRINGTON: No, no.

16 MR. McKENZIE: No, no. It would be nice.

17 MR. HARRINGTON: If you add up two and a half
18 weeks worth in casks out on the rails or trucks, another six
19 weeks in pools, another three weeks in dry canisters, and
20 another two weeks in loaded disposal containers, it's 13-1/2
21 weeks out of 3,000 MTU per year.

22 MR. BARNARD: So it's a fairly continuous
23 operation of unloading, loading, and emplacement?

24 MR. HARRINGTON: Yes. We expect to have something
25 less than half of the storage capacity full at a given

1 moment just to have some surge capacity.

2 MR. BARNARD: Good. Thank you.

3 DR. ARENDT: Questions from the consultants?

4 MR. KUHN: Why do you put the containers on these
5 pedestals and not simply on the floor?

6 MR. MCKENZIE: I guess it's to keep them up in the
7 air and out of the water. We always talk about there's not
8 much water here. I guess I'm not the right guy to answer
9 it. We could set it in a cradle or dead on the floor.

10 Tom.

11 MR. DOERING: We've looked at different methods of
12 emplacing those things on the floor at one time and then
13 just on the concrete piers, and we looked at the supports
14 that we are dealing with. What we looked at for VA was
15 leaving it on the supports at this time for a couple
16 reasons. One, if there is some moisture down there, it
17 keeps it off the moisture, and also in the early time frame,
18 when we are looking at early fuels, we would cooling or
19 radiation out of that, so there is no hot spot on it.

20 For VA design this is where we want to be, and the
21 recent reevaluation how the system all fits together a
22 little bit later. That's where we are right now. There is
23 clearly some more reevaluation to be done, but it is a very
24 straightforward way of doing it. The design is such that it
25 is tolerant to a lot of environments there.

1 DR. ARENDT: Thank you very much.

2 Our next speaker, Paul Harrington comes back and
3 will discuss subsurface remote operations.

4 [Slide.]

5 MR. HARRINGTON: There is a need for remote
6 handling capability in the repository as we have it designed
7 because of radiation fields, 40 r per hour contact on the
8 waste package surface.

9 Elevated temperatures during emplacement period,
10 we expect a max of 50 degree centigrade. That's basically a
11 hot summer day in Las Vegas.

12 After emplacement in a drift is completed and the
13 ventilation control doors are closed, then it will go up.
14 So during the performance confirmation phase, the
15 post-emplacement phase, we expect to have on the order of
16 200 degrees. The environment that performance confirmation
17 needs to function in will be that.

18 If we have to reverse the emplacement process, our
19 expectation would be to open up the drifts, ventilate
20 through the drifts, bring the temperature back down and be
21 back in this 50 degree environment.

22 There are large and heavy payloads. I talked a
23 little bit ago about what those expected canister weights
24 are. The heaviest one is still a TBD, but it's something on
25 the order of slightly greater than 75 tons in confined

1 areas.

2 There are several design assumptions that affect
3 us.

4 The first one is no entry is planned into the
5 drifts because of the thermal and radiological environment.

6 Second, we do need to design for retrievability.
7 Dan talked a few moments ago about some concepts for that
8 retrievability.

9 One comment that I would want to make. There was
10 a question about the emplacement gantries. The gantries are
11 to move from one drift to another. They will do emplacement
12 in a drift and then removed and used in subsequent drifts,
13 and they can be maintained. So it's not something that you
14 put in and can't ever get out again.

15 Performance confirmation for remote inspection
16 capability. That will be in a 200 degree C environment. We
17 have to design for that.

18 It will be on pedestals, as Dan talked to a moment
19 ago.

20 [Slide.]

21 MR. HARRINGTON: We have been looking a lot at
22 what is available in industry around the world. Obviously
23 no one has ever done something quite like what we are doing,
24 but there are a lot of precedents out there for pieces and
25 components that we can use.

1 In the mining industry, there are remotely
2 controlled locomotives; load-haul-dump. For those that
3 haven't seen them, it's a short front-end loader; subsurface
4 control and communication.

5 Rail transit. There are a number of different
6 rail transit systems around the country that are not
7 manually operated. They are either remotely operated with a
8 driver available but not in control. Some of them don't
9 even have drivers on them.

10 In the nuclear world, the ASME Code section 11
11 requires in-service inspection of nuclear components on a 10
12 year basis. A lot of equipment has been developed for high
13 radiation areas, remote handling, to go in and do that
14 in-service inspection, primarily UTs. There are some other
15 requirements too.

16 [Slide.]

17 MR. HARRINGTON: In the manufacturing world there
18 is a lot of equipment out there. Dr. Cohon alluded to some
19 earlier: remotely controlled vehicles or automatically
20 guided vehicles.

21 In aerospace, one of the lead design engineers on
22 this project has come from JPL, working on the Mars, has a
23 lot of experience with remote handling, remote control
24 equipment.

25 We are taking advantage of the institutional

1 research that has been done elsewhere: DOD, NASA, and
2 others.

3 [Slide.]

4 MR. HARRINGTON: The control scheme includes a
5 surface operations control center connected via data links,
6 communication links to both stationary and mobile
7 underground. The stationary can be hard wired. For the
8 mobile we have to have something that will allow
9 communications, control of those mobile systems.

10 For that we have chosen the distributed antenna
11 system and either a leaky feeder or slotted microwave.

12 I wasn't sure what a slotted microwave was. Maybe
13 everybody else is. I found that it uses a waveguide with a
14 slot in it with an antenna or the antenna is mounted on the
15 mobile equipment and the microwave is shunted down the
16 waveguide and picked up by the traveling equipment.

17 That will be used for both transport locomotives,
18 for the emplacement gantry, for the remote inspection
19 systems. This is representative of the performance
20 confirmation inspection device. And, as necessary, for
21 remotely operated retrieval equipment.

22 [Slide.]

23 MR. HARRINGTON: This is a load-haul-dump; this is
24 a multipurpose vehicle. There are several other concepts
25 for retrieval equipment, including devices that can grab on

1 to the skirt of a package and drag it onto a ramp and then
2 truck it out.

3 [Slide.]

4 MR. HARRINGTON: I brought several representative
5 product brochures. This one uses leaky feeder, which is a
6 coax cable with a perforated jacket so it has a local RF
7 field for both sending and receiving signals. It's
8 apparently used widely in the mining industry and some other
9 applications and can be used in ours.

10 This particular one, Multivision, uses it to
11 control cameras. They have other adaptations of that for
12 actual control of the mining devices, load-haul-dumps,
13 trains, et cetera.

14 [Slide.]

15 MR. HARRINGTON: In the nuclear world there is a
16 pretty broad market for remotely controlled cranes, heavy
17 lifting equipment. This is representative of one that
18 handles drums. It's automated. You can punch in the
19 location of a drum and it will remove 21 drums to get to
20 that drum. It's got a control console on the back. This
21 will traverse into the radiologically controlled areas and
22 do it's work independently. The point of this is you don't
23 have to have manual local direct control; it can be remote.

24 [Slide.]

25 MR. HARRINGTON: This is a transit system in

1 Vancouver. There are corporate personnel on the trains, but
2 they don't run them. They are there to take tickets and
3 make sure if there are problems to resolve them, but it's
4 remotely controlled through a central control unit.

5 One of the interesting things I found was normal
6 railroad technology has fixed blocks. There is a certain
7 length of track that is controlled from a local area as a
8 block. This system uses a moving block; the block travels
9 with each of the trains. These trains travel up to 30
10 seconds apart. They handle 40 million passengers a year,
11 everyone a potential litigant.

12 [Laughter.]

13 MR. HARRINGTON: So they have come up with a
14 system that works, that has worked well for them. They
15 haven't had troubles with it. It requires very accurate
16 measurements. They use a three-computer system where you
17 have to have two agree on any safety-related action. That
18 was their term. I hadn't heard safety-related used outside
19 of the nuclear business.

20 [Slide.]

21 MR. HARRINGTON: This is a manipulator that was
22 developed by one of the M&O teammates for use in ISI work,
23 in-service inspection work, in the nuclear world.

24 This particular one is interesting in that it has
25 most of its electronic controls mounted coincident with the

1 unit. It's a little tough to see the picture. It's not a
2 very large unit, but they are designed to be mounted down in
3 the pool. They have to go into the reactor vessel to do
4 ultrasonic testing of the welds, of the vessels, steam
5 generators, et cetera.

6 This one is able to package its electronics
7 coincident with the equipment in a high radiation
8 environment and a wet environment. There is a lot of work
9 done in the field today.

10 DR. ARENDT: Any questions from the Board?

11 Jerry.

12 CHAIRMAN COHON: Is the environment in emplacement
13 drift expected to be comparably hostile to environments
14 encountered now in nuclear power plants, for example? In
15 vessels, for example?

16 MR. HARRINGTON: Rad fields in a de-fueled reactor
17 when you have residual contamination, you've got activation
18 -- I don't know the answer to your question directly. Does
19 anyone in the M&O.

20 MR. BARRETT: It's about the same.

21 CHAIRMAN COHON: So the experience in those
22 environments should be applicable to emplacement drift
23 environments.

24 MR. HARRINGTON: Yes.

25 CHAIRMAN COHON: Thanks.

1 DR. ARENDT: Other questions?

2 [No response.]

3 DR. ARENDT: Thank you very much.

4 MR. HARRINGTON: Thank you.

5 DR. ARENDT: Our next speaker is William Boyle,
6 performance confirmation team lead for the assistant manager
7 for licensing.

8 [Slide.]

9 MR. BOYLE: Thank you for the opportunity. I'm
10 going to talk about the subsurface performance confirmation
11 facility design. This is at a request of the Board or your
12 staff to have this presentation. Richard Wagner gave a
13 presentation in Las Vegas at your last meeting that did not
14 go into the details of the design.

15 [Slide.]

16 MR. BOYLE: The next two pages, 2 and 3 in the
17 handout, are just quotes from 10 CFR 60 as to what's the
18 purpose of performance confirmation. You can read those
19 words yourself and I'll try and summarize them.

20 Performance confirmation as defined by Part 60
21 relates to the postclosure performance. Although
22 measurements will be made for operational concerns,
23 industrial hygiene concerns, they are not part of the
24 performance confirmation program. Only postclosure
25 performance.

1 [Slide.]

2 MR. BOYLE: There are two main goals of
3 performance confirmation. One is to confirm that what we
4 thought was there, what we designed to really is there. The
5 other main purpose is once the waste is emplaced, are the
6 natural system and the engineered systems performing like
7 people thought they would.

8 [Slide.]

9 MR. BOYLE: The summary of the performance
10 confirmation strategy is to use multiple data acquisition
11 methods to get an overall data set to confirm or revise
12 licensing assumptions.

13 The reason multiple data acquisition methods are
14 used, and you will see which which ones will be used
15 subsurface, is that no one method in and of itself is
16 sufficient. So multiple methods are needed, which provides
17 some flexibility and some redundancy.

18 [Slide.]

19 MR. BOYLE: On the agenda, also requested was a
20 discussion of what data would be gathered. This is from
21 subsurface only. For example, what is not shown here is
22 precipitation. We'll get that from surface measurements,
23 not from the subsurface.

24 These data needs that are more towards the top of
25 the list are those that are more related to did we find what

1 we thought was there; those more towards the bottom of the
2 list deal with is the system responding as we thought it
3 would respond.

4 [Slide.]

5 MR. BOYLE: This is back to the data acquisition
6 methods:

7 We will have sampling during construction.

8 Mapping during construction.

9 Alcove-based testing in non-emplacment areas.

10 Borehole instruments.

11 Ventilation monitoring in the ventilation drifts
12 to monitor the ventilation there.

13 Remote data acquisition from within emplacement
14 drifts. That was brought up by Dan McKenzie with the little
15 device he had pointed out and it was also shown on one of
16 Paul Harrington's slides in the second talk.

17 There is also the potential of recovery of waste
18 packages for testing.

19 [Slide.]

20 MR. BOYLE: This is just an example going into
21 more detail for design implementation of the performance
22 confirmation. This is from one of the observation drifts.

23 We would have borehole instruments going into the
24 altered zone to make measurements of temperature, rock
25 stress and strain from displacements, groundwater chemistry,

1 moisture content, water vapor content and humidity.

2 This last point gets at Dr. Sagues' question about
3 the modeling where the water replaces all the other gases.
4 There will be measurements made.

5 [Slide.]

6 MR. BOYLE: Also on the agenda was to be a
7 discussion of options considered. This is what we have now.
8 This was one of the options. Ignoring the details in the
9 corners, you've seen variations of this shown throughout the
10 day. This a plan view with the many emplacement drifts, the
11 five performance confirmation drifts.

12 [Slide.]

13 MR. BOYLE: As Dick Snell showed earlier in the
14 day, this is essentially on three levels with the
15 emplacement drifts in the middle. The exhaust main is below
16 the emplacement drifts, and the performance confirmation
17 drifts are above.

18 [Slide.]

19 MR. BOYLE: There are actually two cross sections
20 and a plan view on this. So I'll block it off as I go.

21 This is a vertical cross section. This is the
22 existing ESF excavation today. Paralleling it approximately
23 is the exhaust main below the emplacement drifts which run
24 from the existing main to the main to be excavated, and
25 above them at another level parallel to the emplacement

1 drifts would be an observation drift with these drilling
2 alcoves excavated off the observation drift.

3 [Slide.]

4 MR. BOYLE: Here is another vertical cross section
5 rotated 90 degrees. Here's the exhaust main. The
6 emplacement drifts and the observation drift are now running
7 in and out of the plane of the screen.

8 These are typical boreholes to show that one
9 observation drift in this configuration covers six
10 emplacement drifts. As part of the strategy of this concept
11 for performance confirmation in some areas we will get a
12 distribution -- in ever drift we will get some measurements
13 and in other areas we will get much more information for
14 only some of the drifts. So it's a mixture of concentrated
15 measurements in certain areas and distributed measurements
16 everywhere.

17 With this layout, with five performance
18 confirmation drifts which have access to six emplacement
19 drifts we can have boreholes for some 30 of the emplacement
20 drifts and there are some 100-odd. So we would monitor 30
21 of them this way.

22 At the bottom of the figure is a plan view, which
23 is just detail of the earlier diagram. These are the
24 emplacement drifts at an elevation below the performance
25 confirmation access and the performance confirmation drift

1 itself with drilling alcoves so that the boreholes can be
2 gotten in.

3 [Slide.]

4 MR. BOYLE: The next figure is actually just a
5 single figure perspective of all those cross sections and
6 plan views I showed you. Here are the emplacement drifts at
7 a higher elevation

8 Here's the observation drift with drilling alcoves
9 with boreholes in blue for instrumentation around the six
10 emplacement drifts related to that observation drift.

11 As I had mentioned, for these six drifts we'll get
12 more information than the drifts that don't have observation
13 drifts above them, but for each and every emplacement drift
14 we will get information.

15 Dan showed the remotely operated instrument that
16 can carry in cameras, infrared and visual. Similar devices
17 are being tested in the drift scale test. We will have
18 three cameras in use in the drift scale test up to 200
19 degrees C.

20 Also, all the emplacement drifts will have their
21 ventilation air monitored in case there is a leak; also to
22 measure relative humidity.

23 Other instrumentation is possible in the drifts
24 themselves.

25 [Slide.]

1 MR. BOYLE: Also on the agenda was other options
2 considered.

3 Here is a three-level layout, exhaust main below
4 emplacement drifts with the observation drifts above. But
5 in this option the observation drifts are laid out parallel
6 to the exhaust main rather than being parallel to the
7 emplacement drifts.

8 [Slide.]

9 MR. BOYLE: There was another option considered
10 where they are laid out on the bias, if you will. In this
11 system each and every emplacement drift at least has some
12 part of an observation drift above it but no one, two or six
13 emplacement drifts have extended coverage from an
14 observation drift with that layout.

15 [Slide.]

16 MR. BOYLE: This is just a detail of that layout
17 to show you that emplacement drifts here, the observation
18 drift on the bias above with boreholes drilled above and
19 down to the emplacement drifts.

20 [Slide.]

21 MR. BOYLE: Here is another option considered. If
22 five drifts aren't enough, it only takes time and money to
23 put in more. This would provide complete coverage from
24 above. Each emplacement drift could have boreholes drilled
25 towards it.

1 Whichever of those options was considered, whether
2 parallel to the emplacement drifts, five or 26, or
3 perpendicular to the emplacement drifts, there are these
4 other options that can be used as appropriate.

5 [Slide.]

6 MR. BOYLE: There are two cross sections and one
7 plan view. At the top you can see the exhaust main with
8 monitoring boreholes drilled up alongside the emplacement
9 drifts.

10 In the middle, this is one of the ventilation
11 drifts that Dick Snell talked about before, and we can use
12 those for instrumentation, drilling boreholes below and
13 above the emplacement drifts. This is exactly what was done
14 in the drift scale test.

15 If you ignore this part of the diagram, this is
16 the access observation drift; that's the heated drift, and
17 we have boreholes drilled above and below the heated drift
18 itself.

19 [Slide.]

20 MR. BOYLE: This is a plan view of a perimeter
21 main emplacement drifts with waste packages, and boreholes
22 can be drilled in the pillar of rock between emplacement
23 drifts parallel to the drifts themselves. This also was
24 done in the drift scale test. We have four parallel
25 boreholes, two on either side of the heated drift itself.

1 So these concepts can be used no matter which of
2 the other concepts is chosen.

3 [Slide.]

4 MR. BOYLE: Performance confirmation facility
5 design is designed to permit implementation of the
6 performance confirmation program; it is integrated with
7 design of the entire system; it is flexible and can be
8 modified to match options in the system, some of the
9 alternatives that Jack Bailey brought up; and the PC
10 facility design will work as designed but will evolve with
11 time as the design, modeling and assessments evolve.

12 There was a question on the agenda as to what sort
13 of decision process was followed. No formal decision
14 process was followed to come up with the five drifts. It
15 was more of a consensus of the people who worked on it and
16 it was not three people in a dark room, as Jack Bailey had
17 mentioned. The report that came over to the Department was
18 signed by 24 different people in the M&O either as a
19 preparer, reviewer or checker. So it was a consensus of
20 that group that it would work.

21 It's my understanding informally that they did
22 consider a more formal ranking of the options but didn't
23 follow through on it because, although the costs are
24 reasonably easy to come up with, it's more difficult to
25 value the benefits of the different alternatives. So they

1 did not go with the formal system, although that is not to
2 say that we couldn't in the future.

3 I am going to try to answer some questions now
4 that I think might come based on some of the questions that
5 have already been asked earlier today.

6 With respect to Dr. Cohon, the five drifts is not
7 a hard number nor is the number of drilling alcoves per
8 observation drift. It was just a consensus feeling that
9 that would work, although those are not hard numbers.

10 With respect to Jack Bailey's alternatives, if the
11 design is changed, PC will change, and I haven't seen
12 anything in the alternatives that would prevent PC from
13 working.

14 With respect to Dan Bullen's question, if we had a
15 repository that allowed people in the drifts, I think, as
16 you had observed, the performance confirmation observation
17 drifts probably would go away, and I think, as Jack had
18 said, nobody had put pencil to paper and calculated the
19 costs and the tradeoff.

20 But based on many questions I've heard here today,
21 I think from Dr. Sagues, Professor Craig, Mr. Arendt,
22 Chairman Cohon, Professor Peterson, what do you do in the
23 case of accident?

24 That, I think, is a more difficult thing to put a
25 value on. It's how much benefit is there gained by going

1 with a simpler system that will allow you to go in and
2 recover much more easily from an accident. I think that
3 might drive the answer much more so than performance
4 confirmation changes might.

5 I think that's the end of my presentation.
6 Questions?

7 DR. ARENDT: Additional questions?

8 DR. NELSON: Given that we can expect variability
9 in rock conditions and that the plan is to install precast
10 concrete lining, which I imagine would be close behind the
11 tunnel boring machine -- this is a fairly organized design
12 for PC in terms of where things are going to be -- how
13 flexible do you imagine it to be in terms of being able to
14 be opportunistically responsive to variations in the ground
15 conditions that may require modification from this design?
16 There is a limitation on what kind of modifications you
17 could do off of some of those kinds of designs.

18 MR. BOYLE: Once the PC drifts are in, and then if
19 we find out that one of the emplacement drifts runs into
20 perhaps unusual conditions that we want to monitor more
21 closely, if that emplacement drift does not fall underneath
22 one of the five, then we are going to have to get the answer
23 some other way through instrumentation in the emplacement
24 drift itself or from the exhaust main below or some other
25 way. Or we can add in another PC observation drift. It

1 would be a significant expense to do that.

2 DR. NELSON: When will these drifts be put in?

3 MR. BOYLE: I'd have to defer to Dan McKenzie on
4 that.

5 MR. MCKENZIE: The sequence right now calls for a
6 PC drift to be driven a year or two or three before the
7 emplacement drifts below it are driven. So it would be
8 there before the emplacement drifts but not a long time
9 before.

10 DR. NELSON: These are not going to be lined?

11 MR. MCKENZIE: Not necessarily. I couldn't say
12 for sure, but since we are going to be excavating alcoves
13 out of them and everything, it may be more of bolt and mesh
14 or shotcrete kind of thing. They are not going to be
15 emplacement drifts, obviously.

16 DR. NELSON: In order to make the observations
17 that might lead you to modify or respond to changing ground
18 conditions, you are not planning, as I understand, on making
19 any direct observations on every single drift during
20 excavation when you put in precast concrete segments. These
21 are for the drifts.

22 MR. BOYLE: No, that's not entirely true. We've
23 had many discussions about this. We had a meeting with the
24 NRC last week on the whole concept of mapping the
25 repository.

1 As it is now, all the perimeter mains would be
2 mapped, plus or minus probably less than what we did in the
3 ESF.

4 The performance confirmation observation drifts
5 would be mapped to that level of detail.

6 The ventilation drifts could be mapped to that
7 level of detail if precast concrete isn't used in them and
8 they go with cast-in-place to allow the mapping.

9 One out of every ten emplacement drifts would be
10 mapped at some level of detail. That leaves 90 percent of
11 the emplacement drifts that I have always maintained would
12 be mapped but not at a level of detail that the other 10
13 percent of the emplacement drifts nor the perimeter mains
14 would.

15 A TBM can be built such that there is a window
16 such that a geologist and/or geotechnical engineer can
17 observe the conditions and note, yes, I'm still in the
18 middle, non-lith; no, there isn't any abnormal water; there
19 isn't abnormal fracturing; and write that down. In that
20 sense, knowing where they they are at and what they are in
21 and it's not abnormal, 100 percent of the drifts will be
22 mapped, but it's just the level of detail.

23 DR. NELSON: In fact you could decouple the
24 precast concrete segment to be almost a second pass lining
25 system if that's what you wanted to do.

1 How does this system incorporate the ECRB?

2 MR. BOYLE: The diagram I showed it was not,
3 because when that diagram was finished the ECRB was still in
4 a state of flux. The ECRB will be incorporated as
5 appropriate. It will be there; it will be in the same plane
6 as the observation drifts. So in a sense we will have a mix
7 of five parallel and one on the bias, and it can be used as
8 appropriate.

9 DR. NELSON: There's been a lot of talk about the
10 precipitation that would occur in the rock immediately above
11 the openings, the water coming back down or precipitation
12 occurring. How would you evaluate that from the drifts? Do
13 you think that is something that you are going to try to
14 confirm about the way the mountain acts?

15 MR. BOYLE: Sure, and we can use the large block
16 test as an example of what we might see, and also the single
17 heater test. In the single heater test we had one packed
18 off section that collected liquid water. We can have packed
19 off sections and boreholes from the observation drifts.

20 In the large block test itself the temperatures
21 were quite indicative of moving water, and we can have many
22 thermometers in the boreholes to see that.

23 DR. NELSON: In terms of whether something is
24 precipitating.

25 MR. BOYLE: You mean minerals?

1 DR. NELSON: Yes.

2 MR. BOYLE: That's a different story. If there is
3 liquid water, we can get specimens of the water out and
4 analyze what's in the water and hope to gain some knowledge
5 of what might be precipitating or dissolving, and we can
6 always drill back. If you think that some sort of
7 precipitation is going to go on during the lifetime of
8 performance confirmation, we can take drill rigs back in
9 there 30 years after emplacement, drill holes, grab the
10 core, and take them back to a lab and see what did dissolve
11 and what did precipitate.

12 MR. DANKO: Bill, I view these performance
13 confirmation drifts as a tremendous asset to ventilate the
14 repository. In the postclosure ventilation, these drifts
15 can be used as cooling drifts.

16 Here is my question. In the preclosure period, if
17 you use just about the same amount of excavation and use
18 these tunnels or drifts to move fresh air and ventilate the
19 drifts, would you still need the performance confirmation
20 drifts? In other words, if you keep the repository below 50
21 degrees C, can you do the confirmation measurement right in
22 the drift?

23 MR. BOYLE: Yes. The lower the temperature, that
24 solves one of the problems, the heat. We also have a
25 radiation problem. One advantage of the observation drifts

1 above with boreholes drilled from above in observations
2 drifts that temperature is not a problem and radiation isn't
3 a problem is we can go do other things in there, like drill
4 more holes; we can get our instruments out and recalibrate
5 them.

6 If you keep the temperature down in the repository
7 but don't do anything about the radiation, then we have that
8 difficulty of we still can't back in the drifts if we want
9 to recalibrate something or drill something.

10 If you can solve the radiation and the
11 temperature, as I had mentioned and Dr. Bullen had mentioned
12 earlier, we can do all the performance confirmation from
13 within the repository itself.

14 MR. DANKO: Thank you.

15 DR. ARENDT: Dan.

16 DR. BULLEN: If you build the confirmation drifts
17 the way you are, you don't expect a thermal pulse to get
18 there?

19 MR. BOYLE: It does. The repository designers
20 have done thermal calculations to see what effect the
21 ventilation and other performance --

22 DR. BULLEN: But you will ventilate it while you
23 are in there doing the confirmatory testing.

24 MR. BOYLE: Yes.

25 DR. BULLEN: But when you are not in there, it's

1 going to be hot?

2 MR. BOYLE: I think we are going to ventilate all
3 the time.

4 MR. MCKENZIE: The concept is to ventilate. I
5 actually have some charts that show the thermal pulses. It
6 moves up through and past where the PC drifts are, but if
7 you pump air through in the range of 5 to 10 cubic meters
8 per second, you can keep the PC drifts very livable. We
9 have to anyway because there is a lot of instrumentation in
10 there that don't want to get too hot.

11 DR. ARENDT: Two final questions from our
12 consultants.

13 MR. KUHN: One question which is heavily discussed
14 in Europe is safeguarding the repository. Any discussion
15 going on here? Any provisions foreseen?

16 MR. BOYLE: I'm uncertain as to what the term
17 means. Dick Snell has his hand up. Thank goodness.

18 MR. KUHN: Safeguarding for misuse of fissile
19 material.

20 MR. BOYLE: I don't follow it closely. All I know
21 is the license application requires a whole section on how
22 the material is going to be safeguarded. Maybe Dick can
23 address that.

24 MR. SNELL: We have a security and safeguards
25 program which will be in place for the repository. At the

1 present time we are looking at two aspects of it.

2 First of all, we are looking at what the physical
3 boundaries are for the repository, the area which is going
4 to have to be protected under security and safeguards, and
5 we are also looking now at what criteria will apply for
6 security and safeguards.

7 There are several agencies that are going to be
8 involved. Some of the issues will be associated with
9 Department of Defense or Defense Programs under DOE. There
10 is some navy material that we have. There are also some
11 rules associated with IAEA oversight activities which will
12 probably be coming into play. Then there is some DOE rules
13 of their own as an agency with regard to security and
14 safeguards of materials. We are collecting all of those and
15 looking at physical security limits.

16 I just had a comment here on the side: don't
17 forget the NRC who also has some concerns in this area.

18 There will be a formal program in place. Right
19 now it's getting what I would say is a fairly limited amount
20 of attention. It's getting enough so that we know we have
21 the subject adequately covered. It will get increased focus
22 as we go towards the license application.

23 MR. PETERSON: Not a question. Occasionally I'm
24 optimistic. I would suggest that you might want to put in a
25 couple of those drifts, but by the time you finish

1 construction and certainly during the lifetime of the
2 performance characterization, you'll have smart drilling
3 that can reach anyplace you want in that thing from the
4 ventilation drift beneath it at any time you want. You
5 don't need a big tunnel to get in there to do the testing
6 you need.

7 MR. BOYLE: I agree 100 percent that people will
8 get smarter ten years from now, 20 years from now. We have
9 a design that will work now, but 100 years from now, is that
10 what you'll see? I doubt it.

11 MR. PETERSON: Twenty years from now, if you put
12 some of that drift money into the research, you'll get it
13 sooner.

14 [Laughter.]

15 DR. ARENDT: One more question.

16 DR. PARIZEK: When the east-west drift diagonal
17 was first proposed Bullen was quite upset as to whether that
18 would threaten the usefulness of the repository. Today we
19 hear five in addition to the diagonal, which makes six.
20 So now the question is whether these can service fast
21 pathways somewhere in the future.

22 I guess we need to hear about whether or not the
23 refluxing in some way could accumulate in these and pour
24 water in below that is really harmful. We haven't heard any
25 discussion about that.

1 Dan, you seem to be awful quiet as if you probably
2 learned something I didn't learn.

3 It's troublesome in a way. Are we opening this
4 thing up to too much access?

5 MR. BOYLE: If you believe that water going back
6 in the emplacement drifts is bad, these drifts are sloped,
7 and if they do start collecting liquid water, off it goes.

8 DR. PARIZEK: It trickles off.

9 MR. BOYLE: Right.

10 DR. PARIZEK: Then it goes down to the east and
11 slopes back down to the west and accumulates down in the
12 repository?

13 MR. BOYLE: I'm sure it would be pumped out.

14 MR. MCKENZIE: In preclosure, obviously there is
15 not going to be any water left standing. You will pump it
16 if you find it. Postclosure the concept is that everything
17 drains. The PC drifts as well as the emplacement drifts
18 drain out from the center to the east and west mains and
19 then everything is sloped down to the north slightly so that
20 everything drains to the north. At the north end of the
21 block is where the water stops, assuming you get that much
22 water that it actually flows.

23 The concept is simply to keep water from ponding
24 where there is waste, and that really is pretty simple.

25 DR. PARIZEK: And then decide what to do with it

1 later, I guess.

2 MR. MCKENZIE: It's postclosure. It's going to
3 percolate downward. We're not going to be there. That's
4 the concept.

5 DR. BULLEN: Just to answer your question,
6 Richard, I talked off line about the determination of
7 importance evaluation and I'm waiting to see that before I
8 raise the flag again. That's schedule to come out early
9 next year or perhaps sooner. Maybe we will hear about that
10 at our next Board meeting.

11 MR. BOYLE: I'll say this. I haven't seen Peter
12 Hastings' calculations either, but I would challenge
13 anybody. Plot up the mountain at a true scale, no
14 exaggeration, and put in the emplacement drifts and the
15 performance confirmation drifts. They are just little pin
16 pricks, essentially. Given the fractured nature of the
17 rock, I find it hard to believe how they really could have
18 an impact. The water will just drain through the fractured
19 rock for the most part. But I'll wait to see Peter's
20 calculations.

21 DR. ARENDT: I will turn the meeting back over to
22 our chairman, Jared Cohon.

23 CHAIRMAN COHON: This is now our public comment
24 period. As of 30 minutes ago no one had signed up to make a
25 public comment, and that's still the case.

1 Would anybody like to make a comment, public or
2 otherwise, signed up or otherwise?

3 [No response.]

4 CHAIRMAN COHON: Seeing none, let me thank all the
5 speakers again for participating today. It was a very
6 stimulating and useful day.

7 We stand adjourned until 8:30 tomorrow morning in
8 this room.

9 [Whereupon, at 5:20 p.m., the meeting was
10 recessed, to reconvene at 8:30 a.m., Thursday, October 23,
11 1997.]

12
13
14
15
16
17
18
19
20
21
22
23
24
25