

Certification Form

I certify that I have read the transcript for the June 20, 2007, meeting of the Panel, and that, to the best of my knowledge, this transcript is accurate and complete.



Linda Zeiler, Designated Federal Officer



Dr. Jan M. Mutmansky, Chair

TECHNICAL STUDY PANEL ON THE UTILIZATION OF
BELT AIR AND THE COMPOSITION OF FIRE
RETARDANT PROPERTIES OF BELT MINING
MATERIAL IN UNDERGROUND COAL MINING

CAPTION

The Technical Study Panel on
the Utilization of Belt Air and the
Composition of Fire Retardant Properties
of Belt Materials in Underground Coal
Mining met on June 20, 2007 and June 21,
2007 at the Best Western Airport Hotel,
5216 Messer Airport Highway in Birmingham,
Alabama. The minutes of this Hearing were
taken by Susan Bell, CSR, Notary Public in
and for the State of Alabama.

AGENDA

Wednesday, June 20, 2007

9:00 to 7:00 p.m.

Panel of AMS Manufacturers; presentations
and Q & A from:

American Mine Research.....Bob Saxton

Conspec Controls.....Rob Albinger

Jim Walter Resources.....Randy Watts

Jim Walter Resources.....Tommy McNider

Pyott-Boone.....Doug Coon

Rel-Tek Corporation.....Al Ketler

LUNCH RECESS

Jim Walter Resources Mine Tour Presentation

No. 4 Mine Belt Air Issues

National Mining Association/Alabama Coal

Association Panel presentations, Q & A

Public Input Hour

Goodyear.....Dave Maguire

Adjournment, Day 1

NMA/ALABAMA COAL ASSOCIATION PANEL

Bruce Watzman

Dr. Pramod Thakur

David Decker

Patrick Leedy

Greg Dotson

Bill Olsen

Jim Poulsen

Gary Hartsog

TECHNICAL STUDY PANEL

Dr. Jerry Tien

Mr. Thomas Mucho

Dr. Jan Mutmansky

Dr. Jurgen Brune

Dr. Felipe Calizaya

Dr. James Weeks

ALSO IN ATTENDANCE

Linda Zeiler, Designated Federal Official

Kevin Hedrick, Electrical Engineer, MSHA

Debra James, Standards Office, MSHA

Hazel Haycraft, MSHA

Bob Timko, NIOSH

1 PROCEEDING

2

3 MS. ZEILER: Good morning. I
4 would like to welcome everybody to this
5 Technical Study Panel meeting on the
6 Utilization of Belt Air and the
7 Composition and Fire retardant Properties
8 of Belt Materials in Underground Coal
9 Mining.

10 This morning we will have a
11 panel of AMS manufacturers here to speak
12 to us about the current state of
13 technology.

14 I have Kevin Hedrick here on my
15 left, who is a Mining Engineer with
16 Technical Support who has put this panel
17 together and will make the introductions.

18 Kevin.

19 MR. HEDRICK: As Linda said, my
20 name is Kevin Hedrick, and I'm an
21 electrical engineer at the Approval and
22 Certification Center.

23 One of my duties at the

1 Approval and Certification Center has been
2 testing AMS components and evaluating them
3 for safety for facilities.

4 This morning we're here to have
5 four companies give presentations about
6 their Atmospheric Monitoring Systems.
7 We're going to go in alphabetical order by
8 company name.

9 After the individual
10 presentations, we're going to have each
11 party sit in on a Panel discussion along
12 with a representative from Jim Walter
13 Resources, since they've assembled their
14 own infrastructure for their Atmospheric
15 Monitoring Systems.

16 The first presentation will be
17 by a representative from American Mine
18 Research from Rocky Gap, Virginia. Their
19 representative giving the presentation
20 today will be David Graf. That's G-r-a-f.
21 He's the Manager of Business Development,
22 and he has a Bachelor of Science and
23 Commerce from the University of Virginia.

1 He's been with AMR for five years.

2 Helping him with the
3 presentation is Bob Saxton. That's
4 S-a-x-t-o-n. He's the general manager
5 there. He's got a Bachelor of Science and
6 Education from West Virginia Tech. He's
7 been in the mining industry for 33 years
8 and has been with AMR for 20 years.

9 Sitting in on the panel
10 discussion for AMR will be Jim Gunnoe.
11 He's their Engineering Manager. He's been
12 with AMR for 29 years, and he's developed
13 hardware and software for their AMS.

14 David, are you ready?

15 MR. GRAF: Thank you for having
16 us. My name is David Graf, as Kevin said.
17 It's a pleasure to be here.

18 I'm going to quickly give a
19 history of AMR; where we've been, where we
20 are now, and a brief description of our
21 overall product line. Then Bob's going to
22 describe in detail our Alarm Monitoring
23 System.

1 AMR was founded in 1975 by Bob
2 Graf, my dad, with his invention of the
3 pilotless or cone-type ground monitor for
4 the underground and surface mining
5 industries.

6 The company has since grown
7 into a monitoring control and automation
8 specialist, serving the mining aggregates
9 and water and waste water industries.

10 So there are two sides to our
11 business. We manufacture our own mining
12 equipment product line; and then we're
13 also system integrators of hardware and
14 software, off-the-shelf hardware and
15 software.

16 We're located in the bustling
17 metropolis of Rocky Gap, Virginia, up here
18 in Bluefield.

19 We also have two sister
20 companies who provide us turn-key
21 manufacturing. They do our sheet metal
22 fabrication, electronics,
23 electromechanical assembly for all of our

1 electronics. They provide us service
2 mounting approval, PPD assembly, cable and
3 harness assembly, electromechanical
4 assembly, custom sheet metal fab, and
5 finishing and silkscreening.

6 Also, we have three facilities,
7 140,000 square feet of manufacturing
8 space, and 200-plus employees. We're also
9 ISO 9001.

10 As I said, AMR was started with
11 its introduction of the pilotless ground
12 monitor. Ground monitors ensure the
13 integrity of the ground wire and the
14 trailing cable for underground and above
15 ground electrically powered mining
16 equipment. So it basically sends a signal
17 through the three phases and back to
18 ground and ensures that the ground is
19 intact at all times.

20 Otherwise, if it's severed, the
21 equipment will become electrically
22 charged, and someone could possibly jump
23 on the equipment and get electrocuted.

1 These are our three primary
2 ground monitors. The low-voltage pilot
3 and pilotless version GM200; and the two
4 high-voltage versions, the GM250 and the
5 GM300.

6 We also offer a wide array of
7 monitoring controlled equipment. Our belt
8 monitoring equipment includes a "Little
9 Speedy" speed sensor, our Tip Switches,
10 and our Belt Master 400.

11 We also offer battery
12 indicators and cable fault detectors for
13 detecting an opening in shorts and
14 trailing cables.

15 Our circuit breaker series
16 replaces traditional molded case breakers
17 you find in power centers underground, and
18 it's comprised of one control unit, vacuum
19 contractors, fuses, and CTs. It
20 drastically improves the reliability
21 intake of all the case breakers. Monitors
22 can't close into faults, and they last
23 much longer with the vacuum contractors.

1 We also remotely open and close the
2 circuit breakers from the surface using
3 our MC4000 system or any kind of DTS
4 system.

5 Now, I will hand it off to Bob.

6 MR. SAXTON: Thank you, David.

7 As David mentioned, we're
8 today -- my name is Bob Saxton -- to talk
9 about the Atmospheric Monitoring Systems.

10 The MC2000 system was the first
11 system that we designed and manufactured
12 back in the early-mid 1980s. At that
13 time, there was a lot of questions about
14 how can you put something underground that
15 could communicate to the surface via using
16 twisted cable for communication. Because
17 of the hash environment and rockfalls and
18 things similar to that, how can you get
19 that information back.

20 Well, we designed the MC2000
21 system with a technology that was
22 available at that time. All the sensors
23 were 4020 milliamp current type sensors.

1 So they were not addressable. Everything
2 that you ran, when you hung any sensor,
3 you had to bring it back to a power
4 source; hang another sensor, bring the
5 wires back to the power source.

6 It had a slow baud rate of
7 4,800 baud. So communications was always
8 a question about how fast this was
9 communicating. You used multiple pairs of
10 wires to communicate from that distance
11 and from the sensors back to the remotes.

12 We had a proprietary master
13 station, which shows right here in the
14 right-hand corner and MC2010, which was a
15 video monitor with our software that we
16 wrote to gather the information coming
17 back from the sensors. That's what was
18 available back in the 1980s.

19 From that, five years later, we
20 developed the MC4000 system, which we have
21 today, with a lot of changes. Naturally,
22 as technology improved, we incorporated
23 that into our new systems.

1 We use a Windows operating
2 environment; meaning, we use a computer
3 that is updated almost weekly now. Every
4 time we sell a system, it's a new type of
5 computer coming out from Dell or whoever
6 that you get a computer from.

7 All the sensors now are
8 addressable. So we use a twisted pair of
9 cables and communicate to those sensors
10 because each one has its own address.

11 We're running at a fast baud
12 rate, so we can communicate faster, at
13 38.4 kilobauds.

14 Some of the advantages that
15 this system had over the original system
16 was when you're calibrating the sensors to
17 keep from getting an alarm of some type on
18 the surface that's nondistinguishable from
19 an actual alarm, any time that we're doing
20 a calibration or a test on the sensors, or
21 as they calibrate those and test them,
22 that does not give an alarm to the
23 surface. It just shows on the screen that

1 it is being monitored or is being
2 calibrated or is being tested. Those go
3 into a log, are recorded and kept for
4 information purposes down the road.

5 The sensors also have auto zero
6 and span calibration, where you can just
7 go put the gas on it and calibrate it up
8 to 50 and then zero it back down, and then
9 it settles in. It also flashes at set
10 points, whether it's 5 to 10 PPM or
11 whether it's addressed; and shows that it
12 is calibrated on the screen on the
13 surface. So all that's done
14 automatically.

15 The software that we provide on
16 our systems, we wrote. Jim Gunnoe wrote
17 the software for that and developed the
18 software. We use a Windows-type version
19 of software where we can show different
20 remotes, different sensors, and also do
21 graphical representations on those
22 particular items.

23 We buy HMI packages, either

1 from Wonder Wear, GE, or Simplicity.

2 We're in the process of developing our own
3 at this particular time.

4 Some of the advantages to these
5 systems, as I mentioned earlier about the
6 technology changing and us being able to
7 improve the systems and making these
8 enhancements, has been the availability to
9 troubleshoot these systems. As with
10 anything, it does take some maintenance
11 and it does take some time. They don't
12 self-heal themselves. They've got to have
13 some work done to them.

14 One of the things that we've
15 done is incorporate some smart repeaters
16 and splitters into our remotes or
17 outstations so if there is a problem in a
18 leg or in an area of the mine that you can
19 detect from the surface and say you're
20 getting bad communications from this spot,
21 you can go to this smart repeater and
22 isolate the rest of the mine and
23 troubleshoot that one leg. So it allows

1 you to remove your 28 volts of DC power
2 and disable communication throughout the
3 ports that are available on that smart
4 repeater.

5 It also gives you your line
6 measurements for voltage and current draw.
7 That's another big thing. You've got to
8 run on a certain amount of voltage of 24
9 volts, your whole system. So, if you get
10 a low current draw and your communication
11 goes down, then this enables you to say
12 "Yeah, I need to put another booster in
13 here to boost my communication and boost
14 my power."

15 A lot of this can be done from
16 the master station. Not only underground
17 where you can go and look into the remote
18 and look and see what's blinking and where
19 your ports are and disable the ports
20 underground, but you can do this from the
21 surface at the master station.

22 You can enable and disable
23 communication with three output ports, and

1 you can reset the communication port arrow
2 count from the master station with the
3 kill remotes, as we're required by MSHA to
4 be able to kill these during a problem
5 underground.

6 The other thing that we've done
7 recently with the CO sensor is improve its
8 -- I guess its capabilities. A lot of
9 sensors that are out there or a lot that
10 we've had in the past weren't, I guess,
11 almost failsafe to some extent.

12 What we've done now is taken
13 our sensor with a new board, which we call
14 a flash upgradable board, whereby in the
15 past, we've had to -- any time we made
16 enhancements to our software, we had to go
17 change a processor on the board. That was
18 time consuming and costly, not only to us
19 but also to the users.

20 So what we're able to do now is
21 just go in there and flash the new
22 software with a little item that we have
23 where the operator can go in there and

1 flash each sensor, and everything's done.
2 Any changes that we make have to be
3 incorporated into the sensor.

4 Also, some of the things that
5 we've done to this when we came out with
6 this new board is we're detecting an open
7 and shorted cell. Thereby showing it to
8 the surface "Hey, I've got a bad cell,
9 take me out." It displays this on that
10 particular address of sensor.

11 If there's an electronics fault
12 on that sensor itself, it displays that on
13 the surface. If it loses its memory or
14 says "I've lost my span, where am I
15 supposed to be, I've lost my address, I've
16 gone dumb," it shows that on the surface.

17 We have this watchdog circuitry
18 that continuously monitors this particular
19 board and cell and all these functions to
20 keep it in tune with what it's supposed to
21 be and where it's supposed to be. All
22 these malfunctions are reported to the
23 surface.

1 Just recently, because of new
2 technology -- we were talking back in the
3 1980s, we had a twisted pair of cables.
4 The MC4000 system was using a twisted pair
5 cable, and everybody talked about when are
6 you ever going to use fiber? Nobody ever
7 wanted to use fiber underground because of
8 the capabilities of it. How can you
9 splice it? How can you get fiber
10 underground with roof falls and the
11 conditions it's got under there?

12 Well, a lot of mines are going
13 to fiber. They've started using fiber on
14 some of the longwalls, and now they're
15 using fiber on their Mine Monitoring
16 Systems, and that's what we've come out
17 with.

18 AMR has its own fiber-based
19 MC4000 ET system, which is an
20 Ethernet-based system. Basically, it's
21 the same type of system whereby you use an
22 HMI package on the surface; run your fiber
23 through the mine as a backbone; and

1 anywhere you hang sensors, you go through
2 a gateway; and, from that gateway, connect
3 up each of your sensors on copper.

4 Once you've run that full
5 length of copper and you have all your
6 sensors, then you can put another gateway
7 in and hang it right off your fiber and go
8 from there.

9 All our products that we
10 manufacture, like David was saying
11 earlier, with a CB, are able to
12 communicate with our system and also with
13 the Ethernet system; and the sensors are
14 basically the same.

15 That's one of the advantages
16 and that's one of the reasons why we went
17 to this flash sensor. So anybody that has
18 the flash boards on their system and
19 upgrades to an Ethernet-type system, it's
20 just a matter of flashing those systems
21 and making them modified from our regular
22 MC4000 system.

23 Some of the hardware that we

1 have for the gateway are the 4020, which
2 also is a battery backup, battery supply,
3 and power supply. We have three Modbus
4 data ports to drive four conductor copper
5 trunk cables. It's also a battery backup
6 and available diagnostic information from
7 each port because it has a smart repeater
8 built into those Gateways, as well.

9 This is a picture of basically
10 the gateway with the battery backup, the
11 board, an Ethernet switch, and our gateway
12 board.

13 The next step that we've taken
14 here recently is integrating in, because
15 of some the laws going into West Virginia
16 and also the laws that are mandated in
17 2009 of tagging and tracking, AMR is
18 developing it's tagging and tracking
19 system that will go right on to the copper
20 system that our users have right now.

21 We're in the process of testing
22 this out or in the process of finishing up
23 some design and going into test with that.

1 Not only will it go on to copper, but it
2 will also go on to fiber. So it can be a
3 stand-alone system on somebody else's
4 fiber, or can be integrated into AMR's
5 Monitoring System, as well.

6 We'll have a smart reader where
7 we can feature up to four antennae inputs
8 to cover multiple zones and ranges, and it
9 provides the system with tag message and
10 receiver information allowing tracking and
11 triangulation. All this is battery backed
12 up, as well.

13 This is basically some of the
14 units that we have here. Our smart
15 readers and our small little tags that we
16 have down there, that go onto the operator
17 or the miners' helmets, and then this is a
18 display of how this would show on the
19 screen. It would show them where they
20 were and what time they reported in and
21 the picture of that particular guy that
22 was wearing the tag.

23 Atmospheric monitoring safety

1 aspects. There's a lot of things that go
2 into conjunction when you're thinking
3 about these systems. Where the technology
4 was years ago and where it is today,
5 there's a big difference. We are able to
6 detect a fire before it begins versus a
7 heat detection system, which was way back
8 when.

9 Also, there is automatic alarm
10 activation for working sections. So, if
11 you have a fire in this one area, it can
12 detect that particular leg or all the
13 sections that you have, depending on how
14 you set it up.

15 We have real-time measurements
16 of other gases; CO, methane, oxygen, and
17 nitrogen. Also, we've developed a
18 hydrogen nullifying sensor. So a lot of
19 people that use battery stations, we can
20 put this hydrogen nullifying CO sensor
21 into that particular area to monitor their
22 charging station, but it won't nuisance
23 alarm because it's getting hydrogen bleed

1 off from the battery charging station
2 itself. That's why we put the hydrogen
3 nullifying in there.

4 We're also finalizing our next
5 step in going to diesel discriminating.
6 For a long time, that was not available;
7 but it is available now. We can go in and
8 detect so you don't get a nuisance --
9 well, that's just a tracker going by, and
10 it's got diesel in it because you see that
11 rise in CO. So we're developing that
12 particular item right now.

13 Recently, we've had a lot of
14 requests for cell and return monitoring
15 requirements with oxygen, CO, and methane
16 as well, going through a blue barrier in
17 intrinsically safe areas.

18 One of the things that we
19 worked on back in the mid '90s was a smoke
20 detector. We used an ionization-type
21 design at that particular time and worked
22 with it probably for six months, and we
23 didn't have much success. I think mainly

1 because of the design, mainly because of
2 maintenance issues, and mainly because of
3 several different other items.

4 One of them was market drives,
5 what we manufacture, as well. The market
6 conditions at that time were conducive for
7 us to spend a lot of time and money on an
8 item, and we might sell one or two items.

9 Now, with new regs coming out
10 and concerns about fire retardant belts,
11 that might put this back on the front
12 burner where we can get more interest.
13 With new technology as it is today,
14 there's a big difference.

15 Where are we going for the
16 future? The main thing is that these
17 systems, as I mentioned earlier, are not
18 self-healing. It does take maintenance.
19 You go to some mines sometimes, and they
20 say "Well, the system is down, we don't
21 know what's wrong, we don't have anyone
22 here to fix it." Well, it's just like if
23 your miner was going down and your miner

1 needed oil in it or if your miner needed a
2 new motor, I guarantee you, you're going
3 to take care of that miner.

4 Well, it's the same way with
5 the system. If it's protecting the people
6 that are underground, it should be
7 maintained in that same manner.

8 It does require specialized
9 installation and maintenance personnel to
10 maintain these systems. It's not just
11 another job, and you say "You go take care
12 of the system or put in a CO." It does
13 take someone to take care of it that will
14 take responsibility for that system.

15 One of the things that Kevin
16 mentioned earlier about his job of taking
17 care and looking at what we as
18 manufacturers present to him to put
19 underground, he's got to make sure that
20 they work. We've got to make sure that
21 MSHA understands that what we try to do is
22 build a good product and a safe product
23 that will work and protect the people

1 underground.

2 That's it. Thank you.

3 DR. MUTMANSKY: Linda, can we
4 take some questions right now?

5 MS. ZEILER: Sure.

6 DR. MUTMANSKY: Bob or David,
7 would you comment a little bit more about
8 what you had mentioned about smoke
9 detectors? You basically said that in the
10 past, you've looked at these; but you also
11 said that perhaps today we could do a
12 better job.

13 Would you try to assess whether
14 or not it would be possible to implement
15 smoke detectors using your system today
16 and whether or not you could be successful
17 today where you weren't so successful in
18 the past.

19 MR. GUNNOE: My name is Jim
20 Gunnoe. I'll take that question.

21 As Bob said, in the past, we
22 looked at the ionization-type smoke
23 detector and did not have very much

1 success with that type of technology. The
2 next step beyond that would probably be to
3 do it optically. I know there's a couple
4 of them on the market now to do it with
5 obscurity techniques, and that's probably
6 what we would look at next.

7 Now, there are also problems
8 with that. There's -- naturally, you have
9 other particulates in the atmosphere in
10 the ground; such as, the rock dust, the
11 coal dust. So those dusts, those
12 contaminants affect even that type of
13 technology, the obscurity technology.

14 DR. BRUNE: My question relates
15 to your comment when you said you can
16 detect the fire before the fire begins.
17 What is the definition? Are you talking
18 about detecting a fire or something
19 heating before there's open flame, or
20 what's the definition there? I mean, if I
21 can detect something, obviously, there's
22 something there that indicates something
23 is smoldering or something is already

1 smoking. Is that also not a fire?

2 MR. GUNNOE: The carbon
3 monoxide sensors, when we say they'll
4 detect a fire before there's a flame, is
5 the fact that when a fire starts, before a
6 flame, you have carbon monoxide elements
7 off of that flame. So these sensors are
8 sensitive enough to pick that carbon
9 monoxide up before there's an actual
10 flame.

11 DR. BRUNE: Okay. So what you
12 said by detecting fire before the fire
13 begins is before there's a flame, you can
14 detect a fire?

15 MR. GUNNOE: That's correct.

16 DR. BRUNE: Okay. Thank you.

17 DR. TIEN: In the last slide,
18 you were talking about using -- you have
19 to have a specialized installation; and
20 then there's personnel. What are some
21 situations you have had in the field?
22 Where do those people come from? Do you
23 folks provide it, or does it come from the

1 mine? What kind of background are these
2 people? Are you happy with the type of
3 people you're dealing with?

4 MR. GUNNOE: In some cases, in
5 some of the larger mines, there are more
6 qualified personnel to take care of these
7 systems. In some of your smaller mines,
8 they'll use the same guy that may patch a
9 trailing cable to install some of these
10 sensors, and they're not -- they have no
11 electronics background.

12 We certainly try to train these
13 people when we put a system in, but
14 there's a lot of turnover. That's another
15 one of the problems. You will train
16 somebody on the system, and six months
17 down the road, they've signed off of that
18 job and gone somewhere else. So I think
19 that is a big problem, the type of
20 personnel that are available to work on
21 these systems.

22 The same thing goes with the
23 surface computer. We have people that may

1 not even know what a mouse is. You get
2 them on the phone and try to help them,
3 and you have to tell them which button to
4 push on the mouse. That's the kind of
5 people we deal with sometimes.

6 MR. SAXTON: The other aspect
7 of it is AMR has on staff six or seven
8 engineers with BS Degrees in Electronic
9 Engineering. So, when we do send someone
10 out to install the system and to train
11 these people on it, they are qualified to
12 do that and service them.

13 DR. TIEN: That's great. Now,
14 what do you see or how do you want this
15 problem to be addressed, the lack of
16 competent personnel in your field?

17 MR. GUNNOE: We'd like to see
18 the companies provide more trained
19 personnel; somebody that knows something
20 about the computer, somebody that can use
21 a multimeter, somebody that can
22 troubleshoot the system and take care of
23 it that knows a little more than turning a

1 wrench on a miner.

2 MR. SAXTON: Some of the better
3 systems that we have in place today are
4 the ones where the end user takes
5 ownership of the system. When they call
6 in and say "The AMR system is down," we
7 know that they have not taken ownership.
8 If they call in and say "Our system is
9 down," then we know that there is
10 ownership and they have tried to take care
11 of some things.

12 DR. TIEN: I just want to have
13 a feel of the scope of the challenges we
14 face as an industry. For customers you
15 see, clients, how many of them roughly are
16 you putting in that are competent, less
17 than desirable, or whatever?

18 MR. SAXTON: Probably 10 to 20
19 percent are probably in that range of
20 having difficulty with maintaining the
21 system as we would like to see it
22 maintained.

23 DR. TIEN: Thank you.

1 DR. WEEKS: I have a related
2 question, and it's sort of the same
3 question about qualified people to operate
4 and maintain the system. Actually, I'm
5 more concerned with the operational
6 aspects.

7 Do you do the training of
8 operators, or do you leave that up to the
9 mine operator? How does that work? In
10 the end, there's a person there looking at
11 the screen that's got to make the
12 decisions about what to do given certain
13 circumstances. How does that person
14 acquire those skills? Do you provide the
15 training, or do you provide the people, or
16 how does that work?

17 MR. GUNNOE: Originally, we
18 provide the training to the operators.
19 Again, you see a lot of turnover,
20 personnel turnover. Once you train the
21 original operators and the company owners,
22 a lot of times, we'll depend on them to
23 task train as they trade that job off.

1 Many times, we've been called
2 back to do additional training, when the
3 staff does change.

4 DR. CALIZAYA: My question
5 deals with accuracy of the instruments.
6 Several of the instruments are affected by
7 local conditions. Specifically, I'm
8 talking about oxygen and carbon monoxide.
9 Depending on where you are located and
10 where you calibrate these instruments, you
11 may have some variation. How do you take
12 care of that?

13 MR. GUNNOE: In the carbon
14 monoxide sensors, and the oxygen, there's
15 a temperature compensation that's taken
16 into consideration. As far as accuracy, I
17 would say plus or minus two parts on the
18 carbon monoxide, and within half a percent
19 on oxygen.

20 We're somewhat limited to the
21 cell technology that we use. It's fairly
22 common among all the manufacturers. A
23 company called City Technology primarily

1 provides the cell technology that most of
2 us use.

3 MR. HEDRICK: Our next
4 presentation was scheduled to be by
5 Conspec Controls. Their representative
6 had travel difficulties and has been
7 delayed. So he will be here a little bit
8 later in the morning.

9 So that brings us to our next
10 presentation from Pyott Boone Electronics.
11 They are from Caswell, Virginia. Pyott
12 Boone Electronics was established in 1971,
13 and supplied the coal ministry with
14 communications and monitoring systems.

15 With us today is Doug Coon, who
16 is the Sales and Engineering Director. He
17 has 24-plus years at Pyott Boone, first
18 starting in February of '79, and he has
19 been there continuously since March of
20 1985.

21 He's held various positions,
22 starting in repair and service. He has
23 been a Sales Territorial Manager. He has

1 made marketing the Mine Monitoring System
2 a personal goal.

3 The Company Sales Manager's job
4 was his next responsibility, starting in
5 1990. His next opportunity came along
6 with the international business, traveling
7 to other countries in pursuit of business
8 opportunities.

9 Through all of this, he has
10 been the main liaison with the folks at
11 Triadelphia in getting products approved
12 and/or accepted as was necessary.

13 So Doug has got a presentation,
14 MR. COON: We appreciate the
15 opportunity to be present today and give
16 you an insight into our history and
17 involvement in Atmospheric Monitoring
18 Systems.

19 We started serving the mining
20 industry 36 years ago, and we presented
21 solutions for safety and production. Of
22 course, we had standard page phones that
23 have been with us for a number of years.

1 We have sold over 250 of the
2 Atmospheric Monitoring Systems in the last
3 22 years, and we have sales of over 7,000
4 gas monitors all over the United States.
5 Some of these are obviously used in other
6 manufacturing systems, such as
7 integration, by those people that
8 integrate the items.

9 I want to show you a few slides
10 as I go along with my presentation.

11 Pyott Boone, as far as history
12 of the business, started in the late '70s,
13 early '80s. Pyott Boone's first
14 Monitoring System was the Model 950. The
15 model 950 used a CPU off the shelf and
16 other hardware that was available at the
17 time to engineer a master station which
18 utilized an LED display as part of the
19 HMI.

20 With a 12-key numeric key pad,
21 retrieving information and decoding the
22 messages was accomplished with charts
23 attached to the 950. It was very simple.

1 There was no PC computer or monitor as
2 such associated with the 950.

3 Pyott Boone arrived late on the
4 scene with the system and targeted the
5 small to medium mine operators since the
6 research indicated the larger operators
7 were going with Transmitton, Conspec, MSA,
8 Rel-Tek, and others.

9 Since Pyott Boone was
10 performing basic CO monitoring and belt-
11 control monitoring for small operators, we
12 did not opt for high speed data rates.
13 Monitoring distance was somewhat of a
14 concern, but did not become an immediate
15 issue.

16 As time moved on and more
17 operators learned of the Pyott Boone
18 System and what Pyott Boone had to offer
19 in service of reliability, expansion of
20 the PC-based system and requests for
21 additional monitoring capability plus
22 speed came about.

23 This continues today as we meet

1 here. The next generation of the AMS is
2 being engineered, and we expect this
3 system to far exceed anything on the
4 market today.

5 This system has been under
6 design for the last nine months to a year,
7 and we expect to have it available to the
8 market sometime late next year.

9 What the system does. The AMS
10 monitors the environment for numerous
11 items; including, oxygen, methane, carbon
12 monoxide, and air flow. Components which,
13 make up the Atmospheric Monitoring System
14 are the cabling, the computer,
15 uninterruptible power supplies, gas
16 monitors, and other remotes.

17 Audible/visual alarms are part of the
18 system.

19 You can see there we have our
20 mine monitor station in the dust enclosure
21 to protect the computer. Of course, we
22 have multigas monitors. We have the
23 single gas monitors. Primarily, the

1 single gas monitors all look the same.
2 Obviously, they do different jobs,
3 depending on the sensor cells and what
4 their intended purpose is meant to be.

5 40 and 20 milliamp is
6 available, although we've never utilized a
7 system at Pyott Boone that used 40 or 20
8 milliamp monitors. We've always talked
9 directly to the remotes.

10 The gas monitors warn and alarm
11 on gas concentrations of the targeted gas
12 that exceed the predetermined levels.
13 These warnings and alarms are displayed at
14 the Monitoring Station on the surface with
15 the appropriate signals for monitoring
16 system personnel to act on.

17 The computer can be configured
18 to activate alarms at locations
19 underground where personnel are stationed,
20 and this can be automatic operation of
21 those alarms by the computer. It doesn't
22 require human intervention.

23 The most widely monitored

1 target gas is the carbon monoxide, CO. CO
2 is odorless, colorless, and toxic. It
3 results from incomplete oxidation of
4 carbon and combustion. It can auto ignite
5 at about 1,130 degrees Fahrenheit.

6 What are the AMS benefits? The
7 AMS benefits for the coal mine operator
8 are the best safety for personnel and
9 their assets. Most CO units are placed
10 along the belt haulage entry to warn of a
11 fire potential.

12 When installed and maintained,
13 to manufacturers requirements, the system
14 will report all concentrations considered
15 to be out of the window of normal
16 operation.

17 Reports of belt alignment
18 problems, along with hot rollers and
19 bearings, are not uncommon for operators
20 utilizing the AMS. With fewer personnel
21 to monitor and maintain the conveyor belt
22 infrastructure, monitoring for a safe
23 environment is of the utmost importance.

1 Even though the Pyott Boone
2 Belt Boss belt controller is not a gas
3 monitor -- you will see the Belt Boss
4 controller at the bottom right -- it
5 incorporates one of the most advanced
6 digital speed monitoring services in the
7 coal industry today.

8 This technology monitors for
9 belt speed slow down, thereby turning off
10 power to the conveyor motors long before
11 slippage becomes a fire hazard. Conveyor
12 belt fires from slippage should be a thing
13 of the past for operators using this
14 controller.

15 Since the events of 2006, we
16 have seen an effort by operators to better
17 train personnel in understanding the AMS
18 and the calibration of the monitors. We
19 have conducted training for years for the
20 mine operators using the Pyott Boone
21 system. We typically give them one free
22 annual retrain, and they take advantage of
23 this. Sometimes they ask me for more, and

1 they have to pay for those.

2 During this training -- as a
3 matter of fact just this past Monday
4 night, we had one of the operators request
5 that our personnel be there for the Hoot
6 Owl shift to do training. Again, on
7 Tuesday night, last night, there was an
8 AMS operator doing training on the Hoot
9 Owl shift.

10 So we go, at their pleasure,
11 any time they ask; and we also have a 24/7
12 Service Department at our facility.

13 Pyott Boone, along with
14 distributor/service centers, conduct
15 training. We do have distributors -- one
16 in Pennsylvania, one in West Virginia, one
17 in Kentucky -- that also perform training
18 of installation of systems, et cetera.

19 Pyott Boone always conducts
20 training for the MSHA inspectors at the
21 Beckley Academy. We are requested, from
22 time to time, to come to Beckley to help
23 train the mine inspectors there in the

1 operation of our system and try to point
2 out the things that would be of importance
3 to them, as far as inspecting the system.

4 We have also digital
5 calibrations, key-pad programming,
6 configurable set points, alarms, and
7 warning contacts. Obviously, we have a
8 nonmetallic impact molding, display LCD on
9 the system; and we have MSHA approval on
10 certain monitors; the 1700 and the others
11 employed with the latest technology.

12 We are in the process of
13 considering a new replacement unit, which
14 will be the third generation of our CO
15 monitors taking advantage of all the
16 improvements in the electronic components
17 and available electronics to us today from
18 the industry.

19 Our system has proven over and
20 over it works and alerts mine personnel of
21 pending problems. Obviously, as the folks
22 at AMR said, the best system in the world
23 will not work unless it is properly

1 installed and maintained.

2 We sell a system. We go to
3 help with the installation, especially at
4 the surface with the equipment. We train
5 them on the installation of the
6 underground monitors, the proper
7 procedures for installation; and we also
8 assist there, if they request us to.

9 I won't read that since you
10 folks can look at it.

11 Thank you. Are there any
12 questions?

13 DR. MUTMANSKY: Doug, I'd like
14 to ask a basic question, and this is a
15 question not directed necessarily just
16 toward you all, but to the AMS people.

17 Is there any attempt today to
18 not only integrate the sensors into a
19 computerized system, but also to provide
20 software which suggests the correct
21 decision to be made when any particular
22 event occurs within the Monitoring System?
23 For example, CO is picked up in certain

1 locations or something else is out of the
2 ordinary, do any of the manufacturers
3 provide software which helps the operator
4 make a decision?

5 MR. GUNNOE: Well, the working
6 sections are typically automatically
7 alerted, if there's a sensor that's gone
8 into alarm where air is traveling toward
9 their sections, but not so much to tell
10 the operator "Okay, get on the phone, call
11 this guy." I don't know that there's
12 anybody doing that at this point.

13 DR. MUTMANSKY: Can it be done?

14 MR. GUNNOE: Oh, yes. That's
15 not a bad idea. I'll take note of that.

16 MR. COON: Typically, an
17 operator has instructions for all their
18 people who are trained by us. As a matter
19 of fact, we had an operator bring about 20
20 of his people who actually bought the mine
21 operation. He brought about 20 of his
22 people to our facility for two-day
23 training, and it was primarily the

1 operators that would be monitoring this
2 computer outside.

3 They have their own
4 instructions, which is I think mostly
5 driven by what's in CFR(30) Regulations.
6 That says when certain conditions occur,
7 you have to do this, this, and this.

8 So it's probably not something
9 that we've considered, but I'm not saying
10 we wouldn't, as far as the software
11 package.

12 DR. TIEN: Why don't you
13 consider that? Is it because of a legal
14 concern or because you haven't done that
15 before?

16 MR. COON: The instructions, is
17 that your question?

18 DR. TIEN: Yes.

19 MR. COON: It's not that -- I
20 don't think it's that, as much we've just
21 never had a request from the operators
22 that they would like for us to integrate
23 that into a software package.

1 DR. TIEN: Don't you think
2 that's a good idea?

3 MR. COON: Yes, sir.

4 DR. BRUNE: I have a question
5 that I would like to know. Do you provide
6 facilities for your sensing systems to
7 say -- let's say 10 percent methane behind
8 a seal could be a concern. However, if at
9 the same time the oxygen is less than 10
10 percent, that 10 percent methane is no
11 longer explosive.

12 So, if you have a second sensor
13 that says "We don't have enough oxygen to
14 make an explosion possible, we are not in
15 the explosive range," do you have a small
16 sensing system that could validate the
17 results from multiple sensors and
18 therefore make a smarter decision than
19 just say 10 percent methane and 10 percent
20 in the explosive range?

21 MR. COON: I think what you're
22 asking is: Do we have a monitor that
23 would have the ability to detect certain

1 levels of presence of gas, in the
2 presence, obviously, of oxygen or methane
3 or whatever; and then it would make that
4 decision whether that's a safe or unsafe
5 level?

6 DR. BRUNE: Yeah.

7 MR. COON: I don't know. I
8 would have to toss that over to the -- my
9 first thought is: Do we want that
10 liability? Okay. I think our approach
11 would be that we will provide them with
12 the actual sensor readings, which we can
13 do now; and it's up to them to make that
14 decision of whether that's an unsafe
15 condition or a safe condition.

16 They can set these alarm set
17 points wherever they want. They are fully
18 adjustable either at the computer or at
19 the actual monitor itself.

20 DR. BRUNE: Thank you.

21 MR. MUCHO: Just a comment a
22 little bit on that, Doug. Basically, what
23 you're looking at is probably not a

1 monitor making that decision. It's really
2 the software would make that decision.

3 There's, of course, ways to do
4 that with software to make decisions from
5 sensors.

6 MR. COON: Oh, absolutely.

7 MR. MUCHO: Some of these
8 decisions could be -- are pretty straight-
9 forward. For example, the one that he
10 talked about is pretty scientifically
11 considered valid in understanding as to
12 what's in the explosive range and what
13 isn't in the explosion range. There
14 probably wouldn't be a lot of argument
15 about that.

16 So, in terms of liability,
17 there are certain aspects that are pretty
18 straightforward that wouldn't be much in
19 terms of liability and generally accepted.

20 There are some others we're
21 going to hear tomorrow about some work
22 that was done at NIOSH with multiple
23 sensors and making a determination on

1 fire.

2 You're right. There is some
3 liability there; but, for example, that
4 research considered a lot of variables and
5 so forth and came up with a neural network
6 to make that decision for diesel operating
7 hydrogen from a battery charging station
8 or whatever.

9 Again, while some of that stuff
10 may not be set in stone and you're getting
11 a probability of fire -- for example, that
12 worked within 90-something percentiles --
13 that would be correct.

14 If we're going to move forward
15 in terms of some of these detections and
16 in some of these instances, that's kind of
17 what we have to be dealing with, is some
18 high probability, some assessment of risk,
19 and move forward. Otherwise, we'll be
20 stuck at this decision-making process
21 beyond what we want to do.

22 That's just a comment for the
23 manufacturers to think about. We're

1 probably going to see that come from, like
2 you said, operator requests or maybe a
3 regulation or maybe other actions; such
4 as, from this panel.

5 Thank you.

6 MR. COON: Thank you.

7 MR. HEDRICK: Our next
8 presentation is Rel-Tek Corporation from
9 Monroe, Pennsylvania. With us today is
10 Albert Ketler, who is President and CEO.

11 He is a Registered Professional
12 Engineer in Pennsylvania and Texas. He
13 graduated from Bucknell University with a
14 Bachelor of Science in Mechanical
15 Engineering in 1956.

16 He joined General Electric in
17 management assignments across the country.
18 He took graduate studies in Electrical
19 Engineering and Business at Penn State and
20 Xavier University while undertaking
21 advanced studies at General Electric's
22 three-year Advanced Engineering Program,
23 followed by their five-year Systems

1 Engineering Development Program.

2 His last assignment with GE was
3 Systems Engineer on SNAP-27, the nuclear
4 power system used on Apollo lunar landings
5 and present interplanetary probes.

6 He founded Ocenco in 1970 and
7 then founded Rel-Tek in 1979. He has
8 pioneered in the development of Atmosphere
9 Monitoring Systems since their inception
10 and has numerous papers and patents to his
11 credit.

12 He holds an aircraft pilot's
13 license, raises bees at home, and spends
14 weekends gardening and keeping up with his
15 four grandchildren.

16 MR. KETLER: I guess I can
17 just -- while Kevin is doing the high-tech
18 stuff here --

19 MS. ZEILER: You need to get
20 the microphone on.

21 MR. KETLER: Can you hear me
22 okay?

23 Okay. What to do when you have

1 an alarm? That's always a crisis. You've
2 got an alarm there and an inexperienced
3 person sitting in front of the monitor or
4 called in from an adjacent office and the
5 alarm is going off. What do you do when
6 you have an alarm?

7 We've given the resources --
8 given the client the resources to do
9 whatever he needs to do; page out
10 messages, announce over a loud speaker,
11 have pop-up verbiage of what the
12 characteristics of this is and choices and
13 priorities and what to do.

14 All if this has to be conceived
15 by the operators in conjunction with the
16 known sections, the definitions, the
17 terminology, the nomenclature of where
18 things are, escapeways and whatever. We
19 can't impose that on them and do it for
20 them because we're not experts on their
21 particular set up.

22 So, if they give us the
23 information on what they want to have done

1 on these instances, then we can implement
2 it for them or we can put in voice
3 messages and have them brought up and
4 paged out and that kind of thing. It's
5 not something that they would look to us
6 to do for them, as far as coming up with a
7 concept of how to react to a particular
8 alarm or combination of alarms.

9 DR. MUTMANSKY: Al, would you
10 answer the question: In an ordinary AMS
11 system, what percent of the alarms are
12 false alarms? In other words, your system
13 or somebody else's. Roughly. Just give
14 us a rough idea of what percent are false
15 alarms.

16 MR. KETLER: Well, you're going
17 to have false alarms but, hopefully, not
18 very many. When you have an alarm, you
19 have to trust it. It's like I'm an
20 aircraft pilot. You always trust the
21 instruments first, even if you think
22 you're flying upside down. It's probable
23 -- the instruments are probably right. So

1 you have to react to them, but you have to
2 do it intelligently with history in mind.

3 I've always had trouble with
4 that. You've got to send somebody over to
5 look at a sensor and do something to it.
6 That would qualify your reaction to it,
7 but there shouldn't be very many false
8 alarms.

9 DR. MUTMANSKY: What would be
10 the source of the false alarm? Are most
11 of them sensor problems, or are they other
12 types of problems?

13 MR. KETLER: When you set up a
14 sensor, you don't just set the maximum --
15 a low alarm threshold and a maximum alarm
16 threshold. You also set in there offset
17 alarms. If it falls below a certain level
18 indicating that there's a failure on the
19 instrument, you want an alarm on that; but
20 it's a different kind of alarm. It's not
21 what we call a critical alarm. It's a
22 maintenance alarm.

23 It will come up on the screen.

1 Instead of being red or flashing yellow or
2 something, it will be a different color, a
3 blue, which will indicate that you've got
4 to go take care of that sensor there.

5 That's sort of the qualifications to it.

6 The alarms are all logged with
7 the time and the date and the place to put
8 in a message by whoever acknowledges it.
9 You can have them type in their initials
10 and some statement, and that goes along
11 with that particular alarm, whether you
12 notice it or whether there's -- it's
13 guessed to be a false alarm, that sort of
14 qualification.

15 You can go back and then review
16 these alarms and sort them by categories.
17 There's carbon monoxide alarms, methane
18 alarms, offset alarms, critical alarms,
19 noncritical alarms. So you can get a
20 report on your plant's performance, your
21 mine's performance over time.

22 This is where that data mining
23 comes in. You can review what happened.

1 If you had a shutdown or a fire or
2 whatever, you can see the conditions
3 leading up to it. So it was an historical
4 trend. If you had an early alarm, you'd
5 go in, look at the logs, the graphs, and
6 see if the CO started building up slowly
7 or whether it went abruptly.

8 Maybe you had a roller lock up
9 and you had some heating. That always
10 generates carbon monoxide. You might have
11 some slow build up. So that's small
12 forensic-type information that you can get
13 off the system.

14 We use 12-bit resolution in all
15 of our end-log input so we can see very
16 carefully. It's like this, it's a nice
17 smooth curve. We get 4,096 steps between
18 zero and full scale. We have a lot of
19 room there to -- you can see small
20 differences and small changes.

21 You can print out these graphs
22 and grids and amplifications for
23 particular dates and times and periods.

1 DR. WEEKS: While that's being
2 set, I have a similar question. When you
3 do this kind of data mining for, as you
4 put it, forensic purposes -- well, first
5 of all, I assume you do that on a regular
6 basis?

7 MR. KETLER: It's automatic.
8 It comes with our software package.

9 DR. WEEKS: So what do you get
10 when you do that? What do you get in the
11 way of false alarms? If you find trends,
12 are you looking at spikes? What exactly
13 does that tell you, either about the mine
14 or about the system? When you get that
15 kind of information, what do you do with
16 it?

17 If you could provide some
18 examples or just discuss some examples of
19 how that develops, it would be helpful to
20 get a better understanding of how to use
21 the system.

22 MR. KETLER: One forensic
23 application was a capital metro transit

1 facility down in Austin, Texas. They have
2 one of our systems for monitoring for
3 compressed natural gas emissions off of
4 CNG powered buses. They have a system
5 that's a block-sized building, a huge
6 facility, with hundreds of sensors.

7 There was an instance where
8 they had a hose -- a fueling hose came off
9 a bus while they were fueling it, and the
10 gas level went up, and the alarms went
11 off, and the police weren't notified.

12 So the Union sued the Company
13 because the system wasn't maintained
14 properly or whatever it was, that it was
15 -- they didn't have the right reaction to
16 the alarm.

17 We looked into our log of the
18 data, and it showed that the maximum level
19 where you -- you sound the alarm, the
20 audible alarm, and then -- the visual
21 alarm first and then the audible alarm,
22 but it never went up to the level of
23 notification of the fire department. So,

1 if there's a prima facia thing throughout
2 the case, that kind of evidence is useful.

3 I can't think of a mining
4 application of that right now, but there
5 probably has been. I'm sure maybe some of
6 these folks have.

7 We've all been around this
8 industry for a long time and seen it grow
9 and seen the technology advance, and it's
10 just remarkable the things that you can do
11 in the system now; with the archiving,
12 with the logging, with the printing, with
13 the automatic printout of reports. So
14 every morning you walk in there, and you
15 have a report of your last week's CO
16 levels and that kind of thing.

17 DR. WEEKS: Is that something
18 that when you go out and sell a system and
19 you train operators on how to use it and
20 so on and so forth, is that the kind of
21 thing that's regularly included in when
22 you sell a system? Do you talk to them
23 about data mining and how to get a better

1 handle of what's going on in their mine?

2 MR. KETLER: Well, any viable
3 mining entity that's interested in doing
4 business on a long-term basis has to be
5 concerned with safety. So they're looking
6 for anything that sheds some light on an
7 unsafe condition or information on their
8 mining; their down time, their conveyor
9 shut-down events and how many there were
10 and how long the durations were and that
11 kind of stuff.

12 So there's a payback from a
13 safety standpoint and also a productivity
14 standpoint. I think they combine those
15 benefits.

16 DR. WEEKS: Well, it's the ones
17 that don't that are the problem. The
18 question is how do get them to do what's
19 needed to explore the capabilities of
20 them.

21 MR. KETLER: Well, you can lead
22 a horse to water, you know, and all that.
23 You can't make them do something --

1 sometimes they don't want the logging.
2 Sometimes they don't want meters on the
3 sensors. They don't want the CO levels to
4 be visible. They want to keep that in the
5 archives and stuff.

6 Yeah, you run into those
7 situations. You kind of walk around it
8 because it's nothing but trouble.

9 DR. WEEKS: It's trouble that
10 can cause some serious problems.

11 MR. KETLER: Yeah, you're
12 right.

13 Okay. What's new at Rel-Tek?
14 That's what I was invited here to talk
15 about. Let me very quickly go through
16 these slides. I have too many slides so I
17 will kind of brush through them.

18 If anybody wants a copy of
19 them, you're welcome to -- I can E-mail
20 them to you. No, it's too big to E-mail.
21 I can send it to you some way or another.
22 We do have a record copy here.

23 Conveyor belt controls, MSHA

1 approval, these are new categories of
2 things we want to talk about; longer
3 distance, higher security communications.

4 Communications is the backbone
5 of your system. If you don't have good
6 communication, no matter how many bells
7 and whistles of things you have on your
8 computer, it's not going to be meaningful.
9 So you have to have solid communications,
10 that's kind of a given here. Really long-
11 life sensors are not questionable after
12 six months or a year, but they'll last for
13 five years and ten years.

14 Some of the carbon monoxide
15 sensors we get back for repair when
16 they're ten years old. They've never had
17 a cell change on them. It's kind of
18 amazing. Some of the old equipment comes
19 back that the technical people forgot
20 existed.

21 Automatic gas sensor
22 calibration. We're talking about
23 reliability of sensing, where you get a

1 sensor that drifts a little bit with
2 temperature, with age, with conditions.
3 Do you wait for the 31 days to come up to
4 do the manual calibration, or do you push
5 that CAL NOW button and get all your
6 sensors calibrated while you're having
7 coffee? That's all possible and doable
8 now.

9 DR. BRUNE: Are you talking
10 about actual calibration remotely, or are
11 you talking about zeroing in and out?

12 MR. KETLER: Automatically.
13 Totally within the computers.

14 DR. BRUNE: Without putting a
15 test gas on it, is that what you're
16 saying?

17 MR. KETLER: No. We put test
18 gas on it. It's done automatically.

19 DR. BRUNE: I'm not sure I
20 understand this calibration.

21 MR. KETLER: I will get into
22 it. I hope to cover that here.

23 Okay. Personnel location and

1 tracking. This is a new area. You folks
2 are all involved in coming after the
3 products.

4 What we're doing is the
5 backbone for it. Our part is the
6 communication and reliability, the long-
7 distance communication. We're doing the
8 long-haul backbone for the manufacture of
9 the personnel tracking equipment.

10 Emergency and post-disaster monitoring.

11 Monitoring of the conditions so that
12 people leaving the working place and
13 leaving the mine know in advance what's
14 happening outby, what they're getting
15 into, if they're getting into a CO level
16 or some methane or whatever it is.

17 Temperature. That's in our sights now of
18 doing that.

19 Seal pressure. Seal pressure
20 is a big item now. We're selling quite a
21 lot of pressure sensors, differential
22 pressure sensor that measure inches of
23 water gauges to know what's behind the

1 seal, whether there's positive pressure or
2 whether the barometric pressure changed
3 and all of that, and what's behind it in
4 the way of methane and carbon monoxide and
5 smoke. There's temperature and air
6 velocity, vibration of fans, and that kind
7 of thing.

8 Okay. Our Windows operating
9 system. We have our own software. We've
10 been developing it for about 12 years or
11 more. It's quite a piece of work. It's
12 just all our own code; but, by doing the
13 telemetry components in conjunction with
14 the software, we can optimize the two and
15 come up with enormously improved
16 communication and reliability and high
17 speed.

18 The computer speed and the
19 software speed contributes to the overall
20 monitoring speed. You have to keep that
21 software running really lickety-split
22 because you don't want slogging through a
23 lot of overhead code that's just slowing

1 implementation.

2 We have ours running all in
3 hard code. We have hundreds of thousands
4 of lines of code that do this.

5 We include all the setup tools.
6 All the setup tools are sometimes
7 expensive add-ons to other systems,
8 whereas we supply that with it.

9 So the client can do their own
10 customizing. If they put in a new
11 section, they don't have to call us in to
12 reprogram it for them. They can do it
13 very intuitively and very logically, and
14 it's very simple for them to add onto the
15 system.

16 Large hard drive capability
17 gives us archiving capability that was
18 unheard of. We have 50 gigabytes of hard
19 drive that you can save things on, and we
20 have automatic file management so that the
21 files never get too big to offload and
22 that kind of thing. It does all that.

23 We solved these problems over

1 the years, and now it's kind of a standard
2 for our Millennia system.

3 That's a wall mount PC. This
4 is for mine offices where you don't want a
5 cabinet occupying floor space. This goes
6 against a wall. It has the same specs as
7 our main Millennia system, but it's in a
8 box with positive pressure ventilation,
9 and it's a durable piece of goods for a
10 mine office.

11 We have hot standby, in case
12 the computer fails. We have what I will
13 call our referee in the center that does
14 nothing but watch the performance of that
15 -- of the main primary computer.

16 If it hiccups for anything, it
17 automatically switches over to a hot
18 standby, which has been kept up to date
19 with all the file transfers. Everything
20 is ready to go. It steps in and carries
21 on.

22 The flag goes up that the old
23 computer died, and you can continue your

1 operation. Switch back to the primary,
2 when you get the hard drive fixed or
3 whatever the problem was on it.

4 The PCs are not forever. As
5 you know and as with Exhibit A here, you
6 never know what's going to happen. Hard
7 drives and dust and temperature, they're
8 all killers of PCs. So you keep your
9 cabinet PC and a wall mount PC.

10 We now have two different
11 configurations. So it's functionally
12 redundant. You have this kind of
13 situation here, and another configuration
14 there, and whatever happens to one
15 probably won't happen to the other. So
16 it's a good back up.

17 Anyway, hot standby with
18 Windows is not an easy thing to do. It's
19 something that we've developed, and it's
20 quite a nice add on to our system.

21 This is -- the University of
22 Missouri has one of our Monitoring Systems
23 out there. Dr. Tien has a class that's

1 using that in their mine studies, mine
2 engineering studies. They have a
3 simulated mine and that sort of thing.

4 I show you this because it
5 indicates the graphics capability to
6 import maps, use logos, use mine maps, put
7 things on top of familiar landmarks so you
8 can see where things are and you can put
9 your sensor data right there and make it
10 visible for you.

11 This is a fairly large mine. I
12 don't mention a name for the mine because
13 I don't have their clearance to do that.
14 We call them other things. This is K
15 mine.

16 The green spots are carbon
17 monoxide sensors. This is just their
18 setup screen. You can see how you can
19 make a very big system out of these.

20 DR. WEEKS: Could you go back
21 to that for a second? Are all those --
22 those are all entries where the carbon
23 monoxide senses. Are those all belt

1 entries, or are they other kinds of
2 entries? Are they all entries that are
3 used for face ventilation?

4 MR. KETLER: They are all belt
5 entries. They all feed on the belts.

6 DR. WEEKS: Are they all used
7 for face ventilation, all of those belt
8 entries?

9 MR. KETLER: No. I would say
10 no. I don't know which ones are or which
11 ones aren't, quite frankly.

12 DR. WEEKS: So you're putting
13 monitors on all the belts?

14 MR. KETLER: We use the
15 thousand-foot rule. We put CO sensors on
16 thousand-foot centers and link them into
17 the system. We have the RPMs and the
18 vibration and varying temperatures and the
19 Delta Ps and that kind of stuff.

20 There are just some of the
21 tools that you can use. Blinking lights,
22 log in, the window maker. If you want to
23 make an extra screen. You can put any

1 number of screens on this thing, and you
2 just click on it, and that screen comes
3 up.

4 You can have it come up on a
5 particular set of events. An alarm here,
6 will bring up that screen for that
7 particular section.

8 Units showing all of the
9 addresses, what you've got underground.
10 The signals and all the tags that are --
11 these are just menu choices there. They
12 bring up all the details of it.

13 Alarms and PID controls. If
14 you want to do any analog output controls,
15 you can do that.

16 Logging. You set up for the
17 logging every few minutes or every ten
18 seconds. I think that's the fastest we
19 can do it, every ten seconds up to every
20 hour. It depends on how important that
21 data is. You can put in -- you only log
22 it if it exceeds a certain change so that
23 your files don't get huge and you don't

1 have repetitive data.

2 Communications. We tell you
3 all of the options for setting up the
4 speed. We can go up to 115 kilobaud. Our
5 normal speed is 19.2 K for mining, but you
6 can go higher depending on your distances
7 and that sort of thing.

8 I have my little CAL NOW button
9 just to nudge you into this automatic
10 calibration concept because it's really
11 slick. It would be ideal for coal mines.

12 We're using them on gas wells.
13 We're using them on above-ground tunnels
14 and transit facilities and things where
15 you have a lot of sensors in one place.
16 That makes it amenable to central a gas
17 supply going out to different sensors.

18 Customized controls. We use
19 visual graphics to show the controls. We
20 have for the operators -- we have ors and
21 ands and buts and ifs and all that.

22 Expanders and timers. We can
23 do voice outputs on various alarms. We

1 can set in a schedule so that you have a
2 different set of consequences when it's on
3 a weekend or on a third shift rather than
4 on a normal shift.

5 We put in those kinds of
6 details that allow the guard shack to get
7 the alarm one day. On Saturdays and
8 Sundays, maybe dial out to somebody else
9 on weekends or on third shift or -- I
10 don't know what. Whatever. Those options
11 are available.

12 We can store wave files of
13 messages that you want to have read out on
14 a loud speaker or over the land, sending
15 messages to workstations.

16 These are looking at logs --
17 log files of data that you've stored. If
18 you want to see the temperatures on a
19 particular motor last week or if you have
20 an interest in CO levels for the last
21 month, you just click in either using
22 words like "today," "yesterday," "this
23 week," "last week," "this month," or "last

1 month."

2 So you don't have to type in
3 dates and stuff. Mining people don't like
4 to type. So they can just click and drag
5 and get all these graphics to the printer
6 without typing anything.

7 This is just a field IO
8 station. The telemetry cards and power
9 supplies and all that. This is a red-out
10 station. Red is always fresh air. It's
11 always dealing with sensors of fresh air.

12 When you want to go into a
13 hazardous area, now we use our blue-out
14 station. U.S. Steel people used to call
15 this our blue baby. So it kind of stuck.

16 It's a blue baby integrated
17 MSHA barrier box. We have all our
18 barriers on one box. You can take a
19 red-out station, which is sitting there,
20 and stick this box in between; and than
21 you can go out into a hazardous area with
22 your Automatic Monitoring Systems, or AMS,
23 with certified barriers and power circuit

1 barriers and current regulators.

2 So there's no fuses to replace.
3 It's a very handy little thing. We make
4 our own barriers, by the way. We have UL
5 approval and MSHA IAs on that.

6 These are some of the field IO
7 cards that we manufacture. Some are more
8 or less analogs and digitals and
9 combinations of the two. It depends on
10 what your sensor load is. You can pick
11 the IO cards to match.

12 Now, this is our link
13 configuration. A link is sensing a
14 repeater. It's a repeater and an
15 isolator. Each one of those blocks is a
16 link. One block will go for about 8,000
17 feet. Then you can only put so many links
18 in a strain.

19 This is kind of a configuration
20 that you could walk to. This one shows 17
21 miles. It's not for the faint of heart to
22 do this because it's keeping your
23 reliability -- the data reliability and

1 your speed.

2 It's a balancing act. Only by
3 optimizing the software and the hardware
4 in combination can you do this sort of
5 thing.

6 This is the mine tracer. I
7 mentioned earlier that this is for the
8 personnel locator.

9 Now, each one of those blocks
10 has an array of RF transmitters and
11 transceivers and tags and all that stuff.
12 This is just the backbone. That's the
13 part that we're providing for Venture
14 Design and Hillcom with their marketing
15 link.

16 This can go out to 15 miles,
17 and we don't need fiber optics for this.
18 Going back to that last slide there, we
19 show a fiber optic link there on the
20 bottom, which can go out for ten miles in
21 a spell. We can go 20 miles or 17 miles
22 without fiber and without the maintenance
23 nightmares, and this just on a twisted

1 pair of wires. It's 20-cents-a-foot wire.
2 We can go the extent of most of the
3 biggest coal mines without fiber.

4 This one here, what's unique
5 about this is that it's a loop. You can
6 have a redundant path so that if you break
7 the path somewhere, you don't lose the
8 whole thing. You can communicate. The
9 computer can switch communication
10 directions and pick up whatever's left of
11 the system that way.

12 This is another longwall
13 operation. This happens to be up in Ohio.
14 It's 6 -- it's about 10 miles into the
15 existing longwall operations. We're doing
16 that at 19.2 kilobauds.

17 It's 100 percent communications
18 reliability. You get 10 million poles,
19 and you don't have one failure. So, if it
20 gets down to 95 percent, we get a phone
21 call that there's a problem up there.

22 Well, 95 percent, that's pretty
23 good. They're so used to having 100

1 percent, when they get a little bit down,
2 they give us a call; and we have to go
3 find out what they've got going or what's
4 causing it.

5 There's a -- that's a big mine
6 out in Illinois. I can't read the numbers
7 there, but I think that's pretty close to
8 10 miles, also.

9 This is some of the gas
10 sensors. You brought up the subject of
11 smoke sensors. That one on the lower
12 right is a patented smoke sensor. It's
13 got -- it's all optical.

14 The question is always the
15 ambient dust. What do you do with that?
16 The old concept was to take it out of
17 service, send it back to the factory, and
18 stick a new sensor in.

19 On this one, you can clean and
20 recalibrate it on the wall without -- in
21 probably about two minutes. It's just a
22 real simple approach to maintaining a
23 viable smoke sensor because it has to be

1 cleanable.

2 Somebody will come by with
3 their lime dust spreader and cover up the
4 sensor. You go in there and recalibrate
5 it, and it's all ready to go again.

6 We have air velocity sensing.
7 The one up on the green tube there, that's
8 zero to 2,000 beats per minute. It's also
9 reversible. It indicates reverse
10 readings, plus or minus air velocity.

11 Temperature sensors, you have
12 an IA on that. There's a carbon monoxide
13 sensor, which is a workhorse. The CO
14 sensor is in the middle. Over here we
15 have a carbon dioxide sensor. On the
16 bottom, we have moving sensors. We've got
17 the sensors pretty well covered. You name
18 it, we probably have a sensor that will
19 handle it.

20 This is a list of some of the
21 sensors. We have MSHA approval status.
22 We have quite a few pending there, which
23 are -- the smoke sensor is pending, IA.

1 It's already classified GH and
2 L, but it's not IA. We have some of those
3 IAs so we can use it in post-disaster
4 applications. There's a lot of
5 information there.

6 Alarms. Permissible alarms.
7 We can alarm in hazardous areas, in the
8 working place. Flashers and horns and
9 strobes. Typical application. You all
10 know those. Conveyor belt monitoring.

11 Rel-Tek products are truly
12 advanced technology. We have been in the
13 business for a quarter of a century now.
14 This is the first -- I think we got the
15 first MSHA approval, which was Ocenco back
16 in those days. That was my company then.

17 Automatic gas sensor
18 calibration. This is what I was eluding
19 to. You're using actual gas and
20 transmission of the gas on command to
21 sensors and calibrating automatically
22 through the computer, and it's just a
23 lovely capability that might one day catch

1 on in mining. I hope it does because it's
2 working above ground.

3 We have big facilities with
4 hundreds of sensors. They have any
5 question about the sensor, you push the
6 CAL NOW button, and it's like setting your
7 clock to the National Observatory. It
8 takes NIST certified gas and puts that
9 accuracy into the sensor.

10 You can do that monthly or
11 weekly. Some of the gas will be monitored
12 daily because they have to have such
13 precision on the accuracy.

14 So tanks of gas are
15 inexpensive. You buy those big tanks, and
16 you get an awful lot of gas for not that
17 much money, and it's all NIST certified.
18 It eliminates the trudge out to the
19 sensor, the time to do that; the cost of
20 the portable supplies; the possibility of
21 human error.

22 They put the gas on, and the
23 wrong gas is on. They didn't leave it on

1 long enough. They turned the wrong pots
2 on.

3 We get sensors back all the
4 time for repair, and there's nothing
5 wrong. They've just got all the pots
6 screwed up.

7 So anyway, by doing it
8 automatically, that transcends the whole
9 problem. We have applied for patents on
10 parts of that system.

11 There's an automatic
12 calibration system for -- it's not a very
13 good slide there -- gas well. This is a
14 gas well operation. Those two tanks there
15 will keep that -- the black sensor up at
16 the top there, that's a methane sensor.
17 It's zero to 100 percent methane. It's a
18 thermal conductivity sensor.

19 It's got the IA -- MSHAs IA on
20 it and UL approval class one and all that.
21 Plus, it's got automatic calibration on
22 it. So you have a little stand-alone
23 package that takes care of itself, and it

1 can calibrate itself for a year or more
2 with virtually no attention.

3 This is the kind of thing you
4 can also do where you look at the history
5 of calibrations. These are the previous
6 calibrations for a particular sensor, and
7 you can see that the sensor is drifting
8 upward or downward. You can see if the
9 signal level is getting smaller,
10 indicating that it's aging.

11 You can print out the graphs of
12 historical calibrations. If you put your
13 cursor on any of those bars, it will give
14 you the details of what that calibration
15 was before and after, the date and the
16 consequences of it and all that.

17 This is an interesting analysis
18 here. We use 12-bit resolution from zero
19 to full scale. We only need 256 -- we
20 only need 206 bits of data to expand it up
21 to 8-bit resolution. So we only need a
22 very small signal.

23 So a sensor where the zero has

1 come up from aging and the span has come
2 down from aging, we can still put it to
3 work as long as it doesn't get less than
4 .8 milliamps out of a 20-milliamp
5 excursion.

6 So we can take an old sensor
7 and keep it working. It's essentially
8 saving the replacement cost and the
9 maintenance cost of taking it out of
10 service or replacing it.

11 So, anyway, you can do this
12 with automatic calibration. You can't do
13 this without it.

14 Engineer complete systems.
15 Everything in the system is a Rel-Tek
16 product. We manufacture the sensors, the
17 telemetry, the barriers, the software, the
18 computers, the com drivers, the links.
19 Everything about this system is part of
20 our domain.

21 If something goes wrong, it's
22 not pointing to some third-party suppliers
23 if the software had a hiccup. Like, we

1 have an update on the software here, and
2 it's going to cost you \$20,000 to replace
3 it or do the upgrade on it. If you put
4 the upgrade on and it doesn't work
5 anymore, what do you do?

6 The fingers always point to us.
7 We can sort out the problems usually over
8 the telephone using PC anywhere or
9 internet. So it's -- we support our
10 system.

11 We have a training facility in
12 Monroeville, where we have all the
13 equipment there. People can -- our
14 clients come in and schedule their
15 training or retraining. New employees
16 come in. They send them up for a day or
17 two and put them through the paces. We
18 show them how to actually repair stuff,
19 how it works, from the basics on up.

20 So that's what we are, Rel-Tek.
21 We are way ahead. That's what we would
22 like to think, anyway. So that's the end
23 of the slides.

1 MS. ZEILER: I'd just like to
2 suggest that we take a 10-minute break
3 before you ask Al any questions. We can
4 find out where the other representative
5 is, and we can decide how to use the
6 balance of the morning, if that's all
7 right with everyone.

8 (Short recess.)

9 MR. ZEILER: I would like to
10 mention before we start that if you
11 haven't signed up in the back, please do
12 so at some point today; especially, if
13 you've requested to speak this afternoon.

14 We're pleased to have our
15 representative from Conspec. Once again,
16 Kevin will do the introduction.

17 MR. HEDRICK: The next
18 presentation is from Conspec Controls.
19 Their main office in Toronto, Ontario; but
20 they are in Pennsylvania and Colorado, as
21 well as Australia and China.

22 With us today is Rob Albinger,
23 A-l-b-i-n-g-e-r. He's the Vice President.

1 He's been with Conspec for ten years and
2 works from the Pennsylvania production
3 facility.

4 MR. ALBINGER: Good afternoon.
5 I apologize for being late. I ran into
6 some travel troubles, but I'm here and
7 I've been instructed to make this as
8 thorough and quick as possible.

9 Again I represent Conspec.
10 We are a manufacturer based out of
11 Pennsylvania. Our R and D is handled out
12 of Denver, Colorado and Toronto, Canada,
13 as well. We have facilities in China and
14 Australia. We were founded in 1968.

15 Our market share consists of
16 about 41 total AMS systems installed in
17 underground coal mines and throughout the
18 US. We have systems installed in 26 of
19 the 39 most productive coal mines from
20 2006, based on the information out of
21 "American Longwall Magazine." They had
22 them ranked in a recent article.

23 Over the last four years, our

1 company has increased our production by
2 over 100 percent. The mining market, with
3 the increase in and the amount of coal in
4 the mines, has been very beneficial to our
5 industry.

6 One thing that -- Conspec's
7 direction that we've decided to move into
8 over the last several years, is becoming a
9 bit of an integrator, as well as a
10 manufacturer. We've worked with other
11 companies to operate our system over
12 existing ones throughout the mine.

13 A lot of mines are moving over
14 to Ethernet over fiber optic cable. This
15 allows them to use off-the-shelf software
16 packages first, where they were originally
17 using a Conspec-500-system-type server as
18 compliant.

19 Here, we're using Bradley,
20 Illusion, and Wonderwear with an off-the-
21 shelf OPC that allows an open protocol,
22 where we can communicate modified 485 or
23 232.

1 In the mines that already use
2 Conspec and want to get away from our
3 graphics package, we offer what's called a
4 universal interface that allows them to
5 convert that protocol from Conspec to
6 either 232, 485, or Ethernet.

7 This has opened up a lot of
8 opportunities for us over the last couple
9 of years. It's very beneficial. It gives
10 the end user a lot more flexibility.

11 Where we are not really a
12 software-production facility, they get the
13 technical support 24/7 from larger
14 companies that are specializing in that.

15 These are some of the new
16 products that we have in for approval
17 right now. We've designed a new blue out
18 station. A blue out station, basically,
19 takes a 24 volt down to a 15 volt. Our
20 existing blue out station has been
21 approved since 1982. So it's lived well
22 past its prime.

23 What we used to call blue

1 barrier, we are now calling blue out
2 station, based on the fact that it will
3 not only take care of 15 volts, it's also
4 going to drive your communication signal
5 to allow the mine to operate at a much
6 further distance than what they're used
7 to.

8 We are also in development on a
9 photo electric smoke monitor. We
10 currently have an ionization monitor,
11 which I'll move on to; but, right now,
12 we're looking at photo electric, which is
13 also infrared. We have a couple working
14 in trial. We don't have that submitted
15 yet for approval.

16 We also have the vehicle and
17 personal tracking system. Back in '98, we
18 did get an approval on the vehicle
19 tracking with the receivers, and we
20 submitted it here for the personal
21 tracking.

22 The benefit there is any
23 existing mine that's running a Conspec

1 system, this just acts as another access
2 along the trunk line; and then, as the
3 vehicles or the personnel pass the
4 receivers, it picks up their tag and
5 reports that to the service.

6 We have a couple of different
7 variations of smoke monitors. We have
8 just a regular stand-alone smoke monitor.
9 We have an MSHA-approved CO smoke
10 combination monitor. That uses the
11 ionization technology. Ionization is --
12 we're just looking for a change in the
13 electrical conductivity through the
14 detection chamber.

15 What they're saying there is
16 basically smoke that's not visible to the
17 human eye can actually be detected using
18 this ionization. Whereas, a photo
19 electric or infrared, it's picking up the
20 visible particulates from smoke.

21 As far as the Conspec system
22 reliability, some of the things we've done
23 over the last several years is to try to

1 make the system eliminate as many nuisance
2 alarms as possible.

3 We've developed what's called a
4 diesel discriminator. Basically, we're
5 detecting two gases; CO and NO. As a
6 diesel machine passes by a CO monitor, you
7 tend to get a lot of spiking CO. The guys
8 on the surface are getting alarms and
9 moving on.

10 What we've tried to do is
11 eliminate the operator from actually
12 acknowledging these alarms by
13 differentiating CO from actual fire and
14 combustion to the CO from diesel fumes.

15 So what we're doing is we're
16 measuring CO and NO. Then there's a
17 correlation between the two, which was an
18 algorithm designed by Carnegie. They have
19 the patent. We just have it in our
20 processor.

21 It determines the ratio of
22 actual CO concentration. So you get
23 what's called a corrected CO reading at

1 your surface.

2 We also use a hydrogen
3 compensated CO monitor, which will
4 eliminate the nuisance alarms due to
5 hydrogen gas from your battery charging
6 stations.

7 Other ways we've eliminated
8 nuisance alarms is we put in some
9 temperature sensors. We have built
10 combination temperature and smoke sensors
11 that go around the battery charging
12 stations, as well.

13 We've built in a lot of fail-
14 safe features. If a cell is disconnected
15 from the actual electronics, it will
16 immediately go into a high alarm and send
17 that signal -- that alarm to the surface.
18 You know when it's at 50, there's a
19 problem with the electronics. Then
20 there's communication failures and other
21 failures built into that system, as well.

22 Another thing that will help to
23 keep the system reliable is we offer

1 24-hour service. We do on-site service
2 and training. We do in-house training in
3 our Colorado facility and our Pennsylvania
4 facility.

5 One thing we pride ourselves
6 on is a quick turnaround on product. Our
7 average turnaround is ten days. In case
8 of emergencies, we can usually get 20 to
9 40 COs built in a day or two. A lot of
10 times we're called on, a mine will need
11 ten; and we can get them out that same
12 day.

13 So, in conclusion, on our
14 Conspec's AMS system, we pride ourselves
15 on being a customer-driven R and D
16 company. The customers that have a system
17 installed that work with it most
18 frequently come to us on a regular basis
19 and say "This would be a nice feature,
20 we'd like to see this added."

21 We take that back to our guys
22 in the engineering department. Usually,
23 within a couple of weeks, we can come up

1 with a solution. We are always trying to
2 continue to keep up with today's
3 technology and trying to incorporate that
4 into the existing system.

5 One other thing that we also
6 take great pride in is our hardware that
7 has been running in mines since the late
8 '80s is still operating in those mines;
9 but you're still able to take that
10 hardware and incorporate it into today's
11 technology without having to actually go
12 in and replace the entire system.

13 We feel that it's very
14 important for the customer to take
15 ownership of that system. When a customer
16 has a full understanding of how to
17 maintain that system, they're going to get
18 the best performance from it. So we try
19 to stress it as not only a safety, but as
20 a production pull, as well.

21 That's a wrap up on Conspec.

22 DR. TIEN: That is a thorough
23 and brief.

1 I do have a quick question. To
2 the extent possible without getting into
3 comparing companies, will you describe in
4 principal how that will work with the
5 personnel and vehicle tracking system
6 underground?

7 MR. ALBINGER: Well, it's a
8 range of frequency. It's a medium
9 frequency signal from your transmitting
10 devices to your receiver. Then, from your
11 receiver to the surface, it's over a
12 24-volt four-conductor cable.

13 DR. TIEN: What is roughly the
14 operating range? How far away?

15 MR. ALBINGER: Around a
16 receiver, it's 200 feet in either
17 direction.

18 DR. TIEN: That's around
19 pillars? It can't be a straight line
20 without interruption in between.

21 MR. ALBINGER: Right.

22 DR. TIEN: Thank you.

23 DR. WEEKS: Again, from what

1 you said and others, the primary source of
2 nuisance alarms is diesel exhaust and
3 hydrogen from battery stations and so on.

4 Could you give us some
5 estimate of what percent of -- how the
6 frequency of nuisance alarms has declined
7 over the past 20 years or so. By using
8 these discriminators and taking care of
9 those other sources, what portion of the
10 alarms now are nuisance alarms?

11 MR. ALBINGER: That would be a
12 tough question to actually give you a
13 direct answer on, but I can tell you that
14 the diesel discriminator and the hydrogen
15 compensated sensors are not going to
16 completely eliminate a nuisance alarm
17 situation. All they were designed to do
18 is limit them.

19 There are still issues with
20 some nuisance alarms, especially if you're
21 running into situations where the CO and
22 the diesel discriminator itself needs to
23 be calibrated. If you've got a piece of

1 equipment that's idling in front of that
2 particular diesel discriminator for a long
3 period of time, it will saturate that
4 sensor and send you up an alarm.

5 So to prevent nuisance alarms,
6 we're still looking and trying to
7 determine ways to do that. What we've
8 tried to do is just limit them as much as
9 possible.

10 DR. WEEKS: Would you say by
11 using the diesel discriminator in this
12 hydrogen device, did that cut them in
13 half?

14 MR. ALBINGER: I would say it
15 cut them by about 70 percent, 75 percent,
16 somewhere in that area.

17 DR. CALIZAYA: I have two
18 questions. Both of them are related to CO
19 sensors and oxygen sensors.

20 First, do you manufacture those
21 products and sensing units?

22 The second question is: How
23 sensitive are those units to changes in

1 air velocity?

2 MR. ALBINGER: All the
3 electronics are manufactured by Conspec.
4 The actual sensor itself for your methane
5 oxygen hydrogen sulfite is manufactured by
6 City Technology.

7 How accurate are the sensors in
8 high air velocities? That's not something
9 that we've actually ever had to determine.

10 As far as our approval and what
11 we've done over time, we're monitoring the
12 air flow, as well as our toxic and
13 combustible gases; but there's never
14 really been an actual study on how
15 accurate a CO monitor is at a certain CFM
16 or FPM.

17 DR. CALIZAYA: When you do
18 calibrations, I assume that you decide
19 specific calibrations that you recommend
20 to your clients how to calibrate?

21 MR. ALBINGER: Yeah.

22 DR. CALIZAYA: What do you do?

23 MR. ALBINGER: Our calibration

1 -- the manufacturer actually recommended a
2 calibration quarterly, but the MSHA
3 standard is a calibration every 31 days.

4 DR. BRUNE: You mentioned
5 earlier that you are catering to I think
6 26 of 39 of the most productive mining
7 operations. I assume those are all major
8 mines.

9 Do you also have some small
10 mine operations, say less than a million
11 tons a year or maybe even less than
12 500,000 tons of coal a year that you are
13 working with? If not, why not?

14 MR. ALBINGER: We have a
15 couple, but not many.

16 My opinion on why we don't have
17 more is the system, when it was originally
18 designed as the Conspec 500 with our
19 computer graphics and our client, was a
20 little pricier than what the competition
21 was. The smaller mines tended to go for
22 the smaller systems.

23 Over time now, we've kind of

1 faded away and allowed the operator to
2 choose what package they want on the
3 surface, and then we just tie our hardware
4 into that.

5 DR. BRUNE: Okay.

6 DR. MUTMANSKY: One of the
7 questions asked of the other speakers was
8 whether or not it would be feasible and
9 wise to implement or computer program it
10 into interpreting what the sensors are
11 saying and suggesting a course of action.

12 Has your company ever done any
13 thinking toward this end, and would it be
14 possible to do this kind of thing, and
15 would it be advisable to do that sort of
16 thing?

17 MR. ALBINGER: Right now, we're
18 working with a company called Pillar
19 Innovations. They are a company owned by
20 Beitzel Corporation. They have an
21 approval through MSHA on an AMS system.

22 They don't manufacture any
23 hardware. All they concentrate in is

1 software for trending and everything that
2 they see underground. Not only your gas
3 concentration, but everything that's
4 operating underground.

5 So, through these guys, we've
6 done extensive studies on all types of
7 different trends that we see.

8 DR. MUTMANSKY: What's the
9 purpose of that, though. What are you
10 hoping to do with that information, or
11 what is that company hoping to do with
12 that software? What will be the end
13 product?

14 MR. ALBINGER: I can cite a
15 specific example of a mine in western PA.
16 We're running about 145 CO monitors
17 throughout the entire mine.

18 There's one section in the mine
19 where we're not seeing the life expectancy
20 that we normally see throughout the rest
21 of the mine. So what we've tried to
22 determine is what other factors are in
23 that airstream that causing our sensors to

1 lose the life expectancy that is common
2 with them.

3 So we're measuring
4 temperatures. We're measuring the
5 humidity. We're measuring the air flow.
6 Through that data, we're then trying to
7 determine how we can correct those factors
8 in order to increase the life expectancy.

9 Does that answer your question?

10 DR. MUTMANSKY: Actually, I'm
11 more interested in whether or not we
12 should be developing systems that
13 interpret the results and tell the
14 operator on the surface or suggest a
15 course of action to the operator on the
16 surface.

17 What I mean by that is, it
18 interprets any signals it gets that are
19 out of the normal range and then makes a
20 suggestion as to what the possibilities
21 would be. If, indeed, it is an alarm
22 situation, it suggests a course of action
23 to the operator on the surface; whether it

1 is to contact the responsible person or to
2 make a decision to evacuate a section or
3 any other course of action that actually
4 could be all done by computer. At least
5 to the suggestion level, not necessarily
6 to be implemented, but to be suggested to
7 the operator that "Here is the proper
8 course of action to take at this moment
9 using this data as we interpret it or as
10 the software interprets it."

11 MR. ALBINGER: Kevin, in the
12 requirements, isn't it written that the
13 AMS has to be monitored 24 hours by an
14 individual, and that individual is
15 responsible for making those decisions?

16 MR. HEDRICK: The AMS operator
17 has to be somewhere where he can see or
18 hear the alarms on the surface and be able
19 to respond to them, and that sensor
20 continues.

21 MR. ALBINGER: So the system is
22 actually designed where it's giving you
23 all that information.

1 What the operator does with
2 that information is based on, I think, a
3 lot of what they're most comfortable with,
4 which is having somebody there making that
5 call, rather than relying on the computer
6 to make that call.

7 DR. BRUNE: Let me maybe add to
8 Dr. Mutmansky's question here.

9 The Australians have what's
10 called the action response plan.
11 Typically, it's four different alarm
12 levels that require a specific action from
13 the operator, and this action -- instead
14 of showing just the alarm, it also shows
15 the action that's required of the monitor
16 or the control center operator to take.

17 Let's say the CO Monitoring
18 System goes to say 10 PPM above ambient.
19 It says right there "Evacuate section by
20 this monitor." It tells the operator
21 that. So you can essentially put somebody
22 who is relatively untrained -- I'll put it
23 that way and not go into specifics -- in

1 there; and, if he or she sees that message
2 flashing, this is what the system tells
3 them to do because that's what the system
4 manufacturer programmed in based on
5 specifications that the operator made.

6 Is that something that's
7 possible?

8 MR. ALBINGER: Yeah. In the
9 system setup, you can have as many alarm
10 points that you want triggered in there.
11 Based on your air flow, if there is a
12 condition where the CO is traveling,
13 you're going to follow it all the way down
14 the belt.

15 Any time you see a CO alarm,
16 you can watch it move from one level to
17 the other. I think in most cases, the
18 biggest part of the determining -- the
19 operators themselves or the mine itself is
20 going to want to make that call and not
21 have a computer say "I want that area
22 evacuated."

23 That's my personal opinion. I

1 don't know if you guys agree with that at
2 all.

3 MR. GRAF: I think Al alluded
4 to this earlier, as well. It's not really
5 in our purview to say it's the mine's
6 policy. We can certainly say "The mine's
7 policy is to evacuate if this event
8 occurs," and we can message that in our
9 software.

10 We don't want to be the persons
11 to say "Do this," or "Take this action."

12 DR. BRUNE: I'm very clear
13 there. I think it's the operator's
14 responsibility to define what the response
15 of the control room operator does.

16 The question is: Is it
17 technically possible today with the
18 system, instead of just flashing up a red
19 light that says "This sensor is going into
20 alarm mode," can I at the same time flash
21 a message that says "Hey, what you as the
22 operator should do today or at this point
23 is call a responsible person; call the

1 shift foreman, call the mine foreman, call
2 the superintendant, call MSHA, or whatever
3 the operator would designate the response
4 to be"?

5 MR. GRAF: Yeah. The way the
6 system -- the way you can set the system
7 up is you can break in to sections, and
8 you know that the chief is on different
9 sections in that area.

10 If the system goes into alarm,
11 you can have a voice communication from
12 the computer travel over either a page
13 phone system or a feeder and just go to
14 that particular person in charge.

15 He'll know he's got an alarm in
16 that particular area, and then he makes
17 the call to either evacuate the section or
18 to have a guy run over into that
19 particular area and inspect what caused
20 that alarm.

21 DR. TIEN: This is -- I don't
22 know how to ask this question. It's to
23 anybody sitting on the panel.

1 This morning, we have four
2 manufacturers represented. There may be a
3 few others, I presume, in the U.S. I
4 guess my question is this. I heard this
5 morning you were talking about how you
6 have an open system. Do you see the
7 merits of standardization? I'm thinking
8 about 30 years ago, the VHS versus Beta.
9 Now, you have so many systems, mines have
10 a hard time -- do you know what I'm
11 getting at?

12 MR. ALBINGER: Yeah. I
13 understand, but I also believe that over
14 the last several years, we've all kind of
15 followed the trend that the mine wants to
16 operate over Ethernet fiber optic cable in
17 an open protocol.

18 I think one of the main reasons
19 that the mine wants to do something like
20 that is so that if there is a problem
21 between the mine and the manufacturer, the
22 mine can make a decision to go in another
23 direction without pulling everything out

1 from underground and start from scratch.

2 We're all on a level playing
3 field, their equipment can tie onto their
4 system; and ours can tie onto theirs. So,
5 in a way, I guess that would be a
6 standardization.

7 DR. MUTMANSKY: If you were to
8 be -- if the superintendent at a mine
9 offered you the opportunity to suggest the
10 ideal operator for the AMS system, what
11 kind of a person would you choose as the
12 operator who's going to monitor the
13 signals and make decisions?

14 MR. ALBINGER: You've got to
15 look for somebody that, number one, wants
16 the job and hasn't just been put into that
17 position. A lot of times, you get guys
18 that show an interest; and the people that
19 show an interest are going to maintain the
20 system the best.

21 You can usually tell in the
22 first half hour of training somebody
23 whether they are in that job because they

1 want to be or whether they're in that job
2 because they were put there to be.

3 You need somebody with a little
4 bit of technical know-how that can
5 navigate around a couple of different
6 screens. You have where you're entering
7 your points, where you're addressing your
8 accesses, and then where you're mapping
9 them out on our graphics.

10 So they don't need to be a
11 computer programmer, by any means, but
12 they need to have some computer literacy.

13 DR. MUTMANSKY: Should they
14 have mining experience?

15 MR. ALBINGER: I would think
16 mining experience is a big benefit, just
17 based on their knowledge of what's going
18 on underground when they're looking at
19 what they see at the surface.

20 DR. BRUNE: Do you think this
21 person should be certified in a way or
22 demonstrate his or her skills in some kind
23 of a fashion before the operator lets them

1 run the control room?

2 MR. ALBINGER: Well,
3 absolutely. We highly recommend -- in
4 most cases, all of our mines have them
5 come in yearly for refresher with --
6 there's usually three guys that are
7 maintaining that system on a regular
8 basis, sometimes five.

9 Once a year, we sit down with
10 that group. It may take a day; or it may
11 take two days, depending on how extensive
12 they want to get. We just give them a
13 refresher on any updates that we have or
14 any questions that they may have.

15 DR. WEEKS: Who do you think
16 should train that person?

17 MR. ALBINGER: Well, I think
18 it's important that the manufacturer
19 trains the individual on how the system
20 operates, but I also believe you have to
21 have a person that's in charge of making
22 the decisions at the mine as far as what
23 happens when the systems go into alarm as

1 part of that crew, as well.

2 MS. ZEILER: If there are no
3 other questions from the Technical Study
4 Panel, then I would like to thank the
5 panel members that came here from AMS
6 manufacturers for the information you
7 brought, particularly for the weather-
8 challenged nature of your arrivals.

9 If there are no other
10 questions, I suggest we take our lunch
11 break; and we'd like to come back at 1:00
12 o'clock.

13 DR. BRUNE: Excuse me. We
14 didn't have a chance to talk to Mr. Ketler
15 who just finished his presentation.

16 I don't know if there are any
17 questions. I do have one, if I may ask
18 that.

19 MS. ZEILER: Sure.

20 DR. BRUNE: Let me find my
21 notes. Okay. My question went into this
22 CAL NOW button. I'm curious about this.
23 You said this was not available

1 underground yet. Why is that, and when do
2 you expect that to become available? Do
3 you have the CAL gases in a box and the
4 ability from the surface to run a
5 calibration directly from the surface?

6 MR. KETLER: It's not that it's
7 not available. It's not presently used
8 extensively.

9 The cost of adding the
10 automatic calibration just about doubles
11 the cost of putting a sensor in a
12 particular location. So, if you have X
13 dollars for a sensor you have two X when
14 you put AUTO CAL on it.

15 Clients are invariably cost
16 sensitive. The additional cost would have
17 to be considered as an investment over a
18 period of time and written off, less
19 maintenance costs or whatever.

20 The initial cost is always up
21 front, and it's just -- it adds additional
22 costs to it.

23 DR. BRUNE: If I ran a mining

1 operation and my CO went to whatever, 10
2 or 15 PPMs above ambient, just to make
3 sure the sensor was working properly, I
4 would want to run a quick calibration.

5 If I found out the sensor was
6 improperly calibrated, I would have a lot
7 more information to tell these guys
8 underground. I might say "Hey, I
9 recalibrated, and something is more
10 seriously wrong than just the sensor is
11 out of whack, but it's not likely to be a
12 nuisance alarm."

13 In my opinion, if I was the
14 operator, that would be valuable
15 information for me.

16 MR. KETLER: Automatic
17 calibration takes about maybe six minutes.
18 So you can calibrate it frequently on that
19 basis.

20 The cost of a calibration is 50
21 cents. It's nothing at all compared to
22 the labor to recalibrate it manually.
23 It's quite easily implemented.

1 DR. BRUNE: Also, would this
2 automatic calibration qualify for the MSHA
3 mandate that legally mandates the 31-day
4 calibration interval; or does somebody
5 physically have go there and look at the
6 sensor and see if it's physically still
7 there?

8 MR. KETLER: It doesn't say
9 that somebody has to go there. It says
10 gas has to be applied, certified gas.

11 I think you read it, and the
12 automatic calibration would fit into that
13 definition. So it's not that it would be
14 precluded. It's just interpretation of
15 the words.

16 The records have to be kept.
17 We keep them in the computer. You have to
18 apply certified gas. We do that by an
19 experienced person. We have somebody who
20 oversees the system that's qualified.
21 That sort of thing.

22 So I think it fits into the
23 definition of the 31-day calibration.

1 MR. MUCHO: Kevin or someone
2 from MSHA, can you kind of confirm that?
3 I think that's a key point. Would that
4 automatic calibration be acceptable as the
5 31-day calibration?

6 MR. HEDRICK: It's certainly a
7 technique that we haven't studied.
8 However, what the requirements are is that
9 the device be calibrated by a qualified
10 person periodically, per the
11 manufacturers' specifications.

12 So, if that method is how the
13 manufacturer specifies that it's to be
14 calibrated and it is done by a qualified
15 person with the proper equipment, I don't
16 think there's anything to preclude it.

17 Once again, we have not had an
18 opportunity to review it because it's
19 something that's not being done in the
20 underground mines.

21 MR. ALBINGER: Kevin, isn't
22 there something in there that states you
23 have to have a visual inspection of the

1 AMS system?

2 MR. HEDRICK: That's right.

3 That's a separate activity from the
4 calibration.

5 They can be done
6 simultaneously, but it's every seven days,
7 I think, for alarm units specifically.

8 DR. TIEN: Do I remember
9 correctly you saying -- of course, MSHA is
10 the 31-day calibration. Does the
11 manufacturer recommend six months?

12 MR. ALBINGER: Quarterly. Once
13 every quarter.

14 DR. TIEN: Is MSHA overly
15 conservative, or what?

16 MR. ALBINGER: Yes.

17 DR. TIEN: I just wanted to
18 hear it from you.

19 MR. ALBINGER: Basically, there
20 is really no such thing as being overly
21 conservative; but, on the industrial side,
22 for a lot of the surface applications that
23 we have, quarterly calibration is more

1 than enough.

2 I don't know if anyone else
3 agrees with me on that one.

4 MR. KETLER: I think it depends
5 on the sensors.

6 MR. ALBINGER: Versus
7 electrochemical?

8 MR. KETLER: I'm thinking about
9 carbon monoxide or oxygen. They may want
10 to calibrate one type more frequently than
11 another.

12 31 days is a good target, I
13 think. It's a compromise on methane,
14 which may be a little longer, more stable.
15 Carbon monoxide and electrochemical is
16 subject to aging. Oxygen and hydrogen are
17 subject to everything.

18 You might want to calibrate the
19 oxygen every two weeks, the carbon
20 monoxide every 31 days, the methane every
21 two months, or something like that. 31
22 days is a pretty good target.

23 DR. WEEKS: I have a question

1 for the whole panel, actually. If you
2 added a smoke detector to the CO sensor in
3 the AMS system, what additional
4 information do you get from that? Is it
5 -- how much utility do you get? Is it
6 worth it to get that kind of information
7 from a smoke detector, in addition to the
8 CO monitor?

9 MR. KETLER: I can answer that.
10 Our smoke box smoke sensor is optical; and
11 it's used quite a few of them for conveyor
12 belt monitoring, fire monitoring,
13 synthetic composite materials that are
14 used generally to decompose into smoke and
15 tar compared to a bursting into flames
16 with a stuck roller or whatever.
17 Generally, a smoke sensor is the alternate
18 fire detection device for that type of
19 belt.

20 I think the CFR 30 allows
21 either a CO or a smoke sensor to be used
22 in those cases. In fact, in most cases.

23 DR. WEEKS: The aim here is

1 early detection of a fire. Which gives
2 you a better early detections? Would it
3 be the combination, or how does that work?

4 MR. KETLER: A combination
5 obviously would be better than either
6 because it would have the benefits of
7 both.

8 There's an additional cost
9 because now you have two sensors and two
10 IO channels and two telemetry events.
11 That adds additional costs.

12 One is a boot-strap sensor, a
13 belt-and-suspenders kind of thing. That
14 would be ideal. Either will work in their
15 own situations; but, as I say, some of
16 these conveyor belts, I understand that
17 they decompose into smoke. I think it's
18 black toxic smoke that's easily detectable
19 with a smoke sensor that generates very
20 little carbon monoxide.

21 So, in that situation, smoke
22 would obviously be better.

23 DR. WEEKS: Any other panel

1 members have an opinion?

2 MR. GRAF: It's our contention
3 at AMR that through our own testing and
4 talking to our customers on smoke sensors,
5 that be it the ionization or optically,
6 they're either unreliable or maintenance
7 nightmares.

8 The technology is not out there
9 today. We are looking into different ways
10 of doing it with different gases that are
11 put off on these new types of fire
12 retardant belts. I don't believe that
13 there's that many out there that are
14 actually in service right now.

15 DR. WEEKS: What's the
16 maintenance problem?

17 MR. GRAF: Cleaning the optics,
18 keeping them clean to be more reliable.

19 MR. KETLER: Most definitely a
20 problem, but we've accomplished in the
21 design method of the smoke sensor that it
22 can be readily cleaned in the field,
23 without removing it, as it filters for

1 calibration so the smoke doesn't turn into
2 a gas or anything.

3 It can filter the beam and
4 calibrate the optical density. 0 to 1
5 percent optical density is the range of
6 our smoke sensor. It's set at .2 percent,
7 which is the alarm threshold.

8 Every sensor has its
9 disadvantages. You have a combination of
10 factors in a coal mine. Smoke looks like
11 dust, and dust looks like smoke. That's
12 just a fact of life.

13 If you have a way of cleaning
14 it out if it gets a load of rock dust, you
15 can clean it without a whole lot of
16 effort. It makes it usable.

17 Of course, hopefully, the
18 client trains its rock dusters to put the
19 plugs in the holes before they rock dust.
20 Of course, they don't.

21 DR. WEEKS: Any other panel
22 members have any thoughts on that?

23 MR. KETLER: I'm sorry?

1 DR. WEEKS: I just wondered if
2 there were any other panel members that
3 had any thoughts on that.

4 DR. BRUNE: I know from our
5 experience at NIOSH, we do have -- with
6 all optical sensors, there are issues with
7 both the mine dust and the float dust
8 that's in the mine. Also, especially with
9 rock dust, belts tend to be heavily rock
10 dusted. So that is always a problem in
11 any optical system. If you get rock dust
12 in the system, the system can compensate
13 to a certain degree; but, eventually, the
14 receptor elements will eventually clog up
15 and need to be cleaned.

16 That always has been an issue.
17 I don't know where the manufacturers stand
18 now, but they have addressed that where
19 they will be able to address that in a better
20 way in the future. Certainly, that's an
21 issue with optical sensors and ion
22 sensors.

23 Also, if you have other

1 particles in the air that are fine coal
2 dust, that could also lead to false
3 alarms.

4 MR. MUCHO: Just to follow
5 along, though, that's why NIOSH is in more
6 final stages of looking at an combination
7 of ion and optical smoke sensors because
8 of the downsides of either or, and thus
9 produced a combination sensor that's
10 anticipated to be much more reliable and
11 much more mine worthy and able to deal
12 with rock dust, et cetera. We'll probably
13 talk about that tomorrow.

14 DR. CALIZAYA: This question
15 has to do with location and position of
16 the sensor. How sensitive are the CO
17 sensors to the location of the sensor
18 entry?

19 MR. KETLER: Carbon monoxide is
20 a moving molecule. It gets around. If CO
21 is here, it's going to be over there, too.
22 It's not something that just stratifies
23 like methane, which is a heavy molecule.

1 Carbon monoxide is a mobile
2 gas. If you put a sensor over the
3 conveyor, you probably would have maybe a
4 second or two earlier detection than if
5 you put it safely away from the conveyor
6 somewhere.

7 You have to have a trade off of
8 where you put the sensor. You don't want
9 to put people in harm's way when you
10 maintain the device. So it could in a gob
11 area, in a silo, over a motor, or
12 something like that. So there's a trade
13 off in that respect.

14 This also brings up the
15 possibility of putting automatic
16 calibration in a sensor that's in a
17 hazardous area. If you happen to have a
18 -- you have to have a sensor over a pond
19 or in a silo or in a gob area, and you
20 don't want to send someone in there to
21 calibrate it, put in the automatic
22 calibration; and that precludes the need
23 for that.

1 DR. CALIZAYA: What's your
2 opinion about this 50 feet per minute
3 that's required?

4 MR. KETLER: 50 per minute on
5 the beltway?

6 DR. CALIZAYA: Yes.

7 MR. KETLER: 50 feet per minute
8 is not moving very fast. That's going to
9 be the length of a football field in about
10 six minutes. It's a very slow walk. So
11 it's not carrying carbon monoxide to the
12 sensor very quickly. It takes forever.

13 It could take, depending on the
14 location of the fire or the incident,
15 until the gas gets to the sensor, it could
16 be six minutes. That would be, what, 20.
17 It could be a long time and probably more
18 than it should be, but it's either that or
19 doubling up on the number of sensors or
20 increasing the air speed. I don't know.

21 50 feet per minute is not very
22 much ventilation. You can't feel 50 feet
23 per minute. Most of our air flow sensors

1 will monitor 50 feet per minute, but you
2 wonder what it's measuring because you
3 couldn't feel it.

4 DR. CALIZAYA: Thank you.

5 DR. BRUNE: Just one more
6 question since we have the manufacturers
7 represented here together.

8 I understand, from talking to
9 old coal miners -- maybe I'm not one of
10 them yet -- that the human nose is still
11 the best fire detector; and it is better
12 than all the electronic detectors. I
13 don't know what you gentlemen say to that
14 kind of challenging question. Is the
15 electronic nose coming? Is that getting
16 there, or are we still waiting for that?

17 MR. COON: I'll take a stab at
18 it. For early detection, I think the CO
19 monitor is the monitor of choice because
20 as I mentioned in my presentation, CO is
21 odorless, tasteless. How can your nose
22 detect CO if it's odorless?

23 DR. BRUNE: I understand that.

1 Typically, you don't have just CO. You
2 also have other tar and particulates.

3 MR. COON: That's true. If you
4 have a very clean CO without any presence
5 of any kind of odors with it, your nose is
6 going to be lagging way behind.

7 MR. KETLER: There's nothing to
8 smell in the gases that we monitor;
9 hydrogen, methane, carbon monoxide, carbon
10 dioxide, oxygen. They're all odorless,
11 tasteless gases.

12 So what you would smell would
13 be products of combustion. By the time
14 you get the smell, I think that's much
15 later than you would detect carbon
16 monoxide.

17 DR. BRUNE: So would it be fair
18 to say that with the help of the right
19 array of detectors, you can detect a fire
20 quicker? Let's say in the case -- one of
21 the arguments for moving toward the face
22 is that the crew that's working on the
23 face will smell it quickly if there's a

1 fire developing on the belt and get that
2 as an early warning.

3 That's what the old coal miners
4 say, that's better than what's available
5 from the gas detection warning systems.

6 MR. GUNNOE: Maybe that's a
7 maintenance issue on the gas detection
8 system.

9 MR. KETLER: The smell is
10 qualitative, not quantitative. We found
11 that in monitoring for propane in certain
12 alternative fuels operations, that people
13 can smell propane; but they can't quantify
14 it. It's desensitizing their nose for
15 future stronger smells. It's not a very
16 reliable way of monitoring smells.

17 DR. WEEKS: Quantification is
18 not that important in this case because
19 what we want to find out is whether or not
20 there's a latent fire. It's an either or
21 kind of question. It's not just a
22 question.

23 One thing that I've always kept

1 in mind is that in one of the fires, that
2 was detected before the AMS system went
3 off. It could be the calibration. It
4 could be lots of things, but that's what
5 happened.

6 I think it's not a question of
7 either or, either the nose or some
8 monitor. I think we need to use our
9 common sense. We have a variety of
10 detection systems out there; CO monitors
11 and people and so on and so forth.
12 They're all important.

13 MR. COON: I can personally
14 attest that in 1986, I had to be on ground
15 helping troubleshoot a system. The
16 operator of the system called underground
17 to indicate that we needed to go to a
18 certain location, that there was a monitor
19 that was seemingly going up.

20 We thought it was part of our
21 problems that we were looking for. We
22 actually get to the belt, and we find that
23 the belt is running off on the pillar

1 block in the take up generating CO. We
2 could not see it, and we could not smell
3 it.

4 We had to use a hand-held unit
5 that we had with us and trace it down to
6 the actual belt that ran off at the pillar
7 block.

8 So there's an example that
9 there was no smoke, there was no odor, yet
10 we were there; and I witnessed this.

11 DR. WEEKS: Well, it could go
12 either way. I mean, we can think; and
13 machines can detect.

14 DR. MUTMANSKY: Just for the
15 Panel's information, we had previous
16 witnesses that seemed to indicate that
17 often these incidents can be detected by
18 the human nose before any of the
19 electronic instruments would pick up the
20 CO levels. That was sure to happen over
21 time, but we're bringing up these
22 questions because of some of the testimony
23 that we had heard previously. So that's

1 why the questions have come up.

2 Are there any other -- I guess
3 we have a captive panel here, and it's
4 good that we're able to ask all these
5 questions while you're still captive here.

6 Before we terminate, however, I
7 would like to know if there are any other
8 pressing questions that the Panel would
9 like to discuss at this time.

10 Before we terminate and before
11 Linda tells us what time to get back, I
12 would like to say thank you to every one
13 of the panel members. I know some of you
14 had great difficulty getting here, but you
15 persevered. We really appreciate that and
16 thank you for being here this morning.

17 DR. WEEKS: Are y'all going to
18 be around if we have questions that might
19 come up? We can talk to you about them
20 informally if you stuck around for a
21 while.

22 MS. ZEILER: Okay. Thank you.

23 It's 10 after 12:00. So I

1 would like to suggest we reconvene at
2 1:30. We need to go off site to get
3 lunch.

4 (Lunch break.)

5 MS. ZEILER: I want to thank
6 you for your patience. Mr. McNider is
7 here today to talk to the Panel about the
8 mine tour they had at Jim Walter
9 Resource's Number 4 Mine yesterday and the
10 belt air issues he wishes to present to
11 the Panel at this time.

12 MR. MCNIDER: Well, as I told
13 the group yesterday, here's the rest of
14 the story.

15 Anyway, I'd like to welcome the
16 Panel to Birmingham. I certainly
17 appreciate them taking what we offered, an
18 invitation for the group to come and look
19 at our mines.

20 We've been using belt air since
21 1979. The mine they went in was one of
22 the first petitioned mines to ever use
23 belt air. We've been using it now close

1 to 30 years, not quite. We're approaching
2 30 years.

3 That mine -- originally, the
4 petition was for 20 minutes between
5 sensors, and now we're down to 1,000 feet
6 and, of course, under the regulation. The
7 progression was from 2,000 and then it
8 went to 1,000. So we've probably got as
9 much experience with belt air as anybody
10 in the country.

11 The comments today from me will
12 be primarily focussed on ventilation.
13 When you were in Salt Lake City, in the
14 west, a lot of the focus was on strata
15 control, two entry.

16 In the east, the primary focus
17 is going to be on ventilation and the
18 requirements for ventilation and why we
19 need belt air from a ventilation point of
20 view. Although, strata control is a
21 consideration. Even though the focus is
22 probably primarily on ventilation -- or it
23 will be on ventilation -- we cannot

1 overlook the strata control aspects of it;
2 and I will go into that a little bit.

3 We would like -- also today
4 I'll be doing the part on the ventilation
5 and the strata control. Keith Pylar, who
6 is in our safety department, is going to
7 do a little short talk on his experience.

8 He's been in our No. 7 mine for
9 several years. I'll let Keith go through
10 his history and just let him tell you from
11 his perspective how he sees belt air.

12 Then Randy Watts is our manager
13 of electrical engineering. Randy sat on
14 the panel this morning because Jim Walter
15 designed a lot of our systems ourselves.
16 I believe we're one of the front runners
17 in that.

18 As a company, it's very
19 unusual. Most companies go to the AMS
20 monitoring people to put the system
21 together for them, but we had the
22 capabilities to do that.

23 We do buy a lot of off-the-

1 shelf components, and Randy will discuss
2 that. From an operations point of view, I
3 know you had a lot of questions about the
4 AMS to the manufacturers, and Randy might
5 be able to address some of those from an
6 operations point of view.

7 Again, thanks to the Committee
8 for going to No. 4. I think we had a good
9 visit. Hopefully, you saw the
10 professionalism with which we monitor the
11 mines and the pride we take in using belt
12 air and how we implement it.

13 Then I'd also like to remind
14 the Committee of the comments made in
15 Pittsburgh concerning belt materials and
16 the AMS system, but Randy will expand on
17 that today.

18 Although our mines have been
19 degassed for years, there's still a great
20 need to utilize all available air courses
21 to carry intake air to the face.

22 No. 4 mine, the mine that you
23 were in yesterday, is probably our least

1 gassy mine today. It's been degassed for
2 over 20 years. Even though it's been
3 degassed, we recently applied to MSHA for
4 a plan that we wanted to implement at the
5 mine.

6 We were looking at reducing the
7 air volumes through that plan; but, after
8 a further review when MSHA came in to look
9 at it, we are still going to have to
10 remain with the historical levels of
11 19,500 at the end of the line curtain.

12 Our No. 7 mine is required
13 17,000 at the end of the line curtain.
14 Those are large amounts of air volumes at
15 the face. Like I said, even though we've
16 been under degasification and there's no
17 doubt degasification has lowered the
18 overall gas volume in the mine, there's
19 still a need for high volumes of air.

20 In order to get this much air
21 to the end of the line curtain, the mine
22 must provide at least twice that amount in
23 the last open crosscut. It's not uncommon

1 for us to have 50,000 to 80,000 cubic feet
2 per minute in the last open crosscut and
3 120,000 cubic feet per minute at the
4 return regulators.

5 In order to course that amount
6 of air through the mine, we operate fans
7 that are rated at 15 inches and 1,125,000
8 cubic feet per minute, with 3,500
9 horsepower motors.

10 It's not unusual for us to
11 operate two fans in parallel on each
12 return shaft. As a matter of fact,
13 because of the ventilation needs, all the
14 mines that operate in the Blue Creek Seam
15 that I'm aware of in Alabama, utilize belt
16 air at the face.

17 There's one other mine in
18 Alabama that utilizes belt air that does
19 not mine the Blue Creek Seam, and that's
20 the coke mine that operates in the Cahaba
21 Basin.

22 In that mine that I've got on
23 the screen now, you can see the blue stars

1 are the mines that are the mines that are
2 in the Warrior Cove Basin. They're deep
3 mines.

4 Typically, the cove dips from
5 the Northeast to the Southwest. So, as
6 you go up to the Northeast, you get much
7 shallower. As you go to the Southwest,
8 towards Tuscaloosa, you're getting deeper.

9 The mine you were in yesterday,
10 the No. 4 mine, is about 2,000 feet deep
11 as it mines north. You can see No. 4 mine
12 in the bottom in the green on your screen
13 there.

14 As we go north, as I said, and
15 Northeast, we're getting shallower. The
16 No. 7 mine is to the east of our No. 4
17 mine. The No. 5 mine at the bottom of the
18 screen there is the deepest mine on
19 average. I believe it was the deepest
20 mine on average in North America, and
21 probably one of the gassiest.

22 Our No. 3 mine is the mine to
23 the right of the screen, which is here.

1 Here's No. 4, No. 7, and No. 5. It's the
2 shallowest mine that we operate.

3 North of our No. 3 mine is the
4 Oak Grove Mine. North of No. 4 and No. 7
5 mine is the Shoal Creek Mine.

6 The reason I'm showing you that
7 is just so you can get a relationship.
8 All of those mines use belt air. They are
9 all in the Blue Creek Seam.

10 Probably, the shallowest part
11 of North River, I would guess, is 900 to
12 1,000 feet deep. Also, the same thing for
13 Oak Grove.

14 The North River Mine is the
15 only mine in Alabama that I'm aware of
16 that does not use belt air to face. It's
17 in the Pratt Seam. That's about half as
18 deep. I think North River is probably
19 about 600 feet deep. I'm not sure of
20 that, but I think that's probably about
21 the depth. It has nowhere near the gas
22 that we do operating in the Blue Creek
23 Seam.

1 Also, the Coke Mine, that I
2 mentioned, is a low-seam mine. It's in
3 the Cahaba Basin, and it liberates quite a
4 bit of gas when cutting coal.

5 So the question is: Why belt
6 air? Before I go into that, I mentioned
7 about the needs for the ventilation at the
8 face. As you can see these line curtain
9 lengths, when we line up, this particular
10 one is a yield stable yield.

11 That's our standard pillar
12 configuration at Jim Walter's Mines. This
13 is a pillar configuration at our No. 7
14 mine.

15 The one you were in yesterday
16 was a 125 feet centers on the yield pillar
17 crosscut, and this one is 168. So the
18 line curtain length in this particular
19 mine is 285 feet.

20 So, in order to get the 17,000
21 at the end of the line curtain where
22 you're operating, that's one reason why we
23 require a lot of pressure and a lot of

1 volume in the last open crosscut.

2 Why belt air? Jim Walter's
3 engineering department utilizes an Ohio
4 Automation Ventilation Simulation program
5 to simulate the ventilation needs for each
6 mine. We modeled the ventilation using a
7 four-entry and three-entry section with
8 and without belt air.

9 As you can see by the
10 simulations, which I will go into here
11 just in a moment, not to use the belt as
12 an air course limits the amount of
13 ventilation that can decourse to the face.

14 To course the amount of air
15 that is needed in these mines requires
16 large pressure differentials from intake
17 to return utilizing all available air
18 courses. To restrict the ventilation on
19 the belt air course with some type of
20 regulator such as a bulkhead, that creates
21 high pressure across the bulkhead. This
22 is a problem to the mine because of the
23 high air velocity that has coursed through

1 the small opening around the belt that
2 creates a float and respirable dust
3 problem.

4 Also, to restrict belt air
5 course pressurizes the air course and
6 creates leakage from the belt to the
7 primary intake escapeway and contaminates
8 the escapeway.

9 Another problem with limiting
10 the flow of air with a flow on the belt is
11 the creation of dead spots. When you put
12 in a bulkhead and you're trying to limit
13 the air coming from two directions, it's
14 difficult to manage that.

15 From my experience -- when I
16 first started in the mines, I worked at
17 No. 3 mine. We had a neutral belt. We
18 vented it to the return. Believe me, it
19 was not uncommon to find dead spots in the
20 belt and high -- extremely high methane
21 levels to the point of being a hazard in
22 the mines. So that is definitely an
23 issue.

1 The most effective way to
2 ventilate gassy mines that require large
3 quantities of air is to utilize all
4 available air courses and have a positive
5 one-way ventilation on the belt.

6 I'm going to go into the
7 simulations that we used. I wanted to run
8 these. All these simulations were based
9 on 15,000 feet. Now, that sounds like a
10 long distance; but, in today's mines, it's
11 not. We've got some that are designed to
12 19,000 feet.

13 As a matter of fact, in No. 4,
14 the mine you were in yesterday, we've got
15 some that are either approaching that or
16 at that length.

17 The intake airway resistances
18 that we used are from one of our mines.
19 It was a .3 belt airway resistance per
20 1,000 with .337. Return airway resistance
21 per 1,000 was .383. Both regulators would
22 run at 120,000 CFM.

23 I told you the reason for that.

1 If you go 15,000 feet with a yield-stable-
2 yield configuration, the number of
3 stoppings that you have -- and I
4 calculated that out -- if you use just 500
5 CFM for stopping, that gives you 60,000
6 cubic feet of leakage. You're doing a
7 good job, with the kind of pressure I'm
8 getting ready to show you in a minute, to
9 control the leakage to that amount.

10 Then the left and last open
11 crosscut, again, is 60,000. So that gives
12 you 60,000 leakage.

13 The first simulation -- it's
14 going to be a little difficult to see. I
15 apologize. I was hoping that would show
16 up a little bit better.

17 On the left and right
18 regulator, is 120,000; 60,000 at the face,
19 15,000 for the length. As you can see
20 here -- Jerry, you asked me in Pittsburgh
21 to give you a pressure differential, and I
22 calculated in my head about 10,000 feet.
23 I said it was about six inches.

1 On this one, you can see that
2 it's a 9.33-inch drop. It sounds huge,
3 but I'm telling you it's in that range
4 depending -- the Rs won't be exact, but
5 these are the model Rs. This is what we
6 use every day to simulate our mines.

7 The intake, I believe had about
8 123,000 -- and you can see it in your
9 booklets that I gave you -- and about 116
10 on the belt. That is with a little over
11 50 percent on the intake, and it's closely
12 distributed between the two entries.

13 Now, the next run is showing
14 what, if we put a bulkhead up close to the
15 face and we try to dump that air into the
16 return? What happens on a four-entry
17 section?

18 Well, the first thing is, we're
19 going to kill about four inches negative
20 to try to kill -- not kill, but to
21 regulate this width to the point to where
22 we can pull air back from the face and
23 then through the regulator and back into

1 the return.

2 We've got about 15,000 CFM. We
3 started out with about 106 on this, and
4 you can see when you put the bulkhead here
5 what it's doing is pressurizing this belt,
6 and the leakage now is in the wrong
7 direction.

8 So, if you put a bulkhead at
9 the face on a four-entry section, what
10 you've done in effect is you've taken in
11 and pressurized the belt. That's what I
12 was talking about earlier. You've
13 contaminated the intake escapeway. That's
14 not what we're trying to achieve.

15 You've also lost air at the
16 face. Where we had 60,000 before, now
17 we've got 24,000; and, on the right side,
18 we've got 57,000. The regulator, in
19 effect, is wide open. So there's no
20 pressure here to put any more air on that
21 section.

22 Basically, that is all that
23 section will do. Where we used both

1 entries in parallel earlier, we had the
2 leakage in the right direction, we had
3 60,000 on the face, and I believe we had a
4 little bit of pressure at the regulator
5 still in the reserve.

6 Now, we're wide open; and we've
7 got nothing in reserve. We've
8 contaminated our intake escapeway.

9 Okay. So let's put the
10 bulkhead at the other end of the section
11 and see what happens there. Well, in this
12 case, we're destroying almost 12 inches of
13 pressure, 11.69. The differential from
14 intake to return on that section is 10.7
15 inches. We've actually lost air at the
16 face.

17 Again, the regulators are wide
18 open, and we're pulling air back down the
19 belt. Our leakage is in the proper
20 direction, but we've lost air in the face.
21 That bulkhead right there -- and believe
22 me, I've seen this in my career.

23 When you try to limit the air

1 around the belt -- and, normally, you're
2 going to have the belt running through the
3 bulkhead. We've tried a lot of different
4 ways to control that. It is extremely
5 difficult to control with those kind of
6 pressures. It's a huge dust source. So
7 that's a major problem with trying to
8 regulate the belt.

9 Okay. Next, we went, and we
10 looked at a three-entry section, which we
11 run.

12 Again, the gateway length was
13 15,000 feet. The resistances were the
14 same per 1,000. The right return
15 regulator was 138,000.

16 To explain that, in order to
17 get the -- and I'll show you on the base
18 case here. We had 90,000 at the face
19 because we're on three entries. We had 60
20 before for a fishtail, but now we're
21 ventilating another place. So that's why
22 that's higher.

23 On this case, you can see it

1 takes about 11 inches to do that in order
2 to get the pressure proper from the intake
3 to the belt. Then we had to limit the
4 amount of air that was actually on the
5 belt. It was 25,000, and 112 on the
6 intake. We've got about 92 at the face,
7 and, like I said, 138. That regulator is
8 wide open.

9 So, with 11 inches, we're out
10 of pressure with a three-entry section;
11 but that does -- with belt air, we do get
12 the air that we need to operate at a
13 15,000- foot-long section.

14 Now, we put the bulkhead near
15 the face. We're destroying -- everything
16 is the same. We've just added a bulkhead
17 across and a regulator here to ventilate
18 the air to the return.

19 Now, we're destroying about 2
20 inches of pressure to get that air. We've
21 pressurized the belt again. Now, here we
22 have 90,000, we've got about 53,000 at the
23 face. So we've got a tremendous loss, and

1 the section is wide open with no available
2 pressure to get any more ventilation to
3 the face.

4 If we take the bulkhead and we
5 put it back down at the other end of the
6 section, now we're up about 8 inches
7 trying to destroy that amount of pressure.
8 We're ventilating the belt back down into
9 the return. We've got about 9.3 inches
10 across from intake to return.

11 In this particular case, the
12 intake is loaded up. We've got 145,000
13 because the intake is trying to course all
14 the air to the section and back and back
15 down the belt. We've got 57,000 at the
16 face with no available pressure.

17 So with a four-entry or a
18 three-entry, using belt air at the face,
19 we're not as efficient. We lose
20 ventilation, not counting the other
21 problems that we've created by adding a
22 bulkhead or a regulation to the belt which
23 can contaminate this gateway and create a

1 huge dust problem along the belt line and
2 a clean-up problem.

3 All right. So now the question
4 is: Why don't we add an entry parallel at
5 intake so that we can replace the belt
6 line? This sounds logical from a
7 simplistic look, but to add an air course
8 that's parallel with an existing air
9 course does nothing to improve the
10 escapeway capabilities of the mine or the
11 overall ventilation.

12 It does replace the belt as an
13 air course, but the section in the mine
14 requires more additional air to ventilate
15 the belt to the return. It requires more
16 pressure in a mine that's already
17 utilizing some of the largest fans
18 probably in the world.

19 Together with the increased
20 ventilation needs, there's still the
21 question of the escapeway with only a
22 couple of possibilities, one of which must
23 be the intake which is now parallel with

1 another entry, the belt, or the return.

2 So you've got the parallel
3 intake, the belt, or the return as your
4 possibilities for your escapeway. To
5 simply add an entry parallel with the
6 existing intake, the same possibilities
7 exist for escapeway; and no improvements
8 have been made because those two air
9 courses on the intake are in common. So,
10 if you had a fire, it's going to act
11 exactly like if you had one by itself.

12 The question has been asked:
13 Why not separate the entries? Have an
14 intake, a brattice line, an intake, a
15 brattice line, and a belt line. With
16 unbalanced resistances such as the track
17 and utilities in one entry and the other
18 open, deterioration in one but not in the
19 other will result in an unbalanced flow
20 situation where there will be cross flow
21 from one entry to the other and a mix of
22 air from an escapeway point of view.

23 It would be extremely difficult

1 to control an unbalanced flow situation
2 and try to keep those entries right, as
3 far as an escapeway point of view.

4 We also modeled this to show
5 the effects of having a five-entry versus
6 say a four-entry. We modeled it at 15,000
7 feet. Again, we used the same Rs as we
8 used before. We used 120,000 on the left
9 and right, and 60 at the face again.

10 On the base case, in this
11 particular case, you can see that it takes
12 about 7.25 inches to ventilate the face --
13 or to ventilate the section; 60,000 at the
14 face, 120,000 at the regulator.

15 In this particular case, we've
16 got about 5 inches. If we need to improve
17 the ventilation, we've got a tremendous
18 amount of pressure to work with.

19 Now, let's say that we take a
20 bulkhead, and we're going this time to
21 regulate this belt to the return. We've
22 got about -- I can't read that number. It
23 looks like about 8,000 going through the

1 bulkhead. We've got 1.21 inches.

2 So that's getting down more in
3 the zone of what we can control, but we're
4 a little bit less at the face. The right
5 side had the 60, but the left side where
6 we added return air is now about 52,000,
7 and the regulator is out of pressure.

8 We also use more -- it took
9 more air in this system. We've got about
10 the same air in the face, but we've got
11 about 150,000 on the left and about
12 120,000 on the right. So we've got about
13 270,000 versus 240,000.

14 So, even though we were able --
15 we were not able to 100 percent accomplish
16 our goal of 60,000 in the face, we did
17 come close. It takes more air on the
18 section, and it takes more available
19 pressure than it did before, 8.63. The
20 other one was about 7.25. So it takes
21 more pressure and more air to ventilate
22 this section versus the other way.

23 One other thing about the

1 bulkhead at the face is, again, it's
2 pressurized the belt; and that's pushing
3 the pressure out toward the smoke-free
4 escapeway. It's required that one of the
5 intakes must be one of the primaries -- or
6 must be the primary.

7 Putting the bulkhead back out
8 at the mouth of the section. Here again,
9 we were able to reverse the belt air. We
10 had 10.81 inches of pressure. These
11 regulators are wide open. We were -- we
12 came out a little bit less; about 54 on
13 the left, and about 55 on the right.

14 So we added an entry, we didn't
15 really improve the escape capabilities of
16 the mine, we used more air on the section,
17 we used more pressure, and yet we are
18 still less. So why add an entry?

19 Escapeway enhancement. The
20 question has been asked: Should there be
21 a minimum pressure differential from the
22 intake to the belt? Here again, the
23 reality of this is that it already exists.

1 Even though the differential may be small,
2 there's already a differential required;
3 and the intake must have at least 50
4 percent of the total air of the section,
5 which means there will be some pressure
6 drop from the intake to the belt.

7 Because the belt is more
8 resistant than the intake, this in most
9 cases is fairly easy to maintain; but to
10 arbitrarily set a number for a minimum
11 could mean that in order to comply, the
12 mine would have to create an artificial
13 means of regulation -- there again, the
14 bulkhead -- to create this pressure drop.

15 This, in turn, creates a dust
16 problem; and the ventilation gets more
17 difficult to control. In most cases, the
18 differential between the intake and the
19 belt naturally exist and become greater as
20 the mine develops.

21 We went to a point feed at our
22 No. 4 mine yesterday. It was at the
23 intake shaft in the north. We had the

1 entry -- probably the point feed, which
2 I'm not sure the exact width, but it was
3 a roll-up door. It looked to be about
4 seven or eight feet. It was approximately
5 two feet off of the foot wall, and we
6 estimated it. We did not measure it, but
7 I'd say we easily had three to four
8 inches.

9 So we had quite a bit of
10 pressure differential. The primary reason
11 for that is because of the belt line
12 layout and the resistance of the belt line
13 versus the intakes.

14 That gets back to the reason
15 for the point feed because as the air on
16 the belt line drops off, then that's the
17 reason you use a point feed to pick it
18 back up.

19 So, in effect, you have a
20 minimum differential down; but to go back
21 and artificially try to create a
22 differential by doing something such as
23 regulation, in my opinion, would be

1 detrimental to the mine.

2 We've got to remind ourselves,
3 why do we have the air in the first place.
4 The air is there because of the needs of
5 the mine. We've got 120,000 at the
6 regulator. If we had a four-inch
7 resection, which we have, and we're trying
8 to utilize the full effect of all the air
9 courses, if we go back and try to limit
10 the velocity or create a minimum drop, I
11 think that would be detrimental to the
12 mine, limiting the velocity on the belt.

13 Oh, one other thing on the
14 escapeway enhancement. We pointed this
15 out yesterday. Under the MINER Act,
16 there's already a requirement for
17 directional cones. We saw those. There's
18 96 hours of breathable, should a person
19 become trapped, and caches for SCSRs for
20 every 30 minutes of walking to get out of
21 the mine.

22 Limiting the velocity on the
23 belt. Here again, this sounds logical to

1 limit the velocity, but the reason the
2 belt velocities are high in most cases is
3 because of the ventilation needs of the
4 mine.

5 In order to achieve 120,000
6 cubic feet per minute at the regulator for
7 each section split means that the belt has
8 to be utilized to its fullest. To
9 regulate this air course to limit this
10 flow will compromise the ventilation needs
11 of the mine.

12 Regulating this split also
13 creates dust problems and pressurizes the
14 belt to a point that may create leakage in
15 the wrong direction, and this will
16 jeopardize the intake escapeway.

17 That's what I was showing about
18 the bulkhead. Now, that was to reverse it
19 and bring it away from the face.

20 Depending on what that minimum requirement
21 is, it could create the differential from
22 the belt in the wrong direction.

23 Randy will speak about the

1 Atmospheric Monitoring Systems and their
2 effectiveness in higher air velocity
3 conditions.

4 Like I said, we've used belt
5 air in Jim Walter for 30 years. It's not
6 uncommon for us to get a 1,000 feet per
7 minute belt velocity. As a matter of
8 fact, if you think about the face case
9 that I had up there as a four-entry, we
10 had 123,000 in the intake and 116 on the
11 belt.

12 So, if had roughly a 6 by 20
13 entry, that's 1,000 velocity. So, for us
14 to see that is not that uncommon.

15 Why limit the velocity on the
16 belt if the atmospheric monitors will
17 detect heatings at a low prior to actually
18 becoming a fire?

19 The people that were at the
20 mine yesterday, there was quite a bit of
21 talk about bearings that got hot, rollers
22 that could be detected and detected in
23 some of them on main lines and in high

1 velocities.

2 As stated above, when belt
3 velocities are high, it is for a reason;
4 and the reason is the ventilation needs of
5 the face.

6 Respirable dust on the belt
7 lines, another concern in high velocities,
8 has not been a problem and can be
9 controlled through water sprays and proper
10 chutes.

11 In your booklet here, we have
12 all of the dust samples from No. 4 mine,
13 respirable dust samples off the belt line.
14 We had MSHA's attached, and we've got Jim
15 Walter's.

16 The belt samples are a standard
17 of one. These are single-shelf samples.
18 So it's with a gravimetric pump, taking a
19 single shift. This goes back to January
20 of 2000. So it's roughly about seven
21 years of data.

22 The belt standards, where we
23 were over the standard, were seven; but

1 you come back and you do a check on that
2 because it is a single-shift sample. We
3 were not out of compliance any. To my
4 knowledge, we have not been cited on a
5 belt dust -- respirable dust sample.

6 There were 164 samples taken.
7 The percentages of the samples that were
8 over the standard of one was 4.27, and the
9 average, if you take and include all the
10 over-exposure samples, was .46. If you
11 exclude those, it was .4 as the average.

12 Now, if you take the Jim Walter
13 samples, the belt samples that were over
14 the standard, one is pretty close to what
15 MSHA got. We had about an eight over that
16 length of period.

17 Now, the thing that's a little
18 bit different on the mine samples, if we
19 have overexposed the standard of one, we
20 have to come back with a five check.
21 Under the law, it calls for five
22 consecutive samples.

23 When we went back and we

1 rechecked it, we were not out of
2 compliance any. There were 243 samples
3 taken. The percentage over the standard
4 was 3.29. Here again, it follows what
5 MSHA got really close. The average was
6 .44 including all samples and .4 when you
7 exclude them. So that's pretty much the
8 same thing that MSHA got.

9 So, when you take into
10 consideration that AMS will do the job and
11 respirable dust can be controlled, why
12 limit velocity? You are going to impact
13 the face ventilation. Again, it's a mine.

14 Strata control. As I said
15 earlier, although strata control is a
16 secondary in these mines to the
17 ventilation, as far as the need for belt
18 air is concerned, it's still an important
19 issue. In order to properly handle soft
20 floor conditions and deep cover, the
21 yield-stable-yield pillar configuration
22 was applied to these mines.

23 As a matter of fact, the first

1 mine that was developed for Jim Walter was
2 in our No. 5 mine, the one that I told you
3 was the furthest to the south and the
4 deepest.

5 The yield pillars are designed
6 to yield, while the stable pillar is
7 designed to support the cover load and
8 transfer loads from mining of longwall
9 panels. This can be compared to standard
10 conventional pillars.

11 This can be accomplished while
12 at the same time narrowing the span of
13 wall-to-wall section compared to standard
14 conventional pillars.

15 The system has worked well and
16 has been adopted as our primary pillar
17 system for section development. When we
18 need to add entries, such as in the mains,
19 we must be careful in how this is done.
20 We cannot simply add an additional yield
21 pillar entry that might be in parallel
22 with another yield pillar because the
23 yield pillars support no load. If the

1 span becomes too great for the main top,
2 then deterioration in the roof will
3 happen.

4 This can cause significant
5 problems for the mine. If a stable pillar
6 is added, then the overall width of the
7 section becomes great because of the size
8 our stable pillars at this depth; and
9 development for section advance is
10 diminished greatly.

11 If you'll think back to the
12 size of the stable pillar that I had
13 earlier, then you can see, to add another
14 one of those, what that would do to the
15 overall section.

16 Because of ventilation, we
17 typically drive four entry sections for
18 longwall development so that we can have a
19 fishtail ventilation. To add another
20 entry with a stable pillar would slow
21 section development for longwalls to such
22 an extent that it could impact the
23 economic viability of the mine.

1 So it would be highly
2 questionable how the economics would look
3 for the mine if we tried to add a stable
4 pillar. Earlier on, like I said, it
5 really doesn't enhance the ventilation.
6 As a matter of fact, it's a detriment to
7 the ventilation if you course the belt air
8 back.

9 One other thing I wanted to say
10 is that we've got a long history with belt
11 air. We've also had numerous fires in our
12 mines. Our No. 5 had spontaneous
13 combustion in it.

14 Bill Francart's been down and
15 looked at our monitoring systems numerous
16 times. Bill has seen firsthand the impact
17 of having an AMS system can have as far as
18 safety and having a baseline reading in
19 the mine.

20 Once you come into a fire
21 situation, one of the first things we try
22 to do is evaluate our intakes and restore
23 our AMS systems because they are critical

1 to you. You can add numerous sensors of
2 whatever you might want to look at, and
3 that can greatly enhance the overall
4 safety of the mine.

5 To my knowledge, we've been
6 using belt air for 30 years, roughly, in
7 our mines; and I don't know of anyone
8 that's been injured or where we've had a
9 problem utilizing belt air. In my
10 opinion, it has definitely been an overall
11 asset to the mine.

12 That's all I have. I was going
13 to let Keith talk, and then Randy. We'll
14 be glad to answers question when we get
15 through; or I can answer them now,
16 whichever way the Panel would prefer.

17 DR. MUTMANSKY: One quick
18 question.

19 The dust samples that you've
20 shown in your booklet here are interesting
21 in a sense that most of your dust samples
22 on the belt are relatively low .2, .3,
23 something like that.

1 Then, you have these over
2 standards, some of which are really quite
3 high, like 3.95, 2.66, and so forth. Is
4 there a reason for that? Is there an
5 explanation as to why those happen to be
6 very high?

7 MR. MCNIDER: I know you can
8 get excursions with a gravimetric pumps.
9 Everybody that's used them -- I mean, it
10 happens.

11 This could be where rock dust
12 or something that was an excursion from
13 the norm that might have happened that I
14 can't explain, or it could be simply
15 something with the evaluation of a sample
16 cassette itself.

17 That's one reason I wanted to
18 put it in there and I highlighted it for
19 the Panel, to show you that.

20 Normally, when they're high --
21 sometimes you'd see it would be 1.1, 1.2,
22 and be slightly out. There are a lot of
23 times you get it so far off the norm where

1 it would be as high as 3 milligrams. Is
2 that a real situation or not? I can't
3 tell you.

4 That's why you come back and
5 you do checks behind that, because it is a
6 single-shift sample; and, with gravimetric
7 pumps, that can be a problem.

8 DR. WEEKS: I've got a couple
9 of questions about the samples, too, just
10 for the sake of information.

11 Are these all designated area
12 samples?

13 MR. MCNIDER: Yes.

14 DR. WEEKS: Where exactly were
15 they taken?

16 MR. MCNIDER: I believe they
17 were by the belt tailpiece.

18 DR. WEEKS: And they are eight-
19 hour samples, or are they 12-hour samples?

20 MR. MCNIDER: They would be
21 eight hours. Yeah. Let's say the
22 standard today.

23 DR. WEEKS: These were for

1 compliance purposes?

2 MR. MCNIDER: Yes.

3 DR. WEEKS: Okay.

4 MR. MCNIDER: By the way, Jim,
5 those are off the MSHA web page. I think
6 any of you guys could call those up and
7 get them.

8 That was for our No. 4 mine. I
9 did not do both mines. So I'm not sure
10 about No. 7.

11 DR. TIEN: How would you like
12 to handle the questioning? Do you want
13 the other two gentlemen to do their
14 presentation first and come back?

15 MR. MCNIDER: Yeah. Let's do
16 that, and then we'll come back.

17 DR. TIEN: Okay. Sure.

18 MR. MCNIDER: I will turn it
19 over now to Keith, and he is going to make
20 a couple of comments, and then we'll go
21 from there.

22 MR. PLYLAR: Good afternoon.
23 My name is Keith Plylar. I'm currently a

1 safety associate at Jim Walter Resource's
2 No. 7 mine.

3 I've been employed there
4 approximately 27 years. I've served on
5 the UMWA Health and Safety Committee. I
6 was for there about 18 years at that place
7 prior to taking the safety associate's
8 job.

9 I've been a big proponent of
10 mine health and safety for miners for
11 several years, probably a couple of years
12 prior to getting on the committee. I've
13 been a big advocate for monitoring of belt
14 lines.

15 I've spoken with committees
16 before. When we started out with our
17 Petition for Modifications, the 2,000 feet
18 on the monitoring of our belt lines, I was
19 a big proponent to change that to get it
20 down to 1,000 feet.

21 Like I said, again, I guess
22 I'm just here today to say that in my
23 experience, I believe that we can mine

1 coal with the safe use of belt air because
2 we've been doing it for several years.

3 I also think there's advantages
4 that we normally don't look at from using
5 belt air. We always concentrate on the
6 disadvantages of it, I think, instead of
7 looking at some of the advantages.

8 That's another thing I want to
9 talk a little bit about. As some of the
10 people said today, with our Monitoring
11 System we have, we've been able to detect
12 and pick up smoldering situations,
13 bearings going out on rollers, hot rollers
14 or even a belt getting out of alignment
15 and picking it up before it becomes a
16 fire.

17 Any time you can get that early
18 detection and get the notification to the
19 people that are working nearby or get some
20 action to the problem, that enhances the
21 safety of the miners at the mine.

22 Without this system, without
23 the Monitoring System, if you've got a

1 belt line that's isolated or you've got a
2 belt line that' in a neutral entry, then
3 how big of a fire or how much of a flame
4 or how much CO do you get before you would
5 actually be notified of it?

6 Most of y'all can remember
7 this. When I started in the mine, we had
8 the old heat-sensor-type devices on the
9 belt line. Luckily, I never saw it; but I
10 can imagine a belt line completely -- an
11 entry being completely engulfed before you
12 got any warnings off of those systems.
13 Enhancements -- we've come a long way
14 today with our Monitoring Systems.

15 The other thing that I think is
16 a big advantage of using the belt air on
17 the face is that even though it's not
18 dedicated as an escape way, it gives you
19 another entry to get out of the mine if
20 something does happen.

21 Currently, in our mine, we use
22 an intake escapeway separated from the
23 belt and return on the return escapeway.

1 We maintain them, clearance and
2 everything. If something happened and you
3 did get a contamination into your primary
4 and then it got so bad it went into your
5 return, it does give miners another way,
6 another means of escape off that section.

7 With all that said, the key to
8 it all is monitoring that air. That's the
9 biggest thing. If you've got people or
10 operations that are not going to maintain
11 separation or that are not going to
12 maintain monitoring or that don't maintain
13 maintenance on the AMS system, then that's
14 a whole set of different problems. That's
15 not a problem with belt air.

16 Today, I was hearing some of
17 the people; and some of the Panel was
18 asking about the maintenance of our
19 systems, who works on the AMS systems and
20 who installs them. In our mines right
21 now, I would say we have some of the best
22 people there are that are qualified and
23 dedicated to doing that job.

1 They install the systems, and
2 they maintain them underground. They're
3 hourly employees that have had training,
4 and they have electrical backgrounds.
5 Before they get the job, they have to take
6 a test to see if they're qualified to step
7 in. Then, they actually do the training
8 and learn more on the system.

9 We know today each system that
10 you put in a mine is only as good as the
11 people that maintain it. It's only as
12 good as what efforts you put into
13 maintaining it.

14 Again, the early detection of
15 having someone there at the mine site
16 around the clock 24 hours a day is
17 important so they can notify someone to
18 start th withdrawal of the system.

19 I just think we're looking at
20 going backwards if we start looking at
21 trying to isolate these belt entries. If
22 you think about -- like I said earlier,
23 you have very little limited air on those

1 entries.

2 You know yourself if you're not
3 using the air off that belt to ventilate
4 your work in sections, you're not going to
5 be dumping a lot of it because you're
6 going to need it at the face. That's what
7 Tommy was talking about.

8 So, in our mines, you do
9 increase the likelihood of a build up of
10 methane in there, which brings on a whole
11 set of problems in itself for getting into
12 the explosive range.

13 Another thing, how much
14 attention are people going to pay to that
15 entry, as far as inspecting it properly,
16 checking it, and making sure everything is
17 maintained? Are you going to go
18 specifically by the regulations at that
19 time?

20 So I guess to sum a lot of it
21 up today, again, we have been working
22 around it for over 20 years. We haven't
23 had any major problems. I guess, on the

1 flip side of that, it has actually helped
2 us to keep from having belt fires from the
3 heating of the rollers and the hot spots.

4 As far as the nuisance alarms,
5 when we first started off, we had a lot of
6 problems with them, with diesel equipment
7 or whatever. We actually had a track belt
8 together at one time. They've come a long
9 way.

10 People actually have designed
11 our system to actually pick up and do away
12 with nuisance alarms.

13 So, once again, just to
14 reiterate, I definitely believe that we
15 can use belt air safely today. There
16 again, it's only as good as the people
17 that are running the operation.

18 Thank you.

19 MR. WATTS: My name is Randy
20 Watts. I've been working for Jim Walter
21 Resources for 31 years. The current
22 position I have is Manager of Electrical
23 Engineering.

1 I want to talk to you a little
2 bit about the JWR Mine Wide Monitoring
3 System. First of all, I guess the first
4 statement that I'll make is we are sort of
5 in a unique position in that we are not a
6 manufacturer of Mine Wide Monitoring
7 Systems or AMS systems.

8 We don't make any of our
9 sensors; and, therefore, I don't have any
10 reason to try to promote one sensor over
11 another sensor, other than what we've
12 found to work. That's the only thing I
13 will be speaking of, is our experiences
14 with the different types of sensors.

15 As far as the system goes, we
16 did design our own system. That came
17 about primarily because of some of our
18 experiences with the early systems.

19 As Tom mentioned before, we've
20 had quite a bit of experience with Mine
21 Wide Monitoring Systems because our early
22 petitions required these AMS or CO systems
23 to be installed to monitor the belt lines.

1 Actually, this slide says mid
2 '80s; but, according to Tom's information,
3 1979, I believe, was the first petition
4 that we filed. We started monitoring
5 these belt lines since then.

6 Some of our early experiences
7 with these system caused us to look into
8 other areas. In 1990, we designed our own
9 system and had the system approved and
10 installed that in all of our mines.

11 I want to talk a little bit
12 about the system itself. I'm going to try
13 not to be repetitive, but some of the
14 things that I'll be mentioning are similar
15 to the other systems that were described.
16 I guess maybe some of the things that I
17 can comment on and will try to is some of
18 the questions that the Panel asked to the
19 other vendors at AMS systems.

20 In our control room, on the
21 surface, we have a control room with an
22 operator that is in the control room 24
23 hours a day, seven days a week.

1 I'll apologize for some of the
2 photographs here. It's not real good
3 quality on some of the photographs. I
4 took them in a hurry and tried to put
5 together something that would at least
6 show what we're doing.

7 In the room here, you can see
8 various computer screens. There's one
9 over on the left and there's one to the
10 left of the operator, and then you also
11 see some video monitors on the back wall
12 back here.

13 This system uses standard PCs.
14 We wrote our software to run on these PCs.
15 It uses a SQL database to store all the
16 information.

17 As far as the hardware
18 underground, each device underground has
19 its own address. So it's scanned by the
20 system. Our system is pretty fast in
21 scanning these devices.

22 With the current load that we
23 have on the system right now, we can make

1 a complete scan or scan every address on
2 the system in about one to two seconds.
3 So we're checking not only the value or
4 the CO reading at each of those sensors
5 every one and a half seconds, but we're
6 also checking the status to make sure that
7 those sensors are actually working as
8 they're supposed to.

9 We have the capability of
10 32,000 points. We also have a redundant
11 system in the fact that we have two
12 computers that are essentially sitting
13 there running all the time, with one
14 computer doing all of the scanning. If
15 something were to go wrong with that one
16 computer, we could very easily switch over
17 to the other computer.

18 Sensors. As I mentioned
19 before, we do not manufacture our own
20 sensors. We buy our sensors from all of
21 the vendors that were represented here
22 today.

23 We have primarily standardized

1 on a couple of sensors that are
2 smart-sensor type. They communicate
3 directly with our system, and they have a
4 lot of features for calibration,
5 subcalibration, and monitoring themselves
6 to make sure that they are operating in
7 good condition.

8 So, even though we don't
9 manufacture the sensors ourselves, I think
10 that we've had a lot of influence on the
11 sensor manufacturers because we have asked
12 for quite a few improvements in their
13 sensors through the years; and they have
14 been very good to work with us and have
15 met the things that we've asked for in
16 most cases.

17 We also use our system to
18 monitor other devices, and I put this
19 slide up here to show you that we monitor
20 our conveyor belts, our fans, our pumps,
21 our hoists. Just about every major piece
22 of equipment underground, we bring that
23 into our Monitoring System.

1 A lot of times, the information
2 that we get from these other devices can
3 be just as valuable as the information
4 that we get from the CO sensors. So we
5 try to use the term "Mine Wide Monitoring
6 System," rather than just "AMS system"
7 because our system does monitor the
8 atmospheric conditions; but we also
9 monitor all these other devices.

10 Just to point out for reference
11 here, this card right here is the fiber
12 trunk extender, and up here is a multi-
13 function card. This particular outstation
14 right here would be typical of a station
15 that would be connected to the system
16 without any type of PLC or any other smart
17 device on it. It would just be a station
18 that's monitoring several parameters.

19 Very quickly, here is the
20 system layout. Up in the control room,
21 you have the computers running the
22 software for the Monitoring System. Down
23 the shaft is a fiber optic cable, and then

1 underground is a fiber optic backbone.

2 One of the other, or maybe two
3 of the other vendors mentioned in their
4 presentations the fact that the
5 communications are the part of your
6 system. That is a very true statement.

7 We, just like some of the other
8 vendors mentioned, try not to tolerate any
9 errors on our system. We expect to see
10 100 percent communication all the time.

11 Now, we don't always achieve
12 that, but the guys that you will see in a
13 minute that work on these systems, when
14 they start seeing a few errors popping up
15 every once in a while, they know
16 something's wrong; and they immediately go
17 to start checking those devices and try to
18 find that problem before it becomes
19 something that actually is going to affect
20 your communication.

21 We use fiber optic cable as our
22 backbone. We've been using that since
23 about 1994. We have quite a lot of

1 experience with this. Our system is very
2 fast and very tolerant to noise, and
3 that's primarily due to the fact that
4 we've had this fiber optic backbone
5 installed.

6 Each one of these boards that
7 are labeled "FTE boards" here, they are
8 sort of an interface between the fiber and
9 the cable. Once you get to the belt line
10 itself, the CO sensors have to be powered.
11 They also have to have communication.

12 It's at that point that you
13 break out of the system, break out the
14 fiber and go to cable and pick up all of
15 these sensors that are along the belt.

16 The system would not be
17 effective at all if it were not for the
18 people that we use to monitor and to
19 maintain the system. In our control room,
20 as I mentioned before, we have control
21 room operators with all the tools.

22 They have the mine map, they
23 have computers, they have the video, they

1 have two-way communications, and they have
2 access to the people that they need at any
3 time to make sure that they can make good
4 decisions about what the system is doing
5 at the time.

6 These operators are in the room
7 24 hours a day, seven days a week. To my
8 knowledge, they are all certified mine
9 foremen; and they have all been trained in
10 the operation of the system. We feel like
11 we've got some pretty good control room
12 operators at this time.

13 They have a pretty busy job
14 when they're in there and things are busy
15 during the day with the normal operation
16 of the mine. They take care of it very
17 well.

18 Also, we have at least one CO
19 technician per shift at each mine site.
20 These men are UMWA employees. They're
21 also very skilled at what they do.
22 They've received training.

23 One thing that I will say about

1 your UMWA employees -- and I will say this
2 with utmost confidence -- these men are
3 dedicated, and they believe in what
4 they're doing. It's because of that, that
5 they do such a good job of keeping this
6 system up.

7 They are very responsible in
8 the things that they do. They have a
9 pretty big job to keep up with
10 calibrations and making sure that the
11 system is operating correctly and making
12 sure that we have the system moved up.

13 The mine is very dynamic place,
14 and there's always a sensor that has to be
15 moved to make sure that we're meeting the
16 requirements of the law.

17 One thing that I mentioned a
18 while ago is that you've heard several
19 terms. You've heard the system referred
20 to as a CO System, and Atmospheric
21 Monitoring System, a Mine Wide Monitoring
22 System.

23 In our system it sort of is --

1 the Atmospheric Monitoring System is --
2 obviously, the reason we put the system in
3 was to monitor these belts; but we've also
4 expanded it and gotten a lot of benefits
5 by carrying it on to a Mine Wide
6 Monitoring System.

7 We keep that part of the system
8 separate, though, in the fact that we have
9 one screen that the operator keeps up all
10 the time. This is a screen that shows the
11 status of all the CO sensors on all the
12 belts underground all the time. That
13 screen stays up all the time, and he can
14 look over at any time that he wants to and
15 see what the status is.

16 Each one of these little blocks
17 that shows the value there is color coded
18 so if any of those sensors went into an
19 alarm level, it would immediately notify
20 him visually, in addition to the fact that
21 the system is going to set off the alarms.

22 He has this just as a backup.
23 He doesn't have to do anything else except

1 turn his head and look at the screen, and
2 he can see the status of the CO sensors.

3 As far as Mine Wide Monitoring
4 System, this would be a typical screen
5 that would be created to watch the status
6 of some of other devices in the mine. It
7 could be as simple or as complex as they
8 want to make it. Their tendency is try to
9 keep the screen simple; and, therefore,
10 they lay the mine out in a very simple way
11 there.

12 That's the status of the belts.
13 You can also see the status of the bunker.
14 There are also other parameters there;
15 such as, water pressure, water gallons per
16 minute, and air pressure from compressors.

17 There's a lot of information
18 contained on this screen. We will point
19 out one other thing right here. As I
20 mentioned awhile ago, sometimes this
21 information can be just as valuable as the
22 information that you get from the CO
23 sensor.

1 In this particular case right
2 here, I just happened to take the
3 photograph at a time when this N10 belt
4 right here had been turned off. It's a
5 little hard to view from your standpoint
6 because you don't know the legend, but the
7 operators have it to where they have it
8 memorized where they don't have to look at
9 it.

10 This little red dot here
11 signifies that this belt was turned off by
12 remote. Also, in addition to that, I have
13 these two lines right here that -- I cut
14 off the name of that particular spot right
15 there, but that is N10 belt right there.

16 What it's telling me in those
17 two squares right there is that 79 is the
18 first out code -- which they have a page
19 that they can go to and it tells what that
20 code is -- and that's what actually
21 stopped the belt. Then, the block next to
22 it is the current status of the belt, and
23 that shows a 20.1.

1 What that's telling them is
2 that the remote switch at the tail piece
3 of the belt is the one that actually
4 stopped that belt. So not only do we know
5 that the belt stopped, we know that it
6 stopped because someone pulled the remote
7 switch; but we also know that that remote
8 switch is on the tail piece of that belt;
9 and that's where the stoppage occurred.

10 Now, had this been an unplanned
11 stoppage of this belt, the control room
12 operator would have immediately begun
13 investigating what the problem was.

14 So I think there's an added
15 level of safety right there in the fact
16 that certain things go on. These people
17 are on top of everything that's going on
18 at the mine, not just the CO that's on the
19 belts.

20 One of the questions that was
21 asked a few times, and I don't really know
22 how to answer it maybe specifically
23 because there are a lot of variables that

1 would go into determining how the CO
2 sensor is going to respond in a belt entry
3 that has what you might consider high
4 velocity.

5 How much CO is it liberating?
6 Where is the CO being liberated in
7 relation to the structures and the air
8 flow that's going through there? So a lot
9 of things can happen that might change the
10 way this might respond.

11 Obviously, the more air flow
12 that you have there, the more the CO is
13 going to be diluted. So the only thing
14 that I could think of to do is to maybe
15 give you a few examples of things that
16 have happened in our mines that might give
17 you a little insight into how sensitive
18 these sensor really are.

19 This first example here is one
20 what I've marked "case one." Several
21 years ago, one of our mine sites began
22 noticing elevated readings on their CO
23 sensors along the main line. You know,

1 it's typical of a fire or some real
2 problem that you will see CO begin to go
3 up on one sensor, and then the next sensor
4 will begin to go up, and then so on down
5 the line.

6 That's exactly what began to
7 happen in this case. It never reached the
8 alert level, but the levels were going up.
9 So the control room operator immediately
10 launched an investigation, and what they
11 determined was they could smell a little
12 smoke. They tracked it, and they went all
13 the way back, it was coming into the
14 intake shaft.

15 The final determination was
16 made that this air was actually coming
17 down the shaft. The smoke was actually
18 coming down the shaft, and it was coming
19 from a forest fire that was several miles
20 away.

21 So, with just the smoke in the
22 air coming down the shaft, all of the
23 sensors along that mine line where the air

1 velocity was as high as it could be, were
2 all starting to go up.

3 Actually, before that day was
4 over, every sensor in the mine or
5 practically every sensor in the mine
6 showed an elevated level from its normal
7 level.

8 The control room operator
9 caught it. Even though this was well
10 before any of the sensors even went into
11 the alert levels. So the system is very
12 sensitive, and these sensors that we're
13 talking about have come a long way since
14 the early sensors that were put in.

15 In another case, we use shaft
16 heaters sometimes to deice or prevent ice
17 from building up in our shafts when the
18 weather is cold.

19 We had a very similar situation
20 the first time that we used one of these
21 shaft heaters. We turned it on, and we
22 immediately began seeing CO going up on
23 all of these main line sensors. The

1 operator launched the investigation, as he
2 should have; and the determination was
3 that the shaft heaters were causing this
4 problem.

5 I'm not sure how to quantify
6 how sensitive these are, but these are
7 very minute values of CO that are going
8 down through here. Even in these high
9 velocity entries, these sensors were
10 easily picking them up; and the operators
11 were easily identifying that there was
12 some sort of problem going on.

13 One of the questions also asked
14 by the Panel was have there been any cases
15 where men might have detected the smoke
16 before the sensors did, and I'll be honest
17 with you and say that that has happened a
18 couple of times in our mines.

19 In one or two particular cases
20 that I can recall, we were testing some
21 new types of belts or new belts at that
22 particular time that were supposed to be
23 more flame resistant. Those belts when

1 heated did not produce as much CO. They
2 produced a lot of smoke, but there wasn't
3 a lot of CO in those particular belts.

4 So we had a couple of cases
5 there to where there was smoke in the
6 entry, and men had found it before we
7 picked it up with the sensors. That also
8 prompted us at that time to try smoke
9 sensors. We did not, from our experience,
10 have very good success with those smoke
11 sensors.

12 That doesn't mean that some day
13 that technology might come around and
14 might be something that -- obviously, if
15 there's good technology out there, we
16 would try to use it; but that particular
17 time, we didn't get a very good success or
18 very good results from those smoke
19 sensors. They tended to go into an alarm
20 condition after just a couple of days
21 operating underground.

22 Also, we've had a couple of
23 places where possibly changes in the air

1 screen -- you know, somebody has moved a
2 piece of equipment or moved a sensor or a
3 sensor has fallen from a roof or whatever.
4 There's been a couple of instances where
5 the sensor nearest the CO liberation
6 didn't go off before someone walked
7 through the area.

8 So we have had a couple of
9 cases where people had found the problem,
10 but the CO system alarm went into alert
11 level later on. A person was there first,
12 the CO system did its job. It just didn't
13 react quite as quickly as the man did.

14 Several others have testified
15 and spoken to the fact that we have
16 detected many hot rollers. We've detected
17 these hot rollers on all the belts, not
18 just the belts going to the sections. We
19 have detected these on main line belts.

20 I don't know what percentage it
21 is; but it's a very large percentage of
22 the time that these were detected very
23 early, before you could even -- you have

1 to really search for the source. It's not
2 like just walking up and you see a flame
3 or something. You have to really get in
4 there and search to find where the CO is
5 being liberated.

6 Emergency situations. I won't
7 take too much time to talk about that, but
8 it is a very important situation.

9 Obviously, in an emergency, you
10 need information and you need it
11 accurately and you need it to be there as
12 soon as possible. We've had a few
13 conditions to where we've had the system
14 tested under emergency-type situations.

15 This is where having a system
16 like this gets you the double benefit, the
17 fact that not only are you monitoring for
18 CO, but you also have all of this other
19 information available to you that might
20 help you to make a better decision about
21 what's going on in the mine at that
22 particular time.

23 We have monitored for many

1 different conditions. We've had a lot of
2 special geological conditions that we've
3 had to set up special sensors for. We've
4 been able to do that, and I think we've
5 been able to do that successfully in all
6 cases to help make the mine safer by
7 monitoring.

8 One reason that I put this
9 picture up there for was to just kind of
10 show you what the operator might see in a
11 condition where there's alarms going off.
12 If you see down here in this area, these
13 are all of the alarms that are currently
14 active. They're all showing up in red.

15 This particular case right
16 here, I had them set off all of the
17 section alarms for a function test. So
18 they were doing a function test. So
19 you've got this long line of alarms going
20 off all at one time.

21 As he clicks on each of these
22 alarms -- again, the photograph is not
23 very good -- over here on this side -- not

1 only does he know that he has a point-end
2 alarm, but over here on this side, it's
3 telling him where that point is. There's
4 a detailed description of what the point
5 is and any other information that you want
6 about that point.

7 It's also telling you what the
8 level is at that particular time, and it's
9 also - the alarm will not stop sounding
10 until he actually physically acknowledges
11 the alarm by clicking his mouse on the
12 point.

13 So he can't ignore it. It's
14 not something that's going to go away by
15 itself; and, even after he has
16 acknowledged it, it stays in this alarm
17 box and stays red as long it's above the
18 alarm value. So it still does not go away
19 visually, even though he has acknowledged
20 that he knows it's present.

21 Some others have also commented
22 about the conventional way of ventilating
23 the belt. Of course, Tommy has talked

1 extensively about that. I'm not a
2 ventilation person, but I do know that
3 under the current regulations, that if you
4 use the conventional method for
5 ventilating the air, it does not require a
6 Monitoring System on these belts.

7 Personally, I think that that
8 would be a step backwards because I think
9 that in many situations, you might allow a
10 situation to get to the point where it
11 would be a much harder fire to fight. You
12 may get into a more serious situation by
13 not detecting the fire early enough.

14 Also, I think that we might
15 be limiting ourselves in what we might
16 accomplish in the future because many of
17 the advances that we've made in technology
18 in the mines is because we've had to do
19 this type of monitoring. We've had to
20 look at these sort of things.

21 We've learned a lot by
22 monitoring things in the mine. Had we not
23 been in this situation where we've been

1 required to monitor these things, we might
2 not have been at this point.

3 I think that we might in the
4 future be limiting ourselves in some way
5 if we don't continue to push this
6 technology forward.

7 In conclusion, I won't speak
8 too much. I just want to make sure that
9 we're all -- make sure that I make the
10 statement that I believe that the system
11 has made the mines safer. I think that
12 the Mine Wide Monitoring System is
13 something that we need to continue doing.
14 I think that belt air is a safe way of
15 ventilating the working faces.

16 We need to continue monitoring
17 in this way. I think the Monitoring
18 System allows this to be done safely.

19 Again, I can make the same
20 statement that Tommy and some of the
21 others have made; that is, with all of our
22 experience over almost 30 years of doing
23 this, we haven't had any problems related

1 to the Monitoring System and the fires
2 caused by this belt air. I think that's a
3 pretty good track record, as far as the
4 experiences we've had on that.

5 Thank you.

6 DR. TIEN: Very interesting and
7 informative testimony. I have a question.

8 What does your structure look
9 like, your organizational structure? Who
10 runs the system?

11 I know Tommy might be a user.
12 You interacted with Randy quite a bit.
13 I'm just curious because you mentioned you
14 have a CO technician in each mine. What
15 other people do you have, and so forth?

16 MR. WATTS: Each mine site has
17 basically its own Monitoring System. We
18 don't monitor anything centrally. So
19 their organization is at the mine-site
20 level.

21 So there would be a supervisor
22 that is in control of making sure that the
23 system is all -- meeting all the

1 standards. All the control room operators
2 would report to him. The control room
3 operators are there 24/7.

4 We typically have four control
5 room operators. They work seven days on
6 and seven days off for staffing that.

7 Then, at least one CO technician, UMWA
8 employee, is on site per shift.

9 DR. TIEN: What's the
10 relationship between them and you?

11 MR. RANDY: With me? I just
12 provide technical assistance for keeping
13 the system operating properly.

14 DR. TIEN: How does Keith fit
15 into the interplay?

16 MR. PLYLAR: I'm there on a
17 daily basis as a safety supervisor. I
18 interact with them to make sure if they
19 have any problems, they will let us know.

20 I just oversee the system.
21 They take care of the system on a daily
22 basis and make sure it's maintained,
23 calibrated, checked, and monitored and all

1 that.

2 During the period of the
3 daytime, we're constantly in and out of
4 the control room. We are on the screens
5 when we're outside.

6 That system -- they're set up
7 usually to handle it all themselves right
8 there from the control room to the
9 technicians that actually go in the ground
10 and do the calibrations.

11 DR. TIEN: Well, it looks like
12 the system has worked. All three of you
13 have worked very effectively because you
14 want them to work and because of your
15 expertise and so forth.

16 Are there others, Keith and Tom
17 and Randy, in 30 years to step into your
18 shoes when you retire?

19 MR. PLYLAR: From my
20 perspective, that's one of the ongoing
21 problems of the mining industry, is to
22 make sure that you continually train these
23 folks to bring them in and not wait until

1 you get to the point where we're all gone
2 and then start training them. You have to
3 continuously train as you go along.

4 I think that's -- that would be
5 in any area of the mines, to make sure you
6 do that continuous training as you go.

7 MR. MCNIDER: One of guys that
8 traveled with us yesterday was a young CO
9 electrician or technician. I think the
10 guys worked under him. He's been in the
11 mines nine years.

12 So we are in the process of
13 training, but there's a large gap between
14 Keith and Randy and I and that level.
15 We're like everybody in the mining
16 industry. We are scrambling to try to
17 bring people on and train them.

18 As a matter of fact -- I think
19 this is what you were getting ready to
20 say -- we started a training program where
21 we're trying to bring in young people that
22 show inclination in that area and get them
23 trained. In electronics and a mine-wide

1 system like you said here. It would be
2 all inclusive. The monitors, the PLCs.

3 In Randy's comments, he said
4 today you're liable to see just a --
5 you're just as likely to see a computer
6 going underground as you are a pick and
7 shovel. That's true. Probably more
8 likely.

9 DR. TIEN: It looks like you
10 grew up with the system, or the system
11 grew up with you guys.

12 MR. WATTS: I will make one
13 other comment. Early on, we did have to
14 spend a lot of time with the system, but
15 guys that have been working on the system,
16 these UMWA guys, have pretty much stayed
17 with it.

18 These guys are dedicated, and
19 you don't have to go tend to a lot of
20 problems. They pretty much take care of
21 99 percent of everything themselves. It's
22 a rare case that we have to go deal with
23 something.

1 DR. TIEN: Thank you. I have
2 some other questions for Tommy, but we'll
3 come back to that.

4 DR. WEEKS: I've got a number
5 of questions about the AMS operator
6 training. Let me just lay them all out,
7 and you can sort of answer them as you
8 want to.

9 It basically has to do with
10 selection of training of the AMS
11 operators. You mentioned they're all
12 certified mine foremen. Why is that? Do
13 you think it's better to take an
14 experienced miner and train him on the AMS
15 system or take someone that's more
16 computer oriented and teach them about
17 mining? Where's the balance there between
18 expertise in dealing with the system or
19 expertise in mining?

20 Another question is: What do
21 the operators have authorities to do? If
22 they get an alert alarm that comes up,
23 what can they do? Can they evacuate a

1 section? Can they shut down a belt, or
2 would they have to call the mine
3 superintendent; and that person makes the
4 decision? How does that play itself out?

5 Also, do you have much turnover
6 amongst your operators? Those are just
7 questions about the training and the
8 selection.

9 There was a question raised
10 earlier from one of the company reps. He
11 said "Well, the first thing is to find
12 somebody who really wants the job." Do
13 you agree with that?

14 MR. MCNIDER: In our minds, the
15 guys in the control room -- like Randy
16 said, it's Mine Wide Monitoring System.
17 They actually do a lot towards running the
18 mine. They are heavily responsible for
19 what goes in the ground every day.

20 Do I think they have the
21 authority to withdraw the mine?
22 Absolutely. I think it came out -- you
23 may have asked that question yesterday to

1 one of our control room operators. The
2 reason we feel like our person needs to be
3 certified -- they are mine foremen, and
4 they are certified under the State of
5 Alabama -- because we need them to be
6 knowledgeable of what goes on in the mine,
7 not just sit up there and review what's on
8 the screen, but to actually understand the
9 day-to-day activities.

10 So that's why we -- I think all
11 of our people are certified. Isn't that
12 right, Randy? I don't think we have
13 anybody that's not certified, as far as
14 the control room operators.

15 As far as turnover goes, as far
16 as our technicians and our control room
17 operators, we have not had a large
18 turnover, have we?

19 MR. WATTS: Technicians
20 especially. They tend to get into these
21 jobs, and it takes a pretty good while
22 for them to gain an understanding of the
23 system.

1 They take a lot of pride in
2 what they do. You don't typically have a
3 whole lot of turnover in these jobs.

4 One thing Tommy was alluding to
5 is our control room operators. They are
6 also the responsible party in all these
7 areas (inaudible.)

8 DR. WEEKS: Do you have
9 occasional unannounced fire drills to test
10 the system, you know, the machinery and
11 the people and everything? Do you do that
12 sort of thing?

13 MR. PLYLAR: We do quarterly
14 fire drills. Part of that system
15 incorporates with the CO room operator.
16 We'll give them a planned thing, and they
17 call the operator.

18 As far as the -- understanding
19 your question, does the CO operator
20 initiate it? No, not necessarily. What
21 they do is on their functional test, when
22 they do the functional tests and stuff,
23 they won't give advanced notice. They'll

1 call up and have them set the system off
2 to see if they react to it.

3 DR. WEEKS: That's what I was
4 wondering, whether someone like one of
5 y'all would say "Okay, we're going to test
6 the system and see how it works," and not
7 tell anybody about it, just push a button
8 and see if people responded.

9 MR. PLYLAR: We have done that
10 in the past; but, to say it's on a set
11 pattern, no.

12 Like I said, when they do their
13 functional test, they're supposed to
14 document then this crew or this crew
15 called back and ask them why it was; and
16 then they'll tell them.

17 MR. MCNIDER: As far as whether
18 we'd rather take an experienced miner with
19 very little computer skills or take one
20 with computer skills and then -- you know,
21 which one would come first, that's a hard
22 one for me to answer.

23 I don't know, Randy, if you've

1 got a better feel or not.

2 All our guys are certified.
3 They do come out of the mine. They're
4 people that have actually operated
5 sections.

6 So I guess that I would answer
7 that first and foremost to me that it's a
8 certified person; but then they've got to
9 have the skills to operate the systems.

10 As you could see in our control
11 room, there's a lot going on. It's fairly
12 complicated.

13 So I'm not sure about how that
14 part comes in, Randy.

15 MR. WATTS: I think that's
16 probably pretty accurate. They have to
17 have the mining experience first; but the
18 system, as far as normal operation of the
19 system, doesn't require a whole lot of
20 computer expertise. Basically, they need
21 to know a few things about the system.

22 We have other people that are
23 there all the time that support them, like

1 our technicians, our CO technicians, and
2 our chief electrical guys. They would
3 take care of any problems that they have.

4 The control room operators
5 don't have to know the inside workings of
6 the system. They don't have to know how
7 that data gets in and out of the mine
8 site. They don't have to know how to
9 troubleshoot that system.

10 They just have to know, okay,
11 "I've a problem," and be able to recognize
12 what type of problem that is and get the
13 appropriate people to handle that.

14 So the mining experience is
15 very valuable. It should be that the
16 person is not totally computer illiterate.
17 I mean, we need people in there that have
18 some computer skills; but I'd say that the
19 mining part of it makes a lot more sense
20 to have that first.

21 DR. MUTMANSKY: Tommy, back in
22 DC, in our first meeting, you told me that
23 you had been using flame resistant belts

1 in your mines for quite a long time, and
2 that you eventually got rid of them all.

3 I would like to hear your
4 rationale for doing that because I think
5 it's very important. This is an AMS
6 problem, but it's something that you have
7 referred to in the past. I think it's a
8 good time to get your thinking on that.

9 MR. MCNIDER: I'm glad you
10 asked that. The CEO of our company came
11 to address the three members of the panel
12 that came to the mine yesterday.

13 The point that he wanted to
14 make and we as a company wanted to make is
15 that we are not adverse to more -- a
16 higher specification belt than a 2G belt.
17 We use the type of belt that's NCB 158.
18 The belt that was our primary used belt
19 was PVC.

20 The problem was that it was not
21 -- it did not meet the application of the
22 mine from a durability point of view.
23 From a lot of the operational side, the

1 belt just would not hold up. That was the
2 reason that we eventually went away from
3 it on the PVC side, because it just did
4 not perform.

5 It created so many other
6 problems underground from an operations
7 point of view that it outweighed what we
8 were trying to gain from the
9 belt-specification side.

10 Then, in '92, the BELT spec
11 came out, and we went to that higher grade
12 belt. It was a rubber belt where they
13 added a specific compound in it to meet
14 the fire requirements of the BELT spec.

15 What happened with that belt
16 was that we had numerous points where the
17 belt would run out of alignment a little
18 bit, and we would get shavings from the
19 belt that would drop onto the foot wall
20 and create alarm situations. I mean, it
21 happened numerous times. It was to the
22 point that it was more of an operational
23 hazard than it was a benefit to the mine.

1 He got asked yesterday whether
2 he -- if a higher specification belt came
3 out, would he try it or would he use it;
4 and the answer was "Yes." However, it's
5 got to meet the operational needs of the
6 mines. In other words, it's got to be
7 durable enough to where it will hold up to
8 the rigors of the underground.

9 So we're not opposed to a
10 higher specification belt. As a matter of
11 fact, I think he would absolutely promote
12 it, and we would use it provided it will
13 also provide the operational needs of the
14 mine.

15 That was where we had the
16 problem with it. It met the higher flame
17 retardant aspects, but it did not provide
18 what we needed from the operational side.

19 DR. WEEKS: I've got another
20 question. Do you think that the AMS
21 system should have an independent power
22 source from the rest of the mine? The
23 question was raised during the break. The

1 issue is, if there's a mine emergency, one
2 of the first things to be cut is the power
3 to the mine.

4 It would be useful to acquire
5 the information from the AMS system during
6 the mine emergency. So the way to do that
7 is to have an independent power source.

8 MR. MCNIDER: Are you talking
9 about underground?

10 DR. WEEKS: Yes. What are your
11 thoughts on that?

12 MR. MCNIDER: Well, from an
13 emergency point of view, Jim, that's a
14 good question. I'll let Randy go into the
15 AMS part of it.

16 I can tell you one of our first
17 things to achieve is to try make our main
18 line intakes and get to a point where we
19 can restore power to a certain part of the
20 mine where we've actually gone in and
21 we've made it. One of our first things is
22 to try to establish that AMS system back
23 because it is invaluable to you from an

1 emergency point of view.

2 You can monitor methane. You
3 can monitor oxygen. You can monitor CO.
4 I mean, you can --

5 DR. WEEKS: If it has an
6 independent source you, don't have to
7 worry about --

8 MR. MCNIDER: I don't know what
9 that leads to. Randy, you can answer
10 that.

11 MR. WATTS: That is something
12 that we have considered and probably would
13 be a little farther along with it except
14 for working with some of these other
15 tracking and communication issues that
16 we're having to deal with.

17 I think that would be something
18 that would be very useful. Of course, the
19 system has a back up in cases where the
20 power has to be removed completely. In
21 those cases, we would want the system to
22 be either intrinsically safe or have some
23 means of getting that power restored

1 again.

2 I think it would be beneficial.
3 We've looked at it, and we probably will
4 look at it again pretty soon.

5 MR. MCNIDER: I think the
6 answer is: Yes, we would like that.

7 I know from my point of view,
8 when I'm looking at actually trying to get
9 back in the mine, yes, I would like to
10 have it.

11 So, eventually, Randy, you guys
12 have looked into that aspect of it.

13 DR. WEEKS: I guess the
14 limiting factor is whether it could be
15 maintained in a permissible fashion.

16 MR. WATTS: Yeah. It's going
17 to require approval through the approval
18 process, that's kind of where we got hung
19 up on it the last time we pursued it.

20 DR. CALIZAYA: : I have two
21 questions. Both of them are for Tommy.

22 I was checking your diagrams,
23 the three system, four and five. In some

1 cases, you used the belt in three for
2 intake. In other cases, you used only
3 two. What makes you -- how do you decide
4 on that?

5 MR. MCNIDER: Well, what I was
6 trying to do was demonstrate three
7 different things. One, was what I called
8 the base, where I was trying to show that
9 if you use belt air in a three-entry, a
10 four-entry, and a five-entry section, this
11 would be your available air at the
12 section. This would be your regulator,
13 which we held at 120 because that's
14 typically what we'd have at regulator for
15 a 15,000-foot-long section. Would you
16 have any reserve pressure or not?

17 Then, the next step would be to
18 direct that air off of that belt line just
19 to show that we would have to take that
20 air to a return entry and show the impact
21 that it has on the face and show what some
22 of the other detriments are.

23 When I put in there "why belt

1 air," that's part of what I was talking
2 about. I was trying to summarize ahead
3 what those models were showing. If you
4 put a bulkhead in here, it creates a huge
5 pressure drop.

6 You have to let the belts run
7 through it. Therefore, you've got a dust
8 source. It also pressurizes the belt,
9 which contaminates your escapeway.

10 That's what that model was
11 showing. The other one was putting the
12 bulkhead back at the mouth of the section.
13 The reason I was showing it at the mouth
14 was because then the flow is in the right
15 direction, the leakage is in the right
16 direction away from the intake to the belt
17 line; but the face air is heavily
18 impacted.

19 We have no reserve in the
20 regulators, at all. So, in effect, we
21 cannot ventilate a working section 15,000
22 feet long, either three- or four-entry
23 without belt air. We cannot do it.

1 I'm telling you -- and this is
2 one thing that Mr. Richmond addressed
3 yesterday. These mines -- they are
4 designed with the use of belt air, and it
5 would probably shut these mines down if we
6 were not able to utilize the belt line as
7 an air course.

8 Then, I went into the five
9 entry because I wanted to address, okay,
10 let's add an entry. When you add an
11 entry, you think well, I'm going to get
12 escapeway enhancement. You don't, because
13 it's parallel and it acts as one entry; or
14 you try to separate it. Then you've got
15 imbalance because of the resistance
16 values.

17 So that was the line of
18 thinking, the way this was laid out.

19 DR. CALIZAYA: : Okay. The
20 next question is related to the air
21 velocity. In the figures that you have
22 here, for the belt entry, you have high
23 velocity, at least at the very beginning.

1 Near the face, that one drops
2 significantly.

3 MR. MCNIDER: Right.

4 DR. CALIZAYA: I think
5 yesterday we were at the face with belt
6 air. It was reasonably -- you could feel
7 the speed of the air.

8 MR. MCNIDER: Right.

9 DR. CALIZAYA: What velocities
10 are we talking about, in general?

11 MR. MCNIDER: Well, we've got
12 two different sets -- the mine you were in
13 yesterday was our No. 4 mine, which has
14 been degassed for years. When we were up
15 there on that section, I would estimate we
16 had about a 300 velocity, probably, at the
17 front of the section.

18 If you had 300, that entry was
19 probably at least between seven and eight
20 feet high by 20 feet. That's 140. So, if
21 it was 300, that's still 50,000-something
22 on the belt. So, if you had 50,000 in the
23 intake, you've got 100,000.

1 Back at the back, you're going
2 to have twice that amount. So, rather
3 than a 300 velocity, you've got at least a
4 600 velocity.

5 In our No. 7 mine, that mine --
6 you remember me pointing out the twin
7 seam? That's the reason the higher entry.
8 In our No. 7, we single seam. So we have
9 a little bit less height, but we also have
10 a little bit greater demands.

11 We're required more air at
12 No. 4; but, at times, we have excursions
13 at No. 7 that requires a little bit more
14 of a demand. So the velocities can be
15 even a little bit higher in No. 7,
16 especially because of the restrictions in
17 the area.

18 DR. CALIZAYA: One last
19 question regarding pressure drop. Based
20 on your figures, the pressure between the
21 beginning of the entry and the face is
22 about two inches; but the pressure across
23 intake and return is in the order of 10.

1 MR. MCNIDER: Right.

2 DR. CALIZAYA: If I'm not
3 mistaken, all your stoppings were of the
4 same kind.

5 MR. MCNIDER: Yes.

6 DR. CALIZAYA: I'm guessing
7 that the highest pressure is near that.

8 MR. MCNIDER: Let me walk
9 through that just a minute. When you
10 start out and you've got the intake and
11 you've fed onto the belt line, you know,
12 like when we had the point feed; or if you
13 start out at the mouth when you first
14 start out, as you go further away, that
15 resistance in that entry is starting to
16 drop off. The resistance between that and
17 the intake is climbing.

18 There's a higher resistance on
19 the belt than on the intake, either
20 because you've got the belt line in there
21 and a single entry, open entry that has
22 just the tracking. In the mains, it's a
23 multiple entry.

1 The belt line is building in
2 pressure loss quicker because the
3 resistance is higher and it's dropping off
4 in air volume. Therefore, the negative
5 between the intake and the belt is
6 starting to increase.

7 Now, the model we ran was just
8 simply showing that -- we created an
9 intake and a return just to demonstrate to
10 you what an 15,000-foot-long entry would
11 do.

12 When you get in a real mine
13 situation, you start out where you have a
14 huge pressure drop, or it may be very
15 small and starting to change based on the
16 resistance between the two entries on the
17 ground. That's where the point feed comes
18 in.

19 If it's starting to climb, if
20 you don't have an intake like another
21 shaft, under normal conditions, if you
22 have multiple entries, you would still
23 need to point feed that belt to pick it up

1 occasionally because that pressure drop
2 usually is growing as you get further
3 away.

4 The belt line is still trying
5 to get its air through the leakage. It's
6 actually hard to control.

7 DR. MUTMANSKY: One more
8 question, and then you're off the hook,
9 Tommy.

10 DR. BRUNE: Actually, my
11 question goes to Keith, and not to Tommy.

12 Keith you've done a nice job
13 pointing out some of the advantages of
14 belt air, and I also appreciate that your
15 perspective is from the mine-workers point
16 of view.

17 Would you know of any
18 disadvantages that it has to take to the
19 face?

20 MR. PLYLAR: Of the belt air?
21 No. I guess over the years, my only
22 concern with the belt air was the
23 Monitoring System. Now, when we started

1 out with Petition for Modification, we
2 were only sensing 2,000 feet.

3 So I actually think in the Blue
4 Creek Seam, as everyone else calls it, I
5 think it's a disadvantage not to have it
6 that, that amount of air to get your
7 section to render harmless the gases. So
8 you've to weigh it out.

9 You can get statements from
10 where it's more dusty or everything else.
11 If you get down and look at the pros and
12 cons of it and the benefits, I think your
13 benefits outweigh the other one.

14 The whole key factor to it all
15 is proper separation and proper
16 monitoring. That's the key to it right
17 there. I think there are regulations and
18 plenty of them that cover that already.

19 DR. CALIZAYA: Thank you.

20 DR. MUTMANSKY: Linda, how many
21 speakers do we have still remaining

22 MS. ZEILER: We have several in
23 the NMA block grid. I was going to

1 suggest we take a ten-minute break so we
2 can get ready.

3 Those that have Power Point
4 presentations need to come and see Kevin
5 on the break; and we can load it all on
6 one computer; and that will expedite the
7 process.

8 DR. MUTMANSKY: Okay. Thank
9 you.

10 (Short recess.)

11 MS. ZEILER: I think we're
12 ready to start again.

13 Okay. This afternoon we have a
14 group from the National Mining Association
15 and the Alabama Coal Association to speak
16 to the Panel.

17 First up will be Bruce Watzman,
18 who is the Vice President of the National
19 Mining Association.

20 Bruce.

21 MR. WATZMAN: Thank you, Linda.

22 Mr. Chairman and Members of the
23 Panel, in the interest of time, we're

1 going to try to compress as much of our
2 presentation as we can possibly do.

3 On behalf of the members of the
4 National Mining Association and the
5 Alabama Coal Association, we appreciate
6 the invitation time to be here today.

7 We especially appreciate the
8 time that some of the members of the Panel
9 took to go underground and visit Jim
10 Walter Resources' mine yesterday. It's
11 critically important that you have a sense
12 and a visual appreciation for how we
13 conduct our business and why belt air is
14 so critically important.

15 On behalf of NMA specifically,
16 let me thank you for inviting NMA to
17 appear at each of the public meetings. As
18 you know, we declined until this time to
19 afford the Panel the opportunity to hear
20 from operators using belt air safely and
21 effectively to provide a safe work
22 environment for their miners.

23 The Salt Lake City Hearings and

1 the testimony you will hear following me
2 today, we believe, accomplish this
3 objective. The question "why belt air,"
4 we believe, is settled.

5 Belt air has been and continues
6 to be a safe practice to improve the
7 working conditions for miners working at
8 the face. Operators demonstrated at the
9 Salt Lake City Hearing the absolute
10 critical necessity and safety advantages
11 of using belt air to reduce the number of
12 injuries required to sufficiently dilute
13 and render harmless methane and dust away
14 from the working face.

15 You will hear more about this
16 today from Jim Poulsen who testified at
17 the Salt Lake City Hearing that has come
18 here today to respond to some of the
19 questions that Dr. Weeks had.

20 In non-two-entry situations,
21 it's demonstrated by the testimony
22 presented earlier by Jim Walter Resources
23 and others who will follow me who will

1 demonstrate that belt air is equally
2 essential to control methane and dust
3 where ventilation resistances preclude
4 doing so in its absence.

5 While it should not be a
6 consideration in this group, as many in
7 this room are probably aware, some in
8 Congress believe that belt air should be
9 absolutely unequivocally prohibited. They
10 do so without a factual basis or rather on
11 emotion alone.

12 Your decision will be driven by
13 facts that prove, we believe without
14 question, that belt air can and has been
15 used safely and has enhanced miner safety.

16 The focus has been and the
17 question that's been asked is: Why is
18 belt air necessary? We think it's equally
19 proper to ask the question: What if no
20 belt air, and what is the factual basis
21 for advocating this view?

22 The record of these proceedings
23 is clear. The positive attributes of the

1 use of belt air have been shown. They've
2 been shown in the testimony that's been
3 presented and the research results that
4 have been presented to you -- better
5 ground control, enhanced ability to dilute
6 and render harmless methane, better dust
7 control, the use of advanced technologies
8 to provide early warning to miners in the
9 event of a fire in the mine.

10 Contrast this to a record
11 devoid of a basis for prohibiting the use
12 of belt air. Some point to negative
13 consequences, but we're at a loss to try
14 to quantify this.

15 Some have talked about
16 increased dust concentrations on the face
17 where air ventilated through the belt is
18 brought to the face, but NIOSH research
19 has shown these increases to be
20 inconsequential. In fact, operators are
21 required to maintain strict limits of the
22 dust concentrations of the air coursed
23 through the belt air that has been brought

1 to the face.

2 In closing, I would only draw
3 your attention back to MSHA's presentation
4 at the least hearing where they presented
5 the findings of the Aracoma Report, a
6 tragic event where two miners lost their
7 lives.

8 MSHA concluded for that is that
9 12 miners escaped because belt air was
10 used to ventilate the face. This should
11 be all the basis required to for you to
12 find that belt air is a safe practice that
13 has and will continue to improve the
14 working conditions for miners working
15 underground, the goal that we all strive
16 for each and every day.

17 Thank you for the time.

18 With that, Linda, I'd like to
19 turn it over to the other industry
20 presenters, in the interest of time.

21 MS. ZEILER: Okay. Thank you,
22 Bruce.

23 Our next speaker will be

1 Dr. Pramod Thakur, the manager of Coal
2 Seam Degasification for CONSOL Energy.

3 MR. THAKUR: Chairman Mutmanský
4 and Members of the Technical Safety Panel,
5 I thank you for the opportunity to speak
6 to you about the merits and demerits of
7 using the belt air for face ventilation.

8 Many of you know me; but, for
9 the benefit of others, I am a Mine
10 Ventilation Engineer by education and
11 training, and I have specialized in the
12 area of coal seam degasification,
13 respirable particulate control, and
14 occasionally mine fire control.

15 Since I worked with most of the
16 members on the panel for a long time, you
17 know very well my life's work has been
18 devoted to improving mine health and
19 safety.

20 Seventeen years, two months,
21 and two days back, my idol, Jack
22 Stephenson of Jim Walter Resources and I
23 commented on this subject in Reston,

1 Virginia and have strongly advocated the
2 use of belt air for face ventilation to
3 make mines safer.

4 The changes in the coal mining
5 industry during this period compel me
6 today to say, in even stronger terms, that
7 we need the belt air at the face.

8 Most of you know CONSOL is the
9 largest producer of underground mine coal.
10 We are mostly longwall producers. We do a
11 good job of degasification, but even then
12 we need some air.

13 My perspective would be to tell
14 you that even if I've taken the gas out of
15 the coal seams, they still need a certain
16 amount of air.

17 Tommy did such a good job of
18 explaining how the air is conducted, but
19 my ventilation department does a similar
20 job, and they tell me they need all the
21 three or four entries that we have for
22 delivering air to the longwall face.

23 Except for the past two years,

1 the price of coal declined in both real
2 and nominal terms in the last 20 years.
3 The underground coal industry survived
4 because of nearly 250 percent improvement
5 in productivity and a substantial
6 improvement in safety.

7 The most important innovation
8 that led to higher productivity and safer
9 mining is the longwall method of mining.
10 The second most important innovation is
11 coal seam degasification, but for which
12 mines in Alabama and Southwestern Virginia
13 could not be economically viable
14 undertakings.

15 Today more than 50 percent of
16 all underground mined coal is produced by
17 longwall mining. Driven by safety and
18 economic priorities, the trend for panel
19 sizes and mining equipment in the coal
20 industry is to continue to go forward
21 pushing production capacities and
22 productivity to new levels.

23 Today, it would be quite

1 realistic to plan longwall panels that are
2 1,000 to 1,200 feet wide and 10,000 to
3 15,000 feet long containing more than 2 to
4 4 million tons of raw coal. Such longwall
5 panels have many benefits.

6 The main benefits are:

7 Improved safety and reduced injury rate
8 because of improved longwall to
9 development coal ratios and fewer longwall
10 moves; improved recovery of coal in the
11 ground; and improved productivity and cost
12 per ton.

13 On the other hand, these large
14 panels introduce some concerns; for
15 example, ground control, ventilation and
16 methane control, respirable dust control,
17 and escape from the face in case of an
18 emergency.

19 I submit to the Panel that a
20 careful consideration of these four issues
21 can provide us an answer to the question
22 of whether to use the belt air for face
23 ventilation or not.

1 Ground control.

2 Ground control is a function of
3 the local geology, the depth of the coal
4 seams, as well as the longwall face
5 length. The coal industry throughout the
6 world has used one, two, three, and four
7 entry systems to develop the longwall
8 panels.

9 In very deep European mines,
10 single entry is the norm. In Western
11 U.S., ground control issues do not permit
12 more than two-entry development. In
13 Eastern U.S., three- or four-entry
14 development is common that use yield
15 pillars and a stable pillar to support the
16 gateroads.

17 Making the development section
18 any wider, as Tom indicated, will slow
19 down the development section advance
20 beyond economic limits. Thus, we need to
21 bring all the air needed to the longwall
22 faces using these three or four entries.

23 Usually, in thicker, moderately

1 gassy seams, three entries suffice while
2 in thin but very gassy mines, four entries
3 are needed that use yield-stable-yield
4 pillar design.

5 Let's talk about ventilation
6 and methane control. My job is to take
7 the coal from the coal seam, measure the
8 gas content, predict the amount of gas
9 that's going to come out, recommend
10 degasification, design the degasification,
11 and tell the ventilation department how
12 much air they will need. That is what I
13 intend to do.

14 They tell me that if I need
15 that much air, I have to use the belt air
16 in the face, just like Tom explained.

17 In a recent article, I have
18 discussed this subject in great detail.
19 Somebody in Pittsburgh claimed that all
20 coal seams are gassy, but they vary in
21 their degree of gassiness.

22 Unfortunately, I don't have a
23 Power Point presentation, but I'll walk

1 you through, and I will paint a picture
2 with my words.

3 Degasification and ventilation
4 needs for longwall faces are different in
5 different coal seams. I divided all the
6 coal seams into three categories; mildly
7 gassy, which is less than 100 feet of gas
8 per ton; moderately gassy, anywhere from
9 100 to 300 like you have in the Pittsburgh
10 area; and highly gassy, the mines in
11 Alabama and Southwestern Virginia.

12 We don't do any degasification
13 in mildly gassy mines. The only mine I
14 had like that was Shoemaker. In all other
15 mines we do pre-mining degasification,
16 during the mining, as well as post mining.

17 In moderately gassy mines, they
18 remove 50 percent of the gas before
19 mining; and we require about 40,000 air at
20 the tailgate. Air in the bleeders is
21 anywhere from 150 to 250,000 CFM air.

22 In highly gassy mines, we
23 remove 70 to 75 percent of the gas from

1 the seam before mining. We need at least
2 60,000 air at the tailgate, and 250 to
3 350,000 air in the bleeders. This same
4 width has a very high degree of
5 degasification. That's more gas than all
6 the mines Jim Walter Resources' mines
7 produce. That's one mine.

8 On a 1,000-foot-wide face, it's
9 been our experience that we lose 65 to 70
10 percent of the air in the gob. If the
11 belt entry is isolated, there will be
12 further loss of intake air. We need every
13 single entry we have to fill get the air
14 to the face. Insufficient air on longwall
15 faces can cause gas layering leading to
16 face ignitions and, sometimes, fire or gas
17 explosion.

18 MS. ZEILER: Dr. Thakur, I'm
19 sorry to interrupt you; but we need to
20 adjust your microphone.

21 MR. THAKUR: Thank you.

22 Can you hear me now?

23 Air requirements in a

1 development section are lower than that
2 for the longwall panels.

3 The Jim Walter folks did such a
4 good job on it, that I don't want to
5 belabor the point.

6 To sustain a development of
7 10,000 to 15,000 feet, we need the highest
8 ventilation essential quotient that this
9 amount of air that's needed in the face
10 divided by the amount of air you have at
11 the mouth of the longwall that is
12 multiplied by 100. So that's a very high
13 percentage, 50 to 55 percent at least.

14 If belt air entry is used as a
15 secondary intake, it will reduce air
16 leakage and enables the operator to
17 achieve the highest VEQ. Again, this can
18 be easily verified by ventilation
19 simulation.

20 There's another reason why we
21 need the belt entry. Eastern coal, as you
22 know, is very high in methane. Methane
23 accumulations and gas layering in belt

1 entry is a distinct possibility in Eastern
2 U.S. coal mines.

3 Using the belt air at the face
4 will enable a larger quantity of air to
5 flow through the entry and eliminate any
6 danger of gas layering.

7 Respirable coal dust. Somebody
8 already mentioned that. There was a
9 question that was of concern. Well, if
10 the air is going over the belt and the
11 velocity is high, one of the drawbacks of
12 using belt air at the face is a potential
13 increase in respirable dust concentration.
14 It is possible if proper dust control
15 measures are not used.

16 However, actual records
17 indicate the mines where they use the belt
18 air at the face have been able to comply
19 with the legal requirements. Keeping the
20 coal dust wet and the air velocity below
21 1,000 feet per minute will minimize this
22 problem.

23 Last, but not least, detection

1 of fire and escape from the section. All
2 belt entries are protected by CO
3 Monitoring Systems, but using the belt air
4 at the face provides a redundant detection
5 system.

6 Someone asked the question, can
7 the nose be duplicated electronically? I
8 doubt very much whether you can duplicate
9 the nose. The nose is very sensitive.

10 There are some compounds that come out
11 from coal heating. Some you can detect
12 them with your nose at one in a billion,
13 even one in a trillion parts per minute.
14 There are no instruments now that can go
15 that low.

16 Also, it has to be a special
17 nose. I have one of them. So I know.

18 Spontaneous combustion or an
19 incipient fire can be smelled at the face
20 long before a CO monitor alarm can be
21 relayed to the face.

22 There's one more thing I want
23 to say from when I talked to DR.

1 MUTMANSKY. CO alone doesn't tell you that
2 you have a fire. There's a lot of things
3 in the mine that can give you a false CO
4 reading, especially if you've hot air like
5 in Alabama and Virginia. They have
6 propane.

7 These things are detected
8 through the handheld CO monitors and other
9 monitors working on similar principals out
10 of here. In my 33 years in CONSOL --
11 many, many times I have been called at
12 midnight, "We have a fire, come over
13 here." We go down and see 300 parts per
14 million. When you take a sample and
15 analyze it, it's basically 5 PPMs or 1 or
16 2 PPMs higher than the background.

17 I ask the Panel to put your
18 faith in that and nothing else. It's a
19 good alarm system. If your dog is
20 barking, something is there. Go out and
21 check. The dog may be hungry or whatever
22 else, but it doesn't mean a fire.

23 Air traveling in the same

1 direction as water flow provides a safer
2 and faster access to water lines in an
3 emergency. Emergency people and equipment
4 can get closer to the trouble area, and
5 water line integrity can be better
6 maintained if the belt air is flowing to
7 the face.

8 Belt inspection, maintenance,
9 and visual detection of hot spots becomes
10 a lot easier if larger volumes of air are
11 flowing through the belt entry. If the
12 belt air is used at the face, it provides
13 an additional intake escapeway.

14 For extended longwall panels
15 with a length of two to three miles, it is
16 a distinct advantage. Such escapeways,
17 when equipped properly with breathable air
18 and lifelines, can considerably improve
19 the chances of a safe exit from these
20 sections, in case of an emergency like a
21 fire.

22 In summary, I'd like to say
23 continued success of underground coal

1 mining depends on safe and efficient
2 mining techniques; for example, longwall
3 mining.

4 I know it can solve longwall
5 mining, entire degasification, and selling
6 insurance in South Dakota.

7 Ground control needs dictate
8 that development sections can have only a
9 limited number of entries; usually, two,
10 three, or four; but no more.

11 Ventilation simulation can show
12 that even with the largest available fans,
13 it would be essential to use all available
14 airways to provide the necessary volumes
15 of air to the longwall faces.

16 Adequate respirable dust
17 control techniques must be used to prevent
18 any dust pick up in the belt entry. Air
19 velocity in belt entries should not exceed
20 1,000 feet per minute, in my opinion.
21 Dust pick up will start around 800 feet
22 per minute if the coal is moist.

23 All belt entries should have a

1 reliable CO Monitoring System. Again,
2 it's just an alarm, a dog barking. You've
3 got to go verify what it is, take a
4 sample, and analyze it. The index I live
5 by and die by is not the CO index.

6 My old friend Don Mitchell used
7 to tell me to watch both. You watch the
8 trend of CO, as well watch the ground
9 ratio. If both are increasing, you've got
10 trouble.

11 All escapeways should be
12 provided with lifelines, and
13 self-contained self rescuers, and
14 breathable air. Needless to say, training
15 is very good for them.

16 So I would say belt air can be
17 and should be used to ventilate working
18 faces because it makes underground coal
19 mining and escape from longwall face fires
20 much safer.

21 Thank you. If there are any
22 questions, I'll be glad to answer them.

23 MS. ZEILER: Thank you very

1 much.

2 The next speaker will be David
3 Decker. He's the General Manager of the
4 Brooks Run Mining Company, a subsidiary of
5 Alpha Natural Resources.

6 MR. DECKER: Good afternoon.
7 My name is Dave Decker. I work with Alpha
8 Natural Resources. On behalf of my
9 company and the National Mining
10 Association, I appreciate the opportunity
11 to address the distinguished panel and
12 provide comments relative to the use of
13 belt air in underground coal mines.

14 I have a couple of tough acts
15 to follow here. Nonetheless, I hope I can
16 make some important points to you. My
17 comments are certainly more general than
18 the previous two presenters you've seen,
19 but I think they are important.

20 Alpha Natural Resources is a
21 relatively new company compared to most in
22 the Eastern United States. We mine on
23 properties that have historically been

1 mined by the more traditional larger
2 mining companies that have since either
3 been acquired by other companies or simply
4 gone out of business.

5 While we are a young company,
6 we are not unlike nearly every other
7 operator in Central Appalachia in that
8 most of us are all mining reserves that
9 are either immediately adjacent to, above,
10 below, in between, and in some cases
11 through old works.

12 That creates a tremendous
13 strain on resources; not just
14 economically, but from the practical
15 aspect of engineering coal mines to
16 successfully mitigate the associated
17 issues that come with that.

18 The ability to use belt air to
19 ventilate our active faces provides one
20 area of flexibility that enhances mining
21 in a mature coal field.

22 For a quick overview, we have
23 operations in Kentucky, Pennsylvania,

1 Virginia, and West Virginia. We mine,
2 prepare, and sell approximately 25 million
3 tons a year by operating 38 deep mines, 27
4 surface mines, and 10 preparation plants.

5 All of our deep mining is room-
6 and-pillar-type mining. We use single and
7 supersection continuous miner fleets using
8 continuous haulage and shuttle cars to
9 transport the coal back to the belt line.

10 Our mining height ranges
11 anywhere from three foot to eight foot;
12 and not all of that is coal, I might add,
13 just to be clear on that.

14 Face ventilation is provided by
15 sweeping air or fishtail-type ventilation
16 schemes by splitting the intake air to
17 either side of the faces. So that depends
18 on the type of face operation. Typically,
19 our operations are outcrop access or drift
20 mines, although we do have some slope and
21 shaft access mines.

22 We use both positive or blowing
23 ventilation pressure and exhausting

1 negative pressure at these mines. Ten of
2 our mines currently use belt air interface
3 to supplement the primary intakes. We
4 have four of these in Pennsylvania, using
5 both continuous haulage and shuttle cars.

6 Continuous haulage, by its very
7 nature, makes it almost impossible not to
8 use belt air in the face. Some of the
9 mines have more than one unit mining in
10 different locations. In one of our mines,
11 Kingwood in Northern West Virginia, has
12 four individual units running full-out
13 supersections.

14 All of these seams, with the
15 exception -- all these mines, with the
16 exception of two of them, are in gassy
17 seams. In order to provide the required
18 volumes to these active faces, we need to
19 use belt air. The inability to do so
20 would render these boundaries uneconomical
21 to recover.

22 When we have mining going on
23 around older works -- and, unlike the

1 previous two speakers, we are closer to
2 the surface -- we need the capability to
3 reduce the number of airways. It's not
4 all just a function of the volume of the
5 air, but sometimes it's mitigating
6 geology.

7 Again, if we were unable to
8 make use of belt air interfaces, we would
9 have to drive the additional airways to
10 overcome the resistance to ventilate. In
11 essence, an additional split. More
12 entries, in turn, creates a Catch-22
13 situation where we start to reach the
14 critical span of the overlying rock
15 strata; and it becomes hard to control the
16 entries.

17 From that aspect, it's not just
18 a matter of having the area in the room to
19 do it, even in lower cover. In many
20 cases, where we have to squeeze in between
21 old works or sometimes in addition to old
22 works, we have to mitigate the undulation,
23 rolls in the seams, and address a pressure

1 bulb from an overlying or an underlying
2 barrier panel that presents problems to
3 us.

4 Again, additional entries
5 become extremely difficult, and they are
6 not without expense when keeping them open
7 out by us. When we get the greater
8 depths, going outby and maintaining all
9 the entries, it's a major problem for us.

10 As some of the presenters
11 coming up next will say, they have some of
12 the similar issues that we have. Again,
13 in younger coal mines, you have numerous
14 inconsistencies in the seam conditions.

15 Roof conditions, problematic
16 outlying, or maintaining more than seven
17 to nine entries, in good conditions, we
18 can do that. Again, that's the exception,
19 not the rule.

20 Belt air allows you more volume
21 pressure for use in the face. Monitoring
22 systems, I don't think there's any doubt
23 that those are impressive tools that we

1 can use in addressing the use of belt air.

2 It allows us to use the air in
3 the face behind the face curtain, instead
4 of trying to balance between all the
5 entries that we would have to drive. With
6 continuous haulage especially, it is
7 extremely difficult to keep the belt air
8 out of the face.

9 In roof issues associated with
10 the greater widths with more entries, if
11 we can use the belt air, we don't have to
12 provide a greater volume. We have more
13 pressure to use at the face, less total
14 pressure, less leakage between our
15 airways, and a better balance.

16 In conjunction with the use of
17 these CO systems, I believe it's a safe
18 way of ventilating coal mines; and it
19 provides a higher pressure and volume
20 where it's needed the most, at the mine
21 face.

22 Thank you for your time. Any
23 questions?

1 DR. MUTMANSKY: Mr. Decker, in
2 a room and pillar mine where you have the
3 options of either using belt air at the
4 face or using other systems, have you ever
5 done an economic analysis of a mine ahead
6 of starting the mine, where you're
7 beginning to plan the mine and you do an
8 analysis where you investigate the costs
9 of the mine throughout its lifetime using
10 belt air at the face with the necessary
11 costs of adding an AMS system to the mine
12 versus a mine where you don't use the belt
13 air at the face but are not required to
14 use an AMS system?

15 MR. DECKER: I'm like the guys
16 from Jim Walters. I think the use of AMS
17 systems is prudent irregardless. I like
18 the notion of being able to monitor things
19 other than CO.

20 Now, we don't have them in all
21 of our operations, of course. To answer
22 your question specifically, I have not;
23 but I lean toward the use of the

1 Monitoring Systems period.

2 DR. WEEKS: I have a question.
3 I think the original thinking behind the
4 prohibition against using belt air to
5 ventilate face is that if there's a fire
6 in the belt, the smoke goes to the face;
7 and belt fires are not uncommon.

8 How do you -- when you go to
9 start using belt air, how do you deal with
10 that particular problem?

11 The AMS system is going to
12 detect fires, but it's certainly not going
13 to prevent them. So, if you've got a fire
14 in the belt and you're using that entry to
15 ventilate the face, what then? How do you
16 deal with that?

17 MR. DECKER: Our outside person
18 would detect an issue from an alarm. We
19 would be in contact with our people
20 underground, and they would go back to the
21 primary escapeway and look over into the
22 beltway and try to determine the cause of
23 the fire. We can access it from the

1 outside and go toward it.

2 If it's not known and the smoke
3 goes to the face, obviously, we would have
4 the same issue. We'd call or communicate
5 with others outside and draw on our people
6 from elsewhere in the mine or at the face
7 to go back at different locations and
8 assess the situation.

9 DR. WEEKS: You know, if the
10 belt entry were not used to ventilate the
11 face and if there's a fire in the belt
12 line --

13 MR. DECKER: Without an AMS?
14 Without an AMS system, you're saying?

15 DR. WEEKS: No. I'm just
16 saying if the belt entry is not used to
17 ventilate the face and there's a fire on
18 the belt. I mean, I think the whole
19 reason behind the prohibition was that you
20 didn't want that smoke to go to the face
21 where the miners are.

22 MR. DECKER: Right.

23 DR. WEEKS: I mean that's

1 another way of preventing the smoke from
2 going to where the miners are.

3 MR. DECKER: It would have to
4 be detected on an inspection that happens
5 throughout the shift and addressed
6 accordingly, based on the location, of
7 course, and the relative positioning of
8 our outby people in the face, wherever it
9 might be closest.

10 MR. ZEILER: Thank you, Dave.

11 Our next speaker is --

12 DR. BRUNE: I have one more
13 question, Dave. If you would, just
14 briefly explain why in the case of a
15 continuous haulage system it is almost
16 impossible to route the belt air away from
17 the face. I think we'd like to hear a
18 little bit more about that.

19 MR. DECKER: You have a breach
20 system that extends from the miner back to
21 right on top of the belt line. As that
22 carrier on top of the belt, the Long John,
23 moves back and forth, it advances up and

1 down and through curtain on a continual
2 basis. It's very difficult to seal that
3 air off.

4 DR. BRUNE: Okay.

5 MS. ZEILER: Our next speaker
6 is Patrick Leedy, the Manager of
7 Engineering for Lone Mountain Processing,
8 Incorporated, a division of Arch Coal.

9 MR. LEEDY: Okay. Good
10 afternoon. My name is Patrick Leedy, and
11 I'm the Manager of Engineering for Lone
12 Mountain Processing, and Lone Mountain is
13 a division of Arch Coal.

14 I'm a graduate of Virginia Tech
15 with a BS in Mining Engineering. I am a
16 Registered Professional Engineer.

17 During my career, I've worked
18 at several coal operations; and several
19 have used belt air. I appreciate the
20 opportunity to stand before this panel
21 today and speak about the use of belt air
22 at Lone Mountain Processing.

23 I wanted to respond, before I

1 start into my presentation, to DR. WEEKS'
2 question to Mr. Decker just a minute ago
3 about the prohibition on belt air.

4 It's my recollection that the
5 belt air prohibition was put into effect
6 before the AMS systems were available or
7 to the point that they are now, and I
8 would think that that was one of the
9 reasons for that prohibition at that time.
10 We didn't have a way to monitor for fires
11 on the belt line, as we do now. Due to
12 that, I think that makes a big difference
13 now.

14 Okay. As I said, Lone Mountain
15 Processing is a division of Arch Coal. We
16 operate three underground coal mines in
17 the State of Kentucky and one preparation
18 plant and rail load out in the State of
19 Virginia.

20 The coal is actually belted up
21 the mountain, through the mountain, and
22 back down the mountain across the state
23 line into Virginia.

1 All three of our mines are
2 continuous miner room-and-pillar-type
3 operations. We basically drive a main
4 line system, and then we develop panels
5 and retrieve those panels off our main
6 lines.

7 We use five sections, and -- we
8 use seven sections total. Five of those
9 sections utilize continuous-haulage bridge
10 systems. They are generally mined at a
11 height of about five feet.

12 Our other two sections utilize
13 shuttle-car haulage, and they're generally
14 a height of about 15 feet. You can see
15 that on the slides here.

16 We have an employment of around
17 375 people, and we draw employees from the
18 areas of Eastern Kentucky, Southwest
19 Virginia, and East Tennessee.

20 We are a multi-seam operation.
21 As you can see on the lithologic section
22 that's shown on the slide, we mine in the
23 all Owl, the Darby and the Kellioka coal

1 seams.

2 As you can see on the slide,
3 the Owl seam is located quite a ways down
4 in the lithologic column of the area we're
5 located. You've got the Owl seam here,
6 and then about 50 feet below that, we've
7 got the Darby seam. Another 50 feet below
8 that, we've got the Kellioka seam.

9 There's mining in all three of
10 those seams, plus the Harlan seam, which
11 is shown below that. That's been mined in
12 a lot of places in the area.

13 The Darby Fork Mine, which is
14 our mine, is operating in the Darby seam.
15 Out Huff Creek Mine is operating in the
16 Kellioka seam. The Clover Fork Mine is
17 operating in the Owl and Darby seams
18 combined.

19 That's an area where our Owl
20 and Darby come together. Generally,
21 they're 50 feet apart; but, in that area,
22 they come together to make the coal seam
23 that I mentioned that was about 15 feet in

1 height.

2 Then, we have a neighboring
3 company that's not part of our company.
4 They are a neighboring company, and they
5 operate in the Owl seam. They are on top
6 of our mines.

7 If you will look at the next
8 slide, you can see the mine layout that's
9 shown on the map here. What's in the blue
10 is our neighboring company, the company
11 that neighbors us. They're operating in
12 the Owl seam in the northern part of our
13 reserve area.

14 Our Darby Fork Mine is shown in
15 the red colored workings, and the Huff
16 Creek Mine, operating in the Kellioka
17 seam, is in the gray and black workings
18 that you can see. That's on the bottom.
19 Down in this area, is our Clover Fork
20 Mine, and it's operating in the Owl and
21 Darby seam.

22 You can see how all the
23 workings are stacked one on top of the

1 other, especially in the panels. You can
2 see across there, there, and there. We've
3 actually got three coal seams with
4 workings stacked one above the other.

5 So our layout is constrained by
6 previous mining. Whatever has been
7 previously mined and whatever is mined
8 now, the mining underneath or above that
9 is going to have to follow the same
10 pattern.

11 Our typical method of mining is
12 to drill five-entry panels with full
13 length, and we recover the pillars during
14 retreat mining. You can see, in this more
15 detailed look at the maps, the upper seam.

16 I think this is probably where
17 the Owl seam was mined up and retreated
18 back, and then the Darby has followed it
19 up and then retreated back. Then, the
20 Kellioka, at a later date, will follow
21 underneath that.

22 Those are separated by a
23 barrier pillar. The barrier pillar,

1 that's an area where you can have sever
2 stresses. For the panels above and below,
3 you have to stay within the subsiding
4 shadow of those panels; or you're going to
5 risk some pretty severe stresses out in
6 those barriers.

7 Let's talk about ventilation
8 constraints. Both our Darby Fork and Huff
9 Creek Mines typically employ a five-entry
10 layout, as shown. When possible, we use
11 return on each side of the section, as you
12 can see here and here.

13 Then, we have a belt line, of
14 course. Then, we run an entry that is
15 common to the belt line. That's used for
16 our roadway. We use rubber tire diesel,
17 man trips, and then we use one single
18 intake entry.

19 Why do we have to have the
20 roadway in a separate entry from the belt?
21 Well, the biggest reason is because we use
22 continuous-haulage bridge systems where
23 the haulage system comes out of the base

1 and connects to the tail end of the
2 conveyor belt; and there's no room to get
3 the man trips by there. So that's the
4 biggest reason that we have to use a
5 separate roadway for the belt entry.

6 Another reason is for supply
7 storage, other things such as that, which
8 we need to store in the neutral entry
9 there, the neutral belt entry. So, for
10 those reasons, we have to -- we're limited
11 to really only one intake entry.

12 DR. TIEN: Did you say you use
13 continuous haulage?

14 MR. LEEDY: Yes.

15 DR. TIEN: Is the entry
16 crosscut from 45 degrees?

17 MR. LEEDY: They are in 45s,
18 yes. That's just a typical layout that's
19 shown. Typically, we do mine a 45.

20 We do mine 90, at times; but,
21 generally, it's a 70-degree crosscut.

22 Okay. As I've already said,
23 the bridge sets only allows for one entry

1 for intake air using the five-entry
2 system.

3 At our Darby Fork Mine, again,
4 in the Darby seam. I mentioned we have
5 the Owl seam up above, and then the Darby,
6 and then the Kellioka seam.

7 The Darby generally has several
8 areas that have sandstone very close to
9 the coal, plus it's operating in cover --
10 depths of cover as great as 1,500 to 2,000
11 feet. So it's prone to bumps in certain
12 areas. You can see that on this map that
13 I've shown.

14 We tried a six-entry system
15 back in 2003 and had a severe bump in this
16 location. One of the reasons that --
17 during the investigation, one of the
18 reasons that was attributed to the bump
19 was the width of the panel. So, for that
20 reason, we limit the panel width to five
21 entries.

22 Can we increase the number of
23 entries? We don't feel we can and keep

1 bump control where it needs to be.

2 Also, in our Darby Fork Mine,
3 we have a history of areas that contain
4 sandstone roof and in the coal seams in
5 several other places where we have limited
6 thickness of the seam.

7 The seam in those areas may be
8 reduced from -- a normal seam height is,
9 say, 50 inches or so. It may be reduced
10 to 24 inches of thickness. It's very hard
11 to cut the roof for it. A lot of times
12 you'll have real hard floors to go along
13 with that.

14 As you can see on the map in
15 these red and yellow areas through here,
16 we have some low coal and sandstone here,
17 through here, and down in this area. What
18 does that do? That lowers the mining
19 course and causes additional resistance to
20 our ventilation system.

21 Okay. At our Huff Creek Mine,
22 as I said previously, each of these seams
23 must remain in the footprint of the other.

1 So Huff Creek has got to remain in the
2 footprint of the overlying Darby workings.
3 Again, this necessitates using a
4 five-entry layout.

5 Also, at Huff Creek, they have
6 a large area of sealed works. Oftentimes,
7 we must skirt around those existing old
8 works while staying in the footprint of
9 the Darby seam. So this created areas
10 where we may only have three entries or
11 four entries, and it's caused some
12 bottlenecks in our ventilation system.

13 There's a couple of examples
14 here. You can see where we've got a
15 three- entry system. Here's four entries
16 here. This is actually our main line
17 system that we're using for the section
18 that comes up and out.

19 As you can see there, it goes
20 back to the working station. So, with
21 those three entries, we are very
22 constrained there.

23 There are additional

1 restrictions on both the Huff Creek and
2 the Darby Fork Mines. They've been in
3 operation since the early '90s. I think
4 they started in 1991. Their working
5 sections are deep. They are four to five
6 miles from the slopes and shafts.

7 This entry length that you're
8 going to have from the slopes and shafts
9 further adds to the ventilation
10 resistance.

11 Just a quick summary of some of
12 these constraints we've had. We've had
13 mining within the footprint of a previous
14 mine. We only had one entry available for
15 intake in a five-entry system. Bump
16 prevention does not allow for widening of
17 our panels. Reduced coal thickness and
18 sandstone roofs are in the Darby seam.

19 A lot of times, we have to
20 skirt around old works while staying
21 within the shadow of previous mining; and,
22 as I just said, there's also distance that
23 we've mined underground away from the

1 slopes and shafts.

2 So what do we do to have enough
3 ventilation to ventilate the sections?

4 We're using belt air at those two mines,
5 at Darby Fork and Huff Creek. By this use
6 of belt air, again, we provide additional
7 entries; and those entries, in turn,
8 provide higher volumes of air at the
9 working face.

10 What's the key to using belt
11 air safely? We feel that fire prevention
12 and preparedness is a big key to using
13 belt air and using it in a safe manner.

14 Number one, we make sure that
15 -- well, we have a CO system, of course, a
16 CO Monitoring System. It remains
17 operational during -- continually each
18 shift. It's installed along the belt line
19 of each mine.

20 We have, of course, an operator
21 that monitors that outside. The operator
22 can communicate with the sections any time
23 there's an alarm that needs attention.

1 We do preshift and on-shift
2 examinations of all our belt lines.
3 Again, that's each shift. Those are going
4 to identify any areas of concern, any
5 hazardous conditions that we may have
6 along the belt lines.

7 We have fire suppression
8 systems at each drive. Again, those are
9 heat activated to where they will
10 automatically make a -- they are fire
11 deluge systems. So they are going to try
12 to put out the fire at the first sign of
13 heat that activates those.

14 We have fire fighting boxes
15 where -- those are located at each belt
16 drive. The hoses are connected with
17 nozzles on the end. All we have to do is
18 pull them out of the box and hook them up
19 to the water line, and they're ready for
20 someone to fight a fire.

21 We, of course, perform regular
22 servicing of our drives or take-ups and
23 head and tail pulleys. That's keeping our

1 areas clean of dust, oil, grease build up,
2 and helps prevent any bearing failures
3 that would possibly cause heating. Of
4 course, if we have coal spills, we
5 promptly clean those up.

6 So, again, we feel like
7 preventing a fire and being prepared for a
8 lot of the fires is certainly a key in the
9 safe use of belt air.

10 Something I didn't list on here
11 but something that we also do is our
12 safety drills with our section crews. We,
13 of course, practice fire fighting, but
14 also evacuation drills in case there was a
15 fire. So we do have evacuation drills
16 with the crews to show what to do in case
17 there was a fire in the belt line.

18 I mentioned that Darby Fork and
19 Huff Creek do use belt air, but we also
20 have the Clover Fork Mine, and it does not
21 use belt air. As I've already said, it's
22 got a mining height of about 15 feet; and
23 it's mining faces are not that deep.

1 We haven't had the need to use
2 belt air at that mine. So we don't use it
3 there.

4 Are there any alternatives to
5 belt air? I was thinking of a couple of
6 things and wondering if we could do these.
7 One is upgrade our main fan. Each one our
8 mines are ventilated by an eight-foot
9 Jeffrey fan that's powered by a 500
10 horsepower motor.

11 A fan upgrade would supply more
12 air at the source. The problem is
13 delivering it to the working sections.

14 What are some obstacles we
15 would have? Number one, the distance
16 underground to the working face. Number
17 two, numerous stoppings, overcasts, and
18 the associated leakage with that. Number
19 three, a limited number of entries.
20 Number four, limited entry height in areas
21 where we've got sandstone. Number five,
22 stoppings at the shaft or slope bottom
23 that may not withstand the increased

1 ventilation pressure.

2 What about additional air
3 shafts? Someone could say "Add some air
4 shafts to the back of your property."
5 Much of our cover is 1,500 to 2,000 feet.
6 So that's a very deep area to install
7 additional shafts.

8 Much of the surface is very
9 remotely located to put -- say, if we put
10 a fan there, it would be very difficult to
11 get electrical power to that. Due to our
12 ever changing seam conditions and
13 uncertainty of mining two certain areas,
14 preselecting a shaft location is very
15 difficult.

16 Okay. In summary, belt air has
17 been used successfully to help ventilate
18 the working faces of the Darby Fork and
19 Huff Creek Mines. We know of no other
20 viable alternative that exists to supply
21 ample air to the section.

22 Through the use of a CO
23 Monitoring System and the other fire

1 prevention measures that I outlined, the
2 welfare of our personnel are protected.
3 So we highly recommend that belt air
4 continue to be available to ventilate
5 working faces.

6 I will be glad to take any
7 questions.

8 DR. BRUNE: In your schematic,
9 you have two entries common with the belt;
10 the belt entry, what you called neutral,
11 and only one entry isolated intake.

12 How do you manage to keep the
13 isolated intake pressurized over the belt
14 to avoid or to prevent the belt that's
15 contaminated with smoke from migrating to
16 the intake?

17 MR. LEEDY: We do have doors
18 that we have to install along our belt
19 line from place to place, you know, as
20 need be. To keep that from happening,
21 we'll put a door there to slow down the
22 air going to that.

23 DR. BRUNE: Okay. So you do

1 introduce additional resistance in the
2 belt entries?

3 MR. LEEDY: That is correct,
4 yes.

5 DR. TIEN: Is there a reason
6 you use fishtail as opposed to --

7 MR. LEEDY: We do that
8 sometimes. Using the continuous haulage,
9 our ventilation is much more effective
10 using the fishtail ventilation, as far as
11 dust control goes.

12 Also, for our roof boulders,
13 the dust control is much for effective for
14 our roof boulder operations using the
15 fishtail ventilation.

16 There are areas where we do
17 have to use the sweep ventilation, from
18 intake coming up the right side and return
19 coming down the left side, generally.

20 DR. TIEN: Even with an
21 additional set of stopping lines?

22 MR. LEEDY: With additional set
23 of stopping lines?

1 DR. TIEN: Yes. To use the
2 fishtail, you've got return on both sides.
3 To isolate the belt and track, it looks
4 like you have --

5 MR. LEEDY: I'm not sure I
6 follow what you're saying.

7 DR. TIEN: You have this set of
8 stops here. I'm talking about with the
9 fishtail, you have an additional set of
10 stoppings. Do you think it's worth the
11 additional cost?

12 MR. LEEDY: Right. The
13 fishtail does require another stopping
14 line, exactly. Right. We do feel like
15 it's beneficial to do that.

16 DR. MUTMANSKY: Are you using
17 the continuous haulage system, even in the
18 high coal mine that you have, whatever the
19 name of that one is?

20 MR. LEEDY: No. In the high
21 coal mine, we have three sections in it.
22 Two of the sections -- two of the sections
23 are high coal, and the other section is in

1 the lower seam only as the seams split
2 apart. We're using the continuous haulage
3 on the low section and the shuttle cars on
4 the two sections.

5 Any other questions?

6 DR. WEEKS: I want to get
7 around to responding to what you said at
8 the outset of your comments. I think it's
9 a very useful discussion to have, and I
10 have a couple more specific questions for
11 you.

12 To start, at the Darby Fork
13 Mine, you said that limiting the panel
14 would help to control the occurrence of
15 bumps. This is an issue that a lot of
16 operators in Utah raised, as well.

17 It makes sense, frankly; but
18 it's not convincing because there's really
19 insufficient detail. There's no data kept
20 on bumps, when a bump occurs.

21 I just wondered if you have
22 data, like "We did it this way, and we've
23 got so many bumps. We did it that, and we

1 got so many bumps."

2 It would simply be much more
3 convincing if you have some real
4 information about what the concrete
5 improvements were doing it one way versus
6 another, in terms of these bumps. I think
7 that was the problem with the operators in
8 Utah, as well.

9 Do you have any more detail on
10 that? Do you keep records on that sort of
11 thing? Is that stuff that you could share
12 with us?

13 MR. LEEDY: No. I really don't
14 have any records specifically that would
15 show that; but I will say that in the
16 investigation, the resulting -- you know,
17 in the conclusions from the investigation.
18 I guess these were investigations done by
19 both consultants that we had hired plus
20 MSHA Tech Supporters.

21 I think the modeling that they
22 did showed that the increased width did
23 contribute to the bump. They ran the

1 models using -- I forget the name of the
2 simulation program that they used to model
3 that.

4 DR. WEEKS: Was that Agapito?

5 MR. LEEDY: No. There was
6 another one we consulted with.

7 MR. MUCHO: Jim, let me comment
8 on the bump statistics. There is a bump
9 database with statistics that was put
10 together by NIOSH that's available. We
11 can get that for you. That was kept over
12 statistics kept on the bumps that occurred
13 over the years.

14 The key points from that have
15 been researched by a number of people; and
16 conclusions were reached as to the impact
17 of overburden, impact of strong strata,
18 the interactions of a number of those
19 factors.

20 So there's a quite a library of
21 research, really, which has ended because
22 we developed mine designs that have fairly
23 well addressed these issues in the United

1 States. It's not the issue that it once
2 was, but we can get a lot of that data
3 research and so forth along with the bump
4 database information.

5 DR. WEEKS: Some of the
6 information that we saw in Utah was
7 modeling data, which is one -- it's one
8 source of information.

9 The other is real data, which
10 is the actual occurrence of these events
11 in the field. If the database is real
12 events, that would be quite useful to see
13 that and see that in relationship to
14 different methods of mining.

15 If it's modeling data -- well,
16 as I said then, if that's the best we've
17 got, that the best we've got. That's
18 simply not the same.

19 MR. MUCHO: That was the
20 original approach, really, was to use the
21 empirical data, Jim. We found that
22 generally bumps don't occur at
23 overburdened depths of less than 1,000

1 feet or, 1,300 sometimes. We started to
2 see the impact of the strong strata and
3 how that impacted bumps, how the two
4 interacted together.

5 So that was the original
6 approach, and really modeling and those
7 kinds of approaches have been more recent
8 looks to kind of verify a lot of the
9 empirical looks that were done early on.

10 DR. WEEKS: Well, yeah. Okay.
11 I'd like to get that data, if you can put
12 your hands on it, Tom.

13 MR. MUCHO: We can get NIOSH to
14 supply that data. So Linda ends up with
15 that assignment.

16 DR. WEEKS: The other question
17 I had was from your discussion of fire
18 prevention preparedness.

19 Have you considered using belt
20 material that is more resistant to burning
21 than the material that is currently used
22 as a method of fire prevention?

23 MR. LEEDY: I would -- I'm not

1 sure about the answer to that question. I
2 think we would certainly consider it if
3 the strength characteristics of the belt
4 was up to where the current belt we use
5 now is. If we can get a stronger belt
6 that had higher fire resistance, I'm sure
7 that's something that we'd consider.

8 DR. WEEKS: Right. That's what
9 the other folks at Jim Walter said. I
10 certainly agree with that. It would have
11 to be able to conform; but, in order to
12 prevent belt fires, it would be useful to
13 have belts that didn't burn.

14 MR. LEEDY: I agree.

15 DR. WEEKS: Let me go back to
16 the comments that you made at the
17 beginning. Let me just pursue this.

18 As I mentioned before, the
19 original reason for prohibiting the use of
20 belt air was to prevent fire and smoke
21 from going to the face. You said that was
22 before AMS systems came along. That's
23 certainly true. I think the AMS system is

1 definitely a step forward in mine safety.

2 The question is: Does it
3 prevent smoke from going to the face?

4 Does it, in fact, prevent belt fires?

5 There's very little evidence that it does.

6 In fact, if we look at the frequency of
7 belt fires over the past 20 years, it's
8 virtually unchanged.

9 So whatever is being done to
10 prevent belt fires, whether it's this list
11 of things that you mentioned or belt
12 material or AMS systems or whatever, it
13 doesn't appear to have much impact upon
14 the occurrence of belt fires.

15 So that's just a problem, if
16 we're going to prevent fires rather than
17 merely detect them. When I was talking
18 about occurrence of reportable fires; that
19 is, 30 minutes or more, there is very
20 little reliable information about fires
21 that are not reportable, primarily because
22 they're not reported.

23 So I don't see the solution to

1 that problem, and I don't see what the AMS
2 system does to -- it doesn't appear to
3 have much affect on the occurrence of belt
4 fires.

5 MR. LEEDY: It should provide
6 early warning.

7 DR. WEEKS: Right.

8 MR. LEEDY: By doing so, the
9 section crew would be contacted to
10 evacuate; and then they evacuate out the
11 primary escapeway.

12 DR. WEEKS: But what do you
13 view as early warning? If a fire burns
14 for 30 minutes, and thereby becomes
15 reportable, surely we can do better than
16 wait 30 minutes before -- you know what I
17 mean? It's a problem.

18 MR. LEEDY: I guess if the CO
19 is -- I would think CO is the main
20 concern, as far as injury or fatalities
21 for smoke coming up on the section. As
22 we've heard previously, those CO detectors
23 are going to detect even minute levels

1 very quickly.

2 DR. WEEKS: Considering that is
3 the case, then early detection should lead
4 to early control.

5 MR. LEEDY: Right.

6 DR. WEEKS: It doesn't seem to
7 have worked.

8 MR. LEEDY: I don't know why
9 that would be. I don't think that would
10 be the case at our mines.

11 DR. WEEKS: Maybe a closer
12 examination of the data on the belt fires
13 over the past several years would reveal
14 more about why that they occur; but, if
15 we're going to use belt air and the
16 expectation is that we're going to prevent
17 belt fires by early detection, I don't see
18 it happening. I don't quite know what to
19 do about it.

20 One thing to do about it is to
21 improve standards of belt materials so
22 that they don't burn.

23 MR. LEEDY: And then doing your

1 maintenance along the belt system. That
2 will allow -- doing the maintenance will
3 allow bearings to run hot and will keep
4 the spills cleaned up and that kind of
5 thing.

6 DR. WEEKS: But maintenance is
7 obviously a key issue, and it's required
8 now regardless whether there's belt air or
9 anything else.

10 MR. LEEDY: Right.

11 DR. WEEKS: It's like --
12 maintenance is like motherhood. You
13 should love your mother. You should
14 maintain your mine. The point is
15 everybody pays lip service to it, but
16 there are a few mine operators that don't.
17 It just creates a problem for the whole
18 industry.

19 DR. TIEN: Jim, I'm just
20 wondering if it is true that the number of
21 fires -- the frequency over the past 20
22 years remains relatively similar; but, if
23 you look at the coal production, it has

1 actually doubled or at least increased
2 dramatically.

3 So, as for performance, are we
4 doing better; or are we doing just as bad?

5 DR. WEEKS: I think we're
6 doing the same. I don't think the coal
7 production is a useful denominator in this
8 particular instance.

9 DR. TIEN: Well, if the coal
10 production has doubled or whatever the
11 percentage of increase is, you must have
12 increased that many activities of that.
13 If there is a constant number of fires --
14 I'm just wondering and thinking in that
15 direction.

16 DR. WEEKS: Let me be specific.
17 It's not the number of fires. It's the
18 number of mines per thousand mines because
19 the number of mines has gone down.

20 The straight number of fires
21 has gone down, but so has the number of
22 mines. So, if you calculate that in terms
23 of the number of fires per thousand mines,

1 it's about constant.

2 The best way to do it would be
3 the number of fires per miles of belt.
4 You could get more sophisticated or
5 however you want, but, you know.

6 DR. TIEN: Well, that's right,
7 per mine. Our mine is getting bigger,
8 too. It used to be a mile-long mine. Now,
9 it's a five-mile long mine.

10 DR. MUTMANSKY: May I suggest
11 to the Panel Members, that that's a good
12 topic to take up in subcommittee in
13 upcoming weeks.

14 It's basically a philosophical
15 question. It's a good question to bring.
16 It's a good thing to study and take a look
17 at, but maybe we should let Patrick off
18 the hook on this one because it's
19 something we have to decide.

20 MR. LEEDY: We do have several
21 other speakers.

22 MR. MUTMANSKY: In that case,
23 we probably should move on. Thank you

1 very much.

2 MS. ZEILER: Our next speaker
3 is Greg Dotson, Mine Manager at Mingo
4 Logan Coal Company of Arch Coal.

5 MR. DOTSON: Good afternoon
6 ladies and gentlemen, Member of the Panel.
7 I appreciate the opportunity to come and
8 provide some comments related to the topic
9 of belt air in the face.

10 When I sat down and looked at
11 what I was going to present today, I sat
12 down and decided there were three major
13 topics that I wanted to touch on that I
14 thought would be significantly improved by
15 using belt air in the face. Those are:
16 The overall mine ventilation, the roof
17 control, and the belt inspection and
18 maintenance.

19 When we're talking about the
20 overall mine ventilation system, we're
21 talking about how much air is actually
22 being delivered by the belt entry, which
23 is limited by more air being directed to

1 the working face by the intake, which is
2 pretty much what this is.

3 Also, the belt entry is not
4 used as a primary escapeway in the mine.
5 So that affords two opportunities. Your
6 belt entry can be used as an escapeway, as
7 well as a primary escapeway.

8 In addition, I believe that the
9 use of belt air for face ventilation
10 results in a more efficient ventilation
11 system, as well as giving you additional
12 methane dilution in the mine.

13 We talked a little bit about
14 carbon monoxide monitoring and atmospheric
15 monitoring. I think everybody here in the
16 room agrees that there is an added benefit
17 to using AMS systems.

18 That gives you an opportunity
19 to detect carbon monoxide, methane, and
20 other harmful poisonous gases, as well as
21 giving you an opportunity to get early
22 detection in case there is some type of
23 thermal event or obstacle or issue in your

1 belt entry.

2 In addition, there's something
3 that I skipped right here. Utilizing belt
4 air for face ventilation does add
5 additional fresh air to the intake of your
6 actual working face, rather than diverting
7 it to the return. So that's air that you
8 can use to render harmless and sweep away
9 harmful gases and dust.

10 Back to the atmospheric
11 monitoring. We utilize atmospheric
12 monitoring at the Mountaineer II Mine. We
13 have trained qualified personnel at our
14 operation. They are there 24 hours a day,
15 seven days a week.

16 We also have audible and visual
17 devices on the working section to advise
18 our workers in case there is some type of
19 event that they need to be notified of.
20 Again, that's back to the early detection.

21 Also, their AMS system monitors
22 our intake airways. Again, it gives an
23 opportunity to have early detection.

1 In summary, as far as our
2 overall ventilation, I think the usage of
3 belt air in the face does a couple of
4 things for us. It gives us additional air
5 to help dilute the methane and harmful
6 gases and things like that; and it
7 enhances our ventilation system.

8 As far as roof control, the
9 first thing I want to talk about is that
10 as our coal reserves are being depleted,
11 the industry is continuously having to tap
12 into reserves that have more geologic
13 challenges.

14 That could include things like
15 deeper cover, overmining, undermining,
16 rider seams, weaker floor, weaker roof,
17 and a lot of other different issues. In
18 doing so, one of the major ways to combat
19 these geologic challenges is to minimize
20 the number of entries and increase the
21 pillar and narrow the entry widths.

22 In doing that, it becomes very
23 necessary to utilize belt air so that you

1 can achieve the required volumes to dilute
2 the methane and sweep away harmful gases
3 and sweep away the dust.

4 This is a typical geologic
5 cross section at the Mountaineer II Mine.
6 We intend on mining this seam, which is
7 the Cedar Grove seam, as well as this
8 mixture of seams, which is the Alma seam.

9 The inner burden between these
10 two seams is approximately 35 feet. In
11 areas where second mining is going to be
12 conducted, longwall mining, remnant
13 pillars are going to be left, barriers are
14 going to be left, and things like that.

15 It becomes essential to
16 minimize the number of entries while
17 you're developing under the remnant pillar
18 barriers to sustain the roof in this seam.
19 Not only that, you can see this is kind of
20 a hodgepodge of splits of the Alma. It's
21 the Alma 1, 2, 3, 4, all the way down to
22 the Alma 6.

23 The seam that we are

1 predominantly mining or the split that we
2 are predominantly mining is the Alma 2
3 through Alma 4. So you can see we've got
4 a rider seam that pretty much continuously
5 lays over our reserve, as well as a hanger
6 seam underneath us.

7 In areas where we've got low
8 cover or extremely high cover, it's
9 essential to build a narrow entry and take
10 as few entries as possible to maintain
11 adequate roof control and to minimize
12 floor (inaudible.)

13 In addition, as far as roof
14 control, without the use of the belt air
15 for face ventilation, additional overcasts
16 and additional rockwork would have to be
17 required to sustain our ventilation
18 system.

19 We believe that that increases
20 the exposure of our employees to hazards
21 related to excavations, highs, overcasts,
22 and explosives.

23 Now, I'll talk about belt

1 inspection and maintenance. In a lot of
2 mines, the belt entry is often common with
3 the track entry when belt air is used for
4 intake face ventilation. This allows easy
5 access for inspections, detection of
6 problems, cleaning, maintenance, rock
7 dust, and things that we know that we need
8 to do.

9 Without this being common with
10 our other entries, this practice could be
11 compromised and could make maintaining the
12 system more difficult; and we think it's
13 the right thing to do. We want to
14 maintain our system, and we believe that
15 prevention is the correct way to combat
16 issues with belt air.

17 In addition, we've talked about
18 our Atmospheric Monitoring Systems that
19 can monitor for a number of events. Well,
20 there's also another system of monitoring
21 that we believe is your sight, your sound,
22 and your smell.

23 If you're traveling in an

1 entry -- our belt entry is in the number
2 four entry. Our track entry and hallway
3 is an adjacent entry. You can see that
4 there's no stoppage in between it.

5 As you travel in and out of the
6 mine every day, you have an opportunity to
7 use those three basic senses. You use
8 your sight. You can look right at the
9 belt, and can see if there's an
10 accumulation of float dust or debris
11 underneath the belt that needs to be
12 cleaned.

13 You have an opportunity to use
14 your ears to hear if there's a roller
15 stuck or if the shell on a roller has
16 been damaged or deteriorated, and you can
17 smell to see if there is some type of
18 event occurring up there.

19 So, without the utilization of
20 belt air in the face and keeping these
21 entries common, that would be compromised.
22 Again, we believe that that is a necessary
23 means of early detection.

1 Everybody in the coal mine
2 travels in and out this same travel way.
3 They travel adjacent to our belt entry.
4 So everybody that goes in and out of the
5 mine has an opportunity to use those three
6 things, regardless of the AMS system.

7 Again, I've been going in and
8 out of the mines; and I've heard belt
9 rollers that have sweeping, shells that
10 have been shattered. You get down in the
11 mine and shut the belt down because we've
12 got a problem, and it happens on a routine
13 basis. There's also fire to the belt
14 without knowledge, if this entry is
15 isolated.

16 This also shows our typical
17 ventilation, and these yellow dots here --
18 I think you can see them pretty well on
19 your hard copy -- shows where we do
20 Atmospheric Monitoring along our belt
21 system. As you can see, a lot of these
22 are redone.

23 We've got an inby and an outby

1 at our belt heads. We've got them along
2 our drives and power centers. We've got
3 them along our intake course and up the
4 required 1,000 feet along our belt and
5 intake.

6 So there's a lot of monitoring
7 that goes on throughout our system to give
8 early warning. We believe that
9 Atmospheric Monitoring maintenance and
10 inspection and it being common with our
11 travelway where people can see, hear, and
12 smell it every day is the best means to
13 prevent any issues with your belt entry.

14 This is kind of what it would
15 look like without belt air. Again, a
16 numerous amount of stopping lines would
17 have to be constructed, as well as
18 additional overcasting in this area.

19 What you would have to do for
20 people traveling in and out of this mine
21 that no longer get an opportunity to look
22 at that is that you would have to rely
23 solely on atmospheric monitoring or one

1 person traveling in and out this beltway,
2 one per shift, during your preshift and
3 on-shift examinations. So you're limiting
4 it to one person's opinions versus
5 everybody traveling in and out of the coal
6 mine.

7 Last but not least,
8 miscellaneous topics. Just to reiterate
9 some of the things that you've heard
10 earlier on today, the engineering
11 development in most mines has already been
12 done.

13 It's the same as what we've
14 done at the Mountaineer II Mine. We sat
15 down and did an evaluation. How do we
16 want to design this mine? In how many
17 entries do we want the belt in our mine?
18 All those things were considered.

19 We were fortunate enough early
20 on to be able to design our mine so that
21 we could utilize belt air in the face
22 based on the previous regulations.

23 Most mines are considerably

1 deeper than what we are and have design
2 systems based on the same premise that
3 they were allowed to use belt air in the
4 face. If that was to be changed abruptly,
5 it could significantly impact their
6 operations to the point to where they
7 could possible be shut down temporarily.

8 So, in conclusion, I think that
9 I promote belt air in the face. I think
10 it can be done safely. I think it can be
11 done with early detection. I think it can
12 be done with good maintenance and
13 prevention. Again, my ultimate focal
14 point is prevention.

15 So I appreciate the opportunity
16 again to provide comments, and I'm here to
17 answer any questions.

18 DR. TIEN: I'm sorry, I didn't
19 get your name.

20 MR. DOTSON: Greg Dotson.

21 Thank you very much.

22 MS. ZEILER: Our next speaker
23 is Bill Olsen. He is the Director of

1 Safety for Mountain Coal, also Arch Coal.

2 MR. OLSEN: On behalf of
3 Mountain Coal Company, I'd like to thank
4 the Panel for the opportunity to provide
5 comments related to the use of belt air to
6 ventilate working faces in underground
7 coal mines.

8 Mountain Coal Company is a
9 subsidiary of Arch Western Bituminous
10 Group, which is a subsidiary of Arch Coal,
11 Inc.

12 My name is Bill Olsen, and I'm
13 the Safety Director at Mountain Coal
14 Company's West Elk Mine in Somerset,
15 Colorado.

16 In addition to my comments,
17 Mountain Coal Company supports the
18 previous and post comments from the
19 National Mining Association, Colorado
20 Mining Association, Utah Coal Operators,
21 and the Alabama Coal Association and their
22 related companies.

23 The West Elk Mine faces many

1 geological challenges, specifically deep
2 cover, high horizontal stress, faults,
3 spars, and multi-seam mining. Based on
4 the current mine plan, cover will reach
5 depths of 2,300 feet.

6 Horizontal stress reaches
7 approximately 3,500 PSI. Fault
8 displacement ranges up to 2,300 feet,
9 which also serve as conduits for increased
10 methane and water inflows.

11 Rock spar, typically composed
12 of sandstone, ranges in thickness from
13 several inches to eight feet thick with a
14 hardness of approximately 200 feet of
15 interburden between the active seams.

16 Two of the most difficult
17 challenges at West Elk are related to
18 maintaining methane concentrations at
19 acceptable levels, and reducing the
20 potential for spontaneous combustion
21 throughout the mines.

22 For the methane history of the
23 mine, room and pillar mining began in the

1 F-Seam, the upper most mineable seam, in
2 1982. Fortunately, we did not encounter
3 any methane. In fact, it was rare to
4 detect even 0.1 percent.

5 In 1992, when longwall mining
6 began in the B-Seam, the lower most
7 mineable seam, we encountered large
8 quantities of methane. The majority of
9 the methane was stored in the roof rock
10 and was liberated by caving on the
11 longwall.

12 Methane in the continuous miner
13 sections was typically associated with the
14 faults and spars that we frequently
15 encounter. As mining progressed in the
16 B-Seam, methane liberation exceeded
17 1,000,000 cubic feet per day, putting us
18 on MSHA's five-day spot inspection program
19 in September of 2001.

20 With the increased methane
21 liberations in the working sections,
22 Mountain Coal Company filed a Petition for
23 Modification to allow the use of belt air

1 to ventilate working faces in May of 1990.
2 The primary purpose for filing the
3 Petition was to provide an increased air
4 volume to the working face, thereby safely
5 diluting the methane encountered as well
6 as respirable dust and diesel emissions in
7 the section.

8 MSHA approved the Petition for
9 Modification in May, 1991 and the Petition
10 was implemented in the continuous miner
11 sections and the longwall section in June
12 of 1992. The stipulations in the Petition
13 were fairly close to the requirements of
14 the current belt air regulations published
15 in June of 2004.

16 Using VNET PC for modeling our
17 ventilation system over the past several
18 years, we compared predicted air volumes
19 in the working sections, both with and
20 without the use of belt air. In a typical
21 three-entry longwall headgate, the volume
22 of air provided to the working face is
23 increased by nearly 30 percent when belt

1 air is utilized to ventilate the working
2 section.

3 In mines with elevated methane
4 liberation, the additional air provided in
5 the belt entry is absolutely necessary for
6 methane dilution purposes.

7 We have continuously and safely
8 utilized belt air in every working section
9 since implementation in 1992. Through a
10 combination of vertical degasification
11 holes and a high volume mine ventilation
12 system, we have been able to safely
13 control a methane liberation of between 10
14 and 20 million cubic feet per day.

15 Without the use of belt air to
16 the working sections, we would have
17 struggled to maintain methane
18 concentrations within the legal limits.
19 From this aspect alone, the use of belt
20 air has actually enhanced miner safety in
21 the working sections.

22 In regards to dust generated in
23 the belt entry, Mountain Coal Company

1 agrees with a previous statement made by
2 NIOSH when they provided input on MSHA's
3 proposed rule on belt air that stated:
4 "The use of belt air may have a positive
5 effect on reducing dust levels in the face
6 area."

7 In reviewing MSHA's database on
8 valid operator respirable dust samples
9 that are required to be submitted for
10 designated areas at the section loading
11 points due to the use of belt air, the
12 database indicates 173 samples were
13 submitted by the West Elk Mine from
14 January 1, 2000 to May 18th, 2007.

15 I have provided tables for the
16 sample results. Seven of the initial
17 samples required additional sampling due
18 to exceeding the 1.0 milligrams per
19 million standard.

20 The average of all five
21 subsequent samples for each sampling
22 location was in compliance with the 1.0
23 milligram per million standard. When

1 reviewing the samples above the 1.0
2 milligram per million sample, several were
3 attributed to a damaged transfer point
4 that has since been replaced.

5 Several of the samples were
6 also the result of the belt entry being
7 rock dusted. This has also been corrected
8 by modifying the shift schedule to allow
9 rock dusting of the conveyor belts between
10 shifts.

11 In reviewing MSHA's database on
12 samples collected at the section loading
13 points by MSHA, 97 samples were collected
14 during the same time frames. Grouping of
15 MSHA sample results is indicated in the
16 second table on page two of the document I
17 have provided to the Panel.

18 In reviewing available records
19 at the mine, the last citation related to
20 exceeding the designated area dust
21 standard was in October of 1997 when the
22 sample results averaged 1.1 milligrams per
23 million.

1 To Mountain Coal Company, this
2 indicates that belt air can be safely used
3 to ventilate the faces without
4 contributing excessive dust to the working
5 section.

6 The second difficult challenge
7 at West Elk is spontaneous combustion.
8 This is not unique to West Elk Mine, but
9 is common in the North Fork Valley with
10 several other western mines having similar
11 propensity for spontaneous combustion.

12 The B-Seam and E-Seam currently
13 being mined at West Elk indicate a
14 moderate susceptibility to spontaneous
15 combustion with a self-heating temperature
16 ranging from approximately 120 degrees
17 Fahrenheit to 180 degrees Fahrenheit.

18 West Elk has incurred two major
19 mine fires in the B-Seam as the result of
20 spontaneous combustion. One occurred in
21 2000, with the second occurrence in 2005.
22 As the result of these mine fires, we were
23 out of the mine for a period of

1 approximately six months and three months
2 respectively.

3 In addition, we have
4 encountered minor heating events in
5 pillars that did not result in mine
6 outages.

7 The use of belt air at West Elk
8 has allowed us to lower the main mine fan
9 operating points and ventilation
10 pressures. For the air volume needed to
11 control methane liberation, our four main
12 mine fans operate at pressures ranging
13 from approximately a 9.0 inch to a 10.9
14 inch water gauge.

15 However, if we were not
16 utilizing belt air in the sections, the
17 fan pressures would have to be increased
18 to over 15 inches in order to maintain an
19 equivalent air quantity in the section
20 that is necessary to control methane
21 liberation.

22 We believe the increased
23 pressure differential, specifically across

1 our pillars and gobs, increases the
2 likelihood for spontaneous combustion to
3 occur as the air passes through the
4 natural cleats and fractures of the
5 pillars and within the caved area where we
6 unfortunately have a demonstrated history
7 of spontaneous combustion.

8 We believe that both of our
9 mine fires were the result of
10 significantly changing the pressure
11 differential across the gob area.

12 To further reduce the
13 likelihood of spontaneous combustion, we
14 have reduced the sizes of our longwall
15 districts, modified our mining plan such
16 that we progressively seal the gob as we
17 mine, and minimize the pressure
18 differential across the gob.

19 As we begin longwall mining in
20 the E-Seam, we hope to further minimize
21 the potential for spontaneous combustion
22 in the gob by utilizing a modified
23 bleederless system.

1 In addition to safely
2 controlling the methane and reducing the
3 potential for spontaneous combustion, the
4 use of belt air provides additional
5 protection, including the following:
6 Early detection, even prior to detection
7 by the AMS of heatings such as hot
8 conveyor rollers.

9 Although it is very subjective
10 for detection purposes, we have had
11 several instances where employees detected
12 such heatings with the sense of smell.
13 Their quick investigation to the cause of
14 the smell may have well prevented an
15 escalation of a heating into a mine fire.

16 The AMS carbon monoxide sensors
17 are much better in detecting fires at the
18 incipient stages when compared to
19 point-type heat sensors still utilized in
20 mines where belt air is not used. The
21 sensors have proven to be protective for
22 smoldering and flaming coal-type fires
23 whereas point-type sensors rely on latent

1 fire properties.

2 Fire fighting capabilities in
3 the belt entry are enhanced when belt air
4 is utilized. This allows fire fighting to
5 be conducted from the upwind side with the
6 air flow and water flow in the same
7 direction, minimizing the potential for
8 damage to the water supply line.

9 Although air changes could be
10 made where belt air was not in use to
11 provide similar protection in the event of
12 a mine fire, such air changes could have
13 detrimental effects on personnel trying to
14 escape based on their knowledge of
15 existing ventilation practices.

16 Use of belt air in the working
17 sections allows for the alternate
18 escapeway to be on intake air, rather than
19 using a neutral or return air split for
20 escapeway purposes.

21 In closing, I would, again,
22 like to thank the Panel for the
23 opportunity to provide comments on the use

1 of belt air. Like many other underground
2 coal mines, West Elk has safely utilized
3 belt air for many years. We have been
4 successful in controlling the methane and
5 have reduced the potential for spontaneous
6 combustion.

7 We agree with MSHA, NIOSH, the
8 Advisory Committee, and academia who
9 universally state that belt air can be
10 safely used to ventilate working faces,
11 and in fact state that the use of belt air
12 provides potential enhancement of miner
13 safety.

14 The use of belt air improves
15 the overall quality and quantity of
16 section ventilation, directing affecting
17 methane control, dust control, diesel
18 emission control, spontaneous combustion
19 mitigation, and fire detection and fire
20 fighting capabilities.

21 We encourage the Panel to
22 support its continued use. Thank you.

23 MS. ZEILER: Our next speaker

1 will be Jim Poulsen, Manager of Safety at
2 Utah American Energy, Incorporated.

3 MR. POULSEN: Okay. I would
4 like to tell you that I hopefully am the
5 last speaker.

6 MS. ZEILER: One more after
7 you.

8 MR. POULSEN: Okay. Good
9 afternoon. I would like to thank the
10 Technical Study Panel, MSHA, my fellow
11 colleagues, and others for the opportunity
12 to present comments regarding belt air,
13 concerning the safety of the underground
14 miners in America.

15 My name is James Poulsen. For
16 the last 30 years, I have worked at
17 Peabody, Energy West, Valley Camp Coal,
18 and Skyline Mine in various management
19 positions; and I was an underground
20 employee.

21 Right now, I am currently the
22 Manager of Safety for Utah American
23 Energy, Incorporated, which is a

1 subsidiary of Murray Energy Corporation.

2 I am also a member of the International
3 Society of Mine Safety Professionals, and
4 I am a Registered Certified Mine Safety
5 Professional.

6 Utah American currently
7 operates five underground coal mines,
8 employing 500- plus employees from within
9 Utah and the surrounding states. Three of
10 the five Utah American Mines are currently
11 in full production. Aberdeen and West
12 Ridge are currently utilizing belt air at
13 the working face in combination with the
14 two-entry longwall mining system.

15 Crandall and South Crandall
16 Mines successfully used belt air to the
17 working face in the past, but are not
18 doing so at the present time.

19 Utah American has currently
20 commenced ground work on an additional
21 property named "Lila Canyon." Use of belt
22 air at the working face utilizing a
23 two-entry mining system will be necessary

1 for the safety of our employees at that
2 operation, also.

3 We consider the safety of our
4 employees to be a value which we will not
5 compromise. We believe it is our moral
6 and ethical responsibility to protect the
7 health and safety of all our employees,
8 which is what brings us here to day.

9 I cannot emphasize enough that
10 changes to the current belt air standards
11 would be very harmful to the safety of our
12 underground miners.

13 I personally have been involved
14 with the use of belt air at the working
15 face at many operations and openly and
16 willingly testify from a safety
17 perspective that ground control, dust
18 control, dilution of dangerous gases, and
19 overall miners' safety is improved when
20 belt air can be utilized at the working
21 face.

22 Previous testimony and numerous
23 studies have shown that use of belt air

1 definitely increases the efficiency of the
2 Mine Wide Ventilation System. This
3 additional air increases dilution of
4 methane and respirable dust, reducing
5 worker exposures to these hazards.

6 Some questions have been raised
7 about increased dust levels with the
8 increased ventilating pressure or
9 currents. MSHA and NIOSH data, testing,
10 and operator sampling substantiates that
11 the use of increased belt line ventilation
12 provides an enormous reduction in
13 respirable dust and increased gas
14 dilution.

15 It is a well-known fact that
16 concentrations of respirable dust are
17 inversely proportional to the air quantity
18 used to dilute them. If you double your
19 air quantity, your dust concentration is
20 cut in half.

21 In Salt Lake City, Panel Member
22 Dr. Weeks, requested sampling data with
23 regards to dust concentration and belt

1 line entries. That information has now
2 been provided to the Panel, which appears
3 on the chart on the following page
4 entitled "Belt Line Samples."

5 In todays Western US Mines,
6 1,500 to 3,000 feet of cover is
7 commonplace. To control the adverse roof,
8 pillar outbursts, and bouncing conditions
9 and enhance worker safety, two-systems
10 were developed. At these depths, studies
11 and experience have proven that it is just
12 not good practice to develop more entries
13 than absolutely needed. The less entries
14 you have, the more likely you are to be
15 able to control the ground and bouncing.

16 In Salt Lake City, Dr. Weeks
17 asked for some comparisons of two-entry
18 mining systems compared to the multiple-
19 entry mining systems. The following chart
20 entitled "Comparison of Two-Entry versus
21 Three-Entry Gateroads," compiled by the
22 Utah Mine operators, has been developed
23 and submitted as requested.

1 What you see there is a list of
2 mines utilizing the two-entry method with
3 a total of 921,929 feet of gateroads with
4 17 reportable roof falls. That translates
5 into .018 reportable roof falls per 1,000
6 feet.

7 Down below you can see that the
8 same mines reported their three-entry
9 gateroads, which is at 749,696 feet. They
10 had 62 roof falls, which shows you .083
11 roof falls per 1,000 feet. So there is a
12 considerable difference there in the
13 number of roof falls from three-entry to
14 two-entry.

15 Operators desiring to utilize
16 two-entry systems had to file a petition
17 pursuant to Section 101(c) of the Federal
18 Mine Safety & Health Act. If granted,
19 these petitions obligated the operator to
20 a multitude of additional requirements.
21 Unquestionably, the most rigorous
22 requirement contained in the petition is
23 the use of the AMS systems.

1 Other common petition
2 requirements for two-entry development
3 were: Automatic fire suppression systems
4 on diesel equipment, tracking and
5 monitoring of equipment entering and
6 leaving the sections, diesel
7 discriminating CO sensors no greater than
8 1,000 feet apart in the intake and belt
9 line extending 4,000 feet out by the
10 section, two separate and independent
11 means of communication (one was in the
12 intake and one was in the belt line) and
13 phones no greater than 1,000 feet apart,
14 additional SCSR's stored at the headgate
15 and tailgate (prior to the additional
16 requirements of the MINER Act of 2006),
17 fire fighting outlets extending into the
18 intake escapeway every 300 feet, trained
19 mine monitor system operators on duty on
20 the surface 24/7, and sometimes even
21 operator use of a PED system when entering
22 the section.

23 Some mines had various other

1 requirements, but all of these
2 requirements improved miner safety.

3 Previous testimony has
4 described the functions of AMS systems.
5 So I won't go into detail about their
6 capabilities. In Salt Lake City, Mr.
7 Wendell Christiansen offered comments
8 regarding today's AMS systems. Given the
9 performance of these systems, it would be
10 foolish for this Panel to do anything
11 which discourages their use in our mines.

12 The use of belt air at the face
13 carries with it the requirement to use CO
14 sensors rather than the more common but
15 far less reliable point-type heat sensors.

16 I offer to you my opinion that
17 a mine approved to use belt air along with
18 the accompanying requirements, including
19 state of the art AMS systems with CO
20 sensors, provides a safer and healthier
21 environment for miners than a similar mine
22 which does not use belt air, but does use
23 point-type sensors.

1 In my 30-plus years of mining,
2 I believe the AMS system is one of the
3 most important devices introduced into the
4 mining industry to improve overall worker
5 safety.

6 At the end of this document is
7 the basic Conspec operator training
8 requirements, entitled "Exhibit A" and
9 Friction Factors and Infrastructure
10 Resistances entitled "Exhibit B" which
11 were requested by the Panel in Salt Lake
12 City. They are also included for
13 submission.

14 Congress, MSHA, NIOSH, mine
15 operators, individual miners, and many
16 others had a hand in propagating the
17 current belt air rules. As far as I know,
18 the current belt air rules have not been
19 shown to be a contributing factor in any
20 of the disasters which tragically occurred
21 in this country during 2006, not even in
22 the Aracoma disaster, which involved a
23 belt-line fire.

1 We would encourage this
2 committee to acknowledge the previous
3 experience and endorse the current belt
4 air rule.

5 DR. WEEKS: Well, I have never
6 fully appreciated the statement "Be
7 careful what you ask for." You know the
8 rest.

9 Anyway, aside from that, thank
10 you for providing this. This is quite
11 interesting.

12 I especially appreciate your
13 including in the data on roof falls, the
14 feet of the gateroads. I believe that
15 makes the data that much more meaningful.

16 MR. POULSEN: In addition to
17 that, keep in mind that this is only
18 gateroad development, too.

19 DR. WEEKS: Right. I
20 understand that.

21 Having been provided this data,
22 I feel I am at liberty to cross-examine
23 you. If you will give me your phone

1 number, I will call you about that.

2 I do have a couple of questions
3 on the dust data. The final column that
4 you have here is the dust weight. I take
5 it that's the difference between pre-
6 weight and post-weight?

7 MR. POULSEN: Yes. The pre-
8 weight and the post-weight.

9 What we do is -- let me explain
10 this table a little bit better for you.
11 This is in-house sample results, and we
12 request from the Agency to use dust
13 cassettes for in-house sampling.

14 Then, what we do is a side-by-
15 side sampling. One of the cassettes is
16 the one that's to be sent to the Agency as
17 required. A lot of times, I will sample
18 with another dust cassette just to weigh
19 the actual results and make a calculation
20 of how much dust I am actually seeing
21 there.

22 As you know, we submit a sample
23 to the Agency, and it takes weeks or

1 months before we actually know what
2 concentration that it was.

3 This gives us an immediate
4 result, and I can actually make
5 corrections immediately if we have a
6 problem where we are out of compliance.

7 DR. WEEKS: So this is the
8 backup sample?

9 MR. POULSEN: Yes, this would
10 be a backup.

11 DR. WEEKS: In the last column,
12 you listed weight. Is that weight or
13 concentration?

14 MR. POULSEN: That would be
15 concentration. I'm sorry.

16 DR. WEEKS: That would be cubic
17 meter.

18 MR. POULSEN: Yes.

19 DR. WEEKS: Okay. I will have
20 a look at it. Thank you.

21 MR. POULSEN: These are all DA
22 samples, too.

23 DR. WEEKS: Yeah. I notice you

1 make a comment on page five "In my 30-plus
2 years, I believe the AMS system is one of
3 the most important devices," et cetera.

4 I don't think you would find
5 anybody on this panel or anywhere that
6 disagrees with that, but that's not the
7 issue before the Panel, whether or not the
8 AMS system is beneficial.

9 The issue is whether or not
10 belt air ventilation is safe and how it
11 can be done safely, and so on and so
12 forth. I think there's a lot of
13 confusion. We all do it. We sort of
14 equate the AMS system with belt air. They
15 are independent and separate creatures.

16 It just became quite apparent,
17 when I read that, that absolutely that's
18 true, but the issue before us really is
19 about belt air. It's not about the AMS
20 system. They're clearly related, but they
21 are different.

22 MR. POULSEN: I believe someone
23 stated here earlier that I believe one of

1 the greatest things we can do as operators
2 is prevention. Regardless, prevention.

3 MS. ZEILER: Thank you, Bill.

4 Our next speaker is Gary
5 Hartsog, who is the President of Alpha
6 Engineering Services. Gary will be the
7 final speaker for the NMA/Alabama Coal
8 Association.

9 We have one speaker after that
10 before we conclude.

11 MR. HARTSOG: My name is Gary
12 Hartsog. I am the President of Alpha
13 Engineering in Beckley, West Virginia.

14 Alpha Engineering is an
15 engineering consulting firm that has
16 provided engineering services to the
17 mining industry for the past 16 years.
18 Our work is mainly in deep coal mines
19 dealing with mine design, ventilation,
20 mapping, and system design.

21 I am a Registered Professional
22 Engineer and Surveyor and a graduate of
23 West Virginia University with BS Degrees

1 in Mining Engineering and Business
2 Administration. I have been involved for
3 over 30 years in designing and operating
4 coal mines for the safe and efficient
5 mining of coal.

6 For 15 of those years, I worked
7 at longwall mines, many using belt air in
8 the working faces. I have helped develop
9 the 101(c)Petitions for Modification and
10 help today administer ventilation plans
11 and systems to use belt air in the working
12 faces.

13 I greatly appreciate the
14 opportunity to stand before this
15 distinguished Panel today to present some
16 of my experiences and thoughts concerning
17 the use of belt air in the working faces
18 and use our clients' experience as
19 examples.

20 My purpose here today is to
21 offer this Panel comments on how the use
22 of belt air that has been used to
23 ventilate conveyor belt entries is

1 important, sometimes critical, to the coal
2 mining industry.

3 For many years, there was a
4 prohibition against using belt air to
5 ventilate the working faces. As
6 technology developed, improved, and became
7 more dependable, belt air was allowed to
8 be used to ventilate working faces so long
9 as there was a heightened vigilance
10 against fires in the conveyor belt
11 entries.

12 Belt air is not necessary to
13 ventilate the working faces in every coal
14 mine in the United States. In fact, there
15 are relatively few underground mines that
16 need to use belt air in the face.

17 In many coal mines that use
18 belt air to ventilate the working faces,
19 it is generally a very important component
20 to a safe and healthy working environment
21 by providing additional airflows, allowing
22 greater pressures to be used in
23 ventilating gobs and other improvements in

1 augmenting the safe operation of the mine.

2 I would list these mines in the
3 categories as follows. This is not an
4 exhaustive list, and it emphasizes mainly
5 the eastern coal fields, leaving some of
6 the special circumstances of the western
7 coal fields that have two-entry
8 development, for others to address.

9 First, there is the development
10 for longwalls. Longwall gate development
11 consists of driving three- or four-entry
12 panels for some distance until a block of
13 coal has been isolated for mining with the
14 longwall. Some of our clients develop
15 gates that are in the 10,000- to
16 18,000-foot deep range. Since these
17 gateroads can become quite long, they
18 become difficult to ventilate, especially
19 if there's significant methane liberation.

20 The use of belt air in the
21 working face allows the leakage to be
22 minimized between the intake and the belt
23 entry and therefore delivers more air to

1 the working faces.

2 Let's say that we have a
3 three-entry panel where the air is coursed
4 up the intake and a split of the air
5 ventilates the working face while another
6 split ventilates the belt outby to the
7 mains. Something like you see on the
8 screen. As some of the air flows outby in
9 the return and belt entries, the
10 increasing pressure differential results
11 in the increase of leakage from the intake
12 to the other two entries.

13 In some cases, the intake to
14 the section may be over 100,000 CFM at the
15 section mouth; and, due to leakage, less
16 than 15 to 25,000 CFM may reach the split
17 point. That would not be adequate flow to
18 ventilate both the entries and the faces.

19 If the belt air is allowed to
20 be used in the faces, the flow of the belt
21 entry air is in the same direction as the
22 intake; and the pressure differentials are
23 minimized, similar to what you are looking

1 at on the screen now.

2 Under this scenario, there can
3 be significantly more, maybe double or
4 triple, the air reaching the face.
5 Therefore, the belt entry and the faces
6 are both ventilated with greater, safer,
7 and more desirable quantities of air.

8 Second, there are those mines
9 who need maximum airflow for the purpose
10 of diluting and carrying away methane.
11 This can be a longwall or a
12 room-and-pillar mine. In deep mines,
13 especially where there is split or
14 fishtail ventilation, it is necessary to
15 get large quantities of air to the faces
16 for methane dilution and control of
17 respirable dust.

18 Due to haulage and supply
19 constraints and requirements in the faces,
20 it is not unusual for there to be as many
21 as three or four haulage or belt air
22 entries in mains or panels. These entries
23 must be adequately ventilated to prevent

1 stratification of methane, for the belt
2 conveyor as well as for any diesel
3 equipment that may be in use.

4 When belt air is not used in
5 the faces, significant return capacity is
6 used on the section just to ventilate the
7 haulage and belt conveyor entries. This
8 reduces the amount of airflow available
9 for the face operation.

10 In addition, when this
11 belt-haulage air is not used to ventilate
12 the faces, it is more difficult to
13 ventilate two continuous miners operating
14 using split ventilation because of the
15 additional distance the air must be
16 conveyed to the far end of the working
17 section by curtains, and the air tends to
18 leak into the belt-haulage entries and to
19 the return rather than traveling to the
20 faces, as shown in these screens.

21 Third, there are those mines
22 where distances and pressure differentials
23 required for ventilating gob areas on

1 second mining makes it extremely difficult
2 to make the belt air go outby to another
3 return. This can be in either a
4 room-and-pillar or a longwall mine, as
5 shown here.

6 There are many cases where the
7 pressure requirements to keep the gob
8 adequately ventilated are so great that
9 the air, once it goes to the section
10 loading point, cannot be induced to travel
11 outby to the mains in the belt entries.

12 For example, in a longwall, if
13 adequate pressure to pull the belt air
14 outby to the main returns were available,
15 the leakage from the intakes to the belts
16 would be so great that inadequate airflows
17 would reach the working section.

18 In another example, in many
19 second mining situations, it is
20 advantageous to make all the entries
21 leading to the working faces intake so
22 that all the air will go through and/or
23 around the gob, like you see here. This

1 helps with allaying respirable dust and
2 makes the ventilation at the section
3 simpler. It also delivers more air to the
4 working section.

5 This eliminates the potential
6 for air from the gob to pull out into the
7 working section. All of these are
8 significant safety features when
9 ventilating a unit on second mining and
10 ventilating an active gob.

11 Fourth, there are those mines
12 in the early development stages between 30
13 CFR part 77 and 30 CFR Part 75. When a
14 mine is starting from a slop or shaft
15 bottom into a virgin area, those first
16 developing areas are very hard to
17 ventilate. Invariably, there is a gray
18 area between the end of Part 77, which
19 applies to shaft and slop development, and
20 Part 75, which applies to normal mine
21 development.

22 In order to move from Part 77
23 to Part 75 as quickly as practical, some

1 mines use belt air in the faces for this
2 period of time and then switch to a
3 permanent ventilation system that does not
4 use belt air to ventilate the working
5 faces.

6 The reason for using belt air
7 in these situations is that the mine is
8 typically on smaller, temporary fans with
9 limited delivery capabilities; such as,
10 tubing or small bore holes, until all the
11 mine openings are connected and the main
12 ventilation system is placed in service.

13 In these cases, every bit of
14 airflow is needed in the faces because of
15 the limited flows that are available. As
16 more US coal mines are developed below
17 drainage, this approach to starting a new
18 mine will become more important.

19 Fifth, additional quantities of
20 airflow cannot always be met by driving
21 additional entries. For example, the
22 number of entries in may be limited by
23 ground control concerns; such as, deep

1 overburden, use of yield pillars, or
2 multiple seam mining that result in heavy
3 stress zones.

4 In those cases, overall mains
5 or panel widths cannot be increased due to
6 safety concerns for roof falls during
7 advance and outbursts and abutment falls
8 during retreat mining. So a limited
9 number of entries must use a small
10 corridor between stress zones.

11 Other cases also occur where
12 the number of entries must be limited.
13 For example, when working in low-coverage
14 areas and when mining around and in the
15 vicinity of old workings.

16 In conclusion, not every mine
17 will use belt air to ventilate the working
18 faces. However, to some mines, it is very
19 important that this method of ventilation
20 be available for the safe, systematic
21 mining of coal.

22 It is obvious from the previous
23 examples that the use of belt air in the

1 faces is more prevalent in the deeper
2 mines that develop greater distances or
3 must handle higher levels of methane.
4 However, there are also other mines that
5 need the belt air option where the number
6 of entries is limited by over mining and
7 under mining and other factors.

8 The technology for detecting
9 hot spots or fires in conveyor belt
10 entries has made huge advances since it
11 was first introduced in the 1970s. In
12 fact, CO monitoring systems for belt air
13 monitoring have been the backbone for much
14 of the mine monitoring, tracking,
15 communications, and data systems in
16 development and use today.

17 That technology today is a tool
18 that allows operations managers, design
19 engineers, and safety professionals to be
20 confident in design, support, and
21 operation of mines where belt air is used
22 in the faces.

23 The use of belt air in the

1 faces is not for every mine. It is,
2 however, an extremely important tool and
3 an option that needs to be freely
4 available with proper monitoring and
5 safeguards for all mines, and most
6 especially for those mines with the more
7 difficult conditions and greater distances
8 to ventilate.

9 MS. ZEILER: Thank you, Gary.

10 We do have one final speaker who signed up
11 in advance for public-input hour today.

12 That speaker will be Dave
13 Maguire from Goodyear. You may remember
14 Dave because he was part of the Conveyor
15 Belt Manufacturers Panel for the Technical
16 Study Panel Meeting in Pittsburgh.

17 MR. MAGUIRE: You'll be glad to
18 know I've only got about 15 minutes.

19 My name is Dave Maguire. I'm
20 the Director of Technology for Goodyear
21 Engineer Products. We make a few conveyor
22 belts.

23 This is just a follow-up to the

1 March presentation. I know there were
2 some questions and data that we said we
3 would get in the near future. So here we
4 are.

5 These are the items. We wanted
6 to confirm that we mentioned we talked
7 about halogen-free conveyor belts, which
8 are the materials for flame-resistant
9 conveyor belts that would meet the BELT --
10 the Belt Equipment Laboratory Test -- that
11 NIOSH and MSHA developed.

12 We have further smoke analysis
13 on both halogenated and halogen-free
14 belts, both in the BELT unit; the Cone
15 Calorimeter, which is an accepted test
16 method in other industries; and then also
17 ASTM E662 of the Boeing Standard; some
18 static conductivity results; and drum
19 friction.

20 Just to refresh, we talked a
21 little bit about most standards for
22 conveyor belts only deal with flame
23 resistance at both ignition and

1 propagation. We're proposing you should
2 at least consider both smoke density and
3 toxicity.

4 As we talked about, a lot of
5 industries do both flame resistance and
6 smoke resistance as part of standard
7 because it's generally the smoke that can
8 kill people.

9 Just a little refresher, again,
10 there are two ways that you can make them
11 flame resistance. You can either do it
12 with halogenated materials, which are
13 typically fluorinated or brominated
14 materials. They're very effective for
15 propagation resistance. They tend to be
16 lower in cost than alternate materials,
17 but they do produce thicker smoke and
18 toxic gases when they're heated.

19 For halogen-free materials, you
20 do need higher levels for propagation
21 resistance. Other industries have gone
22 towards them in a big way. They are cost
23 affective, and they produce significantly

1 less smoke and toxic gases when heated.

2 There's nothing unusual about
3 these materials. They are off the shelf,
4 and they are available. So it's not some
5 mysterious materials that we're dealing
6 with here.

7 This is the data on five of the
8 most common sizes of belts that are used
9 in U.S. mines. I labeled the belt as belt
10 type by the number of plies of fabric; two
11 plies, three plies, and four plies. Then
12 the belt reading is plies per inch and
13 width.

14 So, typically, it's two-ply
15 400, three-ply 600, three-ply 750,
16 four-ply 800, or four-ply 1,000.

17 The BELT test specifies that
18 after you burn the belt five minutes --
19 I'm going to show you some video clips of
20 some of these samples -- a certain section
21 of the belt has to remain. This test
22 involves a nine-inch wide by a five-foot
23 long piece of belt. You burn it in the

1 BELT equipment.

2 It doesn't specify how much has
3 to be left. Okay. It could be an inch,
4 two inches. I've just put up here greater
5 than six inches.

6 As you see in these examples,
7 they're generally anywhere -- on the
8 halogen-free belts that we tested, these
9 are typical results -- anywhere from 25 to
10 30 inches of belt remaining. So at least
11 half the belt remains after the
12 five-minute test.

13 That was one of the questions
14 that you wanted me to come back with. Can
15 I confirm that the halogen-free belts meet
16 the BELT test. The answer is yes.

17 This is a sample of one of the
18 belts burning on the BELT unit. It's a
19 little video clip. This is the BELT test.
20 It goes on for five minutes. I have
21 obviously shortened this.

22 What I've shown is the
23 smokestack that's at the end of the

1 gallery, just to give you an example of
2 the amount of smoke that comes out in the
3 five-minute test.

4 This is getting to the end of
5 the five-minute test. The burner is off.
6 That's typically when you get the most
7 smoke, when the actual flame goes out.
8 Then, as you see, it can die down.

9 DR. WEEKS: What's the air
10 velocity there?

11 MR. MAGUIRE: 250, per
12 specified. It's 200 or 300.

13 MR. MUCHO: What's the diameter
14 of that stack, roughly?

15 MR. MAGUIRE: It's about a
16 foot. I'm getting that it's 10 inches,
17 about 10 inches.

18 I can tell you it's a new one.
19 The other one got corroded.

20 So that shows the halogen-free.
21 You notice that very little smoke came out
22 there.

23 This now is a halogenated belt.

1 This meets the standard, as well. Again,
2 I've shortened the video clip. It's
3 burning for five minutes. This is pretty
4 typical. You don't see very much smoke at
5 the start; but, after you get into it two
6 or three or four minutes, you'll start
7 seeing a lot more smoke here compared to
8 the halogen-free.

9 You might see a jump here when
10 you move on. Here we go. We're getting
11 toward the end of the five minutes.
12 Significantly more smoke is generated, but
13 this belt does meet the requirements.
14 There's about 20 inches left or 25 inches
15 left of the belt on that.

16 Then, when the flame goes out,
17 you'll start see a lot more smoke. It
18 eventually dies down, though. See the
19 amount of smoke generated from part of the
20 halogen-free materials.

21 We're getting to the end of the
22 task here. Okay. So a couple of video
23 clips to show the difference between

1 halogen free and halogenated. These are
2 rubber belts, by the way.

3 Then, what we did is -- we've
4 instrumented the actual -- this is getting
5 toward the smokestack. The smokestack is
6 up here. We instrumented with smoke
7 density at photoelectric just to measure
8 the actual smoke density. You can get a
9 relative number. With halogen-free, we
10 were getting in the order of 25 percent.
11 Whereas, with halogenated, it eventually
12 got to 100 percent in the flaming
13 conditions.

14 So just to show that you can
15 take the BELT unit, and you can instrument
16 it for smoke density. We also have an
17 apparatus coming in to also measure carbon
18 monoxide and HCL. That's up and running.

19 A lot of industries use
20 accepted task methods. I mentioned some
21 of the previously. I'm not going to show
22 pictures of the equipment. The cone
23 calorimeter, ASTM E1354, is a test that's

1 used by other industries to measure both
2 the flammability resistance of the
3 products and also give you some
4 information on carbon monoxide and HCL and
5 smoke density.

6 You generally use a three-inch
7 by three-inch sample of conveyor belt.
8 It's obviously on a laboratory scale. I
9 show this to show the differences in
10 what's happened with halogen-free conveyor
11 belts versus halogenated.

12 I think the interesting one si
13 carbon monoxide. Generally, we're getting
14 three times less with halogen-free
15 materials when it's burning. HCL was
16 basically zero PPM, part per million for
17 Halogen-free; a level of 300 with
18 halogenated. Then, the smoke density is
19 of the order of two to three times. The
20 average smoke release is two and a half,
21 and the total smoke release is zero to
22 two.

23 DR. MUTMANSKY: What are those

1 units?

2 MR. MAGUIRE: Good question.

3 This is actually -- the carbon monoxide is
4 the amount of carbon monoxide that's yield
5 per kilogram. So that's .03 kilograms of
6 carbon monoxide per kilogram of the
7 product.

8 This is -- you can go to
9 actually meters squared by meters squared
10 by surface area. This is just the way the
11 cone calorimeter does it. This gives it
12 those meters squared by kilogram. So it's
13 a volume.

14 DR. BRUNE: Shouldn't it be
15 meters cubed?

16 MR. MAGUIRE: It actually comes
17 out meters squared. It's the surface area
18 of the sample divided by the -- sorry --
19 the surface area of the smoke divided by
20 the width of the sample. In this, total
21 smoke is the meters squared released
22 divided by the meters squared of the
23 product.

1 DR. TIEN: How would you
2 measure these smoke areas?

3 MR. MAGUIRE: This is a
4 calculation that's done. I'll dig out the
5 test method and show it to you -- and get
6 it to you, but that's the calculation it
7 comes out as.

8 DR. MUTMANSKY: That's fine.
9 It's a strange set of units. That's okay.
10 If it's standard.

11 MR. MAGUIRE: Standard is
12 standard. The cone calorimeter is
13 probably the most standard piece of test
14 equipment you use for measuring heat
15 release with gas analysis and then smoke
16 density. It's generally used by all
17 industries. I'm showing it as relative
18 comparison on these conveyor-belt samples.

19 This one might be a little bit
20 easier. This ASTM E662, and this gives --
21 you do it both smoldering and then when
22 it's flaming after four minutes.

23 Here we're doing optical

1 density. It's a comparative. It gives
2 photoelectric. Again, you see a lot --
3 the same sort of difference. It's a
4 little bit higher. This is a
5 halogen-free. This would be a halogenate
6 material when it's smoldering, and then
7 this the current 2G belt, and the current
8 standard is used.

9 Then, when it's flaming, smoke
10 density -- again, you see the same
11 differences. Halogen-free, significantly
12 less smoke compared to the halogenated
13 version of that, and then 2Gs in the
14 middle.

15 Toxic gases. Again, it's a
16 pretty similar difference. This is gas.
17 This is PPM. It may be a little bit
18 easier to understand here. BELT,
19 smoldering, the value of 10, and then 2G
20 and halogenated at 0 to 50.

21 Then hydrogen chloride, huge
22 difference, obviously between halogen
23 free, 2G, and the BELT. Obviously, if you

1 want to go to something like a BELT
2 standard, this hydrochloric acid, if you
3 do nothing, will increase significantly
4 because they're going to be more flame
5 resistant than the current 2G.

6 DR. WEEKS: It seems almost
7 axiomatic that the halogen-free belt is
8 not going to have any hydrogen chloride in
9 there to begin with.

10 MR. MAGUIRE: Yes.

11 DR. WEEKS: There are other
12 toxic gases that come off there that
13 wouldn't show up, you know.

14 MR. MAGUIRE: Yeah. Well,
15 generally, what we have done is, we have
16 looked at other industries that are
17 addressing both smoke and flammability.
18 Certainly, the BELT test does something to
19 address ignition and propagation.

20 When we're looking at smoke
21 density and toxicity, we're going to other
22 industries, both in the rubber and
23 plastics. Generally, the gases they look

1 at after smoke density are carbon
2 monoxide, carbon dioxide, hydrochloric
3 acid, and hydrogen cyanide.

4 I didn't want to put too much
5 up here. We have HCL. Generally, with
6 halogen-free you see no HCL. With
7 halogenated materials, you see trace
8 amounts, as well. Not huge, but in the
9 order of five, ten, fifteen parts. I
10 think we showed that many, many years ago.

11 Are there other gases? The
12 halogen-free, I'll give you a little hint.
13 A lot of what is done to reduce the -- to
14 improve the flame resistance is water
15 release. So water is pretty dry.

16 Then, is the flaming again.
17 You see the same differences.

18 So what we have done is we've
19 done both the BELT comparing halogenated
20 and halogen-free. Of course, also the
21 cone calorimeter. Then, also, this
22 standard which measures gas analysis.
23 Then the ASTM E662.

1 Static conductivity was brought
2 up as well in drum friction, other areas
3 that could cause a fire. Basically,
4 halogen-free, when you're dealing with
5 rubber materials, you have no problem
6 meeting the static conductivity levels.

7 Most international standards
8 are 300 mega ohms maximum, and these are
9 negligible. Rubber is very easy to get.
10 Very low static conductivity.

11 Drum friction, again, is
12 another nice feature of halogen-free-type
13 materials. Generally, most standards -- I
14 showed the video of the drum friction
15 previously. You run it through the belt
16 for two yards on a frozen idler, and you
17 should get a maximum.

18 They don't want you to go above
19 325 centigrade. These are very low
20 levels. Some of the lowest we've ever
21 seen with rubber, in the area of 100 to
22 120 to 150 centigrade maximum.

23 DR. TIEN: Which one is more

1 desirable, higher or lower?

2 MR. MAGUIRE: Lower. The lower
3 the temperature the better.

4 People have done -- there's two
5 ways that people have done the passive
6 drum friction that other standards have
7 adopted. Either you keep the temperature
8 below 325 so coal dust doesn't ignite or
9 that allows the belt to melt and break. I
10 don't personally like that one, but that's
11 okay.

12 Again, if you're going to have
13 a frozen pulley and you allow the belt to
14 break, your going to cause (inaudible.)

15 Static conductivity, obviously,
16 the lower the better.

17 So this is what we would
18 recommend in our conclusion. Obviously,
19 halogen-free materials significantly
20 reduce smoke density and toxicity when
21 smoldering or burning. They comfortably
22 pass the BELT and static conductivity and
23 drum friction.

1 We strongly recommend the smoke
2 density and toxicity should be added as
3 part of our flammability standard for
4 conveyor belts. Drum friction static
5 conductivity should also be added, as
6 well.

7 That's what I had.

8 DR. MUTMANSKY: Dave, the last
9 time you gave us a little bit of cost
10 comparison. I don't recall what it was.
11 Would you just sort of repeat that for us,
12 please?

13 MR. MAGUIRE: Well, I
14 skillfully said that I'm not allowed to
15 talk about costs or prices because I'm a
16 technical guy. Certainly, moving from 2Gs
17 to the BELT tests, belts will cost more.
18 You're going to be using more flame-
19 retardant material. So the cost of the
20 belts will increase.

21 I really cannot say anymore
22 than that, as I think the other conveyor
23 belt manufacturers did, as well.

1 MR. MUCHO: Dave just to be a
2 little picky here on a point. In the
3 conclusion, you talk about the
4 halogen-free reducing smoke density and
5 toxicity when smoldering or burning.
6 That's sort of a double-edged sword in a
7 way.

8 We talked a little earlier
9 today about smoke detectors, and, in the
10 future, we think maybe we can actually get
11 some smoke detectors that will be pretty
12 reliable in our minds. If we can use that
13 and combine that with CO detectors in some
14 form of belt fire detection, actually,
15 smoke coming off early in the smoldering
16 stage is not necessarily a bad thing. It
17 gives us a precursor and prewarning and
18 gives us time to act and react and know
19 that we have a problem.

20 So it's sort of nice that we
21 don't get a lot of CO and smoke off in the
22 smoldering stages; but, if, in fact, it's
23 working against our fire detection

1 systems, it is not a good thing.

2 MR. MAGUIRE: Yeah. I think
3 that's a good point. Obviously, I
4 listened today, as well.

5 I think you're going to find
6 that the task I'm doing aside from the
7 BELT test, which is a nine-inch wide by
8 five-foot long belt -- that's a pretty
9 severe burn test -- there's still plenty
10 of smoke coming off.

11 Don't forget the massive
12 conveyor belts that are underground. If a
13 fire starts, you're going to have plenty
14 of smoke.

15 What we're suggesting is, this
16 is a way to significantly reduce it, and I
17 would think that there's two points in
18 both; smoke density, and smoke toxicity.
19 I think any time that you can have less
20 smoke and there is a fire, you're going to
21 have more time for people to get out.

22 In my personal opinion, I think
23 that would be a big consideration for

1 certainly the toxicity. Even with the
2 carbon monoxide levels, you're still going
3 to get carbon monoxide coming off; and
4 that could be further study. That could
5 be work that could be done. That
6 shouldn't be difficult to work out.

7 Even though we make belts
8 significantly less than smoke density and
9 toxicity, is it enough to trigger the
10 detectors? I don't think that would take
11 a lot of work to do between conveyor belt
12 manufacturers and the smoke detection
13 people.

14 MR. MUCHO: Of course, the
15 other end if it is that if it doesn't
16 ignite initially and it won't propagate,
17 then it becomes less of an issue of
18 whether we're getting the CO or smoke,
19 anyway; right?

20 MR. MAGUIRE: Yeah. But, as I
21 showed in the last testing, it's never the
22 conveyor belt that catches fire first. A
23 conveyor belt has got a much higher

1 ignition temperature than any other
2 material.

3 The coal dust and the idler
4 grease is going to catch -- coal is going
5 to catch fire first. That's what's going
6 to cause the fire. So it's only a matter
7 of time.

8 MR. MUCHO: That's not what
9 causes the fire. Causing the fire could
10 be the heating of the conveyor belt
11 conveyed to the heat, to the coal, which
12 then catches fire. So it's the initial
13 starter, but it's not the cause of the
14 fire.

15 MR. MAGUIRE: Yes. But --

16 MR. MUCHO: So, in some
17 situations, while this last chart is
18 important, the belt is acting as a medium
19 to start some other material burning.

20 MR. MAGUIRE: I think it's the
21 other way. The other medium is going to
22 cause the belt the catch fire.

23 MR. MUCHO: Well, yeah. Down

1 the line. Since you've got it burning
2 now, it's coming back and catching the
3 belt on fire.

4 I'm starting with friction,
5 conveying it to the belt to the coal, get
6 the coal burning. The coal burning gets
7 the belt on fire.

8 MR. MAGUIRE: Right.
9 Unfortunately, if such an event like that
10 happens, probably, a conveyor belt is
11 going to start smoldering and catch on
12 fire.

13 DR. BRUNE: I have one more
14 question. We heard today from representa-
15 tives from Jim Walter Resources that Jim
16 Walter tried a number of years ago to
17 utilize BELT standard passing flame
18 resistant belts, and they went away from
19 that. I'm not sure whether that was your
20 brand or somebody else's brand. It really
21 doesn't matter.

22 They went away from that, from
23 what I understand, because this belt

1 material tended to rub off on the stands
2 and then create piles of rubbing shavings,
3 which then started smoldering and then, in
4 fact, created more of a problem that they
5 had to deal with.

6 If they used this material that
7 the industry belt manufacturer is offering
8 today, would that problem still be a
9 problem that the operators would have to
10 deal with?

11 MR. MAGUIRE: A couple of
12 points. First of all, it wasn't our
13 brand.

14 The second thing is -- there
15 are a couple of other points. Tom
16 mentioned both here and the previous time
17 that the durability -- which we agree
18 durability is something you need to look
19 at. Obviously, when we're looking at
20 halogen-free materials, we're going to
21 ensure that the durability is going to be
22 equivalent.

23 He did a lot of the

1 conversations previously comparing PVC
2 belts with rubber belts. PVC is well
3 recognized to have much lower durability
4 and breaks much quicker and causes
5 breaking. It is very aggressive on the
6 idlers, and it builds up coal dust.

7 So there's a lot of splitting
8 and cracking problems. There's a lot of
9 issues with PVC, as well. The durability
10 of PVC is not as high as rubber.

11 He also mentioned about rubber
12 BELT. These were certainly not our
13 formulations. I can attest to them. I
14 would be stunned if our halogen-free
15 materials behaved in that manner, in terms
16 of shavings causing excessive heat because
17 of the way that it operates.

18 All I can tell you is that
19 halogen-free materials, the way you go
20 about it in terms of getting your
21 flammability resistance, if anything, it
22 may be cooler.

23 So I don't quite understand the

1 materials that were used that Tom tried in
2 Jim Walters' mine from the rubber side;
3 but, from our side, we should not expect
4 to see that with our rubber materials,
5 particularly the halogen-free.

6 DR. BRUNE: Thank you.

7 DR. MUTMANSKY: Thank you,
8 Dave. I think we've run out of questions
9 at this moment, and we would like to thank
10 all of those participants this afternoon.

11 I'd also like to thank the
12 Panel for not abandoning us at the end of
13 the afternoon. We appreciate very much
14 everything that our speakers have done for
15 us in terms of giving us data today.

16 We're looking forward to
17 tomorrow's testimony, as well; and we'll
18 invite you back at 9:00 a.m.; is that
19 correct?

20 MS. ZEILER: Yes.

21 DR. MUTMANSKY: Do you have any
22 announcements, Linda?

23 MR. ZEILER: No. I'd say we

1 stand adjourned for the day. Thank you.

2

3

(Whereupon, the Technical Study

4

Panel on the Utilization of Belt Air and

5

the Composition of Fire Retardant

6

Properties of Belt Materials in

7

Underground Coal Mining adjourned for the

8

day, to reconvene on June 21, 2007 at

9

9:00 a.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

CERTIFICATE

STATE OF ALABAMA)

COUNTY OF JEFFERSON)

I hereby certify that the above and foregoing deposition was taken down by me in stenotype and the questions and answers thereto were transcribed by means of computer-aided transcription, and that the foregoing represents a true and correct transcript of the testimony given by and witness upon said hearing.

I further certify that I am neither of counsel, nor kin to the parties to the action, nor am I in anyway interested in the result of said cause named in said caption.

Susan Bell, CSR

Notary Public