

UNITED STATES OF AMERICA
FEDERAL COMMUNICATIONS COMMISSION

+ + + + +

SPECTRUM POLICY TASK FORCE

+ + + + +

UNLICENSED SPECTRUM AND EXPERIMENTAL LICENSES
PUBLIC WORKSHOP

+ + + + +

THURSDAY,
AUGUST 1, 2002

The workshop was held at 9:00 a.m., in the Commission Meeting Room, Federal Communications Commission, 445 12th Street, S.W., Washington, D.C.

PRESENT:

MS. LAUREN VAN WAZER	FCC	
COMMISSIONER MICHAEL COPPS	FCC	
DR. PAUL KOLODZY	FCC	
DR. ROBERT LUCKY	FCC	
DR. MICHAEL MARCUS	FCC	
MR. MICHAEL CALABRESE		New America Foundation
PROF. LAWRENCE LESSIG		Stanford Law School
MR. DEWAYNE HENDRICKS		Dandin Group
MR. DAVID REED		Reed.com
MR. PETER HADINGER		TRW Space & Electronics
MR. WILLIAM CHAMBERLAIN		Group Cobra Electronics
MR. ROBERT PHANEUF		Harmonix Division of Terabeam
DR. KEVIN NEGUS		Proxim
DR. PIERRE deVRIES		Microsoft Corporation
MR. PATRICK LEARY		Alvarion
MR. DUDLEY FREEMAN		UniiGo Communications
MR. ART REILLY		Cisco Systems
DR. VANU BOSE		Vanu, Inc.
PROF. RAMESH RAO		San Diego Division, California Institute for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

PRESENT: (cont.)

MR. CARL STEVENSON

Radio Regulatory
Technical Advisory
GroupMR. DAVID HILLIARD
Fielding

Wiley, Rein &

MR. LARRY SOLOMON

Shook, Hardy & Bacon

MR. MICHAEL LYNCH

Nortel Networks

MR. GREG BUCHWALD

Motorola

MR. LEO HOARTY

Dotcast

MR. PAUL ROOSA

NTIA

MR. BRUCE FRANCA

FCC

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

INTRODUCTION:

Ms. Lauren Van Wazer	4
Commissioner Michael Copps	4

SPECTRUM POLICY TASK FORCE OVERVIEW:

Dr. Paul Kolodzy	9
------------------------	---

UNLICENSED SPECTRUM AND APPLICATIONS OVERVIEW:

Dr. Robert Lucky	12
------------------------	----

ROLE OF UNLICENSED SYSTEMS IN FUTURE SPECTRUM
MANAGEMENT POLICIES:

Dr. Robert Lucky	13
Dr. Michael Marcus	16

POSSIBLE EVOLUTIONARY IMPROVEMENTS TO UNLICENSED
RULES:

Dr. Michael Marcus	108
--------------------------	-----

EXPERIMENTAL LICENSE ISSUES:

Dr. Paul Kolodzy	184
Ms. Lauren Van Wazer	185

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(9:07 a.m.)

MS. VAN WAZER: Good morning, everyone.

My name is Lauren Van Wazer, and I'm the Deputy Director of the Spectrum Policy Task Force. Welcome to the first of a series of four workshops addressing issues relating to Spectrum Policy. This public workshop will address Unlicensed Spectrum issues and experimental licenses.

We are fortunate this morning to be joined by Commissioner Copps, who has some introductory remarks. But first I want to say that we are providing sign language interpreting services, and if there's anyone who needs such services, if you could let us know. Thank you.

COMMISSIONER COPPS: Thank you, Lauren, and good morning to everybody. I very much appreciate the opportunity to be here. I want to thank all of the participants in today's session, and all four sessions, for taking the time to assist the Commission in really one of its top priority items. And I'd especially like to thank the people who traveled long distances to be here today. I've recently traveled some long distances myself, and today is the first day back in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 office. We just got back from Alaska and from the
2 NAWICK meetings in Portland, and I had a chance to
3 glance at my desk this morning, and I'm afraid I'm
4 not going to be able to stay here all morning, but
5 I do want to hear a part of the session. And you
6 can be assured that we will be following up on the
7 record of this very, very closely.

8 I'd like to thank Paul Kolodzy and
9 Lauren Van Wazer, and the whole Commission team for
10 their very hard work on this task force, and on all
11 of these ongoing issues.

12 This task force will really be
13 successful to the extent of its ability to tap the
14 best and the brightest thinkers from across the
15 land, and it obviously has been successful in doing
16 that, obtaining ideas from academe, from public
17 interest groups, businesses, government, and
18 interested individuals, wherever they may be found.

19 We need all the help we can get on how best the
20 Commission can perform its spectrum management and
21 spectrum allocation responsibilities amidst all the
22 technological changes, and convergences, and
23 demands that are out there. These are new times,
24 and we need new thinking.

25 I think the problems of the last 12

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 months demonstrate the cracks in our system, and
2 demonstrate that we need all the help we can get.
3 There are insufficiencies in our auction process,
4 and they have become quite manifest over the course
5 of the past 12 months. They're holding us back.

6 There are imperfections in the
7 marketplace and it appears that relying solely on
8 the market to yield economically optimal results,
9 and socially optimal results, without attention to
10 the imperfection to the marketplace won't work.
11 Plus, it defies, I think, all economic theory,
12 common sense, and our statute to expect that to
13 happen.

14 Our auction process is, most would
15 agree, better than what went before it, better than
16 freezing existing users and technologies in place,
17 better than having the Commission choose winners
18 and losers through beauty contests, but there have
19 to be some fixes at a minimum.

20 There are some new ideas out there on
21 spectrum use, on flexibility, and higher efficiency
22 management. We also have the unlicensed model. I
23 believe in the unlicensed model. It has produced
24 results at a time when there are few bright spots
25 in telecom. It won't work everywhere, but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should determine how we can expand its use. We
2 should have a better idea of where it can work, and
3 we should be working on finding new Unlicensed
4 Spectrum.

5 I also believe in the power of new
6 technologies, especially those that address the
7 spectrum crunch, like software-defined radio. We
8 should ensure that our rules encourage such
9 innovation through flexibility, and by allowing
10 competition rather than undermining it by allowing
11 our rules to be used as the tools of stagnation and
12 consolidation.

13 I also want to point out the particular
14 importance of coming up with a better understood
15 standard of harmful interference. Our current
16 obscurity on what constitutes harmful interference
17 leaves incumbents, and new licensees, and
18 manufacturers without the certainty they need to
19 conduct their business resulting, obviously, in
20 under-investment, protracted and wasteful
21 regulatory proceedings, and time consuming
22 litigation.

23 We may not be able to come up with the
24 perfect engineering definition of harmful
25 interference, but I think we can come up with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clearer legal standard. Even if we fail, I think
2 just the intellectual exercise of going through a
3 proceeding on what constitutes harmful interference
4 will help us better understand the issues, and help
5 our stakeholders to better understand the
6 challenges that we face. I've been advocating this
7 for a long time now, as some of you know, and I'm
8 pleased that we're going to be addressing this
9 issue at a later session.

10 Finally, once this task force has
11 completed its work this fall and published its
12 report publicly, the Commission should rapidly
13 commence a Formal Notice of Inquiry using the
14 insights we gain here to determine what changes to
15 spectrum policy should be made. We must have that
16 kind of Commission follow-through, because
17 otherwise we will be left in muddy waters and the
18 hard work done here would, to a large extent, be
19 wasted.

20 At the same time, I like the idea of an
21 ongoing Spectrum Task Force to keep the Commission
22 and its bureaus focused on spectrum priorities, and
23 to provide an easily identifiable and user-friendly
24 access point for our stakeholders in private
25 sector, and throughout the country, so you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tremendously challenging agenda, but also a
2 tremendously promising opportunity to give us a
3 really badly needed helping hand here at the
4 Commission. There is no higher priority, as I said
5 at the outset, than trying to get a handle on
6 spectrum management, spectrum allocation.

7 The last year has shown that we have a
8 long, long way to go so I, for one, and I know I
9 speak for all of my colleagues and the chairman in
10 saying that we are delighted that you have taken
11 the time to be with us to share your expertise with
12 us, to give us the benefit of your good judgment.
13 So thank you very much, and I will not delay the
14 proceedings further, and will allow you to get to
15 work, but I thank you for the opportunity to
16 welcome you here.

17 MS. VAN WAZER: Thank you, Commissioner
18 Copps, for your thoughtful remarks. I'd like to
19 introduce Dr. Paul Kolodzy, who is Director of the
20 Spectrum Policy Task Force.

21 DR. KOLODZY: Thank you, Lauren, and
22 thank you, Commissioner Copps for your wonderful
23 remarks. Welcome to one of our first -- actually,
24 our first of four workshops that are going to be
25 conducted by the Spectrum Policy Task Force.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 First of all, I'd like to thank
2 personally Lauren Van Wazer, and all of the staff
3 who have worked very hard over the past few weeks
4 to organize this event. It wouldn't have happened
5 without their dedication, and so I really do thank
6 them.

7 Second of all is, I want to thank all
8 the panelists who have taken out of their valuable
9 time to come here and talk about this very, very
10 important topic, and try to get interaction with
11 the community at-large. And third, I'd like to
12 thank all the people who have braved the very hot
13 August weather of Washington, D.C. to come to this
14 meeting, to actually be participants in this
15 process.

16 The next eight days, and it's going to
17 be one heck of a set of eight days, the Spectrum
18 Policy Task Force is going to hold four workshops
19 on Spectrum Policy. The Task Force encompasses
20 such a large scope that we needed to break the
21 investigation into four separate areas to allow for
22 sufficient time for all the important issues and
23 ideas.

24 This work shop on Unlicensed and
25 Experimental Licenses will be followed tomorrow by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a workshop on Interference Protection. On Monday,
2 we will hold a workshop on Spectrum Efficiency, and
3 then finally next Friday, on Spectrum Rights and
4 Responsibilities.

5 The Spectrum Policy Task Force was
6 formally announced by the Chairman in June of this
7 year. The objective is to look for better ideas on
8 Spectrum Policy. This investigation is forward-
9 looking to determine what, if any, changes are
10 needed to bring spectrum regulations to the
11 realities of the 21st Century. The Task Force is
12 looking across all the uses - a partial list is
13 provided here on the slide - in order to understand
14 that there are integrated approaches that can apply
15 to Spectrum Policy.

16 New technologies that can provide
17 flexibility and agility of our wireless devices are
18 facilitating increasingly dynamic uses of the
19 spectrum, and those uses are actually being
20 operated in a very increasingly dynamic
21 marketplace.

22 What are the potential building blocks
23 for new policies that will address these new
24 realities? Hopefully, this workshop will shed some
25 light and bring out some ideas for those building

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blocks.

2 The organization of the Spectrum Policy
3 Task Force is shown on this slide. Lauren Van
4 Wazer is my Deputy Director of the Task Force.
5 Special Counsel is Maureen McLaughlin, and Senior
6 Technology Advisor is Mike Marcus. The Task Force
7 Council consists of senior members of each of the
8 bureaus and offices within the Commission, that
9 have a focus on Spectrum Policy, the Wireless
10 Telecommunications Bureau, International Bureau,
11 Media Bureau, The Office of Plans and Policies, and
12 the Office of Engineering and Technology. There
13 are four working groups, each conducting a workshop
14 and headed by one of the members of the Task Force
15 Council.

16 The Task Force published a public
17 notice in June that consisted of 29 questions
18 relating to each of the primary areas, to provide
19 valuable input to each of the working groups. We
20 received over 140 comments, and over 40 additional
21 reply comments. The interest level is very high,
22 and many ideas and points of view were provided in
23 the comments. I know. I've read all of the
24 comments myself.

25 It is hoped that the workshop will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide a forum for a dialogue between the
2 different perspectives and a spirited interaction
3 with the public. I really want to focus on that
4 spirited interaction.

5 I don't want to delay the start of the
6 workshop any longer, so I'll try to end by saying
7 thank you again, and welcome for coming. I would
8 like to introduce the panel moderators for this
9 morning's sessions. Mike Marcus is the Associate
10 Chief for Technology in OET at the FCC. Mike,
11 could you -- who chairs the Experimental and
12 Unlicensed Working Group. And Bob Lucky, who is
13 the Corporate Vice President of Applied Research at
14 Telecordia Technologies. We are very glad to have
15 Bob as a Co-Moderator today, and I would like to
16 turn over the mike to him. Thank you.

17 DR. LUCKY: Good morning, everybody.
18 I'm looking forward to this workshop, and to try to
19 get as many opinions and as much wisdom out on the
20 table as we can. Sometimes opinions and wisdom are
21 the same thing, sometimes not, but we'll accept
22 either.

23 We have a panel up here, and let me
24 just introduce them very briefly, starting with
25 Dave Reed. Dave is a consultant in one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Internet pioneers. Bob Phaneuf from Harmonix,
2 Larry Lessig from Stanford. Larry, raise your
3 hand. Dewayne Hendricks from Dandin Group. You
4 can raise your hand too. It's okay. Peter
5 Hadinger from TRW, Bill Chamberlain from New
6 American - no, that's -- sorry, you're Cobra.

7 MR. CHAMBERLAIN: Correct.

8 DR. LUCKY: And finally, Michael
9 Calabrese from -- you're New America Foundation.
10 Exactly, what is New America Foundation, if I might
11 ask.

12 MR. CALABRESE: A non-profit public
13 policy institute here in Washington, D.C.

14 DR. LUCKY: Thank you.

15 MR. CALABRESE: Fairly new, three years
16 old.

17 DR. LUCKY: Okay. Now I'm going to
18 rely primarily on the panel, but we will welcome
19 comments from the floor at all times, and that's
20 what we're here for, to try to get as much
21 information as we can in today's session.

22 I don't want to spend a lot of time
23 setting up the issue, because I think you wouldn't
24 be here this morning if you didn't know something
25 about Unlicensed Spectrum. It's been a -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, as an engineer it's been a wonderful thing to
2 see what has happened in these bands in recent
3 years. Millions of wi-fi cards are being sold.
4 We see a ground-swell, an uprising of a whole new
5 infrastructure based on this, and it's tremendously
6 exciting at such a bad time in the industry to see
7 such wonderful things happening.

8 But on the other side of this, you
9 know, I heard just the other day someone said well,
10 you know, you can't really depend on this though,
11 because anybody can use it, and it's unlicensed
12 and, you know, can't use that, so you do hear that
13 kind of thing. And on the FCC's Technological
14 Advisory Council, you know, we've been wrestling
15 with the new technologies that seem to change the
16 dynamics of spectrum allocation.

17 There are people who say spectrum is
18 really infinite with -- the capacity is really
19 infinite, and there are those who say it's very,
20 very limited. And you can see both views at
21 different times. We've got ultra wideband
22 software-defined radio that can move around and
23 have the agile. We've got multi-input/multi-output
24 processing that has dramatic gains in capacity,
25 adaptive antennas, things that didn't exist some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years ago when spectrum was regarded as very
2 precious.

3 Bran Ferren, one of the members of our
4 advisory council, said he bought - I don't know if
5 he really did this, but he said it - he bought a
6 DC-to-light receiver and he sat out in the parking
7 lot, and then he tuned it across the whole band,
8 and he says what you hear basically is nothing.
9 And then suddenly you hit like one of the cell
10 phone bands and it's just overwhelming. And then
11 you hear nothing. And the paradox is that, you
12 know, it seems that there's nothing out there
13 except in these narrow, narrow crowded bands, and
14 yet in many cases people own these pieces of
15 spectrum. And the issue that always faces the FCC
16 is, you know, efficient use of that spectrum. And
17 so, that's what we're here to talk about today.

18 We often worry about the tragedy of the
19 commons. We're here to talk about the commons, and
20 I always have this image in my mind of the sheep
21 eating up all the grass, but there are
22 technologists here who would say that perhaps each
23 sheep can bring its own grass, and that's the way
24 this works. So my Co-Moderator, Mike Marcus, and I
25 will ask some questions, and we'll address them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first to the panel. But again, anybody out there,
2 there are many people in the audience, and I see
3 some out there that I know are very knowledgeable,
4 and I think there are a lot more that I don't know
5 who are very knowledgeable. Please, we're here to
6 gather as much information as we can, so please
7 don't hesitate to raise your hand and speak up.

8 So we have some generic questions here.

9 The questions themselves are rather innocuous but
10 I hope they lead us onto paths of discussion that
11 bring out the real issue, so I'll start with --

12 DR. MARCUS: I'll say a little bit
13 about the format. We're going to ask one or two
14 questions to the panelists, and then before we go
15 onto another topic, we're going to ask the audience
16 if they either have questions or statements that
17 they want to make. Please, we don't want long
18 statements, and particularly, we don't want long
19 statements on things that we've already gone over
20 in the record. This is a public meeting that's
21 being taped. There are transcripts, so don't worry
22 about ex parte issues, say whatever you want, but
23 we don't want long statements that are already
24 well-documented in the record.

25 DR. LUCKY: Say whatever you want, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bear in mind this is being webcast and recorded,
2 and here are the reporters, and -- but say whatever
3 you want.

4 DR. MARCUS: But keep it short.

5 DR. LUCKY: But do keep it short, and
6 we'll try to work on that. So let me start out
7 with the first generic question, you know. What
8 has been good and bad about Unlicensed Spectrum in
9 recent years? And, in fact, I'll address it
10 specifically to Larry Lessig, just to give a start
11 here, Larry. What's good about this? And if you
12 might think of something that's bad, if you don't,
13 somebody else will.

14 PROF. LESSIG: So there's technical
15 questions that are raised by Unlicensed Spectrum,
16 and I'm not going to address those. I think what's
17 good about Unlicensed Spectrum relates to what I
18 think is the core issue that the FCC has got to
19 think about in this context, and that is, not the
20 technical questions, but the political reality of
21 how the interaction between FCC policy and
22 competition policy affects the innovation in this
23 market.

24 There's a good history of the FCC,
25 there's a bad history of the FCC. And the bad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 history of the FCC is, the FCC being used by
2 private interests to protect themselves against new
3 innovation. And the structural feature of
4 Unlicensed Spectrum, which is so critical against
5 the background of this history, is to the extent
6 there's Unlicensed Spectrum that can be protected
7 for development and innovation outside of the
8 traditional structure. That provides protection
9 for new innovation against interests that might be
10 threatened by that new innovation, so there might -
11 - there's lot of debates about what's possible
12 here, what good Spectrum Policy, what the ideal
13 Spectrum Policy will look like, what the ideal
14 technology for spectrum will look like.

15 The fundamental thing I think is most
16 striking about this is that technologists say we
17 don't know. We really don't know what the best
18 architecture will look like. In a context where we
19 don't know, the most important thing for the
20 government to do is to set up an environment where
21 competition and technological development can
22 develop without fear of retaliation from those
23 whose ox might be gored by the next great idea for
24 how to use spectrum.

25 DR. LUCKY: Okay. Let me just follow-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up on that a little bit, we don't know stuff. Dave
2 Reed, I think you might comment about that. You
3 are a technologist.

4 MR. REED: Right.

5 DR. LUCKY: What would you put in the
6 category, we don't know about this?

7 MR. REED: Well, actually, I think I
8 coined that term, "We don't know", in this space,
9 which is, I think, important.

10 What I've been trying to point out,
11 about 10 years ago I started asking myself the
12 question, as wireless technologies started to
13 really proliferate in the computer industry, is
14 there some limit to what we can deliver using
15 wireless technologies in terms of data
16 communication and so forth? Most of my engineering
17 colleagues said well, I'm pretty sure there is --
18 there's probably some limit, and we'll run into
19 it, so we better start worrying about that limit,
20 and how we're going to get around it, or how we're
21 going to allocate the Spectrum Resource.

22 What I discovered, because I'm the
23 naturally curious type is, I went to the theorists
24 and I said, is there a theoretical limit here? And
25 they said well, now that you asked the question,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm not sure I know the answer. And I started
2 systematically trying to ask this question, if you
3 have a network of radios in a space like this room
4 that are able to do anything they want to do, or a
5 space like the whole United States - if they're
6 able to do anything that we technologically can
7 imagine doing, is there a limit to the amount of
8 phone calls you could carry over that network, the
9 amount of data communications you could provide,
10 and so forth? And the conventional wisdom is that
11 spectrum limits that.

12 What actually limits that, it turns
13 out, is the architectures that we use. The
14 spectrum itself - you might imagine there's an
15 ether out there that there's only so much of - the
16 spectrum out there itself does not limit us in any
17 fundamental way. In fact, as Bob pointed out with
18 the grass analogy, as you add systems to a network
19 sharing the same region of spectrum, theoretically
20 the capacity does grow without limit. The question
21 is, so does it grow as far as the number of users?

22 That's the question we don't know. The technical
23 answer is we know, at least, that we have the
24 spectrum grow as the -- the capacity of the
25 spectrum, the number of bits, or phone calls or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whatever, can grow with the number of users in the
2 sense that they bring their own grass with them as
3 they start adding radios to the system.

4 What we don't know is whether that
5 limit, whether it grows linearly or proportionally
6 to the number of users, or whether it sort of
7 tails-off on a per user basis, so that each new
8 user just brings a little less than the previous
9 user. And that's an active area of research.
10 There's reason to believe that it doesn't tail-off
11 but, in fact, you know, the best theorists are
12 working technologies, protocols, and architectures
13 to try to meet that, and achieve that. We've
14 already demonstrated systems that achieve the basic
15 idea of increasing with the number of users.

16 DR. LUCKY: But you would say the good
17 thing about unlicensed spectrum is it allows the
18 experimentation to take place.

19 MR. REED: Exactly. The biggest
20 barrier to exploring the space is that there's
21 essentially no invest, or very little investment in
22 new wireless technologies that don't meet the needs
23 of incumbent users of the spectrum, so there's lot
24 of investment, you know, in say things that will
25 help the cellular operators, or things that help

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the television broadcasters and so forth, you know,
2 do a better job. There's no investment in these
3 new things, because the applications they enable
4 are early experimental, and so forth. So what, in
5 fact, the Unlicensed Band, the 802.11 Band has done
6 for us is, it's provided a playground where new
7 applications and new uses, such as new ways to
8 connect to the Internet, and new services in the
9 home, the connect devices, you know, have a place
10 to be developed and experimented with, without the
11 overhead of, you know, the cost of presenting an
12 economic case to the Commission that this is the
13 best use, or even finding the money to buy
14 spectrum at auction, should that be the question.

15 DR. LUCKY: Let me follow-up on that,
16 and turn to Dewayne Hendricks. You know, I've been
17 in network development and research for a long
18 time, and one of the rules that we sort of always
19 had was that you can't both experiment with the
20 network, at the same time as you're providing
21 service with it, you know. And yet, here in these
22 Unlicensed Bands, people want to provide real
23 service, but at the same time, we want to allow
24 this experimentation to take place. Now is this
25 compatible?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HENDRICKS: I think that it is. I
2 mean, if you look at the use of the unlicensed
3 bands since they were instituted in 1985, you've
4 seen a broad development of broad -- it took three
5 years before the first device was certified under
6 the 1985 rules. And since then things have really
7 taken off, and you've seen a broad breadth of
8 devices that do a lot of different things. In
9 fact, nobody, I think, really knows how many
10 devices are out there, and what they are actually
11 doing.

12 But to address your question, I think
13 what we've seen is that starting about 1992, you've
14 seen people offering services. I mean, there have
15 been wireless ISPs as early as 1992, I've seen
16 documented, and they continue to operate. I mean,
17 there were never publications or websites on the
18 net that document the experience of these people.
19 They've been around since the mid-90s offering
20 services, and quite successfully, and they're
21 making profits. So I think that the -- Metricom,
22 until its recent demise, is a good example of that,
23 that existed through the 90s until fairly recently.

24 And there are others like Metricom with similar
25 business models, but nonetheless, you can still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiment and develop these devices. And you know
2 what? It's like common sense would argue against
3 this being able to work at all, but it does. Okay?

4 And that, I've been running an experimental
5 network in the Bay Area since 1996 using all three
6 bands, 900, 2.4, and 5.7 gigahertz, offering
7 services from 100 kilobits up to 30 megabits. And
8 for instance, I operated on 900 in the presence of
9 Metricom with no problems, and it all had to do
10 with the --

11 DR. LUCKY: You don't have that problem
12 any more.

13 MR. HENDRICKS: Well, I was able to do
14 that by, you know, the proper engineering. And I
15 think that what people who have been using these
16 bands is that, you know, there is physics, there
17 is science, and if you use them with good sense,
18 then you can get things to work. And so there are
19 a lot of anecdotal experiences about interference
20 and whatever, but the fact remains that there are
21 still people out there delivering services and
22 doing it very well.

23 DR. LUCKY: Okay. Let's -- I would
24 like to bore into this issue a little bit more,
25 because it's a really big issue here, and that is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the question of interference in this band. You
2 hear all the time that, you know, you can't depend
3 on this because it's going to melt down, you know.

4 Everybody is going to be jumping in there. You've
5 got cordless phones. You've got microwave ovens.
6 You've got garage door openers, you know. You've
7 got wireless cameras, video cameras, and they're
8 all operating uncoordinated, which is an issue
9 we'll have to get into later. But the issue is, is
10 this going to disintegrate to where it'll be like
11 CB radio and useless, and what are the
12 implications? So let me ask if any of the other
13 panelists who haven't yet had a chance to speak,
14 would like to put in their two bits on this
15 question?

16 MR. CHAMBERLAIN: Well, first, I would
17 say that expecting uninterrupted service on any one
18 of these bands is improbable. And frankly
19 speaking, I think people have come to expect it,
20 but what it has done, it has spurred on the
21 development of new technologies.

22 For instance, in the cordless phones,
23 we started out with analog systems. Interferences
24 in the, you know, 50 megahertz band. All of a
25 sudden, there's moves to 900 analog, and now you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have spread spectrum devices, frequency hopping,
2 combinations of the two, but the marketplace has
3 demanded this, because what they said is they want
4 more reliable services. Things got more and more
5 congested, so what really has happened is, the
6 marketplace goes and says we want better service.
7 We, as electronic companies, go out and say okay,
8 let's develop the new mousetrap, the new system,
9 make it more reliable.

10 Usually, these systems cost a little
11 bit more initially, and then as vines go up,
12 acceptance goes up, they become more proliferate,
13 prices go down, and the next new technology is
14 developed as interference starts increasing in that
15 area. So I think the marketplace has done a great
16 job at producing solutions to these interference
17 issues. And by the way, CB is not dead. I had to
18 say that.

19 DR. LUCKY: Okay. But the concept is,
20 we'll invent our way out of this, and that we'll be
21 incented to do that.

22 MR. CHAMBERLAIN: Correct.

23 DR. LUCKY: So that, in fact, you don't
24 believe that this will melt down.

25 MR. CHAMBERLAIN: Not at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Okay. Other opinions?
2 Okay. David.

3 MR. REED: I just want to say that my
4 earlier comments really fit into that thing. The
5 question is, you know, when you say "We're going to
6 invent our way out of this", the question is, you
7 know, is there going to come a fundamental limit
8 where we can't? And the point that I was trying to
9 make earlier is, that there's no real fundamental
10 limit where we can't invent our way out of this, so
11 we ought to create the incentives to invent, rather
12 than the incentives to slow invention.

13 I think the -- what's a really good
14 analogy here is our national highway system where,
15 you know, we constantly run into new problems
16 operating that system. But ultimately, the users
17 are responsible for coordinating their actions, and
18 avoiding crashing into each other, and so forth.
19 We give them new tools occasionally. We might, you
20 know, as in California, create, you know, traffic
21 lights on the on-ramps to the expressway, as we had
22 to in certain cases or whatever, but we don't have
23 to design the system so it doesn't run into
24 problems beforehand.

25 DR. LUCKY: Have you tried to drive on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 405 in L.A. lately? It's like --

2 MR. REED: They need a new innovation.

3 But, you know, I'm just pointing out that --

4 MR. HADINGER: I wanted to thank David
5 for providing me the segue. I was going to
6 apologize to everybody for being late. I was
7 actually stuck in traffic. When in a cab, one can
8 either worry about being late, or even
9 philosophize. And in this particular case, there
10 was an accident, and it was holding up traffic.
11 And it got me to thinking that, in fact, what's
12 happening is we've got a violation of the expected
13 norms.

14 In other words, there's a group that is
15 all expecting a certain thing, and working in
16 cooperation, like-systems sharing with like-
17 systems. And actually, a fair amount of flexible
18 interchange among those like-systems, but when
19 somebody violates that set of expectations, it
20 causes ripple effects for everybody else.

21 In fact, there's a number of different
22 classes of like-systems. If you think about
23 transportation in that roadways, while they are
24 limited in terms of your freedom to choose exactly
25 where you want to go, nonetheless, carry a high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume of people all intending to go the same
2 direction.

3 Walking, on the other hand, is
4 completely open, or certainly more open. Although
5 even there you have to, from time to time, step
6 aside to avoid running into somebody in front of
7 you. In the software-defined radio sense, I guess
8 you might consider that to be unlicensed use, where
9 you expect a certain amount of interference, but in
10 fact, what you've done is, you've designed a system
11 which is robust enough that it can tolerate that.

12 Whereas other systems, which require a
13 certain greater degree of harmonization, can handle
14 less in the way of random events going every which
15 way. It's unlikely that we would have an
16 efficient highway system if we just paved over
17 D.C., and let everybody drive straight from their
18 source to their destination at random.

19 In fact, there is value in having like-
20 systems brought together and in conformance. And
21 certainly, a lot of software-defined or self-
22 defined rules for sharing, and moving, and
23 optimizing that space but, you know, within systems
24 which are basically similar.

25 DR. LUCKY: Well, that's an issue that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we do have to get into, is that in the present
2 unlicensed band, people obey their own rules. So
3 you've got some people obeying the 802.11 rules of
4 listening before they talk, and others like video
5 cameras that are just blasting away. So are you
6 saying that there should be rules?

7 MR. HADINGER: Let's see. For systems
8 operating in an unlicensed band, and where you go
9 into it knowing that there are no rules, one would
10 imagine if you're trying to create a robust system,
11 you will choose a protocol which is, in itself,
12 robust.

13 Certainly, there's ways of violating
14 even robust protocols. And at some point, I think
15 there may need to be a mechanism by which we allow
16 a commons for the sort of experimental and first
17 use, but eventually find a way of migrating it into
18 spectrum, again where sort of like-systems obeying
19 the same like-rules, follow similar procedures.
20 And certainly, there's no end of opportunity to
21 find stories of services which have come out with
22 lots of great promise, for which spectrum has been
23 allocated in great amounts, and which is not then
24 turned into a valid and viable service.

25 There needs to be a way of recycling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that spectrum efficiently, Darwinian sort of
2 fashion, but also to take those systems which are
3 successful and which may find, because of their
4 broad use, a need for more protection than they had
5 imagined when it was first out, to find a way of
6 moving those people to spectrum, which is, in turn,
7 more protected.

8 DR. LUCKY: Other comments about this?

9 The original question, and we're moving around to
10 a lot of issues that I think have to be gone into
11 in more detail as the day goes along, the original
12 question was will these bands melt down? And if we
13 could sort of keep on that theme, but there's a
14 very important sub-theme here about whether there
15 should be rules or not. And the question is
16 incentives that people have, whether they should
17 follow the rules or not.

18 I mean, I'm not sure that if I'm
19 designing a system for this, I want to follow
20 802.11, because heck, that constrains me, but let's
21 go ahead with other comments.

22 MR. CALABRESE: Okay. Thanks. Yeah, I
23 just want to mention, I have a -- you asked about
24 the positives and negatives of unlicensed, and
25 although I have a long list of positives, the one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 negative I'm reminded of by this discussion, which
2 is that wi-fi success creates the temptation to
3 impose service rules that tend to protect or lock
4 in wi-fi, which I don't believe should protect or
5 lock in wi-fi, or any other current technology. I
6 think we saw quite a few comments that said, you
7 know, that we may need to have some -- the
8 Commission may need to impose some type of service
9 rules on the 2.4 gigahertz unlicensed band in order
10 to make the most of this wi-fi development that we
11 have. And it may well be that we will decide we
12 need some new dedicated space for unlicensed
13 wireless networking. But ideally, those sort of
14 rules of the road should not be shaped to prefer
15 any particular application, and especially no
16 current technology.

17 We probably do need protocols and
18 etiquette to facilitate wireless networking, but
19 they should be as open and as neutral as possible.

20 And I'd encourage David Reed to say something
21 about this, because he helped develop those sort of
22 protocols for the Internet. And an Internet-based
23 model in the air is what we need. We must --
24 essentially, these protocols should certainly not
25 come at the price of limiting sort of free-wheeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 innovation that's possible on the current -- what
2 we once called the junk band of spectrum at 2.4.

3 DR. LUCKY: Okay. I want to turn it
4 over to Dewayne for a minute, but let me just
5 insert the devil's advocacy here for a minute. The
6 problem with protocols is they change, you know.
7 And if you lock in on particular rules - I mean,
8 look at 802.11 is migrating to a lot of different
9 versions. If you set rules, wouldn't you be taking
10 away some of the freedom to innovate that is the
11 important cornerstone in unlicensed band? Dewayne.

12 MR. HENDRICKS: Okay. I wanted to
13 address the meltdown question. If you look back on
14 the historical record on Part 15, NCR in 1991 filed
15 comments that effectively said they expected the
16 unlicensed band to meltdown. This is in '91.

17 Three years ago, Lucent filed comments
18 that basically said the same thing, so what we have
19 is that between '91 and three years ago it didn't
20 meltdown. And we hear a lot of analytical evidence
21 about it has meltdown, but I've got to tell you,
22 where I am in the Bay Area, and having operated
23 since '96 on those three bands, I haven't seen any
24 meltdown, or ways in which you can engineer around
25 any type of interference. So what I would say in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 general is that what's missing here, and I would
2 encourage the Commission and, in fact, the TAC,
3 when we reformed four years ago basically said
4 look, you're an agency that doesn't measure what it
5 regulates, which is the radio spectrum. If you
6 look at the EPA, it measures what it regulates.
7 The Commission never has. And what we did is we
8 proposed to the Commission that it needed to embark
9 on a major study of the spectrum and look at noise.
10 Okay?

11 So we complete -- the TAC has sort of
12 completed the first phase of our noise study, but
13 what needs to happen on an ongoing basis is
14 measurement of the spectrum, particularly say the
15 unlicensed bands across the country, on an ongoing
16 basis to determine whether or not there really is a
17 meltdown. And essentially, what we tried to do is
18 develop some objective measures that would be used
19 to determine when that happened.

20 DR. LUCKY: You know, I think your
21 experience is particularly valuable, Dewayne,
22 because I look at the Bay Area as being sort of the
23 canary in the coal mine. You know, maybe we don't
24 have to measure the whole country, you know, we
25 just see if San Francisco dies, and then we'd know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Larry, you wanted to comment.

2 PROF. LESSIG: Right. I agree with
3 Dewayne, but I think that the perspective should be
4 how do we establish an environment for the widest
5 range of experimentation, protected both against
6 incumbents trying to protect themselves, and
7 against the system melting down? And in this
8 context, I think thinking about different bands
9 differently helps. So I think in Microsoft's
10 comments, for example, they suggested a protocol
11 layer, a MAC layer in the 5g band, a lot of issues
12 about what the protocol would be, and who would set
13 it, of course. How else could there be a proposal
14 by Microsoft without those questions, but still I
15 think it's a good proposal, because in that
16 context, at least we could have a protocol band
17 that would avoid exactly this kind of meltdown
18 problem.

19 It would be a mistake, though, to take
20 that idea and impose it across the board to all of
21 the bands that are unlicensed. What's got to
22 happen is a wide range of environments that
23 encourage lots of different experimentation here,
24 and develop models that can challenge the owned or
25 licensed bands.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Okay. Bob Phaneuf, what's
2 your experience in this area?

3 MR. PHANEUF: Well, I've got a
4 different problem than most of you. I probably
5 have more spectrum in one radio than the world has
6 used to date.

7 DR. LUCKY: Can we have some of it?

8 MR. PHANEUF: Yeah. It turns out my
9 radios are 60 gigahertz right now, and it's very
10 easy for me to transmit full-duplex 1.25 gigahertz
11 data rate real stuff. It's a wireless link to
12 fiber.

13 My problem with the licensed band, or
14 the unlicensed band, not a problem really, is that
15 I was really -- I, being my company, was the first
16 guy in. And when you're the first guy in and
17 you're trying to develop new spectrum, this amount
18 of spectrum, everybody thinks they want it, but
19 they really don't know what they want to do with
20 it. And so each customer you go to has a little
21 bit different spin on -- I mean, I have just this
22 wireless link that can do, I think, most anything,
23 but they want to interface it with different kind
24 of switches, different kind of clock rates,
25 different kind of protocols, and so we have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 change.

2 Every now and then we'll have to change
3 our back end. Very rarely do we have to change the
4 microwave part of it, the millimeter wave part of
5 it, but the back end. And the flexibility of the
6 unlicensed band allows me to go almost any
7 customer, whether it's a campus network or the big
8 carriers are just playing with us now, by the way.

9 That's my problem.

10 I've got two and four radios on top of
11 a lot of buildings. The only ones that have a
12 decent number, I think I've got oh, maybe 20 in
13 Japan that are linked together. We thought
14 Expedient was going to be our big hope down in
15 Miami, and they kind of caved in and went out of
16 business.

17 But the problem is, the -- I couldn't
18 have filled any of these to anybody if I didn't
19 have the flexibility that the unlicensed band gives
20 us, and that's, I guess, my big message. I don't
21 think -- I think there's always going to be
22 problems. I've had like five radios on the same
23 frequency on one roof pointing at different
24 directions. Of course, my beam is a needle, and
25 that works pretty well. And what happens when it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't work, you move it a little bit.

2 I mean, you can solve these problems in
3 a very practical sense. The thing I'll tell you
4 too is, that time I take a look at the design of
5 the radio I can think of improvements, and that's
6 probably the way it's going to happen in terms of
7 correcting our mistakes, or interference mistakes.

8 We really can be clever, but right now the big
9 thing is to get out there and get using this stuff,
10 because if we don't really get using the stuff,
11 then we really don't know where the bodies are
12 buried. We don't know what problems we have to
13 solve, so I do think that the -- and I have a
14 tendency to focus on the fundamental link-to-link.

15 These are point-to-point systems, by the way,
16 because of their frequencies, but they are
17 networked and they network pretty well.

18 But one of the things that's kind of
19 amusing to me is this panel seems more like a
20 computer data processing panel than it does an RF
21 panel. It turns out that there's still some of us
22 left that think that bandwidth is really
23 information rate, so I guess that's --

24 DR. LUCKY: Okay. Thanks, Bob. I'd
25 like to turn it over to questions and comments from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the audience now. The two questions on the table
2 are first, what's good and bad about Unlicensed
3 Spectrum? Now I think what we have on the panel is
4 everyone loved it, you know. They want more of it,
5 but perhaps there's somebody out there who could
6 speak for, perhaps an incumbent that feels like
7 they're being undercut by this, or hurt by it,
8 interference or whatever. So the two questions are
9 what's good and bad about unlicensed, and will this
10 melt down? So comments from the audience. Sir?

11 AUDIENCE MEMBER: Yes. With respect to
12 any kind of hyperbolic statement like spectral
13 meltdown or the converse, that wireless unlicensed
14 is the second coming masqueraded as technology. I
15 think one does well to try to analyze the source of
16 the comment.

17 Do you think that, you know, the claims
18 that, or as I would contend, the myth of over-
19 spectral congestion say, for example, in 2.4, do
20 you think much of that comes from disingenuous
21 parties who may have a vested interest in making
22 everyone think that it doesn't work?

23 DR. LUCKY: Some of it does come from
24 that. I think it's also, in my own opinion, that a
25 lot of the technology statements are driven by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fashion. Somebody says, you know, it's going to
2 meltdown, and it becomes very fashionable to say
3 that, and so everybody starts worrying about it.
4 And it turns out that there is no real data behind
5 that statement, that it just becomes common
6 knowledge that this is going to meltdown.

7 Other comments, questions? Yes.

8 AUDIENCE MEMBER: I think I heard
9 several of the panelists discuss the problem of
10 interference between intelligent and unintelligent
11 uses of unlicensed, where you have in the way in
12 the commons you have two types of farmers. You
13 have those farmers who are bringing in with them
14 intelligent technology so that their cows can, or
15 their sheep can kind of ease back when they see
16 problems. But in a way, the other farmers who
17 don't choose to use that technology can free ride.

18 And I'm wondering if one of the suggestions that
19 may come out of this is creating or segregating a
20 part of the unlicensed bands for technologies that
21 incorporate some general intelligent or cognitive
22 protocols so that they can have their own place to
23 innovate, as long as no particular technology or
24 solution is endorsed.

25 DR. LUCKY: Larry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PROF. LESSIG: I think it's a
2 critically important issue, especially as it
3 relates to incumbent technologies. The unfortunate
4 presumption so far in the regulatory context has
5 been to protect the unintelligent, and to force the
6 intelligent to be really, really super intelligent
7 so that they don't --- and I believe in Darwin.
8 Right?

9 I think we should have a regulatory
10 Darwin that says if there are unintelligent
11 technologies, we should be tilting against them so
12 that we have a move towards a much higher bits-per-
13 second throughput here in the use of spectrum, so
14 this is a combination both of band, of what we call
15 bandwidth, but also computational power that could
16 really increase the total capacity. I think that's
17 the message, in particular, David was offering
18 here. But the only way we're going to get there is
19 to stop preferring or --- through regulatory
20 structures preferring the unintelligent structures
21 over the intelligent ones.

22 DR. LUCKY: Interesting. Other
23 comments? Yes.

24 MR. CHAMBERLAIN: I think the 2.4
25 gigahertz spectrum is a perfect example of this. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean, for instance, you have the unintelligent
2 microwave oven, just spews out energy in that band.

3 And then you have a telephone that needs to
4 operate in the kitchen, so what happens is you
5 devise a way of making that work.

6 Now if you start segregating that band,
7 depending, you know --- now you're limiting your
8 ability to jump around that information and energy,
9 because I don't think the Commission or anyone can
10 figure out what all devices are going to be
11 created.

12 You have to give them, you know, give
13 the people within that band the ability to deal
14 with the situation, so you take a look at what
15 spectrum you're in from the marketplace side. You
16 take a look at it, you innovate, and you come out
17 with new products. I mean, I think it's fairly
18 simple.

19 DR. LUCKY: Sir. You've got one?

20 AUDIENCE MEMBER: Yes.

21 DR. LUCKY: Okay. Fine. Go ahead.
22 See, this is the comments, but there are rules.

23 AUDIENCE MEMBER: Actually, that's sort
24 of what I was going to comment on. I don't see
25 there being a meltdown. I think ultimately we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to need more unlicensed spectrum because of
2 increased demands but, you know, there's been some
3 mention about 802.11, and some issue about whether
4 rules, you know, should favor some technology or
5 not.

6 Actually, I think the industry
7 standards bodies have done a very good job of
8 creating some very innovative products with the
9 cooperation of many, many companies in the process.

10 And my understanding is that there is actually a
11 federal law that requires government agencies, in
12 their procurement policies, to favor industry --
13 you know, open consensus standards, and also
14 requires regulatory agencies to consider those
15 standards in the regulatory proceedings.

16 I think the idea of the commons is a
17 good idea, and industry will make it work. As, I
18 believe it's Mr. Reed said, we can pretty much
19 invent ourselves out of, you know, things in the
20 future, as long as we do it in a cooperative way.
21 This may require that the Commission consider some
22 general sorts of requirements for interference
23 avoidance and mitigation techniques in the
24 unlicensed bands in the future, and there are task
25 groups within the standards bodies that are working

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on exactly those sorts of things. 802 just
2 recently created a co-existence technical advisory
3 group.

4 Anyway, I guess what I'm trying to say
5 is no, I don't think there's going to be a
6 meltdown, but I think that there needs to be some
7 thought to protecting all of those people that play
8 by rules that are designed to promote spectral
9 efficiency, from what I would characterize as rogue
10 systems that simply don't care. They just spew, as
11 it was put, without any regard to other occupants
12 that may be trying to use the spectrum
13 cooperatively. Thank you.

14 DR. LUCKY: Okay. We have a comment
15 over here.

16 AUDIENCE MEMBER: My question was,
17 we've heard a little bit about whether the
18 unlicensed --- whether we need more spectrum
19 assigned by unlicensed means or not. I guess the
20 question is, do we need more? And if we did, where
21 in the band should it be of the things that are up
22 for grabs now, that it might be in the near future?
23 Where should the FCC be focusing on making
24 decisions to expand the use of Unlicensed Spectrum?
25 And then maybe a second part of the question is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've heard about the utility or the disadvantages
2 of having rules for unlicensed. What else could
3 the FCC do that you think would either undermine
4 the use of Unlicensed Spectrum now, or is there
5 anything that they could do beyond more spectrum
6 that would assist?

7 DR. LUCKY: Okay. That actually is the
8 next set of questions we're going to move on to, so
9 I think you'll be very timely. I'll get one more
10 here, and then we're going to move on. Sir, I'll -
11 -- we have --- okay, well two more.

12 AUDIENCE MEMBER: Good morning. Is
13 this on?

14 DR. LUCKY: Yes, you're on.

15 AUDIENCE MEMBER: Okay. One of the
16 things I've been hearing is people have been
17 reaching for analogies to try to understand
18 spectrum, and I've been trying to think about that
19 for a while, and I've not yet found an analogy
20 that's perfect. I just wanted to caution that we
21 not think that spectrum is like either traffic,
22 which one of the panelists mentioned earlier this
23 morning. Cars cannot pass through each other
24 without interference, but radio waves can, in fact,
25 pass through each other without interfering.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's not really like grass either, but
2 I haven't been able to find the analogy that's as
3 interesting as cars passing through each other to
4 explain why spectrum is not like grass.

5 I think the most powerful analogy I
6 found is actually due to David Reed, who pointed
7 out that radio waves are ripples on the pond, and
8 they can, in fact, pass through each other. And if
9 you watch rain drop on water, you can actually see
10 the circles expanding, and you can still see the
11 circles from each individual drop, even though
12 there are many drops. And that's a pretty good
13 analogy.

14 And I don't believe that there's any --
15 - that there's going to be a meltdown. It's like
16 ripples on a pond. There are no wake zones
17 sometimes around docks and stuff, but in the open
18 ocean you don't actually have to have a limit on
19 how big of a wake a ship can make, because there's
20 really no incentive for the ship to make as big of
21 a wake as possible. It just needs to get from
22 where it's coming from to where it's going.

23 DR. LUCKY: Well, I would say that
24 David's point was that there's --- that
25 interference doesn't --- waves do pass through each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other. But unfortunately, the damage occurs in the
2 receiver design. And that, in fact, you have
3 legacy receivers out there that are not able to
4 disambiguate these ripples in the pond, so that's -
5 -- this is a problem that always confronts the FCC,
6 is you have legacy environments that don't --- that
7 play by old rules that may not be technologically
8 advanced.

9 Okay. We had one more over there, and
10 then we'll move on.

11 AUDIENCE MEMBER: I'd like to comment
12 on Professor Lessig's comment about having a bias
13 in favor of intelligent systems that tend not to be
14 better behaved. The problem with that is, what is
15 good behavior can be very peculiar to the goals of
16 the system, and so you may well have a system that
17 has a good set of rules internal to itself, but
18 when the next new activity comes around, its
19 definition of what is being a good and cooperative
20 is different. And so, in effect, you can see rules
21 for -- or biases in favor of intelligibility become
22 barriers to entry.

23 Although I -- the second thing I'd say
24 is that we're not --- not all Part 15 is the same,
25 and that we do not automatically have to have every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 band be a classic Part 15 with a power limitation,
2 and no other limitations. Look at the PCS Part 15,
3 and you've got a huge realm of ways of having
4 different Part 15s. Thanks.

5 DR. LUCKY: Larry, would you like to
6 respond?

7 PROF. LESSIG: Yes. I was -- this
8 actually picks up on this example of the microwave
9 oven. I think we should distinguish between a bias
10 in the regulatory context, and a bias in the
11 marketplace. I don't think we have to worry about
12 the marketplace. If you've got microwave ovens
13 that are putting off too much --- too high
14 emissions that's interfering with some other use,
15 then you'll have microwave manufacturers who say we
16 have zero-emission microwaves. This is the
17 competitive process, that you have better
18 production of products that people can use within
19 their house.

20 The particular bias I'm worried about
21 is where somebody doesn't have to rely on the
22 competitive marketplace in order to sell their
23 products, but they can go to the government, and
24 they can say to the government look, this new use
25 of spectrum is making my stupid use of spectrum not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work as well as it used to work. And the
2 presumption, the regulatory presumption has often
3 been well, the stupid use of spectrum prevails
4 because they've been there since time immemorial,
5 like five years. And so all I'm saying is, that
6 attitude from the standpoint of the government is a
7 powerful tool that incumbents can use to protect
8 themselves against what would be better
9 technologies.

10 It's not that every use of spectrum
11 needs to be as intelligent as David Reed. It's
12 just that some uses of spectrum should, and the
13 government should punish intelligent uses against
14 the unintelligent uses. Maybe this is just a smart
15 kid trying to get revenge from high school life,
16 where the unintelligent seemed to have the bias of
17 the government on their side all the time.

18 (Laughter.)

19 PROF. LESSIG: But I think in spectrum
20 policy, it's an important rule. It seems an
21 obvious point which the FCC has not yet universally
22 grabbed onto and run with.

23 DR. LUCKY: Okay. I've been remiss in
24 asking people to identify themselves when you make
25 a comment or a question from the audience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let me --- before I turn it over to my
2 co-moderator for the next set of questions, what
3 we've had here is everybody has said unlicensed is
4 great, and we ought to create more of it. Is there
5 anybody here who would care to give the other side,
6 that would feel that it wouldn't be right to create
7 more Unlicensed Spectrum? This is your chance.

8 MR. HADINGER: Bob.

9 DR. LUCKY: Yes.

10 MR. HADINGER: As possibly the only
11 licensee sitting at the table, I do want to take
12 the chance to say that while I believe that there
13 is great potential in unlicensed communications,
14 that that is not to say that all communications
15 should be unlicensed. And, you know, certainly
16 there are systems and processes of great
17 importance, and which have served us very, very
18 well in a licensed context. And that, in fact, you
19 know, encouraging unlicensed, which I certainly do,
20 is not necessarily to say that that should be the
21 only way.

22 DR. LUCKY: Okay. Mike, you take over.

23 DR. MARCUS: Okay. Let me follow on
24 slightly what Peter said and point out, in
25 satellite uplink bands, there are special

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considerations for unlicensed things that don't
2 apply in other bands, and UNII, for example, is
3 one place where we address that specifically.

4 We do actually read the comments people
5 send us. People wonder if we read the comments,
6 but we actually do. And, for example,
7 Nokiapart15.org, Mutual Data Services and IEEE 802
8 all made the basic point that more spectrum is
9 needed for unlicensed devices, presumably spectrum
10 like the ISM bands where unlicensed devices have a
11 preferred frame of reference.

12 Section 15.209, which has been on the
13 books since 1989, actually allows unlicensed
14 devices sort of almost everywhere below 40
15 gigahertz, with the exception of specifically
16 enumerated bands. But I assume what most people
17 were talking about in their comments were bands
18 like the ISM band, or bands like the UNII band,
19 where unlicensed things have fewer restraints and
20 higher power than the Minus 41 DPM per megahertz,
21 which is typical of the other bands. So this set
22 of questions focuses on do we need the additional
23 bands, like the commentators have said? If so, for
24 what type of system is that needed?

25 Spectrum is not an unlimited resource,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at least beach front property spectrum is not an
2 unlimited resource. If we were to create more
3 unlicensed bands below 10 gigahertz, it's a zero
4 sum gain that we have other users or request for
5 users, and if we allocate any additional bands for
6 preferred use by unlicensed things, basically
7 someone either has to be kicked out, or someone has
8 to be denied entry that they might have. So if you
9 think there's more unlicensed band, could you say
10 something about how do we prioritize it, vis a vis
11 other pending requests for under gigahertz.

12 And in addition to unlicensed, we have
13 a class of things that -- close cousins, but
14 technically called licensed by rule. For example,
15 citizen band radio service, family radio service,
16 multiple use radio service where you don't apply
17 for a license, but legalistically a license exists
18 somewhere. Family radio service, particularly in
19 the past couple of years has been a growing demand.

20 Is there a need for more expansion in spectrum for
21 that type of services too? So who on the panel
22 wants to speak first?

23 MR. CHAMBERLAIN: To address the last
24 question you had, Michael, about unlicensed
25 services like FRS. FRS has grown for a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hundred thousand units in 1998, to close to 15
2 million units this year. It's been a very
3 successful two-way communication device.

4 Right now it's 14 channels. Last year
5 the Commission allowed a licensed an unlicensed
6 device to be put together, an FRS and GMRS radio,
7 which allowed 22 channels, which gave more
8 spectrum, but now has put the average customer in
9 an unusual position, in that he's very - how do I
10 say it - familiar with the FRS service, and that
11 it's unlicensed, and they've been using it, and
12 they're going out to get more of these products.
13 And now they see 22 channels and they're very
14 excited. I got more than 14, but the problem is
15 that it really requires a license. And
16 unfortunately, most of our customers don't read our
17 instruction manuals. We spend a lot of time on
18 them, but they don't read them, and a lot of these
19 people are not applying for licenses.

20 So I would say FRS, its success and
21 expansion, the combined service radio into maybe a
22 license-free service would be something that the
23 Commission should consider.

24 DR. MARCUS: Anyone else on the panel?

25 MR. REED: Yeah. I think it's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting question, or interesting thing that you
2 phrased it in terms of bands. And really, we've
3 gotten to the point where most technologies really,
4 or there are a lot of new technologies, I shouldn't
5 say most technologies, a lot of new technologies
6 that really are probably best not thought of in
7 terms of bands.

8 Narrow band radio tends to have a lot
9 of constraints on it. It's useful for voice,
10 maybe, and for low speed data, but wideband systems
11 are what we're going to need for a lot of things.
12 And extremely wideband systems, you know, where the
13 first examples are ultra wideband, but there are
14 lots of other extremely wideband options out there,
15 including the 60 gigahertz stuff here - really
16 provide a very different kind of service, and
17 almost call for sharing with other services in
18 order to get the most out of them. And then
19 there's also the geographic sharing that's
20 possible.

21 One fascinating thing I pointed out in
22 my filing, it's kind of an -- it exaggerates to
23 make a point, is that if you think about the
24 broadcast stations, regular broadcast television
25 and radio bands that are in the prime area, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually look in most cities, you'll find, if you
2 tune your little spectrum analyzer across the dial,
3 that most of the spectrum is unused.

4 An agile system, or an overlay system,
5 that ultra wideband can make use of that very
6 effectively without practically interfering with
7 any receiver. However, the way the regulations are
8 written about interference, the regulations refer
9 to interference at the transmitter, or in the
10 transmitted domain, not the receiver domain. So
11 we're in the position of actually having a legal
12 definition of interference that says interference
13 happens even when nobody is there to notice it,
14 like if you're sitting out in some rural area in
15 New York where you could perfectly happily use, you
16 know, the television band, and your radiation
17 wouldn't affect anybody, because nobody actually
18 uses their television antenna to receive signals in
19 your neighborhood.

20 You're still interfering if somebody
21 could potentially walk in there and, you know, deal
22 with that so -- or, you know, and turn on a T.V.
23 set and, in fact, turn on a T.V. set that was
24 designed in 1930, so it would actually suffer the
25 affects of these problems. So we're really in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 position where we have a lot of beach front
2 spectrum - I hate to use that word - available now.

3 We have a legal system that makes it unavailable,
4 and a set of incumbents who find it very useful to
5 pretend that it's unavailable because it ultimately
6 eliminates competition.

7 DR. MARCUS: Is there anyone on the
8 panel who does think we need additional band for
9 unlicensed? Maybe this will make our life much
10 easier.

11 MR. REED: Well, I think we need new
12 approaches to creating unlicensed space, but what
13 we need is unlicensed radio, not unlicensed bands,
14 and we can unlicense a lot of other technological
15 approaches, while still preserving, you know, some
16 of the benefits of some certain licensed services,
17 without them even noticing that you're there.

18 DR. MARCUS: Dewayne.

19 MR. HENDRICKS: Three comments. The
20 term "beach front property" has been thrown around
21 a lot. I'd like to define it. Basically, to me,
22 beach front property is from 30 megahertz to 3
23 gigahertz. Beach front property might go up to 6,
24 that was used once. But anyway, that's my working
25 definition for beach front property.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next comment. I, personally, am not an
2 advocate for more spectrum for unlicensed according
3 to the current Spectrum Management Paradigm. Okay?

4 I don't think that we've really farmed adequately
5 the Spectrum that we have allocated for unlicensed
6 already. If you look at the historical record
7 again, there's been some more allocations for
8 unlicensed. There was the unlicensed PCS
9 experiment, which I deem failed, and that 20
10 megahertz was allocated. Apple started that. They
11 wanted 50 megahertz. The Commission allocated 20,
12 and then an additional 10 was allocated, and it was
13 never really used except for the wireless PB
14 access for the isochronous part of that allocation.

15 And then came the UNII band, 300 megahertz. Okay?

16 So the UNII band certainly hasn't been farmed at
17 all to this -- up to this point. And then 2.4
18 gigahertz, I think there's a lot more that could be
19 done there.

20 The problem I see for the current
21 unlicensed bands in terms of this meltdown issue,
22 is not a meltdown per se, but the fact that you
23 have incompatible sharing partners in those bands.

24 By that I mean, you have licensed services. For
25 instance, in 2.4 gigahertz you have four licensed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 services, and amateur radio is one, but there's
2 three others that most people aren't aware of. And
3 the thing about these incompatible sharing
4 partners, it means that the licensed services can't
5 go to the Commission and claim interference and
6 have the unlicensed services shut down.

7 Now this is the biggest threat that I
8 see for unlicensed, is the fact that the license
9 holders have bigger rights to those bands than the
10 unlicensed, so it's not a meltdown that I see as
11 the big threat, it's the license holders asserting
12 their rights, so that's a problem under the current
13 Spectrum Management paradigm.

14 So to sum up my second point, no more
15 unlicensed spectrum under the current paradigm.
16 Let's make better use of what we've got, use
17 Darwinian principles and let's see what happens.

18 My third and last point is that - and
19 this speaks to what Dave was saying - we don't need
20 no stinking bands - okay - any more with the
21 technologies that are available. I prefer to use
22 the term "wideband technology", which encompasses
23 not only ultra wideband, but spread spectrum. We
24 tend to forget that spread spectrum has been around
25 for a long time, has been pretty darned successful,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it's a wideband technology, so at the TAC we've
2 been using the term "wideband technology" to handle
3 -- to be the moniker for this class of technologies
4 that use more spectrum than the information
5 bandwidth.

6 Now the term has been introduced that
7 these things use spectrum overlay so they can
8 essentially transmit over existing services and do
9 no harm. Lately, Bob Pepper two months ago coined
10 the term "Spectrum Underlay", and so I'm starting
11 to use that term now, rather than overlay, because
12 I think it's more politically correct. It also
13 speaks to what's being done there, in that you're
14 basically underlying something under an existing
15 service. Okay? And this is possible with the
16 technologies that we are coming down the pike. And
17 so, now okay, yes, unlicensed but under -- more
18 spectrum for unlicensed but under a new paradigm.

19 DR. MARCUS: Okay. Peter.

20 MR. HADINGER: Thank you. A couple of
21 comments on a few of the points that have been made
22 panelists and audience up to this point. First of
23 all, just in response to what is beach front? I
24 think that it depends on who you are. Certainly,
25 in the satellite community, beach front extends

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well above 3 gigahertz, and we're quite happy with
2 it.

3 In terms of the concept of bands, there
4 is, I think, a need to have bands for unlicensed,
5 because again what you're trying to do, at least in
6 my view, is to try to bring things of like
7 characteristics together. And in some sense,
8 unlicensed, it may have a like characteristic in
9 the sense that it's not -- it doesn't conform to
10 rules. And maybe what you want to do is have a
11 place where such things are allowed to operate, all
12 of which realize that they may impose some
13 inefficiency in their design by adding additional
14 protocols, and layers, and so forth, to allow more
15 efficient sharing with people who also don't
16 necessarily have rules. But that making them co-
17 habitate with folks who have adopted similar
18 sharing rules, and have found very efficient ways
19 of using their spectrum is probably not the right
20 answer, so I do think that there should be
21 additional bands set aside for unlicensed. And as
22 in most cases, and probably even more so for
23 unlicensed, what these greenfields should be is
24 everywhere from D.C. to daylight to take advantage
25 of the different characteristics that exist in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different bands.

2 In other words, there's certainly
3 different characteristics at VHF frequencies, in
4 terms of penetration and propagation distances,
5 than there are at 60 gigahertz which, by the way, I
6 think is a wonderful band for unlicensed, just
7 because the propagation characteristics and the
8 beam widths make it so unlikely that interference
9 would actually happen.

10 All of these are a way of saying that
11 in order for things to share, there has to exist a
12 barrier between the types of users in one fashion
13 or another. This barrier can take the form of
14 frequency, having people assigned to different
15 frequencies. It can take the form of time, having
16 people in different time slots. It can take the
17 form of having orthogonal codes or amount of
18 attenuation between types of systems, some things
19 for indoor use, some things for outdoor use. A
20 number of different places where we can have
21 sharing, but you have to have a barrier that
22 exists. You know, good fences make good neighbors,
23 and where you do that, I think that you can find an
24 opportunity for the greatest amount of sharing,
25 without creating interference that would otherwise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be harmful.

2 DR. MARCUS: Okay. Now we want to
3 leave some time for the audience that may have
4 questions or statements, so Larry.

5 PROF. LESSIG: Well, I -- so between
6 these two comments, one that says that we don't
7 need no bands, and the other says that we do need
8 bands, I think the right answer has go to be we
9 don't know enough about whether we need more bands,
10 or we don't need more bands.

11 DR. MARCUS: So what question should we
12 ask?

13 PROF. LESSIG: So then we should be
14 asking, how do we facilitate the experiment to
15 allow both of these to go forward. Now in the
16 context of no bands, I mean, the work that I've
17 been reading suggests that this really is something
18 of the future here, whether we think of this under
19 the general category of wideband. But I would just
20 emphasize that when David says what we need is to
21 facilitate sharing, that opens up a huge political
22 question about what is the "sharing" going to be?
23 Can the unintelligent incumbent say that well, I
24 don't have to put any intelligence into my system
25 at all, and then say that you're not sharing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me because now we're in some sense conflicting.
2 That would be the wrong answer for the FCC to
3 adopt, so sharing must include at least some
4 reasonable and very cogent idea, cheapest, cost-
5 avoider conception about how to facilitate sharing
6 in this wideband context.

7 But the second thing that's got to
8 happen is that the FCC has got to begin to clarify
9 the distinction between technical interference and
10 competitive interference. We saw this most clearly
11 in the context of low power FM radio, where the
12 FCC, I thought, did a great job in trying to
13 demonstrate we could actually have much greater,
14 more diverse radio, FM radio. And then this was
15 attacked by Congress under the conception of
16 interference would be created by this low power FM
17 radio. But obviously, there was no technical
18 interference created by low power FM radio,
19 especially as the FCC finally approved it. The
20 interference was competitive interference. It was
21 going to create more competitors.

22 Now the FCC is obviously not the
23 ultimate policymaker, and if Congress wants to be
24 corrupt, they're allowed to be corrupt in this way.
25 That's fine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 PROF. LESSIG: But the FCC could
3 facilitate a discussion about what's the relevant
4 issue -- what's the relevant interest at stake here
5 by distinguishing between which interferences are
6 really technical interference, and then have a
7 competitive impact statement. And this will make
8 it much harder for the following people to continue
9 to do their incumbent way of doing business.

10 At least we could have a discussion
11 that said okay, you are benefitting the incumbent
12 against this new technology to do whiz-bang
13 whatever, and just bear the political cost for
14 benefitting the old against the new.

15 DR. MARCUS: David, and then we'll go
16 to the audience.

17 MR. REED: Okay. I'm not sure I'm
18 going to be quite as controversial as that, but
19 what -- I kind of disagree with this good fences
20 make good neighbors thing. And we could get into,
21 you know, the sheep versus the cattle answer back
22 in the old days, but actually, it turns out there's
23 a really great example in communications of how
24 good fences weren't needed, and that's the
25 Internet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Twenty-five years ago, or more, we
2 recognized that the applications of the Internet
3 were unknown, and the right technologies were
4 unknown, and we would need to evolve some answers.

5 We didn't anticipate that the system would last 25
6 years. Our hope was that it would last 5 years,
7 and we'd come up with some very interesting
8 research results.

9 What we learned, and what the IETF, the
10 Internet Engineering Task Force learned over time,
11 is that there is a way to manage the evolution of
12 rules among a group of not always friendly, and
13 certainly not always compatible users of a system
14 that shares a lot of resources.

15 That learning, which is based on some
16 architectural principles, one of which I'm partly
17 responsible for, called the "end-to-end argument",
18 basically says that if you find a way to get a
19 minimal standard that allows for cooperation, and a
20 process that allows you to evolve both the rules,
21 and also increase capacity as times goes on, then
22 people can do -- you know, follow a mixed strategy
23 of defining new rules where they can, creating more
24 capacity so the interference doesn't happen. And
25 what we see in wireless, I had thought 10 years ago

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when I got interested in wireless that the
2 rulemaking could follow the Internet model, but I
3 wasn't quite sure about whether we could increase
4 capacity over time fast enough to deal with the
5 demand if we opened up an unlicensed or unmoderated
6 space.

7 This research that I've been looking at
8 recently, which basically says that capacity and
9 all kinds of other benefits can increase with the
10 number of users bringing resources to the system,
11 independent of how much spectrum they're on, leads
12 me to believe that we could follow the Internet
13 model quite safely. We have zillions of engineers
14 involved and, you know, who have figured out how
15 to do that, working for companies ranging from
16 Cisco to, you know, Microsoft, to a lot of other
17 companies, so we know how to live in that world.

18 It may not be the case that
19 broadcasters or the cell phone operators know how
20 to live in that world, but I think they could learn
21 rather quickly. Thanks.

22 DR. MARCUS: Bob.

23 DR. LUCKY: Yeah. Let me comment on
24 that because I think the Internet is a very
25 interesting example, because it is a commons, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it does mainly work. And one of the interesting
2 things is how TCP shares the space out there by
3 everyone sort of using the same software, different
4 varieties of it that backs-off when it encounters
5 congestion. And it's a lot similar to what 802.11
6 does, in that listen before you speak kind of
7 thing. But similar to the 2.4 gig band, there are
8 other users of the Internet who don't obey that
9 courtesy protocol, like UDP, which just sort of
10 blasts out there, and you have this mixture of
11 people who are obeying rules, and people who aren't
12 obeying rules. But the bottom line is, it works.

13 MR. REED: Actually, I could -- Larry
14 hinted at why it works. I've wondered about that
15 for a long time because cooperation or defection
16 from cooperation is an interesting question. And,
17 you know, lots of people -- Bob Metcalfe is the
18 most famous person who prophesized the meltdown of
19 the Internet for precisely this reason.

20 I started to delve into that question
21 of why no meltdown. Certainly, some company could
22 come out and say I have the world's most efficient
23 protocol, and the way it gets its efficiency is by
24 blasting everybody out of the way and just doing,
25 you know, doing the best for the individual user.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What tends to happen, first of all,
2 that's an observed behavior. It's measured,
3 detected, people point that out to the user.
4 Second, almost always organizations are deploying
5 these systems, not sole isolated individuals. And
6 organizations don't want to blast their other
7 users, so they have an incentive to cooperate, so
8 what ends up happening is that in the competitive
9 marketplace, if you say that, you immediately get
10 noticed as a polluter. And polluters, you know,
11 when you are selling a polluting product, even if
12 it's got benefits to the user, as long as that
13 pollution is, you know, well-known in the
14 marketplace, people don't buy it. People are, you
15 know, for the most part, you know, like the zero-
16 emission microwave ovens, you know, if they could
17 buy an alternative, you know, they'll stay away
18 from the polluting products. And, you know, that
19 doesn't always happen, but that is an aspect of the
20 market self-regulation that's not usually
21 considered in the economic model here, that it
22 happens in the competition rather than the
23 regulatory space.

24 DR. MARCUS: Okay. I'd like to open
25 the floor now for questions on the need for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional spectrum for either unlicensed or these
2 other, the cousins that are licensed by rule. And
3 could you please, when you ask a question, identify
4 yourself with your name and affiliation at the
5 beginning. Over here.

6 MR. SNYDER: Jim Snyder from the New
7 America Foundation. I'm wondering if the FCC is
8 considering any sophisticated variable power and
9 directional schemes in conjunction with unlicensed
10 spectrum. What I have in mind, in particular, is
11 what some have called the Afghan Spectrum
12 Etiquette, which is a conjunction of say GPS and
13 Unlicensed Spectrum to control power levels, so
14 that if you're in rural Wyoming, or in a low-
15 density suburb, you don't have to be restricted on
16 the current, say wi-fi, power limits. Or wherever
17 you are, there are a lot of places where it's an
18 artificial restriction, and if you could coordinate
19 via satellite. You know, in Afghanistan, the
20 military coordinated the air campaign with the
21 ground campaign.

22 MR. REED: But the current block of
23 question is do we need more spectrum, and we're
24 getting into etiquettes very quickly, but could we
25 keep this particular block of questions on do we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need more spectrum? So keep that thought, the
2 person back here.

3 MR. KOB: Well, Michael, you also
4 spoke to licensed by rule, and I'd like to address
5 that, and the comment made by the gentleman from
6 Cobra. I think he put his finger on what is really
7 a terrible dilemma that is to some degree
8 Commission created, and that is the mixing, as he
9 pointed out, of a licensed by rule service with a
10 service that requires a conventional license. So
11 the end-user has this device. It's a single radio
12 unit, but some of the channels in it are exempt
13 from licensing by statute, and other of the
14 channels require an expensive government license, a
15 complex form or web procedure to get a piece of
16 paper from the government, and the radio will work
17 fine without sending the \$85 or whatever it is to
18 the FCC.

19 DR. MARCUS: Do we need another band or
20 don't we then?

21 MR. KOB: Well, I want to point out
22 that the issue is licensed by rule. And the clash
23 between users with conventional licenses and users
24 that don't require a license. And this is simply
25 going to increase. These products sell in enormous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume. And what I think the solution has to be is
2 the introduction of cognitive radio and SDR
3 techniques into these bands. And what the
4 Commission will have to deal with is how to evolve
5 these services, how to introduce this technology
6 into bands that already fill large numbers of
7 analog users.

8 I'm afraid that the Commission might
9 wait for manufacturers to come up with this
10 initiative. They may be waiting a long time. And
11 the problem is, if you do not address this, you're
12 going to perpetuate this problem of I'm required to
13 send all this money to Washington, and all I get is
14 a postcard with my name and address on it. It
15 makes absolutely no difference, and the continued
16 really increasing interference issues between users
17 who have had licenses, been there for a long time,
18 and expect disciplined operation, and then people
19 who are consumers who really are not concerned with
20 FCC rules. They just want to talk on the radio.

21 So as to the question of do we need
22 more spectrum for unlicensed, I'm a big booster of
23 unlicensed, but I think it's a myth that if you
24 allocate more spectrum, manufacturers, vendors and
25 users will automatically flow in. That's not the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 case.

2 DR. MARCUS: Okay. Benn, for the few
3 people in the room who don't know who you are,
4 could you please say who you are.

5 MR. KOBBS: I'm a consultant in radio
6 spectrum policy.

7 DR. MARCUS: Your name?

8 MR. KOBBS: My name is Benn Kobb.

9 DR. MARCUS: Okay. Great.

10 MR. KOBBS: So it's not just the
11 availability of spectrum. It's the availability of
12 standards, of business opportunity, of technology
13 suitable for that spectrum, and in some cases, the
14 possibility of international markets. All of these
15 are the things that draw manufacturers to a given
16 band, not simply the availability of the spectrum.

17 DR. MARCUS: Okay. Thank you very
18 much. Has anyone -- now does anyone specifically
19 say (A) we need spectrum for X, or (B), we don't
20 need spectrum for Y? Yes, sir.

21 MR. COOPER: Well, I'm going to suggest
22 a better -- Mark Cooper, Consumer Federation of
23 America. I'm going to suggest the better question
24 is not whether we need more or less today, but how
25 we'll free it when we do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dewayne is suggesting if we really had
2 a chance to develop what we've got, we'd prove that
3 this is a better space, a better way to organize
4 the space, and so that over time the question is,
5 as that space becomes filled, how are we going to
6 get the rest of the beach front liberated from the
7 tyranny of the licenses? And I think that would be
8 a set of -- that's the better question.

9 (A) You certainly don't kill the
10 experiments today of which there is a threat. And
11 then (B), if you do conclude, as most people on
12 this panel suggest, this is a better way to
13 organize the space, then you've got the really big
14 question of how you're going to get the incumbents
15 out of their existing spaces.

16 DR. LUCKY: In the real world, you
17 know, beach front occasionally have a hurricane.

18 (Laughter.)

19 DR. MARCUS: Any other questions? Over
20 here.

21 AUDIENCE MEMBER: Yeah. I'd like to
22 just address this to anybody on the panel --

23 DR. MARCUS: Could you identify
24 yourself please, sir.

25 AUDIENCE MEMBER: -- who would like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address this. We talked about the Internet model,
2 and I think we've got to be a bit careful, and I
3 just wonder how you folks feel about that.

4 The Internet actually has an underlying
5 architecture, and it does have a minimal protocol,
6 and you could call that a set of rules. How they
7 evolved is another thing, but they do exist. So
8 are we talking implicit in this that we do need an
9 architecture and a set of minimal rules? Is there
10 support for that, or opposition to that position?

11 MR. CHAMBERLAIN: There is an
12 underlying set of rules, and that is nature, where
13 there's airways, propagation. They are under --

14 AUDIENCE MEMBER: Networks are not
15 nature. Servers, and bridges, and airports are not
16 nature.

17 MR. CHAMBERLAIN: No, I understand
18 that, but in today's Unlicensed Spectrum there is
19 nature. Nature has a way of limiting. There's
20 power limits right now. There is -- those things
21 tend to limit the amount, how do I say it, conflict
22 between users.

23 As in the Internet model, those people
24 that try to go against nature usually are defeated,
25 so I mean, I think there's no need for set of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rules. I think as many of the panelists have
2 pointed out, as people violate nature, they are
3 usually rudely awakened.

4 PROF. LESSIG: I think -- I mean, this
5 is to emphasize something David was just saying,
6 that it would be ideal if we could get to the
7 position where we had an equivalent to the TCP/IP
8 protocol in the context of the use of wireless. We
9 don't know what that would be right now. I mean,
10 even one of the original architects of the framing
11 of the end-to-end argument says we don't know what
12 that would be right now, so if we don't know what
13 it would be right now, but we agree we ought to be
14 getting there, I think the answer comes back to
15 leaving enough place for the experimentation to
16 discover what that would be. And if we did get to
17 that neck in the hourglass that facilitated the
18 widest range of experimentation on the bottom or
19 the top of the hourglass, then we would have
20 something that we could say that is the Internet,
21 and that does facilitate the same kind of end-to-
22 end innovation the Internet did enable. That's, I
23 think, where we should be going, because the
24 critical feature of David's end-to-end argument
25 that, from my perspective is, it by architecture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 eliminates the possibility of the network owner
2 benefitting or entrenching its own incumbent
3 position against the next great idea. It's an
4 architectural solution to the problem that I was
5 suggesting the FCC had to address.

6 DR. LUCKY: Well, I'd like to comment
7 on that too, because David raised another point in
8 that same discussion about the role of the IETF.
9 And this is more than just an underlying
10 architecture. It's a process for standardization
11 that was different than the telecom industry had
12 previously. The telecom industry had a long drawn
13 out process where, you know, standards would be
14 evolved before the service was done.

15 In the IETF, you had experimentation,
16 and only when a protocol was observed to behave
17 well was it actually standardized, but the
18 experimentation went on. And the IETF process for
19 standardization was very very interesting.

20 MR. REED: Yes. And there's a famous
21 phrase which is rough consensus and working code,
22 which points out the essential different; which is
23 that, you know, you build the code and see if it
24 works. And then you get a rough consensus around
25 the standard, which means that there probably are a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of people that aren't quite ready to adopt it,
2 but you move forward anyway and address those as
3 you go on. That's very different than any
4 historical communications process in the wired or
5 wireless area, and I'd claim that, you know, is a
6 huge reason why the Internet has eclipsed all the
7 competitors that were trying to build network
8 services, but limiting their aspirations and trying
9 to design the answer before they knew what the
10 problem was.

11 DR. LUCKY: Contrast that with 3g, with
12 ISDN, you know, with all these things which were,
13 you know, standardized long before they were
14 actually introduced. And then by the time they ere
15 introduced, maybe they weren't wanted any more.

16 MR. REED: Right. Iridium is actually
17 an exciting example of that, where the most
18 brilliant -- I would claim Iridium was a brilliant
19 technological thing. I, you know, bow down to the
20 people who did Iridium. The one question that they
21 didn't answer at the beginning is what would it be
22 useful for, but yet they designed it, you know, for
23 a particular use.

24 DR. MARCUS: Can we get Michael at the
25 other end?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CALABRESE: Yeah. You know, on
2 this basic question of do we need more unlicensed?
3 The answer is essentially yes, but I think it's
4 important to distinguish, we need to do two
5 different things. Okay? Because it's important to
6 distinguish between today's wi-fi technologies
7 which are not, you know, are not really ultra --
8 they're not ultra wideband. It's a type of hub
9 and spoke architecture that can operate. It does
10 operate on a kind of a channelized sort of basis,
11 and for that we may well, and that's what most of
12 the commentors addressed, was that we probably need
13 more space for that kind of wireless networking.
14 But that's very different from what many of us are
15 talking about here, I think as open spectrum. In
16 other words, the potential for ad hoc user
17 controlled networking, cognitive radio, SDR, to
18 dynamically share spectrum and have, you know, the
19 actual user serve as repeaters between nodes, and
20 that's what's based on the sort of Internet-like
21 design principles. And that requires a whole
22 different regulatory trajectory, one that's looking
23 at sharing, and on what we referred to earlier as
24 underlays. So really the Commission, I think,
25 needs to go in two very different directions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simultaneously to create the environment to promote
2 innovation and economic growth, and greater
3 democratic communication unmediated among citizens.

4 And that is both greater space for the sort of
5 wireless networking technology, such as wi-fi, as
6 those develop, but while still maintaining,
7 preserving its authority to periodically refashion
8 license rights so that as cognitive radio and so on
9 develop, and we can use ultra wideband effectively,
10 that we're not "trespassing" on some sort of vested
11 interest of licensees, because I think the
12 interference protections are something that is
13 going to have to evolve over time.

14 DR. MARCUS: All right. Peter.

15 MR. HADINGER: Let's see. I guess I
16 had a problem with just assuming that the Internet
17 model basically said that you should just leave it
18 wide open and let it go. I think that certainly
19 there were a lot of rules that were established at
20 the beginning, and over time that have made the
21 Internet a successful model. But it's also
22 important to realize that most communication world
23 does not happen by Internet. In fact, you know, I
24 would guess there's considerably more bandwidth on
25 fixed analog voice lines that are connected to old

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 telephone switches. And certainly, between scuzzy
2 devices or IDE devices inside my computer, they're
3 not using the Internet protocol, but they are
4 communicating and they have a protocol that's been
5 worked out for their particular type of
6 communication, which is optimum and efficient,
7 perhaps, for what it's doing.

8 And I would suggest that within kinds
9 of services that are like, similar things develop.
10 It's certainly true in the satellite industry,
11 where through some intelligent forethought, I
12 think, there were certain bands that were set aside
13 for satellite use, and over time very smart
14 individuals have gotten together and spent very,
15 very long periods of time not speaking in
16 analogies, but actually speaking in technical
17 terms, trying to come up with rules. And, in fact,
18 once those rules do get established, there is a
19 certain amount of locking into those rules that
20 forces conformance, and possibly keeps people from
21 doing new and innovative things that they might
22 want to, but nonetheless is good for the whole, in
23 that they share extremely well within that kind of
24 service.

25 And again, I would really emphasize

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that as we look for rules by which to do this, we
2 should find those types of things which are in the
3 same class, and allow the rules to develop among
4 aficionados of that class for the same kind of
5 service.

6 DR. MARCUS: Okay. Why don't we have
7 one more question from the audience, and who --
8 over here, and then we'll go to the next topic.

9 MR. LANGSTON: Tom Langston with
10 Ericksson. I would suggest that for non-
11 communications devices, we do not need more
12 Unlicensed Spectrum, for non-communications
13 devices. We all seem to agree that for
14 communications devices, we do need more bands and
15 more rights.

16 DR. MARCUS: Where would you get the
17 bands from?

18 MR. LANGSTON: No. I suggest we do not
19 need for non-communication. I don't have a comment
20 on where we would get new bands for communications
21 devices. That's up for discussions.

22 MR. REED: I have a quick comment
23 related to that, although it's a side issue. It
24 turns out that one of the difficulties with some of
25 the new technologies, it's hard to separate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communications from non-communications uses. Just
2 like it's hard to separate IP from voice now, and
3 so forth.

4 We may not need new bands. As I point
5 out, I'm not for new bands, but for example, ultra
6 wideband technologies or various wideband
7 technologies provide location detection services,
8 if you will, that compete very effectively with
9 GPS, or radar, or whatever, and especially in
10 environments like indoor things. And we ought to
11 recognize that the best paradigm for those kinds of
12 technologies is unlicensed. We ought to make sure
13 it's a somewhat different kind of unlicensed, but
14 may also be networked. And we ought to make sure
15 that by focusing on communications, we don't bar
16 experimentation with those kinds of mixed
17 applications over time.

18 DR. MARCUS: Okay. Bob is going to go
19 on to the next block of questions now.

20 DR. LUCKY: Yeah. You'll find that the
21 blocks of questions are so similar, that whatever
22 comments you had to questions will still be
23 relevant, so let's not worry about it. I think,
24 you know, there are only a few gut issues here that
25 we're nibbling around that are tricky.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now the next set of questions, for
2 example, deals with first, will it meltdown? We've
3 already been talking about that a lot. How do we
4 know that a tragedy to the commons has occurred?
5 And I actually would like to talk about that a
6 little. And then the question, should we implement
7 a Spectrum Etiquette that would reduce interference
8 among Part 15 devices? And should the FCC have a
9 larger role in etiquettes for unlicensed band, so
10 let me just take a few of these. Now 11:00 we're
11 going to have a break.

12 DR. MARCUS: No, 11:15.

13 DR. LUCKY: 11:15. Okay. Fine.

14 Okay. Let me just, because this is a
15 question that bothers me a lot. How do you know
16 that we're getting a meltdown? Now somebody made
17 the comment earlier that, you know, the EPA
18 measures pollution, so they're measuring what they
19 regulate. And the FCC is not measuring what it's
20 regulating, so what should we measure? And how do
21 we know if this is melting down? David, you look
22 like you want to say something.

23 MR. REED: Yeah. I really do. I think
24 Dewayne already pointed out that measuring what's
25 regulated is important. I've been thinking, and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of people have been thinking about how do you
2 do that given the cost. And I actually think the
3 best way to do that is to measure it at the user.

4 It's perfectly reasonable in a
5 networked world, increasingly networked world to
6 have devices reflect back to the user, and even
7 reflect back into a network in, you know, issues
8 with congestion and interference. It would make
9 sense to me to collect that information at some
10 place like the FCC, or some other neutral ground,
11 some manufacturers, who can then take action
12 collectively on what they learn.

13 DR. LUCKY: Well, let me --

14 MR. REED: Well, just let me finish one
15 sentence. This is sort of analogous to the idea
16 that, you know, in most cases of pollution, you can
17 actually see the pollution. In the case of radio,
18 you can't see the congestion, but you can feel the
19 affects of it in the service that you get through
20 the device. And, you know, that's probably the
21 best place to detect it.

22 Now it's not necessarily the best place
23 to correct it but, in fact, most often the device
24 can also correct it, but it's useful to notice how
25 much -- how often it's correcting it, as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Well, you know, I've
2 thought about that, and we could. There are
3 millions of wi-fi cards out there, 802.11 cards,
4 and we could have them report back to some central
5 site on the conditions that they see. But let me
6 imagine for a moment that we actually do that, and
7 that you have all this data, what do you do with
8 it, and how do you know if it's melting down?

9 MR. REED: That was your other
10 question.

11 DR. LUCKY: Yeah.

12 MR. REED: Well, I would claim it's
13 melting down if it's not scaling. You know,
14 basically you can predict what ought to be the
15 case, you know, in terms of what you expect the
16 market place demand to be, and so forth. And if
17 it's really not, you know, getting fixed, and
18 conditions are getting worse for everyone, then
19 either the market place is broken, that is, the
20 people are not solving the problem for themselves,
21 not buying the new stuff, and that would be useful
22 information to know.

23 But basically, detecting the problem is
24 different from assigning, you know, the fix or the
25 cause, and I'm not sure -- you know, I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 market can do the fixing, but sometimes it's useful
2 to have the data and just publish.

3 DR. LUCKY: I'm still not sure when the
4 data tells me I've got a problem. Okay. I want to
5 go there. A lot of people want to talk. Let me
6 start with Larry. I was looking at him.

7 PROF. LESSIG: All right. So I agree
8 that we need -- it would be great to set a kind of
9 study at home project to see what the actual state
10 of the world is, and it would be a relatively cheap
11 one to fund. And I agree with Dewayne that this is
12 something we ought to push, but I think that the
13 way you frame the question begs the question,
14 because we shouldn't be thinking about meltdowns in
15 any particular part of the communication system.
16 We should be thinking about the communication
17 system as a whole, and so there's a favorite
18 stickman in one of the papers about propertizing
19 spectrum about the Internet, where they say yeah,
20 yeah, the Internet is great, but you wouldn't rely
21 on the Internet -- the Internet would be terrible
22 if what you're trying to do as a surgeon get high
23 quality images beamed to you about the patient
24 across the world, and so therefore, the Internet is
25 a failure because it can't do that. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to that is, why would you ever use the
2 Internet to beam images of some surgery that's
3 going on halfway across the world. There are other
4 communication systems you should be using for that
5 type of communication. And so, if you think about
6 meltdown in a particular area, you could probably
7 identify places where there are congestion going
8 on, given particular types of uses or particular
9 bands. But it would be bizarre to think that the
10 communication system as a whole was melting down
11 because people who can't -- who need higher quality
12 service, who need better reliability in a
13 particular context need to be able to shift, and do
14 shift to other forms of communication that could
15 answer their needs.

16 So it seems to me the very question
17 makes it sound like we are necessarily facing a
18 tragedy of the commons here when, when you think of
19 the communication system as a whole, I can't
20 conceive of how you would have a tragedy of the
21 commons for the system as a whole.

22 DR. LUCKY: Okay. Other comments?

23 MR. CHAMBERLAIN: I think one of the
24 ways the Commission can take a look at whether they
25 feel we're having a meltdown or not is actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at the marketplace. As new technologies come
2 out and as they grow, what's going to happen is,
3 these companies will grow right along with the
4 technology. The marketplace will see -- you'll see
5 a huge acceptance of these things. And then these
6 companies will be coming to the Commission and
7 saying, we've got this issue. We've got a problem.

8 Let's work it out. Let's figure out how we can
9 make this system work. And I think the marketplace
10 can react far quicker and analyze this situation
11 far better than say the Commission could by using
12 some kind of technical means.

13 DR. LUCKY: So you wouldn't -- you
14 don't think we should measure anything.

15 MR. CHAMBERLAIN: I think you should be
16 good listeners to the marketplace and to the
17 companies out there.

18 DR. LUCKY: Dewayne.

19 MR. HENDRICKS: I don't agree that the
20 market can do that, because again, I've looked at
21 the historical record, and you've seen companies
22 cry wolf, you know, for some time, and they really
23 didn't back it up in their filings, because they
24 didn't really know the answer either.

25 I don't know the answer, so I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's just put it down as something that you have to
2 continue to experiment to try to figure out what's
3 going to work. But you know the thing is, is that
4 -- here's a thought I had. We don't have a Jules
5 Verne or an H.G. Wells for this field, you know. I
6 mean, if you look at what they wrote about
7 projecting ahead to where we are now, they didn't
8 talk about wireless per se. Okay? And since that
9 time, no one has really -- you know, the science
10 fiction writers haven't really addressed the kind
11 of problems we're talking about here today. Okay?

12 So we don't have any good things to look at to
13 sort of describe this problem.

14 I mean, Hollywood hasn't tried to do
15 this either. Think about it. Star Trek,
16 communication devices just work. They just plain
17 work. You know, whoever you want to talk from
18 Point A to Point B, unless the script says there
19 has to be a problem, the communication systems
20 work. It's magic. Okay? So, you know, it could
21 be that simple, you know. It really could, but
22 right now I don't know how to get to Star Trek.

23 DR. LUCKY: I'd just like to comment
24 myself. I mean, we're -- in my company we've been
25 working with the New York City Transit Authority,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and they want to use 802.11 to talk, you know, to
2 coordinate their trains, and so we've been
3 measuring the interference as the train goes
4 through Brooklyn. You know, as a function of the
5 frequency, time and position, and the answer is
6 just what you'd expect. Some time, some
7 frequencies, some places it doesn't work, but I
8 don't know what wisdom to glean from that. I think
9 it's always just like the Internet, sometimes you
10 don't get through. Sometimes the packets don't get
11 through, and that's the nature of the world. Let
12 me go -- Peter, you have a comment on this?

13 MR. HADINGER: Yes. You know, ideally
14 we'd be able to measure everything and respond in
15 some sort of adaptive way, but there are limits to
16 knowledge in terms of knowing what the problem is.

17 And most of the issue there is that the definition
18 of interference is often set by the person being
19 interfered with. And the person or the entity
20 causing the interference may often be completely
21 unaware of the fact that interference may exist.

22 Certainly, in the case of an Ethernet
23 where everybody is looking at collisions on a
24 network, everybody can see when collisions happen.

25 But in the case of radio, you may have a system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which doesn't see any interference to itself in the
2 local domain, but something further away may
3 actually be experiencing interference and not be
4 able to communicate that.

5 I know we looked at, in one particular
6 sharing example of, you know, whether there needed
7 to be beacons or something like that to allow
8 people to indicate when they've been interfered
9 with but, you know, certainly the problem we have
10 today is that services have no effective way of
11 communicating back when interference does exist,
12 and so there's no effective way of measuring it,
13 even if you confine it to systems like wi-fi or
14 whatever. You aren't measuring all the other
15 things which are non-wi-fi.

16 DR. LUCKY: Michael.

17 MR. CALABRESE: Yes. I just wanted to
18 make a kind of a contextual comment, which is when
19 we talk about meltdown, as if that's synonymous
20 with, you know, a tragedy of the commons. It's
21 important to realize that the whole idea of tragedy
22 of the commons is really a misnomer, because what
23 it is, is a tragedy of unregulated access. You
24 know, that's what we mean when we talk about
25 tragedy to commons.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 All successful commons from the
2 Interstate Highway system, to the Internet, to New
3 England Fisheries have rules of the road,
4 protocols, and/or etiquettes. And so if there is a
5 so-called meltdown, we shouldn't be thinking of it
6 just as an extrapolation of today's unlicensed
7 world. But rather, I would think that it's most
8 likely to be the result of a failure of policy, and
9 not ultimately of technology. Because, for
10 example, congestion in unlicensed is a sign of huge
11 citizen demand, which means we have to make some
12 tough decisions about reallocation, and about
13 sharing, and about interference standards, and the
14 rules of the road themselves have to be scalable.

15 DR. LUCKY: Larry.

16 PROF. LESSIG: But again, I think that
17 the problem with this is that this debate about
18 congestion or meltdown is a kind of specter that
19 haunts this field. And most people's reaction to
20 it is not, as you were suggesting, Michael, to say
21 well, what's the set of rules that we can make sure
22 avoids the meltdown, but the opposite traditional
23 answer to a tragedy of the commons; which is, well,
24 therefore, we ought to sell off all the spectrum
25 quickly, because that's the most effective way to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 avoid this type of tragedy.

2 And here, I think the point that Mark
3 Cooper was making earlier about how do we avoid
4 incumbents who will then fight like hell to make
5 sure they don't have to give up the rights which
6 they have acquired, becomes the relevant policy
7 consideration we have to bring in here. The fear
8 about meltdown is exaggerated, I believe. One way
9 to show it's exaggerated is do lots of
10 measurements, and so that's why I think the
11 measurement thing is an important problem. But
12 let's understand why it's being deployed, why the
13 meltdown thesis is being deployed. It's being
14 deployed often by people who would like to push us
15 towards this solution; which is, let's sell off as
16 much spectrum as we can quickly, so that we can use
17 the market to solve this problem of congestion.

18 And I think the way to resist that is
19 to re-emphasize Cooper's point, that if you sell
20 off all the spectrum right away in this big band
21 auction-like way, in a context where we don't know
22 what the best answer is going forward, we are quite
23 likely, I think given the information we've been
24 listening to right here, going to be in a position
25 where the cost of buying-off those incumbents will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be extraordinarily high, so high that we won't do
2 it. So we will auction ourselves into a context
3 where we are forced to accept an inferior
4 communication system, when if we just hold off from
5 that, at least right now, we could allow the market
6 and technologies to develop, and demonstrate an
7 alternative to this propertized system, that at
8 least it's possible, I think likely will be
9 superior to their propertized system.

10 DR. LUCKY: Larry, it's not on our list
11 of questions, but the big band auction kind of
12 hangs over us. And what would happened to
13 unlicensed bands in that kind of a paradigm?

14 PROF. LESSIG: Well, I think it would
15 create a huge problem for the development of these
16 other types of technologies, in particular, the
17 ones that David was talking about, and for wideband
18 technologies that Dewayne was talking about.

19 And the biggest reason that it creates
20 this kind of problem is a concept which Michael
21 Heller introduced into the legal discussion, and
22 James Buchanan has picked up in the context of
23 regulatory theory; which is, the problem of the
24 anti-commons, not the commons, but the anti-
25 commons. And the problem with the anti-commons is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if there are any number of people who have the
2 right to veto your use of a resource, so let's say
3 there are 20 people or 50 people who have the right
4 to say you can't use this resource, then innovators
5 will say it's just not worth it for me to develop
6 new technologies to try to use this resource,
7 because the coordination cost, the transaction cost
8 of using this resource will be too high to make the
9 resource useful. So think about the big band
10 auction now. Right? So we auction off all the
11 spectrum in the world. We have thousands of owners
12 all over the country who own different bits of the
13 spectrum, and then they're going to be in the
14 position of deciding how they're going to make it
15 available. Some will put it into a market, some
16 won't.

17 The innovator who's trying to use the
18 type of technologies that Dewayne is talking about,
19 thinking about being able to use spectrum across a
20 wideband, that has to enter into the calculation.
21 Well, how am I going to begin to negotiate with
22 each of the spectrum owners in each of the places
23 the spectrum might be owned for this particular
24 context, so I have to develop a technology that's
25 smart enough to know which auction mechanism I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to engage in, depending on whether I'm in
2 Philadelphia, or in San Francisco, or in Wyoming.
3 It just increases the transaction cost so
4 dramatically, that these extremely efficient
5 wideband technologies become priced out of the
6 market, just because of the overhead that you've
7 placed on top of the system.

8 MR. HADINGER: May I follow-up on that
9 one, just real quickly. This is exactly the reason
10 why in the satellite community for international
11 services, there are no auctions. And it's because
12 there is a huge gain theory problem, if you've got
13 a whole bunch of independent countries coming up
14 with their own auction regimes, and their own
15 spectrum Planning Policies, trying to develop
16 innovative services which can serve a region, yet
17 be subject to the least common denominator of
18 somebody who decided that they want to hold out or
19 whatever, can cause extreme problems. And so, you
20 know, for that reason, we've had a very strong
21 effort to try to make sure that those are
22 determined more on technical grounds, and not on
23 sort of individual country policy grounds.

24 MR. CALABRESE: I'd just like to add to
25 what Larry said. And I think because of that, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was extremely significant that in the comments that
2 were filed July 8th, it wasn't just groups. You
3 know, Larry mentioned Consumer Federation of
4 America, we filed for Consumers Union and a number
5 of other groups with us. But also, the major
6 technology companies, particularly equipment
7 makers, software makers and so on, that really
8 were strong in saying that the Commission must
9 preserve its authority to periodically refashion
10 license rights to accommodate changing technology
11 and social priorities.

12 I mean, the Consumer Electronics
13 Association, for example, is just right on the
14 point we're talking about, stating that:

15 "To the extent that spectrum is
16 allocated by competitive bidding, the Commission
17 should ensure that such a system does not impinge
18 on the greater deployment of unlicensed devices,
19 the sharing of spectrum among unlicensed and
20 licensed uses, and the allocation of more spectrum
21 exclusively to unlicensed use."

22 Well, you know, if it was a trend that
23 ran through all the comments from both licensed
24 users and proponents of unlicensed, it was that we
25 must at all costs avoid establishing any permanent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 private property rights in the frequencies, because
2 that would just be the death now for innovation,
3 and for any of the things we're talking about here
4 today.

5 DR. LUCKY: Okay. Other comments on
6 this? Okay, audience. Yeah, lots of comments.
7 Just hand it to an arbitrary person. Sir. Not too
8 arbitrary.

9 PROF. RAO: Ramesh Rao, UCSD. Bob, I
10 wanted to respond to your question about how would
11 we know that there is meltdown, if everybody with a
12 .11(b) card reported back what they were observing.
13 And I wanted to offer a definition which might
14 resonate, at least for the technical community, and
15 that's the notion of "goodput".

16 If you measure the number of people
17 that are coming on board this technology, .11(b),
18 then measure the amount of data that they're able
19 to gainfully extract from the network. And if it
20 turns out that you're at a point where, as you add
21 more people you're getting less out of the system
22 that, to me, is meltdown, because if you stay on
23 that trajectory, people are going to abandon this
24 technology, so that was the specific thing that I
25 thought might be worth considering.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Yeah, I think it is, and it
2 goes to David's comment about scaling, is the issue
3 here. And if we can detect that it's not scaling,
4 that's when I think we have the meltdown. If, as
5 we add users, we're getting less goodput, I think
6 that's a very good comment.

7 PROF. RAO: And the other thing I
8 wanted to say to kind of moderate that, is that
9 there is this issue of self-regulation that takes
10 place. People don't keep persisting with a
11 technology that doesn't seem to be serving their
12 purposes, so it's possible that there will never be
13 a dramatic event that tells us that this thing
14 isn't working. People just sort of shrug their
15 shoulders and walk on, and find another way of
16 getting their work done, so it's possible that we
17 have to be mindful that some of these things might
18 be subtler than a hard measurable thing.

19 DR. LUCKY: I think sometimes the
20 spectrum hangs over this, as the CB radio thing
21 where we actually did see a complete meltdown and
22 abandonment of it. Anyway, but other comments from
23 the audience. Sir.

24 MR. LEARY: Yes. To speak to the
25 comments about congestion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Would you identify
2 yourself.

3 MR. LEARY: I'm sorry. Patrick Leary
4 with Alvarion. If I walk into a crowded Egyptian
5 bazaar without any shoes and I cut my feet, or I
6 get my toes stepped on, is it the fault -- whose
7 fault is it? It's my fault because I chose the
8 wrong technology.

9 The same person could back into that
10 same bazaar with a pair of steel-toed boots and be
11 just fine. If that same bazaar, if there's 3,000
12 people in there, and 2,000 of them don't wear
13 shoes, and 2,000 of them get hurt, yes, there's a
14 problem, but that still is not the problem of the
15 band. It's the problem of the predominant choice,
16 being chosen by most of those people, so I would
17 caution, just as Professor Lessig was saying, you
18 know. The myth of congestion is in large, a
19 comment about the technology itself that's been
20 deployed, not about the band itself so, you know,
21 if you start protecting for this one prevailing
22 standard, of which I also participate in to some
23 degree then, you know, you stifle innovation and
24 you're protecting the wrong things.

25 Second, there was a comment with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 respect to what happened if you did auction off
2 these things. Well, as the largest vendor in any
3 deployed wireless broadband technology from 10 gig
4 under, with roughly about a 60 percent market
5 share, I can tell you what we would do, just like
6 we did in MMDS. We won't spend our millions
7 developing product for MMDS, because you have two
8 choices of having volume sales. And if you don't
9 get one of those two choices, you're out of luck.
10 And if you do get one of those two choices, guess
11 what, you're out of luck, because then they gotcha,
12 or in the case of Worldcom. So that's what happens
13 in the real world from an economic sense. Those
14 are my comments.

15 DR. LUCKY: Okay. Sir, in the back,
16 and then I'll get to you.

17 MR. LONG: Wayne Long, a private
18 interested party. It occurs to me that these
19 technologies are so important that at some point
20 perhaps some should be licensed technologies, and
21 they'd be licensed if they're networked as the
22 class license to the manufacturer, with the ability
23 to resolve Peter Hadinger's interference problems
24 by his identification of hotspot, and the many
25 factors building in the capability in their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 devices, and developing the spectrum monitoring
2 issue, if you will, to determine when and where
3 corrections are needed, and the manufacturer would
4 be held responsible. So perhaps it has to be a
5 class license held individually, and as a group by
6 manufacturers. Perhaps, even at some point get rid
7 of Part 15 if they're going towards intelligent
8 solutions.

9 DR. LUCKY: Okay. In front.

10 MR. EPSTEIN: I'm Bart Epstein from
11 Latham & Watkins, here on behalf of Cognio
12 Incorporated today. One of the topics that we were
13 talking about was etiquette, and the interesting
14 point that Robert made before was that he could
15 have five antennas on the same roof, and that's
16 because he controls them. And if he has a problem
17 with one, he can simply adjust them. And a
18 cordless phone user who turns on her microwave
19 oven, and notices interference can either walk out
20 of the room, or turn off the microwave oven.

21 And the question of etiquette that I'd
22 like to raise is as follows. What happens if I
23 live in an apartment building, and my next door
24 neighbor has a microwave oven, and it's interfering
25 with my wi-fi? You know, my definition of meltdown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is if I have my wi-fi card, and it's being knocked
2 out by my neighbor's microwave oven, that's
3 meltdown. And the real issue is the property
4 rights, you know. I can certainly buy a better
5 microwave oven for myself, but what about my
6 neighbors? Do I have to buy each of my neighbors a
7 better microwave oven?

8 Realistically, they're the least cost
9 avoider, but they don't have any incentive to do
10 that unless we somehow create a regulatory
11 environment which says if you're going to have a
12 microwave oven which blasts throughout the
13 spectrum, it's got to be limited to certain areas.

14 I wanted to know the thoughts on that.

15 DR. LUCKY: Well, we wanted to move on
16 to the question of etiquette, and I think it will
17 be a theme, if not before the break, it'll get up
18 after that.

19 I would like to say personally though
20 that I think the microwave oven itself is red
21 herring, you know. And it receives a lot more
22 attention than it's really worth. I mean, just
23 don't stand in front of a microwave oven and do
24 this, you know. And it's always given as the
25 prototypical well, you can't do this because there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are microwave ovens, and I don't -- I just think
2 that that's over-emphasized too much.

3 Let's move on to other comments. We've
4 got one in the back. Sir.

5 MR. STEVENSON: Yes. Carl Stevenson,
6 Agere Systems.

7 DR. LUCKY: Do you want to stand up?

8 MR. STEVENSON: Okay. Thank you.

9 I'd like to respond to the other
10 gentleman's comment about possibly converting
11 unlicensed uses to licensed uses. I think that's
12 the wrong way to go, and what I would advocate is
13 considering rather than the term "unlicensed",
14 going toward the licensed by rule, or perhaps
15 licensed by compliance sort of model.

16 In many countries in the world
17 unlicensed equals illegal, and this issue -- you
18 know, the issue of property rights of licensed
19 versus unlicensed services, you have to look at the
20 value propositions, I think, as part of the overall
21 thing in terms of where licensed users may have
22 large amounts of spectrum that is used very little,
23 as was observed before, big holes in the spectrum
24 in the time geography space, if you will. Being
25 able to enforce rights of ownership to preclude the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient use of that spectrum by other types of
2 systems that could share effectively is
3 inefficient. Thank you.

4 DR. LUCKY: Okay. Larry, do you want
5 to respond to that before we go on?

6 PROF. LESSIG: Yes. I want to respond
7 to the last two comments together. I completely
8 agree with Mr. Epstein's conception that we ought
9 to be thinking about the cheapest cost avoider
10 here, as we think about the problem of deployment,
11 but the FCC could help facilitate a cheapest cost
12 avoider here. For example, you're worried about
13 the wi-fi network problem conflicting with the red
14 herring, or the video camera, something like that.

15 Fine. Again that, I think, is one of the benefits
16 of the suggestion that we have in the 5 gig area a
17 mac layer that the FCC could help facilitate the
18 development of, because if that were true, then the
19 cheapest cost avoider would be the person depending
20 on the wi-fi network, moving into a network space
21 where there's a protocol layer that facilitates
22 interaction among a number of these different
23 technologies. So what has to happen, as you open
24 up the space where you facilitate cheapest cost
25 avoider moves, which in that context then would not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be buying everybody a new red herring. It would be
2 moving into a space where you could rely upon
3 protocols not conflicting.

4 DR. LUCKY: I think we have a new brand
5 for microwave ovens, you know, see a picture of a
6 red herring on the cover. Okay. Over there.

7 MR. COOPER: I wanted to get back.
8 Larry made a important point.

9 DR. LUCKY: You want to identify
10 yourself.

11 MR. COOPER: Mark Cooper, Consumer
12 Federation. You asked the question, how will we
13 know if there's meltdown? We started with
14 highways. Has the highway system melted down? I
15 mean, rush hour here in Washington, I think the
16 definition given over there is that the throughput
17 has declined per capita, only in rush hour though,
18 so it hasn't melted down. And then you ask
19 yourself the question, what is the solution? And
20 the solution is obviously, may well be mass
21 transit. And we get to Larry's point, that we're
22 really not asking questions about highways, but
23 about transportation systems. And we ought to be
24 asking questions about communication systems, as
25 opposed to this little set of applications in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little part of a much, much bigger system.

2 And I think if you think about it that
3 way you escape from the tyranny of the meltdown and
4 the need to find some narrow economic way to solve
5 that problem here, because you've lost sight of the
6 much bigger system.

7 MR. REED: Actually, I'd like to
8 amplify that. In my filing, which I'd be happy for
9 people to read because it gets into a lot of these
10 issues on a technical point, I pointed out that if
11 I were the FCC, I would focus on basically changing
12 technically certain things. One is, eliminating
13 the idea that repeating is a bad thing, because
14 that's what prevents the development of networks in
15 these unlicensed bands. For example, ultra
16 wideband was created with an explicit bar against
17 repeating in the recent rules. And, you know, that
18 seems to be a knee-jerk phenomenon that, to me,
19 comes from the idea of barring competition, rather
20 than any significant technical reason.

21 The other is, and referring to this, we
22 really ought to consider wireless in the context of
23 the wired networks and the optical networks and so
24 forth to the world. It's an Internet-worked world
25 now, and we ought to -- if I were to say one thing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rather than focusing on services, i.e.,
2 applications, the FCC ought to have a network
3 bureau which is focused on network infrastructures
4 among all the technologies, rather than services as
5 stovepipes on technologies, and that would
6 eliminate this whole band question, because bands
7 wouldn't be assigned to services. Bands would be
8 assigned to transport beams, just like we don't
9 assign railroads to carrying people versus freight.

10 Well, actually we do the cars, but the tracks are
11 shared among all these applications, and provide a
12 common infrastructure. And that, you know, what
13 Mr. Cooper said really sort of emphasizes a
14 complete 90 degree mindshift about what we're
15 regulating here. We're regulating communications,
16 not regulating, you know -- we're regulating bits,
17 not hertz.

18 DR. LUCKY: Well, you know, David, this
19 deserves a little more discussion, because in
20 concept I agree with you. But traditionally and
21 for practical reasons, we have regulated hertz.
22 You know, it's like putting up fences in that
23 commons. You know, it's been a useful mechanism,
24 and there are things that break that paradigm, like
25 ultra wideband, that don't naturally, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need or have fences at all. So although I agree in
2 concept that you ought to worry about communication
3 and not hertz, practically it's hard to avoid what
4 they have done in the past; and that is, worry
5 about hertz, because it sort of sets the fences.
6 It makes partitions the problem in a space which
7 makes a problem more easy to regulate.

8 MR. REED: But actually, if I were to
9 go back to Marconi's time, and say we should do it
10 differently, we could have followed a very
11 different path.

12 DR. LUCKY: We could have, but we
13 didn't.

14 MR. REED: So we've got a path
15 dependent evolution up to this point, and I fully
16 understand the reasons for that, but those reasons
17 no longer obtain. And, in fact, they're really
18 hurting us right now. And, in fact, what we're
19 extending is this sort of metaphor, you know, of
20 band boundaries.

21 You know, every radio signal is
22 infinitely wideband. It interferes with something.
23 You know, it just may not interfere very much.
24 And, you know, technically there is no way to have
25 a narrow band radio signal. The proposals of say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the auction guys that will do microband auctions or
2 whatever they're talking about, you know, both in
3 space and time, make no technical sense whatsoever.

4 It's a lawyer's notion of, you know, boundaries
5 which doesn't make sense. A fence really works
6 but, you know, if we were trying to draw fences
7 around the air that we breathe so that we could
8 allocate it fairly, you know, we'd understand it
9 was absurd, and in this spectrum it is getting to
10 be as absurd as that so, you know, people are
11 talking about protecting the satellites in a
12 different band from 802.11, because there might be
13 enough of that that it dribbles over the boundaries
14 enough, and that's not the place to -- you know,
15 that's not the way to define what we do.

16 DR. LUCKY: There's a terribly
17 interesting philosophical question about what
18 should be and what is. And what happens is --

19 MR. REED: Well, I think we can go
20 there -- we can get there if we start now, moving
21 in a direction that's productive, rather than
22 locking in, you know, 70 year old approaches.

23 DR. LUCKY: I think when we come back,
24 we can pursue some of this. I'll take one question
25 or comment from the audience, and then we're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to take a break.

2 MR. GODFREY: I'm John Godfrey with
3 Sony Electronics. I think the right answer is to
4 do both, to proceed on two paths at the same time.

5 Certainly, the very wideband systems offer a
6 revolutionary way forward. The biggest obstacles
7 they encounter are political, and it's not only
8 Darwinian competition, or people resisting
9 Darwinian competition to their businesses. It also
10 includes government users of spectrum who don't
11 want to move, or there isn't the political
12 structure in place that can find a fair way to
13 compensate them for moving.

14 There's a lot of work that has to be
15 done on the political structure to allow that to
16 move forward, but we should try. We should do some
17 experiments with underlay technologies and see how
18 it works, begin to build interest in that, begin to
19 reduce the fears around that. But at the same
20 time, I think it would be terrible if today's
21 workshop didn't also conclude that we have to, at
22 the same time, look at some discreet ISM-like bands
23 for unlicensed services to operate, where you have
24 cleared out the people who would have the right to
25 shut down those unlicensed services any time they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feel they're being interfered with, which happens
2 all the time in the world today. And that's about
3 it.

4 DR. LUCKY: Okay. I think this goes to
5 Larry's comment earlier about the difference
6 between technical interference and competitive
7 interference. And perhaps you'd like to end with a
8 comment about that.

9 PROF. LESSIG: Well, I would. And I
10 think that there's political resistance. I also
11 think, to follow what David was saying, there
12 ideological resistance. And here's where I agree
13 with David, lawyers and economists are doing the
14 most harm, because they're committed to a
15 particular ideology which made sense in a whole
16 bunch of contexts, without looking at the
17 particulars of the technology.

18 Now what's interesting about this
19 debate is that if you talk to the big band people,
20 they say that their god is Ronald Coase. And if
21 you talk to the spectrum as commons people, they
22 say that their god is Ronald Coase. And let me
23 just make a little plug and an advertisement. Just
24 yesterday, Ronald Coase agreed to participate in a
25 conference at Stanford in the spring, where we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 debate this property or commons idea. And at the
2 end of the day, there will be an oral argument, and
3 he will be the Supreme Court judge, and he will
4 hear both sides, and have the opportunity to ask
5 questions, to finally resolve this question where
6 Ronald Coase is in the formation of this ideology
7 that haunts, and is the specter haunting this
8 debate.

9 DR. LUCKY: Fascinating. Let's take a
10 15 minute break. Thank you very much.

11 (Off the record 11:21 - 11:34 a.m.)

12 DR. MARCUS: Okay. Here is the list of
13 speakers we have for the second panel. Like for
14 the first panel, we're going to have several groups
15 of questions. This time we're going to have three
16 groups of questions, and we'll give you a sneak
17 preview this time so people don't try to jump the
18 gun. But we're willing to be a little bit flexible
19 as to which batch of questions you ask in. Again,
20 if you ask a question, we ask you to give your name
21 and affiliation.

22 The first batch of questions deals with
23 general issues of how you might improve Part 15, or
24 improve protection to other types of systems from
25 Part 15 devices. The second class of questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will deal with specific Part 15 limits, such as the
2 emission limits in Section 15.209, which apply to
3 everything under 50 gigahertz, but then above 40
4 gigahertz, we have a totally different regime, or
5 the limits of 15.203, which are -- restrict what
6 type of antennas you can use with an unlicensed
7 system, and in requiring in most cases that systems
8 be sold as a turnkey system transmitter antenna and
9 cable in one fell swoop. And the third set of
10 questions deal with both possible needs for new
11 classes of systems, and questions of should we have
12 different power limits for indoor, urban, suburban,
13 rural areas.

14 So why don't we start off with the
15 first set of basic question for the panel, and then
16 we'll go to the audience, of what changes to Part
17 15 might be needed to enhance the application of
18 Part 15 devices, or conversely, is there a need for
19 any changes to Part 15 to enhance protection to
20 licensed systems that share the same or nearby
21 bands? So who on the panel would like to go first
22 on that one? Okay, Dudley.

23 MR. FREEMAN: I think one of the issues
24 is the ability to change out the equipment. Right
25 now equipment manufacturers are having to sell the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entire system, including cables, connectors,
2 antennas, radios and indoor units connecting up,
3 and I think that actually the manufacturers are
4 building radios and indoor units. They really not
5 in the antenna manufacturing business, and there is
6 a 23 dB gain antenna, that is the spec for that
7 specific system as a whole system that the end user
8 should have an opportunity to say hey, I want to
9 buy an antenna from XYZ Company, as long as it
10 meets the criteria and is type-accepted on filing,
11 they should be able to change that out.

12 DR. MARCUS: Okay. Well, let's go into
13 that in a little more depth in the second batch of
14 questions, but certainly that's a point we've heard
15 a lot in the comments. Are there any other --
16 anyone else on the panel would like to speak on
17 it?

18 MR. LEARY: Sure. I think in general,
19 Part 15 has been phenomenally successful, and I
20 guess some would say visionary when it was created,
21 for allowing vendors like ourselves to do things
22 that were never intended. However, there still is
23 perhaps too static a nature to the rules, and I
24 think the rules can be amended such that, you know,
25 they promote spectral efficiency a little bit more,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maybe within some sort of ratio or log rhythmic
2 ratio that takes into account power, spectral
3 density, and even spatial density in terms of
4 omnisources sectors.

5 For example, you know, we would contend
6 that perhaps the lowest power device should be, you
7 know, a very low efficient device that's, you know,
8 sitting on omni say maybe 20 dBm, but that same
9 device when applied to perhaps the 45 degree sector
10 should be allowed maybe a bit more power. Or that
11 same device, were it a bit more spectrally
12 efficient could have a corresponding higher power
13 allowed even out of an omni, and then even more so
14 out of a sector, so it would promote the
15 development and innovation of more spectrally
16 efficient systems.

17 I think the way that the rules are now
18 there is some degree of limits that vendors can do
19 in terms of building in very efficient systems or
20 intelligent systems that are able to avoid other
21 systems out there, et cetera.

22 DR. MARCUS: Okay. I didn't mention
23 the word "etiquette" per se, but that was a good
24 discussion in the previous session on etiquette,
25 and when we talk about the issue of what changes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 etiquette certainly might be a change that might be
2 considered either one way or the other.

3 DR. deVRIES: So when I started
4 thinking about this, Paul Kolodzy challenged me,
5 and challenged us to come up with, you know, new
6 ways to categorize the different concepts here.
7 And it struck me, and I'm not a lawyer, and I'll
8 leave it to the lawyers in the room to, you know,
9 turn this into the appropriate terms, but there are
10 a couple of dimensions when we think about
11 allocating spectrum that come into play.

12 One of them is how you think about the
13 locus of control. Who has control over a
14 particular use? And typically if we think about
15 "licensed", there is one party that is, you know,
16 given the license that controls the spectrum. In
17 "unlicensed", typically, you know, there are many
18 people, so the locus of control is completely
19 generalized. And where we've ended up, I think, is
20 that there is a one-on-one correlation with all
21 sorts of different parameters with these two
22 things, and I don't think it necessarily has to be
23 that way.

24 And when we've started thinking about
25 the problems that we want to solve which is, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, how do we make sure that we get broadband
2 networking to the American people? We've come to
3 the conclusion that it would be good for the FCC to
4 think more broadly about what the choices are, so
5 specifically in terms of locus of control. So
6 right now we have that, you know, you control the
7 spectrum and there's one kind of use. On the other
8 hand, where you have "unlicensed", anything goes.

9 Those two things, those two
10 correlations aren't built into nature. There can
11 be other variations, so for example, what we're
12 seeing is that there is definitely a trend for
13 services that are licensed to use a particular area
14 band, are allowed to do more generalized things.
15 In the same way, we believe that it would be
16 appropriate for generalized uses to actually be
17 limited in some cases where there is no central
18 locus of control, and that will get us to spectrum
19 etiquettes which we can talk about later.

20 DR. MARCUS: Anyone else want to say
21 anything?

22 DR. NEGUS: Yeah.

23 DR. MARCUS: Okay. Kevin.

24 DR. NEGUS: I think on the general
25 subject of Spectrum Etiquette, and this goes back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to some of the discussions of interference and
2 meltdown from the previous session, it's really
3 important to understand the dimensionality of
4 spectrum access or using the radio frequency
5 spectrum. And we've tended traditionally to look
6 at it as a frequency domain issue. To a lesser
7 extent, but certainly some exists today, it's a
8 geographic issue; that is, the frequency domain
9 could be used in different geographies, but there's
10 -- as the ultra wideband shows, there's also
11 effectively a coding or an underlay dimension to it
12 that can be exploited, but there's also a
13 tremendous spatial dimension that can exploited,
14 and hasn't been exploited in the regulatory regime
15 very much, at least not as applied in the
16 Unlicensed Spectrum. And I think this is what
17 Patrick just started to allude to.

18 There's also a time domain dimension,
19 and that's really where we're getting into things
20 like dynamic frequency selection, where spectrum
21 that is unoccupied in a specific geography, at a
22 specific frequency, in a specific spatial
23 orientation, at a specific moment in time can be
24 dynamically allocated. And I think that when we
25 factor all of these into the etiquette rules,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether within the Part 15, or perhaps another
2 comment from the earlier panel was we want to see
3 more unlicensed radios, as opposed to unlicensed
4 bands. When we factor that into how we would have
5 unlicensed radios, radios that are licensed by
6 compliance. Then that's the breakthrough that I
7 think is going to allow wireless, quite literally,
8 to replace wired networking. Not replace fiber
9 across long haul, but within the local dimension,
10 would completely replace wired networking.

11 DR. MARCUS: Could you say something a
12 little bit more how you would exploit the spatial
13 dimension in our regulatory world? If you were the
14 FCC, what would you do?

15 DR. NEGUS: Well, I know Mike, and I
16 know what he wrote on the 2.4 gigahertz and the
17 point-to-point. I think that as one --

18 DR. MARCUS: This is a three-tenths of
19 a dB --

20 DR. NEGUS: Right. Right. Right. I
21 think that that is exactly the type of approach
22 that needs to be applied across the board with Part
23 15, that as you narrow your beam width, your EIRP
24 limitation is moving up. I think that's just a
25 fundamental conversation of energy, or conservation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of interference concept that allows and
2 incentivizes radio manufacturers to be much more
3 efficient.

4 And here's the thing about -- I believe
5 Bob mentioned in the first panel about multiple
6 input/multiple output technologies, MIMD
7 technologies. We are moving into a realm where
8 Moore's Law allows us to build very sophisticated
9 transceivers such that the affect of high antenna
10 gain is something that is also programmable and
11 steerable on the fly, on a per connection, or even
12 a per packet basis that we can reconfigure
13 dynamically and electrically the antenna
14 characteristics.

15 And we should have, in the regulatory
16 domain, the flexibility to access power and
17 bandwidth, depending on our ability to do that,
18 because as we narrow the beam, we'd lower our
19 interference footprint.

20 DR. MARCUS: Okay. Anyone else?

21 MR. REILLY: Yes. Just on behalf of
22 Cisco, I'd like to indicate that we believe that we
23 should step back from this, as was suggested in
24 some of the panels this morning, and look at this
25 as kind of the complete picture. And we believe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wireless, both licensed and unlicensed, together
2 with wire line infrastructures, have the potential
3 to provide the new broadband access that works in
4 networks that would provide services to all
5 Americans.

6 We think the experience with wireless
7 local area networks has shown us the capability of
8 that technology to basically aggregate broadband
9 demand. And as we look as to how we can best go
10 forward, we think that the best mechanism is to, as
11 was suggested by several this morning, to have
12 additional spectrum, but have it not only
13 identified for unlicensed purposes, but
14 specifically set aside some for data networking
15 purposes. And there would be some specific rules
16 that would relate to common etiquette techniques
17 that would be helpful with regard to mitigating
18 interference situations.

19 One point I'd like to emphasize
20 relative to that, as we heard this morning, there's
21 lots of discussion about etiquette. I'd like to
22 reinforce the issue that when we talk about this,
23 I'm not suggesting that the FCC have rules that
24 spell out in great detail what that etiquette would
25 be, but rather leave the issue of having an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 etiquette in the rules, and then allow for the
2 marketplace to establish standards with regard to
3 what etiquette, what kinds of techniques that might
4 be available.

5 There are a whole host of very
6 significant technologies that are currently
7 emerging, but we don't know which ones will emerge
8 tomorrow that will be even better, and so we think
9 that it's best to provide minimum restraints with
10 regard to the etiquette, and that's the point I'd
11 like to reinforce.

12 DR. MARCUS: Carl.

13 MR. STEVENSON: I would agree with
14 that. I think that to the degree possible, the
15 Commission's rules should be as technology neutral
16 so that we don't find ourselves blocked from
17 innovation in the future. But again, going back to
18 this idea of sharing and, you know, everybody
19 seemed to agree that we could use more spectrum for
20 systems that are licensed by compliance. I'm going
21 to avoid using the word "unlicensed" from now on.

22 But part of the problem is, you know,
23 the question was asked, well, where does this
24 spectrum come from? Well, the spectrum can come
25 from technical innovation in the industry standards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by those who develop the standards for these kinds
2 of devices, where as was pointed out, the cost of
3 computational power and the ability to do fairly
4 complicated signal processing, and adapt
5 dynamically to a time frequency geographic location
6 environment, and basically, find all of the holes
7 in the spectrum out there that aren't being used,
8 and use them on a packet-by-packet basis even,
9 perhaps. You know, the period could vary, you
10 know, from small fractions of a second to, you
11 know, hours or days when chunks -- significant
12 amounts of spectrum are lying fallow because
13 they're allocated to specific uses under this
14 property rights sort of allocation model, and they
15 can't be used by other systems.

16 By going away from this property rights
17 model and allowing this sort of dynamic sharing,
18 that's where the additional bandwidth for the
19 future applications can come from in many cases.
20 You run into the issue of how you deal with the
21 incumbents who are, you know, going to try and
22 assert their property rights and, you know, keep
23 those pesky new-comers out because of concerns of
24 interference, but that's where you get into the
25 etiquette thing, where this -- you know, with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relatively minimal set of rules that describes
2 perhaps the behavior of an etiquette, or some basic
3 requirements for an etiquette like - okay - you're
4 going to share in a band that is nominally used by
5 these people, and you're going to use little bits
6 and pieces of time and frequency space adaptively.

7 You will listen for the primary user and avoid
8 them, and I think that's a very powerful model for
9 the future.

10 DR. MARCUS: Okay. Thank you very
11 much. Vanu is a designer of these types of things,
12 and perhaps more hands-on than some of the other
13 people here. Could you say a little bit about when
14 you think these things will be available, and how
15 powerful fancy protocols might be in the next
16 couple of years?

17 DR. BOSE: All right. I -- so there's
18 two categories of devices in this case,
19 infrastructure and what we'll call client devices,
20 whether they're in your hand, fixed local devices
21 or even in a car. And the technology track varies
22 on the two cases.

23 On the infrastructure side, the
24 technology is basically ready today. There are
25 less constraints in terms of power and size that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make it feasible to implement these systems in
2 infrastructure devices today.

3 Now the cost isn't necessarily all that
4 low at the moment, but this is really a chicken and
5 egg problem. For example, to do the kinds of
6 things we're talking about, and maybe not just in
7 one band but across bands. Like maybe you'd want
8 to look at the 900, the 2.4 gig band, and the 5.8
9 band and be able to grab the chunk you wanted at
10 the time for the application you wanted. Well,
11 that requires a very, very agile front end.

12 Now technically, there is no real
13 barrier to building those front ends, but business-
14 wise nobody is going to invest the 20 to 30 million
15 dollars required to build one of these chips,
16 because there's no market where you can currently
17 use it, so the technology is ready. There needs to
18 be the incentive for people to see there's a market
19 for this, and that the rules will allow us to use
20 these. Not only allow us, but it will be
21 preferable to do it, in order to push the
22 technology along.

23 On the hand-held side, things are
24 further out because power dissipation is a number
25 one factor. Inherently, when you build a device

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's more flexible, it's going to take more power
2 than something that's single function. Okay?
3 Anything that's single function you can always
4 optimize for one purpose and make it low power.
5 But I think in three years, you'll start to see
6 some devices and certain applications, and in five
7 years the technology will be viable for things like
8 cell phones.

9 MR. LEARY: May I make a brief comment?

10 DR. MARCUS: Yes.

11 MR. LEARY: To expand, I think it's
12 important as we get started here to kind of
13 establish some definitions as I -- at least as I
14 perceive them. I've read all the comments from
15 everyone, at least on this particular panel, and
16 most of them center around the concept of wireless
17 as broadband.

18 I think it's very, very important to
19 recognize, as Vanu just commented, that there's
20 infrastructure and then there's client devices, or
21 as what we might say, the last mile versus the last
22 hundred feet. And it's important for people to
23 recognize that those two technologies, as they
24 exist today are -- although they have, share a
25 lineage, they're extremely different at this point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And it might surprise people to know that in the
2 wireless broadband base where you're doing last
3 mile, creating coverage over a broad geographic
4 area, that there is not one company today that uses
5 wi-fi based technology in scale within their
6 technology to do this sort of thing.

7 Our's, maybe, is relatively close, but
8 you have Proxim's Multipoint, Tsunami, Mind Breeze
9 Access and many, many others out there in the
10 marketplace, and none of these are wi-fi based.
11 And it's important that we don't get maybe carried
12 away thinking that that is the predominant, you
13 know, technical savior out there for unlicensed
14 that exists in probably its best application in the
15 last hundred feet, whether that's in a public land,
16 or in someone's, you know, private network.

17 DR. MARCUS: All right.

18 PROF. RAO: So the comment I want to
19 make is that as services get deployed and the
20 uptake goes up, it'll be important to keep in mind
21 that there'll be competing systems that you'll need
22 to simultaneously collaborate and compete in this
23 space. And I want to sort of make sure that the
24 rules that govern the forms of collaboration that
25 are allowed in the Part 15 keep up with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increased sophistication of how these things
2 happen. So, for example, right now if I'm not
3 mistaken, 15.247.8 prescribes exactly what kind of
4 frequency hopping you can do, and what kinds of
5 frequency hopping you cannot do, even for the
6 express purpose of avoiding collisions. I think
7 these sorts of things have to be revisited if it turns
8 out that there are more higher level notions that
9 allow for open competition between competing space.

10 I think we have to remain open to that.

11 DR. MARCUS: Let me ask Dudley one
12 question. You mentioned the problem you have with
13 antennas. As the only one on the panel who
14 actually operates these systems commercially, are
15 there any other regulatory problems that the FCC
16 might be able to fix?

17 MR. FREEMAN: I think one of the fine
18 points that we have to establish either
19 independently or through the FCC, sometimes our
20 database and registration situation so that all the
21 paths that are put up around the country, there's a
22 database you can go to and try to coordinate. It's
23 very, very important that we do it today. And I
24 think it's important to do it today before we open
25 up more bandwidth, because it's even going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 twice as bad as it is now.

2 What we're finding is we go out and do
3 frequency coordination. We coordinate with our
4 tower providers. We coordinate the entire path
5 once it's engineered. There are many, we'll say
6 cowboys out there who just point and shoot. And I
7 think it's important to get the manufacturers
8 together with the customers or with some type of
9 coordination protocol, whether it be with the
10 Wireless Communications Association, with someone
11 like Comsearch or one of those organizations, that
12 can pull together or take this information, put it
13 into a database so people aren't stepping on one
14 another. And I think it should be done sooner.

15 DR. MARCUS: Okay. Pierre, and then
16 we'll go to the audience.

17 DR. deVRIES: Yes. I mean, to pick up
18 on this point coordination, one of the reasons why
19 we've been very interested in the space is we look
20 at the broadband networking to the home situation,
21 and we feel that we need to find additional ways to
22 provide broadband capacity. So one of the things
23 that I think was pretty commonly mentioned in the
24 previous panel was it was good to say let's do
25 networking, let's do packet networking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And once we start thinking about that
2 problem the question arises well, you know, what
3 situation are we in, and where are we going? And I
4 think where we are now is that the FCC in large
5 part, I think, assumes that the devices that
6 radiate are dumb, more or less. So essentially you
7 say what are the characteristics of this device,
8 and so we'll set the characteristics of its device,
9 and then when it's out in the field, we're done.

10 What's changing is the devices are
11 becoming smarter. They have more and more
12 processing power, and they can, in fact, react to
13 the situation they find themselves in. I've
14 actually spoken to some vendors who are inside each
15 of their little access points building databases of
16 the environment that they find themselves in, and
17 what the other radiators are, so that this kind of
18 coordination, there may be centralized
19 coordination, but there also needs to be
20 coordination everywhere.

21 We have these smart devices. We need
22 to get to a point, or we need to have part of the
23 park open to devices that work well together. And
24 that they actually take into account what else is
25 out there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The reason why we have to do that is
2 that it's not just, you know, systems where there
3 are administrators. WE're very excited by what's
4 happening in 802.11, and one of the things that we
5 see thee is that it's customers, citizens going out
6 and putting their money on the table, and buying
7 their own devices. They build their own networks,
8 and in some cases, there are administrators, but
9 these people are volunteers. And over time, if
10 we're really going to get adoption of these
11 technologies, you need to be able to go to, you
12 know, the retailer of your choice, buy the device,
13 bring it home and it will just work together with
14 all the other devices that are out there. And in
15 order for that scenario to play out, and we think
16 it's essential that we enable that, we need to have
17 smart behavior. We need to get onto the Moore's
18 Law curve of these devices.

19 DR. MARCUS: Okay. Thank you very
20 much. We'll now take questions or statements from
21 the audience. WE're willing to be a little
22 flexible in the subject matter. We wish that you,
23 within reason, try to keep it so this general
24 question of what type of rule changes might be
25 needed either to enhance Part 15, or to enhance the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 protection of systems from Part 15. And please
2 give your name and affiliation at the beginning of
3 your statement, and we'll start in this corner.
4 We'll try to alternate sides.

5 MR. SNYDER: If I could ask the
6 question I asked before. What is the FCC doing in
7 relation to coordinating possibly GPS and
8 Unlicensed Spectrum to have variable power levels,
9 directionality, so that if you're in a rural area,
10 you're not stuck with the limitations of the power
11 levels of wi-fi and whatnot? Is that an issue on
12 the table?

13 DR. MARCUS: Well, fortunately my boss
14 would like to answer that, and I'm sure he has the
15 right answer.

16 MR. THOMAS: Yeah. I'm Ed Thomas for
17 those of you who don't know me, Chief of the Office
18 of Engineering and Technology. Your question --
19 the way I read your question is, what are we doing
20 to take advantage of the fact that the spectrum is
21 not heavily used, say in rural areas, and more
22 heavily used in metropolitan areas?

23 MR. SNYDER: Just to modify that, we're
24 talking about a specific coordination problem using
25 the intelligence of the satellite to coordinate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with your S-Shield system, so it's --

2 MR. THOMAS: Well, let me tell you what
3 we're considering.

4 MR. SNYDER: Yeah.

5 MR. THOMAS: Okay. First of all, the
6 direct answer to your question, are we specifically
7 looking at GPS to do that? The answer is, we
8 haven't thought of that yet, and now we have,
9 because you described it. What we are looking at
10 is the possibility, and please underline the word
11 "possibility", and it says, shall we have different
12 rules in different geographies, albeit, because of
13 the demographics. There's a lot of spectrum
14 available in the middle of a cornfield in Iowa, as
15 compared to downtown Manhattan. And obviously,
16 downtown Manhattan is probably more congested than
17 some places out at the end of Long Island, so we
18 are considering that. How you do the location, we
19 haven't gotten that far yet, so all I could tell
20 you is, it is under active consideration. It's
21 being addressed by the task force that Paul heads
22 up. Okay?

23 DR. MARCUS: As one who also read th
24 comments, those of you who read the poor guy from
25 Wisconsin who was trying to get data back from his

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rural lake. When I get away from underneath this,
2 it turns out Part 5 licenses, which we're going to
3 talk about next session, can be used both
4 experiments in radio technology, but also for
5 experiments in support of other things. And the
6 answer to the poor guy in Wisconsin, can he get
7 more power for it, and his particular way of doing
8 experiments is, we believe he can apply for a Part
9 5 license. And for that particular narrow case, I
10 think we've found a near-term solution, but that
11 doesn't solve the more general problem. But we've
12 noticed in the comments, a lot of people raised
13 that, and it certainly is getting some attention
14 now.

15 Okay. A question on this side. One on
16 this side. Okay. A question on that side.
17 Nobody can think of any way to improve Part 15?

18 MR. LEARY: Have people obey the rules
19 as they exist. That's the first step.

20 DR. MARCUS: Okay. My colleague, John
21 Reed, who was here earlier, he left. But I guess
22 maybe no need for him to stay because everything
23 he's done was very good. All right. Vanu.

24 DR. BOSE: Yeah. I have a comment that
25 gets to your initial question, which was, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are there -- do the Part 15 rules sort of preclude
2 the introduction of certain new technologies or
3 services? The answer is absolutely yes, but it's
4 important to know what they are, and know whether
5 we want to deal with them in Part 15.

6 Fundamentally, there's two kinds of
7 services that Part 15 does not deal well with. If
8 you need service that needs guaranteed
9 availability, so public safety communications, you
10 wouldn't want to do that over Part 15, because in
11 an emergency everyone else is going to turn on and
12 you can't guarantee any minimum bandwidth.

13 The second that it doesn't do well with
14 is if you have a system that requires guaranteed
15 minimum latency. Okay? There's no latency
16 guarantees. There are certain kind of
17 communication you can't do or control, but for data
18 networking, for a lot of things like cordless
19 phones it works fine.

20 Now interestingly, there was a lot of
21 discussion about the Internet in the first panel,
22 and those are the same two kinds of communication
23 that the Internet doesn't actually deal all that
24 well with. Anyone who's tried doing Internet
25 telephony knows there's certainly no guaranteed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minimum latency, but it kind of works most of the
2 time, so the same way your cordless phone kind of
3 works most of the time. And, you know, there are
4 certain applications where guaranteed availability
5 is required, not only public safety, but for the
6 people who have large revenue paying customers who
7 want to do that.

8 And so, the existing Part 15 rules
9 wouldn't incorporate those kind of services very
10 well. You'd have to go to a different set of
11 rules, and I guess I want to throw open the
12 question is, do you think it's possible to get a
13 set of rules or an etiquette that could -- does one
14 size fit all?

15 DR. MARCUS: Art.

16 MR. REILLY: Okay. I'd like to comment
17 on an earlier point first, and maybe come back to
18 that. With regard to the discussion about, you
19 know, the rules and the adequacy of them with
20 respect to registration, I just would point out, I
21 think one of the great successes of the wireless
22 land is due to the visionary drive of the FCC in
23 recognizing that by having unlicensed, and putting
24 it in a position where you could innovate, but
25 you've also provided the user with an opportunity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to meet their needs with a minimum of overhead
2 associated with the purchase, the registration, et
3 cetera, of the product is very important. And as
4 we've talked about in the first panel and this
5 panel, I think everyone sees the benefit of moving
6 in a direction towards having, you know, etiquettes
7 of some sort in order to, you know, improve
8 mitigation techniques. So I think the technology
9 is driving us, you know, away from the interference
10 issues, and so issues of registration and other
11 techniques like that that would provide either a
12 barrier, an obstacle that the user would have to
13 consider in making a purchase is one that I would
14 not favor, but rather to build on what we already
15 have and to try to look for new opportunities.

16 In fact, I think as we look, you know,
17 at additional spectrum that the FCC is considering,
18 we may need to look to see whether we can extend
19 that innovation that the FCC has introduced by
20 perhaps having, you know, licensing rules that
21 provide the same sorts of opportunities, where
22 there is a minimum opportunity or expectation of
23 interference, where you go to processes that are
24 licensed, but have a much more expedited process.
25 So I think we'd be moving in the wrong direction if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're looking to, in fact, register or license with
2 regard to the spectrum that we're currently talking
3 about. Thank you.

4 DR. MARCUS: Anyone else on the panel?
5 Dudley.

6 MR. FREEMAN: I think that registration
7 is important because we're finding as we build out
8 that standard components that are being bought off
9 the shelf are being modified by, shall we call
10 underground amplifier manufacturers. I think Mike
11 and I have a discussion about this many times where
12 people go out and buy a much bigger amplifier and
13 stuff it into a Pringle's can, and bang, they're
14 radiating the entire neighborhood much further than
15 they were supposed to under the rules of Part 15.

16 By registering them, knowing where
17 they're located and where they're operating makes
18 the system work a lot better, whether it's done
19 outside the FCC, or whether it's done with an
20 outside association like the Wireless Association,
21 and/or it's done between the manufacturers, makes
22 it a lot easier.

23 MR. LEARY: With respect to
24 registration, you know, it's something that, you
25 know, we tossed around quite a bit. We try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify our own operators out there, and even
2 though, you know, we sell to them, the nearest we
3 can come up to is okay, there are somewhere around
4 600 of these guys. How many each of them have in
5 their own network is hard to say, anywhere from a
6 couple of thousand down to two. But we think there
7 is a case that can be made, not for licensing, but
8 having some sort of requirement that people that
9 are operating for-profit networks declare
10 themselves.

11 I'm not talking about people, you know,
12 at their home, or schools, or whatever, but people
13 operating for-profit networks should have maybe
14 some requirement. There is no right to use a
15 spectrum in a business, perhaps it's a privilege,
16 that they should have some means of declaring
17 themselves, maybe lat longs of where they have
18 their wireless pops out there, and maybe the nature
19 of their equipment, and that goes into a
20 centralized database. Maybe one that's public
21 friendly, so the public can access it in terms of,
22 perhaps, finding service, so there are different
23 ways that you can structure that. But right now,
24 we're trying to solve a problem which no one is
25 able to quantify or entirely qualify, and that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem.

2 DR. MARCUS: Would the government add
3 value to this, or could -- industry want to do it?

4 Could the industry just do it itself?

5 MR. FREEMAN: The question is, is
6 getting everybody in the industry to want to do it.

7 So you have to -- I think the FCC has to set the
8 tone.

9 MR. LEARY: I think it could be done
10 under -- you know, it could be done under contract,
11 perhaps, with very little --

12 DR. MARCUS: Okay. We're about to go
13 to the next topic, but does anyone in the audience
14 have comments on this particular -- on these
15 issues? I will go over -- someone --

16 MR. SNYDER: A general spectrum
17 etiquette issue, it seems to be that the world's
18 great innovator in Unlicensed Spectrum is the U.S.
19 Military right now, and with their software-defined
20 radio, as I understand it, they've got a zero to
21 gigahertz type of device. And, of course, when
22 they go to Iraq and other countries, they don't
23 have a license, so they go in and opportunistically
24 use Unlicensed Spectrum where they need it. And my
25 question to the panel is, are there any lessons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from what the U.S. Military is doing very
2 creatively in using Unlicensed Spectrum? Of
3 course, a very different model than what we're
4 thinking about here for us. And in particular, why
5 not take their software-defined radio and say hey,
6 that will be our unlicensed device. It will go up
7 and down every unused, you know, unlicensed thing,
8 and this is the type of thing we'll use. Are there
9 any lessons from the U.S. Military for us here?

10 DR. NEGUS: Yeah. There certainly are.

11 In fact, when I met Paul was he gave a
12 presentation on that exact project at DARPA and the
13 research that they're doing. And my comment to
14 Paul, the first time I met him was, you are doing
15 exactly what my customers want to buy. There is no
16 question that that is exactly the device that we at
17 any of the commercial wireless land manufacturers,
18 or outdoor equipment manufacturers, that we can
19 build that. We don't necessarily can build it in
20 every way, shape and form today, but Moore's Law
21 means we build it in two years, four years, six
22 years, have better and better characteristics,
23 cheaper and cheaper. So what is holding us back is
24 we are not the U.S. Military where we can
25 unilaterally say gee, I have found -- I am in rural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Wyoming, and I found 800 megahertz of spectrum here
2 that I can use at this instant in time. I'll just
3 go ahead and do it. Okay?

4 That's what's really holding us back,
5 and that's really the regulatory breakthrough,
6 because the technology is going to be able to
7 exploit all the dimensionality of the spectrum
8 access issue, the ones that I discussed earlier.
9 So what we need is a change from the FCC from
10 regulating frequencies to regulating spectrum
11 access, and that means regulating across these
12 various dimensions, including time, space, spatial
13 orientation, geography, frequency, and coding.

14 DR. deVRIES: Not only do I think we
15 need to learn from the U.S. Military, I think, you
16 know, we need to find a way to work with, and live
17 with the U.S. Military. There was a lot of talk
18 this morning about, you know, do you need extra
19 spectrum, and if so, where are you going to find
20 it? And the 5 gigahertz band there are
21 opportunities there in the middle of the band to
22 use the spectrum where there are military uses.
23 And a number of people are trying to understand in
24 detail what the military's requirements are there,
25 what kind of interference they're worried about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And there are definitely indications
2 that the kinds of things we talk about in terms of
3 spectrum Etiquette, seeing what's there, and if
4 there's something that you will interfere with,
5 backing off will, you know, address those issues.
6 But it becomes more interesting than that too,
7 because the DARPA projects very often talk about
8 mesh ad hoc networks, and these are the kinds of
9 networks where, you know, somebody turns up with a
10 radio. It finds all the other radios, and it
11 places nicely together with them, which sounds a
12 lot like the problem that consumers have when they
13 buy radios, and the problem that consumers have
14 when their neighbors have radios, or microwaves, or
15 other things. Which takes us to the issue of, you
16 know, what is the role of the FCC in these kinds
17 of, you know, unlicensed bands.

18 I think not only should it be a
19 question of allowing unlicensed bands for
20 experimental uses to find new technologies, but
21 also we should be experimenting with new kinds, new
22 permutations of how people are allowed to use the
23 bands. And specifically for data networks, if we
24 said that there was a kind of what we're calling
25 it, license by compliance where, you know, packet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data networks would operate, that might be able to
2 allow neighbors to play well with each other, not
3 have to worry about rogue cheap microwaves or
4 whatever the red herring of the day is.

5 DR. MARCUS: All right. It may be that
6 we've driven all the hardcore license people out of
7 the room, and everyone thinks unlicensed is
8 wonderful, so let me raise a variant of this
9 question about the military radio. Military radios
10 are in an uncooperative environment, and have to
11 figure out what's going on. And if they make a
12 mistake and land on say an Iraqi frequency, it's
13 not the end of the world, because if you're
14 shooting at them, who cares if you land on their
15 frequency occasionally.

16 And on the other hand, if you are a
17 licensed user in an adjacent band, an occasional
18 accident is a lot more annoying, so could the panel
19 say something about the ability of radios to
20 passively figure out what the holes are and the
21 reliability. However, also in the civil
22 environment, you don't have to be purely passive.
23 One could have radios that instead of looking for
24 holes passively, have more interaction with other
25 users to find the holes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STEVENSON: Yeah. I'd like to sort
2 of amplify what Kevin was saying. I had a briefing
3 at DARPA last Friday, and was very pleased to see
4 the work that they are doing there in this
5 opportunistic flexible use of spectrum. It
6 resonated very, very well with the sorts of things
7 that IEEE 802 suggested in our comments, and I
8 think they were pleased to see that, you know, we
9 were thinking along the same lines.

10 They're looking, I believe, to avoid
11 conflicts between non-government use and government
12 use of the spectrum by using this sort of
13 technique, as well as doing their opportunistic
14 thing in some foreign battlefield where they have
15 to go in and set up, you know, networks with no
16 setup time, and find the holes where they can live.

17 Part of the problem again is how do you
18 deal with the incumbent licensed users who feel
19 that they have a property right to keep you out?
20 The Commission ultimately, I think, will have to
21 mandate that these licensed users accept this sort
22 of an underlay and efficient use of unutilized
23 spectrum. And it sort of also plays into a
24 question that you asked about how do you deal with
25 legacy receivers?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that in the sort of
2 environmental direction that I'm suggesting we need
3 to go in, that you can go permanent, you know,
4 forever protection to all of the existing legacy
5 technologies. And I would not suggest that you
6 pull the rug out from under people that have made
7 an investment in things, but things get replaced
8 with some, you know, useful lifetime replacement
9 cycle. And the Commission could provide some sort
10 of incentives or mandates, perhaps, that would
11 require incumbent users to effectively upgrade
12 their technology, and be more robust, and more
13 cooperative, and more efficient in their use of the
14 spectrum. And this together could promote more
15 sharing.

16 DR. MARCUS: One more comment from the
17 panel, and then we'll go on to the next step of
18 topics.

19 DR. BOSE: Yeah. I'd like to follow-up
20 on actually your response to the original question
21 on the military software radio. My company is
22 actually involved in that project and, I mean, what
23 you described is the sort of ultimate vision, which
24 isn't there yet, but is certainly working towards
25 it. But I think Mike's point is right, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way you want to use it in a commercial setting
2 versus a military setting is different, but that
3 doesn't affect the underlying technology.

4 The same basic technology can be used
5 with a different protocol or different etiquette to
6 serve the kind of commercial needs that you were
7 getting at, so I think the military has done us a
8 favor there in advancing some of the technology
9 development. Now we need to figure out the
10 etiquettes and make the rules such that these can
11 be used in the commercial environment.

12 DR. LUCKY: Okay. If there aren't any
13 more questions, I mean, we ran out of questions.
14 It's just more of the same, and I'll get to you
15 back there in a minute, if I may. But, you know,
16 I'm sitting here kind of confused.

17 The thing is that we've been talking
18 about how there should be rules, but there should
19 be no rules, everything is changing. The FCC has a
20 problem is that they have to do something, and
21 we've painted a blank canvas here that makes it
22 almost impossible to do anything, so I'd just like
23 to get a lot more specific just for a minute, if I
24 can, to kind of clear up my own confusion.

25 Let's just suppose, as a thought piece,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we open up a new band of unlicensed, and that
2 you have to decide the rules this afternoon. And
3 the question is, and I'd like to ask everybody.
4 I'll just take a show of hands here for a minute,
5 because there's a lot of intelligence in this room.

6 What you actually would do if you were able to
7 create a new band this afternoon?

8 First question, we've all -- we've
9 heard that if people cooperate and adopt a
10 particular protocol or some sharing thing, you
11 could get more efficient use of the band. Now the
12 problem is that technology keeps changing, the
13 protocols keep changing, and what might have seemed
14 like a good idea this year, might not be a good
15 idea next year. So the first question let me ask
16 you all, would you mandate a particular etiquette
17 in your new band? Raise your hands if you would.

18 MR. STEVENSON: I would encourage the
19 use of industry standards as the basis.

20 DR. LUCKY: How do you encourage it?
21 Look it, you've got to actually do something. The
22 band is going out there, you know. You can mandate
23 it. I don't know how you can encourage it, but
24 nobody would mandate an etiquette. Is that
25 correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. deVRIES: Okay. So let me take a
2 crack at it. We haven't had enough disagreement
3 here today.

4 DR. LUCKY: That's what I'm trying to
5 get here. Okay?

6 DR. BOSE: I think we got it.

7 DR. deVRIES: So I think the first
8 thing that would be worth doing is to say yes, we
9 should have some specialization in this band. I
10 would say, since I'm going to make the rules on
11 this band, I think what we need more of is
12 broadband data networking. And so, I'm going to
13 say in this particular band, what we're going to do
14 is, we're going to say, let's say this is reserved
15 for packet data networks, number one. So no more,
16 you know, blasting TVs, you know, no baby monitors,
17 et cetera. So the second thing I'd say is we are
18 going to define some rules in terms of how devices
19 get access to that spectrum.

20 The things that already are showing up
21 in the industry, both here and overseas, are very
22 simple practices like dynamic frequency selection
23 and transit power control. In fact, the playing
24 nice together issue is not the industry disagreeing
25 with each other. It's the industry not being able

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to deal with other people who are not in that
2 process responding to that, so I would say that.

3 What I would not do, and what I'm very
4 wary of is saying we are going to specify a
5 particular protocol at, let's say the medium access
6 layer that would actually say, you know, I'm making
7 some decisions about what applications, so you
8 could make a decision about the MAC layer that
9 would advance as, let's say, real time streaming,
10 but create other problems with, let's say, latency.

11 So I wouldn't actually be that specific, but I
12 think if you said dynamic frequency selection,
13 transit power control, packet data networks, then
14 you would have something to begin with.

15 DR. LUCKY: Packet networks. Okay.
16 Other comments on that?

17 MR. LEARY: Yeah. I don't -- I mean,
18 maybe I don't think it is all that complex.
19 Etiquette comes into play when you have an
20 environment where people don't necessarily play by
21 the rules that even exist. I think if you had --
22 here's a new band. Let's make it, you know, under
23 one gigahertz somewhere. Obviously, we have to
24 take into account the physical realities of the
25 spectrum.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think you have a couple of very
2 simple rules like I've already touched on and Kevin
3 has, where you take in the spatial dimension, you
4 take in the time domain, you take in the spectral
5 efficiency, and all --

6 DR. LUCKY: We're not getting simple
7 any more here.

8 MR. FREEMAN: But, Paul, I think
9 actually it is simple.

10 DR. LUCKY: Okay. Fine. Let's --

11 MR. LEARY: From a manufacturing
12 standpoint, I mean, we already do automatic transit
13 power control, things like that. But the problem
14 is, you know, that listens to all the other noise
15 out there, that other system, so you if you have a
16 packet-based piece of spectrum that's based for,
17 you know, broadband data, perhaps, that eliminates
18 a lot of stuff out of the equation. And then if
19 you make it with these very ratio-based rules, then
20 the vendors are able to develop product where there
21 really virtually is no limit in terms of the kind
22 of efficiencies and the kind of improvements we can
23 see. And then you do that, and then maybe this
24 etiquette is not so necessary because the radios
25 are doing it themselves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. NEGUS: Yeah. I agree. I think
2 that you -- as manufacturers what we want is more
3 of everything. Okay? We want more bandwidth, more
4 power, more flexibility. And you simply need to
5 incentivize us to do the right thing, so again, you
6 get back into power. EIRP, if you give us more
7 EIRP as a function of --

8 DR. LUCKY: You're it this afternoon.

9 DR. NEGUS: Yes. Yes.

10 DR. LUCKY: You're giving me more
11 power. Part 15 is out.

12 DR. NEGUS: Yes.

13 DR. LUCKY: You're giving me more
14 power, and what about the rules --

15 DR. NEGUS: Well, let's take a specific
16 band, 54.70 or 57.25, which is a petition in front
17 of the FCC right now. If we were to say we're
18 going to allocate that band for unlicensed
19 communications, how would we write the rules? I
20 believe --

21 DR. LUCKY: Well, I'm letting you write
22 them. Okay, so you're going to raise the power
23 limit. And what about the directivity, or are you
24 going --

25 DR. NEGUS: Yeah. So that's what I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would take up on Patrick's point. I would make
2 that the power limit is -- and we can argue over
3 formula, but at the end of the day it's not
4 complex, because as manufacturers, once we know the
5 code, the formula, we know it. So the formula
6 would be reward you for spatial orientation. It
7 would reward you for transmit power controls, that
8 is using only the power you needed. It would
9 reward you for dynamic frequency selection for
10 getting on the band, a channel, only when that's --

11

12 DR. LUCKY: You mean reward, you get --

13

14 DR. NEGUS: You would get more
15 bandwidth.

16 DR. LUCKY: -- more power if you use
17 dynamic frequencies.

18 DR. NEGUS: Correct. If you use
19 transmit power control, if you use spatial
20 orientation, if you use higher efficiency
21 modulation, all of these factors.

22 DR. LUCKY: So the incentive always
23 would be more power that you're allowed.

24 DR. NEGUS: That's what we always want.

25 DR. BOSE: Now, but that -- okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Good, we have some disagreement.

2 DR. LUCKY: Okay. Good.

3 DR. BOSE: So, okay. Let me -- I'm
4 going to answer your question by putting up a
5 strawman of what I would do with that band.

6 DR. LUCKY: Okay. You're it.

7 DR. BOSE: Yeah. So fundamentally, you
8 know, there's a band, and I -- if I'm the
9 Commission now, I'm not omniscient enough to know
10 what the best use is. And I certainly don't know
11 what the best use is going forward in the future,
12 but I know people are going to want to use it. And
13 I know that to some reasonable degree, they
14 shouldn't interfere with other people, so what I
15 propose is you have a band, and you're able to go
16 licensed, for lack of a better term, for ten
17 minutes, ten days, ten hours, for a certain
18 geographic location any piece of that, subject not
19 to an etiquette, but certain rules. And the rules
20 -- the key thing with the rules is the Commission
21 has to set not only emission standards, but minimum
22 receiver standards, because that's the only way you
23 can deal with increased background level which
24 you're going to get from these systems, so I
25 propose the following.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For any chunk of band that you're going
2 to limit in my new band here, you have a limit on
3 the bandwidth, and you pay for that much. You have
4 a limit on the power you can radiate in that
5 bandwidth, and a limit on the absolute out-of-band
6 emissions going out as a function of frequency.
7 That's the emitter limitations.

8 On the receiver side, you're going to
9 say look, you can work in this, but your receivers
10 have to tolerate a certain amount of background
11 noise, a certain amount of co-channel interference,
12 a certain amount of adjacent channel interference.
13 That's it.

14 Now by setting that rule, my emissions
15 parameters guarantee that the guy in the next chunk
16 of band over, is his receiver is doing what I've
17 said it needs to do, my emissions won't interfere
18 with him, and vice versa.

19 Now within that, I have this chunk of
20 spectrum. If I want to do a data network, that's
21 fine. If I want to do voice networks, that's fine.
22 Where does the spectrum --

23 DR. LUCKY: So you're not going along
24 with this data network stuff.

25 DR. BOSE: Well, no. I'm generally a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fan of data networks, but there are many types of
2 data networks, and there are certain data networks
3 that have QRS guarantees. There are certain ones
4 that allow lower latency. There are ones that
5 allow wider bandwidth, so there's no one solution.

6 Fundamentally, everything is data, and
7 it's how you use it, but I would let the market
8 decide, and let the people deploy what they want.
9 Give them the spectrum to use. Let them pay for
10 it, or license it, however you want. Make sure
11 they don't interfere with other people, and let
12 anyone else do whatever they want next to them,
13 subject to those same rules.

14 DR. LUCKY: Okay. So you're really
15 adding the element of receiver regulation in your -
16 -

17 DR. BOSE: I think it's essential.

18 DR. LUCKY: Very interesting, yeah.

19 DR. BOSE: Yeah, because, you know,
20 otherwise you wind up with the UHF TV again.
21 Right? What limits the efficiency of UHF TV is
22 those lousy receivers that --

23 DR. LUCKY: Now in your band are you
24 going to do what Kevin suggested, have incentives
25 for people with directive antennas and stuff like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 DR. BOSE: I would like to see the
3 incentives come in in the market, so I'm going to
4 pay for that spectrum, lease it for -- even if I
5 lease it for ten minutes. And the amount I pay is
6 proportional to what I think the use is. And gee,
7 if I can get more calls and more data through, I'm
8 willing to pay more, so there's -- I would like to
9 see the economic incentive be there for more
10 efficient spectrum, yes.

11 DR. LUCKY: Who would you pay?

12 DR. BOSE: So there's two ways to do
13 it. The one is, people license bands, and then we
14 need secondary markets, fluid sub-licenses, a
15 spectrum market, so you pay whoever the current
16 holder is.

17 Another way, which I'm not as big a fan
18 of is, it's the FCC. And you keep going to some
19 central server and paying them a few nickels every
20 time you want to get a chunk.

21 DR. LUCKY: I think one of the problems
22 there could be transaction costs, if you get --

23 DR. BOSE: Yeah, okay. There are
24 always transaction costs, but I think there's two
25 components to that. And the big one today is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really in figuring out your legal liability if you
2 interfere, et cetera. I mean, what I heard in some
3 earlier meetings was that the biggest transaction
4 cost is just getting the lawyers into the rooms for
5 both companies to figure out if we trade the
6 spectrum or let you use it, what's our liability.

7 DR. LUCKY: It's a real cost.

8 DR. BOSE: But now, if you limit the
9 receiver and transmitter, as long as you abide by
10 those, you've limited your liability. And I think
11 yeah, transaction costs are high today, but there
12 are plenty of models. I mean, let's go right to
13 the stock market. Well, why shouldn't we think of
14 this as a commodity like stocks, where transactions
15 can become very low? They might not be low on day
16 one, but they should be able to get there, if
17 demand for spectrum is there.

18 DR. LUCKY: Okay. Let me open it up to
19 the audience. You've got this band this afternoon.

20 Anyone have a proposal what they want to do? In
21 the back.

22 MR. REED: Yeah, David Reed, Reed.com.

23 I think the crucial thing that I would do, and I'm
24 very much a fan of letting the market decide what
25 it's going to do with it, but the crucial thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that enables a market to decide is the ability to
2 change its mind. And so, the single primary thing
3 I would do is require that the radios in that band
4 be cognitive. And the definition for me of
5 cognitive is an extension of the idea of a
6 software-defined radio, so that they can, over
7 time, adopt new etiquettes that work better than
8 the old ones that didn't work very well.
9 Certainly, the first draft will be wrong.

10 And second, they have the ability to
11 sense a much wider part of their environment than
12 just the signals they're trying to receive, so in
13 order to enable all of this stuff we're talking
14 about, you've got to have receivers that can, you
15 know, bond to what's going on, that enable the kind
16 of etiquettes to work. So the key thing here --
17 and then the other thing I would require, which is
18 sort of number two that this enables, is network
19 cooperation; that is, that it should be legitimate
20 and required that you minimize your emission by
21 what we call cooperation gain, which is the notion
22 that through repeaters, or coding, or whatever, you
23 jointly use the minimum energy possible to get all
24 the signals of all the participants, rather than
25 having competition on a point-by-point basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know, one of the flaws with some of
2 the traditional etiquette things are they're
3 centered on one node doing what's good for it, and
4 that's an unstable economy, even when you put a
5 market framework underneath it, because it doesn't
6 incent cooperation. So what you've basically got
7 to do is say that the etiquettes which might be
8 deployed by consortia or groups of users, you know,
9 need to be changeable over time. That's the
10 software-defined radio part, and auditable by
11 outside parties to see if they're doing the best
12 they can, or are --

13 DR. LUCKY: Okay. So you've got a new
14 band called the cognitive radio band.

15 MR. REED: Right.

16 DR. LUCKY: And it's the certain basic
17 policies that people must adopt to use this band,
18 and one is cooperation.

19 MR. REED: Right. And the way to
20 enforce cooperation is a market means of
21 cooperation, which is basically that if you don't
22 cooperate, you don't get to join these large
23 beneficial networks, and you're left out in the
24 cold.

25 DR. LUCKY: So the FCC decides if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're playing by the right rules with your
2 cognitive radio?

3 MR. REED: No, the other -- the
4 networks are allowed to, for example, refuse
5 service to you. So if some network is, for
6 example, providing --

7 DR. LUCKY: Who is the network here?

8 MR. REED: A network is a collection of
9 nodes that decide to cooperate, operate on
10 cooperative protocols. We know that good networks
11 tend to have increasing returns to scale, and so
12 there's a strong incentive to cooperation built
13 into the network. And if those networks have
14 access to such things as the public internet. In
15 fact, if they have a say, you know, a collection of
16 T3s distributed around the city, by merely refusing
17 to provide Internet access, they create a huge
18 disincentive for non-cooperation, so I think we can
19 use the networking level to incent cooperation
20 without very much FCC involvement.

21 DR. LUCKY: Yeah. TCP is such a great
22 example of that kind of thing. Anyway, comments?

23 MR. LEARY: Whatever happens,
24 cooperation, etiquette, predominantly it needs to
25 be something that's done electronically, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's -- and here's a point I'm always big on
2 that very few people, especially in the -- I don't
3 have the burden of a Ph.D.

4 Sociologically, things are done very,
5 very different in unlicensed as they are in the
6 licensed community. You've got to account for the
7 way people use technology. And in the unlicensed
8 space, you are always going to have a large degree
9 of cowboys out there, whatever extent. So
10 cooperation, etiquette, all these things and, you
11 know, playing nice, if they require people to do
12 these things, it's not going to happen very well.
13 Predominantly, it has to exist within the
14 technology itself.

15 DR. BOSE: Are you talking about
16 cowboys within the rules, or cowboys that break the
17 rules?

18 MR. LEARY: Cowboys that break the
19 rules.

20 DR. BOSE: So people who use 5 watts in
21 the --

22 MR. LEARY: In the unlicensed
23 community, it's chronic. And it's just the way
24 it's always going to be, because it's human
25 behavior.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BOSE: Is it a problem? Who's
2 getting hurt?

3 DR. LUCKY: I've got to say something
4 on the other side myself. I mean, I think you can
5 concentrate too hard on the idea that people could
6 break the rules, because I think the predominant
7 manufacturers of equipment will play by the rules.

8 And that occasionally, you get somebody who
9 doesn't, and make an example of them. And I just
10 wouldn't personally --

11 MR. LEARY: It's not the manufacturer.
12 It's the implementer.

13 MR. FREEMAN: How do you catch them?

14 MR. LEARY: The manufacturers I'm not
15 worried out. It's the implementers.

16 MR. FREEMAN: How do you catch them if
17 they're not registered, and you don't know where
18 they are?

19 DR. LUCKY: Well, I mean, I just think
20 you can over-emphasize that as a problem. Let me
21 go on, just personal opinion.

22 MR. CRAIG: Andrew Craig, Wireless
23 Communications Association. Picking up on this
24 last dialogue, but also the original question of
25 the imaginary rules for the new band, a quick

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment and a question.

2 I think it's very significant in
3 listening to the discussion that the two, or two
4 representatives of the outdoor last mile community,
5 a leading manufacturer and an operator, are both
6 trying to focus the attention on a distinction
7 between unlicensed and registration. And for one
8 thing, I think that brings out the value of this
9 kind of wide ranging discussion, but the question
10 is, how do those who are primarily in the software
11 arena, or indoor arena, think that that would play
12 out? Again, that distinction between some kind of
13 idea of registration, so that people can coordinate
14 in what will always be unlicensed bands?

15 DR. NEGUS: Well, I can tell you for
16 starters, there is no coordination for mobile
17 devices. If what we're suggesting from the fixed
18 wireless side is that you're going to have a
19 national registry of coordination on fixed devices,
20 I think that's one solution to the problem. I
21 think that self-organization and self-registration,
22 if you like, by cognitive radios that can do this,
23 is probably a better long term solution. I think
24 that's a short term view.

25 But for mobile devices in the indoor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment in the last 100 feet, this is nonsense.

2 I mean, you're not going to coordinate them. They
3 have to self-coordinate. They have to be able to
4 sense the environment, and the technology exists.
5 That's not the same thing as saying that the
6 devices today, based on the standards that we have
7 today, they don't do that, but the technology
8 completely exists. And I think what the FCC should
9 be doing is incentivizing us, as manufacturers, to
10 use that technology.

11 DR. deVRIES: I'd just like to pick up
12 on a point you made, Bob, in terms of, you know, if
13 we create any rules, what happens to them as
14 technology changes? And I think that's a very
15 interesting point, because there's always a tension
16 between a desire for stability, and a desire for
17 innovation. It's like, you know, do you want to
18 pay less taxes and get more services? Yes. It's
19 the same kind of thing, and so one of the things I
20 speculate that may be interesting to do is when one
21 actually creates, you know, new experimental
22 unlicensed regimes, or licensed in different ways
23 regimes, that one actually puts a time limit on
24 them, or a sunset on them.

25 One of the things that's really common,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, in the PC world is that, you know, the
2 technology rolls over every few years. And, you
3 know, nobody really goes out and buys software for
4 a 286 IBM PC any more. You know, what we do know
5 is that capacity and the ability to use capacity
6 will grow. It's interesting to compare with the
7 spectrum because there's actually somebody at
8 Microsoft who once said, you know, who would want
9 to use more than 256 kilobyte of RAM? You know,
10 we're now up to machine shipping with a thousand
11 times as much, so the rules that are created, and
12 it would appear as if in the short term in the
13 transition, there should be rules.

14 It should definitely be done in such a
15 way that there is some assurance for people who are
16 deploying devices to comply with those rules. But
17 then at a later date, there may be new ways of, you
18 know, operating the same spectrum. Which, in fact,
19 takes you to a question of backwards compatibility.

20 Anything that's new needs to not break what went
21 before, but can do new things in new ways.

22 DR. LUCKY: Okay. Let me just
23 summarize for a minute now. The proposition was
24 that we have th is new band, and we were talking
25 about rules. And some of the things I heard was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first, you make it for data networks. That was one
2 proposition. Another -- packet. Yeah.

3 Then we heard a proposition that you
4 could incentivize behavior by giving more power for
5 certain things that you could do here, like agile
6 frequencies and things like that. Then we heard
7 the idea of regulating receivers in this band.
8 Then we heard the idea of a cognitive band where
9 people bring -- you have to have a cognitive radio,
10 and we heard the idea of sunset clauses on this new
11 band.

12 Now does anybody have any other
13 suggestions about our new band? Okay. Over there.

14 MR. LAHJOUI: Ahmed Lahjouji, FCC.
15 Just on the issue of spectral efficiency, we should
16 be very specific as to what kind of performance we
17 need these technologies that are going to be
18 competing in this new chunk of the bandwidth.
19 After all, the idea here is a better use of the
20 spectrum, so we're going to say okay, if you want
21 to compete here, this is the kind of performance
22 that you must have.

23 DR. LUCKY: So you would require a
24 certain level of performance efficiency. But
25 suppose that interferes with other people when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're doing it?

2 MR. LAHJOUI: Well, when somebody
3 talks about receiver design and all of those
4 issues, that pretty much takes care of
5 interference. You know, that can be done at
6 multiple fronts. I'm focusing primarily on the
7 spectral efficiency, better use of the spectrum.

8 DR. MARCUS: Would you have that
9 efficiency varied between rural areas, and urban
10 areas, and indoor areas, or would you have the same
11 for everybody?

12 MR. LAHJOUI: I'm thinking along the
13 line of --

14 DR. MARCUS: I think that's the crux of
15 the issue.

16 DR. LUCKY: Well, that was actually my
17 next question. And let me go to Kevin, of course.

18 In your thing, would you give special allowance,
19 because you're allocating power in your band.

20 DR. NEGUS: Yeah.

21 DR. LUCKY: Would you give people out
22 in the rural Nebraska more power than people in New
23 York City?

24 DR. NEGUS: Yeah, absolutely. I think
25 you have to take geographic location into effect,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but speaking as someone -- I live at a ranch in
2 rural Wyoming. As someone who lives in a rural
3 community, I think it's -- that concept should go
4 far beyond just this new band. I think that if you
5 look at where we are, the spectrum is completely,
6 overwhelmingly, unbelievably under-utilized, yet it
7 is illegal for us to do the logical thing.

8 DR. LUCKY: How would you define
9 "rural" in your new band? I mean, how do I know
10 when you're qualified for this power?

11 DR. NEGUS: I think that this gets back
12 to the issue of the GPS, and doesn't necessarily --

13
14 DR. LUCKY: No GPS.

15 DR. NEGUS: I know. I was going to
16 say, it doesn't need to be GPS, but I mean the
17 point is, if you generally -- certainly with a
18 fixed system, with a fixed wireless system you know
19 where you are. We use GPS in our fixed wireless
20 system --

21 DR. BOSE: Is the issue --

22 DR. LUCKY: How do you --

23 DR. BOSE: The issue isn't rural or
24 urban, the issue is crowded spectrum or not crowded
25 spectrum.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. NEGUS: Exactly. And again, it's
2 self-organizing.

3 MR. FREEMAN: You've got NTAs, you've
4 got BTAs. I mean --

5 PARTICIPANT: I'm not convinced it
6 changes over time.

7 DR. BOSE: I think you determine it by
8 -- the comment on the first panel was great, which
9 is the FCC should be measuring what they're
10 regulating. And, you know, not too many receivers
11 or people who are willing to cooperate and send
12 back information from their local area will get you
13 a good picture of what's being done in the spectrum
14 in different places.

15 DR. LUCKY: Okay. So your receiver
16 measures the power around it, and decides whether
17 it's in a rural area or not.

18 DR. deVRIES: Yeah. Because, I mean,
19 otherwise, you know, areas where ten, fifteen years
20 ago was forest. There was nothing there.

21 DR. LUCKY: So in this band the
22 receiver looks at some integrated whatever across
23 the spectrum, and decides whether it can use more
24 power or not. And that's type-certified or
25 something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. deVRIES: The way to think about
2 that is if you get from certifying by a set of
3 characteristics, to certifying on the kind of
4 behavior. So the way in which you would certify
5 this device is you would put it, you know, you
6 would put it through a bunch of tests and say, you
7 know, under these circumstances how does this
8 device behave? And if it behaves in the way that
9 it's supposed to behave, then it's okay.

10 DR. LUCKY: Certify behavior, okay.
11 Yes?

12 MR. REILLY: I'd like to just go back
13 to again to -- I think what was fundamental to the
14 Part 15 was to establish some rules that allowed
15 for a lot of innovation, and didn't overly specify
16 what was being provided. There are lots of good
17 ideas that have been suggested, and I'm sure at one
18 point in time all of them will have some place.
19 But to think that you would establish rules that
20 specify all of this in detail at one point in time,
21 and then have a technology be able to evolve, the
22 simplicity of it with regard to unlicensed not
23 requiring the user to do anything but purchase,
24 install, operate and maintain, they have rules that
25 were very simple and fundamental, that provide an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment in which manufacturers commit resources
2 to develop products, knowing what that situation
3 was, recognizing what the interference would be
4 from other situations initially.

5 Now we've talked about various
6 mitigation techniques. Those will be incorporated.

7 I think the panel has suggested manufacturers
8 cooperate. It's to our advantage to come up with
9 techniques that will, in fact, allow these things
10 to operate, so we'll make those decisions
11 consistent with economics, market, et cetera, and
12 technology evolution. So I think if we minimize
13 the amount that the FCC specifically specifies but
14 create an environment that will be a launching pad
15 for this. That's the best that the FCC could --

16 DR. LUCKY: Well, let me translate this
17 into specifics. Would you buy his power?

18 MR. REILLY: The total power control,
19 TPC, that's --

20 DR. LUCKY: Well, he's going to give
21 you allowances, incentivize the power. Would you
22 buy that?

23 MR. REILLY: I would think that would
24 be an option that the user might have with regard
25 to, perhaps, capabilities that might be available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to --

2 DR. LUCKY: We're talking about the
3 rules for the band, though.

4 MR. REILLY: No, I would not put that -
5 -

6 DR. LUCKY: You wouldn't. Okay. Would
7 you buy the receiver regulation?

8 MR. REILLY: No.

9 DR. LUCKY: Okay. And wouldn't buy the
10 geography stuff?

11 MR. REILLY: When you say, I'm buying
12 it with regard to inputting into the rules, as
13 opposed to having standards bodies, having the
14 industry collectively discuss the issues, identify
15 what, in fact, makes sense with regard to ways
16 going forward. And then the market will adjust
17 with regard to implementing or not implementing.

18 MR. LEARY: With respect to power in
19 the rural environment, maybe I'd have some
20 disagreement here. I'm not entirely convinced.
21 Give me the lower band, I'll take that over the
22 power because, you know, I can already do 300
23 square miles from a single location with existing
24 power in those areas where you can see your dog
25 running away for two days. However, in most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 world, you know, the problem is --

2 DR. LUCKY: That's a good criterion, by
3 the way.

4 MR. LEARY: It's a problem of --

5 DR. LUCKY: That's a good definition of
6 rural.

7 MR. LEARY: But seriously, it's a
8 problem of foliage, not necessarily of power. And
9 also, in a data environment you have to take into
10 account the reality of latency, so we could get
11 lots of power. Okay. Fantastic, out at 60 mile
12 link, but then I've got, you know, a certain amount
13 of latency that's unavoidable because of that
14 distance, so give me the lower band. I'll take
15 that any time over the power.

16 DR. LUCKY: Okay. Over there.

17 MR. SNYDER: Two related questions.
18 Earlier when we talked about beach front spectrum,
19 and you could take Sahara Spectrum, you know, high
20 frequencies as a contrast point. Does spectrum
21 Etiquette systematically vary based on frequency?
22 We've assumed here that I think etiquette is sort
23 of homogenous, regardless of the band, but are
24 there systematic differences?

25 I, for example, think the UNII Band is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too high for a lot of valuable unlicensed
2 applications. Your comment would bolster that, so
3 that's -- are there any systematic differences
4 based on frequency? And the second question is,
5 let's take spectrum below 3 gigahertz and above,
6 could you give me a specific number as to what
7 percentage of that spectrum should be allocated for
8 unlicensed? Would it be 10 percent under 3
9 gigahertz, and 5 percent between 3 gigahertz and 30
10 gigahertz, or would it be the same spread equally?

11 You know, with land, 90 percent of the federal
12 lands is, you know, on the other side of the
13 Mississippi, on the western side of the
14 Mississippi.

15 Are there systematic differences as to
16 where this unlicensed spectrum should be allocated
17 because of, you know, etiquette related issues
18 around frequencies?

19 DR. LUCKY: Okay. Well, the answer to
20 your first question is yes, and the answer to the
21 second is 27 percent.

22 DR. NEGUS: Yeah. I'd like to re-
23 emphasize. Bob is correct, it is 27 percent.

24 DR. LUCKY: I think 27.5.

25 DR. NEGUS: Presumably, when you say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unlicensed, do you mean something like the ISM Band
2 or the UNII Band, where unlicensed has a preferred
3 home? Let me remind you, under 15.209 you can put
4 unlicensed in most places under 40 gigahertz as
5 long as you avoid the places that are drilled out,
6 and as long as you stay at a very low level of -40
7 dBm per megahertz. But I think what you're talking
8 about is higher powers.

9 DR. deVRIES: Yeah, I just want to --
10 yes. And I think, you know, to answer your first
11 question, or to address your first question, you
12 know, if I think here about, you know, a place
13 where "unlicensed" has a special home, or
14 essentially where, you know, there is no single
15 owner of the use of that band, I think the lower
16 you go, the more important spectrum Etiquettes or
17 sharing rules become, because it propagates
18 further. And so if you're up, you know, at a part
19 of the band where it doesn't go through walls, gee,
20 you know, do you really need it?

21 Well, actually in some cases if you've
22 got thin walls, you live in an apartment, yeah, you
23 probably do. But if you're, you know, down where
24 it goes for miles, you absolutely need those
25 things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: Okay. I think it's time to
2 change gears. I appreciate the specificity that we
3 got to, even though everyone had a different
4 proposition about what should be done, so I'll turn
5 it back over to Mike.

6 DR. MARCUS: Okay. Well, let's be a
7 little bit more explicit. Dudley talked a little
8 bit about the antenna problems that the wireless
9 ISP community is having, and their desire to mix
10 and match antennas. We -- the current restriction
11 on antennas and cabling comes with the more general
12 Part 15 devices, which include cordless phones,
13 remote control cars, and things like that where it
14 really doesn't make any sense to allow people to
15 put any antenna on it. So one question is, if we
16 were to -- if the wireless ISP industry is having
17 major problems with that, can they come up with any
18 better ways of allowing other antennas, but that
19 keeps the intent of our rule, you know, the narrow
20 rule.

21 But the second question, which is a
22 close cousin of that is, in 15.209, which I keep
23 mentioning, which allows unlicensed virtually
24 anywhere under 40 gigahertz, the current level of
25 500 microvolts per meter and -40dBm for megahertz,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depending which units you want, currently applies
2 everywhere from 960 to 40 gigahertz. Is that the
3 right number? If it isn't the right number, how in
4 the world would we go around determining what the
5 right number is?

6 So those are two possible changes to
7 our rules that may or may not be helpful, or may or
8 may not change the balance of power. And does
9 anyone on the panel want to talk about either of
10 those?

11 MR. FREEMAN: The first part, I think
12 we should consider having the antenna manufacturers
13 just submit through a testing lab the specs of the
14 specific antenna that would have the same
15 characteristics of the antenna that comes from the
16 specific manufacturer. Remember, the specific
17 manufacturer is not in the antenna business anyhow,
18 unless it's an integrated product.

19 DR. MARCUS: Okay. So you would have
20 the manufacturer say, or submit for approval to the
21 FCC or the -- whoever does the approval --

22 MR. FREEMAN: Right.

23 DR. LUCKY: So I can't use a Pringle's
24 can?

25 MR. FREEMAN: No, I don't think so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LUCKY: I want to use the Pringle's
2 can.

3 DR. NEGUS: Pringle's can certify their
4 antenna then.

5 DR. LUCKY: Pringle's could certify
6 their can.

7 DR. MARCUS: So the specs that you, the
8 manufacturer of the transmitter, say you would
9 issue some spec, and if Pringle's met that spec --

10 DR. LUCKY: And right on the can it
11 would have a Good Housekeeping seal of approval,
12 you know, approved for use after you've eaten the
13 potato chips.

14 DR. MARCUS: Yeah. Dual use
15 technology.

16 MR. FREEMAN: The other thing is the
17 clear understanding that professional installation
18 is required for the systems in the fixed broadband.

19 DR. LUCKY: Oh, no.

20 MR. FREEMAN: Installation.

21 DR. LUCKY: We've got all these
22 volunteer hot spots out there.

23 MR. LEARY: A different network.

24 MR. FREEMAN: Different network.

25 MR. LEARY: Different network. We're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking infrastructure from basically predominantly
2 tower --

3 DR. MARCUS: Now if it was a turnkey
4 system that you bought in Radio Shack as a turnkey
5 system, do you think professional installation
6 would still be required, or only if you buy your
7 own antenna?

8 MR. FREEMAN: Well, I think
9 professional installation for the -- what we do as
10 a last mile provider, or a big pipe between two
11 buildings requires a professional installation.
12 And the reason I think it requires professional
13 installation is because again, we go back to the
14 cowboy mentality where they buy this equipment, and
15 they juice up the amplifier and so forth, and so
16 on. You have someone who is certified by each
17 manufacturer of using, how to install and
18 understand the equipment.

19 DR. MARCUS: So Kevin certifies the
20 manufacturer. Kevin certifies the installer.

21 MR. FREEMAN: Kevin certifies the
22 installer. He takes a course, or his distributors
23 teach a course all about the product and how to
24 install it.

25 DR. MARCUS: Okay. Vanu was shaking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 his head about --

2 MR. FREEMAN: By the way, that's in the
3 rules.

4 DR. LUCKY: Are you a professional
5 installer? I mean, do you do that stuff?

6 MR. FREEMAN: Not often.

7 DR. MARCUS: Okay. Vanu was shaking
8 his head about that, but also shaking his head
9 about the power -- on the power limits.

10 DR. BOSE: Yeah, I've got a bunch of
11 things. Yes, on the power numbers, your question
12 was was that the right level adequate? And the
13 simple answer is no, because you don't see any
14 commercial products out there doing anything with
15 that. It's simply not enough.

16 Now I hate to keep harping on the same
17 point, but this goes back to receiver standards.
18 If there were standards so that receiver standards
19 in all the bands have to tolerate a certain amount
20 of background interference, now you could bring in
21 devices, like ultra wideband to start, but other
22 things that sort of operated under the radar, and
23 make that more useful. And we've actually done
24 stuff in the lab at those levels and, you know, you
25 can transmit a few feet, and there are just not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that many applications.

2 DR. MARCUS: Well, most systems above
3 10 to 40 gigahertz, tend to have highly directional
4 antennas.

5 DR. BOSE: Yeah, up above 10, that's a
6 different issue.

7 DR. MARCUS: Well, I mean, but part of
8 the question is, is the number between 10 and 40,
9 should it be 500 microvolts per meter, or should it
10 be lower, should it be higher?

11 DR. BOSE: Well, I think it's a
12 different issue --

13 DR. MARCUS: How would you figure it
14 out?

15 DR. BOSE: Well, when you get to 10 and
16 40, when you have such directional transmission, I
17 think that becomes less an issue, because there's
18 less chance of interference.

19 DR. MARCUS: So what number would you
20 write? If you wrote the rules, what number would
21 you write?

22 DR. BOSE: You know, 27 percent.

23 DR. MARCUS: How would we determine
24 what the 27 number is?

25 MR. STEVENSON: In the 24 gigahertz

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 band, the Commission adopted a report and order
2 increasing the field strength from 250 millivolts
3 per meter at 3 meters, to 2,500 millivolts per
4 meter. There was -- but with a requirement for
5 directional antennas of at least 33 dBi. So the
6 argument there was that the total area encompassed
7 would be smaller, you know, or certainly no more
8 than the lower power with an omni antenna.

9 DR. MARCUS: Well, should we extend
10 that up to 40 gigahertz, or should we keep that
11 only in the 24 gigahertz band?

12 MR. STEVENSON: I think you have to
13 look at what you have to live with there.

14 DR. NEGUS: Well, I would answer yeah,
15 you should. But I think you should across
16 virtually -- I hate to speak and not think through
17 the consequences on every band, but that concept, I
18 think, applies across every band from DC to
19 daylight.

20 DR. BOSE: Well, not only that. I want
21 to make the point that I think that's something in
22 the spectrum that the Commission should encourage
23 because, you know, if you look at David Reed's
24 argument that going into the future, once we've
25 sort of taken care of all the legacy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inefficiencies, and spectrum is pretty fixed and
2 usage increases, we've got to go to more dense
3 lower power transmitters, and this is a way to
4 start encouraging that use, is letting people do
5 more things at lower power under the radar.

6 MR. STEVENSON: Another point, if I
7 could is, is not just a question of transmitter
8 power. It's a question of EIRP. For example, in
9 99.231, the comments that my company filed, we
10 advocated actually a lower power than the
11 Commission ended up adopting but, you know, we
12 advocated the use of higher directional antenna
13 gain before you had to start backing off on the
14 transmit power. Because you take advantage of
15 antenna gain at both ends of the link on point-to-
16 point links, and you can end up getting the same
17 margin to a given bit air rate at the same distance
18 with less EIRP. You're discriminating against
19 interfering with systems off to the sides and
20 overshoot beyond the intended end-point, so there's
21 more bang for the buck in higher antenna gains,
22 more directive antennas than omni antennas, or low
23 gain antennas and brute force power.

24 PROF. RAO: I wanted to add a few
25 comments here. I think the antenna issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually related to the architectural issue. I
2 think .11(b) technologies have been extremely
3 successful at the access level, where you're trying
4 to reach a large number of people. But if you want
5 to build the one level up from there, the back haul
6 so that you can afford to go wireless a longer
7 distance, that is where you start to need more
8 directional antennas.

9 And to the extent that we feel that
10 there is a need to stimulate and incentivize the
11 development of technologies that will not just work
12 in a single hop, but work multi-hop, I think paying
13 attention to the directionality of the antenna and
14 the kinds of power levels that you're allowed to
15 use, I think will become critical.

16 MR. LEARY: I really need to defend the
17 professional installer clause for -- with respect
18 to the infrastructure. Two reasons why. Last
19 year, I think the number was 116 people died from
20 tower accidents, the highest number ever. That's
21 one.

22 Two, I give you an example of a school
23 in the northeast who one day they came back from
24 the weekend, all the water fountain motors were
25 dead. Well, over the weekend they had a lightning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 storm, but the installer who didn't know any
2 better, grounded to a water pipe. Went down, blew
3 the motors in these waters fountains. Had a child
4 been using that while this occurred, the child
5 would have been likely killed, so in terms of
6 infrastructure, not on wireless lands, not on
7 public hot spots, but on legitimate infrastructure
8 - this is broadband after all, folks. This isn't
9 some little hobbyist thing. These are providing
10 critical services to schools, police, fire even in
11 those occasions, hospitals, and for businesses as
12 primary connections. You know, it's not some silly
13 little, cute little niche activity here in the
14 free-net community. This is real, live, legitimate
15 infrastructure, and in those environments there
16 needs to be a stronger professional installer
17 clause.

18 DR. BOSE: Well, I'd like a maybe
19 tighter definition of infrastructure there. Let me
20 give you an example. You know, I've got an 802.11
21 hub in my apartment, and the last time I checked
22 there's seven other people using it for access to
23 the Internet. Am I an infrastructure provider?

24 MR. LEARY: No, you are not. The last
25 hundred feet is distinctly different from last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mile.

2 DR. deVRIES: So let's assume that
3 Vanu, you know, that a few years from now there's
4 "unlicensed" spectrum lower in the band, where he
5 can, in fact, reach more people, and he's one of a
6 group of people that build out a mesh that cover
7 square miles, is he an infrastructure provider?

8 MR. LEARY: Not in the mesh
9 architecture if it's deployed like that. I'm
10 talking about things specifically deployed on
11 towers, tops of buildings, different --

12 DR. BOSE: So it seems like you're
13 keyed to power and height.

14 MR. LEARY: I am. It's location-based.

15 DR. BOSE: Okay.

16 MR. LEARY: For example, if it's in
17 your home, single story building, no. But if
18 you're the installer and you're climbing on the
19 third floor, and you're mounting something on the
20 outside, so yes, it is location-based in that
21 sense. And I think there's even OSHA elements in
22 that that certainly cross over.

23 DR. BOSE: Well, I guess one sort of
24 example on the boundary is Direct TV dishes. I
25 climbed out the side of my house and bolted it up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there. And, you know, it might not be that
2 lightning proof.

3 DR. MARCUS: Let's ask David Reed.
4 He's been trying to say something here.

5 MR. REED: This is totally outside the
6 technical field, but I would just point out that
7 we're emphasizing the reason that local electrical
8 codes exist, not the reason the FCC exists. And if
9 we really want to regulate people falling off
10 towers, or not getting lightning storms, that's an
11 electrical code issue, not an FCC issue.

12 MR. LEARY: It's the behavior of people
13 as operators in unlicensed spectrum.

14 MR. REED: Oh, sure. But what I'm
15 saying is the --

16 MR. LEARY: So, I mean, there is an FCC
17 overlap, and certainly NEC, and OSHA, as well.

18 MR. REED: But NEC is the place to do
19 that, and surely we don't need to have installers
20 worrying about the EIRP in the NEC so, you know, I
21 really think those are totally separable.

22 DR. NEGUS: I think this is analogous
23 to the FCC regulating cell phones while driving. I
24 mean, right? I mean, it's a communications device.
25 People are distracted while driving, and I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know. I have no idea what the statistics are, but
2 I'm sure it's more than 116 people year in the
3 United States are killed by driving while being
4 distracted on their cell phone. But I don't think
5 that's an appropriate issue for the FCC.

6 MR. REED: Yeah. The DOT is worrying
7 about that. It's a fine place for it to be worried
8 about.

9 DR. MARCUS: Okay. We only have two or
10 three more minutes to go. Get away from the
11 professional installer issue for a minute, are
12 there any other issues that people have that they
13 think are important? Yes.

14 MR. REILLY: Just one I'd like to make
15 is, you know, throughout the discussion today, this
16 morning and both panels, we talked a lot about
17 unlicensed. We've had some discussion of licensed.

18 And I made the point earlier that I think there's
19 a lot to be learned from the experience with
20 licensing by rules that took place with regard to
21 Part 15. And we ought to look at opportunities to,
22 in effect, have streamlined licensing processes.

23 And I think that brings up another
24 point, which is that there may be a tendency to
25 think about unlicensed as related to either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enterprises or residential users, and to think of
2 licensed as perhaps related to carriers or service
3 providers. I think with the kinds of technologies
4 and the capabilities that we're talking about now,
5 it's appropriate, you know, to disassociate
6 technology from who is utilizing it.

7 I think there will be opportunities
8 with the higher frequencies, with regard to more
9 directional antennas, to have distances where a
10 service provider may want to operate in an
11 unlicensed mode between -- to kind of extend a
12 fiber optic system in an environment that might not
13 otherwise be appropriate for bearing fiber. Or
14 there may be, you know, private sector users that
15 are looking to have a licensed operation because
16 they want to put it in, and they want to have the
17 benefits that derive from the rights associated
18 with licenses, but that process should be
19 streamlined so they don't have to wait six months
20 or more in order to get in operation, so that's
21 just a point I'd like to make.

22 DR. MARCUS: Okay. Let me point out
23 that people who want to give us inputs on certain
24 philosophies of licensed versus unlicensed, in June
25 we issued a Notice of Proposed Rulemaking on 70-80-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 90 gigahertz bands, in which we proposed three
2 options for the bands on an equal -- at least in
3 the NPRM they're equally treated. We'll obviously
4 probably only adopt one, but one is licensed, one
5 is unlicensed, and one is a band manager, which is
6 sort of in-between. So if people have thoughts and
7 would like to try their thoughts in a specific
8 context, please feel free to send in comments to
9 the NPRM, and it's a much higher frequency, but
10 some of the philosophical issues apply here.

11 Does this side of the panel have
12 anything to say in the last minute or two?

13 DR. deVRIES: Just one last comment.
14 We seem to be making the distinction between
15 licensed and unlicensed very clearly. Just to say
16 that to me, the distinction is not that clear, and
17 I expect that as the devices that we build become
18 more intelligent, and some of the futures that are
19 being talked about become real, the distinction
20 will become even more blurred. And as the FCC
21 thinks about these issues, it needs to take a more
22 broad view about the range of possible ways of
23 regulating use of spectrum.

24 DR. MARCUS: Thank you very much. I'd
25 like to thank the panelists here. I don't want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rush you, but at 2:00 we're going to have the
2 experimental license panels in the same room with a
3 new cast of people. If you would like to stay here
4 for lunch, let me explain what the arrangements
5 are. You have to take the elevator up one floor to
6 the floor which is oddly labeled CY for courtyard.

7 You can go out the back of the building through
8 security. You have to give them your red badge.
9 They give you a card. Then you have to come in the
10 same door. There are two doors in the courtyard.
11 You have to come in the same one you went out of.
12 There are two restaurants there. If you want to go
13 down 12th Street to the seafood restaurants on the
14 waterfront, they take a little bit longer. There
15 is another cafeteria on the outside, there are
16 actually two on the outside of the building, or
17 there are two in the courtyard, and feel free to
18 stay here. And thank you all very much, and thank
19 the panelists for their excellent remarks.

20 (Off the record 1:03 - 2:07 p.m.)

21 DR. KOLODZY: Welcome back. Thank you
22 for coming back here. We're ready to get kicked-
23 off the third panel for the day and the final panel
24 on experimental licenses. I'd like to introduce
25 Lauren Van Wazer, who is the special counsel within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Office of Engineering and Technology, and also
2 the Deputy Director of the Spectrum Policy Task
3 Force. And I don't think I need to introduce
4 again, but I'll say Bob Lucky, who actually has
5 been co-moderating all three panels today, so I'd
6 like to turn it over to Bob and Lauren.

7 MS. VAN WAZER: Thank you, Paul.

8 I'd like to just start down this end,
9 and we'll do some introductions. Maybe you could
10 just say -- introduce yourself and say a word or
11 two.

12 MR. SOLOMON: I am Larry Solomon with
13 the law firm of Shook, Hardy & Bacon. I've been
14 practicing private communications law for longer
15 than I wish to disclose, and have worked on and
16 filed, and processed many experimental
17 applications.

18 MR. ROOSA: My name is Paul Roosa. I'm
19 with NTIA. I, too, have been doing this longer
20 than I care to admit but I might anyhow, 1966 I
21 started doing structure management stuff, so I have
22 worked from time to time on our processes of
23 reviewing experimental systems that we call major
24 systems. And that's why I'm here.

25 MR. LYNCH: Hi. I'm Mike Lynch, Nortel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Networks. I do spectrum regulatory issues,
2 including experimental licensing, and spectrum
3 allocation issues. And probably one of the reasons
4 I'm here is some of the difficulties there.

5 MS. VAN WAZER: Well, that sounds
6 enticing. Why don't we skip over.

7 MR. HOARTY: I'm Leo Hoarty. I'm the
8 Chief Technical Officer of Dotcast, Incorporated, a
9 technology in Silicon Valley, developing a novel
10 wireless technology. I spent a good part of the
11 last year in these hallowed halls begging before
12 the Commission for experimental licenses, and
13 finally our authorization.

14 MR. HILLIARD: I'm David Hilliard with
15 Wiley, Rein & Fielding, and for more than 25 years
16 I've had the pleasure of working with some of the
17 folks in this room to secure experimental licenses
18 and other forms of approval from the FCC.

19 MR. FRANCA: Hi. I'm Bruce Franca.
20 I'm the Deputy Chief of the Office of Engineering
21 and Technology. I just want to point out that
22 we're in alphabetical order, and this is -- the
23 separation between me and Paul has nothing to do
24 with our close work together in ultra wideband.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HILLIARD: I guess I'm glad to hear
2 that.

3 MR. BUCHWALD: Hi. I'm Greg Buchwald
4 with Motorola Labs in Schoenberg, Illinois, and I,
5 of late, have been responsible for obtaining
6 experimental licenses for our beyond 3g activities.

7 MS. VAN WAZER: Thank you. The
8 Commission's experimental license program is
9 supposed to provide manufacturers, inventors, and
10 entrepreneurs with the opportunity to test new
11 radio technologies and new equipment designs, among
12 other things.

13 In 1998, the Commission performed a
14 significant review of our experimental license
15 rules and made lots of changes, including allowing
16 longer license terms. They can be up to five years
17 now, allowing for blanket licensing, allows for
18 STAs without the prior issuance of an experimental
19 license. And also, adding some streamlining rules.

20 I'd like to find out, and particularly
21 since you made a comment that was intriguing. How
22 did we do?

23 MR. LYNCH: Well, essentially when it
24 comes to STAs and things that conform to DOS
25 allocation table, you do very well. But when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're working on products that are foreign market
2 products, at least our experience has been that it
3 doesn't work so well. I mean, especially when if
4 it happens to fall into the DOD arena. And I'll
5 summarize it, it goes to the IRAC and that's it.

6 DR. LUCKY: That's it?

7 MR. LYNCH: That's it.

8 DR. LUCKY: You don't get a reply back?

9 I mean --

10 MR. LYNCH: You may get a reply, but
11 there's no conversation about the reply. If it's
12 negative, it's negative and that's the end of
13 conversation. And I guess my --

14 DR. LUCKY: And how often does that
15 happen?

16 MR. LYNCH: Well, it's not how often.
17 It's just that it does happen, and it's
18 frustrating. We had a wireless open loop product
19 that we were trying to refine here in the U.S., and
20 it absolutely was not going to be possible to get
21 experimental licensing for it. There was another
22 product similar - we understood the controversy on
23 that one. We ended up doing it in a closed loop
24 fashion, which is still not the best way to test
25 our product. But the other one, in particular, was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in a band that we told them in the beginning it
2 won't happen, and --

3 DR. LUCKY: And it didn't.

4 MR. LYNCH: No, it didn't. Yeah. And
5 it hurt our ability to fine tune and to sell that
6 product as a competitive product for a local loop,
7 for total quality in our local loop.

8 DR. LUCKY: Let me understand. Was
9 that in a military band?

10 MR. LYNCH: 450.

11 DR. LUCKY: What were you doing there?

12 MR. ROOSA: When did it occur?

13 MR. LYNCH: This was probably 1998.

14 MR. ROOSA: 1998. No wonder I couldn't
15 find any records about it this morning.

16 MR. LYNCH: It was a while ago, but it
17 isn't -- that's sort of well gone, and use it as an
18 example of what can happen. On the other hand,
19 after 9/11, we came in and asked for some stuff in
20 the 1710-1850 proportion for people nodes at Ground
21 Zero, and I think it took about five hours doing
22 OET and NTIA to get the permits out, and get the --
23 that worked quite well, but there was an impetus -
24 -

25 MS. VAN WAZER: It's good to get kudos

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for our coordination process.

2 MR. LYNCH: But there was an impetus
3 for doing that. Right? Okay. But in the other
4 case, there was no impetus. In fact, there was in
5 various international organizations at the time the
6 U.S. government was opposing the use of that band
7 for that purpose too.

8 MR. FRANCA: I think, Lauren, if I
9 might just comment on that, because I think that
10 happens. And I think these are issues that while
11 the equipment is being developed for a foreign
12 market, there also was petitions to use that
13 spectrum, or transfer some of the spectrum
14 domestically. And I think you -- you know, in
15 those cases, I think we can understand what the
16 government side might be concerned about, where an
17 experiment might lead, and be more cautious about
18 approving that.

19 I will say that in general, you know, I
20 mean we have very good relationships with NTIA.
21 They understand the experimental program doesn't
22 promise anything, and generally, I think we're able
23 in most instances, unless there are some real
24 interference concerns or other issues to work
25 things out. Although, it does in some instances

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take a little bit of time.

2 DR. LUCKY: Bruce, could I ask you or
3 Lauren, you know, I don't know very much about
4 experimental licenses. I've gotten them at Bell
5 Labs in the past, and used them and so forth, but
6 who actually has authority in these cases? I mean,
7 does it really -- who really makes the decision?
8 You say you coordinate with NTIA, but sometimes it
9 goes to IRAC and, you know.

10 MR. FRANCA: Right. I mean, we issue
11 the license, and the application comes to us, but
12 we -- if it's an exclusive government band, we
13 coordinate that, just like we would if, for
14 example, somebody wanted to use the broadcast band
15 and there was an interference issue. We may make a
16 determination that that experiment doesn't make
17 sense in that particular geography, and we rely on
18 the government's eye to kind of make those same
19 determinations.

20 DR. LUCKY: I'm not sure I understand
21 the word "coordinate." I mean, if NTIA says no, I
22 mean, the answer is no?

23 MR. FRANCA: Generally, the answer is
24 no in their spectrum, or we might ask them why.
25 You know, and offer some advice to the licensee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about going another place.

2 MR. HILLIARD: You know, that exchange
3 that we just heard prompts the thought that in this
4 process, particularly for the non-routine
5 applications, we really need to build in dialogue,
6 because in many cases, I think things can be worked
7 out. But so often times, experimental licensing
8 has sort of been in the background, and sometimes
9 deemed not to be very important by management, when
10 in fact, it's the seed bed from which a lot of
11 things flow. And resources haven't been put upon
12 it to get people into Washington to have the
13 discussions with the right folks at NTIA, and if
14 necessary, even in other government agencies. So
15 the model, if you wanted to construct one,
16 currently is pretty good. It works very well for
17 routine things. They've done an excellent job
18 there, but for things that are not routine, and you
19 can expect non-routine sort of situations right
20 here. There needs to be a lot of dialogue, and it
21 may mean that Bruce ends up spending more time than
22 he wishes talking to Washington folks and others
23 about experimental licenses.

24 MS. VAN WAZER: I just want to remind
25 the speakers to speak into the mike. I guess some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 folks at the back of the room are having trouble
2 hearing us. David, you mentioned something about
3 wanting to build on the dialogue. What specific
4 ideas do you have with regard to that?

5 MR. HILLIARD: Well, I think that one
6 of the first things you need to think about before
7 you apply for an experimental license is what
8 interest might this affect? And if it's something
9 that could be controversial, that calls for some
10 discussions first at the FCC, to find out, you
11 know, where the stakeholders might be. And then
12 once you learn who those players are, go to them
13 and talk with them. Especially when we're having a
14 situation involving operation in spectrum that
15 requires coordination with the government. And,
16 you know, if you hit a brick wall right there, well
17 that says something about the process and its need
18 for reform. But my experience has been that if you
19 keep going at it, you can usually find somebody who
20 will talk with you about those sorts of problems.

21 The difficulty is that sometimes these
22 authorizations are actually needed fairly quickly.

23 And when you get into that situation, then things
24 become a little big rugged.

25 MR. LYNCH: And just, you know, going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to comments about, I think I heard a veiled
2 reference to some discussions on three and a half
3 gigahertz we have over the last several years. I,
4 from a purely experimental point of view, if it's
5 sensitive because somebody thinks it's going to go
6 towards a possible allocation, I could see an
7 agreement in the very beginning, I mean, if we had
8 some sort of process check sheet, if you would,
9 that this is not an application for an experimental
10 -- for export technology and not for the purposes
11 of doing a reallocation, and having it clearly
12 understood at the time that the request is even
13 made, it may help reduce the tension for some
14 people.

15 MS. VAN WAZER: Well, many of the
16 comments have been about the process. I guess I
17 want to step back a bit and say if our goal is to
18 promote innovation through the use of experimental
19 licenses, how could we do better substantively?

20 MR. SOLOMON: I think one way the
21 Commission really needs to get out to the public
22 and talk about experimental programs, and encourage
23 people to do that. You have almost two groups of
24 people. You have one that are sort of a vested
25 industry interest that have a lot of money to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spend. Well, these days they don't have a lot of
2 money to spend, but let me just say that they
3 understand the process. They know how to work, at
4 least a little bit through the FCC. They
5 understand the process.

6 On the other hand, you have some very,
7 I think, brilliant people out there who just don't
8 understand the FCC, don't know about the FCC, are
9 frightened to death about the FCC's processes, and
10 just don't know what to do. And while I don't have
11 any great ideas today, I think the FCC really does
12 have to make an effort to get out there to the
13 public, to call for innovation, to try to get
14 people excited about doing experimentation in
15 radio. And I think these days it's particularly
16 important because a lot of the venture capital
17 money has certainly dried up. The
18 telecommunications market isn't doing exceedingly
19 well, and there has to be some incentive to do
20 experimentation.

21 DR. LUCKY: You know, I -- this morning
22 we focused on how to get new technology and, you
23 know, there are a lot of things, cognitive radio,
24 software-defined radio and so forth, and how we can
25 fit them into the mainstream, how we can slide them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into it. And to the degree that experimental
2 licenses can be used for that, I would be very
3 interested. And I know, Paul, you had some
4 experience with ultra wideband. Now that's a
5 specific example of a dramatic new technology that
6 interferes with current technologies. How do you
7 ever get going with something like that? What was
8 your experience?

9 MR. ROOSA: The hardest part we had
10 with that is understanding what the technology
11 could do in the way of wave forms and technical
12 characteristics, and what affect the signals would
13 have on existing operators. We went into a
14 measurement program and measured a number of
15 different ultra wideband devices.

16 DR. LUCKY: Now the "we" here is the
17 NTIA. Right?

18 MR. ROOSA: Indeed. I'm sorry. NTIA,
19 and with -- our facilities out in Boulder did
20 that, the measurement effort. Still felt pretty
21 comfortable we understood what the spectrums looked
22 like, and how the energy that came out of the ultra
23 wideband device would affect conventional
24 receivers.

25 At that point, one has to make some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kinds of assumptions about what the transmitters
2 and the receivers may do, and where they may be
3 located relative to each other, and how to control
4 that. And I'd hesitate to say we're any further
5 than about halfway through the processes figuring
6 out what to do about ultra wideband devices.

7 DR. LUCKY: So it's neither here nor
8 there.

9 MR. ROOSA: I'm sorry. I don't
10 understand.

11 DR. LUCKY: Well, I mean, the problem
12 is how you get going on these things. I think the
13 FCC actually has acted fairly wisely in permitting
14 some experimental use of this, and liberalizing
15 what can be done, without going the full step
16 forward, and just freeing it out. But right now
17 it's sort of in a halfway house. Certain uses are
18 allowed, certain others are not.

19 MR. ROOSA: Yes, that's true. The
20 difficulties are, of course, that you don't know
21 where across the spectrum from about 100 megahertz
22 to many -- three or four gigahertz these systems
23 might be used. And it's very difficult to
24 determine how to operate compatibly with the folks
25 and the environment. It's certainly a technology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the government is excited about, and is
2 probably is as big a user as anybody else, if not
3 bigger, of different forms of ultra wideband
4 technology. So it's not that we're opposed to it,
5 it's that we want to be sure we know how we're
6 dealing with it.

7 I think that brings up some of the
8 issues that you've been talking about, perhaps this
9 morning, about the rights that come along with an
10 assignment. How do you ensure that a person who
11 has an assignment can exercise his rights, if
12 that's the proper word. And whether they are,
13 indeed, rights. Maybe they're just a temporary use
14 of the spectrum that should be subject to
15 withdrawal under many circumstances. I'm not
16 prepared to decide how the circumstances could be
17 organized though.

18 MS. VAN WAZER: Does anyone else have
19 comments on how we can better promote innovation
20 through possible changes in the rules, or provide
21 incentives for innovation?

22 MR. HOARTY: The Dotcast technology is,
23 of course, different from the problems with
24 military but it's a similar situation. We've
25 developed a high speed data sub-carrier that we add

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to television broadcasts, and this has been around
2 before. As many know in the 1990s, the software-
3 defined radio, been able to do it at very high
4 speeds. But because the television band,
5 apparently a lot of people watch television and the
6 broadcasters care about that, and it makes it
7 tricky to define what is interference. And, of
8 course, that's the topic of, I believe, Monday's
9 panel, and I certainly don't want to segue into
10 that, but that goes hand-in-hand with the
11 experimental license, is experimental license
12 issues. And that is what is important to -- it's
13 important to define what is host impairment, what
14 is impairment to the adjacent. And although there
15 are rules that very clearly articulate that, many
16 of them are crafted during the period of the 6th
17 report and order back in the 50s. And it's just a
18 little bit difficult when you're testing in an
19 area so crowded and near and dear to the broadcast
20 community.

21 Many of the problems, we've sought and
22 received two experimental licenses. One in
23 Scottsdale, Arizona, and we had that for a little
24 over a year, and with a kind extension -- at the
25 Commission at the time, one year was the period,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and that was tough. Then we moved -- we opened a
2 research facility in Seattle and needed an
3 experimental there, which we still have, on channel
4 61. And again, you addressed many, as you opened
5 in, Lauren, the issue of moving to five years
6 blanket license. That helps a lot in just being
7 able to get through the research and development.
8 And it is -- timing is critical in the time span,
9 so I think those issues that we originally had are
10 gone as far as the duration and where.

11 I believe there's the ability to have
12 more than one license now, or more than one
13 frequency is part of the blanket license, so I'd go
14 back to saying that perhaps this should be reserved
15 for Monday's panel, but what defines interference?

16 It's so crowded out there, you can almost do
17 nothing, as they were just mentioning with the
18 ultra wideband, as to what can you do, and how do
19 you operate in this incredibly crowded RF spectrum?

20 DR. LUCKY: Well, some of us aren't
21 going to be here Monday, so if you could -- you
22 know, I think you could say something about the
23 issue of interference. It's pretty critical here.

24 I mean, that's what's really being used to decide
25 this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HOARTY: Exactly. I think that's
2 exactly --

3 DR. LUCKY: You know, is are you going
4 to interfere with somebody? And so the question is
5 how does one make that determination?

6 MR. HOARTY: And this is -- again, just
7 looking at the notes for Monday's meeting, the
8 issue is, if you lower the link budget of somebody
9 else by a decibel, but the receiver doesn't notice
10 it yet, is that important? How do you tell? It's
11 a hard problem.

12 With television, it's somewhat more
13 straightforward. If the consumer gets a lousy
14 picture, obviously, you can't be messing around
15 anywhere around that frequency. But then there's
16 the issue with DTV where we're seeing analog, NTSC
17 channels by putting up a fair amount of energy in
18 the upper adjacent and causing threshold effects
19 that weren't anticipated. Adding our data carrier
20 to NTSC has been a question. Matter of fact, I'm
21 here regularly meeting on that issue of exactly
22 what does that cause, by adding yet a different
23 configuration to NTSC while we're trying to bring
24 up the DTV stations. So I don't know how to answer
25 the question, but it certainly needs to be clearly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examined.

2 DR. LUCKY: David.

3 MR. REED: Since the big elephant in
4 the room maybe hasn't been fully addressed because
5 nobody who is involved in the UWB stuff seems to be
6 able to talk about it other than obliquely, let me
7 ask the following question, which I think I
8 understand.

9 In the UWB proceeding, it was alluded
10 out at the conference in Boulder where some of the
11 technical results were presented, that in fact, the
12 biggest problem in that proceeding, which among
13 other things put at least one start-up out of
14 business, the one that I was involved in the early
15 days before it was founded. What apparently
16 happened was that the -- certain individuals on the
17 IRAC took positions that they were unwilling to
18 disclose the basis for in public.

19 It seems to me that without
20 transparency, and whether the government owning so
21 much of the spectrum, we're going to continue to
22 have that problem, and it's going to hurt -- you
23 know, it's going to basically mean that anybody who
24 either competes with the government, or might have
25 a better use for the spectrum than the government,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or might even be developing technology that would
2 ultimately benefit the government, has an extremely
3 high burden to bear of many years of delay, if
4 nothing else, while they try to work through a non-
5 transparent system.

6 So I guess I'm curious why, you know,
7 nobody's referring to this as, you know, publicly
8 and, you know, anybody who's not, you know -- does
9 not work for NTIA or the FCC might want to comment
10 on that, if no one else is willing to.

11 MS. VAN WAZER: I had a comment on
12 that.

13 DR. LUCKY: Well, let me ask, though,
14 the people who do work for the FCC and NTIA, do all
15 the applications go to the IRAC?

16 MR. ROOSA: For what variety of
17 devices? I mean --

18 MR. FRANCA: If I might. I mean, it's
19 only those devices, or only those experiments that
20 would basically be operated in government spectrum
21 or shared spectrum.

22 DR. LUCKY: So for example, in ultra
23 wideband, since it cuts across everything, it
24 automatically goes there.

25 MR. FRANCA: It automatically goes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 DR. LUCKY: And they have veto power?
3 You keep dodging this issue. I mean, do they or do
4 they not? You keep talking about coordination, and
5 stuff like that.

6 MR. FRANCA: Well, we theoretically --
7 you know, I think that's somewhat of an open
8 debate. I think, you know, it's --

9 DR. LUCKY: I'm glad to hear you say
10 that.

11 MR. FRANCA: It's an application that
12 comes to the FCC. The FCC can basically grant it,
13 and the Commission could have, for example, adopted
14 rules. I know, I've been here a fairly long time,
15 and I can certainly cite instances where the
16 Commission basically said thank you very much for
17 your advice to NTIA, and did just the opposite of
18 what NTIA recommended.

19 DR. LUCKY: But we're talking about the
20 IRAC. I mean, do they do the same thing that David
21 Reed was alluding to? Do they tell the FCC no,
22 don't do this, but we're not going to tell you why?

23 MR. ROOSA: The IRAC is our advisors,
24 not the advisor to the Commission, so the IRAC
25 provides whatever their wisdom tells us is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate advice to us, and we either, at NTIA,
2 accept it and relay it to the Commission, or change
3 it.

4 It has occurred, from time to time, and
5 ultra wideband is one of the times where the
6 federal agencies were concerned enough about the
7 issues that they made some direct discussions with
8 the folks at the Commission. And I have a little
9 problem with the business about the untransparency
10 of the IRAC positions. I believe they were very
11 transparently stated in the record, so I'm not
12 really sure what you're talking about.

13 MS. VAN WAZER: Since we've got lots of
14 engineers in the room, and I think everybody is
15 familiar with statistics, I'm going to throw a few
16 statistics out, which actually might provide some
17 insight on really --

18 MR. REED: Actually, I was holding onto
19 the mike only for the reason of asking one more
20 question which related to your thing, which is that
21 it's my understanding that the IRAC also played a
22 very significant role in effecting the original
23 Part 15 change that enabled spread spectrum. And
24 that clearly was not an interference with a
25 military use or government use. I'm curious why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that was.

2 MR. FRANCA: Actually, there was --
3 they do operate in some shared bands.

4 MR. HILLIARD: 902 to 928 is a shared
5 band.

6 MR. FRANCA: It's a shared band.

7 MS. VAN WAZER: Since we've had some
8 reference to the IRAC process, and the NTIA
9 coordination process with FCC, I'd like to throw
10 out these statistics so you get a sense of really
11 the issue.

12 Last year, there were approximately
13 90,000 authorizations, and there were 50
14 Commission-level items that were coordinated. And
15 we've only heard about a handful, so it really
16 isn't -- if you look at those statistics, it's not
17 as much of an issue. I mean, basically, the issues
18 are tough, and the ones you hear about are the ones
19 that are the nature of the beast. They're
20 difficult, but we have a lot of items that sail
21 through and have a good process.

22 MR. BUCHWALD: I could add to that,
23 that I've gone through four experimental licenses
24 in the last 24 months, and one of them involved
25 development of a product with our semiconductor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 group, that needed to be tested in a 1452 to 1492
2 band. And as compared to two other development
3 projects we had at 790 to 806 and 3.65 to 3.7 gigs,
4 which sailed through the Commission quickly, one of
5 them required us to simply state that we would be
6 developing this for external sales, offshore sales,
7 and the other required that we coordinate with the
8 Society of Broadcast Engineers. They sailed
9 through very quickly.

10 The 1452 to 1492, though, we did hit
11 some pretty good stumbling blocks, even though 300
12 miles from our location, the Canadians were
13 transmitting away in that band for URICO 147. We
14 ultimately did get through that, but I think a lot
15 of times you don't hear about the problems, because
16 we don't want to, you know, sort of bring those
17 issues up, you know, for future licensing. We
18 don't want to ruffle the feathers, I guess, as it
19 may.

20 DR. LUCKY: We had three people in the
21 back that wanted to talk. Is there a microphone?

22 MR. KOB: Thanks. Ben Kobb, a
23 consultant. I have a couple of recommendations for
24 the experimental licensing process, having spent
25 quite a bit of days recently writing a how-to use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the experimental licensing system for mere mortals,
2 so when my clients start to use the system will see
3 how well I did.

4 I was surprised to find out in
5 discussions with the experimental licensing staff
6 that, apparently, there is a policy, or there is
7 said to be a policy, that they cannot make
8 recommendations on amendments to the application.
9 For example, if the applicant proposed a frequency
10 or a set of frequencies, and these frequencies
11 could not be granted, for whatever reason, and yet,
12 perhaps some adjacent frequency or some other minor
13 amendment might be possible to enable the grant,
14 the staff could not recommend that. They couldn't
15 specify an alternative frequency that would
16 accomplish the objective because, I was told, that
17 would be competing with the private sector, and
18 that the private sector has consultants who makes
19 these kinds of recommendations.

20 Well, I'm in the private sector. My
21 client is in the private sector, and I don't see
22 any reason why, if there was some relatively minor
23 switch of a frequency or some kind of minor
24 amendment, why it couldn't be recommended.

25 The other thing is, I'd be curious if,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over the years in the experimental radio service,
2 if allocations to that service had ever come up? I
3 think it would be a marvelous idea. I have to
4 explain to my clients that of all the radio
5 services, the experimental service has no frequency
6 allocations. You have to pick the frequency, and
7 you better be right, because the staff won't
8 correct you if you're wrong. They'll just decline
9 it. But even one megahertz somewhere in the
10 spectrum could be useful. Nothing else has to
11 change the temporary nature of the license, but
12 this could ease a lot of the process.

13 The clients I've been working with
14 might well be able to use an allocation somewhere
15 that isn't being used right now, wherever it might
16 be in the spectrum, so it's something to consider.

17 DR. LUCKY: Okay. Dewayne, you wanted
18 to say something too. Pass the mike over there.

19 MR. HENDRICKS: Dewayne Hendricks,
20 Dandin Group. A few comments. First, I want to --
21 Part 5 is great. I mean, it's great that this
22 country has it. It's done a lot of good, so I
23 wanted to state that first, and that there's a lot
24 of countries that don't have it. Like Japan, for
25 instance, and they suffer for not having it, in my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opinion.

2 Next comment. I was involved in STA
3 involving spread spectrum back in 1993. This was
4 for the amateur radio service, Part 97. And we
5 wanted the authorization to do anything we wanted
6 with spread spectrum from 50 megahertz up to light
7 in terms of all the existing amateur allocations,
8 so we weren't asking for any new allocations. We
9 were just saying we wanted to use spread spectrum
10 in creative ways within the existing amateur
11 allocations.

12 The application went to the Commission
13 and they took it to the IRAC. Okay? It took a
14 year to go through the IRAC and come back approved.

15 Now we got a one year STA, and so we went through
16 this process three times. It goes to IRAC, one
17 year, comes back. It was very frustrating, and
18 again, so there's been a number of comments about
19 the IRAC. And I would just add from my experience,
20 is that there is this black hole. Okay? And once
21 it goes in there, you don't know what's going to
22 happen or what. And that really hurts this
23 process, the uncertainty.

24 And I would urge the Commission to work
25 out some way to deal with this. And I understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's only a few exceptional applications but look,
2 we're -- from the panel this morning, we're moving
3 into the area where we're getting a lot of new
4 technologies coming down the pike. Okay? And the
5 experimental process, Part 5 is the first step on
6 the road to getting a product to market, so you've
7 got to do whatever you can to make the process
8 faster, and a lot less uncertain. Okay?

9 My final comment has to do with, the one
10 thing you can't do with an experimental license is
11 sell your stuff, sell your product. And that you
12 can't test the product in a real market. Okay? I
13 think this is a deficiency which has caused my
14 company to go to other countries to -- where
15 there's an ability to do what you can do under
16 experimental licenses, use a lot of the spectrum,
17 but also have a market to test the product in, and
18 sell it, and see whether or not the thing is going
19 to work or not, you know, or survive. So that's
20 one thing that's missing. And, in fact, I'm
21 working with the Japanese Ministry of Economy,
22 Trade & Industry, to look at this notion for, you
23 know -- because they don't have an experimental
24 license, but they're thinking about taking the
25 island of Okinawa and turning it into what they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calling "Otokua", a radio haven, where they would
2 have an experimental license capability, but with
3 the addition of having a market so you could sell
4 anything into that market and see whether or not it
5 flew or not. Those are my comments.

6 DR. LUCKY: The license still limited in
7 time though? I mean, you sell a product that would
8 expire after a year?

9 MR. HENDRICKS: Or maybe three years, but
10 some fixed period of time.

11 DR. LUCKY: I just picture this radio
12 that's got a label that says expires after a year.
13 I mean, does this really test the market?

14 MR. HENDRICKS: Well, where I come from
15 product lives are like 18 months these days, so
16 that's not --

17 DR. LUCKY: Yeah, but there's no label
18 that says that. We just sort of know it.

19 MR. HENDRICKS: That's right.

20 MR. HOARTY: I think an example of where
21 that would apply, I was thinking about that very
22 issue, that you can't sell something that expires
23 per se, but in our case, we're testing on an
24 experimental frequency in a television band. Our
25 product is designed to grab any frequency that has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our data carrier embedded in it, so we actually
2 could test on our own experimental station in a
3 market condition, because the device would continue
4 to function.

5 Now you get down to timing and the issue
6 of how impatient the investors are, and which is --
7 it goes hand-in-hand with that ability to test in
8 a commercial manner. In other words, you have to
9 be pretty sure of your timing, that you're going to
10 have a product or you're going to have
11 authorization, or with extending the experimental.

12 But there are instances where I could see where
13 you could test, and it would be really beneficial
14 to know how, if the -- you know, the dogs ate the
15 dog meat, as they say, before you take the thing to
16 market.

17 MS. VAN WAZER: Bruce, would you like to
18 --

19 MR. FRANCA: Yeah, let me -- I'd like to
20 just respond to at least -- actually, to both Ben,
21 and to Dewayne. One, on certainly -- well, we
22 don't do engineering work for folks. We certainly,
23 when people come in here, will talk to them, and
24 certainly offer advice, you know, when it's
25 appropriate. And certainly, we're more than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 willing to do that. We've done that on a number of
2 occasions where, you know -- and there are
3 coordination problems that go beyond just the
4 government. I know we've certainly solved some of
5 those.

6 With regard to the market test, the rules
7 do allow, under Part 5 do allow limited market
8 test. We do care very much about protecting the
9 consumer at the end of the day, and so there's
10 generally restrictions on ensuring that whoever has
11 the license retain ownership of all the equipment,
12 you know. But you charge and we've had, you know,
13 market tests going on for several years, you know,
14 so that people can decide whether a service, what
15 data rates are appropriate, what pricing should be
16 done, so we do allow that under the rules right
17 now.

18 MR. HILLIARD: The rules actually have
19 the flexibility to allow the Commission to permit
20 the sale. I haven't seen that happen, and I can
21 understand that there would be some significant
22 concerns about allowing that to happen. But I
23 could also imagine that it's possible to posit
24 circumstances where those concerns could be
25 answered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. VAN WAZER: I think there are some
2 countervailing considerations in terms of possibly
3 introducing consumer confusion, and issues of
4 possibly competing unfairly with regularly licensed
5 services, so I think there's sort of countervailing
6 policies, some of which were addressed in our 1998
7 order about this.

8 Someone in the back of the room I noticed
9 has a comment.

10 DR. BOSE: Yeah. Actually, I had two
11 comments. One, I wanted to respond to the
12 discussion that was just going on, which is, what
13 happens if it expires in three years, or more to
14 the point, how do you enforce it? And that's
15 actually something which is contemplated and
16 considered during the software-defined radio
17 rulemaking process. And you probably all have
18 bought software that's expired after a certain
19 amount of time. You could absolutely do that in
20 the radio, and it would stop working after three
21 years, or you get an upgrade or a key if they've
22 got a license to continue selling. But what I
23 wanted to comment --

24 DR. LUCKY: We don't like it though.

25 MS. VAN WAZER: I know. I don't like it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BOSE: I understand, but if it's not
2 selling it at all, or selling it for three years,
3 I'll take the three years.

4 MR. HILLIARD: Now you're talking about
5 price.

6 DR. BOSE: Right. Yeah. That's a much
7 better discussion. What I wanted to comment on was
8 your question about experimental licenses and new
9 technologies, like software-defined radio, and I
10 have a specific comment, and a general comment.

11 Specifically, as you know, there was a
12 rulemaking last year on software-defined radios
13 where you can now go through an approval process.
14 The experimental license process, to my knowledge,
15 has not been similarly adapted or adopted to
16 incorporate that. And specifically, when you apply
17 for an experimental license it is an emission
18 designator, three letter code which is frequency,
19 modulation and access-type basically.

20 Well, the whole point of a software radio
21 is I can change all those things at any time to do
22 different things, so I just wonder, the way we've
23 done it so far is I basically make a list of all
24 possible combinations of three letter designators
25 and submit that, but it seems that there needs to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a corresponding change to the experimental
2 license process to, you know, the box you check
3 off, software radio, or you have it designated as
4 XXX if it's software radio, or something like that.

5 But more generally, I think this is
6 symptomatic of something I'd like to see changed,
7 which is it strikes me as backwards that the
8 Commission actually adopted rules for software
9 radio before there were rules to experiment with
10 software radio. It would have been great if three
11 years ago the experimental licenses had allowed
12 software radios, more flexible radios, because
13 those experiments would have provided data which
14 would have actually informed the rulemaking process
15 more than it was, so I would like to see the
16 experimental license process be -- I think it
17 should be the most forward-looking part of the
18 Commission in terms of what it allows.

19 DR. LUCKY: Well, let me clarify that.
20 Is this a question of people not knowing that they
21 could have done this with experimental licenses, or
22 is it a question of they're just not allowing it?
23 I mean, is this --

24 DR. BOSE: It's a little of both. Like I
25 said, we found a way to work around some of it by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just providing huge lists of emission designators,
2 but there were some parts of the application that
3 didn't permit you to do certain things that would
4 limit your flexibility, so there's some of both in
5 there. Especially when you talk about using
6 different frequencies that are covered by the two
7 different agencies represented here, which gets
8 back to the previous point.

9 MR. HILLIARD: But that's another
10 situation calling for the kind of dialogue I was
11 talking about earlier, because the flexibility
12 exists under the rules, I think, to do what you're
13 suggesting should be done. I don't think it takes
14 a change of the rules. In some cases, it may take
15 some adjustment of policy. In other cases, it just
16 takes a better understanding amongst different
17 folks working at different agencies, but it's
18 possible, at least legally it's possible. Whether
19 it makes good sense technically on a particular
20 frequency with a particular emission, well, that's
21 why these folks are here.

22 DR. BOSE: Right. And I guess the point
23 is that if I have to -- if I'm looking at even a
24 small number like five different emission
25 designators or something, in a bunch of different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bands that are going to be looked at by different
2 agencies, that just gets unwieldy and is very --
3 you know, Dewayne's one year doesn't look so bad
4 in that case, so the problem is if I'm relaxing the
5 rules to be allowed to do different things, which
6 is the whole point, and they have to be each
7 evaluated on a case by case band for each band, and
8 each adjacent thing for each emission designator,
9 we have to back off, because like you said,
10 technically you should be able to do that.
11 Practically, it's very hard to get that approved.

12 MS. VAN WAZER: Does anyone have any
13 comments?

14 MR. ROOSA: I'd like to make a small
15 comment. I'm not sure how I could make our process
16 applicable to your processes, but in the federal
17 government, we often have two different kinds of
18 approval procedures, one for the system itself, and
19 the other for the frequency assignment. We'll send
20 our new systems, the more what we've chosen to call
21 major systems, will come in as sponsored by the
22 agencies, and we'll review the proposal, and make
23 guidances to different parts of the spectrum they
24 might be better suited for, all sorts of things at
25 four stages during their development. And I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a process like that might help here, but the issues
2 of proprietary ownership things would seem to be
3 almost insurmountable in this kind of thing. How
4 much can you reveal during your development phase
5 to help spectrum management folks to provide
6 guidances to the spectrum that you might be best
7 suited for? That would be a difficult problem.

8 I know the Commission now has provisions
9 to allow you to request that the information be
10 held private, and I think that's good. The
11 difficulty is how can you do a very good job of
12 coordinating all these potential issues unless
13 you're allowed to talk about what the spectral
14 characteristics of the new technology are.

15 MR. BUCHWALD: Yeah, but that would
16 fulfill a requirement within the United States, but
17 when you're developing a product that's going off-
18 shore for export, simple cellular phone, for
19 example, where you're looking at various bands
20 around the world that would be utilized, some of
21 those bands do fall under the requirement that the
22 NTIA would have to approve it. And while approval
23 processes really do put the United States
24 manufacturers at a disadvantage against the foreign
25 competition that could begin testing right away, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have a huge cost disadvantage in that we have to
2 go off-shore to test.

3 MR. ROOSA: It seems to me there's about
4 five or six different sub-processes buried in this
5 discussion. There's the off-shore one that he just
6 mentioned, and that has a different set of
7 problems. And the one where you're developing a
8 new technology in the TV band, and another one
9 where you're developing a new technology that fits
10 into the spectrum. And it's hard for me to address
11 any one of them when they seem to be hopping around
12 so much.

13 We don't, ourselves, do any oversight of
14 devices the military develops, for instance, for
15 use overseas, other than to ensure that they have
16 proper spectrum assets to use at the test sites.
17 And that's another issue that makes us different.

18 We have test sites operated by several
19 agencies, many agencies that allow them to do
20 short-term testing on almost any portion of the
21 spectrum for a 30, 60 day time period without any
22 further review from the central authorities. I
23 don't know whether that's practical for the private
24 sector or not, because there are so many different
25 laboratories that you're speaking of, I'm sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But it seems to me that there could be some process
2 where you would be able to do short term testing of
3 some of these features without oversight from the
4 Commission.

5 DR. LUCKY: Now I just -- there's
6 something I want to get out, and I don't know how
7 to get it out. That's how aggressive are we being
8 about the use of experimental licenses? I mean,
9 you know, we've been talking all day about all the
10 new technologies, all the need to pull these things
11 along.

12 Have we seen -- let me ask you FCC
13 people, have we seen any increase in the use of
14 experimental licenses? Is it something that is
15 really being used to its fullest? Is it something
16 that needs to be more aggressively used?

17 MS. VAN WAZER: Bruce, did you want to
18 comment on that, or do you have some --

19 MR. FRANCA: Well, I'll tell you. We
20 generally have about 1,000 experiments going on at
21 any one time. They certainly represent the kinds
22 of things that seem to be at the forefront of the
23 discussion. I mean, certainly software-defined
24 radios, ultra wideband. Certainly, you know, lots
25 and lots of broadband type applications on power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines so, you know, I can't say whether or not they
2 fully represent, you know, everything that could or
3 couldn't be done, but they certainly are the topics
4 that we seem to see, and they do seem to, in many
5 regards, appear under Part 5 before they get to the
6 FCC so, you know, I think it's a program that's
7 basically being used at least by certainly -- the
8 big radio companies certainly know it's there, and
9 use it. And it seems to me the smaller folks, like
10 some of the people here on the panel, like Dotcast.

11 They certainly have been told about this, and have
12 taken advantage of the experimental radio program.

13 DR. LUCKY: In the approval process, is
14 the worth of -- the importance of the experiment
15 weighed against the possible harm? Or is it
16 strictly an issue of the Hippocratic oath kind of a
17 thing, "First do no harm"?

18 MR. FRANCA: It's basically a non-
19 interference -- and that brings up an issue because
20 it seems to me -- I mean, nobody has really talked
21 about this, but even if you're developing a new
22 product, and say I -- that new product needs a new
23 allocation at 10 gigahertz. You might be able to
24 actually develop the equipment and test it at 12
25 gigahertz or somewhere else in the spectrum that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't raise government issues, or doesn't raise
2 some of these other things. And then pursue the
3 political course to actually get the allocation, so
4 there's the experiment and the development, and how
5 frequency dependent, certainly for ultra wideband
6 and software-defined radios, you know, those are
7 issues that are much more frequency dependent. But
8 there's lots of developments that are going on that
9 probably you can do the experimentation in other
10 places.

11 DR. BOSE: I would say as a user of the
12 system, my perception is exactly what you said. It
13 seems like the application process is proving that
14 you're going to do no harm, and that's a
15 fundamental issue.

16 MR. FRANCA: That's the rule.

17 DR. BOSE: Yeah, I agree. And I'm not
18 saying that's wrong, but I --

19 DR. LUCKY: Maybe it is wrong.

20 DR. BOSE: Okay.

21 DR. LUCKY: Because, I mean, no harm is
22 maybe too tough a criterion. I mean, you know, no
23 harm is really tough. Just a little bit of harm in
24 the social good might be a lot, you know.

25 DR. BOSE: If it's a little bit of harm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in a defined area for certain period of time,
2 maybe. But I think that when you're talking about
3 harm, the way we go about trying to evaluate harm
4 is unnecessarily complicated at the moment. I
5 mean, fundamentally, it comes down to in the
6 frequencies I want, how much power am I
7 transmitting, and how much power am I spewing
8 outside of that band. And then I can have a pretty
9 reasonable idea of the harm I'm doing to the other
10 people, and we don't have to get into the details
11 of what kind of modulation you're using, and
12 access, and all that. I think we could streamline
13 that process of determining, and that should be it.

14 MS. VAN WAZER: We had a comment in the
15 front.

16 PROF. RAO: Yes. It's a process
17 question. Who regulates the user spectrum on a
18 Native American Indian reservation? I have heard
19 anecdotally that it's not the FCC, but I want to
20 hear from you.

21 MS. VAN WAZER: So this is related to
22 experimental licenses? My understanding was there
23 are some issues in terms of jurisdiction, but we do
24 generally have -- there are agreements, and I think
25 the general view - please correct me if I'm wrong -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that the FCC has jurisdiction.

2 MR. FRANCA: I just envision the casinos
3 and radio experiments. I don't know.

4 MS. VAN WAZER: Yeah, has jurisdiction
5 under the circumstances, but please --

6 MR. HOARTY: Well, I would think that the
7 fact that the radio waves that you're transmitting
8 within the Indian Reservation wouldn't stop at the
9 border. It would probably mean it would have
10 impact on -- the FCC would certainly have to have a
11 say.

12 PROF. RAO: But what if it did, if it was
13 sufficiently short distance?

14 MS. VAN WAZER: I really don't know that
15 we're the panel to speak to that issue. If there's
16 someone else who'd like to comment on it, there's
17 someone in the back of the room had a comment?

18 MR. FRANCA: Actually, I wanted to add a
19 comment that was sort of a follow-up to what Vanu
20 was talking about, asking for a streamlined
21 process, and determining what causes harm or not.
22 I think there's a real critical question, and I
23 think this is, perhaps, what tomorrow is about.
24 But the critical question I see is, who gets to
25 decide what is considered to be harm? Is it the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 incumbent or the existing licensee of the piece of
2 spectrum? If they say it's harm, does that mean
3 it's harm? Or is it the FCC that gets to decide
4 what would be harm? It would be -- you know, is it
5 what would harm a receiver that had been designed,
6 taking all reasonable steps to make that receiver
7 robust against other kinds of things?

8 There's a very wide range. I actually
9 explained it once. There's, you know, more -- I
10 was able to explain that there's more than a 90 dB
11 range that people could reasonably have in mind as
12 to where the level of harm or interference shows
13 up.

14 MR. FRANCA: And generally in that case,
15 we'd basically let the experiment go forward. And
16 if we got complaints, or we'd maybe ask you to
17 monitor, you know, or talk to a particular user in
18 the area. And then, you know, if there was a real
19 dispute you'd come back to us between the parties,
20 so I mean, generally we don't say no. We basically
21 say that's your obligation, as to cause no harm.
22 Go out and go do it. It might mean, you know,
23 operating from 2:00 in the morning to 5:00, or kind
24 of just have an agreement. Or it might be
25 basically we're going to operate at this lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power level. We're going to have some test
2 receivers out there. If we get a complaint, you
3 know, then you have to shut down.

4 MR. HOARTY: That was certainly the case
5 with us. We were -- I was up many a night in the
6 wee hours of the morning when we first started with
7 our STA, and moving beyond our experimental.

8 AUDIENCE MEMBER: Thank you. I think
9 that's a good answer in the context of experimental
10 licenses. And I guess there's the whole issue of
11 underlay, which is probably best left for tomorrow.

12 MS. VAN WAZER: We certainly will address
13 some of those issues tomorrow at the interference
14 protection workshop.

15 I'd like each of the panelists - we're
16 just about running out of time here. I'd like each
17 of the panelists to give one final remark on what
18 positive experiences and what's positive, in terms
19 of the experimental licensing program, and very
20 briefly, where you seem room for improvement. We
21 have five minutes for the entire panel, so keep
22 that in mind.

23 MR. SOLOMON: Well, I think the simple
24 answer is that some applications have gone through
25 flawlessly. The staff has been great to work with,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and there haven't been any problems. And on the
2 other hand, as we said here today, sometimes
3 applications just get lost somewhere in the
4 recesses of somewhere, and it's hard to get it out,
5 or hard to understand what the status of the
6 application is. And that's particularly disturbing
7 in the business environment when time is critical,
8 and you must rush to market to beat your
9 competitor, so that can be very disconcerting.

10 MS. VAN WAZER: Thank you.

11 MR. ROOSA: One of the things that
12 strikes me is there seems to be a lot of
13 difficulties in the process in an area that I might
14 call frictional time losses between different
15 pieces and steps in the procedure. And I think
16 that's something that NTIA and FCC ought to work
17 together to resolve as much as we can. They give
18 us a document. We look at it for 15 business days
19 and get it back, and somewhere it gets stuck. We
20 need to determine where that somewhere is, and
21 figure out how to solve that problem.

22 MS. VAN WAZER: Is there anything good
23 about that?

24 MR. LYNCH: I've got some pretty good
25 experience with it. I've got a nationwide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experimental. We had to coordinate it and all
2 that, but it was an idea that actually came out of
3 somebody in OET when we were trying to roll out a
4 network called Sprint, and it worked quite well for
5 us. And I probably have 800 megahertz to about 30
6 gigahertz on that license. That's all things that
7 conform to the U.S. allocation table. And again,
8 for non-conforming things, it would be nice to have
9 a method, or be sure that's being done in a timely
10 manner.

11 And the other thing is, if it's going to
12 -- if somebody's got a problem with it, say DOD.
13 They never have problems, but if DOD has a problem
14 with it, let's convene a small group and sit down
15 and discuss what is the problem as we find our way
16 around this process.

17 MR. ROOSA: That's certainly an agreeable
18 way to do things for us. I don't know if it's
19 always easy to get the people together, but we
20 certainly are available for that.

21 MS. VAN WAZER: Well, we've gotten
22 together here. Leo, would you have something?

23 MR. HOARTY: Thank you. As I mentioned
24 at the opening, I spent a good part of the last
25 year coming to Washington, meeting with the OET and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 met with the R&D Labs up in Laurel and, of course,
2 Mass Media, now Media Bureau. And the Commission,
3 in general, was terrifically helpful, and I thought
4 especially for a part of our government, I was
5 pleasantly surprised at how much support I got, and
6 guidance. Especially the tricky issue we've been
7 discussing for the last few minutes, or the last 15
8 minutes of what is interference, and how do you
9 deal with, when you're in the midst of people
10 operating and making money, and you come along with
11 something new? And I think the Commission has been
12 very good at trying to find a happy medium, even
13 though it meant being up at 2 in the morning
14 experimenting.

15 The only thing I'd like to close with is
16 venture-funded start-up timing is absolutely
17 everything, especially today. I mean, cash in the
18 bank is our life blood until we get to market, and
19 that's the only comment I would have, is timing is
20 absolutely critical to new technology.

21 MS. VAN WAZER: Thank you.

22 MR. HILLIARD: Well, I, too, have had a
23 lot of good experiences, but there's no substitute
24 for trying to share ideas and have that discussion
25 before something unusual comes down the pike and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enters into the formal process.

2 And speaking of that, I think, as a
3 reform step or an improvement step that would not
4 require a change in the rules, it would be useful
5 to convey more knowledge into industry about the
6 experimental radio service, from both nuts and
7 bolts to the policy side of it, so that you would
8 have greater assurances in some situations where
9 you're dealing with unusual experimental requests,
10 the DC-to- light situation, for example. That
11 those folks that are managing those operations do
12 have an enhanced sensitivity to the problems that
13 they could cause, and they have in place steps to
14 prevent those.

15 MS. VAN WAZER: Thank you.

16 MR. FRANCA: I don't think I'm going to
17 answer your question, but I did want to --

18 MS. VAN WAZER: I hope you say that the
19 staff does a good job, Bruce, because I work for
20 you.

21 MR. FRANCA: I do want to thank every --
22 you know, like Dewayne, Benn and Vanu, and David,
23 and Ben for really, I think, some good suggestions
24 that I think we need to take a look at in trying to
25 make this process better.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I do want to reiterate, you know, our
2 goal is really to say yes to every one of these
3 experiments that come on. That's really what we
4 want to do.

5 MS. VAN WAZER: Thank you.

6 MR. BUCHWALD: And I'd like to just state
7 that at least over the last three to four years,
8 the experimental process has really been
9 streamlined, and has worked well when it comes to
10 spectrum that's not government spectrum.

11 When you get into, again, things that
12 you're developing for some markets that are for
13 export, that's where the difficulties come in. And
14 if we could find a place to pour the grease in so
15 that the 15 days it takes to get through the NTIA,
16 if that's what it takes, and then that extra time
17 that seems to add up to a year in-between the
18 approval can get sped up, that would really help a
19 lot.

20 MS. VAN WAZER: Well, thank you. Thank
21 you, panelists, and thank you, audience. Thank you
22 for your suggestions.

23 (Whereupon, the proceedings went off the
24 record 3:05 p.m.)

25

1
2
3
4
5
6
7