

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Nuclear Waste
 168th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, March 24, 2006

Work Order No.: NRC-944

Pages 1-105

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

168TH MEETING

+ + + + +

FRIDAY,

MARCH 24, 2006

+ + + + +

The Advisory Committee met at 8:30 a.m. at Nuclear Regulatory Commission Headquarters, One White Flint North, 11555 Rockville Pike, Maryland, Dr. Michael T. Ryan, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS, Executive Director, ACNW/ACRS

3 Staff

4 MICHAEL LEE, ACNW Staff

5 LATIF HAMDEN, ACNW Staff

6 NEIL COLEMAN, ACNW Staff

7 BRIT HILL, ACNW Staff

8 BRUCE MARSH, ACNW Consultant

9

10 ALSO PRESENT:

11 CHARLES FITZPATRICK, State of Nevada

12 WES PATRICK, CNWRA

13 JOHN STAMATIKOS, CNWRA

14 DONALD HOOPER, CNWRA

15 ROLAND BENKE, CHWRA

16 JOHN KESSLER, Electric Power Research Institute

17 KEITH COMPTON, Division of High Level Waste

18 Repository Safety

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

Page

Opening Remarks by the ACNW Chairman	3
Recent Development Related to Modeling the Igneous Activity in the Yucca Mountain Region	5
Modeling the Long-Term Fluvial Redistribution of Volcanic Tephra in the Fortymile Wash Yucca Mountain	5
Potential Igneous Processes Relevant to the Yucca Mountain Repository: Intrusive Release Scenario	69

P-R-O-C-E-E-D-I-N-G-S

8:31 a.m.

CHAIRMAN RYAN: On the record. The meeting will come to order please. This is the third of the 168th Meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other members of the Committee present are Vice Chairman Allen Croff, Ruth Weiner, James Clarke and William Hinze.

During today's meeting, the Committee is briefed on recent developments in the modeling of igneous activity in the Yucca Mountain area. Specifically, the Committee will hear a discussion from the NRC Staff and the Center for Nuclear Waste Regulation analysis on the hypothetical scenario in which a geologic repository at Yucca Mount is intersected by a volcanic vent, resulting in the dispersal of contaminated ash. We'll also hear from representatives of the Electric Power Research Institute on their most recent independent study related to the potential consequences of an igneous event in the Yucca Mountain region. And lastly, the Committee will discuss proposed letters and reports from this and earlier ACNW meeting activity from this week and previously.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 Neil Coleman is the Designated Federal
2 Officer for today's session.

3 This meeting is being conducted in
4 accordance with the provisions of Federal Advisory
5 Committee Act.

6 We have received no written comments or
7 requests for time to make oral statements from members
8 of the public regarding today's sessions. Should
9 anyone wish to address the Committee, please make your
10 wishes known to one of the Committee staff.

11 It is requested that the speakers use one
12 of the microphones, identify themselves and speak with
13 sufficient clarity and volume so that they can be
14 readily heard. It is also requested that if you have
15 cell phone or pagers, you kindly turn them off. Thank
16 you very much.

17 Do we have any telephone participants?

18 PARTICIPANT: (Inaudible.)

19 CHAIRMAN RYAN: Should we wait a couple
20 minutes? Okay. We'll do that. I guess we're going
21 to hook up folks at the Center and we'll just take
22 maybe a five minute pause in the record, so we can set
23 up the telephone connection. Thank you. Off the
24 record.

25 (Whereupon, the foregoing matter went off

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record at 8:32 a.m. and went back on the record at
2 8:39 a.m.)

3 CHAIRMAN RYAN: On the record. Okay.
4 Thanks. With that, we'll go ahead and reconvene our
5 record when our recorder is ready. We're back on the
6 record. We have read our opening statement, folks at
7 the Center, and we're ready to begin. So without
8 further adieu, I'll turn the meeting over to Professor
9 Bill Hinze who is going to lead this morning's session
10 discussing the developments related to modeling of
11 igneous activity in the Yucca Mountain region. Dr.
12 Hinze.

13 MEMBER HINZE: Thank you, Jim and Ryan.
14 We are pleased to have two different groups making
15 presentations regarding the Modeling of Igneous
16 Activity at Yucca Mountain. The first will be by the
17 NMSS staff. Keith Compton, we welcome you and we're
18 looking forward to hearing about the modeling of the
19 fluid remobilization of possible tephra falls in the
20 vicinity of Yucca Mountain. It's yours and welcome
21 you here and we're looking forward to an update on
22 this work which we heard about some 18 months ago for
23 the first time and we're looking forward to hear what
24 progress has been made and where we are at this point.
25 Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: Good morning. My name is
2 Keith Compton. I am with the Performance Assessment
3 section in the Division of High Level Waste. I'm also
4 the Project Officer for the Integrated -- Team termed
5 Redistribution of Radionuclides in Soil. That's
6 actually the group, the management group, that deals
7 with issues of fluvial remobilization and I will be
8 giving the presentation today instead of Don because
9 I wanted to give Don time to be in the lab and be
10 conducting measurements and preparing for field work.

11 This also had the effect of ensuring that
12 I read the report very carefully. So I'll be giving
13 it. However, I believe that Don and Roland are on the
14 line and can answer technical questions as well as
15 Brett Hill is here. So if there are detailed
16 technical questions that you want to give directly to
17 technical staff we should be able to answer those.

18 The second slide, the objectives for my
19 talk today, but the first thing I want to do is to
20 give you an overview of the updated framework for
21 modeling igneous extrusive activity. The fluvial
22 aspect, fluvial remobilization, is only a component of
23 this. So I wanted to give you some idea of what the
24 broader context into which this fits, but the bulk of
25 my talk will be on discussion of fluvial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remobilization.

2 Slide three. So going just directly to
3 the overall framework, as you may recall the previous
4 versions or current versions of the TPA Code rely on
5 a fixed single direction for the wind and there is no
6 explicit accounting for redistribution and we had
7 identified in our risk insights a number of areas that
8 could be potentially risk significant and we are in
9 the process of updating and refining the model for
10 account for these processes more explicitly. The goal
11 of this is try to increase the realism in the model to
12 allow us to explore what the impact of these processes
13 could be.

14 And I should also mention that this
15 framework was initially laid out in the Risk Analysis
16 for Risk Insights Progress Report. The reference to
17 that is at the end. So if you look at I think Chapter
18 6 in that report it kind of gives the overview of the
19 direction that we're going.

20 And the overall structure as you can see
21 is shown in what's called the ASHREMOB module and just
22 to step through the process, essentially
23 eruption/disruption of the packages could result in
24 entrainment of waste in the tephra. Following the
25 entrainment of the waste, the dispersal and deposition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the tephra will be modeled by a dispersion model
2 that will allow the wind fields to vary from
3 realization to realization. So it would allow it vary
4 within the realization. So we're relaxing the
5 constraint that you have a single wind field. It
6 would be deposited wherever the wind predicts it will
7 be deposited and there are three sources.

8 So therefore potentially there are three
9 sources by which the RMEI could be exposed to
10 contaminated tephra. The first is of course it could
11 still deposit directly at the RMEI location and you
12 would have a direct. So that's the direct deposition
13 scenario. As well, if the tephra were to deposit in
14 the catch net base on the Fortymile Wash, then it
15 could be carried by water down to the RMEI area and
16 this is the fluvial remobilization. And then finally,
17 over a larger area if it were deposited, it could be
18 carried by wind to the RMEI location. Then once it's
19 in the vicinity of the RMEI it could then be
20 resuspended, breathed, by the RMEI and get a dose. So
21 basically there are three components in the updated
22 model.

23 MEMBER HINZE: Can you give us some idea
24 of when we will be hearing about the Eolian
25 redistributing modeling?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: We're working on those
2 reports. What I can do is I can talk to Neil and I
3 get an idea of what the schedule for the deliverable
4 of those reports is so we can get you the schedule for
5 it.

6 MEMBER HINZE: These are so integrally
7 connected that it's much more appropriate, useful, to
8 us to be able to evaluate them together.

9 MR. COMPTON: Yes. Understood and I think
10 that that's why this presentation hopefully will give
11 you, we can go into some of the details of fluvial so
12 that when we go into the others we can take it a piece
13 at a time. But understood and we'll get that to you
14 as soon as we can. We're eager to get it to you. We
15 just need to --

16 And I will mention of course that I'm
17 limited to talking about what is publicly available,
18 what we've already published since some of those
19 things are not yet publicly available, not yet
20 published. We're still talking about them and
21 discussing them. We'll get them out to you as soon as
22 possible.

23 And again, that's the overall context and
24 today the rest of my talk, I'm going to focus on the
25 fluvial, how the fluvial fits into this basically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking into what are the inputs from the rest of the
2 model and what it outputs to the rest of the model.

3 Next slide. These two figures show a
4 rough idea of the scope of fluvial remobilization. An
5 eruption that penetrated the repository and resulted
6 in entrained waste could result in deposition within
7 the 40 mile watch catchment area. That's shown in the
8 figure on the left and it's maybe a little bit
9 difficult to see in the overhead projection. There
10 should be kind of a yellow outline showing the larger
11 catchment area.

12 Then if that were to be eroded, it could
13 be carried down through Fortymile Wash and deposited
14 in the depositional fan that's something in the
15 neighborhood, I don't recall the exact number, but
16 something in the neighborhood of 18 to 20 kilometers
17 south of the repository.

18 MEMBER HINZE: Could you -- I'm going to
19 keep interrupting.

20 MR. COMPTON: Sure.

21 MEMBER HINZE: Because it really is most
22 appropriate when we have these diagrams in front of
23 us. Can you give us some basis or justification for
24 the limits that you've established?

25 MR. COMPTON: To have a -- withdrawn?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Yes.

2 MR. COMPTON: It's my understanding, and
3 I will give a cut at it and then I will let everyone
4 jump in before I get too far on. It's my
5 understanding that those were developed based on slope
6 maps, elevation maps, and then the slopes were drawn
7 to identify the base and is Don on the line?

8 MR. HOOPER: Yes, that was for the fluvial
9 basin. That's all done by general GIS methods.

10 MEMBER HINZE: That doesn't tell me very
11 much in terms of the justification for them. That's
12 the method that you used to drive the maps. But how
13 were these lines drawn and in particular what is the
14 outer or the southern limit of the depositional area?
15 It appears to be rather arbitrarily drawn and I'm
16 wondering what's the justification for that?

17 MR. HOOPER: Following old stream patterns
18 and following the contours on the map and things like
19 that.

20 MR. BENKE: Yes, the general shape of the
21 depositional area was obtained from satellite images.
22 I think the --

23 CHAIRMAN RYAN: Excuse me just a second.
24 When you switch speakers at the Center, it's important
25 that you identify yourself so that our record here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be clear who's speaking if you don't mind.

2 MR. BENKE: Sure. Understood. Previously
3 it was Don Hooper of the Center. More recently,
4 Roland Benke speaking at the Center.

5 CHAIRMAN RYAN: Thank you.

6 MR. HILL: Okay. This is Brit Hill, NRC
7 staff. I think I can help explain something about
8 what these are.

9 MEMBER HINZE: Please.

10 MR. HILL: Are we looking at the
11 depositional boundary or the catchment boundary?

12 MEMBER HINZE: No, more the depositional
13 boundary.

14 MR. HILL: There really are two boundaries
15 for the depositional system in Fortymile Wash. The
16 first starts where you can see Fortymile going from an
17 incising system to a depositing system and that occurs
18 about right around the southern boundary of the Nevada
19 test site. So you begin to get aggradation in the fan
20 system.

21 The original figure, I'm afraid we can't
22 quite see it on here, but there was an outline that
23 showed the topographic extent of the Fortymile Wash
24 fan system that would be the extent of all alluvium
25 that was coming out Fortymile Wash, the boundaries of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was defined by when it would impinge on the
2 alluvium coming out of another drainage. That would
3 extend all the way down to the California-Nevada
4 boundary line.

5 But if you take a look at the satellite
6 imagery, you can see most that topographic basin is
7 covered by more varnished sediment. This is sediment
8 that has been pretty stable for say the last 10,000
9 years or so. This smaller box, the triangle that
10 we're using, is the zone of active, most active,
11 deposition is the area of Fortymile Wash that doesn't
12 have varnished sediment. There is not stable surface
13 through there.

14 This smaller rectangle, that blue
15 rectangle that you see on the figure on the right-hand
16 side represents the zone of active deposition and by
17 active we mean this is where sediment has been
18 deposited within the last 4,000 to 10,000 years. Now
19 of course, there is some sediment that escapes from
20 that general area and goes down a little bit farther
21 towards the Amargosa River, but the volume of that
22 sediment is incredibly small. It's very fine grain
23 and it doesn't look like there's much active
24 sedimentation through that area.

25 So when you try to make a first pass or a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first order model, where are we capturing, where are
2 we depositing most of the sediment that's coming out
3 of that 800 square kilometer catchment basin to the
4 north? Most of that sediment is being deposited
5 within that roughly 24 square kilometer active part of
6 the Fortymile Wash fan. That's defined again based on
7 topography and based on sediment characteristics.

8 MEMBER HINZE: That's helpful, Brit, but
9 as you're well aware from the exposure scenario, we're
10 particularly interested in the very fine grain
11 components. These are the components that will be
12 most detrimental to the RMEI. So why should we be
13 concerned about the courser grain and the finer grain
14 which are escaping?

15 MR. HILL: Most of the sedimentation
16 during these large scaled flood events which is what
17 we're trying to model, not the very small events, but
18 the large scale events that move a lot of sediment are
19 in a, I don't want to go too far into the
20 sedimentology, but they're in a hyper-concentrated
21 regime. They're very large flow, very large suspended
22 load flow events. When these come out of the confined
23 channel at Fortymile Wash and hit the depositional
24 fan, most of the sediment is going to be deposited
25 whether it's coarse or fine grain.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now there's always some amount of the
2 allutriated fine suspended material that could
3 continue on down the drainage. But if you look at the
4 sediment that occurs in that active part of the fan,
5 what you'll see is there's also fine grain sediment
6 that occurs in this, it's called the proximal zone of
7 the fan. Not all the fines stay in suspension.

8 The end result, we're just trying to model
9 the bulk process. We're not trying to model a
10 particular size fraction because that size fraction
11 isn't transported in isolation. It's transported as
12 part of a bulk sediment transport process, the fines
13 and the course materials.

14 MEMBER HINZE: That's helpful. I just
15 want to make certain that you're really incorporating
16 all of the particle size in the mass balance that
17 you're developing.

18 MR. HILL: The mass balance is for all
19 particulates. It's truly a mass balance approach. We
20 are not explicitly modeling the hydrofluid dynamics of
21 discrete particle sizes. We're not trying to say that
22 the fine particles and the course particles have
23 different transport tracks or that our understanding
24 is sufficient to model those explicitly.

25 In a way, this is really similar to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 airborne transport problem where the model makes a
2 bulk approximation for grain size. We're not modeling
3 explicitly the airborne transport of individual
4 particles. We're modeling the mass of material and
5 it's the same thing here for fluvial.

6 MEMBER HINZE: I think we understand that.
7 That's helpful. Thank you very much.

8 MR. COMPTON: That's useful and that
9 actually might help a few slides down the line when we
10 get to that and I'll talk a little bit more about
11 that.

12 MEMBER WEINER: Could I ask a real brief
13 question please? Where is the RMEI on your diagram?

14 MR. COMPTON: The RMEI look -- Well, I
15 can't.

16 MR. HILL: The RMEI would be at the
17 southern boundary of the Nevada test site which is --
18 I'm try to describe it. It would be right around the
19 right-hand side of that blue triangle, towards the
20 apex of the blue triangle. If you look carefully, you
21 can see an east-west line coming across there which is
22 a road.

23 MEMBER WEINER: Thank you. That's
24 helpful.

25 MR. HILL: That would correspond to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 latitude of the RMEI that's in 10 CFR 63.

2 MEMBER WEINER: Thank you.

3 MEMBER HINZE: I think that's an excellent
4 point, Dr. Weiner. It would be very helpful if there
5 were some kind of indication of where the RMEI is on
6 this map to assist the viewer in putting this all into
7 a proper geographic frame work.

8 MR. COMPTON: Sure, and that's something,
9 I actually have to be honest, I was thinking that I
10 would be able to point to it and do my weatherman
11 imitations and say the RMEI is approximately here, but
12 that's correct. That's roughly the location.

13 CHAIRMAN RYAN: Excuse me.

14 MR. COMPTON: I think that's the only one
15 I needed to point to. So going to the next slide,
16 Slide 5, now I'm turning at this point from the
17 physical system to moving towards how our abstraction
18 is going to deal with this process. That's shown on
19 this slide.

20 The abstraction for fluvial remobilization
21 presumes that there will be a constant airborne
22 concentration in the vicinity of the RMEI, but that
23 that airborne concentration would not persist
24 indefinitely. So in our abstraction, there's a number
25 of values, a number of parameters, that we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculate and I'll go into these in more detail and
2 explain the parameters.

3 MEMBER WEINER: Excuse me, Keith.

4 MR. COMPTON: Sure.

5 MEMBER WEINER: Constant concentration of
6 what? Tephra or --

7 MR. COMPTON: The airborne waste
8 concentration is assumed to be constant and that is a
9 function of several parameters. One, it's a function
10 of the mass load. It is a function of the
11 concentration of waste in the tephra in that mass
12 load. It is a function of how much that may have been
13 diluted during transport. So when you get those three
14 things, that gives you if you have a mass load, the
15 activity and the tephra and then how much of that mass
16 load is part of the contaminate of tephra. That will
17 give you the waste concentration. So that gives you
18 the horizontal line.

19 The extent, the time required, is the time
20 that's required to deplete Fortymile Wash of erodible
21 tephra. Essentially once the redistribution process
22 stops, then the contaminated portion is assumed to go
23 to zero.

24 CHAIRMAN RYAN: Just to simplify so I
25 understand you, you said waste. You mean radioactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material, atoms of radioactivity.

2 MR. COMPTON: Yes, I think it would
3 actually be like grams of uranium. I think that's
4 what the output is.

5 CHAIRMAN RYAN: Grams or curies, either
6 one are the same. It's a constant concentration of
7 radioactive material in a matrix.

8 MR. COMPTON: Right.

9 CHAIRMAN RYAN: So you're assuming that
10 there's complete mixing of a non radioactive substrate
11 with the radioactive material and creating the
12 aerosols. That's the only way you get there.

13 MR. COMPTON: I think so. Yes.

14 CHAIRMAN RYAN: Okay. That's probably not
15 a realistic assumption, but so be it. I just want to
16 be real clear that the radioactive material is
17 uniformly distributed in the non radioactive matrix.

18 MR. COMPTON: Right, and that actually
19 I'll probably get to that.

20 CHAIRMAN RYAN: Okay.

21 MR. COMPTON: That goes back to the ***
22 8:59:02 Corporation model is what you're getting at.
23 It's the idea of to what extent --

24 CHAIRMAN RYAN: And I'm being a little
25 picky because I just want to make sure that everybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is clear that when you say waste, waste actually
2 contains radioactive and non radioactive mass. But I
3 think you said was that the radioactive material is
4 uniformly distributed in a solid matrix of which some
5 becomes particle.

6 MR. COMPTON: I'm not making any
7 assumption on kind of at the particle size.

8 CHAIRMAN RYAN: Forget particle size for
9 the moment. Just that there's a uniform concentration
10 of the radioactive material in the solid substrate.

11 MR. COMPTON: And I think that's driven
12 by a number of things, but that's the entrainment
13 part. That's done by the depositional model because
14 it assumes how much waste would be entrained within
15 the tephra and then it partitions that among it.
16 That's another part of the model.

17 CHAIRMAN RYAN: Okay.

18 MR. COMPTON: And it's similar to the
19 approach that we've used before.

20 CHAIRMAN RYAN: But it's a critical one
21 because it basically makes all the radioactive
22 material available to become particles and there's
23 nothing sequestered in any kind of event that's not in
24 the particles.

25 MR. COMPTON: In the tephra.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: In the airborne,
2 potentially airborne particles.

3 MR. COMPTON: Right.

4 CHAIRMAN RYAN: Okay. That's a bounding
5 case.

6 MR. COMPTON: Yes.

7 MEMBER WEINER: Excuse me. Just to
8 clarify. You're using the calculations from the
9 LaPlante and Jarazemba report to determine how much
10 waste, what the density is, what the particle size is,
11 how much is incorporated into the tephra.

12 MR. COMPTON: This is actually, and this
13 gets into one of the things that we're working on
14 right now. But this is basically used by the tephra
15 code.

16 MEMBER WEINER: Okay.

17 MR. COMPTON: And the tephra code --

18 MEMBER WEINER: It's what is being used by
19 the tephra code.

20 MR. COMPTON: The tephra code does that
21 incorporation and determines to what extent the
22 material is incorporated into the tephra.

23 MEMBER WEINER: But you need to put input
24 into the tephra code.

25 MR. COMPTON: That's right and the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing that I'll say on that is that's something that
2 we're still working on getting that report out. But
3 the kind of model that's used in the tephra code is
4 similar to the ash plume model. Brit, is that a fair
5 statement?

6 MR. HILL: Brit Hill, NRC Staff. We're
7 using the same ring sizes for the high level waste
8 particles as was used in the airborne transport. Now
9 in reality we know that once that material has been
10 incorporated into a volcanic eruption, transported
11 through the atmosphere and sat for some amount of time
12 on the surface, there is likely going to be some
13 modification to the waste form. We do not have a
14 technical basis to evaluate what the waste form will
15 be following transport and deposition from a volcanic
16 eruption.

17 We use for transparency. We use the same
18 grain size distribution as we have during the volcanic
19 eruption and that material is assumed to be
20 distributed uniformly through the redistributed or
21 remobilized deposit. So when we talk about waste in
22 terms of the mass load, it's concentration per unit
23 area assuming a uniform distribution of that mass
24 through the mass of redistributed material.

25 MEMBER HINZE: Thank you, Brit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HILL: One other very quick point, if
2 we have a very thin deposit that includes more
3 dilution of the concentration of radionuclide than in
4 a thick deposit, once you're having a deposit of less
5 than about three millimeters, you're going to be in of
6 course entraining the substrate or the underlying
7 noncontaminated material. So the model is accounting
8 for radionuclide concentration in the bulk deposit and
9 recognizing that thin deposits are not going to have
10 a uniform concentration. They're going to have lower
11 concentrations of entrained material.

12 MEMBER WEINER: Thank you.

13 MEMBER HINZE: Do I understand correctly
14 and if you don't mind, Keith, I'll follow up with a
15 question to Brit, do I understand correctly that the
16 assumption here is that there is a uniform
17 distribution of the tephra over the collection zone?

18 MR. HILL: No, the tephra is distributed
19 non-uniformly based on the distribution patterns that
20 would come about from the ash plume modeling code. So
21 they're much thicker towards the vent and much thinner
22 away from the vent.

23 MEMBER HINZE: Okay. How is that taken
24 into account in this? Will we hear about that?

25 MR. COMPTON: Yes. Maybe if I go through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You're actually anticipating a number of things I want
2 to talk about.

3 MEMBER HINZE: Okay. Very good.

4 MR. COMPTON: So hopefully I can.

5 MEMBER HINZE: Well, let us not get in
6 your way then.

7 MR. COMPTON: I will hopefully key into
8 some things. The first question, I mentioned before,
9 those were the four parameters that the model needs,
10 the mass loading, concentration of the waste or of the
11 material --

12 CHAIRMAN RYAN: Again, when you say
13 "waste" I just want to be real clear. You mean just
14 the radioactive material.

15 MR. COMPTON: It is the mass I think of
16 the grams of uranium and then to get activity you
17 would have to multiply it by the activity.

18 CHAIRMAN RYAN: Grams of activity is the
19 same as activity. Uranium and curies are whatever you
20 want, becquerels, but it's not diluted in any
21 nonradioactive substrate except for the tephra.

22 MR. COMPTON: Except for tephra.

23 CHAIRMAN RYAN: Right. Okay. So it's not
24 waste. It's radionuclide or radioactive material.

25 MR. COMPTON: Sure, and in particular, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think the input is the amount of heavy metal basically
2 that's brought in and to get activity, you figure out
3 how much of each particular nuclide is in that.

4 CHAIRMAN RYAN: Yes, ratio to uranium.
5 I'm with you. That's fine.

6 MR. COMPTON: So the first of those
7 assumptions, mass loading is obviously a critical
8 assumption. The key assumption here is that your
9 episodic fluvial redistribution events. Those of
10 course occur episodically not continuously. But they
11 are sufficiently frequent so that they sustain roughly
12 a constant mass loading in the depositional area as
13 long as you have tephra available.

14 However, once the tephra is depleted from
15 the catchment basin, once you've eroded away all the
16 erodible material and you're not supplying
17 contaminated tephra, it's assumed that ambient
18 sediments from the other areas, the unaffected areas
19 would cover that area and therefore you would get no
20 resuspension of contaminated tephra.

21 Then the mass loading is a function of how
22 resuspendible is the redistribution at the level of
23 activity, so heavy or light activity. I know that's
24 something that would be of great interest, but we
25 don't have that parameter for you yet. So I'll just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say at this point that that's to be determined.
2 That's one of the things that is going to need to go
3 into the model. But the assumption is there. The
4 question is just what's the value.

5 Next slide, Slide 7, I think this is going
6 to the question that was asked about the
7 concentration, what's the mixing in the tephra or
8 what's the concentration that's used. It's a simple
9 assumption. The deposition model will predict. It
10 will actually predict a pattern. It will generate the
11 isopachs for different eruptions and then within the
12 area of Fortymile Wash catchment basin, you would sum
13 up and determine how much waste, how much uranium is
14 deposited within that catchment basin, how much tephra
15 was deposited within that catchment basin and then you
16 would make the assumption that that's uniformly mixed.
17 By the time it gets down to the, by the time it's been
18 redistributed and brought down to the depositional
19 area you would assume that mixing would cause that to
20 be an equal mixing. So the assumption is fairly
21 straightforward.

22 Next property we talked about, we've
23 talked about the mass loading and we've talked about
24 the concentration. The next is to what extent could
25 you get dilution with ambient sediments. Of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the blanket falls, it's probably not going to
2 cover the entire catchment basin. So you're going to
3 get clean sediments as well that are being brought
4 down the wash and the question is what amount of
5 dilution would you expect to get from that.

6 The approach is fairly simply. The
7 dilution is simply what proportion of the
8 redistributed material is contaminated tephra, so the
9 ratio of tephra to the total redistributed volume.
10 And again this is a simple mass balance approach. You
11 have a certain amount of material that's deposited in
12 the catchment basin. Tephra will erode from the area
13 covered by tephra at its erosion rate. The ambient
14 sediment will erode from the unaffected areas at its
15 rate. They'll be mixed during the transport. So both
16 will be brought down and brought into the depositional
17 area and then finally as I said, when there is no
18 tephra left, you stop that process and you get just
19 clean sediment coming down and depositing on top.

20 I'm not going to go into the derivation,
21 but the form on the right, there are some things that
22 I'll draw your attention. One is that there's two
23 ratios in this. One is the ratio of the yields, the
24 ambient sediment yields and the tephra erosive yields.
25 So it's the ratio of those two that drives the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dilution and that kind of makes sense. What that's
2 saying in that if the tephra is more erodible, then
3 supplying more material, a relatively larger fraction
4 of that, what's deposited in the depositional basin
5 would be tephra and therefore there would be less
6 dilution.

7 The second ratio is the area covered by
8 ash to the area of the total basin and again, it also
9 makes sense that the more area that's blanketed by
10 tephra, the less dilution you would get because you
11 would presume that most of that erosion is coming for
12 most of that material is tephra. I won't go into
13 modeling that aerial fraction. The area of the basin
14 comes from the mapping process. The area covered by
15 tephra is an output of the tephra model, the
16 depositional model.

17 MEMBER WEINER: Are the units of yield
18 mass units or curies?

19 MR. COMPTON: The units of these, I'm
20 sorry. I should have put those on there. The units
21 of these, and again I can be corrected if I'm wrong,
22 would be kilograms of sediment or tephra per square
23 meter of the basin per time. Is that correct?

24 MEMBER HINZE: Kilometer probably.

25 MR. COMPTON: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Okay.

2 MR. BENKE: I'd like to say something.
3 This is Roland Benke at the Center. Keith, the only
4 change would be that for sediment yield in the model
5 is the volume of the sediment per area per event. So
6 that would be meters³ divided by meters² to give a
7 unit of a single meter.

8 MR. COMPTON: Okay. In that case, I'm
9 sorry, then it would be corrected by density.

10 MEMBER WEINER: Okay. Thank you.

11 MEMBER HINZE: Go ahead, Bruce.

12 DR. MARSH: I have a quick question.
13 Bruce Marsh here. In this equation here, Keith, the
14 last term, the area of the basin over the area of the
15 catchment area, the two areas, if they're near each
16 other, then that term is zero. So this whole thing
17 goes to one. So it means that D is equal to one. It
18 means the volume of the ash is equal to the volume of
19 the sediment plus the ash.

20 MR. COMPTON: I believe -- Let's see. I
21 should be very careful of ever trying to do math in
22 front of an audience. But I think what you're saying
23 is that would go to one. The dilution factor would go
24 to one and, yes, I think maybe that's the key point.
25 The dilution factor is a multiplier on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentration. So that would represent that 100
2 percent of the material is tephra.

3 DR. MARSH: Okay. So the volume of the
4 sediment would be zero essentially to make this
5 consistent in that case.

6 MR. COMPTON: Right.

7 MEMBER HINZE: And how are you obtaining
8 the ratio of the sediment to the ash? What's in that?

9 MR. COMPTON: Based on the relative yield.

10 MEMBER HINZE: Yes.

11 MR. COMPTON: I'll go into that. That's
12 part of what Don's work was about was to try and get
13 an idea what the range of that might be. Next slide,
14 I think we're on Slide 9, is the next part is the time
15 required for the flow events to deplete the initial
16 deposit. That's a pretty straightforward calculation
17 and in this equation, it's the number of depletion
18 events that's required times the recurrence interval
19 between them.

20 Just without going into the derivation, it
21 should be fairly straightforward. The more material
22 you deposit into the basin the longer it might take to
23 erode it, everything else being constant. The higher
24 the ash yield, so the more erodible the ash is, the
25 faster it would be eroded and the shorter amount of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time it would take to deplete it.

2 MEMBER CLARKE: The area of the ash, if I
3 understood what you said in your introduction based on
4 past work we heard in Las Vegas, you're using an
5 airborne release model that has different wind
6 directions. The wind is varying wind directions. Is
7 that correct?

8 MR. COMPTON: That's right.

9 MEMBER CLARKE: So depending on when the
10 event occurs, the area of the ash will be different.

11 MR. COMPTON: Would vary from realization
12 to realization.

13 MEMBER CLARKE: Yes, so you're running
14 this as a -- Is there a distribution associated with
15 this?

16 MR. COMPTON: This would be when it's
17 implemented, there you would pick up, you would
18 sample, different values. Again, I don't want to at
19 this point too much into the different models.

20 MEMBER CLARKE: I understand it might be
21 premature, but I just wondered.

22 MR. COMPTON: But it would help because I
23 think if you have the whole, everything laid out, no.
24 It might take a long time to go through it, but if you
25 had everything laid out you could take it from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 beginning to end. But basically you're right. You do
2 a model. You calculate a deposition from that. You
3 get what fraction is covered, how much material was
4 it, how much waste was deposited.

5 MEMBER CLARKE: So using a distribution of
6 wind directions, you would have a corresponding
7 distribution of areas of ash deposition.

8 MR. COMPTON: Right.

9 DR. MARSH: What N in here?

10 MR. COMPTON: N is the number of events
11 required to deplete the wash.

12 MEMBER WEINER: I would like to get back
13 to Dr. Clarke's question for a moment. If you are
14 taking into account wind direction, you will have wind
15 that blows in the opposite direction from Fortymile
16 Wash. Does your distribution take that into account?

17 MR. COMPTON: We intend to put in a
18 realistic wind distribution, so yes. The point is
19 remember, the reason that we're going towards this, is
20 previously we had fixed the wind to blow south at the
21 RMEI all the time. We're trying to get away from that
22 and no, I can't go into more details of that until --
23 But hopefully we should get a report out to you so
24 that you can understand what that part of the modeling
25 does and I think things will make more --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Ruth, I could have asked
2 that question better, but I'm focusing on the area of
3 ash that's within the basin.

4 MR. COMPTON: Yes, you overlies the two
5 because it's not in the basin does not --

6 MEMBER HINZE: Brit, do you have a
7 comment?

8 MR. HILL: Brit Hill, NRC staff. Very
9 quickly, yes, the idea would be that for each
10 realization you sample a wind field based on NTS or
11 Yucca Mountain type data. Some realizations, the wind
12 may be blowing completely away from the catchment
13 basin in which case for that realization there would
14 be no material in the depositional basin and in all
15 likelihood there would be tephra deposited at the RMEI
16 location. So the airborne release would likely have
17 a zero dose for that realization.

18 MEMBER CLARKE: Thanks, Brit. That's what
19 I was asking.

20 MR. COMPTON: And again, the one thing
21 that I wanted to say on this slide, again the model is
22 fairly straightforward, high erosion rates or shorter
23 times. More material is larger times. One thing
24 that's worth bearing in mind is the effect of the ash
25 yield on both of these parameters. It works in kind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of in opposite directions. If you have higher ash
2 yields, if the ash is more erodible and is eroding
3 faster, you'll get less pollution. You'll get less
4 mixing of that with clean sediments, but it also won't
5 last as long. And vise versa, if the ash is not
6 eroding very quickly, it may be able to erode for a
7 long time, but it would be relatively more polluted.
8 It's just a point that's worth keeping in mind.

9 DR. MARSH: So the units on Y in the ash
10 -- The units on Y, there must be some thickness or it
11 must be a link scale to make the units match in there.

12 MR. COMPTON: The units of this --

13 DR. MARSH: Of Y ash. So it would be mass
14 on the top and you have area.

15 MR. COMPTON: You have a mass that's
16 determined on the bottom.

17 DR. MARSH: Yes, so Y is measured in some
18 sort of length of thickness, I guess.

19 MR. COMPTON: I think of it in terms of an
20 amount of material per area of the basin per time.

21 DR. MARSH: Okay. Thickness.

22 MR. COMPTON: I'm not quite sure whether
23 it's --

24 DR. MARSH: It's a length of some sort.

25 MR. COMPTON: If it's measured in volume,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it would be a length. Yes.

2 MEMBER HINZE: That's what it is in the
3 equation.

4 MR. COMPTON: Yes, and then you have to
5 compare that to the mass because you're given then in
6 the numerator you have a mass of ash. You have the --
7 to make that.

8 So now I'm going to turn a little bit.
9 That was the abstraction model. I've given you how we
10 get at the four parameters we use in the abstraction
11 model and two of those I gave you the explanation for
12 already. Now we need to explain how we get to
13 dilution factor and depletion time. So we need more
14 parameters, to figure out what those might be and
15 there are four. There's the recurrence interval of
16 the flood events, it basically just converts the
17 episodic flood events to a per year basis, the density
18 of the ash deposits and then the pre eruption
19 settlement yield and the post eruption settlement
20 yield.

21 Moving right along, Slide 11, the first
22 two are fairly straightforward. The recurrence
23 interval is about four years. So it's based on
24 observations of flood events that there would be a
25 redistributing event about every four years and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 destiny of the tephra is based on Cerro Negro
2 positive.

3 MEMBER HINZE: Is there any consideration
4 of climactic shifts and changes and as we look at this
5 relatively short time period of 30 years?

6 MR. COMPTON: I'll turn that over to Don
7 if I can to let him answer that. I don't believe that
8 we're basing this reference interval and we're
9 extending it forward. I would have -- So basically
10 we're assuming that that --

11 MEMBER HINZE: Extrapolating.

12 MR. COMPTON: We're extrapolating.

13 MEMBER HINZE: On the basis of the 20 year
14 time frame.

15 MR. COMPTON: Right. What I would have to
16 do is look through the equations and see how that
17 would play out through the whole equations, in other
18 words, would you have --

19 MEMBER HINZE: As part of your sensitivity
20 studies?

21 MR. COMPTON: I would say, to answer your
22 question, I would need to look at that and to see
23 whether that would result effectively in a faster, I
24 presume that could result in effectively a faster or
25 slower yield is I believe the effect that that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have. If it's happening very frequently, then the
2 yield would be higher. If it was happening very
3 infrequently, the yield would be lower on an annual
4 basis, on an average annual basis.

5 MR. HILL: Brit Hill, NRC Staff. We did
6 not consider any other effects such as climate change
7 in looking at the number of events. We recognize that
8 this is the only observational record we have for
9 flood events of Fortymile Wash, but we are in the
10 position of do some exploratory analyses to see
11 whether or not that is a highly sensitive or
12 relatively insensitive sort of uncertainty.

13 Recognize that a flood event every four
14 years, it would be difficult to have a much dryer
15 climate say and have those events be spaced out longer
16 and longer. Say that you would want to have an event
17 every 100 years. It's possible, but the information
18 would be a little difficult to do that. Most of the
19 uncertainty we would consider would be for a wetter
20 climate and more frequent flood events.

21 MEMBER HINZE: Thank you.

22 MEMBER WEINER: Excuse my ignorance, but
23 what do you define, how is a flood defined here?

24 MR. HILL: I'm sorry I used that term a
25 little loosely. It is an event that is sufficient to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cause flow within the Fortymile Wash drainage system
2 so that you would have active flow at this location in
3 the system. Don Hooper, if you're still on the line,
4 I think you could probably define it a little better.

5 MR. HOOPER: Yes, this is Don Hooper at
6 the Center. What was basically used for those 11
7 flood events was just water flowing back to the last
8 flood gate for the basin outlet of Fortymile Wash, the
9 one nearest Highway 95. So there were 11 events over
10 those 30 years recording periods. So that includes
11 the volume flow then moving through that very last
12 stream gate.

13 MEMBER WEINER: So I can take it that when
14 it's not a flood the water never reaches that last
15 flood gate. Is that a correct interpretation?

16 MR. HOOPER: Right. It has to be a flow
17 of water large enough to sustain flow down Fortymile
18 Wash. So that means it's a somewhat larger flood like
19 flow of water you have.

20 MEMBER WEINER: Thank you.

21 MEMBER HINZE: And the intensity of the
22 flow is assumed to be constant in these 11 events or
23 do you have a distribution that you sample?

24 MR. HOOPER: These are just measurements
25 recorded at a solitary state and there are only four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stations along the Watch. So if at the station that
2 was used, you can't really measure variations in
3 velocity well at all. So, no, it's unfortunately
4 fairly poor of data for a single datapoint.

5 MEMBER HINZE: So the assumption here is
6 that they're all the same.

7 MR. HILL: Brit Hill, NRC staff. Yes,
8 that's correct. They're all assumed to be just a
9 single type of a transport event. We're not trying to
10 model hyper concentrated versus normal flow regimes
11 for example.

12 MEMBER HINZE: Thank you.

13 MR. COMPTON: And then again, I would
14 mention that when we have the model running we can go
15 look and see what the sensitivity would be to these
16 parameters and determine whether it would be justified
17 to go and collect more data on that.

18 DR. MARSH: So the duration events are all
19 the same and volume of the events.

20 MEMBER HINZE: Thanks.

21 MR. COMPTON: If you to the next state,
22 the pre eruption sediment yield, the ambient sediment
23 yields are estimated conceptually in a fairly
24 straightforward fashion. Essentially how much
25 sediment has accumulated in the active depositional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area, over what time period that material deposit and
2 then in order to normalize it to area, what is the
3 area from which it originated. So the values that
4 were used in the calculations were shown here and I've
5 shown previously the upper part of the catchment basin
6 has an area of I believe 815 square kilometers.

7 So the next, and this is the last
8 parameter that we need and then after we get this one,
9 we can start going back and get into results, is
10 essentially the relative sediment yield. It's the
11 question of once the tephra falls, at what rate is
12 that going to be eroded? Don's process modeling was
13 really focused on getting some insights into the range
14 of relative yields that you could observe following an
15 eruption. This was done using a diffusion-based
16 erosion model. It was parameterized usually slope
17 data and observations at Lathrop Wells. The two
18 dimensional data was transformed into an equivalent 1-
19 D model and that's what was run to estimate the total
20 sediment yields over time.

21 Just moving to the next slide, this is
22 really where and the model suggests that you would
23 have a period given that the tephra would be more
24 erodible than the ambient sediments. There would be
25 a period of accelerated erosion. You would get a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 period where you would expect to see more sediment
2 than before the eruption. That would go up as you
3 caught up more and more of the basin and then
4 eventually it would decline over time to the pre
5 eruption yields and that's a pretty common phenomenon.

6 MEMBER HINZE: It's observed. Right?

7 MR. COMPTON: Right. Say again?

8 MEMBER HINZE: It's observed.

9 MR. COMPTON: Right.

10 MEMBER CLARKE: What are these units,
11 Keith, on the -

12 MR. COMPTON: The relative sediment yield?

13 MEMBER CLARKE: Yes.

14 MR. COMPTON: Don can correct me if I'm
15 wrong but that would be the ratio of the mass, the
16 delivery rate of the mass after the eruption relative
17 to the delivery rate prior to the eruption. Don,
18 could you?

19 MR. HOOPER: Keith, the ground to sediment
20 yield actual units on that is unitless.

21 MR. COMPTON: Right.

22 MEMBER CLARKE: Right.

23 MR. COMPTON: It would depend on what term
24 you took.

25 MEMBER HINZE: It's a multiplication

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor.

2 MEMBER CLARKE: Okay. Understand.

3 MR. COMPTON: And the point I guess that
4 I would emphasize on this is that the relative yields
5 are probably within a fairly narrow range. They're
6 not going extremely high. They would be elevated, but
7 they're not going to extremely high numbers.

8 DR. MARSH: So the key result here really
9 is the time delay or the hold off in terms of this
10 time scale here.

11 MR. COMPTON: That's part of it and also
12 the range, the value over which that sediment yield
13 range is in the abstraction model because you recall
14 that I had the expressions that showed the ratio of
15 the ambient yield to the tephra yield. This is close
16 to, I'm not going to say right now whether it's
17 exactly the numerical value, but that's an indicator
18 of what that ratio is.

19 So again kind of past going back to, now
20 I'm going to jump ahead to my results, but again if
21 you have more accelerated erosion, the significance of
22 that is that you would get less pollution because more
23 of that stuff in the depositional basin would be
24 tephra and if you had a lower level of erosion or
25 lower fraction, this is not in this part, but a lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fraction covered by tephra, then you would get
2 relatively more dilution and then again the effects on
3 the time required for --

4 DR. MARSH: So the key time here, the
5 25,000 years for example, that's pretty much set by
6 the number of events, the type of events.

7 MR. COMPTON: I would have to ask Don to
8 explain the basin. I mean that would have to do with
9 essentially how fast the tephra was able to move
10 through the basin and deplete.

11 DR. MARSH: So the frequency of erosion
12 events in the magnitude of the event.

13 MEMBER CLARKE: Intensity of the event.
14 Go ahead please.

15 MR. HOOPER: Don Hooper at the Center,
16 could you repeat the question please?

17 DR. MARSH: I'm just interested in the
18 decay time here, this 25,000 year decay time, and that
19 should be pretty much set by probably the number of
20 events, the frequency of the events, of erosion and
21 the magnitude of the events.

22 MR. COMPTON: And the erodibility of the
23 tephra.

24 MR. HOOPER: Yes, that's set by the modern
25 erosion rate. That's sort of an underlying guidance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes.

2 MR. BENKE: This is Roland Benke at the
3 Center. In addition to that, it would be dependent on
4 the volume of tephra originally deposited in the
5 Fortymile Wash catchment basin.

6 MEMBER HINZE: While we're on this point,
7 has there been an attempt made to use the tephra from
8 Lathrop Wells that is now in the soils or in the
9 alluvium as a basis of validating all of this?

10 MR. COMPTON: I'll take a cut at it and
11 then I'll let them answer in more detail. I think
12 that one of the things used to constrain the
13 erodibility or to set the erosion of the tephra was
14 based on the Lathrop Wells data. The parameters, the
15 diffusion coefficients, were based on the Lathrop
16 Wells data. Don, can you?

17 MR. HOOPER: This is Don Hooper again.
18 Yes, it was basically based on what was observed at
19 Lathrop Wells. For example, we know that Lathrop
20 Wells erupted 80,000 years ago and there's only a
21 small remnant amount of tephra. So we know that in
22 that 80,000 years obviously the whole deposit has been
23 eroded. So that's one upper bound. But, yes, what
24 was observed in erosion pattern or suspected erosion
25 pattern of tephra at Lathrop Wells was used. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Is there any indication of
2 the tephra in the alluvium in Amargosa Valley?

3 MR. HILL: Brit Hill, NRC staff. No,
4 there's been no evidence in any of the drill holes for
5 example or any of the shallow trenching that's
6 occurred immediately down gradient from Lathrop Wells.
7 This has been a question that we've asked the
8 Department of Energy a number of times, where are any
9 and all exposures of the Lathrop Wells tephra. There
10 is enough of the trace of the deposit to say that the
11 bulk of it was distributed to the north.

12 MEMBER HINZE: I think there are some in
13 the trenches we saw up in the --

14 MR. HILL: Approximately 15 kilometers to
15 the north there are some relatively non diluted to
16 very lightly diluted fall deposits that were in trench
17 8 for example and some several other of the
18 intervening trenches. We also can tell from the
19 distribution patterns that there was a fairly thick
20 deposit about 1.5 kilometers south of the volcano at
21 least 1.5 meters thick. There's a preserve little
22 remnant there.

23 So it wasn't all purely distributed to the
24 north. Some of it did go south of the vent, but
25 literally there is nothing south of the vent that has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been recognized with the exception of that one deposit
2 I mentioned. Nothing is out on the alluvium and also
3 in the surrounding hillsides including where we would
4 have expected very thick, meter thick, sorts of
5 deposits from initial deposition, they're completely
6 stripped off fairly low gradient hills.

7 MEMBER HINZE: So we can assume that the
8 lack of evidence for Lathrop Wells tephra in Amargosa
9 Valley is an indication that it has been moved out of
10 the valley or is it a matter of not being able to
11 recognize it or not doing enough work to recognize it.

12 MR. HILL: Another hypothesis might be
13 that it is buried several meters deep. It is possible
14 that there could be appreciable deposits.

15 MEMBER HINZE: Oh, it hasn't been looked
16 for completely.

17 MR. HILL: There has been surface
18 excavations on the order of one to two meters out in
19 that area from just general excavation. It has not
20 encountered to the best of our knowledge any tephra.
21 It could be deeper than that though. But the drill
22 holes have not encountered it either.

23 MEMBER HINZE: You've look at the drill
24 holes in the alluvium for this then?

25 MR. HILL: I've not personally examined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them, but the lift logs, in this area the basaltic
2 tephra is a very characteristic, very easy to
3 identify, very unusual feature. I think we would
4 reasonably expect during drilling if this was
5 encountered it would have been noted in the geological
6 logs. So to the best we can tell, this deposit is
7 probably 99.5 to 99.9 percent removed in 80,000 years.

8 MEMBER HINZE: Thank you.

9 MR. HILL: That's our data point for
10 figuring all this out.

11 MEMBER HINZE: Thank you. Keith.

12 DR. MARSH: I had one last question,
13 Keith. I realize that these are the parameters that
14 go to solving a differentiation equation probably for
15 erosion that's a diffusion style equation. Is that
16 how it's for getting this -

17 MR. COMPTON: These parameters are --

18 DR. MARSH: I realize the model is
19 probably much more involved than we're seeing here.

20 MR. COMPTON: Yes, this is a quick summary
21 of what's in the model and then the --

22 DR. MARSH: Input parameters.

23 MR. COMPTON: And what the input
24 parameters are, not the values of them.

25 DR. MARSH: But the key. There must be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 key differential equation behind this. A diffusion
2 for erosion, that's what many people use. Is that
3 basically at the root of this?

4 MR. COMPTON: Yes, that's the approach.
5 Don, I think you might be able to explain.

6 MR. HOOPER: Yes. This is Don Hooper.
7 Yes, the procedures of the equations have been used in
8 landform degradation, landform erosion, soil erosion,
9 for several decades now. It's a fairly well
10 established piece of --

11 DR. MARSH: Yes, great. Thanks, Don.

12 MR. COMPTON: And again something that I
13 would mention about that is that again when we have
14 the whole model put together what this impacts is the
15 relative yields and once we have some set of results,
16 we can decide whether we're warranted to go towards
17 different types of models or whether we need to
18 explore later.

19 I was on Slide 15, the Sediment Budget
20 Parameters, this just gives you, shows you, what the
21 numbers were. I will then break quickly and go to
22 Slide 16 and indicate some of the results. Actually
23 this should probably say the abstraction modeling
24 outputs.

25 These are the parameters on the previous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide were put in the abstraction model to compute the
2 degree of dilution that you would expect or the
3 dilution factor rather and the tephra depletion time
4 and again bear in mind, dilution, it might be a little
5 bit confusing just giving it in percentage terms, but
6 that is the percentage of the deposits that are
7 tephra. So 100 percent means that it's 100 percent
8 tephra.

9 What you get out of this, I would just
10 kind of look at it in as fairly broad scale. What you
11 see in these is that the dilution, the extent of
12 dilution, looks like it's going to be somewhat
13 constrained. You would not, given the sediment yields
14 and the relationship between the post eruption yield
15 and the pre eruption yield, it would suggest that you
16 would not get a large degree of mixing with clean
17 sediments. By large, I mean factors of 100 or 1,000.
18 But the depletion time is a little less constrained
19 and can vary over larger amounts. But it does suggest
20 that remobilization could supply tephra to the
21 depositional basin for long periods of time. I'll
22 just say long periods of time you might expect to see
23 tephra being brought down into the depositional area.

24 MEMBER WEINER: Excuse me.

25 MR. COMPTON: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Is this dilution over the
2 entire fan, the entire deposition fan?

3 MR. COMPTON: Yes, the assumption is that
4 what we actually would compute would be the proportion
5 as it comes into the depositional area what is the
6 relative ratio of the two. We're not trying to sort
7 out as it moves down through the depositional fan,
8 would it change because of different characteristics
9 of the ambient sediment and the tephra. We're not
10 trying to track those, how might it sort out and vary
11 over time. We're just looking at the relative --

12 CHAIRMAN RYAN: Just a question on that
13 point. If I look at the chart, and I understand the
14 differences in time, just kind of eyeballing it, it's
15 one to one or two to one for mixing, something in that
16 range. And then for the idea that you're not trying
17 to account for any difference between the sediments
18 that are there and what's added, have you explored if
19 that's a reasonable assumption based on just thought
20 experiment type approaches, what if? What if there
21 is a difference and what if there is some preferential
22 behavior over these times particularly these very long
23 times to see if that assumption holds up?

24 MR. COMPTON: Yes, I think what I would
25 suspect what you might be getting at is the issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would maybe the characteristics of the two be quite
2 different. So would the particle size characteristics
3 for example of the ambient versus the tephra be
4 different over time?

5 CHAIRMAN RYAN: Yes, and I appreciate --

6 MR. COMPTON: And right now, we're not
7 doing that, but that's certainly something that we're
8 thinking about as how much error could you introduce
9 by that and what that would get to is would you be
10 somehow bringing down stuff that's more or less
11 resuspendible. I would suggest that's really you
12 would need to focus on.

13 CHAIRMAN RYAN: Sure, and I appreciate the
14 fact that you can't. It's very challenging to think
15 about how you would verify any of those thought
16 experiments in the physical reality, but I think it's
17 very important to understand how the results would
18 change if those things were actually shifting one way
19 or another.

20 MR. COMPTON: Yes. Certainly if you were
21 bringing down, mixing it, if the characteristics of
22 the two were quite different and you were bringing
23 down stuff I would suggest that was much more
24 resuspendible that would have one significance. If it
25 was much less -- You could think about that and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can do thought experiments to figure out what might
2 that, how robust are our results. I mean would they
3 change dramatically.

4 CHAIRMAN RYAN: Sure, and I guess what I'm
5 asking is that that be considered and that's not the
6 subject of what you're presenting today and I
7 appreciate that very much. But I think that's for us
8 from a risk significance point of view, that's where
9 the rubber meets the road of understanding that.

10 MR. COMPTON: Yes, and that's one of the
11 reasons that we're still discussing the model.

12 CHAIRMAN RYAN: Okay. Thanks.

13 MR. COMPTON: And trying to make sure we
14 all are in agreement before we put those to you. So
15 that brings me to the end of my presentation. I think
16 I'm getting in just before the finish line. The
17 summary is that I gave you an overview of the process
18 model and the key things that I would suggest to take
19 away from that were that dilution with ambient
20 sediments would probably result in some degree of
21 mixing, some degree of dilution, with ambient, but at
22 least at a bulk level, it does not look like it would
23 be large amounts of dilution and the time required to
24 deplete the tephra deposit is quite long. So again
25 the conclusion is that the redistribution could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to supply contaminated sediment onto this fan
2 for a long period of time. I'll just end with the
3 abstracted, the overall model, of how this all fits
4 together is still under development and we're still
5 working on getting the parameters for the rest of the
6 model and then we'll have to exercise it and see what
7 kind of conclusions we get and what we need to find
8 out and what kinds of things we say this is probably
9 good enough and we don't need to go into more detail
10 and what are the things we need to go into more
11 detail.

12 CHAIRMAN RYAN: Just a thought if I may on
13 your second point, you know 600 to 127,000. It's
14 three orders of magnitude. Do you have any plans to
15 do thought experiments to explore that range? And let
16 me ask the second part of the question. The time to
17 deplete the tephra over those time frames, I would
18 guess, I'm not a geologist and I've said that before
19 and I'll say that again, but I would think that a lot
20 more processes might be involved that might add new
21 materials or take away new materials or somehow modify
22 the physics of what's going on over a time span of
23 three orders of magnitude. Over 100 years, I can
24 think about things being fairly constant, but over
25 those other time frames, I'm just wondering how you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to explore that. Is that a fair question?

2 MR. COMPTON: It's a fair question. The
3 question is if your results suggested that that was a
4 very important parameter and that it makes a big
5 difference as to whether it's 1,000 years or 10,000
6 years or 100,000 years, then it's something that you
7 might need to look at. But it's hard for me to
8 predict right now what that's going to be because it's
9 a function of all the other things that are going into
10 the equation.

11 CHAIRMAN RYAN: And again I know we're
12 looking ahead a little bit. So I appreciate the fact
13 that you can't answer it today. But again, I think
14 things that help you examine the range of
15 possibilities not using fixed values or not using the
16 assumptions appropriate for a short time frame would
17 be interesting to us and I think helpful to defending
18 what ultimately your case is that you end up with.

19 MR. COMPTON: I think once we get the
20 model running and then interpret the results, we might
21 be able to come up with kind of a story that the model
22 is coming out with. I mean here's what we're
23 conceptualizing as to what's happening and does that
24 make sense. Does this thing make sense or are we out
25 of line?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: You're tantalizing us.

2 MR. COMPTON: I am. Hopefully, I've left
3 you eager for more.

4 MEMBER HINZE: Neil, did you have a
5 comment as a follow-up to Dr. Ryan's?

6 MR. STAMATIKOS: I don't want to
7 interrupt, but this is John Stamatikos at the Center
8 and I do have a comment.

9 CHAIRMAN RYAN: I'm sorry. We were kind
10 of stepping on our comment from the Center. If you
11 could tell us who you are again, and then maybe get a
12 little closer to the speaker phone. It was just a bit
13 garbled.

14 MR. STAMATIKOS: Yes, this is John
15 Stamatikos and Mike, I want to address your question
16 if I could.

17 CHAIRMAN RYAN: And just for the
18 recorder's benefit, John, it's John Stamatikos.

19 MR. STAMATIKOS: And the current landforms
20 that are out there are actually quite stable for
21 periods of time well beyond 125,000 years. So there
22 are some good studies. For example, there were
23 cosmogenetic studies that were on surfaces where the
24 Ghost Stand fault was exposed on one of the ridges of
25 Yucca Mountain and shows slope stability, sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current type slope stability, that have been there for
2 about 325,000 year.

3 CHAIRMAN RYAN: Okay. That's helpful and
4 again, I think those things help as you integrate
5 those in your model and the structure of what you're
6 analyzing. It's helpful for us to understand those
7 assumptions which I appreciate. Thanks.

8 MR. STAMATIKOS: Right.

9 MEMBER HINZE: Thank you, John. Let's
10 open. If you're through, then let's open. We have
11 just a few more moments. Let's open this out to make
12 certain that we have questions from the Committee.

13 DR. MARSH: I have one quick question. So
14 if we compare the example that you showed on Slide 14,
15 so I can be on the same page here, onto your 16, I
16 guess we would be over in Case 6, 24,500 years that
17 would be.

18 MR. COMPTON: I don't recall exactly all
19 the parameters that were used to generate this one.
20 So I want to be careful about saying that that is Case
21 6.

22 DR. MARSH: The times would be similar.

23 MR. COMPTON: This, I would say, that this
24 time is within the ranges of what the abstraction
25 model is generating. We could go into -- The report

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think described it in detail and that's publicly
2 available and we could look into all the parameters
3 used to generate this particular curve. But again,
4 for what I would suggest is what you get out of that
5 is kind of range of relative sediment yields and the
6 basic conclusion being that if you have a lot of
7 tephra eroding, you're probably not going to get a lot
8 of dilution and you would have to have very low tephra
9 yields to get a lot of dilution.

10 DR. MARSH: So when it's laying around
11 too, following up on Mr. Ryan's comment here, when the
12 stuff is laying around from 5,000 to 100,000 years,
13 for example, you don't consider any chemical
14 weathering.

15 MR. COMPTON: I don't believe we consider
16 it.

17 DR. MARSH: Degradation of particles and
18 stuff.

19 MR. COMPTON: I think what you're saying
20 is would the kind of erodibility characteristics
21 change over time. Would you get stabilization of it
22 by different -- I don't think we're looking at that
23 over this process.

24 MEMBER HINZE: The primary factor here is
25 going to be wind erosion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: Yes. Could it be depleted
2 by a different weathering process?

3 MEMBER HINZE: And that we're not hearing
4 about yet.

5 MR. COMPTON: Right. Unfortunately not.

6 MEMBER HINZE: Let's go to Dr. Weiner.
7 Ruth.

8 MEMBER WEINER: Thank you. I have a
9 couple of questions and I apologize for all the
10 interruptions I've been doing. As I understood you to
11 say before when I asked where the RMEI was, the RMEI
12 is at the apex of that deposition fan.

13 MR. COMPTON: Approximately.

14 MEMBER WEINER: Approximately. Then what
15 is the significance of looking at the dilution of the
16 tephra over the entire fan since that's downwind from
17 the RMEI or downstream from the RMEI?

18 MR. COMPTON: I think what you're getting
19 at is what the source in the breathing zone of the
20 RMEI. What is the source of that material?

21 MEMBER WEINER: Exactly.

22 MR. COMPTON: Is it coming from upstream?
23 Is it coming from downstream? Is it coming from very
24 far away? Is it coming from very close? That's
25 something that I don't think that we have nailed down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 completely yet, but I would say it's the area. I
2 don't know exactly what.

3 MEMBER WEINER: So you're assuming from
4 your model that it's coming from the whole area some
5 way.

6 MR. COMPTON: It's coming from a variety
7 of sources. Again as I said before, in the overall
8 model, you have a source from the initial deposit if
9 there were an initial deposit. You would have kind of
10 an aerial Eolian source that's coming from a large
11 area and then you have something that's coming from a
12 closer source. The relative weights of those is
13 something that we're still looking at.

14 MEMBER WEINER: I do have a question about
15 those as long as you brought it up. Do all those
16 sources affect the same RMEI?

17 MR. COMPTON: Yes, the RMEI would be
18 assumed to be potentially, I mean depending on if
19 there's not a direct deposit there, then they're not
20 going to be affected by it. If the contaminated
21 tephra --

22 MEMBER WEINER: If the person just stands
23 there and is affected by all three of these sources,
24 there's no time. It just all concentrates on this one
25 maximally exposed individual.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: Again, the question would be
2 what is the weight that you assign to the different
3 components.

4 MEMBER WEINER: I see.

5 MR. COMPTON: That's one thing we haven't
6 quite found yet.

7 MEMBER WEINER: Okay. My one --

8 MR. BENKE: The Center. I wanted to touch
9 a little bit on that question.

10 CHAIRMAN RYAN: I'm sorry. Could you tell
11 us who you are please?

12 MR. BENKE: Sure. This is Roland Benke
13 from the Center. I just wanted to add a comment to
14 the question by Dr. Weiner. In a general sense, just
15 what Keith said about the three source regions
16 applies, but what you could consider that the receptor
17 would be breathing would be a regional mass load that
18 could come from resuspension of contaminated deposits
19 under foot or could come from a couple of miles away
20 as the wind may blow them in.

21 MEMBER WEINER: Thank you. My one other
22 question is looking at your chart on Slide 16, do you
23 have any idea what the mechanism is, and this may be
24 a unfair question, do you have any idea what the
25 mechanism is that causes this particular dependence of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution of time? In other words, you seem to get
2 a 40 to 50 percent tephra right at the beginning for
3 each case and then the mean amount, it's the low
4 amount and the mean amount you have a very tight
5 distribution toward the early years and it doesn't
6 even go away very much. I was just wondering. Have
7 you looked at the mechanism why this happens? Do you
8 have any idea?

9 MR. HILL: Brit Hill, NRC staff. There's
10 a real simple explanation for that. This is very low
11 sediment yield system and the amount of ambient
12 sediment is reasonably well constrained. So there
13 isn't a lot of uncertainty on that and by the same
14 perspective there isn't a lot of uncertainty. There's
15 probably only two orders of magnitude variation in the
16 total amount of tephra that you have available within
17 this system.

18 So the reason you're focusing on roughly
19 50 percent dilution is kind of a natural consequence
20 of the generally low sediment yield in the basin, the
21 generally high sediment yield, the high tephra yield
22 coming off a tephra deposit and a fairly restricted
23 range of tephra volumes that you can potentially have
24 out there. So at the tails of the distribution, yes,
25 we're seeing a lot more of the variation, but about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the mean, there isn't too much variation because the
2 uncertainty of the key parameters is restricted to a
3 fairly narrow range.

4 MEMBER WEINER: Thank you.

5 MEMBER HINZE: Allen.

6 VICE CHAIRMAN CROFF: Mike asked a lot of
7 my questions.

8 MEMBER HINZE: James. Bruce.

9 MR. COLEMAN: Neil Coleman. Is that one
10 working? Neil Coleman, ACNW staff. I had a comment
11 on this active fan area. Keith, your Slide 11 listed
12 11 floods from 1969 to 1998 and there was a comment
13 there that seven of these floods exceeded 1/10th of a
14 cubic meter per second. Now there's been a little
15 more documentation on Fortymile Wash.

16 For example, the 100 Year Flood has been
17 estimated at 430 cubic meters per second. The 500
18 Year Flood at 1,600 cubic meters per second and the
19 1969 event has been estimated at around 100 cubic
20 meters per second. This is well beyond what you're
21 showing.

22 Two of the events that happened in
23 Fortymile Wash and the Amargosa River reached Death
24 Valley and the 1969 event produced a shallow lake in
25 there. Other events occur that don't even reach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Highway 95. They deposit sediment in the wash and
2 then the biggest events come along and they wash that
3 material out.

4 MR. COMPTON: That's out of the
5 deposition. What you're saying is get past the
6 deposition.

7 MR. COLEMAN: They just carry it on down
8 through the system to the fan, what you refer to as
9 the active fan, and in many cases beyond. Now as Dr.
10 Hinze pointed out earlier, your Slide 12 shows that
11 the active fan terminates and you assume that no
12 sediment leaves the area in any flood. That means you
13 have underestimated the two biggest floods in the
14 period of record. When you only have a small number
15 of them to work with, they really deserve some special
16 attention.

17 These would have carried dramatic sediment
18 loads beyond the so-called active fan and the fine
19 grain silts and clays could be transported the
20 farthest. Silts range from 4 to 62 microns. This is
21 the size range of greatest concern in health physics.
22 So my comment is I know it was mentioned earlier that
23 you didn't want to get into too much fluvial
24 transport. I think Dr. Hill mentioned that. But I
25 think when you look at these largest floods and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information about the estimated 100 year and 500 year
2 record it deserves some looking at.

3 MR. COMPTON: I think one thing to kind of
4 bear in mind is look at what the abstraction model,
5 what the basis is, and what the basis is is that you
6 get a flood that is bringing down enough material in
7 a mass load. Now if a lot of the rest of it just
8 keeps going past from the model point of view you're
9 suggesting are you getting enough deposition in that
10 area kind of periodically to keep that well supplied
11 with tephra and that's the basis of what we're looking
12 at. So I see your point, your point being you could
13 have something that comes down and just cleans
14 everything out I think is what you're suggesting.

15 MR. COLEMAN: Well, these largest events
16 need to be considered in that light.

17 CHAIRMAN RYAN: One of the interesting
18 ways to think about that again is in thought
19 experiment. What's the probability of an event
20 washing out the material every, pick a number, 50
21 years, whatever the right number is from the --
22 specialist.

23 MEMBER HINZE: Upper storm.

24 CHAIRMAN RYAN: Upper storm or something
25 and I think that kind of exploration better informs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however you cast the model. So that's the kind of
2 thing I think we're --

3 MR. COMPTON: And it's there. You would
4 also look at are there in the interim between those
5 100 year storms, those things that continue to
6 display. So you have to look at all the --

7 CHAIRMAN RYAN: Could you pull the
8 microphone over please?

9 MR. COMPTON: Turn it on. Right. So the
10 point being I think you have to look at --

11 MEMBER HINZE: Our time is fleeting,
12 Keith, but I have a couple of questions that I really
13 would like to ask and one is you have treated
14 Fortymile Wash here and I don't know. Are you going
15 to apply this kind of modeling to the remove of ash
16 that might go into Crater Flat and be carried down
17 into Amargosa Valley and to a RMEI located there? Are
18 we looking beyond this catchment basin of Fortymile
19 Wash?

20 MR. HILL: Brit Hill, NRC. No, there is
21 only one RMEI and that is prescribed at the southern
22 boundary of the Nevada test site above the highest
23 concentration of radionuclides in the groundwater
24 plume. So we are not considering other locations for
25 these sorts of calculations including the depositional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area around Crater Flat.

2 MEMBER HINZE: As you have mentioned
3 earlier, we do have evidence that there was strong
4 tephra deposition in Crater Flat from Lathrop Wells.

5 MR. HILL: That's correct.

6 MEMBER HINZE: And I'm wondering whether
7 any of that could reach down into the same
8 depositional basin within this range where you could
9 as Roland has mentioned have the wind the mass loading
10 to the RMEI.

11 MR. COMPTON: Are you asking about the
12 significance of that for ALN (PH) remobilization?

13 MEMBER HINZE: You will have it for
14 fluvial as well because there is also the possibility
15 of fluvial remobilization out of Crater Flat and into
16 Amargosa Valley and I don't know if it locates
17 specifically at the RMEI but in the proximity of the
18 depositional area that you have. It's just a thought
19 that I'd like to make certain that all of this is
20 complete and you do, too, of course.

21 I guess my second question is what is DOE
22 doing on this. How does your work compare with DOE
23 and have there been any technical exchanges on this
24 topic to exchange input parameters and evaluation of
25 their parameters?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: I think that we're, we
2 certainly haven't had since I have been the project
3 officer technical exchange on this topic. I think
4 that right now we're trying to develop our independent
5 analysis of this and that's what I'm presenting right
6 now. I'm probably not in a position right now to
7 compare our results against what DOE's results are.
8 But we're certainly keeping up with whatever they are
9 publishing and putting out.

10 MEMBER HINZE: Are they using a mass
11 balance sediment, mass balance approach, as you are?

12 MR. COMPTON: Don, can you?

13 MR. BENKE: This is Roland Benke at the
14 Center. I can add a comment or two. The publicly-
15 available information from the DOE was reviewed as
16 part of the key technical issue agreement process and
17 there are letters from NRC to DOE on that indicating
18 an additional information need.

19 The most recent DOE analysis model report
20 of this process is not publicly available, but I
21 believe requests for it to be made publicly available
22 have been sent to DOE and may be in the fiscal year.
23 The AMR could be released to the public and NRC can
24 review and comment openly on it.

25 MEMBER HINZE: Thank you, Roland. John.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAPP: John Trapp, NRC staff. There
2 isn't much more to say on that. Yes, there is a
3 report that is nonpublicly available that we're trying
4 to get which tremendously changes the way that DOE has
5 looked at this. So when this becomes available, we'll
6 be reviewing it, see how it affects, but right now,
7 there isn't anything we can talk about.

8 MEMBER HINZE: We would like to stay alert
9 to when that becomes available as well.

10 MR. TRAPP: The request has been in for a
11 little bit over six months.

12 MEMBER HINZE: Thanks very much.

13 CHAIRMAN RYAN: Thanks, John.

14 MEMBER HINZE: Keith, if there is nothing
15 else then, we thank you for your presentation. It was
16 helpful to us, tantalizing in many ways. We're
17 looking forward to more information as you complete
18 the entire context and conduct your results and your
19 sensitivity studies.

20 MR. COMPTON: Thank you for your questions
21 and thank you for your patience when I wasn't able to
22 talk about things.

23 MEMBER HINZE: And thanks too to the
24 Center, Roland, Don and the rest. Thank you. Can we
25 proceed ahead then?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Sure.

2 MEMBER HINZE: With that, we move to the
3 second presentation of today. We have with us, I
4 guess I won't say once again, but we welcome John
5 Kessler who is going to bring us up-to-date on their
6 most recent analysis looking at the consequences of an
7 intrusive igneous event at Yucca Mountain and, John,
8 we welcome you here and this is a topic we have great
9 interest in and have commented upon. So we're looking
10 forward to it.

11 MR. KESSLER: Thank you for inviting EPRI
12 to give us a chance to discuss some of the work we did
13 last year and, yes, I'm back again like a bad
14 something or other. The next view graph please.

15 I'd like to begin by acknowledging the
16 people that really did most of the work on this report
17 that I'm going to be discussing. Mick Apted from
18 Monitor Scientific led the work. Megan Morrissey,
19 Marcus Bursik, a lot of the igneous work regarding
20 what an intrusion looked like and what kind of
21 magnitudes are we talking about. Fraser King worked
22 on the effects on magma intrusion on waste packages
23 and Matt Kozak also from Monitor Scientific did the
24 performance assessment for us on this.

25 Borrowing liberally from view graphs from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE whenever they do show up on the TV, never mind.
2 Obviously, this intrusive release pathway is just one
3 of the --

4 CHAIRMAN RYAN: Could you pull it just a
5 little bit closer to you for the recorder?

6 MR. TRAPP: Sure, Mike. Is that better?

7 CHAIRMAN RYAN: Yes, it's fine.

8 MR. TRAPP: Okay. There are several event
9 scenarios that you're all aware. You just heard about
10 part of an extrusive scenario with fluvial
11 redeposition of the tephra. What I will be talking
12 about is the intrusive release pathway. Next view
13 graph please.

14 Just as kind of a reminder, last year I
15 believe Matt Kozak spoke to you on our igneous
16 extrusive scenario work and just to remind you that
17 our reasonable expectation case for that was zero
18 release. We felt we weren't going to be failing waste
19 packages with the reasonable kinds of eruptions to
20 expect and that work was documented in the report
21 that's listed here on this view graph and it is
22 publicly available at the hideously long website
23 address at the bottom there. Next view graph please.

24 So now onto the intrusive release. Again
25 thank you, DOE, for providing some real nice graphics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for us. What we're assuming for a conceptual model
2 here (1) that we have magma coming up into the drift,
3 (2) that we would expect the magma to enter the drift
4 to some degree, and (3) that it will expect some sort
5 of interaction. There will be some sort of
6 interaction with the waste packages and there could be
7 as is shown in No. (4) some kind of thermo-hydro-
8 mechanical-chemical combined effect. Next view graphy
9 please.

10 Good, it showed up fast. This is EPRI
11 simplified cartoon conceptual model of some of things
12 we thought about in terms of mechanisms and trying to
13 divide this magma that might be entering a drift in
14 various zones of influence so to speak or how might
15 waste packages react to the magma. What you see here
16 is we looked at are there thermal-mechanical impacts
17 in the waste package. Are there thermal impacts? Are
18 there chemical impacts for those couple of questions?
19 We also looked at some of the impacts on the tuff
20 itself which is discussed in the report but I wisely
21 choose not to go into all of that today, knowing you
22 would probably be behind already.

23 So let me just describe these three zones
24 that you see in color on that view graph. We have the
25 internal red zone which is where we actually see or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are assuming magma fills part of the drift. Then we
2 have some blue zone that will require definition which
3 we do in the report which is some zone immediately
4 beyond where the magma may enter the drift. Yet there
5 is damage to the waste package and that's something we
6 spent some time in the report discussing and trying to
7 decide what extent that zone is and I will be talking
8 to you about that. Then the green zone is far enough
9 down wind, however you want to call it, of where the
10 magma has entered that we think that the temperatures
11 are cool enough, the gases are sufficiently non
12 corrosive by the time you get that far down the drift
13 that we assume essentially no damage and that beyond
14 the green zone or in the green zone we would assume
15 that the waste packages would follow a nominal release
16 scenario type of effect. Next view graph please.

17 I think I've said some of what's on here.
18 So that red zone is what's immediately adjacent to the
19 rising magma dike. We're assuming that the drip
20 shields are disrupted or displaced in some way and
21 essentially for our modeling we just made them
22 disappear. The waste packages in this red zone are
23 fully engulfed by magma and that we assume that the
24 Alloy 22 and the cladding are failed fairly quickly
25 due to the very high temperatures that would occur in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that red zone.

2 In the blue zone which I'll talk about in
3 some length here, at this point I'm kind of
4 summarizing but I'll go back and rewind and tell you
5 how we got to define the blue zone by looking at
6 various mechanisms, we're talking about significantly
7 elevated temperatures, something above, in the range
8 of 300 to 400 degrees C and corrosive gases as well.
9 In this zone where the magma has not intruded, we
10 would assume the drip shields are intact, but the
11 temperatures are high enough such that the waste
12 packages and cladding we assume have failed fairly
13 quickly and I'll describe the mechanisms we considered
14 so that we can define that blue zone and kind of back
15 define it saying where is it that we would expect
16 waste packages and cladding to fail quickly, how much
17 farther down the drift from the magma is it.

18 Then that green zone where peak
19 temperatures are something less than about 350 degrees
20 C we make arguments to suggest that there's really no
21 significant effect on the long-term EBS performance in
22 that green zone for performance assessment. I'll
23 discuss briefly how we reached that conclusion. Next
24 please.

25 So the big question is how large are each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those zones. They are going to be functions of
2 things like the magma ascent rate, the viscosity of
3 the magma entering the drifts, temperature of that
4 magma, the extent and magnitude of the hot corrosive
5 gases that may be moving on down the drift ahead of
6 the magma front itself. We also looked at how and to
7 what extent can waste packages fail in these various
8 environments, what's the nature of the radionuclide
9 release from a failed waste package and then of course
10 ultimately what are the incremental dose consequences
11 and in this case we did compare it to the nominal
12 scenario. Next please.

13 Okay. On to starting to try to answer
14 some of those questions, magma ascent, we feel it's
15 going to be representative of a hydrous alkali
16 basaltic magma that's found in the Yucca Mountain
17 region. Our understanding is that some of the
18 previous DOE assumptions were that the ascent rate was
19 maybe between .01 and 10 meters per second. With
20 fairly high magma temperatures, temperatures that high
21 imply you're going to have relatively low
22 crystallinity and importantly fairly low viscosity,
23 meaning if you have something with that high a
24 temperature and that low a viscosity, the opportunity
25 for the magma to move way down the drifts is pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 There was some work done by Nicholas and
3 Rutherford in 2004, however, that suggests perhaps the
4 magma is going to have a very different kind of
5 characteristic. They provide information that
6 suggests the ascent rate may be more at the low end of
7 that range that DOE assumed and more importantly, the
8 magma temperature is significantly lower, probably in
9 the 975 degree to 1010 degree C range. In that range,
10 the magma is going to be highly crystalline and highly
11 viscous such that it will more of a rubbly flow than
12 a fluid flow. Next please.

13 Again, I'm making a long story short here
14 and there's more on the report on these issues, but in
15 terms of the extent of the red zone, we view it as a
16 plug flow and an aa-type flow, very rubbly, very high
17 viscosity with viscosities up in that 10^5 to 10^7
18 Pascal seconds range at these expected temperatures of
19 975 degrees to 1010 degrees C.

20 As it moves down because it's very near
21 the point it's going to go totally solid, it's going
22 to freeze rapidly and we would expect that the magma
23 will not get that far down the drifts. We think the
24 extent of the magma engulfment will be on the range of
25 zero to three waste packages on either side of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dike because of this highly viscous, rubbly, fairly
2 low temperature magma that could be entering the
3 drifts.

4 MEMBER HINZE: Excuse me, John. Can I ask
5 you a question there? Is that based upon
6 calculations? Is that based upon analogs? What is it
7 based on?

8 MR. KESSLER: You're taxing my abilities
9 here, Dr. Hinze, but I believe it is a combination of
10 available data as well as calculations as to what a
11 fairly wet magma that's an alkali-basaltic type magma
12 would do as it ascends from depth up to the surface in
13 terms of temperatures and viscosities, things like
14 that. So it's a combination of the two.

15 The other relevant factor there is that
16 the dike might intersect something like one to 20
17 drifts as it comes up. It's another assumption we
18 made. Next.

19 The tricky one was the blue zone. What
20 kind of range of blue zone environments are we talking
21 about and how do we go about defining it? So a good
22 chunk of our report really is going through all the
23 mechanisms, the extent for interaction with the waste
24 packages as well as the tuff and the rock around it,
25 how far downstream or away from the magma front would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that zone where the waste packages and cladding would
2 rapidly degrade are. So how do we go about this?

3 First of all, we said that there could be
4 some hot magma sprays or ballistic particles very near
5 the dike but those effects are likely going to be
6 limited to waste package surface heating and not much
7 more than that. What we had to do was temperature was
8 the key here and we came up with two different
9 estimates of the thermal history. We looked at what
10 we called the partial fill geometry and the cutting
11 through geometry in terms of what does this magma look
12 like and how might it affect temperatures in the near
13 field. Next view graph please.

14 So let's start by defining that partial
15 fill geometry. Sorry, the type is so small here.
16 What you'll see really in this case what we assume is
17 the magma is entering the drift from the left and that
18 the dike is somewhere well off to the left such that
19 the temperature or the heat is just from the magma
20 that's in the drift itself. The waste package you see
21 is really a long cylinder there. We assume that
22 because of the very close spacing and good radiative
23 heat transfer and conduction heat transfer that we
24 could treat those waste packages as sort of an
25 effective long waste package in terms of conducting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat down the drift away from this magma front, but
2 yet that the dike that could essentially heat a whole
3 plane of rock way off to the left in this view graphy,
4 it's significantly far away that we didn't consider
5 that in this particular case. Next view graph please.

6 Okay. Now the cutting through geometry is
7 now we have that magma plane that's sitting right at
8 the left and what we wanted to do was see how much of
9 a difference there is in terms of what kind of
10 temperatures we would expect in front of those
11 different kinds of magma, one where it's just the
12 magma in the drift itself and the other one where we
13 have this whole dike full of magma where we have
14 essentially a very hot plane or source. Next view
15 graph please.

16 So we did some TOUGH2 evaluations to
17 determine what kind of temperatures and relative
18 saturations and things we'd have down the drift. We
19 benchmarked it against a more detailed study that was
20 done by Lore where the temperature was held at 1010
21 for five months and then allowed to cool. The Lore
22 study is in the red and our TOUGH2 model is in the
23 blue just so we could benchmark against something to
24 our analysis.

25 So onto our results now for these two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cases, this view graph here shows you the waste
2 package and gas temperature histories for the partial
3 fill geometry. There are a couple curves here. So
4 you have temperature versus time in both of these
5 curves and what this is I have for various distances
6 in front of that magma plug that's entering the drift.
7 You see that within about one meter of the magma plug
8 we have temperatures that rise after a couple months
9 up to about 800 degrees C and then they fall off.
10 That's the waste package.

11 The gas history is somewhat different in
12 the sense that the gas is pretty hot right there at
13 the edge of the magma but you see they both cool off
14 such that by the time you're down 11 meters down the
15 drift the peak magma temperature, I apologize for the
16 yellow, you should never do things in yellow, is
17 dropping off by a few hundred degrees there and by the
18 time you get down about 114 meters the peak
19 temperature is below 200 degrees and the gas
20 temperatures are in the lower right one. Next view
21 graph please.

22 This one is pretty busy now. This is for
23 the cutting through geometry.

24 MEMBER HINZE: The gas history, this is
25 internal gas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KESSLER: No, this is the gas in the
2 drift.

3 MEMBER HINZE: In the drift.

4 MR. KESSLER: In the drift, gas
5 temperature in the drift. Okay.

6 DR. MARSH: Air temperature.

7 MR. KESSLER: Yes, air temperature. Thank
8 you. The next view graph has them combined. You see
9 in the legend the top four. WP means that the waste
10 package temperature at various positions away from
11 this magma, a dike in this case, the planar source of
12 magma, as well as the gas temperature in the drift
13 which is what's labeled as the drift for the four in
14 the length. And what you see is that temperatures are
15 higher as one would expect in terms of positioned away
16 from that magma source because now you have a whole
17 plane of magma rather just the magma in the drift.

18 Conceptually, we assumed that what we get
19 for temperatures is probably somewhere between these
20 two cases just depending on where you're at down the
21 drift. Now we're looking at a range of potential
22 conditions that would exist in that blue zone, just
23 beyond where the magma has filled the drift, but close
24 enough to the drift that we have significantly high
25 gas temperatures and waste package temperatures due to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conduction mostly from where the magma is.

2 Next view graph shows some waste package
3 isotherms for the two geometries. This is starting to
4 get at really being able to define how long are those
5 two blue zones either side of the magma and what you
6 see is that for that top blue curve 200 degrees C
7 isotherm goes out to about 80 meters ahead and takes
8 a couple years for it to start cooling off once you
9 have that dike in place.

10 But of course, what we're interested in is
11 at the higher temperatures, what are the extent of
12 those zones in terms of damage that might occur to the
13 cladding and the waste package. You see that by the
14 time you get up to 400 degrees C unfortunately in the
15 hard-to-see yellow there, for the partial fill case,
16 you're talking about maybe no more than 40 meters
17 ahead of that magma front and for the cutting through
18 case maybe about 50 meters ahead of the magma front.

19 By the time you get to 500 degrees C, that extent is
20 on the order of 30 meters ahead of the magma front for
21 some fairly short period of time.

22 So now that we have some idea of what kind
23 of extensive high temperatures we have, we go on now
24 to think about the magma waste package temperatures in
25 terms of the mechanisms. Next view graph.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Can I ask a question?

2 MR. KESSLER: Yes.

3 MEMBER HINZE: Can't we have both of these
4 scenarios?

5 MR. KESSLER: Yes, they both exist
6 together.

7 MEMBER HINZE: Right.

8 MR. KESSLER: In the sense that the dike
9 --

10 MEMBER HINZE: Feeding in the super
11 positioning of this.

12 MR. KESSLER: Right, it's a sort of a
13 super positioning and we decided that we would be
14 overanalyzing if we tried to get any fancier than what
15 we've already been doing here in terms of taking these
16 two cases and we admit to being a bit subjective here,
17 but we wanted to look at ranges of what we would
18 expect for temperatures to come up with ranges of
19 estimates of effects and I really think that's about
20 all that we're justified in doing in terms of
21 available data and analysis here.

22 MEMBER HINZE: Good show. Thank you.

23 MR. KESSLER: Okay. On this view graph,
24 I've quickly listed what's a fairly lengthy discussion
25 in our report on the different kind of waste package

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and magma interactions we considered. The first one
2 is erosion that is in that red zone. You may actually
3 have the magma scraping past the waste packages,
4 really literally eroding the Alloy 22 right off the
5 waste package. We felt that that mechanism was fairly
6 unlikely and that the magma flow is slow and limited
7 in time. So we felt that mechanism really wasn't
8 going to contribute much to waste package degradation.

9 Thermal sensitization on the other hand
10 and the next one, enhancing subsequent aqueous erosion
11 could be consideration. Frazier King in the report
12 talks about this requirement, temperatures in the
13 order of 600 degrees C or higher which occurs only for
14 a short distance down the drift but nevertheless we
15 could have some waste packages that are thermally
16 sensitized now such that when the water does return to
17 the drifts, we could have much higher or relatively
18 higher degradation rates of that Alloy 22 than where
19 the Alloy 22 is not thermally sensitized. There is
20 one mechanism that could cause earlier waste package
21 failure.

22 Next one, corrosion due to magnetic gases,
23 we looked at what the gases were. Indeed they can be
24 corrosive. We felt that a lot of those gases are
25 going to wind up going into the rock rather than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depositing on the waste packages themselves. Things
2 cool fairly rapidly and what we felt was that we would
3 have minimal localized corrosion due to the magmatic
4 gases, something on the order of about 1/10th of a
5 millimeter to maybe one millimeter and I have them
6 reversed here. At about 1.1 meter down the drift, we
7 have the 1.0 millimeter depth of corrosion and it
8 drops off to about 1/10th of a millimeter when you get
9 to about 55 meters down the drift. Please make that
10 correction. Sorry, I have it backwards there.

11 So what we determined was that really
12 shortens the overall waste package lifetimes only
13 slightly. We did take it into consideration when we
14 did our waste package failure distributions for
15 subsequent performance assessment analysis.

16 The next mechanism was a creep that when
17 you get these waste packages up to maybe 400 degrees
18 C or so or higher that we expect the waste packages to
19 creep since there's no magma holding them in place.
20 We would expect it needs something like 30 percent
21 creep to rupture a waste package for Alloy 22.
22 Nevertheless, the creep rates when you get up fairly
23 high can be such that we can't rule out that creep
24 would occur and what Frazier concluded was that creep
25 failure is possible for five to ten waste packages on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 either side of the magma plug.

2 MEMBER HINZE: Those temperatures related
3 to creep, are those based upon tests of Alloy 22?

4 MR. KESSLER: Yes. Yes, there is
5 available Alloy 22 creep data and strength data or
6 similar high chrome, high nickel/chrome, alloys that
7 we took that from and that's in the report, that kind
8 of information.

9 The last one is rupture due to over-
10 pressurization. Obviously, if we're heating up the
11 gas inside the waste package, the pressures could rise
12 and it's possible that we could have rupture due to
13 over-pressurization and just to give you an idea of
14 the kind of analysis we did there, the next view graph
15 please is one of, I think I have, two or three on this
16 pressurization. So the first thing we did was we took
17 a look at how high might the internal waste package
18 pressures go versus time at various positions
19 downstream or away from the magma front there and you
20 see that's what that figure is, the internal waste
21 package versus time and how it decays at various
22 positions away from there. Next view graph.

23 So we ran that into a mechanical model and
24 looked at how much that waste package might get
25 strained at the lid and deformed due to the internal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressurization. In this case, we looked at an
2 internal pressurization of 0.69 mega-Pascals. That's
3 100 psi and the deformed shape there is exaggerated by
4 a factor of 50. What's important to see is the
5 strain, the little red zone there around the lid, that
6 we started to consider in terms of how much strain do
7 we think the Alloy 22 could take at that point. Next
8 view graph please.

9 So here is our model versus available
10 data, Dr. Hinze, just in this particular example.
11 What we had was we looked for if we had a strain limit
12 of 0.2 percent, that's that 0.2 percent offset, or
13 perhaps compare that axial stress on the outer lid to
14 90 percent of the ultimate tensile strength and looked
15 at the axial stress on the outer lid for a stress
16 concentration factor of about 12, that stress
17 concentration factor at the high end of what we think
18 could happen, but again we're looking at the shape of
19 the weld, how stresses might actually concentrate
20 locally at that lid and the stress concentration
21 factor is fairly high, so we did what we could to
22 raise that curve, of course what we're looking at is
23 where does that intersect, at what kind of temperature
24 is that and then we can say if we have temperatures
25 above that then we could have fail due to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overpressurization which is what we assumed. Next
2 view graph.

3 So to summarize the extent of these red
4 and blue zones, for the red zone, the second row
5 across, again that's waste packages fully engulfed by
6 the magma, we think the extent would be anywhere from
7 zero to 20 meters away from the dike plane. That
8 would represent a total number of waste packages on
9 both sides of the dike of zero to six waste packages
10 because the spacing for each waste package is like 5.5
11 meters is the length of a typical waste package. We
12 would assume the cladding has failed in that region.

13 For that blue zone that I talked quite a
14 bit about where we decided that the waste packages
15 would experience significant thermal impacts such that
16 the waste packages would fail relatively quickly from
17 a geologic perspective, that extent would be something
18 like 37 to 66 meters from the end of the red zone and
19 that would include a total number of waste packages on
20 both sides of the dikes together of something like 14
21 to 24 waste packages and again we assumed in that zone
22 that the cladding was failed.

23 The green zone where we said the
24 temperatures were cooler the volatiles were around but
25 for a very short period of time. We didn't expect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there to be significant alteration of the waste
2 package degradation rates relative to the nominal
3 scenario where you don't have an igneous intrusion and
4 that the cladding remains intact.

5 Now transitioning into some modeling of
6 releases and then getting into the performance
7 assessment results. I'm going to give you two
8 examples here of our release rates in those zones for
9 two radionuclides.

10 The first is iodine-129. What you see is
11 that the blue zone has the highest release rate
12 because we're not assuming the salts or the magma
13 that's covering. The waste packages in the red zone
14 allows any kind of hold up of the iodine-129 as it
15 comes out. You see the red zone actually has somewhat
16 of a delay and that's due to the effects of the magma
17 actually protecting for a while or delaying the
18 release of the iodine-129 through that engulfing magma
19 as it gets out of the EBS.

20 And the green zone follows right on top of
21 the N or the nominal case there in terms of release
22 rates after the time of waste package failure. So
23 that's the kind of general release rates that we're
24 going to plug into our TSPA code. Here's an example
25 for iodine-129.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next view graph please for neptunium-237.
2 Similar trends here again. In this case, the
3 neptunium does absorb a bit on that magma which again
4 causes the delay before reaching that peak in the red
5 zone. But of course because the waste packages and
6 the cladding are failed, the release rates are much
7 higher than for the green zone or the nominal case,
8 significantly higher and that's captured in this view
9 graph for neptunium. Next view graph please.

10 Finally, throwing it all together in a pot
11 here and looking at some conditional doses and I want
12 to emphasize when I say conditional doses, these are
13 probabilistic doses taking into account the range of
14 parameters but assuming that the igneous event occurs.
15 So it's conditional on the igneous event having
16 occurred.

17 And these are doses to the RMEI at the
18 compliance point, the 18-ish kilometers downstream and
19 what you see here is assuming that in this case all of
20 the drifts that the dike intrudes are completely
21 filled. So essentially we have 14.4 percent of the
22 drifts that are red zone and what you see are two
23 peaks, first due to technecium and iodine. The next
24 one is due to the actonides that in the range of
25 1/10th of a millirem a year up to a couple tens of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 millirem per year, maybe about 20 millirem per year
2 for this kind of case where you might the magma
3 completely filling all the drifts. This would be
4 similar to our analysis of DOE's assumptions where
5 they assume the magma is fairly viscous and all of the
6 waste packages fail along the entire length of the
7 drift that the magma intersects. Next view graph.

8 This is our expected value case, however,
9 where we have F-Red or the fraction of the drift
10 that's in the red zone we think is really more like
11 five percent or 0.05 and the fraction of the drift
12 that's in the blue zone is really more like 20 percent
13 in our particular case and I'll show you a sensitivity
14 or two. Again you see sort of the same shapes, but
15 what you'll notice is that the highest peak is way out
16 in time and that is due to the nominal case. What
17 we're suggesting is that the nominal case still
18 provides the highest peak dose for our expected value
19 case where we have limited red and blue zones compared
20 to assuming the drift that the dike has come up to,
21 has intersected, is completely filled with magma.
22 Next view graph.

23 Excuse me. Let's back up one before we
24 get to this worst case one. What I want to point out
25 is at the bottom there. We said "To rival the nominal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 case peak dose, in other words, to get that second
2 peak up as high as the nominal case peak dose, we had
3 to roughly triple the depth of the red and the blue
4 zones which we think is sort of at the upper end of
5 what we would expect in terms of the effects of the
6 intruding magma. Just to kind of give you an idea is
7 how large or how much of an effect does there have to
8 be before even for this conditional dose case that the
9 conditional doses rival the nominal case. Okay, in
10 the worse case --

11 MEMBER HINZE: Help me. What does the
12 0.15 refer to then?

13 MR. KESSLER: That 0.15 says that we're
14 assuming that 15 percent of the length of a drift is
15 in the red zone.

16 MEMBER HINZE: Okay.

17 MR. KESSLER: And that 60 percent of the
18 length of the drift is in the blue. So we only have
19 25 percent of the drift that wouldn't be affected in
20 that case and we're saying it takes that much for the
21 doses to rise enough to rival the nominal case dose.

22 In the worse case, conditional dose I
23 have, next view graph please, is that blue zone. We
24 don't have it covered with magma. The waste packages
25 and the cladding have failed and if we assume that all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the drip shields are not functional, again really
2 tying a lot of arms behind our backs here, in this
3 case we can get peak conditional doses on the order of
4 a couple hundred millirem for this particular case.
5 That's 14.4 percent of all the drifts are in the blue
6 zone. They have all failed. There's no drip shields.
7 For the conditional dose case, we get up in the
8 hundreds of millirem.

9 The take-home line is at the bottom there.
10 The peak probability weighted dose, remember because
11 we're talking about the probability of an igneous
12 intrusion occurring, that dose rate is going to be
13 much, much less than the nominal case. We had some
14 general discussions about how you convolute that
15 probability for assuming it occurs in time alla the
16 way that DOE does it. But we're confident that when
17 you finally get away from the conditional dose case
18 and do the fully probability-weighted dose case that
19 the dose risk contribution is going to be small even
20 from this bounding case. Last view graph please.

21 So our conclusions are that the extent of
22 magma intrusion into the drafts is likely to be quite
23 limited, maybe something like zero to six engulfed
24 waste packages. Adjacent to those engulfed waste
25 packages, we may have something like 14 to 24 waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packages that will likely fail early due to those high
2 temperatures and various effects that we looked at.
3 The probability-weighted dose rates due to magma
4 intrusion scenario are less than the nominal case. So
5 if we combine that with our earlier igneous eruption
6 work, we reach the conclusion that the igneous
7 scenarios don't appear to be as significant or I guess
8 I should probably say a dominant contributor to the
9 overall dose risk. And the report on this igneous
10 intrusion is available again at that hideously long
11 website that's available and it's shown at the bottom
12 of that view graph. Thanks.

13 MEMBER HINZE: Thank you, John. That was
14 an excellent presentation. We'll start with Dr.
15 Weiner.

16 MEMBER WEINER: I just have a couple of
17 questions, John, because I'm going to defer most of my
18 questions to Dr. Marsh who could ask them better.
19 What do you mean by failed? Do you mean everything
20 goes or the cladding fails, the package fails, stuff
21 is available for mobilization?

22 MR. KESSLER: Good question. We have not
23 assumed that the waste package disappears and that the
24 UO₂ pellets are sitting there on the bottom of the
25 drift. What we've assumed is that there is a failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 along one of the lids and that water has to migrate,
2 diffuse, in and around the lids. The cladding is
3 split, but it has to enter then into the cladding and
4 diffuse out of the cladding and then on out of the
5 EBS. That's what we're assuming for our source terms
6 model.

7 MEMBER WEINER: So roughly what fraction
8 of what's contained in any fuel rod do you assume gets
9 out or a fraction of the total inventory, whatever,
10 because under that scenario, you're not going to
11 eliminate everything, you're not going to release
12 everything that's the waste package, are you or aren't
13 you?

14 MR. KESSLER: We assume and we're
15 revisiting this a fairly short waste form alteration
16 time in the sense that takes UO_2 to go to U-308 or
17 something maybe is a couple thousands years. If we
18 assume invection, I talked more about a diffusive
19 release pathway, but if we do have invective flow
20 through there, our alteration times are such in that
21 for the higher ranges of flow rates we can actually
22 assume we've released 100 percent of the inventory.

23 MEMBER WEINER: Okay.

24 MR. KESSLER: And of course, it just
25 depends on what we assume for the amount of release.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But of course, we're factoring neptunium solubility
2 and things like that. So it's a range. Sorry for
3 saying it depends.

4 MEMBER CLARKE: Excuse me, Ruth. Can I
5 follow up on that?

6 MEMBER WEINER: I still had one more.

7 MEMBER CLARKE: I just want to clarify
8 what you two just said to each other. Once the waste
9 package is damaged, then you're into a situation much
10 like a nominal release. Is that it?

11 MR. KESSLER: Much like a nominal release,
12 yes.

13 MEMBER WEINER: When you speak with of
14 conditional dose, does that include some kind of
15 conditional probability term?

16 MR. KESSLER: Yes, really it's saying --

17 MEMBER WEINER: So it's a risk.

18 MR. KESSLER: It's a risk, right. It's a
19 conditional dose risk still. The only thing we
20 haven't factor in is the probability of the igneous
21 intrusion event occurring.

22 MEMBER WEINER: Yes.

23 MR. KESSLER: Again, we're saying assuming
24 it occurs what's our dose risk with the distribution
25 of parameters we have for everything else that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 result.

2 MEMBER WEINER: So using the risk triple,
3 you're saying assuming that it occurs what is the
4 scenario of this particular --

5 MR. KESSLER: Right. What are the
6 scenarios? What are the ranges of neptunium
7 solubilities? What are the ranges of invection that
8 could occur, all of those things and the
9 probabilities? That's still all factored into these
10 view graphs, these conditional dose risk view graphs
11 that I showed you.

12 MEMBER WEINER: And my final question is
13 are you planning to consider the new DOE TAD package
14 liner? Or would that make any difference?

15 MR. KESSLER: At this point, we don't feel
16 it would make any difference for this kind of analysis
17 at the degree of sophistication that we did this
18 analysis. We're assuming and again obviously we'll
19 have to wait to see what gets designed for the TADs
20 that the Alloy 22 waste package overpack will look
21 similar to the existing waste package disposal
22 container that DOE's designed. The TAD is just the
23 inner canister. Of course, there could be
24 differences. That could change our analyses on things
25 like overpressurization and creep and things like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. But right now, we're not planning to change
2 anything from what we've done here based on the TAD
3 concept which is still very nascent.

4 MEMBER WEINER: Thank you.

5 MEMBER HINZE: Dr. Croff.

6 VICE CHAIRMAN CROFF: In the opening parts
7 of your presentation, you used the word "assumption"
8 a lot. I think with respect to overpressurization you
9 had some subsequent analyses you showed us. What
10 about for example the cladding failure? How much is
11 that? Is that just, I'll call that, an arbitrary
12 assumption or is there something behind it that causes
13 you to believe that the cladding will fail, the drip
14 shield will be displaced and this kind of stuff?

15 MR. KESSLER: A good question. Due to
16 time limitations here, I skipped over quite a bit of
17 the detailed analysis of the waste package and magma
18 interactions. We do have a lot more detail in the
19 report.

20 An example of your cladding question.
21 Yes, there are data available that suggest the
22 cladding is going to rupture when you get up to
23 temperatures above 500 degrees, 600 degrees C,
24 something like that fairly quickly and that it can
25 creep a temperature somewhat below that. Creep rates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you get down to like 400 degrees C are very slow,
2 but does creep slightly.

3 EPRI has a very active program, in fact,
4 cooperation with NRC research and DOE on looking at
5 those kinds of cladding properties. So, yes, there's
6 a lot of data there. I talked to Dr. Hinze about
7 where we got the assumptions about the magma
8 properties. So, yes, we do have a basis. It's not
9 just guessing at some things behind these mechanisms
10 that I just didn't get a chance to get into in the
11 discussion here.

12 VICE CHAIRMAN CROFF: Okay. Thanks.

13 MEMBER HINZE: Dr. Ryan.

14 CHAIRMAN RYAN: Thank you. John, thanks
15 for a good presentation. Just one further clarifying
16 question on the dose curves.

17 MR. KESSLER: Yes.

18 CHAIRMAN RYAN: I assume we're looking at
19 the mean value of your realization.

20 MR. KESSLER: Yes.

21 CHAIRMAN RYAN: Okay. Not the 95th
22 percentile.

23 MR. KESSLER: Correct.

24 CHAIRMAN RYAN: The 50th percentile.

25 MR. KESSLER: Yes, those are the means.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. Great. Thanks.

2 MEMBER CLARKE: Thanks, John. Very nice
3 presentation. Dr. Hinze asked you earlier about the
4 cutting through and the partial fill geometries. Are
5 they both in the analysis?

6 MR. KESSLER: Yes.

7 MEMBER CLARKE: This is a result. These
8 doses are a result of both of these scenarios.

9 MR. KESSLER: Right. For example, the
10 ranges of the red and the blue zones come about
11 because again this is the arbitrary part that we're
12 making some assumptions about how we would superimpose
13 these two cases and what that might mean for the real
14 extent in the case where you do have a magma dike but
15 you have some plug ahead of it. It's somewhere in
16 between these two cases and that's why we started
17 applying, one of the reason we applied the ranges
18 along with we're not exactly sure when we're going to
19 have creep failure and when we'd have
20 overpressurization failure. I think there are
21 obviously uncertainties there. So that's where are
22 our subjective expert judgment came in to come up with
23 those ranges.

24 MEMBER CLARKE: Okay. And then just to
25 clarify what I asked you earlier, once a waste package

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is damaged you have a water-borne release into a
2 transport model through the groundwater pathway to a
3 receptor.

4 MR. KESSLER: Yes. Sorry I didn't make
5 that clear for you.

6 MEMBER HINZE: Bruce.

7 DR. MARSH: Yes. One of the key
8 ingredients of this analysis is the calculation or
9 assumption of this high viscosity.

10 MR. KESSLER: Yes, it very much is.

11 DR. MARSH: And you base this on Nichols
12 and Rutherford's experimental work.

13 MR. KESSLER: Yes.

14 DR. MARSH: Their experimental data just
15 to refresh you a little bit shows that they determined
16 using the assemblage of minerals they see in the lava,
17 for example, Lathrop Wells, that that was an
18 equilibrium at about 200 mega-Pascals, about two
19 kilobars, five or six kilometers down in the earth
20 that had three or four percent water and it had a
21 fairly low percent of crystallinity and in other
22 words, in the crystallization range -- that was down
23 at maybe 10 or 15 or 20 percent crystals. So the
24 viscosity at that point, 975 to 1010 for example,
25 would be really low with that amount of water, three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to four percent water. It would be like maybe 100,
2 maybe 500, but it would be pretty low, really low,
3 maybe even a little lower.

4 Now if you take that and actually
5 translate it right to the surface, one atmosphere,
6 that melting range of course changes. The melting
7 range at 200 mega-Pascals is much lower because it has
8 water in it. As it degases, the melting range
9 actually enlarges and it goes up to higher
10 temperatures. It stays about the same wetness and
11 things.

12 So there is a major question. In other
13 words, if you take that temperature that they gave,
14 roughly 1000 degrees and use it to calculate the
15 viscosity on the surface in the melting range, you end
16 up that it's really near the point of being 100
17 percent solid. So you would get these number like you
18 show here, these high values. However, there is a
19 major question here in terms of when the magma
20 actually moves from that point of five kilometers down
21 to whatever to the surface, exsolves gas out of it.
22 Water is actually is zero solubility near surface.
23 The temperature and pressure trajectory that that
24 thing takes is actually somewhat open to question in
25 terms of what's going on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So a better thing to do would be to know
2 that trajectory and that's somewhat of a difficult
3 issue in some ways. But the other aspect is is to
4 have some other controls by looking at the magma on
5 the earth's surface knowing something about the
6 temperature that actually came out, not using Nichols
7 and Rutherford's data at depth, but actually using a
8 geo-thermometer and looking at it in detail on the
9 surface like the -- for example.

10 I didn't see any of this in your report
11 and I wasn't quite clear.

12 MR. KESSLER: Right.

13 DR. MARSH: There's a gap here. I could
14 understand how you could get to that number based on
15 the scenario I just took you through, but there are
16 significant uncertainties in this and things that we
17 don't know as yet and I didn't see those in the
18 report. Are there other things that you took under
19 consideration here?

20 MR. KESSLER: No, I think that, I'm sorry.
21 Meghan's not here.

22 DR. MARSH: Yes.

23 MR. KESSLER: Meghan Morrissey who
24 contributed this piece to the report because anything
25 I say, I'm going to get myself in hot magma real fast

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here. So I don't recall either a lot of discussion,
2 justification, for what we came up with. We assumed
3 some certain trajectories. I don't recall how much we
4 talked about the uncertainty in those trajectories.

5 Can we go back quickly to Slide 25 please?
6 Thank you. One thing we did do in this one. This is
7 our uncertainty case. This is the case where we
8 assumed every drift that gets intersected by the dike
9 is 100 percent in the red zone and so this is what we
10 got for our conditional dose risk versus time case and
11 you see that we do have a peak in a couple of tens of
12 millirem for the conditional dose case.

13 So when I asked myself we could go back
14 and sharpen our pencil on this, maybe it is more
15 fluid. We don't know the trajectory just like you're
16 saying. I look at this view graph and of course, I
17 have to be very aware of the uncertainties in this
18 view graph, but I would say that if I believe in this
19 view graph and it's a conditional dose, I would say if
20 I multiply by the probability of the igneous event
21 occurring I knock those doses down to less than a
22 nominal case and then I have to ask myself why I would
23 want to sharpen my pencil on this particular issue.

24 But I agree. There is uncertainties. We
25 didn't talk about them as much as we should have. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm not sure whether it's worth exploring I guess from
2 a performance assessment standpoint.

3 DR. MARSH: There are obviously worse --
4 If you're going to use that as an example to start off
5 your analysis, it's worth knowing well. So it's worth
6 taking a look at I think. Thank you.

7 MEMBER HINZE: Any other questions?
8 Staff. If not, we have reached our limit of time and
9 you've really helped us and done an excellent job of
10 getting your points across very succinctly. We
11 appreciate it and it's very helpful. We'll be
12 exploring your document in a lot more detail I'm sure.

13 MR. KESSLER: Thanks again for the
14 opportunity to share it.

15 MEMBER HINZE: Mr. Chairman.

16 CHAIRMAN RYAN: Thank you, Bill. We'll
17 take a short break and reconvene at 11:00 p.m. with
18 our letter writing activities. We'll conclude the
19 record here or do we need to -- We'll conclude the
20 formal record here but we'll reconvene at 11:00 a.m.
21 Off the record.

22 (Whereupon, at 10:48 a.m., the above-
23 entitled matter was concluded.)

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701