

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY**  
**COMMISSION**

Title: Advisory Committee on Nuclear Waste  
172nd Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Monday, July 17, 2006

Work Order No.: NRC-1156

Pages 1-164

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

172ND MEETING

+ + + + +

MONDAY,

JULY 17, 2006

+ + + + +

ROCKVILLE, MARYLAND

The meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Michael T. Ryan, Chair, presiding.

COMMITTEE MEMBERS PRESENT:

MICHAEL T. RYAN

Chairman

ALLEN G. CROFF

Vice-Chair

JOHN T. LARKINS

Executive Director

JAMES H. CLARKE

Member

WILLIAM J. HINZE

Member

1 RUTH F. WEINER

2 Member

3

4

5

6

7 ACNW STAFF PRESENT:

8 ANTONIO DIAS

9 LATIF S. HAMDAN

10 MICHAEL P. LEE

11 DEREK WIDMAYER

12

13 NRC STAFF PRESENT:

14 DON COOL

15 NMSS

16 VINCE HOLAHAN

17 RES

18 ABY MOHSENI

19 NMSS

20 JACK STROSMIDER

21 NMSS

22

23 ALSO PRESENT:

24 FRANK PERRY

25 LANL

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10

I N D E X

1		
2	Opening Remarks by the ACNW Chairman . . . . .	4
3	U.S. Department of Energy (DOE) Briefing on	
4	Exploratory Drilling of Aeromagnetic	
5	Anomalies in the Yucca Mountain Region . . .	5
6	NRC Staff Review of Revised International	
7	Commission on Radiological Protection	
8	(ICRP) Recommendations . . . . .	53
9	Exchange of Information between NMSS	
10	Management and ACNW Members . . . . .	115
11	Adjourn	
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

8:33 A.M.

CHAIRMAN RYAN: I'm going to ask everyone to come to order, please.

This is the first day of the 172nd meeting of the Advisory Committee on Nuclear Waste.

During today's meeting, the Committee will consider the following: U.S. Department of Energy briefing on exploratory drilling of aeromagnetic anomalies in the Yucca Mountain region; NRC Staff review of revised International Commission on Radiological Protection recommendations; an exchange of information between NMSS management and ACNW Members. We will also discuss drafts of ACNW letters and reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Neil Coleman is the Designated Federal Official for today's session.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's session. Should anyone wish to address the Committee, please make your wishes known to one of the Committee's staff.

1           It is requested that speakers use one of  
2           the microphones, identify themselves, and speak with  
3           sufficient clarity and volume so that they can be  
4           readily heard. And it's also requested that if you  
5           have cell phones or pagers, that you kindly turn them  
6           off.

7           I'll also ask that visitors to the  
8           Committee and to the meeting sign in on the respective  
9           sheets for NRC Staff and for outside visitors on the  
10          pole behind me.

11          Without further ado, I'll turn over this  
12          first session to Professor Clarke, who is going to  
13          lead us in the update of drilling of aeromagnetic  
14          anomalies at Yucca Mountain.

15          MEMBER HINZE: Yes, Mr. Croff. Excuse me.

16                   (Laughter.)

17          Thank you, Dr. Ryan.

18          CHAIRMAN RYAN: Is that right? It's  
19          early.

20          MEMBER HINZE: It's early and it's Monday  
21          morning.

22          Again, thank you, Dr. Ryan. It's my  
23          privilege to welcome to the Committee Dr. Frank Perry  
24          of the Los Alamos National Laboratory. Dr. Perry has  
25          been in charge of some of the consequence work

1 associated with igneous activity at Yucca Mountain and  
2 has been particularly concerned recently with the  
3 drilling on the magnetic anomalies that were  
4 identified in the recent high resolution, high  
5 sensitivity aeromagnetic survey.

6 This aeromagnetic survey is one of the  
7 bases for the probabilistic volcanic hazard analysis  
8 update and with that, I will turn it over to Frank and  
9 ask him if he will please give us something on the  
10 status and interpretation of the drilling and the  
11 aeromagnetic survey.

12 MR. PERRY: Am I mic'd? I'm not sure if  
13 I'm supposed to have one.

14 All right, okay. First, I'd like to thank  
15 you for inviting me. It's been, I can't remember, 10  
16 or 12 years, probably the early '90s since we were  
17 back here in any capacity talking to the Panel.

18 It's a good start. I dropped my laser.  
19 So I'm Frank Perry. I'm the overall PI for the  
20 aeromagnetic drilling program. I wanted to say right  
21 off the bat if there's any questions that exceeds my  
22 technical capability to answer in terms of the  
23 geophysics which involves the aeromag, Allen Cogbill  
24 of Los Alamos is the geophysicist on the project. I'm  
25 a geologist, volcanologist. So if there are any



1 questions I can't answer in that realm, please get  
2 them to me by email or whatever mechanism and we'll  
3 make sure that you get an answer.

4           Also, I want to mention that the USGS,  
5 Robert Fleck and NLO is providing the potassium argon  
6 and argon/argon data. We have completed the first  
7 round of dating the salts that we've encountered in  
8 the drill holes. And also, I want to mention that  
9 Rick Kelley has done a lot of GIS that you'll see here  
10 today.

11           So what I'm going to talk about is really  
12 an integration and we think both are equally  
13 important, both the aeromagnetic survey and the  
14 drilling. And these are integrated very beautifully  
15 in our minds and kind of exceeded our expectations.

16           So here you have a representation of the  
17 survey and the drilling. And we think that between  
18 these two techniques we now have a really good  
19 understanding of what's going on in the basins around  
20 Yucca Mountain in terms of buried volcanic rocks.

21           I think the mouse is not the way to go.  
22 Okay, so these -- as Bill Hinze mentioned, these  
23 results are the primary data, kind of the driver  
24 that's supported an update to the 1996 probabilistic  
25 volcanic hazard analysis which is going on now. This

1 is called PVHA-U. In fact, this afternoon I'm flying  
2 to Oakland and the first elicitation interviews start  
3 this week. And they'll go this week, next week and  
4 then a week in August. That will be the first round  
5 through the Panel Members.

6 This information, of course, provides data  
7 on the location and age of buried basalts, lengths of  
8 vent alignments which is important in probability  
9 models. And somewhat unexpected, unanticipated data  
10 for us was it's providing information on dike azimuths  
11 and lengths which is not something we planned for, but  
12 it's welcome data.

13 There's other data available since the  
14 last PVHA in 1996, including geologic mapping,  
15 tectonic models, crustal strain measurements,  
16 teleseismic data. These also support the update to  
17 the PVHA. So it's not just this data I'm showing you.  
18 It's a wide variety of geologic and geophysical data  
19 that's become available since 1996.

20 Okay, this is an overview of Yucca  
21 Mountain and the basalts around it, the basins and the  
22 problem that we're trying to solve. So this is  
23 actually looking to the south. This is Death Valley  
24 back here. This is the Yucca Mountain crest, Crater  
25 Flat, Jackass Flats. So you have a number of basalts

1 of different ages around the mountain, starting the  
2 oldest, Miocene basalts over here in Jackass Flat,  
3 also in Southern Crater Flat.

4 We know there are buried miocene basalts  
5 in Western Crater Flat from a drill hole BH2 drilled  
6 in the mid-'90s about here or the mid-'80s, sorry.  
7 Also, Pliocene basalts erupted between -- well, in  
8 this area they're only 3.7 to 3.8 million years old.  
9 These are eroded remnants down in here.

10 Also from a 1991 wildcat well over in this  
11 area, there's a buried basalt about 100 meters down  
12 that correlates in age to this basalt. So that's one  
13 magnetic anomaly that had been known for a long time  
14 that, in fact, is buried basalt.

15 Then you have the catenary basalts, the  
16 million year basalts aligned right here, these four  
17 cones. And then the youngest volcano, Lathrop well at  
18 the south end of Yucca Mountain at 80,000 years old.

19 So we know, we have the surface volcanics.  
20 We know there's some unknown number of buried  
21 volcanics and depending on the age and location of  
22 those, the question is to what extent does what  
23 information on the location and age of these buried  
24 volcanos impact new probability estimates.

25 Background. In 1997, the PEHA,

1 probability estimate depended heavily on the  
2 distribution of known post-Miocene volcanism. So  
3 these are 3.7 million year old. These are post-5  
4 million year old basalts and you can see there to the  
5 southwest, south and west of the repository. This  
6 heavily influenced spatial models.

7           At that time, in 1996, it was known that  
8 there was a number of anomalies recognized that were  
9 thought to represent basalt. This is the one I  
10 mentioned that had been drilled by '91 and dated at  
11 3.8 million years. But there's a number of other ones  
12 that were thought with various degrees of confidence  
13 to represent basalt, but we didn't know the age.

14           Since 1990 -- so basically, this is the  
15 situation in 1996. The PVHA at that time, this is  
16 their spatial event frequency that they determined  
17 based on the distribution of these buried basalts and  
18 the surface basalts, so it reflects the probability  
19 contours of the frequency of an event occurring.

20           So the highest frequency is, of course, to  
21 this area to the southwest and basically, it's all --  
22 it encompasses both these buried and surface basalts.  
23 So as you go to the east, there's lesser probability.  
24 There actually is a value of  $10^{-10}$  that covers the  
25 whole rest of the field, so it doesn't stop at  $10^{-9}$

1 here.

2           So the other thing that happened since the  
3 PVHA, there's a number of ground surveys by the Center  
4 and also the 1999 USGS regional aeromagnetic survey  
5 that was sort of a medium resolution survey. That  
6 identified a number of other anomalies, quite a few 15  
7 or 18 or so which created concern in the project and  
8 with the NRC about how well do we really have these  
9 things characterized in terms of how many are basalts  
10 and what's the age distribution.

11           One thing we noted when this data became  
12 available that these pretty much fill in the same area  
13 that encompasses the area of surface volcanics and  
14 these earlier known buried basalts or anomalies  
15 inferred to be buried basalts. So I thought when we  
16 first saw this data is it really wouldn't change the  
17 probability estimates too much if these were taken  
18 into account because they occur in the same area. But  
19 the big unknown was we really didn't know the age. If  
20 these happened to be catenary-buried basalts it would  
21 have a different impact.

22           The exception -- so the big exception to  
23 these things falling into this area is the 1999  
24 aeromagnetic survey showed an area in Jackass Flats  
25 that was fairly complex in terms of magnetic

1 anomalies. So it brought up the question that there  
2 could be buried basalts to the east of Yucca Mountain  
3 and Jackass Flats.

4           These fall outside of the highest density  
5 for volcanic event frequency and if there truly were  
6 buried basalts post-5 million, we knew --we know that  
7 there's Miocene basalts, for instance, at Little Skull  
8 Mountain, but if there were younger, buried basalts in  
9 the basin, that would have the potential to  
10 dramatically or to some extent change these  
11 probability contours in terms of where the event  
12 frequency is and likely shift them off to the east.

13           And it's not too hard to imagine that that  
14 would increase the probability of an event if  
15 everything shifted east at the repository site.

16           So that's kind of the background of what,  
17 as we went into this new survey, this is what we were  
18 looking at, the known anomalies at the time and the  
19 problem that we wanted to improve understanding of.

20           This, I've already said in the first two  
21 bullets really, but the main thing to stress is the  
22 last bullet. Of course, the drilling program  
23 addresses spatial and temporal models, but again, the  
24 surprise, which I'll talk about some more is it also  
25 gets the characteristics, particularly the azimuth, we

1 believe, of feeder dikes, which is an important  
2 problem.

3 Let me go back one.

4 (Pause.)

5 It's hard for me to see from where I am.  
6 I guess it's hard for you to see there too. I guess  
7 it's pretty much buried, covers the existing volcanos.  
8 But for instance, if you have a volcano, a new volcano  
9 that forms somewhere to the southwest of Yucca  
10 Mountain, and the dike, the azimuth of the feeder dike  
11 is oriented to the northeast which was pretty much the  
12 case in the 1996 PVHA because that follows the  
13 regional stress field and also follows the line of  
14 cones, a dike like that is more likely to intersect a  
15 repository when it forms an area down here than a dike  
16 that's north-south or some other direction. So any  
17 data that bears on the azimuth of a dike is important  
18 to probability models. I think we have data that  
19 gives a different picture than what we had before.

20 Okay, this is the design of the survey.  
21 The idea was to do a very high resolution survey to  
22 optimize detection of any features within the survey  
23 area including hopefully dikes if they were close  
24 enough to the surface and in the right host rock. But  
25 the boundaries of the survey were designed to

1 encompass the main populations and alignments of new  
2 anomalies.

3           So for instance, this group of anomalies  
4 in Northern Crater Flat which is pretty close to the  
5 repository; alignments down here which have  
6 implications for vent alignment length and potentially  
7 line with the one million year volcanos in Crater  
8 Flat; another alignment down in this area; and of  
9 course, this important area over in Jackass Flats to  
10 see if we could detect anything to the east of Yucca  
11 Mountain.

12           This is a summary of the survey. In a lot  
13 of talks I don't like showing this because it's just  
14 this huge amount of data and at this scale it's not  
15 really showing you the things we're interested in. So  
16 sometimes there's really not a lot to say about it,  
17 but you see the major, these linear anomalies that  
18 form the major or represent the major faults in the  
19 Yucca Mountain block. This is the solitary of canyon  
20 fault.

21           The basalts show up well. These are the  
22 million year volcanics. They have this strange, short  
23 wavelength model pattern which people have noted. If  
24 you go to the 3.7, the surface expression is in here,  
25 but you can see this model pattern extend over to



1 areas like this and if the salts are buried shallowly  
2 in that, you can still pick up this pattern, so it's  
3 diagnostic in terms of looking for very shallowly  
4 buried basalts.

5           This is actually a lead-in to -- okay,  
6 it's a very high resolution survey and it's got  
7 continuous coverage. So it's very different than a  
8 ground survey. There you've got high resolution, but  
9 you've got very discontinuous patches, so it's very  
10 hard to put anything into context. Or you have more  
11 regional surveys at lower resolution and you just  
12 can't see detail. And this has been really helpful to  
13 us, this combination, to in terms of interpreting  
14 faulted tuff versus basalt, relationship between  
15 faulting and volcanic features.

16           And I'll admit, the reason I really bring  
17 this up is there's a couple of cases that I'll bring  
18 up where some anomalies from the '99 survey have been  
19 modeled as basalt. Before we drilled them, we  
20 predicted they would be tuff. And it's not that we  
21 were better scientists than the people that thought  
22 they were basalts and were modeling them that way,  
23 it's that we had the advantage of a much better  
24 survey.

25           So it's a lot easier to see the context

1 these are in to compare it to other faulted areas that  
2 were similar and to draw the conclusion that it  
3 probably represented tuff and then in most cases the  
4 drilling confirmed that.

5           So we did have a formal criteria for  
6 selecting drill sites. One was the location. As we  
7 felt it impacted probability estimates, for instance,  
8 the distance from the repository or the impact on the  
9 vent lengths, we wanted to sample each major cluster  
10 or alignment of anomalies. We wanted to sample a  
11 potential range of ages to get an idea what is the  
12 full range of ages that are buried and do we get  
13 anything in the catenary, that type of thing.

14           And these differences were based, pre-  
15 drilling, were based on looking at differences in  
16 estimated burial depth or magnetic polarity. So if  
17 you have two anomalies adjacent to each other with  
18 different magnetic polarities, they've got to be  
19 different ages. So those are the type of things we  
20 wanted to explore.

21           And then a balance of high confidence  
22 versus low confidence anomalies which really comes  
23 down to is it basalt or tuff? Tuff is magnetic too,  
24 so any time you see an anomaly the question is, is it  
25 a basalt that matters or a tuff that doesn't matter?

1                   Here's an example of the selection  
2 criteria. These are some modeling profiles taken from  
3 a publication, USGS Open File Report from O'Leary  
4 2002. This is based on the 1999 survey. So here, for  
5 instance, there are two anomalies close to each other,  
6 a shallower one and a deeper one with two different  
7 polarities. So obviously, they must represent  
8 different ages. So these are two things we wanted to  
9 drill. We were really trying to get the whole --  
10 sample the entire age distribution.

11                   Now before we drill we predicted that this  
12 would not be basalt. It would be tuff, based on some  
13 fault relationships. And that turned out to be the  
14 case and I'll show you that in the next few slides.  
15 This is south of lathrop wells cone. Another area  
16 south of Seas Pass, there's an alignment of anomalies  
17 which potentially could be an alignment of volcanic  
18 vents. The main reason we drilled anomaly O is  
19 because it was the most shallowly modeled, the depths  
20 of the anomaly was the most shallowly modeled. It was  
21 about 50 meters.

22                   So using depths of burial approximately  
23 for age, this potentially was the youngest anomaly in  
24 the area.

25                   A summary of the drilling program, we

1 completed seven drill holes. Two are in Crater Flat,  
2 one in northern Crater Flat. They're all shown by the  
3 white circles; one in southern Crater Flat, at anomaly  
4 A which is of great interest because it's a positive  
5 anomaly and all the other volcanics in Crater Flat of  
6 different ages are reversely magnetized.

7 Of these seven holes, we've penetrated  
8 basalt in four of the holes at depths ranging from 80  
9 to 150 meters. We specifically targeted tuff in three  
10 cases or what we thought was tuff. Two of these had  
11 been modeled as basalt to test alternative  
12 interpretations of what the anomalies represent.  
13 Again, the goal is to improve our understanding of  
14 both the age and location of basalts in this area.

15 This is a summary of -- before I kind of  
16 walk through each anomaly that we drilled, this is a  
17 summary of the age-dating results which we got --  
18 which were completed about a month ago. We don't  
19 think these are going to change. Some of these are  
20 potassium argon. Some are argon argon and they will  
21 fill in the potassium argon results with argon argon,  
22 but we're confident that these results really aren't  
23 going to change.

24 Just going from sort of counter-clockwise,  
25 the oldest that we dated was in northern Crater Flat

1 and we think age is 11.1. This is an argon argon age  
2 on biotite. We had predicted from cartography that  
3 this would be about 11 million years old. I'll go  
4 through that in just a minute.

5 In southern crater flat an age that  
6 doesn't correspond to anything else we know in this  
7 particular region, a small basaltic body at anomaly A  
8 comes out at about 10.1 million. These are both argon  
9 argon. And these will be the final dates. These are  
10 on, actually on high potassium sanidine within  
11 differentiated veins within this mafic body.

12 Anomaly O turned out to be tuff. I'll  
13 talk about. Anomaly I - -this is modeled as basalt.  
14 Also anomaly I modeled as basalt. It turned out to be  
15 tuff.

16 The youngest basalt that we encountered  
17 and dated is here at anomaly G. This is the  
18 northernmost of three aligned anomalies. It comes out  
19 with a mean of about 3.8, two dates of 3.7 and 4.  
20 This corresponds in age to the 3.75 million year old  
21 basalts up in southeastern Crater Flat. And also  
22 buried basalt from these two drill holes that we call  
23 anomaly B that has a date of 3.85. So it looks like  
24 a cluster of events at three locations, here, here and  
25 up here.

1                   Then in Jackass Flat, the only hole that  
2                   we didn't actually hit bedrock, either basalt or tuff,  
3                   we finished in alluvium, but I'll go through the  
4                   argument as far as we think this represents tuff. And  
5                   the last one of basalt, we hit it about 80 meters  
6                   that's 9.4 million years old. We predicted that this  
7                   correlated with the basalt hid down here in the Nye  
8                   County hole at 23P that had been dated at 9.5 million  
9                   years old. So this was as we expected.

10                   Feel free to ask any questions when any  
11                   come to mind.

12                   So I'll just kind of walk through the --

13                   MEMBER HINZE: Since you've got that one  
14                   up, let me ask you the question. You've talked about  
15                   this first round of age dating. What is going to be  
16                   the second round and when will you have that and why  
17                   are you performing that second one?

18                   MR. PERRY: Well, there's two other --  
19                   there's three dating tasks we're doing. One is the  
20                   basalts we drilled and that's largely done, except we  
21                   will go back. You can see some of these -- this, for  
22                   instance, is potassium argon and a little bit more on  
23                   a higher uncertainty. We'll go back and try to do  
24                   argon argon on this one. This one down here, and  
25                   basically leave these two alone because we have argon

1 argon on both of these. And we're confident in those.

2 Because of correlation, we think this  
3 right on, but we'd like to just get the air down and  
4 have consistent argon argon data on all of them. So  
5 for here, it's really just cleaning up a couple of  
6 samples to make sure we have consistent data.

7 There's two other --

8 MEMBER HINZE: Excuse me, but you are also  
9 doing some further age dating on the exposed volcanic  
10 --

11 MR. PERRY: Right, that's what I was going  
12 to mention. Two other things we're doing is we've  
13 resampled pretty much all Jackass Flat and no other  
14 places, because we wanted -- some of these dates are  
15 very poorly known on the Miocene basalts because they  
16 were last dated in the mid-80s by potassium argon.

17 So we felt we needed to get some modern  
18 dates for correlation purposes and this was really  
19 started before the drilling. And since things have  
20 fallen out so well that's a little less important, but  
21 we anticipated to correlate with surface volcanics,  
22 things that had been faulted and are both exposed at  
23 the surface and subsurface. You need dates for  
24 correlation. So we have about four sites in Jackass  
25 Flats where we're waiting on argon argon dates.

1                   And then the third is to redate these  
2                   catenary one million year old basalts. There's been  
3                   a constant uncertainty ever since the '96 PVHA about  
4                   how many volcanic episodes those actually represent.  
5                   Are they four separate episodes? Did they all erupt  
6                   at once or very close in time?

7                   So they were last dated about 10 years ago  
8                   by argon argon. We're trying to see if 10 years later  
9                   with better equipment and hopefully a little better  
10                  precision is there any way to separate -- can we see  
11                  any separation ages between these four centers. And  
12                  all these dates will be done by probably the end of  
13                  September. So that will wrap up the entire dating  
14                  exercise.

15                  Okay, now I'll try to quickly walk through  
16                  these separate anomalies. Anomaly Q in northern  
17                  Crater Flat, this is Black Cone and Northern Cone.  
18                  Encountered basalt at 140 meters. Turned out to be  
19                  four lava flows. They underlie this very  
20                  stratographically characteristic Paleozoic dolomite  
21                  and quartzite which represents slide blocks off of  
22                  Bear Mountain. That same sequence is seen in gauge 2  
23                  which had been dated 11.3 million years. So we knew  
24                  that this was basically the same basalt sequence as  
25                  VH2, so we pretty much knew it was an 11 million year



1 old basalt. That's been confirmed by the argon argon  
2 date.

3 We extrapolate -- one thing we -- as we  
4 tried to pick populations, if we characterize one  
5 anomaly in a population and all the other anomalies  
6 around it have the same characteristics, we  
7 extrapolate those results to say the other anomalies  
8 represent the same thing. So in this case, you can  
9 see Q is a negative anomaly. Has very similar  
10 characteristics to 4 and R and also T which we know is  
11 the 11 million year old basalt.

12 So we don't feel too -- like we're making  
13 too large a leap to say that R and 4 represent the  
14 same basalt at 11 million years old. So this way we  
15 can start accounting for as many anomalies as we can.  
16 And we try not to make too large a leap, but we don't  
17 think we are.

18 Back up. One thing you'll notice on this  
19 is a strong north-south lineation of these -- well,  
20 these linear anomalies. A couple that project from  
21 Black Cone. Some are at Makani. These are noticed  
22 already from a ground survey that the Center did back  
23 in the late '90s.

24 Now we see this at Black Cone, so it's  
25 very tempting to say that these are faults associated

1 with the volcanos. And so there's this very striking  
2 north-south grain between Black Cone and Northern  
3 Cone.

4 One thing we noticed from analog studies  
5 of a number of eroded centers in the region, trying to  
6 get vent characteristics, looking at the plumbing  
7 style and the characteristics of the plumbing is that  
8 every dike we observe in the region occupies or is  
9 intruded a normal fault plane. So this is at Paiute  
10 Ridge on the northeast part of the test site. This is  
11 a dike, basaltic dike coming up intruding tuff and it  
12 stops actually right here. This particular dike  
13 segment doesn't reach the surface, but it's intruding  
14 a normal fault plane and the fault, you can see, is  
15 right through here. There's another major fault over  
16 here. But this is what we see in every site we look  
17 at that these dikes are intruding faults.

18 So if that's true, going back to Black  
19 Cone and Makani, if we see what we interpret as a  
20 fault here at Black Cone, we make the further  
21 interpretation that the feeder dike that fed Black  
22 Cone, you know may have intruded one of these faults  
23 which tells us about the dike azimuth. That means  
24 this dike was oriented north-south. We see the same  
25 thing in Makani Cone. In Makani, we have direct -- so

1 what we've done is taken this, interpreted it over  
2 here, basically on a DEM, so this is just all the  
3 faults we see here in the subsurface and these shallow  
4 alluvium we put over here.

5           So we see a couple of dikes through Makani  
6 Cone, these that lead out from the north end of Black  
7 Cone. At Makani we see the fissure which is north-  
8 south on the eastern side of the volcano and so we can  
9 see a direct correspondence there between the fissure  
10 zone and the underlying fault from the aeromag.

11           We also -- we know -- we also have exposed  
12 dikes at 3.7 centers down here in southeastern Crater  
13 Flat and these dikes parallel exactly this trend of  
14 these set of faults in this area.

15           So this gives us -- we take this as  
16 information about dike azimuth in this region, that  
17 the dikes associated with these catenary cones are  
18 north-south and that's -- that differs from the  
19 previous model that the connecting -- that dikes  
20 connected these cones and they're northeast oriented.  
21 So I mention the northeast dikes versus north-south or  
22 northwest trending dikes. So we think this is an  
23 important outcome that really uses the aeromag data  
24 quite a bit.

25           Okay, anomaly A, we're now moving just

1 further south in Crater Flat. This is just south of  
2 Little Cone. It was very interesting because it's the  
3 only positive anomaly in Crater Flat. It turns out to  
4 be a basanite which is basically a low silica basalt.  
5 It's about 42 percent silica. It's a composition that  
6 we haven't seen previously in the Yucca Mountain  
7 region. I don't think there's terrible significance  
8 to that, but it's a curiosity.

9           It's large enough, cooled slowly enough  
10 that it contains different shaded veins of what we  
11 call "mafic pegmatite". We have a whole rock  
12 composition now of that material that's about 48  
13 percent,  $\text{SiO}_2$ . So it's still basaltic, but much more  
14 evolved than the 42 percent mafic host rock.

15           What's interesting about A is there's no  
16 apparent flow features associated with where there are  
17 with all the other basalts we've hit. And it's 60  
18 meters thick, so this thickness which is thicker than  
19 any basalt body we know of, I believe, in the region,  
20 along with a very limited extent, it's only a couple  
21 of kilometers across, suggests to us that it might be  
22 an intrusion, an intrusive sill and we see sills of  
23 this same size order at Paiute Ridge where we see two  
24 or three sills up in the northeastern test site.

25           So if it is a sill, it's not the first

1 sill we've known of in the Yucca Mountain region.

2 Now we're backing out a little bit. This  
3 is A and now we're looking at this alignment. This is  
4 the alignment that was modeled as basaltic vents. We  
5 drilled the shallowest one, O. Turned out to be tuff.  
6 Actually, Bullfrog Tuff at the base. It does have the  
7 right magnetic characteristics to produce these  
8 anomalies.

9 Again, by extrapolation, we -- since all  
10 these anomalies look like they share the same magnetic  
11 characteristics, we infer that all of these, in fact,  
12 represent faulted bullfrog member. And one thing we  
13 see, if you look at -- you see faults in here where  
14 this tuff is broken up. You see like a bleak meetings  
15 of faults. You see that same pattern repeated up in  
16 the Yucca Mountain block along with northwest trending  
17 faults which you see in the block. So just by  
18 comparison of the pattern of faulting before we  
19 drilled this, we had a feeling this was tuff. That  
20 turned out to be the case, so --

21 MEMBER HINZE: While you have that up  
22 there, can I ask you a question?

23 The drilling seems to be on the inflection  
24 point of the magnetic anomaly. Was there any  
25 investigation of the sediments that were drilled to

1 determine whether there were any remnants of basaltic  
2 rocks in the sediments that might indicate a nearby  
3 basaltic body?

4 MR. PERRY: We would have noted anything  
5 like that and I think without exception there was  
6 really not -- except for very rare -- there's really  
7 no basalt in the overlying sediment. Does that --  
8 anything about boulders?

9 MEMBER HINZE: Yes, class that you would  
10 expect some kind of materials to be picked up in the  
11 sediments immediately overlying or adjacent. And I  
12 was just wondering since this was drilled on the  
13 inflection of the anomaly, whether this might --  
14 whether there might be any evidence of a nearby basalt  
15 in the sediments that were drilled?

16 MR. PERRY: Not here at all. I mean there  
17 were -- I can't remember exactly, but there were a few  
18 other cases in the drill hole where we would see some  
19 basalt fragments, but not at this drill hole.

20 MEMBER HINZE: Thank you.

21 MR. PERRY: So now we're stepping to the  
22 east. This is lathrop wells. There's a set of  
23 anomalies to the south of there. Anomaly G we drilled  
24 because it's the northern most of this alignment. We  
25 believe that whatever this represented was -- would be

1 the same as F and H because of the magnetic  
2 similarity, we see and because they're aligned.

3 G turned out to be 3.8 million years old,  
4 as I mentioned. So this is actually the youngest  
5 drilled basalt that we've encountered. So it  
6 corresponds in age to the 3.7 million year old basalts  
7 up in southeastern Crater Flat and also anomaly B  
8 which is off to the east a little bit.

9 It's unique in that it has -- the next  
10 slide will show, it has 10 percent hornblende.  
11 Hornblende has only been seen as very rare phase in a  
12 few of the catenary basalts. And here's a core photo.  
13 So all the black, dark gray crystals are hornblende.  
14 So it's pretty rich. It's about 10 percent. These  
15 aren't rare. In the other cases, you could literally  
16 collect a pick-up load full of rock to find one  
17 hornblende crystal and I personally have seen it in a  
18 few places, so it's kind of neat to see.

19 This assemblage, interestingly enough,  
20 Nicholas and Rutherford took some samples from Little  
21 Cone and lathrop wells and did some experiments a  
22 couple of years ago and reproduced at high water  
23 pressure and low temperature, about 950 degrees,  
24 somewhere in that area, they produced this assemblage.  
25 It's only olivine and hornblende. And these sort of

1 rusty crystals, they're hard for me to see right now.  
2 They represent about 3 percent olivine. So there's no  
3 plagioclase or pyridoxine in the phenocryst crystal  
4 assemblage.

5 So what they reproduced experimentally  
6 seems to be right on with what is in this rock. To  
7 us, that indicates rapid ascent from depth at  
8 conditions of high  $P_{H_2O}$  and without a chance to really  
9 reequilibrate and lose these hornblende crystals.

10 So it may be in the history of all these  
11 rocks hornblende is a common phase of depth, but it's  
12 rarely preserved because we see remnants of it in a  
13 few caternative basalts and this is the only basalt we  
14 see abundantly.

15 Okay, moving, going closer to lathrop  
16 wells, anomaly I had been modeled as basalt. This is  
17 the one that was deeper and different magnetization  
18 from G. So potentially a different age. Once we got  
19 the higher resolution survey, we noted the detail in  
20 the anomaly that there's a linear anomaly associated  
21 with it to the northwest and also one here. These  
22 seem to mimic the outcrop patterns in the tuff of the  
23 faults. So we interpret this as a faulted tuff block  
24 and that's, in fact, what it turned out to be. We hit  
25 tuff at 163 meters.



1                   The other interesting thing though is that  
2                   this fault that we incur here traces right up into  
3                   lathrop wells and it's always been curious to anyone  
4                   who's worked at lathrop wells, why the cone is  
5                   oriented to the northwest and it's elongate. So if  
6                   you do the same fault interpretation from this data  
7                   and put it over here on the DEM, this is the faults we  
8                   see in the subsurface, so here's the fault that  
9                   extends from anomaly I. There's other faults that are  
10                  northwest, north-northwest oriented, north of lathrop  
11                  wells. So it's tempting to think that the fissure  
12                  somehow goes through the cone.

13                  As they've quarried the cone over the last  
14                  few years, they've exposed right down in this part of  
15                  the quarry, a very highly welded body that they can't  
16                  bulldoze and it's the hardest body within the cone.  
17                  So we toyed with that for a while and finally said  
18                  well, what if that represents part of the fissure  
19                  because it's so welded? So if you just take that  
20                  point, connect it to the center of the crater which  
21                  will then represent two lines on a fissure, you get an  
22                  orientation that's exactly this and we think that's  
23                  pretty consistent. It's north seven west and  
24                  basically consistent with the lathrop wells fissure  
25                  being oriented that way and being controlled by north-

1 northwest trending faults.

2 This is very similar to the example of  
3 Black Cone and Northern Cone.

4 Okay, we're down to the last two  
5 anomalies. JF-5 is here. We're now in Jackass Flat.  
6 Busted Butte is, you can just see the edge of it over  
7 here. This is Fortymile Wash coming down here. All  
8 the drill holes along Fortymile Wash.

9 JF-5, we predicted was a faulted,  
10 downfaulted buried miocene basalt because there's an  
11 outcrop of miocene basalt right here. It's pretty  
12 evident in the aeromag that there's a north trending  
13 fault up through this area. So the simplest  
14 explanation was that this is just a downfaulted piece  
15 of this outcrop and so we drilled it here. It's 9.4  
16 million years old. We're re-dating this, but it has an  
17 existing potassium argon date from the mid-'80s of 9.6  
18 million years old. So we're confident in that  
19 interpretation.

20 At 23P, basalt was hit at 400 meters and  
21 that's been dated at 9.5 million two or three years  
22 ago by the USGS. So we think this whole positive  
23 anomaly that runs north-south through Jackass Flat  
24 represents one large basaltic body, a lava flow. And  
25 it's been progressively down-faulted. We can see

1 these faults that are sort of northwest trending,  
2 through here. It's progressively downfaulting into  
3 deeper parts of the basin.

4 JF-6 is the Bill Hinze anomaly.

5 (Laughter.)

6 And Bill suggested in one of our earlier  
7 meetings that we drill this because it's one of the  
8 few --

9 MEMBER HINZE: Thanks a lot.

10 (Laughter.)

11 MR. PERRY: We're happy we did. It's one  
12 of the few reversed anomalies that has any kind of  
13 real form in Jackass Flat.

14 So we drilled it. This ended at alluvium  
15 at 196 meters. We kept going down and down.  
16 Eventually ran into some pretty severe drilling  
17 problems with water loss and decided at that point to  
18 call it. What we think is going on, if you look at  
19 this associated anomaly here which we interpret as a  
20 fault, the mine mountain fault comes through here  
21 which merges into the gravity fault, we believe.

22 We think these anomalies are an expression  
23 of the same type of fault pattern we see in other  
24 places, so that this anomaly really represents faulted  
25 tuffed depth. And in a lot of these, as the signal is

1 dampened, with depth, they start to look circular in  
2 that type of thing.

3           Nearby drill holes, J-12, there's one not  
4 shown here, JF-3, have penetrated tuff or tuff  
5 colluvium at less than 150 meters. So around this  
6 anomaly there is tuff and we just don't think we could  
7 get deep enough to actually hit it. So we interpret  
8 this as due to tuff, probably a fault that runs to the  
9 northeast and a fault here to the northwest. And the  
10 other factor is if we had hit basalt, if somehow there  
11 is basalt at 200 meters, that's deep enough where it  
12 almost has to be miocene, based on our experience with  
13 the depths we're hitting these other basalts.

14           As we work through this in a couple of  
15 workshops with the expert panel, they suggested other  
16 potential anomalies in Jackass Flat that could  
17 represent basalt. So this is Fortymile Wash, this  
18 feature here. This is Busted Butte, with all the  
19 faults through it. Anomaly X, if I go back a slide,  
20 is here on this feature that we infer is mainly due to  
21 faulting of tuff. It's modeled at a depth of 300  
22 meters, so it's a deep source. There's a drill hole  
23 just to the west of it, about one kilometer. It  
24 encountered tuff at 240 to 365 meters.

25           So again, we interpret because it lies

1 along this feature, that it is faulted tuff and even  
2 if -- there is air in the source depth estimates, but  
3 given even a lot of air on that it's deep enough that  
4 even if it were basalt, it's got to be one of these 9  
5 million or 10 million year old basalts.

6 Z and Y, real quickly, if we go over here,  
7 back to the fault interpretations, the yellow circle  
8 is actually the center of the anomaly. This one, we  
9 think, represents the end of a fault. It's an  
10 extension of a bedrock fault that you can see in the  
11 bedrock and basically represents the tip. Y is  
12 centered, actually partly on bedrock. You can see the  
13 bedrock feature here. So we've looked at several  
14 other anomalies in Jackass Flat that we didn't drill  
15 and interpret all those as being due to tuff.

16 This is the merging of the project data  
17 set and the 1999 data set, particularly to the south.  
18 We've looked at those to consider other anomalies that  
19 lie outside of our survey area. Of particular  
20 interest were these two anomalies down here, C and D;  
21 one, because they represent very clearly defined  
22 anomalies that probably do represent basalt. Two,  
23 there's a drill hole from a water well from the 1960s  
24 that encountered basalt at the bottom of the hole,  
25 went through nine meters of basalt and then stopped.

1 There's no data on that basalt in terms of age or any  
2 magnetic properties.

3 So one way we're trying to estimate age is  
4 of things we haven't drilled is to look at what we've  
5 learned so far and then apply that. So within --  
6 these boundaries represent the western and eastern  
7 edge of the Amargosa Trough which is a graven-like  
8 structure that goes through here.

9 So if we look at drill holes that we have  
10 data where the bottom of the basalt flow is so we can  
11 estimate and we know the age, we know the depth. We  
12 can then estimate burial rates. These four holes that  
13 fall within the Amargosa Trough, 23-P; two holes at  
14 3.8 million anomaly B; and the new hole at the 3.8  
15 million anomaly G. Those four holes give a calculated  
16 burial rate from .039 to .043 millimeters per year  
17 which is varies by 10 percent.

18 So across this region right here, there's  
19 not that much variation in burial rate. So the idea  
20 is to then take that rate down here where we know the  
21 depth of at least part of the basalt and estimate an  
22 age.

23 This is a blow up of that area. So this  
24 is the hole where basalt was encountered at 178  
25 meters. We don't know the depth of the base, but we

1 can make assumptions about a minimum and a maximum  
2 flow base thickness and apply those burial rates from  
3 the previous slide.

4 If we use the range that encompasses those  
5 calculated values, that gives an age range of these  
6 two anomalies between 4.2 and 5.8 million years.  
7 We're still trying to work out where this basalt  
8 belongs because it's not clearly on either anomaly.  
9 We don't know magnetic properties, so we don't know if  
10 it's reversed or normal and that would help constrain  
11 the age because within this range of 4.2 to 5.8,  
12 there's about four polarity reversals in the magnetic  
13 record.

14 Just for interest, there's one other  
15 anomaly over here that we really hadn't recognized  
16 until the last year at drill hole MSHC. They  
17 encountered basalt at 149 meters and it was dated by  
18 the survey in the late 1990s at 9.6 million.

19 Okay, this is essentially the last slide.  
20 This is a summary, a synthesis basically of everything  
21 we've learned from both the aeromag and the drilling.  
22 So what you're seeing, these large green patterns and  
23 pink patterns represent buried basalt constrained in  
24 location and age by the drilling and aeromag program.  
25 So we hit four basalts. In the new drill holes, these

1 represent four different basalt units erupted between  
2 11 and 3.8. The youngest is at 3.8 down here, which  
3 correlates in age with this basalt body here and also  
4 the surface and buried basalts in southeastern Crater  
5 Flat.

6 So there was this episode at around that  
7 time that produced several locations of eruption at  
8 about 3.8 million years ago.

9 There's extensive buried basalts in both  
10 Crater Flat and Jackass. We knew that partly from age  
11 2 in the mid-'80s that hit 30 years of basalt, about  
12 330 meters down. We've now hit that in queue and  
13 we've correlated that to an outcrop down here. So a  
14 lot of 11 million year old basalt in western Crater  
15 Flat. In Jackass, we have a very extensive 9.5  
16 million year old basalt that's been now encountered in  
17 three drill holes and we have good age correlation at  
18 those holes and also petrologic correlation.

19 The important thing in terms of hazards is  
20 there's a fair amount of number of drill holes now in  
21 Jackass Flat, including all these along the western  
22 margin, along Fortymile Wash. None of these have hit  
23 basalt, including the hole we drilled where we ended  
24 in alluvium right there. But where we have hit basalt  
25 is this 9.5 million year old unit. So there's no



1 evidence from the aeromag or from any drilling that  
2 there's anything in Jackass Flat younger than 9.5  
3 million years old.

4           So in terms of hazard studies, that's an  
5 important feature because almost anyone that looks at  
6 probability models looks at heavily waste the last  
7 five million years, the catenary and the pliocene. So  
8 those don't exist over here as far as we know. They  
9 exist to the southwest and west of Yucca Mountain.

10           So that's probably the most important  
11 single outcome of this whole drilling and aeromag  
12 program. And then this last bullet, you know  
13 something we didn't anticipate is that we see a lot of  
14 these cases, lathrop wells, the 3.7 which fits a  
15 pattern we didn't know was bigger than that and Black  
16 Cone and Makani where it looks like the feeder dikes  
17 are oriented more north-south than to the northeast.

18           As far as remaining work, we need to do  
19 final age determinations, as I've mentioned, and  
20 geochemistry from both subsurface and surface basalts.  
21 We need to take the information we've learned and  
22 model depth thickness and volume of undrilled  
23 anomalies. We are doing that now and once we have  
24 that information, we can estimate, do better estimates  
25 of age of the undrilled anomalies.

1                   And finally, well, for our use but of  
2                   course the PVHA will use this in their probability  
3                   estimates. But then we need to integrate all these  
4                   new results with the existing knowledge of the  
5                   volcanic framework of the Yucca Mountain region. And  
6                   that type of information is being presented to the  
7                   Panel as they go through their elucidations and  
8                   estimates.

9                   MEMBER HINZE: Thank you very much, Frank.  
10                  We have a few moments and let's open it up to some  
11                  questions. Allen?

12                  VICE-CHAIRMAN CROFF: At the outset, you  
13                  mentioned the whole function of this data-gathering  
14                  exercise was to relate back to models, I guess. And  
15                  I'm a little bit unclear what kind of models you're  
16                  talking about. Are you talking about conceptual  
17                  models or mathematical models?

18                  MR. PERRY: Both. When the conceptual  
19                  models are for where does volcanism occur? Would an  
20                  expert just look at where it has occurred? You know,  
21                  in that case their conceptual model would be that they  
22                  would expect renewed volcanism somewhere in a region  
23                  like this.

24                  Other data that can change the conceptual  
25                  model would be if they knew from strain data or some

1 gravity signatures or tomography, that something was  
2 going on in say Jackass Flat that would lead them to  
3 think there's a potential for volcanism there. Their  
4 conceptual model would reflect that.

5           It would allow for volcanism in an area  
6 other than where it has already occurred. The  
7 mathematical models, given that say you have a model  
8 that predicts, or your conceptual model is that it's  
9 going to occur somewhere in this region. There's  
10 various mathematical models which are spatial density  
11 models. Like there's a bivariate Gaussian model which  
12 basically fits the volcanos and then there's a  
13 probability fall off with distance away from the  
14 centroid in the density function.

15           There's some models just have zones, where  
16 you have uniform rates within that zone. There are  
17 kernel models which cluster the separate events and  
18 then the density falls off, the probability density as  
19 you move away from those clusters. So those, except  
20 for the source zones, the kernel models and the  
21 bivariate Gaussian models, they never go to zero as  
22 you move away from an area you think volcanism is  
23 going to occur.

24           The highest density, or the highest  
25 probability of new formation, for instance, would be

1 in this area but it would tail off to a non-zero value  
2 as you move away from that area. So they are both  
3 conceptual and mathematical models.

4 VICE-CHAIRMAN CROFF: Okay, and a second  
5 question. With everything you have seen in this new  
6 campaign, which direction will that tend to drag the  
7 probabilities, up or down?

8 MR. PERRY: Well, I wondered if someone  
9 would ask that. I thought maybe I should just leave  
10 that to the Panel because it really is the job of the  
11 Panel. You know, if you look at certain data, you  
12 would predict one way or another. But they are  
13 looking at a very large range of data. Not just this,  
14 but gravity, tomography, structural data. And  
15 blending that all together, I don't want to stand here  
16 and say that. I would -- it's their job to come up  
17 with a probability estimate and I think it is wise for  
18 me to just wait for their outcome.

19 VICE-CHAIRMAN CROFF: Okay, thanks. Dr.  
20 Ryan?

21 CHAIRMAN RYAN: That took care of my  
22 question.

23 MEMBER HINZE: Okay, Ruth?

24 MEMBER WEINER: You just raised a question  
25 -- by the way, I want to thank you for a very

1 interesting presentation.

2 Are there inconsistencies that you see  
3 right now between the data that you have here and  
4 other data that has been collected by other means?

5 MR. PERRY: I don't believe so. I think  
6 this actually meshes sort of beautifully into a  
7 framework that has been evolving over the last few  
8 years. It's very rather satisfying in that way.

9 MEMBER HINZE: Dr. Clarke?

10 MEMBER CLARKE: Thanks, Frank. I think we  
11 all are probably going to ask you that question that  
12 Allen asked, so I won't do it again.

13 And Bill, it is good to hear that you have  
14 yet another anomaly. That's good news.

15 (Laughter.)

16 MEMBER HINZE: I won't ask about the  
17 others.

18 VICE-CHAIRMAN CROFF: The caldera from the  
19 volcano that formed Yucca Mountain is to the  
20 northeast, is there?

21 MR. PERRY: The edge of that is actually  
22 right up in here. That's the caldera wall.

23 MEMBER CLARKE: I was just curious about  
24 one just very basic question, but I can see how you  
25 could use the information to come up with relative

1       ages of basalt, the actual quantification. You  
2       mentioned the depositional rate. Is there isotopic  
3       analysis or anything else that's done to confirm that?  
4       How do you come up with an actual age?

5                   MR. PERRY: Using argon argon isotopes.  
6       I mean, you have to have the sample. So if we don't  
7       have a sample, then undrilled then we can only do  
8       things like burial rates or those types of inferential  
9       things. But if we have the sample, we use isotopic  
10      techniques, argon argon to do the analysis.

11                   MEMBER CLARKE: Thank you.

12                   MEMBER HINZE: Well, a few questions,  
13      Frank. You haven't mentioned the magnetic properties  
14      of basalts that you have drilled. DO you have any  
15      results on those, either the remanent or the induced?

16                   MR. PERRY: The remnants being measured by  
17      Wayne Champion in concert with the work that Bob Fleck  
18      is doing at Menlo, using the same samples that we're  
19      dating. So that's going to be used by Allen Cogbill  
20      to help, you know, more precisely model depth.  
21      Because we'll have actual magnetic properties on a  
22      range of basalts. And we'll see what the variability  
23      is and use that information as best we can to model  
24      other anomalies that we haven't drilled.

25                   MEMBER HINZE: So you don't have the

1 magnetic properties of the basenite on anomaly A?

2 MR. PERRY: I believe we have it, but I  
3 don't -- it's not in my head.

4 MEMBER HINZE: Is that basenite a  
5 possibility that that was residual in the crust,  
6 resided in the crust for a period of time and then was  
7 extruded up to the surface as a sill? Is that a --  
8 what is the significance of that?

9 MR. PERRY: It's in alluvium. I mean we  
10 went to 150 meters of alluvium basin fill.

11 MEMBER HINZE: But it's quite  
12 differentiated.

13 MR. PERRY: Parts of it are, about 1  
14 percent -- 99 percent of it is this very mafic  
15 basenite. One percent is differentiated veins of  
16 more silicic material.

17 What happened at depth below that is a  
18 part of history we just don't know. We actually -- we  
19 had to stop for safety reasons. As soon as we hit the  
20 bottom of that body, the water was completely lost and  
21 the ground actually started caving, so we had to  
22 immediately suspend. But we were hoping to go through  
23 that anomaly and a couple of things, one, test whether  
24 we would then go through the older 11.3 and we really  
25 wanted to just go down further and see what all was

1 below that body and we couldn't. We had to stop right  
2 at the contact.

3 MEMBER HINZE: You mentioned the  
4 significance of the feeder dikes and the use of the  
5 magnetics for the azimuth.

6 What about the length? The length of  
7 these dikes are very important and it's something  
8 you've mentioned. How are you getting at the length  
9 of the dikes?

10 MR. PERRY: A couple of ways. One is a  
11 bit of an inference. If you're someone that likes to  
12 model where this alignment of cones is connected by a  
13 dike, then you have a very long dike. It's 11  
14 kilometers. If instead each is fed by a separate say  
15 north trending dike, they're -- one, they're not  
16 required to be as long. They can be much shorter.  
17 The other thing is we don't -- we've run tests of what  
18 would be detectable in the alluvium. Allen has  
19 completed this recently and provided it to the Panel.

20 If there is a dike within the alluvium,  
21 say in the upper 250 meters between cones and not  
22 underneath the flows, you should be able to detect  
23 that. The dike we couldn't detect is Solitairo Canyon  
24 which is in tuff and the widest we've seen it is about  
25 50 centimeters.



1                   So we don't think it's typical of a feeder  
2 dike which you'd expect to be more like three or four  
3 meters or at least two meters. So this very thin dike  
4 that we couldn't detect was up here.

5                   We would expect to be able to detect dikes  
6 in the alluvium as deep as 250 meters. The conclusion  
7 from that is that these are -- and they fit the style  
8 of volcanism in the volume -- is that very short  
9 feeder dikes in the shallow surface fed these  
10 volcanos, these small volume catenary. And the cone  
11 apron covers the fissure. So you can't detect it any  
12 more. Each case it's covered by the flow. So it may  
13 have been less than a kilometer long. And that fits  
14 modern analogs like Paricutin and some other volcanos.  
15 The feeders are not that long.

16                   MEMBER HINZE: Are you suggesting by  
17 virtue of an analog with lathrop wells that the  
18 localization of the volcanos along the dike is  
19 associated with a cross fault?

20                   MR. PERRY: With a crystal fault?

21                   MEMBER HINZE: With a cross fault.

22                   MR. PERRY: Oh, a cross fault. It's true  
23 at lathrop wells, but I wouldn't want to generalize  
24 beyond that. We really think that this feeder dike  
25 was controlled by these northwest turning faults, but

1 there's obviously another fault there and I -- as far  
2 as we go, I guess, is we first didn't know which one  
3 it was following, they were open to either one. But  
4 then thought about other evidence. But it is -- I  
5 don't see that at the other cones like Black Cone or  
6 Red Cone, where it's at a place where faults cross.  
7 But it's definitely the case at lathrop wells.

8 So it may be a factor in the overall  
9 reason why lathrop wells is there. It looks like the  
10 feeder wanted to follow the northwest turning fault.

11 MEMBER HINZE: Could you go to Figure 10  
12 and let me ask you my question. What's the origin of  
13 the east-west striping that we see at the northern  
14 end, the red to yellow and the breakup at the  
15 Paintbrush Canyon and then at the Windy Wash fault?

16 MR. PERRY: So that's the first feature  
17 you're talking about?

18 MEMBER HINZE: Right. There are a couple  
19 of others that -- the one at the southern end of the  
20 right and then another one at the Yucca -- at the Y of  
21 Yucca Mountain. Do you have any -- obviously, if this  
22 has tectonic significance it may have significance in  
23 terms of the location of volcanic features.

24 MR. PERRY: I don't have the answer. The  
25 latest I've heard about that was the talk Mark Tining

1 gave and he mentioned these features in terms of  
2 reams, but I barely have thought about this question  
3 and for instance, down here, I don't know why because  
4 of the pathologies. I need to go back and look at  
5 the geology. But I don't think there's a big change  
6 in the pathology why suddenly you get these large  
7 deposits that kind of disappear. So I don't know the  
8 answer is the bottom line.

9 MEMBER HINZE: Are there questions among  
10 the staff?

11 Latif?

12 MR. HAMDAN: Two questions. Thank you.  
13 The reason why they do not do any service in the roads  
14 is because you cannot drill there to verify. Is there  
15 another reason?

16 MR. PERRY: There's no basis. One was  
17 money. We had to stop somewhere. The other is  
18 there's no major basins, so we're really interested in  
19 these alluvial-filled basins and you get up into the  
20 caldera complex at the north where there's really no  
21 basins that could easily bury anything.

22 MR. HAMDAN: Okay. The other question is  
23 now that you have the detail, can you go back to the  
24 anomalies and make any distinct wish at all between a  
25 basalt anomaly and a tuff or something like that?

1                   MR. PERRY: Yes, we think we can. That's  
2                   what we were doing, for instance, here; where  
3                   anomalies had been very small anomalies here and right  
4                   there. There are several anomalies in here. We can  
5                   make interpretations from what we've learned, from  
6                   what we drilled and fault patterns that we see in the  
7                   bedrock extending those out into the alluvium. We can  
8                   make what we think are legitimate interpretations  
9                   about whether they're tuff or basalt. In this case,  
10                  we would say tuff.

11                  In other cases, we still think there's  
12                  basalt down there. The ones to the south, C and D,  
13                  we're sure are basalt. There's a couple of others  
14                  that may well be basalt and there we'll try our best  
15                  to determine depth and get an age estimate from burial  
16                  depth or other input.

17                  MR. HAMDAN: Thank you.

18                  CHAIRMAN RYAN: It's just a quick question  
19                  on the error analysis. I notice on the one in the  
20                  upper left, that the error is about an order of  
21                  magnitude higher than the one just below it and why is  
22                  that true?

23                  MR. PERRY: This was --

24                  CHAIRMAN RYAN: Different technique?

25                  MR. PERRY: First of all, you didn't ask

1 this, but this has a higher error because it's  
2 potassium argon. This is argon argon down on a  
3 biotite which is fairly high potassium, so the error  
4 is smaller and there's other reasons with argon argon  
5 it's smaller.

6 This was done on a very high potassium  
7 feldspar, so you had an extremely high signal.

8 CHAIRMAN RYAN: So it's technique-driven  
9 is the reason.

10 MR. PERRY: Yes.

11 CHAIRMAN RYAN: And the second part of the  
12 question is does the error only represent technique  
13 error?

14 MR. PERRY: Yes.

15 CHAIRMAN RYAN: It's analytical error.

16 MR. PERRY: It's measurement analytical  
17 error, technique, nothing else.

18 CHAIRMAN RYAN: So I guess at least in my  
19 third question I say that all three of the ones on top  
20 are the same and the one on the bottom is different,  
21 is that about right?

22 That would make a difference between 9.4  
23 and 10.8.

24 MR. PERRY: For hazard bios it wouldn't  
25 matter. To me it matters. I think they are

1 different.

2 CHAIRMAN RYAN: That's what I'm trying to  
3 understand.

4 MR. PERRY: To a geologist, I'm sure  
5 they're different because we're dating these and  
6 actually have preliminary numbers I don't have. This  
7 is a very different composition of basalt sequence  
8 that's high, tilted up on Skull Mountain, Little  
9 Skull. And these are coming out 10.5 million years.  
10 These down in the basin, post-tilting which you  
11 predict are younger. These are coming out repeatedly  
12 at three sides, 9.5 million. So I think that's a real  
13 million year difference. A million years is a long  
14 time.

15 CHAIRMAN RYAN: Sure. I appreciate that.

16 MR. PERRY: Even if it's 9.5 to 10.5, it's  
17 still -- so we think those are very real.

18 CHAIRMAN RYAN: It's the other physical  
19 data and geology and so forth that helps you make that  
20 --

21 MR. PERRY: It always is.

22 CHAIRMAN RYAN: I just wanted to  
23 understand that a little bit. Thanks.

24 MEMBER HINZE: If there are no further  
25 questions, Frank, thank you very much for an excellent

1 presentation. We do appreciate it and we learned a  
2 lot. Thanks.

3 MR. PERRY: Thanks. I enjoyed being here.

4 CHAIRMAN RYAN: Appreciate it. Let's see,  
5 next on our agenda, I believe we have Drs. Cool and  
6 Holahan to talk to us about the most recent update for  
7 the draft guidance from ICRP and their views of it.

8 I'm sorry, I was looking at 9:45. Let's  
9 take our 10-minute break, cut it by five minutes and  
10 we'll start promptly at 5 minutes of 10, please.  
11 thank you.

12 (Whereupon, the proceedings in the  
13 foregoing matter went off the record at 9:44 a.m. and  
14 went back on the record at 9:52 a.m.)

15 CHAIRMAN RYAN: Our next presentation is  
16 by Drs. Holahan and Cool, who are going to provide us  
17 with an update on their preliminary observations on  
18 the most recent ICRP 2006 revision to the 2005 draft  
19 recommendations. Close enough.

20 So, gentlemen, please take it away.

21 MR. COOL: That sounds about confusing  
22 enough to --

23 (Laughter.)

24 -- be the appropriate introduction. I'm  
25 Don Cool, Senior Advisor for Radiation Safety and

1 International Liaison at NMSS. With me is Vince  
2 Holahan, who is the Senior Advisor for Radiation  
3 Health Effects in the Office of Research.

4 We have been working as a tag team, and  
5 that's probably how we will work this morning, busy  
6 trying to keep each other out of trouble or in trouble  
7 or correcting each other, depending on the act  
8 circumstance and the moment.

9 What we wanted to give you today is a  
10 quick review both of the draft recommendations that  
11 have been published by ICRP for public comment, and  
12 then the staff's initial views and observations on  
13 those. So trying not to spend too much time, but I'll  
14 give you a little bit of history on where we have  
15 been, an outline, and then our reviews and  
16 conclusions.

17 For history, as you are probably aware,  
18 maybe painfully aware by the number of letters that  
19 you have written, the ICRP has been working on their  
20 recommendations for radiation protection for quite a  
21 number of years now. I think that if we actually  
22 total it up from the time that Roger Clarke first  
23 started to float some of his papers in the late '90s  
24 we would be up to seven or eight years in the  
25 development cycle at this point. That might sound



1       like a familiar number for those who are familiar with  
2       how long it takes to revise Part 20.

3               The draft recommendations formally were  
4       first put out for public comment in the summer of  
5       2004. At that point it was called RP-05, Radiation  
6       Protection 05, because ICRP thought that they were  
7       going to be publishing the recommendations in 2005.  
8       That didn't exactly happen. They got a huge number of  
9       comments as a result of their solicitation for public  
10      comment, a lot of issues and ideas brought forth to  
11      them, as well as several workshops and various things.

12              The NRC staff did provide comments on  
13      those. We reviewed those with you at that time. The  
14      following spring and summer -- this would be 2005,  
15      last year -- ICRP put out a series of foundation  
16      documents -- there were actually five or six of those,  
17      which form some of the basis for the recommendations  
18      and some of the more detailed material which wouldn't  
19      actually be in the recommendations.

20              One of the comments that we had had in  
21      2004 when we reviewed the draft was that this was all  
22      very nice, but there were a lot of details that were  
23      referenced which were not available. That's what  
24      those foundation documents provided. The staff  
25      provided comments on each of those foundation

1 documents last year.

2 ICRP has now put out for the second time  
3 a draft of the recommendations themselves. It was  
4 published in -- on January 7th of 2006.

5 Let's go to the next slide, please.

6 The draft date, if you look at the top of  
7 the document, is actually June 5th. It was actually  
8 noticed on the Federal -- on their website on June  
9 7th. That's why you have this slight difference  
10 perhaps in dates between things that you might cite.

11 Comments are due to ICRP on the 15th of  
12 September, so they've only given a three-month time  
13 period this time as opposed to the six months  
14 previously. Anyone is invited to comment. Comments  
15 will be put on the ICRP website, and they are all  
16 available for review and reading at your convenience.

17 The website in fact contains all of the  
18 comments that have been submitted to ICRP all through  
19 this process. So you can go all the way back and see  
20 the comments that were put on for the first draft of  
21 the recommendations as well as all of the comments  
22 that were given to ICRP on each of the foundation  
23 documents.

24 The last couple of bullets on this slide  
25 here give you a quick outline of the things we are yet

1 to do as we go through this process. We have been  
2 working with the Nuclear Energy Agency, Committee on  
3 Radiation Protection and Public Health, which Vince  
4 Holahan represents us on, in Paris, for a workshop  
5 that will be held here the 28th and 29th of August.

6 In addition to that, the following couple  
7 of days, so the 30th and perhaps even the 31st,  
8 working with NEA we will have an ad hoc expert group,  
9 so that all of the people who really love to get in  
10 the details and have lots and lots of little  
11 individual comments, those can all be captured for NEA  
12 CRPPH and the expert group that will be developing  
13 comments to ICRP from NEA.

14 We will be working with that group. That  
15 group actually meets in Paris the week after our  
16 workshop, so we will be able to take all of our  
17 information to Paris to support that comment  
18 development process. And in parallel with that, we  
19 will be working with ISCORS, the Interagency Steering  
20 Committee on Radiation Standards, to develop some  
21 federal consensus comments, higher-level comments,  
22 that we and EPA and DOE and others can all agree upon.

23 Let's go ahead and go to the next slide.

24 To give you a very quick overview of the  
25 draft recommendations as available this time, not to

1 go through all of the details, but the usual sorts of  
2 things on biological and dosimetry quantities, system  
3 of protection, medical exposure, natural sources,  
4 exemption exclusion. There is a chapter on protection  
5 of the environment and a chapter on implementation.  
6 We'll get back to those, because you'll see that we  
7 have some comments on some of those as we go through  
8 it.

9 Next slide.

10 The aims of the revision, according to  
11 ICRP, to take account of the new biological and  
12 physical information and trends, set radiation  
13 protection standards, to improve and streamline the  
14 presentation of the recommendations. That's one way  
15 of saying something else that -- they've said they  
16 wanted to try and improve the consistency, they wanted  
17 to try and consolidate the recommendations that have  
18 been generated since 1990 when the previous set of  
19 recommendations were put out. They wanted to try and  
20 simplify the recommendations.

21 And the ICRP wants to try and maintain as  
22 much stability in the recommendations as is consistent  
23 with the scientific information. One of the messages  
24 that they heard loud and clear, not just from us but  
25 from many people, particularly in the European Union

1 and others, is don't go rattling the whole boat.  
2 We've just now managed to implement the previous set  
3 of recommendations. It wasn't entirely clear why it  
4 is that they felt that there needed to be a revision.

5 Let's go on to the next.

6 Some of the key features. Maintains the  
7 three fundamental principles of the system of  
8 protection, justification, optimization, and dose  
9 limitation. You may recall that the previous draft  
10 had not said very much about justification. That was  
11 something else that was commented on by many, many  
12 people requesting that that be put back in and given  
13 the same importance that it had been before.

14 This draft maintains the individual dose  
15 limits for all the regulated sources, and it retains  
16 the numeric value of the dose limits as they were in  
17 CRP Publication 60. That's for both occupational  
18 exposure and for public exposure.

19 Next slide.

20 It also attempts to provide a unifying  
21 conceptual approach for constraining doses. This is  
22 perhaps the area, if you were to ask ICRP where all of  
23 the simplification and consolidation is represented  
24 within this draft, this would be it. You can actually  
25 find the word "constraint" and the definition of

1 "constraint" in their previous set of recommendations.

2 At that time, everybody said, "Oh, what's  
3 a constraint?" And the last 15 plus years have been  
4 in debates in various forums, nationally and  
5 internationally, about what's a constraint, what does  
6 it mean, how do you use it, and a variety of those  
7 sorts of terms.

8 This document attempts to pull that  
9 together, and it attempts to establish a uniform  
10 approach to radiation protection, no matter what the  
11 exposure situation, whether it's a normal exposure,  
12 everything that we would typically think of and  
13 regulate, aka practices in the old vernacular. This  
14 is where you're adding exposure, because you're going  
15 out and doing something. That's everything from a  
16 powerplant to the radiographers taking shots of pipes  
17 to medicine to all of the other things that would be  
18 done.

19 Emergency situations, anything that causes  
20 you to have to react to immediately respond to a  
21 situation -- fairly explanatory. And existing  
22 situations, which is everything else, as in that which  
23 has already existed. Now, within that category might  
24 be both really naturally-existing situations,  
25 everything from the Monazite Sands to Caralla, and

1 some of the other places where you have fairly large  
2 naturally-existing situations, to perhaps situations  
3 that were caused by the activities that man at some  
4 point in the past -- something might have been done or  
5 might not have been done about them, and they now  
6 exist and you have to decide whether or not you want  
7 to do something with them, because you have determined  
8 for whatever reason that they now pose some issue for  
9 you.

10 In addition to that, there are a number of  
11 updates on the understanding of the biology of  
12 physics, updates to the radiation, and tissue  
13 weighting factors, all within this document.

14 Let's go ahead. Next slide.

15 We, and the NRC staff, throughout all of  
16 the offices have been developing our comments over the  
17 last several weeks. What we're going to try and give  
18 you today is a preliminary view of those comments.  
19 They are actually in office concurrence at this  
20 moment.

21 So as you well know, that means that these  
22 are still subject to tweaking, changing, and  
23 otherwise. They are intended to be to the Commission  
24 by the end of July. The Commission will have an  
25 opportunity to look at it, so there may be some

1 additional adjustments, some things added, some of the  
2 tenor or tone perhaps adjusted as they may wish to add  
3 to it. So these are our preliminary views at this  
4 point.

5           Once we have completed the interaction  
6 with the Commission, we will post the comments to the  
7 ICRP website before the end of the comment period, and  
8 we will use these comments -- the general and the  
9 specific comments -- to work with ISCORS and with NEA.

10           Let's go ahead to the next slide.

11           So to transition, unless there are some  
12 questions that you would like to ask now, we'll go  
13 ahead to our preliminary observations. First, what is  
14 the need for change? The current draft does not  
15 obviously consolidate or simplify the recommendations.  
16 For example, it states that all of the previous  
17 numeric values that have been published since ICRP  
18 Publication 60 should now all be considered as  
19 constraints.

20           Well, unfortunately, from my way of  
21 thinking at least, that doesn't particularly  
22 consolidate it, other than to say they are all  
23 "effeche," nor does it necessarily simplify it in the  
24 sense that we've sort of lumped them into bands, but  
25 nothing has changed in the way that they were



1 originally justified, the way that they were used at  
2 the various times, or otherwise. So they all still  
3 exist. They just all get lumped into a name.

4 Much of the material within this draft  
5 report, which elaborates and expands on the previous  
6 recommendations, is in fact a description of the  
7 current state of the system of radiation protection as  
8 being implemented by many well-run programs.

9 Now, what is new is that this is the first  
10 time ICRP has written a lot of this down, because a  
11 lot of this has worked as best practices, worked in  
12 the industry, has worked in response to various  
13 regulations, so much of what is written you will not  
14 find in a previous ICRP publication, at least not  
15 fairly nicely laid out.

16 But it doesn't, in fact, provide a whole  
17 lot of new information or new direction or new  
18 material which you would obviously wish to want to  
19 necessarily pick up in the radiation protection  
20 program. On the other hand, it is very nice to know  
21 that the system that we have, the way that it is  
22 functioning, the protection that it is affording, is  
23 in fact what is and continues to be recommended in  
24 terms of a sound radiation protection program and  
25 activities.

1           Thus, one of the staff's conclusions is  
2           that there is no compelling public health and safety  
3           argument for changes to the recommendations or to the  
4           national regulations which might implement those  
5           regulations. To put it in NRC speak for a moment, if  
6           you were to ask me on the backfit rule, was this a  
7           change that was necessary for health and safety,  
8           adequate protection, the answer would be no.

9           On the other hand, there are a number of  
10          things, as the committee has observed before and which  
11          we will be observing here, which are good updates to  
12          scientific information, so that we can be more  
13          accurate and consistent, we can be up to date, and  
14          there are some things which, as a result of this  
15          continuing consolidation and explanation, which might  
16          in fact be useful to get, for example, alignment of  
17          the U.S. programs and international programs, so that  
18          we don't spend time constantly arguing back and forth  
19          about whether or not we did or didn't do something,  
20          because unfortunately many people do not necessarily  
21          look at the outcome as in, for example, measured by  
22          the doses, but rather in part would wish to evaluate  
23          a program and its adequacy on the basis of whether  
24          certain elements obviously and distinctly appear  
25          within the system.

1           Let's go ahead to the next one.

2           Let's do some weighting factors. There  
3 are changes to the tissue weighting factors and the  
4 nominal risk coefficients for cancer and hereditary  
5 disease. These may, in fact, be a bit premature.  
6 Now, well, you say, why is that? Because you, the  
7 committee, have pointed out on at least one or two  
8 occasions that this would be one of the things that  
9 the staff would probably want to do, and you  
10 recommended that we would pick these up.

11           In fact, what you have is an interesting  
12 factoid perhaps of taking a snapshot in any moment of  
13 time. The dosimetry for Hiroshima and Nagasaki has  
14 now been updated, DS-02. The analysis of all of the  
15 various cancers and cancer incidences and all of the  
16 things that relate to that, which are used to  
17 construct these factors that are published today, are  
18 still on the old DS-86. They have not yet been all  
19 rerun and published and peer reviewed on the basis of  
20 DS-02. So we're in that interim period.

21           This document cites a number of things,  
22 noting that they are in press or in preparation. Now,  
23 when you have the authors on the Maine Commission and  
24 on the committees that are doing the work, they do in  
25 fact have knowledge of what is being worked on. So it

1 is, in fact, likely that much of what is here is  
2 reflective of things which are coming along the line,  
3 but they are not, in fact, out there and available for  
4 the public scrutiny and information.

5 So part of the issue that we have is a  
6 situation in which if we were to turn around and try  
7 to do this for a Federal Register notice or something  
8 like that to change our standards, we would have -- we  
9 would not actually have the underlying scientific  
10 information, simply this rollup which cites a document  
11 which is in preparation.

12 We, now getting to be a bit self-serving  
13 and looking at it from the standpoint of the next  
14 steps that we would need to do to start to translate  
15 this in the regulations, would much prefer that that  
16 material was completed and published in a peer  
17 reviewed journal and there were actually citations  
18 available before we needed to move forward with this,  
19 and we would actually recommend to ICRP that some of  
20 that be done before these recommendations came out and  
21 were in final.

22 I would also note that, just as a little  
23 side bar for you, many of the pieces that we would  
24 wish to use, for example in Appendix B to Part 20, the  
25 annual limits of intake derived air concentrations and

1 some of those sorts of things, have not yet been run  
2 by ICRP Committee 2.

3 Those are not expected to be available for  
4 publication for about another two years, so we are in  
5 a window where it's tantalizingly close, but we aren't  
6 actually at the position where the staff would really  
7 be able to move forward aggressively to do some  
8 implementing activities.

9 Let's go ahead to the next slide.

10 Dose constraints -- perhaps one of the  
11 biggest deals from the ICRP standpoint, certainly one  
12 of the things that has generated more discussion than  
13 anything else. This document is an attempt to clarify  
14 the meaning, the use of the dose constraint, and it is  
15 certainly an improvement over that which existed  
16 previously. The ideas are, in fact, coming together,  
17 but there is some further clarification that is  
18 needed.

19 As we went through the document, there are  
20 places that read very nicely for us, and then there  
21 are places which certainly could still seem to be read  
22 as if a constraint was a numeric value that you gauge  
23 compliance against. We don't believe that this is, in  
24 fact, what the ICRP would wish to have. A number of  
25 our specific comments get into that level of detail.

1           The constraint, at least as we understand  
2           it at this point, and where the majority of the  
3           document would lead you to, properly implemented in a  
4           radiation protection program, and a licensee's  
5           optimization, contributes to assuring that each  
6           individual is adequately protected. So in a system of  
7           protection, such as the one we have, you have dose  
8           limits, the legally binding values upon which we send  
9           them over to our Office of Enforcement and we bob them  
10          over the head if they exceed them.

11          Those define a fundamental level of  
12          protection. One of the things that we've had a little  
13          bit of a disagreement with is the ICRP document says  
14          that the constraint provides the fundamental level of  
15          protection. What we actually believe is a more  
16          correct formulation is that the constraint used in the  
17          radiation protection program and specifically within  
18          their optimization, help to ensure that each  
19          individual achieves a fundamental level of protection  
20          and is in compliance, that individual, with the dose  
21          limits.

22          Now, that's a slightly different phrase,  
23          but then it becomes a more logical construct of  
24          limits. The establishment of a constraint, a  
25          boundary, which you're going to use to run your

1 radiation protection program and optimize it. A  
2 constraint would always be something less than,  
3 occasionally equal to, a dose limit.

4           It's something that you would want to have  
5 in order for your program to run well and to make sure  
6 that you didn't exceed the limit, to make sure that  
7 what you did in optimizing, as low as reasonably  
8 achievable, didn't inadvertently cause someone to be  
9 over, as in the perfect optimum might be send one guy  
10 in and he gets a whole bunch of dose and he gets the  
11 job done, because he can do it very quickly and he  
12 knows what he's doing. But that's bad for the -- that  
13 particular individual. So that wouldn't be an  
14 acceptable optimization.

15           I would note that this is exactly the way  
16 -- this system is exactly the way that most of the  
17 large programs in the United States, certainly all of  
18 the reactor programs, the large material programs,  
19 work. If you go and ask them, they have a radiation  
20 protection program. They're required by Part 20 to do  
21 that. They work as well as reasonably achievable  
22 optimization. They're required by Part 20 to do that.

23           They do that by establishing boundaries  
24 for themselves and optimizing. Except for the fact  
25 that you can't find it in the regulations and it

1 doesn't exactly have that word "constraint," that's  
2 exactly how the system of protection is working today.  
3 And it would actually be a very nice move if everyone  
4 could agree that a constraint was something which  
5 under most circumstances a licensee imposes, the  
6 regulator's job might be to make sure that you,  
7 licensee, have a constraint running your program.

8           You set your program; you run it. If  
9 something happens that you bump against a constraint,  
10 that doesn't mean you have violated us, other than you  
11 need to go and work your program back.

12           CHAIRMAN RYAN: Don, just a couple of  
13 points while we're on this topic. If you recall, at  
14 our first working group meeting we had representatives  
15 from a broad spectrum of interests. You know, I asked  
16 a question about this, would any of this new kind of  
17 approach add any value to radiation protection  
18 practice in the U.S., and the answer was no.

19           And very specifically, we had Dana Powers  
20 from the ACRS join us because of his knowledge of  
21 ALARA and the reactor area, and our own knowledge of  
22 reactor in the materials area. And, again, the view  
23 was that what you've just described is the system.  
24 It's just slightly different terminology.

25           MR. COOL: Right.



1                   CHAIRMAN RYAN:    So --

2                   MR. COOL:    I would point out that at that  
3                   time it was not at all obvious from reading the words  
4                   in the previous draft recommendations or otherwise  
5                   that this was the direction that ICRP actually  
6                   intended.  The last year and a half has helped to move  
7                   it in this direction, and I would note the NEA held  
8                   the first of their three workshops in Tokyo a week and  
9                   a half ago.

10                  And one of the outcomes of that was,  
11                  again, particularly within the Japanese and the  
12                  nuclear industry in Asia, coming to very much this  
13                  conclusion that, oh, well then this works out pretty  
14                  well, and this is what we do, and so this all makes  
15                  sense to us now.  So there is some evidence  
16                  internationally that this is beginning to come  
17                  together in that role, and people are actually reading  
18                  it the same way now.

19                  CHAIRMAN RYAN:  But it raises the question  
20                  that, you know, it really is just a matter of  
21                  terminology.  It's not a matter of radiation  
22                  protection practice.

23                  MR. COOL:  Correct.  As I said on the  
24                  first slide, in the end --

25                  CHAIRMAN RYAN:  Right.

1                   MR. COOL:  -- this is a description of a  
2                   good program.

3                   CHAIRMAN RYAN:  Yes.  Thank you.

4                   MR. COOL:  Let's move on to the next.

5                   Gender averaging.  ICRP does not recommend  
6                   any gender-specific data for purposes of radiologic  
7                   protection.  This is gender average, tissue weighting  
8                   factors, numeric risks.  Although we agree that this  
9                   provides adequate protection, and, in fact, there are  
10                  a number of legal precedents, it would make it  
11                  incredibly difficult to try and implement a system  
12                  that might be gender-specific, which we don't think is  
13                  necessary.

14                  It's unfortunate that the ICRP has not  
15                  actually written down the reasons why this is an  
16                  adequate approach.  We, in fact, believe that there  
17                  are a number of reasons that they can write down, the  
18                  changes in some of the weighting factors which are  
19                  specific for breast for females, which have been  
20                  significantly raised, so that the average exposure you  
21                  would calculate is certainly not as low as that if it  
22                  was only in male, not quite as high if it was a  
23                  female.

24                  All of these things working together  
25                  provide adequate protection, but none of that

1 explanation is actually presented in this document.  
2 Again, looking forward to the context of, what would  
3 we write in a statement of considerations that would  
4 argue and justify for why we believe we have provided  
5 adequate protection, we would not be able to cite this  
6 material as providing some of that explanation for us,  
7 and so we would request that they write that into the  
8 document.

9 Let's go on to the next slide.

10 Exemption or exemption exclusion  
11 clearance, depending on which set of terms is your  
12 favorite buzz word at the moment. These  
13 recommendations related to small quantities of  
14 material. Unfortunately, they are internally  
15 inconsistent, they could lead to some  
16 misinterpretations.

17 Depending on how you read this, you could  
18 come away with the view that ICRP now says that unless  
19 the dose is down at 10 microsieverts you ought not to  
20 exempt something, which of course gives us and the  
21 staff more than a bit of heartburn, because there are  
22 a number of reasons that you might exempt something  
23 from some or all regulatory requirements after you  
24 have reviewed the device, ensured inherent safety, and  
25 some of the other things.

1           It also could be misinterpreted that  
2 anything less than 10 microsieverts, 1 millirem, is  
3 safe, and anything over 10 microsieverts, 1 millirem,  
4 is unsafe -- again, a view which we do not share.

5           Furthermore, when you look at this and you  
6 take this -- all of this applying to the manmade  
7 materials, that which we have done generated in  
8 reactors or otherwise, and then you look at the values  
9 that are associated with naturally-occurring  
10 materials, you find that their recommendations differ  
11 by about two orders of magnitude, the only reason  
12 being that they are not as amenable to control and,  
13 therefore, we're just going to behave that way.

14           So while there is a logic constructed,  
15 which is very reasonable in terms of looking at it  
16 from the standpoint of, can you do anything about it,  
17 the logic does not exist continues as, unfortunately,  
18 we have had for a number of years where the logic does  
19 not match up in the context of the actual risk posed  
20 to an individual.

21           There are also a few things in there which  
22 give us a little bit of heartburn, one of which is the  
23 suggestion that a suitable generic exemption is the  
24 material internationally from food and agriculture,  
25 and otherwise the codex alimentarius, which were

1 originally designed as values for food stuffs  
2 immediately following an accident.

3 These now appear in these draft  
4 recommendations as something which ought to be  
5 automatically exempted under any circumstance. And  
6 we're not quite prepared to go there on the basis of  
7 the underlying models and activities.

8 Let's go to the next slide.

9 Collective dose. Another one of our  
10 favorite topics. We very much appreciate the  
11 observations that the ICRP has put in regarding the  
12 inappropriate use of collective dose and the  
13 calculation of health effects. There are some very  
14 good quotes at the 30,000-foot level about how it is  
15 inappropriate to use collective dose over all space  
16 and all time. It doesn't really help you with much of  
17 anything. It's inappropriate to calculate those  
18 health effects from very, very minuscule doses to a  
19 large number of people.

20 While these general statements are very  
21 nice, when you get down to, again, the nastiness now  
22 of regulatory decisions, they don't end up being  
23 particularly helpful, because there is nothing in this  
24 document that helps you understand what low is or what  
25 small is or some of these other factors that would

1 actually go into the calculation.

2           So while we have the broad statement, and  
3 the broad statement we agree with, when we actually  
4 get to the regulation of risk communication the  
5 document doesn't contain some benchmarks or guidelines  
6 that would help us translate that into reasonable  
7 regulatory decisions.

8           What we plan to suggest to the ICRP is  
9 that they try to articulate some of these boundary  
10 conditions. What are the values that are associated  
11 with some of the different techniques, the  
12 epidemiology, the cellular molecular biology, at which  
13 you actually have some demonstration? What are the  
14 ranges that you can use? Where are the calculations  
15 valid or not valid? to try and help provide some  
16 guidance to actually do this.

17           This is an area which could have a great  
18 impact on the way in which we did business, if we  
19 could get a little more practical and consistent in  
20 our approach, and be able to communicate it reasonably  
21 in a risk communication standpoint.

22           Let's go to the next slide.

23           Protection of the environment. This now  
24 is a two-page chapter which is not a policy, it's not  
25 an assessment framework. It's a plan of activities

1 for what ICRP is thinking to do over the next few  
2 years in their new Committee 5. In one sense, it is  
3 much less obnoxious or egregious, depending on the  
4 word you might use, than the previous discussions  
5 which had a lot more statements in it, and for which  
6 we had a lot of heartburn.

7 On the other hand, really all it is is a  
8 plan of work, and as such we don't find that it has  
9 any real place in a set of recommendations. A plan of  
10 work might be good for an annual report or something  
11 like that. We know they're working on this. The  
12 first document, Publication 91, was out several years  
13 ago.

14 The foundation document last year which  
15 laid out reference plants and animals was pulled back  
16 into Committee 5. There may be a new draft of that  
17 late this year. I would know more after the  
18 committees meet this fall, but they are in progress,  
19 and so our recommendation to them actually is they  
20 ought to just delete the chapter.

21 We would very much want to continue to be  
22 able to interact with them as they work on developing  
23 an assessment framework for how to look at these  
24 things. In the specific comments the staff is  
25 generating, we actually have laid out a number of

1 particular points which could usefully be in a  
2 paragraph, starting with, as you have observed before,  
3 there is no evidence at this point that the  
4 environment has not been protected by the current  
5 system of radiation protection.

6 Yes, we all recognize that demonstrating  
7 that to people is sometimes difficult, because the  
8 system is all aimed at demonstrating doses to man at  
9 the endpoint of the chain, not at different points of  
10 the environmental pathways and chain.

11 With the increasing focus on the  
12 environment -- there are many -- and particularly now  
13 looking various places in Europe, where there is an  
14 increasing demand for there to be a more quantitative  
15 and consistent demonstration.

16 All well and good -- develop an assessment  
17 framework, continue to work on that, hope to benchmark  
18 some of the various models that are out there so that  
19 we can be consistent in demonstrating that which it  
20 is, but be careful not to give the implication that  
21 the underlying system of protection, which in the end  
22 is translated as, what do we require in terms of  
23 effluence, or what do we require in terms of releases,  
24 or what do we require in terms of acceptable dose  
25 rates at the perimeter facilities?



1           There is no obvious indication that any of  
2 those would actually have to change. You just might,  
3 in the end, want to have something where you can  
4 consistently show that that which you are doing is  
5 doing the job.

6           Let's go on to the next one.

7           Implementation. This is a new chapter in  
8 the recommendations. Did not really exist in the  
9 previous draft or in previous drafts. It consolidates  
10 a lot of material, most of which in fact is material  
11 which comes from various IAEA, the basic safety  
12 standards, the safety fundamentals, and other  
13 documents, various national regulations.

14           If it were ICRP's job to be drafting a  
15 draft of a set of international regulations, then this  
16 might be an appropriate chapter. We believe that, in  
17 fact, that's the role for organizations like the IAEA,  
18 European Union for their Directive, for the NRC in  
19 federal guidance to write these sorts of materials,  
20 and for the most part, in fact, it's not necessary or  
21 appropriate to be in the ICRP recommendations, and  
22 that it, in fact, be deleted.

23           We're not saying that it's wrong, but it  
24 doesn't seem to be the right place for that kind of  
25 material.

1                   Next slide.

2                   Finally, there are lots and lots of  
3 editorial issues as you go through this. As in any  
4 draft that is written by a number of people, and which  
5 in the end everyone gets their homework done at the  
6 11th hour and 59th minute, and Jack Ballentine then  
7 has to put something up on the website, because he has  
8 promised it to everyone for comment, there are all  
9 sorts of editorial issues, inconsistencies, references  
10 to chapters where there's not the chapter anymore,  
11 references to documents and publications in the  
12 reference list which don't exist or are wrong,  
13 etcetera, etcetera, etcetera. And there's much that  
14 needs to be done there.

15                  We have for the most part tried to resist  
16 the urge to catalog even some small subset of all of  
17 those things, because a lot will continue to need to  
18 change.

19                  Next.

20                  To back up the general observations that  
21 the staff has, we have also generated specific  
22 comments to try and be useful to ICRP. We have tried  
23 to capture in the various paragraphs of the document  
24 specific places where these issues come up, where a  
25 wording on a phrase about constraint is incorrect, and

1 suggest an alternative which would correct the issue.

2 That results in the current comments that  
3 are going through concurrence having 110 specific  
4 comments that are part of the list to back up these  
5 general observations. So we've had quite a set of  
6 comments that have been pulled together. I want to  
7 compliment right now the staff across all of the  
8 offices -- Research, NMSS, NSIR, and NRR, and State  
9 and Tribal Programs -- because all have contributed to  
10 this.

11 It has worked extremely well over the last  
12 few weeks, a lot of extremely good issues and details  
13 pulled together. Of course, we had some duplication  
14 and overlap, but the different views resulted in quite  
15 an array of views, and there were an amazing number of  
16 things that only one or perhaps two of the reviewers  
17 picked up pulling together this compendium.

18 So our conclusions at this point. The  
19 draft recommendations are clearly an improvement from  
20 that which was put out in 2004, but they're not quite  
21 there yet. We don't believe it actually states --  
22 achieves all of the objectives that ICRP had  
23 originally set out for themselves.

24 There needs to be additional clarity in  
25 thinking and explanation around a number of the

1 documents, and so we are in hopes that there is some  
2 additional work that will be done on this, and that  
3 they will consider taking the time necessary to make  
4 sure that these get done correctly.

5 As I said this morning, these are our  
6 preliminary observations. I think that they will go  
7 through fairly well, but obviously the senior  
8 management and the Commission, we may have some  
9 additional things that we would wish to do. And, of  
10 course, you may also have some observations.

11 And with that, we turn it back to you and  
12 welcome your questions.

13 CHAIRMAN RYAN: Thanks, gentlemen. We  
14 appreciate it. Maybe we could just start with a few  
15 questions I'd like to ask on the slides.

16 Slide 8, please, Vince. I struggle a  
17 little bit with this first bullet from the standpoint  
18 of -- does that make any real sense? I really think  
19 normal situations, emergency situations, and existing  
20 exposures, which I guess is background, you know,  
21 those are completely different things. And in the  
22 U.S. they have been regulated as different things in  
23 some ways.

24 I struggle with why it's -- it might sound  
25 logical that they should all be under some umbrella,

1 because a rem is a rem is a rem -- pardon me for not  
2 saying sievert -- but, so what? You know, I just --  
3 I don't -- the value of that logic escapes me.

4 So I just point that out for you to think  
5 about. And I'm not sure we shouldn't challenge that  
6 principle.

7 MR. COOL: I think we could -- we would  
8 agree in part and perhaps want to discuss it a little  
9 bit more.

10 CHAIRMAN RYAN: Sure.

11 MR. COOL: In one sense -- in one sense --  
12 I will play ICRP's side of the coin, and then we'll  
13 play your side of the coin.

14 CHAIRMAN RYAN: Sure.

15 MR. COOL: From ICRP's side of the coin,  
16 no matter what the situation, what you -- you know  
17 that there is something at which you're always going  
18 to take action, and then you want to do the best you  
19 can within that. The place that you always want to  
20 take action is a constraint, and doing better is  
21 optimization.

22 And it doesn't matter whether you came  
23 across this old, abandoned site which you realize now  
24 didn't -- wasn't cleaned up very well, or it's looking  
25 ahead at the activities of this nuclear medicine

1 facility at some point in the future. The way that  
2 you would approach the thing is always about the same,  
3 and all of that is true.

4 CHAIRMAN RYAN: I don't disagree with  
5 that, but --

6 MR. COOL: Now, to play our side of the  
7 coin, does this explanation help us in writing  
8 Part 20? I don't think so.

9 CHAIRMAN RYAN: No. Okay. We're on the  
10 same page. But I -- this kind of implies that they're  
11 all the same. You know, emergency response and  
12 background exposure, normal exposure, are regulated  
13 not just by the NRC, as you well know. I mean,  
14 they're regulated by EPA and SSA, DOE, DoD, you know,  
15 just to name a few. Even the Postal Service has  
16 regulations for radioactive material.

17 So, you know, I think it doesn't recognize  
18 that in some countries that ICRP guidance has read  
19 that the situation is much more complex than what  
20 they've outlined here, and they haven't -- I mean,  
21 this is, frankly, a little bit sophomoric in the sense  
22 that it's just a logical construct and doesn't  
23 recognize the realities of countries or governments or  
24 different approaches to accomplishing what you said  
25 right at the beginning, Don, which is we're trying to,

1 you know, identify a limit and then do the best we can  
2 under a limit. To me, that's a regulatory requirement  
3 in ALARA.

4 MR. COOL: Right.

5 CHAIRMAN RYAN: So we're back to the  
6 comment that the working group gave us, which is, what  
7 are we adding in terms of value here? And the answer  
8 is, "Not much, except a lot of logically-constructed,  
9 although somewhat flawed from your review of 110  
10 comments, you know, paragraphs that write up the same  
11 concept." So I struggle with that.

12 Slide 11, please. Thank you. It's the --  
13 where you talk about public health and safety. Is  
14 that right? What happened to workers? I mean, we do  
15 the same thing in the worker environment, so I -- you  
16 know, I understand that, you know, we -- and I think  
17 we've done a pretty good job if you look at how ALARA  
18 has worked in, say, nuclear power or other segments  
19 where we've really done a pretty good job at the  
20 national level of managing worker radiation exposure  
21 as well as public health and safety.

22 MR. COOL: Our use of the phrase "public  
23 health and safety" in the first line was intended as  
24 the Atomic Energy Act, which covers all of the above.

25 CHAIRMAN RYAN: I just wanted to make sure

1 we're not leaving workers out.

2 MR. COOL: No.

3 CHAIRMAN RYAN: Because, again, that's an  
4 area of great strength. In my view --

5 MR. COOL: In fact, much of what they have  
6 done in describing the program is, in fact, mostly  
7 specific towards the occupational exposure regime.

8 CHAIRMAN RYAN: Just a fine point to make  
9 sure we don't get misunderstood there.

10 12. I think we said in our earlier letter  
11 -- I just want to be clear on this -- we didn't  
12 comment on tissue weighting factors. We commented on  
13 radiation weighting factors and internal dose models.  
14 I'm not sure we said tissue weighting factors  
15 previously. We'll go back and check.

16 MR. COOL: I'm going to leave it to Neil  
17 and the others.

18 CHAIRMAN RYAN: We'll take a look. I  
19 quickly looked --

20 MR. COOL: I also thought it was  
21 encompassing, but that's fine.

22 CHAIRMAN RYAN: Yes. I quickly looked,  
23 and we talked about the radiation weighting factors,  
24 which were the neutron and proton --

25 MR. COOL: Correct.



1                   CHAIRMAN RYAN:  -- differences.  But the  
2                   weighting factors brings up another point, and that is  
3                   that if you look -- you know, the details of it are  
4                   kind of interesting, and I'm sure you've covered  
5                   these, or I'm guessing you have -- that the weighting  
6                   factors -- I tried to do a BEIR VII versus ICRP draft  
7                   guidance comparison and found myself in trouble,  
8                   because the bases for what ICRP reported are  
9                   completely different.  And it's not easy to translate  
10                  them.  In fact, I couldn't figure out how to get it  
11                  done.

12                  Vince is shaking is head no either.  So,  
13                  you know, their organ weighting factors are different.  
14                  The treatment of lethal cancer and life impairment are  
15                  different.  The constraint for estimating hereditary  
16                  effects is different.  The hypothetical populations at  
17                  risk are different.  And the population transfer of  
18                  the Japanese A-bomb data is different.

19                  So, you know, it's a Rosetta stone of how  
20                  we're going to see if one equals the other.  But the  
21                  good news is they're not that much different anyway,  
22                  so it's coming to the same basic conclusion, the one  
23                  I reached, was that risk factors are in essence the  
24                  same as what has previously been reported.  So I  
25                  didn't see any big, dramatic differences there.

1                   MR. HOLAHAN: I think the biggest issue  
2                   that we have with the weighting factors and the  
3                   nominal risk coefficients is the fact that the new  
4                   numbers that they're proposing are primarily based on  
5                   the DS-86 dosimetry. They tried to make some  
6                   adjustments with DS-02. Then, what they did is they  
7                   looked at cancer incidence based on the numbers that  
8                   were available around 1990 and 1991 that Preston put  
9                   out in '94.

10                   The issue that we have is with Dale  
11                   Preston being on the committee, he is the one that's  
12                   got access to the new incidence data. In BEIR VII,  
13                   one of the big points that they made was that their  
14                   reports and their coefficients are so much better,  
15                   because they can go back and now look at Japanese  
16                   incidence data and it's a more reliable tool than  
17                   mortality.

18                   The problem is is that's not publicly  
19                   available. Because Dale was associated with the  
20                   National Academies, some of that material was provided  
21                   to BEIR VII. It's not available to UNSCEAR, the  
22                   United Nations Scientific Committee on the Effects of  
23                   Atomic Radiation. It's not available to us, as you  
24                   can see in the annex. They specifically state that  
25                   it's in preparation. It's not in press; it's in

1 preparation.

2           If you look at other organizations at the  
3 international level, we use UNSCEAR to review the  
4 basic science. We do not consider anything that is  
5 not published in a peer reviewed journal. With that,  
6 the proposition would be -- is ICRP would look at the  
7 basic science recommendations that come out of  
8 UNSCEAR. They would make their recommendations, and  
9 then the IAEA takes those recommendations and makes  
10 implementing suggestions.

11           This has circumvented the system here  
12 where we're now looking at what committee members plan  
13 to be writing up or what -- the information they have  
14 access to.

15           CHAIRMAN RYAN: Yes. And the obvious  
16 problem there is that's all subject to a change in  
17 peer review that, you know, then you're turning it all  
18 over again.

19           MR. HOLAHAN: Now, one of the major  
20 criticisms we had two years ago was this information  
21 wasn't available to the stakeholders. The process,  
22 the materials that they were looking at, and we didn't  
23 know where the numbers were coming from. We just had  
24 to accept them.

25           The committee has gone a long way to

1 articulate how they do things. And because of that,  
2 we can now come back and say, "You know, we've got  
3 some problems with the radiation weighting factors.  
4 We're not sure how you've come up with this."

5           Remainder tissues consider prostate, small  
6 intestine, kidney. They're not radiogenic. And in  
7 those cases where there might be a suggestion of  
8 radiogenic, it's due to therapeutic exposures, where  
9 we're talking about tens of gray of exposure. Is that  
10 what you want to put into a document where you're  
11 looking at low dose rate effects? And what we're  
12 asking for the committee to do is please explain.

13           CHAIRMAN RYAN: That's fair enough. We  
14 did say, "As the ACNW stated, the Commission should  
15 consider deferring action on any draft ICRP  
16 recommendations until BEIR VII is published and  
17 available for review, and consider implementing  
18 changes in tissue weighting factors, radiation  
19 weighting factors, and more recent methods of internal  
20 dose. There is no urgent need to make these changes.  
21 They can be made when regulations are revised for  
22 other reasons."

23           So we did have it in that last go-round.  
24 It wasn't in the first one. But, you know, again, for  
25 all of these reasons, I think we should comment that,

1 you know, we agree with you that we should hold off  
2 until we have the foundational information for this  
3 risk recommendation.

4 MR. COOL: I just want to reemphasize  
5 something that Vince just said. At the moment, now  
6 that you see the details of the remainder tissue, you  
7 have organs which do not appear to be radiogenic. If  
8 you start to assign weighting factors, it sure makes  
9 it look like they are radiogenic, cancer-induced.

10 You immediately go to the compensation  
11 side of the house, and everyone assumes that you're  
12 going to need to compensate for any exposure of those  
13 organs. And so this starts you down what would appear  
14 to be a fairly steep slippery slope, if these actually  
15 come into play.

16 CHAIRMAN RYAN: Well, and just on this  
17 point, I might advise everybody that our current  
18 schedule for a presentation from the National Academy  
19 of Science -- the French National Academy of Science  
20 Committee will be in November at an ACNW meeting, so  
21 that's up and coming.

22 And they have, of course, a different view  
23 of the world in their published documents that a 10  
24 gray -- that they see a clear threshold and they are  
25 pretty specific and crisp on the point that they view

1 that radiation epidemiology shows a threshold. So  
2 we'll hear their views, which we can then compare to  
3 -- in November.

4 Vince, can I get you just to go to  
5 Slide 13? And I think in conclusion it's really right  
6 on the point of ALARA, that I really struggle with the  
7 idea that there's anything new and different in this  
8 construct than the construct of what we have now,  
9 which is a dose limit and the application of an ALARA  
10 program, which, as you pointed out, across reactors  
11 and material licensees, and large and small frankly,  
12 all meet that requirement. It's a requirement in  
13 regulation, and it's a requirement that I can say from  
14 firsthand experience is routinely inspected --

15 (Laughter.)

16 -- and evaluated. So, you know, I think  
17 the record of occupational radiation exposure as one  
18 example shows it's working pretty well, because we've  
19 had trends in a downward direction that we have  
20 reported on in previous letters.

21 MR. COOL: I'm glad that our friends in  
22 the agreement state program of South Carolina are  
23 doing their job.

24 CHAIRMAN RYAN: Well, it's not only South  
25 Carolina, but I'm sure they'll be happy to hear that.

1 But in addition, you know, I think we concur with your  
2 comments on collective dose. We find that to be  
3 silly, to quote comments. I just doesn't work at low  
4 doses, either on an individual basis or on a  
5 collective basis.

6 So we concur that ought to go away as a  
7 measure of anything in an absolute sense. I mean, we  
8 have commented on it being useful as a relative  
9 measure. It's used all the time in ALARA assessment.  
10 If you do this work this way, you get some number of  
11 person rem. And if you do it that way, you get some  
12 other number. That's a helpful kind of a  
13 measurement --

14 MR. COOL: Right.

15 CHAIRMAN RYAN: -- tool, but --

16 MR. COOL: And I would --

17 CHAIRMAN RYAN: -- as an absolute measure  
18 of cancer risk, it's not really meaningful.

19 MR. COOL: I would note that the ICRP  
20 draft in fact lays out much more clearly now that  
21 that's exactly where collective dose has a usefulness.  
22 The previous draft had not said much that we were  
23 happy about. This draft has both these statements and  
24 the statement about, "With proper boundaries and with  
25 additional information constrained to particular times

1 or particular workgroups, collective dose is very  
2 useful in optimization." Those are also some good  
3 words.

4 CHAIRMAN RYAN: Right. And, finally, I  
5 think we concur and agree with your lack of evidence  
6 that the standard for protection of the environment,  
7 as cast in ICRP, doesn't really have a foundation.  
8 You know, the principle that we've all used for  
9 pushing 60 years is that if you protect man you  
10 protect his environment and everything in it. It  
11 still holds and has not been controverted in any way  
12 that I'm aware of. And I continue to look very hard  
13 to find one.

14 So with that, you know, we agree with your  
15 comment that at this point it's -- it doesn't have a  
16 technical or a scientific foundation to proceed with  
17 what might be logically constructed but certainly  
18 doesn't seem to make a lot of sense.

19 I did have the opportunity to ask the  
20 President of ICRP at an NCRP meeting -- it was not a  
21 public meeting, but I asked him if he could provide me  
22 with any, and he couldn't -- any evidence that it was  
23 needed foundation and he didn't have any references to  
24 provide. So I struggle with its value as well.

25 That's my questions. Professor Hinze.



1                   MEMBER HINZE: A comment about this  
2 protection of the environment. It seems to me that's  
3 morass. You have taken the position to remove this  
4 segment entirely from the report. I wonder how  
5 realistic that will be in terms of its achievability.  
6 And I wonder if you've given any thought to any drop-  
7 back position, which does not go to full removal.

8                   Is there a place for an appendix that  
9 would suggest areas of investigation of study? As Dr.  
10 Ryan has pointed out, there is no evidence that you're  
11 not protecting the environment by protecting man. But  
12 I guess the question really is: what is the evidence  
13 that you're really protecting all of the environment  
14 by protecting man?

15                   And I just think that it would helpful if  
16 you gave further consideration to how you're going to  
17 deal with that problem.

18                   MR. COOL: I think there are about four  
19 questions in there, Dr. Hinze. I'll try to get them,  
20 perhaps not in order.

21                   Yes, the staff is taking a position at the  
22 general comment level that the chapter should be  
23 deleted on the basis of the things that we talked  
24 about. Within the specific comments that we currently  
25 have in our proposal, we have in fact suggested to

1       them a fallback position, which is that the key points  
2       in relation to protection of the environment.

3                   And at this moment, we actually have them  
4       bulleted out for them with regards to there being no  
5       demonstration, with regards to the need to continuing  
6       to develop a consistent assessment technique.

7                   MEMBER HINZE:   And where would that go,  
8       then, Don?

9                   MR. COOL:   And those specific comments --  
10       that specific comment suggests that rather than a  
11       separate chapter that that paragraph or paragraphs be  
12       included much earlier in the document where they're  
13       talking about the general system of protection.

14                   We haven't actually suggested that they  
15       include an appendix, although they certainly could do  
16       that, and we will think about that, because that's  
17       actually an interesting suggestion to allow them to  
18       put some more material in.  Personally, I think your  
19       assessment of our ability to impact them is also about  
20       right.

21                   Something will be in this document.  So  
22       what we have, in fact, suggested is something that  
23       would be a couple of paragraphs rather than a separate  
24       chapter.  And I look at Vince, but I think your  
25       suggestion of a possible appendix for them to present

1 some of the information might help to give them a path  
2 forward that they might actually be able to use.

3 MEMBER HINZE: If that appendix could be  
4 made in a broader sense, which would include some  
5 other topics, it would take away the pointedness of  
6 it, the directness of it if you will.

7 MR. COOL: The recommendations, as we  
8 expect them to be published now, will have two major  
9 appendices or annexes, one dealing with the biological  
10 information, in essence the contents of one of the  
11 foundation documents from last year, and the other  
12 dealing with the dosimetry and the calculation of  
13 these various weighting factors, which was another one  
14 of the foundation documents last year.

15 So there was already a precedent for  
16 taking some of the material that was a foundation  
17 document last year, and it ending up being as an  
18 appendix to the final report when issued.

19 CHAIRMAN RYAN: Just a followup. You  
20 know, I struggle with the ICRP's work in this  
21 environmental area, because they've just -- or have  
22 recently formed a task group to try and address this,  
23 yet they're providing recommendations without a task  
24 group report. It seems to me like they're jumping the  
25 gun.

1           So I appreciate Professor Hinze's vote to  
2           accommodate in some way, but I'd stick with the  
3           original idea -- take it out, because they have not  
4           provided any foundation for it. It doesn't make any  
5           sense at this point. So, you know, the fact they're  
6           working on it certainly can be mentioned, but I just  
7           think that it really is literally without foundation  
8           and very premature in advance of what our task group  
9           has been charged to examine and report on.

10           MR. COOL: Yes, I agree. I would note,  
11           again trying to play both sides of the equation in an  
12           at least somewhat unbiased manner, if you compare  
13           these two pages that are in this draft report with the  
14           material that was in the draft two years ago, it's  
15           substantially toned back. Before there were a lot of  
16           things that really caused us concern, because it was  
17           bordering on the edge of writing a policy and  
18           standards which had no foundation.

19           Now at least they are to the point where  
20           they are saying there is no apparent need, and we're  
21           working on this and that. So there is an evolution in  
22           the thinking which says that we are influencing the  
23           direction and speed with which these activities are  
24           progressing.

25           CHAIRMAN RYAN: I would be happy if they

1 would add to their one or two paragraphs the statement  
2 that we don't have one reference to point to that says  
3 this needs to be done.

4 MR. COOL: Vince?

5 CHAIRMAN RYAN: That's true.

6 MR. HOLAHAN: Whether or not the Maine  
7 Commission will accept our recommendation to remove  
8 the chapter or not is very difficult to say. What I  
9 would say is you can ignore a voice, but it's very  
10 difficult to ignore a chorus.

11 With that, as Don had mentioned, the  
12 agency is going to present its views on several  
13 multiple fronts. Obviously, like any stakeholder,  
14 we're going to submit our comments directly as NRC  
15 comments, and have them posted on the ICRP website.

16 The second main focus is going to be the  
17 Nuclear Energy Agency workshop that will be held here  
18 in Bethesda the 28th and 29th of August. This is  
19 going to be an opportunity for stakeholders from the  
20 U.S., Canada, and Mexico to meet, to discuss views, to  
21 share our views with the Chairman of the ICRP.

22 As Don mentioned, after that regulators  
23 will get together for one or two days and we will  
24 compare/contrast specific comments. And this will go  
25 into a rapator's report that will be combined with the

1 reports from the previous Tokyo meeting and the up and  
2 coming Budapest meeting that will be in October. And  
3 then, NEA will submit all of these views to the ICRP  
4 formally, but they have received the input informally  
5 also.

6 And, finally, the agency, through ISCORS,  
7 the Interagency Steering Committee on Radiation  
8 Standards, will look at all of the federal agencies'  
9 views and provide a third response to NCRP as to where  
10 the U.S. Government stands on the recommendations.  
11 Hopefully with all of these we can clearly articulate  
12 what our druthers are with regards to Section 10.  
13 They will know what our position is, and the Maine  
14 Commission will just have to go ahead and make  
15 whatever decision they're going to make.

16 CHAIRMAN RYAN: Allen?

17 VICE CHAIRMAN CROFF: I think maybe I know  
18 the answer to this before asking, given this very  
19 recent dialogue, but I'd like to ask or suggest maybe  
20 something a little bit more extreme. Ever since this  
21 ICRP business has started, we I think -- both staff  
22 and the ACNW -- have seen essentially nothing  
23 beneficial out of it. It's not really helping us do  
24 anything, and we've all expended a lot of effort  
25 trying to keep it from doing harm basically is where

1 all of our letters and comments have come from.

2 And I see that continuing into the future.  
3 After listening to you, it's sort of the same old  
4 thing. All these parties -- you know, Vince just  
5 mentioned the NEA, the other countries. Do you sense  
6 that there might be enough sympathy for just stopping  
7 this effort and not issuing a report, but it might  
8 have some traction at this point?

9 MR. COOL: Okay. \$164,000 question.  
10 During the previous rounds of commenting, that view  
11 was expressed early and often. We have a new draft.  
12 I would expect that the view would be expressed again  
13 in multiple fronts.

14 At this point, if I were going to be a  
15 betting man, I would suggest that it would not be  
16 sufficient to actually turn off the proposal. It may  
17 continue to have it be slowed down in a sense and  
18 worked through and try and get some of these other  
19 issues.

20 It has clearly resulted in the ICRP draft  
21 coming back towards harmony and less change. In one  
22 sense, that means that there's even less that's of any  
23 change here. But recognizing that much of the comment  
24 towards that, particularly in Europe, particularly  
25 from the IAEA and other regulatory organizations that

1 implemented ICRP 60, have continually expressed the  
2 view, "We do not want to have to make significant  
3 changes to the structure of the regulations that we  
4 have just now put in place and begun to implement."

5 And what we have here in essence is a  
6 continual movement towards something which tweaks the  
7 edges at 50,000 feet, sort of provides a unifying  
8 idea, but which in the end isn't going to make them  
9 have any significant changes in the structure of their  
10 regulations.

11 We, the United States, are in a slightly  
12 different place in the sense that we have not  
13 implemented ICRP 60. It came out at the same time  
14 that we had finally finished the long run with  
15 Part 20. Now, some of the things we knew about were  
16 coming, and so they are already in Part 20. Some of  
17 them are not.

18 But even at that, when you boil down the  
19 basics of the program, as Dr. Ryan pointed out a  
20 minute ago, we are implementing a system which  
21 fundamentally aligns with the proposal. And so other  
22 than the underlying scientific information, we don't  
23 have much to change.

24 We might wish that they would decide to  
25 wait another five or six years. I am not sure that I



1 would assign a very high probability. It might be  
2 down in the range that you were discussing with  
3 vulcanism a bit earlier this morning.

4 VICE CHAIRMAN CROFF: Okay. Thanks.

5 CHAIRMAN RYAN: Before I forget to mention  
6 it, I -- you know, you mentioned the comments that you  
7 received from across the staff. One thing that has  
8 helped us become prepared in what is a very short time  
9 horizon for us is the cooperation that your office,  
10 gentlemen, has provided to us, and also the other  
11 staff folks that have -- we have communicated with to  
12 try and learn and get the documents.

13 So I just wanted to publicly recognize you  
14 for that cooperation and their continued efforts to  
15 understand the ways of ICRP. So thank you very much.

16 Ruth?

17 MEMBER WEINER: In keeping with your very  
18 excellent suggestion that nothing should be included  
19 in these documents that isn't published and available  
20 to the public, there were a number of papers on this  
21 question of protection of the environment in -- it's  
22 either the 2002 or 2003 National -- meeting abstracts  
23 of the National Meeting of the American Nuclear  
24 Society. I'd be happy to look up the references for  
25 you, but they support your position is all I can say,

1 and I think it might be helpful to you.

2 A question I have is: to what extent has  
3 the report of the French National Academy of Sciences,  
4 and Orenge and Tubiana, influenced the ICRP?

5 MR. HOLAHAN: I would say next to none.  
6 They do recognize it. There is a section in the  
7 report where they recognize there are dual reports out  
8 there. But they basically -- and I think this is  
9 indicative of the former Committee 1 Chairman, Dr. Cox  
10 -- he is very much a believer in the linear non-  
11 threshold hypothesis -- recognizing that there is  
12 additional data out there. The data is not mature  
13 enough to be considered for a regulatory  
14 recommendation at this point.

15 MEMBER WEINER: Could we go back to your  
16 Slide 11 for a moment? The last bullet rang this  
17 French Academy of Sciences bell with me. I do believe  
18 that there are compelling public health and safety  
19 arguments for considering these reports. And I'm sure  
20 that, you know, I'm not telling you anything that you  
21 don't know and haven't considered.

22 But I believe that there is -- it is time  
23 to change our point of view, because this -- the  
24 linear non-threshold theory and the use of collective  
25 dose, which you've very excellently pointed out,

1 resonates through all of the public attitudes toward  
2 radiation.

3 And I just wanted to make that point, but  
4 thank you for clarifying that.

5 CHAIRMAN RYAN: Ruth, we mentioned that we  
6 are going to hear from the Academy in November, which  
7 will help us I think offer advice on exactly the point  
8 you're raising. In addition, we have on our agenda to  
9 hear from the Department of Energy's low-dose studies  
10 and other radiation biology fundamental studies that  
11 are underway and ongoing, so we're working to get that  
12 information as well to add to the things we can then  
13 report and advise the Commission on. So --

14 MR. COOL: Yes. The Department of --

15 CHAIRMAN RYAN: -- it's all coming  
16 together from those two presentations as well.

17 MR. COOL: The Department of Energy's low-  
18 dose program is having its next get-together.

19 CHAIRMAN RYAN: Yes, it's the end of the  
20 month. It's the 29th through the -- no, the 30th or  
21 31st through the 3rd of August. Yes, 31.

22 MR. COOL: Which will give us the next  
23 interesting snapshot of where some of that research --

24 CHAIRMAN RYAN: Right.

25 MR. COOL: -- is or isn't coming together.

1 Of course, because we only get these periodic  
2 snapshots, the one we've got is now a little over a  
3 year old. And what it basically showed was there is  
4 lots of interesting things going on. There is some  
5 fascinating research. They have equipment nowadays  
6 that can result in a single track through a cell and  
7 trying to track that cell, and some of those things.

8           And depending upon the cell line, and the  
9 method of measurements, you get things which sort of  
10 look linear, which don't look at all linear, which  
11 they can't tell how it looks. And if I could  
12 synthesize it a bit non-technically, interesting  
13 results, can't manage to reproduce it between  
14 laboratories or with different cell lines, and there  
15 is not the mechanism at this point to figure out if  
16 those observations move up to -- from single cells to  
17 tissues to organs to individuals, which is, of course,  
18 the level at which we behave.

19           And as you get additional mechanisms and  
20 additional mechanisms coming in, which says there is  
21 a lot of stuff out there, and we're still a long ways  
22 away from being able to translate that to something  
23 which -- and I'll put my regulator writer hat on -- to  
24 do a regulation we would need to have something which  
25 was consistent, predictable, reliable, demonstrated,

1 well validated. It would allow us to communicate the  
2 risk and to control all of the materials in a  
3 systematic and logical manner.

4 At this moment, there is all of this  
5 stuff, which is really interesting, but we can't pass  
6 that kind of test to put it into a regulatory  
7 structure. On the other hand, do we really want to be  
8 taking licensees and situations and driving them into  
9 the dirt -- pardon the pun -- when there may be some  
10 of this evidence around there, and trying to find that  
11 balance between what is adequate protection of public  
12 health and safety and what are reasonable expenditures  
13 of this nation's resources.

14 Wonderful questions, \$164,000 question, no  
15 answers yet.

16 MR. HOLAHAN: Just to clarify, the only  
17 reference to the National Academy report is  
18 paragraph 56 on page 21. That's it. One of the  
19 things that I think that comes out of the draft  
20 recommendations is the caveats that they want to place  
21 on this collective dose issue.

22 As I guess an open invitation, the  
23 National Academies, they're going to have a series of  
24 seminars tomorrow morning. Dr. Daniel Cruski from  
25 Canada will be talking about cancer as a result of

1 Chernobyl fallout in Europe, and I would presume this  
2 is going to be a continuation of a prediction of  
3 either cancer incidence or cancer mortality due to the  
4 Chernobyl releases through the year 2065.

5 This is much of the work that was done by  
6 Cartis where she is estimating some 16,000 cancer  
7 deaths over an 80-year period to 570 million  
8 individuals in Europe as well as the Ukraine, Belarus,  
9 and portions of the Russian Federation. Many of those  
10 individuals will have exposures of half a millirem.

11 So now we're going down to collective dose  
12 numbers. She also recognizes -- this is Dr. Cartis --  
13 that this is going to be with a background of some  
14 200 million cancer cases among those "exposed  
15 individuals."

16 CHAIRMAN RYAN: I would like to see the  
17 statistical analysis that verifies that.

18 (Laughter.)

19 MR. HOLAHAN: It's essentially plus or  
20 minus a factor of three.

21 We had an opportunity last week as part of  
22 an Office of Nuclear Regulatory Research, one of our  
23 seminars, Dr. Ethel Gilbert was here, and we took the  
24 opportunity to question her about the strength of the  
25 statistical analysis that they used for many of these

1 epidemiological studies, and questioning whether or  
2 not there really is some sort of lower bound where we  
3 shouldn't be doing collective dose and making  
4 predictions about future health risks, whether it be  
5 cancer incidence, cancer mortality.

6 And basically, she went back to LNT. Any  
7 incremental exposure there is an incremental increase  
8 in risk. That's where we ended up.

9 CHAIRMAN RYAN: And that's irrespective of  
10 the fact you're extrapolating from high doses down to  
11 low doses to get those factors and --

12 MR. HOLAHAN: That was very much observed  
13 and pointed out, yes, sir.

14 CHAIRMAN RYAN: All right. Thank you,  
15 Ruth.

16 Jim?

17 MEMBER CLARKE: Thanks, Don. I want to  
18 join my colleagues in expressing concern about this  
19 protection of the environment piece. And it seems  
20 that the lack of evidence is most compelling, and  
21 obviously you would want to lead with that.

22 The other thing I wanted to mention is the  
23 EPA, as you know, has gotten into this with ecological  
24 risk assessment at contaminated sites and so-called  
25 hazard evaluations for new chemical products. And

1 it's a morass of multiple species, multiple endpoints,  
2 multiple pathways, and my experience with it has been  
3 that people tend to pick a pathway they know and run  
4 with it.

5 The other interesting observation is there  
6 actually is evidence that there are some chemicals to  
7 which, say, aquatic species are more sensitive than we  
8 are -- for example, PCBs and aluminum I believe.

9 You have a situation where there's no  
10 evidence at all of that. But, you know, if this  
11 program were to go forward, I just wonder if anybody  
12 has thought through about how it would be implemented,  
13 I mean, how you would -- how you would do these  
14 assessments, how you would deal with it, you know,  
15 multiple pathways and all of that.

16 And I wondered if any of the specific  
17 comments pulled you into that. I agree that a lack of  
18 evidence is the most compelling. But just the other  
19 difficulties in getting into something like this,  
20 based on what I have seen the EPA is dealing with.  
21 Will your comments address that at all, or have you  
22 seen comments that get into that?

23 MR. COOL: We have certainly seen comments  
24 like that at various times. We're aware of what  
25 they're doing. One of the issues that continues to



1 float around is how whatever assessment framework that  
2 the ICRP might wish to suggest would fit in or not fit  
3 in with the many different things that are being done  
4 here in the United States and elsewhere, because a lot  
5 of people are working on various things.

6 At this point, the staff's specific  
7 comments do not make those kinds of observations,  
8 since none of that material is present in these draft  
9 recommendations. But that's -- you can read between  
10 the lines. This isn't the right -- read between the  
11 lines that we want to be able to comment on the  
12 assessment framework as it's produced, because in fact  
13 that is the sort of thing that is very much of  
14 concern.

15 MEMBER CLARKE: And all the comments will  
16 be available on their website. Is that what you said  
17 earlier?

18 MR. COOL: Correct. Yes. ICRP's website,  
19 although not fancy, is actually fairly simple to  
20 navigate. And you can go to the comments and see  
21 everything that everyone has commented all the way  
22 back to the original document. And they will have all  
23 of them posted, so we will be able to see everything  
24 that people are putting in over the next few months.

25 CHAIRMAN RYAN: And there's one big

1 missing piece, Jim, along the lines that you're  
2 talking about. I mean, absorbed doses is a physical  
3 quantity. It's energy deposited per unit mass of  
4 material, independent of the material. But when you  
5 try and translate that to rem or to sievert, you need  
6 to understand what endpoint of risk you're talking  
7 about.

8           Is it going to be cancer, fatal cancer,  
9 incidence of cancer, some other ailment? And so how  
10 do you look at all of the -- you know, the various  
11 endpoints, and then what do you do for a dose  
12 equivalent kind of concept? And that structure just  
13 doesn't exist at all. Period. And, again, I agree  
14 with the staff, there's no foundation to say it needs  
15 to exist.

16           MEMBER CLARKE: That is the most  
17 compelling argument that --

18           MR. COOL: There are really two separate  
19 issues here.

20           MEMBER CLARKE: -- if we were to get into  
21 this, there are --

22           MR. COOL: Yes, there are really two  
23 separate issues, one dealing with the whole question  
24 of whether or not you need to do anything, and from  
25 that standpoint I would look at: is there something

1 that would need to change in Part 20 or the other  
2 regulations in terms of the way that we control  
3 sources?

4 There's clearly no evidence at this point  
5 that there is anything that we would need to or want  
6 to change in regulatory structure. When you go to try  
7 and then start assessing effects, as you have rightly  
8 pointed out, what is a rem or a rad or a sievert and  
9 otherwise? And what effect are you looking at?

10 In discussions with Jan Patrithe, who is  
11 now the Chairman of Committee 5, Jan is actually  
12 pretty clear. We don't yet have a clear agreement on  
13 what organisms are the right kind of organisms? What  
14 kind of effects are the right kind of effects? Are we  
15 individuals? Are we populations? Is it a killing of  
16 a population? Is the population viable?

17 So we don't know yet who we're trying to  
18 protect, what we're trying to protect them from, or  
19 the details of the mechanism and the way to measure  
20 what the unit increment is of whatever it is that  
21 we're giving to them. So there's three key components  
22 to an assessment framework, none of which are actually  
23 agreed upon at this moment. So from an assessment  
24 development standpoint there is still a huge amount of  
25 activity.

1                   And then, you have the huge amount of work  
2                   that has been done in chemicals. You have a lot of  
3                   work that has been done in various places in radiation  
4                   in the environment. Over in Europe you have the  
5                   ERICA. E-R-I-C-A, it's an acronym. We can talk about  
6                   it later. Program and followup programs, which have  
7                   been trying to do some of these assessments, the  
8                   Department of Energy's RESRAD-Biota code, which looks  
9                   to try and do some assessments.

10                   There are similarities. There are  
11                   differences. If I give you a case study, and ask you  
12                   to run those two programs, would they come up with the  
13                   same thing? No. So part of what is also needed is  
14                   once you decide on the answer to those three questions  
15                   is you then have to figure out how to try and  
16                   benchmark, so that when somebody does an assessment  
17                   and someone else wishes to verify it, they have half  
18                   a chance of doing so. We have a long ways to go.

19                   MEMBER CLARKE: Well said. I think you --  
20                   I think I've made my point. Thank you.

21                   CHAIRMAN RYAN: Any other questions?  
22                   Comments?

23                   Gentlemen, thank you very much. We  
24                   appreciate -- any other questions? I'm sorry. Any  
25                   other questions? Hearing none, thank you again for

1 your presentation.

2 We're probably going to take up the draft  
3 letter we plan on writing on this at 3:00 today for  
4 the first time. So we'd welcome you back to sit in on  
5 that letter-writing session. Great. Thanks very  
6 much.

7 We are a bit ahead of schedule. It is now  
8 just a little bit after 11:00. We had left a larger  
9 block of time here, so why don't we adjourn until  
10 1:00. Is that correct? Until 2:00? We're going to  
11 -- I'm sorry. We're going to adjourn the ACNW meeting  
12 until 2:00, and then we'll have our planning and  
13 procedures meeting at 1:00.

14 All right. Thank you very much. We'll  
15 see you all at 2:00.

16 (Whereupon, at 11:09 a.m., the  
17 proceedings in the foregoing matter went  
18 off the record until 2:07 p.m.)

19 CHAIRMAN RYAN: We'll go back on the  
20 record and in session. This part of our meeting is  
21 called the NRC Staff Review -- let me know when you  
22 are done, Latif -- NRC Staff Review of Revised  
23 International Commission -- I'm sorry -- the exchange  
24 of information between NMSS management and ACNW  
25 members. And we are here to hear our reorganization

1 of NMSS and STP. Welcome.

2 MR. MOHSENI: Thank you very much. Good  
3 afternoon. Thank you for the opportunity to brief you  
4 on the NMSS and STP reorganization. I am expecting  
5 that Dennis Rathburn from STP, the Deputy Director,  
6 will join us. And so will Mark Shaffer from NSIR, the  
7 principal parties impacted, if you will, with this  
8 reorganization with NMSS.

9 MEMBER HINZE: Excuse me, could you let me  
10 know what those acronyms are?

11 MR. MOHSENI: Yes.

12 MEMBER HINZE: What NSIR is and so forth?

13 MR. MOHSENI: Yes. Sorry about that.

14 NMSS, Nuclear Material Safety and Safeguards Office,  
15 Jack Strosnider is sitting there, the Office Director.  
16 STP is the Office of State and Tribal Programs. And  
17 NSIR is Nuclear Security and Incident Response in NRC.  
18 I apologize for using acronyms. We are so used to  
19 them.

20 I want to first give you some background  
21 before getting into it. And I have used some acronyms  
22 here. And I apologize. Please stop me if I need to  
23 clarify.

24 SECY-06-0125 was issued in June 1, in  
25 which the staff recommended a reorganization of STP

1 and NMSS. The June 16th SRM did approve the  
2 reorganization as proposed by the staff. And  
3 furthermore directed the staff to share the draft  
4 functional statements of what came to be called in the  
5 paper the new Office of National Materials Program  
6 with state leaderships in Office of Agreement States  
7 and Conference of Radiation Control Program Directors  
8 to obtain their feedback on the new functional  
9 alignment, which we are currently doing.

10 There will be two new office effective  
11 October 1, the Office of National Material Program and  
12 a new NMSS. And NMSS today carries the same name but  
13 this will be a new office with a new focus on  
14 programs.

15 It is important to note though that the  
16 SRM also directed the staff to further look at the  
17 office titles to ensure that they reflect the roles of  
18 agreement states in the National Materials Program and  
19 the importance of intergovernmental liaison. We will  
20 talk further about the structure later.

21 NMSS currently has a wide range of  
22 activities, uranium recover, conversion, enrichment,  
23 and fabrication, medical, industrial, academic, and  
24 commercial uses of radioactive materials,  
25 transportation including certification of transport

1 containers, spent fuel storage, safe management and  
2 disposal of low-level and high-level waste, and  
3 management of decommissioning of reactors and  
4 materials facilities.

5 NMSS organization has been stable for the  
6 last probably decade, even more. It has had four  
7 technical divisions, Fuel Cycle Safety and Safeguards,  
8 Division of Waste Management and Environmental  
9 Protection, Industrial, Medical, Nuclear Safety, and  
10 Spent Fuel Projects Office.

11 In March of 2004, NMSS created the High-  
12 Level Waste Repository Safety Program. That was  
13 really the biggest change in the past decade in  
14 organization in NMSS.

15 The Office of State and Tribal Programs,  
16 which shares our reorganization in this phase,  
17 currently encompasses two areas: Agreement State  
18 Programs and Federal, State, and Tribal Liaison  
19 Program. The Agreement State Program deals with the  
20 formal agreements that we have currently with 34  
21 states who have entered into formal agreements with  
22 NRC to assume regulatory responsibility over  
23 byproduct, source, and small quantities of special  
24 nuclear material.

25 There are about 21,600 licenses nationwide



1 in the U.S. of which the states have 17,000 of those.  
2 The remainder, which is about 4,500 are issued by NRC.  
3 And recently we have also heard that three more states  
4 are being added -- are requesting agreement state  
5 status with the NRC. Those are Virginia, New Jersey,  
6 and Pennsylvania. When they come online, if you will,  
7 as agreement states, the portion of NRC licenses goes  
8 from 20 percent, which is what currently it is, to  
9 about 10 percent.

10 The National Material Program is a term  
11 developed in the last '90s to define the broad  
12 collective framework within which both NRC and the  
13 agreement states function. It includes the  
14 organization of agreement states and the Conference of  
15 Radiation Control Program Directors in the states.

16 The other part of the State and Tribal  
17 Program is the Federal, State, and Tribal Liaison  
18 Program. That program ensures NRC's cooperation with  
19 those jurisdictions to promote greater awareness and  
20 mutual understanding of the policies, activities, and  
21 concerns of all parties with respect to radiological  
22 safety in NRC-licensed facilities.

23 That gives you some background on how we  
24 are organized today and what now I'm going to talk  
25 about the contributing factors to prompting us to

1 propose that reorganization a month ago and the  
2 subsequent steps forward in that direction.

3 The factors that effect our performance  
4 today are tied to the following:

5 One, the number of agreement states are  
6 continuously increasing. As I indicated, we will end  
7 up with about 10 percent of the total licenses, NRC  
8 will. The other 90 percent will be carried by the  
9 agreement states. And as I earlier discussed, the  
10 National Materials Program is the framework by which  
11 collectively the two parties regulate the regulated  
12 industry in that arena.

13 We think time is right to enhance  
14 integration of the National Materials Program by  
15 merging the appropriate elements of NMSS and the State  
16 and Tribal Program. This will improve the  
17 effectiveness of the extensive coordination among  
18 staff. That is a strong driver. I will elaborate on  
19 that.

20 It is important to have consolidation of  
21 such activities as medical, industrial, and academic  
22 uses of rad materials, increased control of sources  
23 including international activities to support the code  
24 of conduct, implementation of the Energy Policy Act of  
25 2005, mandating an NRC framework for certain

1 naturally-occurring and accelerator-produced  
2 radioactive materials, commonly known as NARM,  
3 decommissioning regulation of low-level waste,  
4 environmental reviews, and evaluation of DOE's  
5 incidental waste reviews, rulemaking and oversight of  
6 regional licensing, inspection and liaison functions.

7           What they have all in common are the  
8 following: a need to manage public and worker exposure  
9 considering public proximity to many of these  
10 activities, significant stakeholder interest -- there  
11 is always a huge public stakeholder interest in these  
12 activities that almost makes these activities stand  
13 out in that aspect. And then there is the extensive  
14 experience by states in these arenas.

15           So on the National Materials Program,  
16 these are the drivers, if you will, to improve our  
17 consolidation and enhance our integration. In those  
18 arenas where the number of agreement states are going  
19 up, the NRC will rely more and more on the agreement  
20 states to regulate that part of the industry.

21           And, of course, the regulatory framework  
22 is what National Materials Program is. An extensive  
23 coordination and collaboration would be needed in that  
24 framework. So enhancing it can only bring us more  
25 potential for successfully regulating the industry in

1 the future.

2           There is also a potential for significant  
3 emergent work on the horizon as well. Industry  
4 initiatives to increase fuel production, DOE's plans  
5 to changes in transportation packaging, aging, and  
6 handling at reactor sites or at surface facilities of  
7 the proposed Yucca Mountain facility. And, of course,  
8 everyone has heard the President's GNEP, Global  
9 Nuclear Energy Partnership Initiative to develop new  
10 proliferation-resistant recycling technologies.

11           And if these emergent work pan out, there  
12 is a net benefit in focusing management attention on  
13 these radical changes in the industry. These are  
14 radical in science basis, technologies, in developing  
15 the framework, regulatory framework by which we can  
16 conduct our mission basically is to regulate them  
17 safely.

18           By reorganizing, the span of  
19 responsibilities of the two new offices would be  
20 better focused to the potential changes in our  
21 regulated environment and the visibility of state and  
22 tribal programs would be elevated to a major program  
23 office, thereby enhancing coordination.

24           Now I want to briefly discuss the new  
25 organization starting with Office of National

1 Materials Program. The office title, as I said, may  
2 change. The SRM directed the staff to receive input  
3 from the states on the functional statements and then  
4 provide input back to the Commission on what are the  
5 appropriate titles for the office and the divisions  
6 that would raise the level of visibility of the state  
7 programs in this new reorganization.

8 We are working on those. At this stage,  
9 what we know is that there will be three technical  
10 divisions within Office of National Materials Program:  
11 Division of Industrial, Medical, Nuclear Safety,  
12 Division of Waste Management and Environmental  
13 Protection, and the Division of Intergovernmental  
14 Liaison and Rulemaking.

15 We are currently working on the  
16 organizations below the division levels. We don't  
17 have a clear organization yet below those levels. In  
18 the next few months, we will hope to have that  
19 finalized.

20 As for the new NMSS, the new NMSS will  
21 have a smaller scope of regulatory focus. It will be  
22 uranium conversion, enrichment, and fabrication, spent  
23 fuel, high-level waste storage, transport, and  
24 disposal. As I said, if those emergent work pan out,  
25 having this kind of a narrower focus on the regulatory

1 environment will provide us more opportunities to  
2 build the regulatory frame to deal with those new  
3 technologies and developments.

4 We know there are going to be three  
5 technical divisions again. But below those, we still  
6 are at work. That is work in progress. Fuel cycle  
7 safety and security is one. Spent fuel storage and  
8 transportation will be another. And high-level waste  
9 repository safety.

10 There is one new addition here. The need  
11 for Domestic and International Safeguards Policy on  
12 Regulation for Fuel Cycle Facilities, including  
13 materials control and accountability will move from  
14 Nuclear Security and Incident Response, NSIR, to NMSS  
15 -- to the new NMSS.

16 This will allow better integration of  
17 design processes and safeguards reviews. We are  
18 trying to maximize the benefit of this organization  
19 and bringing together those activities that are  
20 complementary with each other and give us some  
21 synergistic benefit.

22 It is important to also note that we will  
23 -- the new NMSS will have to work very closely with  
24 NSIR to ensure continued coordination on related  
25 physical security policy with respect to fuel cycle

1 facilities.

2 In terms of resources, we are proposing  
3 the new organizations based on the fiscal year `07  
4 budget estimates. There will be some transfers of  
5 FTEs from Nuclear Security and Incident Response to  
6 NMSS, as I said, dealing with the lead responsibility  
7 for domestic and international safeguards for fuel  
8 cycle facilities. But there were also an  
9 identification of 17 unbudgeted FTEs that were  
10 requested in the Commission paper. But the Commission  
11 disagreed.

12 Our challenges are twofold. One is  
13 transitioning into the new organization. And the  
14 other one is once the new organization is in place,  
15 new challenges that currently we don't have will  
16 probably surface. And those are listed here.

17 Our transition challenges are we have to  
18 transition into these new organizations without any  
19 additional resources. That means the work conducted  
20 in fiscal year `06 now, we have to keep our eye on the  
21 ball. We have commitments to meet. They are not  
22 effected by this reorganization. We will continue to  
23 focus on safety and security and reorganize.

24 And then again there are resources  
25 associated with the new organization, the 17 FTEs that

1 we are not going to get. So that means we have to  
2 find better ways, new ways of providing the kinds of  
3 services that we were providing within the regulatory  
4 framework to be able to deliver those functions  
5 without any additional resources.

6 There are also some coordination  
7 challenges and, as Jack would say, opportunities as  
8 well. Rulemaking and Environmental Review staff in  
9 the National Materials Program will be a Center of  
10 Excellence servicing NMSS and NMP and NSIR.

11 This is a cross-office service if you  
12 will. Currently NMSS does do rulemaking for another  
13 office, NSIR. Now we are going to add one more office  
14 so we are going to -- we have some experience in  
15 providing services to another office. This will  
16 expand on that.

17 But in addition to that, environmental  
18 reviews will be done in NMP but for not just NMP but  
19 for NMSS and NSIR as well. These will offer some both  
20 challenges and opportunities to learning from our  
21 Center of Excellence experience we have had in the  
22 past.

23 Another coordination challenge is that  
24 there will be one corporate support program.  
25 Currently each of the major offices in NRC has what we



1 call program support, planning, budgeting,  
2 contracting, hiring, IT support. In this case, we are  
3 going to attempt to deliver the services -- program  
4 support services to two offices from one. One program  
5 organization will reside in NMSS and that program  
6 support organization will serve two different offices,  
7 NMP and NMSS.

8 The last but not least of the challenges  
9 we face is that this also coincides with a huge move  
10 of the NRC to a new executive building not far from  
11 here. It is now expected that the new NMSS will move  
12 by October of `06 to the new location. So not only we  
13 are trying to reorganize, we are also planning to  
14 actually move the organization to a nearby building  
15 and we have those so-called operational challenges.

16 Jointly with State and Tribal Programs  
17 with Nuclear Safety and Incident Response, we have  
18 developed a comprehensive communication plan and a  
19 punch list. Representatives from the EDO's office and  
20 Human Resources and Office of Public Affairs have  
21 provided critical support for this effort.

22 We looked at the lessons learned from  
23 other sister organizations who have gone through major  
24 reorganizations and what we have learned is that a  
25 transition team is absolutely critical to have a focal

1 point to transition, especially a reorganization of  
2 this magnitude.

3 We also have learned that involvement of  
4 all staff early on and throughout the process can also  
5 contribute significantly to a successful transition.  
6 And to put that into action, those lessons learned, we  
7 have created a transition team. We have created a  
8 steering group and an advisory team.

9 A transition team is composed of first-  
10 line SCSers and corporate staff of the three  
11 organizations effected, NMSS, STP, and NSIR, and their  
12 corporate staff. They form, if you will, the nuts and  
13 bolts operational level transition thinking at that  
14 level.

15 They will get advice from an advisory  
16 group which are volunteers from all levels of the  
17 three organizations who have volunteered to provide  
18 advice to the transition team when dealing with issues  
19 on every aspect of this organization. This is part of  
20 that lessons learned to get the staff involved as soon  
21 as possible and throughout the process.

22 And finally we have the steering group  
23 which is made up of division directors of the three  
24 organizations and regional offices. I think those are  
25 the ones who are effected critically at that stage.

1 And they will coordinate the steering direction that  
2 we take.

3 And they take it to the office directors  
4 any decision that need to be reconciled at the highest  
5 level. Office directors of the three organizations  
6 form that final group, the office directors' group.

7 We have also set up an internal website.  
8 It is an interactive website where the staff can  
9 provide comments, concerns, questions, suggestions,  
10 and we will take those and field them into the right  
11 transition process, champion, if you will. And from  
12 there, we actually deal with those suggestions and get  
13 back to the staff on how those suggestions or concerns  
14 were addressed.

15 In conclusion, I want to leave you with  
16 the thought that a reorganization of this magnitude  
17 coincident with a major move is probably rare. So we  
18 are going to recognize that we are going to learn from  
19 the experience. It is going to be challenging. There  
20 are a lot of aspects in the move that deal with the  
21 staff concerns, for example, parking, having access to  
22 a cash machine in the next building.

23 They are now folded into this  
24 reorganization. A lot of folks don't look at the  
25 reorganization as integral with the move. In other

1 words, the move is not viewed as a separate item that  
2 happens to coincide to this time. And so we have to  
3 take extra care in communicating and separating the  
4 issues. And if need be, addressing them based on  
5 their own merits. It just makes the issues more  
6 complex and complicated.

7 We are doing it without additional  
8 resources and, therefore, we are using an organization  
9 capacity model that Jack and Margaret Federline in  
10 NMSS have championed for us is to critically look at  
11 organizational capacity and tap into that as much as  
12 possible to address the needs that we have. And it  
13 turns out so far it is paying off.

14 And I'm open for any questions that you  
15 might have.

16 CHAIRMAN RYAN: It sounds like there is a  
17 lot to do. Let me go back to where you started, if I  
18 may, the relationship now that will exist with State  
19 and Tribal Programs and NMSS. And I'm going to try  
20 and focus the question on a specific issue.

21 I've noticed over the last months and  
22 maybe even years the number of folks who are retiring  
23 from headquarters NMSS and the programs that were  
24 involved in a whole slew of aspects with states where  
25 folks that had high levels of experience and high

1 levels of technical hands on, you know, they knew the  
2 detailed worked kinds of views, and with that resource  
3 pool shrinking.

4           And from what you described, I got the  
5 impression that you are going to be maybe taking a  
6 half of a step back from the agreement states because  
7 they are, by all reports in the INPEP Program,  
8 delivering their programs very well over the large  
9 part, and with what we have commented on is a very  
10 quality INPEP Program to actually look for lead  
11 indicators and be very efficient in the staff use.

12           Do you see a challenge there in terms of  
13 maintaining staff competence in technical areas over  
14 time? It is a thought that struck me. It maybe  
15 something you are thinking about in a different way  
16 but hiring and retaining, you know, good people is one  
17 aspect. And clearly that is going on. I've seen  
18 evidence of that. But I wonder if you will lose touch  
19 with the hands on part of the industry a little bit.

20           MR. MOHSENI: That's a good question.

21 Jack, did you want to take a shot at that?

22           MR. STROSMIDER: Well, the first comment  
23 I would make is that I think this is an applicable  
24 question and challenge agency-wide. I mean when you  
25 look at the demographics of the Agency, you know, we

1 are losing a lot of senior staff.

2 And so looking in terms of what's, you  
3 know, sort of the buzz word of the day of knowledge  
4 management, we are taking that very seriously in terms  
5 of looking at what sort of programs we can put in  
6 place.

7 Some immediate or obvious things we are  
8 doing, we have the ability to what we call double  
9 encumber so if we know somebody is leaving, we can  
10 bring somebody in for that position and have some  
11 overlap. We have the ability to bring people back,  
12 the retired annuitant program, which we have done  
13 quite a bit of that. And that seems to be working  
14 well.

15 But then there is the other piece of  
16 leaving, you know, some of that knowledge so that  
17 people can pick it up and it is not lost. And we are  
18 doing that through a series of seminars. There are  
19 databases. There are things that are happening in a  
20 grassroots effort to do those things.

21 And I think, you know, the flip side of it  
22 is we are bringing in a lot of new people so we are  
23 getting a lot of good new ideas, you know. A by  
24 mentioned the organizational capacity model. Part of  
25 that is looking at new ways to do things, not doing

1 things the way we have always done them. We don't  
2 want to lose the good but we can bring some other good  
3 things in, too.

4 CHAIRMAN RYAN: Again, as -- I'm sorry, go  
5 ahead, Jack.

6 MR. STROSMIDER: No, that's all right. I  
7 mean I think sort of big picture, that is it. But it  
8 is one of the, if you will, cross-cutting issues that  
9 we identified.

10 If you go back to our program briefs to  
11 the Commission in February and we talked about the  
12 challenges that we saw and one of them was exactly  
13 this issue of maintaining, recruiting, and developing  
14 staff. So we are putting a lot of focus on that. And  
15 we will be looking at strategies to try to address it.

16 CHAIRMAN RYAN: One that I maybe -- and  
17 you have probably thought of this, too -- but, you  
18 know, as you kind of step back just a bit from the  
19 states and give them more of the responsibilities or,  
20 you know, give them more of the direct role, you might  
21 think about an exchange program with states.

22 I mean I think there is tremendous pool of  
23 talent in state programs in the material side, not  
24 just the x-ray because they have --

25 MR. STROSMIDER: And that certainly is

1 true. And I don't know that we have ever looked  
2 specifically at an exchange program.

3 CHAIRMAN RYAN: Well, if you could send  
4 staff to the state programs and then have state  
5 program folks come up here for some duration, you  
6 know, if you are writing a rule or developing, you  
7 know, guidance or anything along those lines, it does  
8 two things.

9 One is it puts your folks in the field to  
10 see how things work day to day and how states are  
11 doing, you know, hands on inspections at good, bad,  
12 and ugly facilities and all of that. But, you know,  
13 and then it gives the state folks the ability to come  
14 up and, you know, see how the sausage gets made and  
15 all that sort of aspect of the regulations.

16 But that might be one way. It just struck  
17 me as you were talking about it -- building that in  
18 might help.

19 MR. STROSMIDER: Yes, it is a good  
20 thought. I would point out that with regard to things  
21 such as rulemakings and those sort of activities, that  
22 we do typically set up working groups and task groups  
23 and we have traditionally had state people come here.

24 CHAIRMAN RYAN: OPD and OIS have --

25 MR. STROSMIDER: Yes, if you look, for



1 example, at the implementation of the Energy Policy  
2 Act, we had a representative from the states here for  
3 I think it was maybe a couple months.

4 MR. MOHSENI: A couple of months, yes.

5 MR. STROSMIDER: So it is not quite  
6 perhaps as far as the exchange program but we can, you  
7 know, that is certainly an idea we can think about.

8 CHAIRMAN RYAN: Well, you know, again, as  
9 you scout for FTEs, then, you know, that is a way to  
10 at least get knowledge exchange and some of those  
11 things. Just a thought.

12 MR. MOHSENI: Indeed. Yes, that is a very  
13 powerful -- you know in knowledge management,  
14 obviously that helps us in transferring where the  
15 experience is. Clearly in the future, it will be more  
16 state experience gained in the field than here. And  
17 perhaps even in the regions. And equalizing that  
18 requires exchanges, various processes to exchange  
19 knowledge. And one of them is exchanging individuals.

20 CHAIRMAN RYAN: Sure. One of the things  
21 that, you know, struck me in this regard was a recent  
22 presentation -- it's now a paper in the Health Physics  
23 Journal by Bob Emery from Texas where, and as you both  
24 know, the radiography source overexposure have been a  
25 chronic kind of question periodically over time.

1                   And he actually found quite clearly that  
2                   it tracks new entrance into oil field work where there  
3                   have been big pulses of new employees in the oil field  
4                   work, guess what?

5                   Those over exposures or high exposures  
6                   have occurred on three different cycles and the  
7                   correlation coefficient was .89. So, you know, I mean  
8                   that's the kind of experience and knowledge and the  
9                   kind of thing that the state folks get a hold of is  
10                  because they deal with it every day. So just a  
11                  thought. Thanks.

12                  MR. STROSMIDER: And I thought I'd just  
13                  comment on that, you know, just one final thought on  
14                  that. I think that is a really good thought. And I  
15                  think it is a really important point.

16                  Part of the motivation for this  
17                  reorganization we are talking about of merging NMSS  
18                  and State Programs is to bring those talents together  
19                  and to take advantage of them, build this capacity,  
20                  and, you know, I think that is really a driving force.  
21                  And I think it is consistent with the suggestion that  
22                  you are making.

23                  The other thing I want to emphasize here  
24                  is we hear some discussion about well is NMSS  
25                  absorbing State Programs? Or is State Programs

1 absorbing NMSS? And what we have to make sure of is  
2 that this is an equal blending of the two so that we  
3 come up with a program that is good for the nation.

4 CHAIRMAN RYAN: Well, I mean to me, is  
5 you deliver an effective radiation protection  
6 practice and proper management of materials. That's  
7 the goal, yes. Great, great news. Sounds like a lot  
8 of challenges ahead and a lot of fun to try and fit it  
9 all together and make it work.

10 Bill?

11 MEMBER HINZE: Your discussion has focused  
12 on the higher level aspects of this. And we have a  
13 great deal of contact with the technical divisions  
14 that are in your new NMSS. How far down is this  
15 reorganization going? And to what extent can we  
16 expect to find new faces and new assignments and so  
17 forth at these lower levels?

18 MR. MOHSENI: I'll take the first shot and  
19 Jack is here. I don't think you are going to see too  
20 much of a huge difference in the lower levels. There  
21 will be some changes. For example, I talked about the  
22 lead in Safeguards, Domestic and International, which  
23 will have some change from NSIR probably to NMSS.  
24 That -- in FCSS, that may become visible.

25 But in other aspects, basically you have

1 the same technical staff largely still there.  
2 Although we haven't really completed the lower  
3 reorganizations, we don't anticipate significant  
4 changes in faces that you will be dealing with in  
5 terms of expertise and work that is being done.

6 MR. STROSMIDER: I guess I would -- two  
7 comments -- I would first point out one other change  
8 that I'm not sure if you mentioned it, Aby, is moving  
9 the uranium recovery activities from the Fuel Cycle  
10 Division to the Division of Waste Management and  
11 Environmental Protection, which would actually put it  
12 -- keeping it in the National Materials Program  
13 Office.

14 That's -- for those of you who have been  
15 with us for a while, you know that that program was  
16 previously with that division. The motivation for  
17 that change is that there is a lot of interaction with  
18 the states in that program. And we think that it is  
19 important to have that close alignment.

20 But having said that, I think as part of  
21 our philosophy and one of the guidelines that we are  
22 trying to use in this is to maintain the stability  
23 that we can maintain in the technical staff and in the  
24 functions that are going on. So I think we have  
25 identified the major changes that we are aware of.

1                   And beyond that, we are going to try to  
2                   keep as much stability as we can. There is enough  
3                   going on at the higher level and with the move that we  
4                   talked about. So we are going to try to maintain  
5                   stability where we can.

6                   MEMBER HINZE: Will these technical  
7                   divisions also be moving then to a new building?

8                   MR. STROSMIDER: Yes, the new Office of  
9                   Nuclear Material Safety and Safeguards, which will  
10                  essentially be the Fuel Cycle Facilities, Spent Fuel  
11                  Project Office, and High-Level Waste Repository Safety  
12                  will be moving to the new building.

13                  MEMBER HINZE: Thank you.

14                  CHAIRMAN RYAN: That's great. I guess  
15                  this was going to be a two-way street so we are  
16                  prepared to tell you how we have dealt with our SRMs.  
17                  And we've got a couple of SRMs that have caused us to  
18                  revise our action plan, which we have done. And that  
19                  has been sent up. And we are also now working with  
20                  your staff and everybody has been very helpful to try  
21                  to identify how we are going to get those things on  
22                  our 12-month rolling calendar and get activities  
23                  scheduled.

24                  So I think what we are going to attempt to  
25                  do in the next little while is have John Larkins give

1 an overview briefing and we certainly can provide you  
2 with -- and you probably already have it -- our 12-  
3 month rolling calendar up to date. And then talk a  
4 little bit about some of the technical content of  
5 various areas.

6 The members will be kind of working on  
7 those questions. And then the staff are prepared to  
8 talk about the logistics and where we are in planning  
9 and so forth. And I think the idea is -- and John  
10 correct me if I'm wrong -- you would perhaps take away  
11 this information and other follow-up one-on-one  
12 conversations and then when we get back together -- I  
13 think we are scheduled in September to have a more  
14 formal view, we can kind of be on track with where we  
15 are there.

16 MR. STROSMIDER: Good. And just let me  
17 point out I will have to leave a little before three  
18 but Aby will be here and other staff. And we need to  
19 make this coordination happen. And I think, you know,  
20 making your operating plan and this new organization  
21 work together is going to be --

22 CHAIRMAN RYAN: Yes, we are looking  
23 forward to that, too, Jack. So thanks.

24 John?

25 MR. LARKINS: Yes, I'll try to go through

1 this quickly, Jack, while we have you here for a few  
2 minutes anyway.

3 But the idea was to give you some insights  
4 as to how we've factored the SRMs into the revised  
5 action plan. And then further included that into the  
6 ACNW 12-month calendar which we use along with your  
7 staff for coordination of meetings and things like  
8 that.

9 And what I'd like, hopefully, the take  
10 away from this discussion for you is to have an  
11 opportunity -- and since you are having your retreat  
12 the next two days is to mention this to your E Team  
13 and all your division directors that, you know, we  
14 have planned for a number of technical reviews over  
15 the next 12 months. And you will have copies of the  
16 12-month calendar.

17 See if there are things in terms --  
18 questions -- omissions, if we have left something out  
19 which you think is important which we should schedule.  
20 Also the timing that we have in the 12-month calendar  
21 for these reviews. And then maybe some questions on  
22 the role or how we carry out some of these reviews.  
23 I'm thinking right now like in the area of igneous  
24 activity.

25 But anyway, I'd like to quickly go through

1       how we made some revisions in our calendar. And it is  
2       not just John Larkins but also Antonio Dias will  
3       provide insights as to how things have been scheduled.  
4       And if you have any questions about the technical  
5       matter between the members and staff to answer any  
6       questions.

7                   Okay, the action plan was revised -- we  
8       had sent up the action plan back in December. And we  
9       also had a Commission meeting. I think that was in  
10      the January time frame. And the Commission sent out  
11      two separate SRMs.

12                   And as you recall, there were a list of  
13      items in those SRMs, a number of which we hadn't  
14      really listed in our action plan. So it was a  
15      significant challenge to go back and take a look and  
16      update it to reflect these new items the Commission  
17      had asked us to do.

18                   And try to schedule as many things as we  
19      could within the same budgetary constraints that we  
20      were living with earlier. So we didn't get any  
21      increase in budget, as you know, so some of these  
22      things are going to represent a challenge.

23                   Turning right now to the proposed Yucca  
24      Mountain repository. One of the items that was listed  
25      prominently in the SRM was to analyze the current



1 state of knowledge regarding igneous activity. And to  
2 prepare a report that could be used by the Commission  
3 -- I'm not sure if it is the Commission or the staff  
4 -- I think really it is as much the staff as the  
5 Commission -- as the technical basis for decision-  
6 making in this area.

7 And the approach is going to be is to  
8 develop a White Paper. And then to have this White  
9 Paper sent out to a number of stakeholders. And  
10 engage people in a working group meeting to see if all  
11 of the issues have been outlined in that paper. And  
12 secondly, if it adequately states what the state of  
13 the art is or our understanding of what is going on in  
14 this particular area.

15 And, Antonio, what do we have scheduled?

16 MR. DIAS: Yes, what we have scheduled  
17 right now is in February we have a working group  
18 meeting on public comments on the SMW activity-wide  
19 paper. This is going to be a very large group of  
20 people coming together and exchanging ideas and  
21 information about igneous activity. And we like  
22 participation of NMSS in that working group as well.

23 MR. LARKINS: Yes, but even before that,  
24 I think Bill is planning on having a White Paper, a  
25 draft White Paper that would be made available to the

1 staff such that --

2 MEMBER HINZE: By the first of the year --  
3 before the first of the year.

4 MR. LARKINS: And hopefully NMSS staff  
5 will take a look at it and be able to comment on it  
6 and participate in that working group meeting along  
7 with DOE and other stakeholders.

8 CHAIRMAN RYAN: One of the efforts, too,  
9 I think, which is an important part of Bill's work and  
10 the White Paper is that we are really working hard to  
11 adequately and fairly document the range of views that  
12 exist on some of these key issues because we feel like  
13 that if we can adequately present to the Commission  
14 the range of views and detail those views, that that  
15 best serves their decision-making.

16 So that's really kind of a focus. It's  
17 not to decide which one is right. It's really to  
18 adequately document the range of views. And that is  
19 part of the stakeholder engagement is to make sure we  
20 have been fair and adequate in documenting, especially  
21 where there are, you know, perhaps wider-ranging  
22 views.

23 MEMBER HINZE: And it is important that we  
24 have the most up-to-date views as well. And sometimes  
25 it is not that easy to make certain that we are really

1       there with the most recent view. That's why we really  
2       need the review of the NMSS staff to make certain that  
3       we do our presenting in the correct view.

4               MR. LARKINS: Yes, I think in the whole  
5       Yucca Mountain arena, there are a number of questions  
6       that will have to be looked at over the next 12 to 18  
7       months. And I know NMSS has sent a list of potential  
8       technical exchange areas to DOE. And once, you know,  
9       there is some agreement, I think, between DOE and NMSS  
10      on those, then we can factor that into future review  
11      plans for the ACNW in that area.

12             MR. STROSMIDER: Yes, and I would just  
13      make two quick comments. One is this area of the  
14      seismic issue is obviously -- igneous activity, excuse  
15      me -- is obviously an important one. You know the  
16      performance analysis, sensitivity studies, et cetera  
17      have shown that it is important. It is a significant  
18      driver. So -- and I agree with everything that was  
19      said in terms of laying out the perspectives and  
20      making sure that it is up to date.

21             With regard to the technical exchange  
22      meetings -- and you have seen the listing, John, I  
23      hope --

24             MR. LARKINS: Yes.

25             MR. STROSMIDER: -- and we have provided

1 that to the Department of Energy. We have been  
2 discussing this in our quarterly senior management  
3 meetings for some time. And we have agreement with  
4 them now. We are going to be looking at that list and  
5 trying to set up these technical exchanges between now  
6 and the end of the year. When you look at that, it is  
7 a fairly long list.

8 MR. LARKINS: It is a great list. I'm not  
9 sure if you are going to be able to do them all.

10 MR. STROSMIDER: Yes, so there is plenty  
11 of work. And I will just put a little pitch in here.  
12 There are a lot of people who have the impression that  
13 because the application is delayed that that means,  
14 you know, we sit around and twiddle our thumbs. But  
15 there is this unique pre-license -- opportunity for  
16 pre-licensing interactions on Yucca Mountain. And  
17 that's why these things are very important.

18 If we want to meet the Commission's  
19 schedule and if we want to make sure we get a  
20 complete, high quality application, these interactions  
21 are extremely important to make that happen. And we  
22 would look forward to being, you know, present as work  
23 --

24 MR. LARKINS: Yes, and it would save us  
25 resources if we can piggyback on your reviews and not

1 to have the same presentations here. So, you know, it  
2 would save us resources. So we will try to, again,  
3 work between the staff to do something to coordinate  
4 activities where we can.

5 Another item in the SRM was to identify  
6 and assess synergy between monitoring for compliance  
7 and prediction of performance using analytical  
8 modeling. Specifically consider how methods of  
9 monitoring for compliance could strengthen reliability  
10 and durability of institutional controls.

11 And here we have got a number of --

12 MR. DIAS: Yes, we have several activities  
13 related to that. In September, we are going to have  
14 a working group meeting on environmental modeling and  
15 monitoring interface.

16 In November, we are going to be discussing  
17 a White Paper, a summary of the role of institutional  
18 controls in decommissioning. There is a site visit to  
19 decommissioning site, a complex material site  
20 undergoing decommissioning. And also in September,  
21 there is a DOE -- we are going to be hearing the  
22 comments that you received on the DOE West Valley EIS.

23 MR. LARKINS: I would just say that I  
24 think there is going to be a number of activities  
25 coming out of this. I think the idea here is to see

1       how we can use monitoring in a number of areas. And  
2       so there will probably be a couple of activities. One  
3       related to model verification validation and the other  
4       to see how it might feed into what requirements or  
5       regulations there are for institutional controls for  
6       various decommissioned sites.

7                     So, Jim did you want to comment?

8                     MEMBER CLARKE: Yes, as John said, there  
9       are a lot of pieces to this and it is hard to put them  
10      all in two bullets. But there is a lot of interest in  
11      reliability and durability of institutional controls.  
12      You have taken, I think, a very fine approach to that  
13      with your graded approached and your high- and low-  
14      risk sites.

15                    We have very little experience with  
16      institutional controls as applied to waste management  
17      situations but there is a fair amount of experience in  
18      other applications. And we thought it would be good  
19      to round up the current thinking on this and prepare  
20      this White Paper.

21                    So the modeling and the monitoring going  
22      hand in hand a little better we think is certainly  
23      going to be helpful. If we are monitoring for  
24      compliance, what else can we do to build model  
25      confidence is the way I think we would like to say

1 that. That would give us a handle for the time  
2 periods perhaps for which institutional controls might  
3 be needed.

4 And as far as the reliability goes,  
5 putting together a White Paper of what everyone knows  
6 so far, we thought would be helpful as well.

7 MR. LARKINS: Okay, the next area is  
8 decommissioning. And I'm not going to go through all  
9 of these on each one of these sheets. But I'll just  
10 hit a few.

11 The Commission has asked -- I think this  
12 is lessons learned of where we are or what we have  
13 learned in the area of decommissioning over the years.  
14 And see how it could be applied to improving designs  
15 of new reactors and materials facilities. And the  
16 Committee will be providing a paper on this subject to  
17 the Commission in April of '07.

18 Also, they are talking about thoughts on  
19 how -- what we have learned in decommissioning that  
20 might be applied to reprocessing so that, you know, we  
21 take advantage of what we have learned from the past  
22 so we'll create the same type of legacy sites in other  
23 sites in the future.

24 We've got a number of things scheduled  
25 here but this is going to be an evolving area in my

1 mind because as things become clearer to you in terms  
2 of what the expectations are in this particular area,  
3 then we are certainly going to have to work closer to  
4 schedule those things.

5 MR. DIAS: Yes, in September we have a  
6 briefing on NMSS lessons learned efforts related to  
7 decommissioning. This is scheduled for the September  
8 meeting.

9 And in November, for example, we have a  
10 working group on design and construction  
11 considerations for decommissioning.

12 Okay, this is just two activities. We  
13 have several activities related to that.

14 MR. LARKINS: And also you are planning on  
15 -- the Committee is planning on doing a White Paper --

16 MR. DIAS: Yes.

17 MR. LARKINS: -- on reprocessing,  
18 outlining some of the issues concerned in reprocessing  
19 and looking at the proposed different processes.

20 MR. STROSMIDER: I would just comment, I  
21 think it is sort of interesting because this sort of  
22 spans the spectrum because one part of this is  
23 knowledge management and that is documenting what we  
24 have learned, particularly for reactors, because we  
25 will have a long hiatus before we do that again.



1                   And one of the lessons learned is that the  
2 right time to deal with these issues is up front. And  
3 so now we have an opportunity with new reactors and  
4 with some of these new technologies to deal with it  
5 now. So I think it covers the whole range. And it is  
6 -- but that is an important lesson is that this is the  
7 time to make some decisions that are going to avoid  
8 problems down the road.

9                   MR. LARKINS: Yes, unfortunately when I  
10 was discussing this with the staff, it is almost too  
11 late for some of the -- you know, designs like the  
12 ESBWR and the AP-1000 and others which are pretty  
13 close to design certification. But there still may be  
14 things that we can --

15                   MR. STROSMIDER: Yes, certainly there are  
16 operational issues that are important.

17                   CHAIRMAN RYAN: John, just one other  
18 comment. I think the decommissioning area, Jack, is  
19 one that when you have your retreat that I would mark  
20 as an A plus in terms of the cooperation between the  
21 staff and the Committee. We started very early on, as  
22 you recall, with a working group meeting that you held  
23 across the street. And it really came to a fine point  
24 for us when, you know, we had this same working group  
25 panel in to review the revised guidance. And they

1 reported to us that all the questions that they had  
2 raised in the first working group had been addressed.

3 And which, you know, that's a huge thumbs  
4 up from our perspective that, you know, we were able  
5 to give you input very early on in your process,  
6 which, you know, you can adequately reflect in the final  
7 product.

8 And it was something that was, you know,  
9 kind of a real win. There were practitioners in the  
10 field and they came in, you know, twice and felt that  
11 they had really given good input on things that would  
12 help them. And they were real positive about it. So  
13 if we have a model to go by, that's probably one to  
14 follow.

15 MR. STROSMIDER: That's good feedback.  
16 Appreciate it.

17 MR. LARKINS: Okay. Another area is waste  
18 determinations. I think we are making reasonable  
19 progress in this area. Now there were some things  
20 that were included in the SRM which were somewhat of  
21 a surprise like monitoring research on technology  
22 regarding waste incidental to reprocessing. We had  
23 planned to provide comments on the SRP. And we are in  
24 the process of doing that.

25 And in looking at representative cases in

1 terms of the review of the implementation or use of  
2 the SRP. And I think also there is another item which  
3 relates to providing support or looking at special  
4 issues related to waste determinations. And we are  
5 doing that actually this month with a working group  
6 meeting on behavior and degradation of barriers.

7 MR. DIAS: Yes, this is beginning to --  
8 I'm sorry -- tomorrow there is full-day working group  
9 meeting on synergies that bear on the performance of  
10 those barriers. Also during this July meeting, we are  
11 going to be reviewing the draft standard review plan  
12 for the waste determination.

13 There is a visit to the Hanford tank waste  
14 sites that is going to be in October. The whole  
15 Committee is going to hold meetings. And they have  
16 the site for four days there.

17 There is also a review in December. We  
18 are planning a review of DOE's waste determination  
19 research reports. So we are trying to gather enough  
20 information so that we can be better instructed on  
21 those things.

22 MR. LARKINS: Allen, did you want to chime  
23 in on anything?

24 VICE-CHAIRMAN CROFF: No.

25 MR. LARKINS: No, okay. The only thing I

1 would add -- this is sort of challenge because you  
2 know the budget is very limited in the area of waste  
3 determination so the added items that were placed in  
4 the budget were somewhat unfunded. So we had to take  
5 a look at a way to do this within the resources that  
6 we currently have available.

7           The next item is on low-level waste. And  
8 the ACNW started on a proactive initiative here to  
9 determine the adequacy of the NRC's technical basis  
10 and guidance to meet future challenges. And these  
11 challenges disposal options for greater-than-Class C  
12 waste, risk-informed waste classification schemes,  
13 other opportunities to risk inform Part 61.

14           And as you know, we have had a working  
15 group meeting on this subject. There was a White  
16 Paper that was prepared and reviewed and commented on  
17 by the staff and others and stakeholders. And that  
18 paper I think has received a lot of positive feedback.

19           We are now in the process of writing a  
20 letter -- or the Committee is in the process of  
21 writing a letter where they comment on the adequacy of  
22 the infrastructure for low-level waste regulations and  
23 what types of changes could be made in order to meet  
24 some of the challenges that exist.

25           And to me I look at this as sort of a win-

1 win situation because I think there were a lot of  
2 stakeholders who were looking to make significant  
3 changes in the regulations, including going to  
4 Congress and proposing changes in rulemaking and  
5 legislative changes.

6 And I think some of the suggestions that  
7 are going to come out of this will fit well within the  
8 strategic or the strategy that the staff was  
9 developing in this area. With maybe some  
10 modifications.

11 MR. DIAS: Yes, the only activity that we  
12 had scheduled for this was initially scheduled for  
13 September. This was to hear the public comments that  
14 NMSS received from the proposed rule that just went  
15 out for public comment last week. And I understand it  
16 is now -- it has been extended. It is going to be 60  
17 days. So it is not going to happen in September.

18 October, the whole Committee will be in  
19 Hanford so we would like to hear those comments in  
20 November -- during the November meeting. This is the  
21 only activity we have related to this item.

22 CHAIRMAN RYAN: And very quickly, I think  
23 this is another success story in that Larry Camper and  
24 Scott Flanders, Jim Kennedy and others, have all  
25 participated with our efforts early on. The White

1 Paper will end up being published as a new reg. And  
2 that is also an example of knowledge management. Not  
3 just for the sake of documenting the history of low-  
4 level radioactive waste from the Ocean Disposal Act of  
5 `65.

6 But it really helped us prepare for one of  
7 the good questions we can ask.

8 And I think you see in the letter that  
9 there are suggestions for things that are currently  
10 within the regulatory framework that can be easily  
11 addressed to better risk inform approach as to low-  
12 level waste management questions. And maintain proper  
13 health and safety. And to do a real good job of risk  
14 informing different options.

15 You know the waste that were on the table  
16 in `79 when the regulation came around are not the way  
17 ways that are on the table today. But there are some  
18 real positive opportunities.

19 And, again, that is an example where both,  
20 you know, the NMSS staff, us, and the industry  
21 participants really made it a very fruitful working  
22 group. Low Level Waste Forum and others participated  
23 and it really, I think, gave us a very rich letter.  
24 I hope it is of great use.

25 MR. STROSMIDER: Yes, I would agree. In

1 fact, I was going to comment on it, too. I think this  
2 was a very good process, particularly the way it was  
3 worked up with the Committee and the staff early on in  
4 terms of our overall approach to this issue. It is a  
5 significant issue. It is complex. I don't need to  
6 tell you but I think, you know, we laid out the  
7 approach that would be used by the Committee and the  
8 staff working together.

9 And we are -- the Commission is expecting  
10 a paper from the staff later this year. I'm not -- it  
11 was originally September but I think it may have been  
12 --

13 PARTICIPANT: Closer to the end of the  
14 year now.

15 MR. STROSMIDER: -- closer to the end of  
16 the year. So that has slipped a little but the  
17 foundation that is laid in the White Paper and in the  
18 workshops and the other discussions are going to be  
19 very helpful to us in putting that together. So I  
20 think that was a good collaborative effort.  
21 Appreciate it.

22 MR. LARKINS: Yes. And we don't have any  
23 follow-on activities currently scheduled. But I think  
24 after the Commission gets back to the staff and the  
25 Committee on your paper and on the Committee's letter

1 report, then, you know, collectively we can decide on,  
2 you know, how to go forward from there.

3 So I think it would be a good opportunity  
4 for the Committee to continue to work with the staff  
5 in looking at the regulatory framework in the area of  
6 low-level waste disposal.

7 MR. STROSMIDER: Unfortunately, I do have  
8 to leave but I appreciate your time. There is some  
9 staff here that can continue the interactions. Thank  
10 you.

11 MR. LARKINS: I was going to -- one more,  
12 Jack, just -- I think Mike and I are planning on being  
13 at your retreat the next two days. And we appreciate  
14 that opportunity. So if there are any questions, we  
15 certainly can try to --

16 MR. STROSMIDER: Great. Yes, we are  
17 looking forward to having you there. I think we've --  
18 we are trying to expand our participation and finding  
19 that that adds a lot of value to our efforts. So  
20 good, look forward to seeing you.

21 MR. LARKINS: Thank you.

22 We might as well finish up. Health  
23 physics -- the Commission was interested here in  
24 finding out the review and comment on the March 2005  
25 report of the French Academy of Science on radiation



1 levels -- risk of low-dose rates and how that was used  
2 in the BEIR VII report or if it had been considered at  
3 all.

4 And also the data developed by DOE's Low-  
5 Level Radiation Research Program. And I'm not sure  
6 how we are going to handle that report. It says  
7 report on the differences. I think it will be a  
8 report on how this information may or may not have  
9 been used. And whether it had any influence at all.

10 And I think we heard some of that this  
11 morning in this morning's discussion. So that will be  
12 a follow on. And I think we are scheduled to have the  
13 French come in --

14 MR. DIAS: In November.

15 MR. LARKINS: -- in November.

16 MR. DIAS: Yes.

17 MR. LARKINS: So I would think we probably  
18 be issuing a report sometime in the December time  
19 frame.

20 MR. DIAS: Yes. We are also scheduled to  
21 attend -- there is a NEIS IRCP workshop at the end of  
22 August. There is also a DOE workshop on Low Dose  
23 Radiation Research Program late July, early August.  
24 So those are all going to be, you know, data  
25 gathering.

1 MR. LARKINS: Any other comments on that?

2 CHAIRMAN RYAN: No.

3 MR. LARKINS: No? Fuel cycle facilities,  
4 scheduled to review and comment on rulemaking  
5 addressing the in-situ leach uranium mining. And we  
6 talked about that a little bit earlier today. And I  
7 think that is coming along.

8 We have got trips scheduled to Nebraska,--

9 PARTICIPANT: Jackron, Nebraska.

10 MR. LARKINS: -- Jackron, Nebraska to take  
11 a look at a facility out there. And the staff is  
12 scheduled to come in with a proposed rule in  
13 September, is it?

14 MR. DIAS: That is correct.

15 MR. LARKINS: And at that time, the  
16 Committee will start drafting or thinking about  
17 providing comments. When are the comments due to the  
18 -- when is the rule due to the Commission, I guess I  
19 should say?

20 MEMBER WEINER: It's due in January.

21 MR. LARKINS: Okay. So we've probably --

22 MEMBER WEINER: We need to get a letter  
23 out in December.

24 MR. LARKINS: November?

25 MEMBER WEINER: November, December.

1 MR. LARKINS: Okay.

2 MEMBER WEINER: Yes.

3 MR. LARKINS: There are a number of other  
4 activities that are scheduled in this area. Briefing  
5 by technical experts on existing and advanced nuclear  
6 fuel recycle technologies, briefing by NRC staff on  
7 regulatory framework to support licensing of fuel  
8 recycle facilities. And one of the things that the  
9 Committee had decided was to prepare a White Paper on  
10 this subject, I guess with options. At least that was  
11 my thinking.

12 And, Allen, maybe you can correct me.

13 VICE-CHAIRMAN CROFF: I think the White  
14 Paper is going to be mostly focused on gathering  
15 together background, sort of a little bit historical  
16 on the fuel cycle. But trying to get in one place in  
17 a coherent form these advanced fuel cycles so we  
18 understand just what is in them. And then can try and  
19 identify what might need to happen based on that.

20 Right now our level of understanding is  
21 pretty rudimentary. And so it is really an education  
22 process. And then we will try to see what we can --

23 MR. LARKINS: This would sort of be like  
24 the low-level waste White Paper.

25 VICE-CHAIRMAN CROFF: Yes. Conceptually

1 yes.

2 MR. LARKINS: Okay. Anything else on  
3 that?

4 MR. DIAS: Basically, in order to support  
5 that, we also expect some annual briefing from NMSS on  
6 how they are progressing their recommended  
7 reprocessing rules.

8 MR. LARKINS: Right now there is no  
9 schedule for a proposal?

10 MR. DIAS: No, it's on the queue. We  
11 don't have anything scheduled. We are also in the  
12 queue potential recycle rulemaking activities. If we  
13 hear anything, we would be, you know, scheduling that  
14 presentation as well.

15 MR. LARKINS: Okay.

16 MR. DIAS: Yes, that is kind of in the  
17 future.

18 MR. LARKINS: We got transportation of  
19 radioactive materials. This is a Tier 2 issue also.  
20 You know we were scheduled to get a briefing on the  
21 package performance study and test plan.

22 However, with the redirection, the DOE,  
23 and the focus on the TAD, the multipurpose cannister,  
24 that is being put off to the future at which time we  
25 will get some information on design and I guess the

1 staff will, at that point, come forward with a new  
2 test plan.

3 So at that point, we would provide  
4 comments to the Commission. And that was it.

5 Any questions?

6 MEMBER WEINER: I have a question. I  
7 understand that SFPO or whatever their new form may be  
8 is looking at revising NUREG-0170, the EIS. Have we  
9 heard anything about that? NUREG-0170 is the  
10 Environmental Impact Statement on transportation.

11 MR. DIAS: No, I am not aware of it. No.

12 MEMBER WEINER: Okay.

13 MR. DIAS: We can ask them on Thursday.

14 MEMBER WEINER: Do that.

15 MR. LARKINS: That's it. If you have no  
16 questions, that is sort of a quick snapshot of how we  
17 have revised the calendar and the action plan to be  
18 responsive to the Commission's directions for the  
19 coming year.

20 CHAIRMAN RYAN: Okay, lots to do.

21 MR. LARKINS: Lots to do, right.

22 CHAIRMAN RYAN: With that, on we go.

23 I think we are scheduled now to begin a  
24 letter writing with the ICRP letter first then the  
25 low-level waste letter second. I'm hoping the ICRP

1 letter will go fairly smoothly and quickly.

2                   And so without further ado, Michele, if  
3 you will put that on the screen, I'll just read it out  
4 from the screen.

5                   (Whereupon, the above-entitled meeting was  
6 concluded at 3:10 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25