

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Nuclear Waste
 172nd Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, July 20, 2006

Work Order No.: NRC-1156

Pages 1-294

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

172ND MEETING

+ + + + +

THURSDAY,

JULY 20, 2006

+ + + + +

ROCKVILLE, MARYLAND

The meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Michael T. Ryan, Chair, presiding.

COMMITTEE MEMBERS PRESENT:

- MICHAEL T. RYAN Chairman
- ALLEN G. CROFF Vice-Chair
- JOHN T. LARKINS Executive Director
- JAMES H. CLARKE Member
- WILLIAM J. HINZE Member
- RUTH F. WEINER Member

ACNW CONSULTANTS PRESENT:

- HOWARD LARSON
- LARRY TAVLAREDES

1 RAY WYMER

2

3 ACNW STAFF PRESENT:

4 ANTONIO DIAS

5 LATIF S. HAMDAN

6 MICHAEL P. LEE

7 DEREK WIDMAYER

8

9 NRC STAFF PRESENT:

10	GORDON BJORKMAN	RES
11	ANNA BRADFORD	NMSS
12	DAVID ESH	NMSS/DWMEP
13	JOHN FLACK	ACRS
14	SCOTT FLANDERS	NMSS
15	ED HACKETT	SFPO
16	RONALDO JENKINS	NMSS
17	ASIMIOS MALLIAKOS	RES
18	JOCELYN MITCHELL	RES
19	JOHN MONNINGER	RES
20	CHRISTIANNE RIDGE	NMSS/DWMEP
21	ALAN RUBIN	RES
22		
23	<u>VIA TELEPHONE:</u>	
24	CHIP ROSENBURGER	
25	DON WILLIAMS	Oak Ridge

1

2 ALSO PRESENT:

3 ED ABBOT ABZ

4 KEN CANAVAN EPRI

5 JAMES LAIDLER ANL

6 MARTY MALSCH State of Nevada

7 KEMAL PASAMEHMETOGLU, INL

8 BUZZ SAVAGE DOE

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

	C-O-N-T-E-N-T-S	
1	AGENDA ITEM	PAGE
2	Opening Remarks	4
3	U.S. Department of Energy Briefing on	
4	Advanced Fuel Cycle Initiative, AFCI	
5	Dr. Jim Laidler	7
6	Dr. Kemal Pasamehmetoglu	41
7	Standard Review Plan for Activities	
8	Related to U.S. Department of Energy Waste	
9	Determination	
10	Anna Bradford	89
11	Dave Esh	93
12	Christianne Ridge	113
13	Anna Bradford	132
14	RES/NMSS Dry Cask Storage Probabilistic	
15	Risk Assessment Study	
16	Ronaldo Jenkins	182
17	Gordon Bjorkman	189
18	EPRI Dry Cask Storage PRA Study	
19	Ken Canavan	251
20	Ajourn	
21		
22		
23		
24		
25		

P-R-O-C-E-E-D-I-N-G-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

7:59 a.m.

CHAIRMAN RYAN: Okay, ladies and gentlemen, we have a full day, so we'll come to order, please. This is the 4th day of the 172nd meeting of the Advisory Committee on Nuclear Waste. During today's meeting the Committee will consider the following; US Department of Energy Briefing on Advanced Fuel Cycle Initiative; Standard Review Plan for Activities Related to the US Department of Energy Waste Determinations; the Research/N/MSS Dry Cask Storage Probabilistic Risk Assessment Study and the Electric Power Research Institute Dry Cask Storage Probability Risk Assessment, Probabilistic Risk Assessment Study.

We'll also have a brief discussion of potential ACNW Letters at the end of the day. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Is Antonio here. Derek Widmayer will be the designated Federal Official for today's -- oh, I'm sorry, John Flack will be the designated Federal Official for today's initial session, sorry, John.

MR. FLACK: No problem.

CHAIRMAN RYAN: We have received no

1 written comments or request for time to make oral
2 statements from members of the public regarding
3 today's sessions. Should anyone wish to address the
4 Committee, please make your wishes known to one of the
5 Committee staff. It is requested that speakers use
6 one of the microphones, identify themselves and speak
7 with sufficient clarity and volume so they can be
8 readily heard. It's also requested that if you have
9 cell phones or pagers, that you kindly turn them off.

10 Thank you very much and without further
11 ado, I'll turn over today's opening session to Allen
12 Croff, Vice-Chair. Allen?

13 VICE-CHAIRMAN CROFF: Okay, thank you,
14 Mike. Our first session is on the Department of
15 Energy's Advanced Fuel Cycle Initiative. I'm very
16 pleased, we've got a number of representatives of DOE
17 and in the National Laboratories here to talk to us
18 about it and I'd like to introduce Buzz Savage, who is
19 the Program Director of the Advanced Nuclear Fuel
20 Cycle Initiative and also the Manager of Research and
21 Development for the Global Nuclear Energy Partnership.
22 And I'll let Buzz introduce his speakers and any
23 introductory remarks. I think the only caution is
24 that we are on the record, so in answering questions,
25 you need to speak into the microphones and I'm not

1 sure whether the microphone in that corner works or
2 not.

3 So, Buzz, I'll turn it over to you.

4 Okay, thank you very much, Allen for the introduction.
5 My name is Buzz Savage and I work at the Department of
6 Energy Office of Nuclear Energy and my job for the
7 last three years has been the Director of the Advanced
8 Fuel Cycle Initiative which is the program from which
9 the Global Nuclear Energy Partnership is now coming
10 into the forefront as our premier vision for advanced
11 fuel cycles of the future. It is a pleasure for me to
12 be here today.

13 I have two speakers who are subject matter
14 experts in the main facets of our advanced fuel cycle
15 research and development in the area of spent fuel
16 separations and treatment systems, Dr. Jim Laidler
17 from Argon National Laboratory and in the area of fuel
18 cycles and fuel development work, Kamal Pasamehmetoglu
19 from Idaho National Laboratory. Also in the audience
20 is James Bresee of our office in DOE. He is a subject
21 matter expert in advanced fuel treatment technologies
22 as well, so among us we hope to be able to answer any
23 questions that you may have on the Advanced Fuel Cycle
24 Initiative in the Global Energy Nuclear Partnership.

25 I want to point out that the Global Nuclear

1 Energy Partnership was introduced to the world only a
2 few months ago and in the State of the Union Address
3 by the President followed by the Department's budget
4 roll-out in February of this year. The program is
5 still under development. There are many aspects that
6 are still not in the public domain as we work towards
7 issuing various expressions of interest and request
8 for proposals for contractual activities associated
9 with the US activities in the partnership but we will
10 be able to answer, as best we can, all of your
11 questions.

12 So without further ado, I'd like to
13 introduce Dr. James Laidler from Argon National
14 Laboratory who will give you an overview of the GNEP
15 vision, Global Nuclear Energy Partnership, and the
16 specific technology presentation on the advanced spent
17 fuel separations activity.

18 DR. LAIDLER: Thank you, good morning. As
19 Buzz said, I'll give you just a few introductory
20 slides on the Global Nuclear Energy Partnership and
21 then talk about the development of advanced
22 separations technologies that we propose to employ in
23 this initiative. I'm the Director for -- the National
24 Technical Director for the Development of Advanced
25 Separations Technologies and let me begin.

1 The key elements of the GNEP program, Global
2 Nuclear Energy Partnership, are to, as shown here,
3 expand the use of nuclear power in the United States
4 and in the world and in doing so, to minimize nuclear
5 waste by demonstrating recycle technology so that it
6 can be employed economically, to demonstrate advanced
7 burner reactors in the transmutation of certain radio-
8 toxic materials that are present in spent fuel, to
9 establish reliable fuel services for our partners in
10 GNEP, to demonstrate small exportable reactors that
11 can be deployed worldwide and to also demonstrate
12 enhanced nuclear safeguards technologies. Key to the
13 GNEP is a reliable fuel services system. The intent,
14 really the basic intent of GNEP is to permit the
15 expansion of nuclear energy worldwide without
16 spreading sensitive technologies, that is uranium
17 enrichment and spent fuel reprocessing. The system
18 under GNEP is organized into fuel cycle nations which
19 would operate nuclear power plants and fuel cycle
20 facilities both uranium enrichment and spent fuel
21 reprocessing and reactor nations which would operate
22 reactors under a condition in which they would lease
23 the nuclear fuel and return the used fuel to the fuel
24 cycle nations for processing.

25 And the system is schematically shown here

1 where the fuel supplier nations or the fuel cycle
2 nations would operate with a closed nuclear fuel
3 cycle. The user nations would receive fresh fuel from
4 the supplier nations and then return the used fuel to
5 those fuel cyclers or fuel supplier nations for
6 reprocessing.

7 There are a number of projected benefits
8 from GNEP. First, of course, these are motherhood
9 statements, to reduce our dependence on fossil fuels
10 for electrical generation, to provide that electric
11 energy without generating greenhouse gasses. To
12 recycle used fuel to minimize nuclear waste and also
13 to curtail the proliferation concerns associated with
14 the accumulation of an inventory of spent nuclear fuel
15 in the so-called reactor nations. To safely and
16 securely allow those nations to deploy nuclear power
17 to meet their energy needs and raise their standards
18 of living. To assure the maximum energy recovery from
19 used nuclear fuel and, perhaps, most importantly to
20 this Committee, to reduce the number of required
21 geologic repositories to one for the remainder of this
22 century.

23 And I'll show you how we're going to do
24 that. If we were to continue with the once through
25 direct disposal fuel cycle, without recycling, you can

1 project significant growth in the accumulated
2 commercial spent fuel inventory and in this graph,
3 I've plotted the spent fuel inventory in metric tons
4 as a function of time and I've extrapolated to the end
5 of the century for two cases. The MIT study, which
6 was published in 2003, was based on a growth rate of
7 about 3.2 percent annually. They carried their
8 projections only to 2050 at which point they had
9 projected growth in this country to 300 gigawatts
10 electric, about three times the present generating
11 capacity.

12 CHAIRMAN RYAN: Jim, I hate to interrupt you
13 but we need to make a phone connection that we thought
14 was going to be made already. If you'd just stand by
15 for a second, we'd appreciate it. Sorry to interrupt.

16 DR. LAIDLER: Sure.

17 MR. WILLIAMS: Good morning, this is the
18 ACNW meeting making a phone connection for you.

19 MR. WILLIAMS: Thank you.

20 CHAIRMAN RYAN: Would you just tell us who
21 you are and where you are and that way everybody in
22 the room will know whose on the phone.

23 MR. WILLIAMS: This is Don Willams, with Oak
24 Ridge National Laboratory.

25 CHAIRMAN RYAN: All right, Don, thanks for

1 being with us.

2 MR. WILLIAMS: Thank you for having me.

3 CHAIRMAN RYAN: Okay. Jim, please proceed.
4 Thanks.

5 DR. LAIDLER: The other projection is the
6 EIA projection of 1.8 percent annual growth and these
7 are assumed to take place in 2015 and beyond. And
8 this is the projected accumulation at that growth
9 rate. I've shown in red here two lines. The first is
10 the well-known legislative capacity of the Yucca
11 Mountain Repository, 63,000 tons of spent fuel, 7,000
12 tons of defense waste, and then the dotted line is
13 adjustable, depending on who you talk to, but this is
14 -- one value of the technical capacity of the
15 repository based on limited exploration, it's about
16 130,000 tons.

17 And you see that we exceed those capacities
18 early on in the game. By 2030 or so, we exceed the
19 technical capacity of the repository and if you
20 project at those rates, we would accumulate several
21 hundred thousand tons of used nuclear fuel if we
22 continue on the direct disposal path. To analyze the
23 benefits of the GNEP system to the repository, we made
24 certain design assumptions to do this evaluation. We
25 really focused on two controlling design criteria that

1 deal with the management of decay heating in the
2 repository. The first criterion is that the rock
3 temperature midway between drifts which are 81 -- or
4 81 meters center to center, should not exceed the
5 local boiling point of water. At that elevation it's
6 96c and that second one is that the temperature of the
7 wall of the drifts should not exceed 200c.

8 The first criterion has to do with the
9 prevention of the formation of a vapor barrier over
10 the repository which prevents the trickling down of
11 surface water into the water table. The second has to
12 do with the stability of the rock in the repository.

13 Using those criteria, we arrive at the
14 reference loading for the repository drifts in terms
15 of tonnage of spent fuel per meter of lights of the
16 drifts and you see that at a loading of 1.17 metric
17 tons per meter of lights, we reach the rock
18 temperature, the midway point limit of 96c in this
19 case of this loading system.

20 In GNEP, we're following two main paths for
21 the development of advanced separations technologies.
22 The first is the management of the spent fuel coming
23 from the current generation of light water reactors
24 and future advanced light water reactors; and
25 secondly, to close the fuel cycle for advanced burner

1 reactors. In the near term, we have the issue of the
2 very large amount of spent fuel that's being generated
3 by our commercial reactors which is now at a rate of
4 about 2,000 metric tons per year and I showed you that
5 accumulation will exceed the repository capacity
6 greatly and previously I mentioned also our objective
7 is to eliminate the need for a second repository in
8 this century.

9 Longer term objectives deal with the closure
10 of the advanced burner reactor fuel cycle to assure
11 the economic sustainability of nuclear power in this
12 country by providing assurance of a fuel supply at
13 reasonable cost and to support the transmutation at
14 high efficiencies of radio-toxic materials that are
15 present in spent fuel. We're developing both aqueous
16 and non-aqueous treatment processes for the near-term
17 and treatment of commercial oxide fuel we're focusing
18 on aqueous methods because they're highly mature. The
19 longer term objective, the advanced burner reactor
20 fuel treatment, because that fuel is possibly going to
21 be a sodium-bonded metallic fuel, it may be more
22 amenable to pyro-chemical and non-aqueous treatment
23 methods. In both these cases, we're focusing an
24 overriding concern on the economics of the fuel cycle
25 and the protection of special nuclear materials.

1 We're using a solvent extraction process for
2 the treatment of LWR spent fuel. It's highly mature.
3 It's industrial practice in France, UK, Russia and
4 Japan and it's most importantly capable of achieving
5 very high decontamination factors from the separated
6 products, and this is important because if we were to
7 engage in thermal recycle, of the recovered materials,
8 we have to eliminate the high cross section fission
9 products. We we're requiring a decontamination
10 factor, a DF, of greater than 10,000. Now, that may
11 not make much sense to you but let me say that in the
12 defense production of plutonium, decontamination
13 factors for the plutonium product have historically
14 been on the order of 10^7 to 10^8 so it's not an
15 unreasonable target.

16 For the case of fast reactor recycle, we
17 have to reduce the rare earth fission product content
18 and achieve a decontamination factor of the
19 lanthanides, the rare earth fission products, in
20 excess of about 250. The special feature of aqueous
21 solvent extraction processing is that it gets you a
22 great deal of flexibility in the degree of
23 partitioning of the constituents of spent fuel. And
24 this is something that we may need to really
25 capitalize on the future. We have been emphasizing a

1 group extraction of the transuranic elements to
2 control a degree of poor fission risk reduction to the
3 process. What we're developing is a suite of
4 processes for alternative applications.

5 Just quickly showing you something about the
6 fuel that we're dealing with from the commercial
7 reactors. This is probably old hat to all of you but
8 typical PWR fuel assemblies are shown here. You see
9 the makeup of those assemblies. They're significant.
10 It's something that requires great attention when you
11 come to processing these materials. Their length is
12 shown here. It's about 13 or 14 feet long. It weighs
13 about 1400 pounds and it's got a great deal of
14 hardware associated with it; 154 kilograms, which is
15 important because it becomes part of a significant
16 waste stream. In fact it's probably the largest waste
17 stream that we have.

18 I wanted to show you this. This is in
19 response to one of the events, questions that we
20 received. This is the important radio-nuclide content
21 of spent fuel. Most of it is uranium. There is a
22 significant quantity of uranium-236 in this spent fuel
23 which is what impacts the potential for re-enrichment
24 of the uranium. So if we were to re-enrich the
25 recovered uranium, we'd have to compensate for that

1 value 236 which has a rather high neutron absorption
2 cross-section.

3 Krypton, one of the noble fission gasses, is
4 present in a quantity of, as shown here, about 6.6
5 liters per ton of spent fuel if you bottle it at 10
6 atmospheres pressure. Xenon is much more significant.
7 It's an incredibly large amount of material. At 10
8 atmospheres, it's 172 liters per ton and that's very
9 important in how we deal with the noble fission gasses
10 coming out of the spent fuel.

11 Radon, not much of an issue. Carbon-14, you
12 see about .3 of a gram per ton; tritium maybe about .6
13 of a liter per ton at standard temperature and
14 pressure. And then you see the transuranics.
15 Plutonium is the dominant transuranics, about 85
16 percent or so at a burn-up of around 50 megawatt --
17 50,000 megawatt days per ton. I wanted to emphasize
18 these too, the technetium and iodine, the long-lived
19 fission products. Technetium is a significant
20 constituent of spent fuel, about one and a quarter
21 kilograms per ton and iodine is maybe 424 grams per
22 ton of spent fuel.

23 All of these are important because they
24 dictate the choice and the details of the process that
25 we intend to deploy. Technetium and iodine are

1 important. This is an extract from the Yucca Mountain
2 project EIS which shows, and it's probably outdated,
3 but it shows the mean annual dose as a function of
4 time. The purple line here, this curve is the
5 technetium-99 contribution. The red is neptunium-237
6 which means that not only do we have to deal with the
7 long-life fission product, iodine technetium, but we
8 also have to deal with the transuranics that
9 contribute to the offsite dose as well as being a
10 significant part of the radio-toxicity of the spent
11 fuel.

12 So we have to not only deal with the
13 neptunium but with its precursor americium-241. I
14 mentioned that we're developing a suite of processes
15 that we call UREX+. The variants UREX+1 and +1A are
16 intended for fast reactor recycle of transuranics.
17 Plus 1 leaves the lanthanide fission products with the
18 transuranics for extended storage and UREX+1A produces
19 a pure stream of transuranics. It separates the
20 lanthanide fission products. UREX +2 and +3 are
21 intended for thermal reactor recycle and we have
22 chosen to separate in that case, plutonium together
23 with neptunium. It provides some advantages in
24 tracking the material if we include the neptunium with
25 the plutonium. Plus 2 delays the removal of the

1 lanthanides, +3 does the lanthanide separation as part
2 of the process.

3 And this would be the standard thermal
4 recycle process. UREX+4 is also a process intended
5 for thermal reactor recycle, plutonium and neptunium,
6 that goes one step further and separates americium
7 from curium which enables us to do transmutation of
8 americium in a thermal reactor. It does avoid fuel
9 fabrication problems that are associated with the
10 presence of curium but it also introduces the issue of
11 having to store the curium, which is no small problem.

12 So here's the suite of UREX+ processes. I
13 won't dwell on this except to say that each one of
14 them follows the same path initially. We separate
15 uranium as a pure uranium stream. We co-extract
16 technetium with the uranium and then separate the
17 technetium from the uranium. That's intended for
18 immobilization in a highly durable waste form. We
19 then separate cesium and strontium to eliminate the
20 short-term decay heat load on the repository and then
21 we go into the various separations of the transuranic
22 elements.

23 When GNEP was first conceptualized, a very
24 high level decision was made that we would process LWR
25 spent fuel using a technology that did not involve the

1 separation of plutonium, consistent with past US
2 policy, that we would not engage in civil nuclear fuel
3 cycle involving separated plutonium. And that led to
4 a process that I showed you, the UREX+1A as our
5 reference process in GNEP.

6 It separates pure uranium, highly purified,
7 for future use, separates cesium, strontium, to take
8 care of the short-term decay heat load and separates
9 the transuranic elements as a group and this group of
10 transuranics is intended for recycle in fast reactors.
11 We have a number of performance targets that have been
12 established for UREX+1A. We intend to recover at
13 least 99.5 percent of the uranium at very high purity,
14 at least 4/9. We've demonstrated 6/9 in laboratory
15 tests and then that uranium would be converted to an
16 oxide for storage or ultimate recycle. We want to
17 recover 99 percent of the soluble technetium and
18 convert it to a metallic form that would be
19 incorporated in a metallic waste form. We want to
20 clean the cladding hulls if possible to a non-TRU
21 condition, less than 100 nanocuries of transuranics
22 per gram of cladding for compaction and for disposal
23 as a low-level waste. We'll take a portion of those
24 cladding hulls and combine them with the sludge, the
25 undissolved solids from the nitric acid dissolution

1 step in the UREX process, and combine those with the
2 metallic technetium to make that metallic waste. We
3 want to recover 99 percent of the gaseous fission
4 products, iodine and krypton.

5 We will recover the krypton and xenon
6 together, isolate them, recover them by cryogenic
7 means and then use cryogenic distillation to separate
8 the krypton from the xenon and then vent the xenon,
9 because xenon are all stable isotopes. We want to
10 recover 95 percent of the tritium and carbon-14. We
11 intend to recover 99.9 percent of the cesium and
12 strontium. They'll come together with barium and
13 rubidium and place those in a mineral waste form for
14 sub-surface decay storage.

15 We want to recover 99.5 percent of
16 plutonium, 99 percent of neptunium, 99.9 percent of
17 the americium and 99.5 percent of the curium. And
18 then overriding it all is we will produce no high
19 level liquid waste that requires underground tank
20 storage. Just to remind you of the reference case for
21 the Yucca mountain loading with direct disposal of
22 spent fuel. If we apply those same calculations to
23 the same fuel with 99.9 percent of the transuranics
24 removed, in this case 97 percent of the cesium and
25 strontium removed, then we find that the limiting

1 criterion is the drift wall temperature and that is
2 reached at a loading of 202 metric tons per meter.
3 Now that compares to the 1.17 tons per meter in the
4 direct disposal case.

5 So it's a very significant increase in the
6 effective capacity of the repository. And it's shown
7 in another way here which may be a little more
8 illustrative and in this case the z-axis is the
9 relative increase in capacity of the repository as a
10 function of the fraction of cesium and strontium
11 remaining in the waste and the transuranics remaining
12 in the waste. So if we had 3/9 recovery of the
13 transuranics, and 3/9 recovery of the cesium and
14 strontium, then we'd have a 225 factor increase in
15 repository capacity.

16 This is a simplified schematic of the
17 UREX+1A process where we separate pure uranium for
18 storage, we separate the long-life fission products,
19 technetium and iodine, separate cesium and strontium
20 for decay storage, the transuranics for recycle and
21 then the residual fission products, mainly the
22 lanthanides and the transition metals for geologic
23 disposal along with the fuel cladding that the other
24 sub-assembly hardware. And this in its -- all its
25 glory is the UREX+1A process. I'll just spend a

1 little time going through this because you've
2 basically seen the elements of it.

3 The light water reactor spent fuel is
4 chopped and then dissolved in nitric acid. The
5 solution from the dissolver is clarified to remove any
6 particulate material and then it goes into the first
7 solvent extraction process which is called UREX. And
8 this is very much like the PUREX process but it
9 doesn't remove plutonium so we took off the P. And it
10 does that by addition of a complexant called
11 acetohydroxamic acid and this suppresses the
12 extraction of plutonium. The process simply uses
13 tributyl phosphate, the same reagent or same solvent
14 used in PUREX but with AHA present, it does not
15 extract plutonium.

16 It also does a very efficient job of
17 extracting the technetium along with the uranium. So
18 then we strip out the technetium and send that to an
19 alloying step where we will combine the cladding
20 hulls, the sludge from the dissolver and produce a
21 metallic waste form. Now the reason for doing that is
22 if we can convert all the technetium to metallic state
23 and put it in a large mass of zirconium, then it will
24 remain in the metallic state rather than the oxide
25 state. If it's present as an oxide, as you probably

1 know, it's very soluble in groundwater and highly
2 mobile in the Yucca Mountain geology. But if we can
3 retain it as a metal, it will not dissolve. It will
4 not become mobile and that large mass of zirconium
5 that's present with it will prevent -- its basically
6 a highly reducing atmosphere, so it will prevent the
7 oxidation of the technetium.

8 The uranium extracted in UREX goes to a
9 product conversion step, basically a calcining step
10 where we convert it to oxide and store it. And this
11 is very highly purified. It can be stored without any
12 requirement for shielding. We expect to be able to
13 store it in standard 55-gallon drums. The raffinate
14 , the waste stream from the UREX process, and I should
15 say the reason we call it UREX+ is that it's this
16 process, UREX, plus all these other things.

17 So the next one in the step is to remove the
18 cesium and strontium. We place that extraction step
19 here. It could be at any point in the process but we
20 do it here because having removed the uranium, the
21 highly absorbing mass of uranium and removing the
22 highly radioactive cesium and strontium, then it
23 becomes easier to track the presence of the fissile
24 materials. So we take out the cesium/strontium. We
25 convert it by a steam reforming process into an

1 aluminosilicate and put that into decay storage. Then
2 the raffinate from that process goes into a process
3 called TRUEX. TRUEX is a process that is well-
4 developed. It's been around for a long time. It's
5 actually in commercial application at Savannah River
6 for tank waste treatment.

7 The TRUEX process is very highly specific to
8 the transuranic elements. It also extracts
9 lanthanides, the rare earth fission products. So the
10 waste stream from the TRUEX process is the remaining
11 fission products except for the lanthanides and that
12 would go into high live waste from production. The
13 raffinate from the TRUEX process then goes to the
14 TALSPEAK process which is one that we can use to
15 separate lanthanides from the fission products. And
16 the lanthanides then go back into the high level waste
17 form production. The transuranics go to a step in
18 which we will blend a part of the uranyl nitrate
19 solution from the UREX process with this aqueous
20 stream from the TALSPEAK process and then send that to
21 the fuel conversion process where we convert the
22 liquid stream to oxides.

23 If the fuel that we're going to recycle is
24 oxide, then that's it. If the fuel is going to be
25 metallic, then we have to reduce the oxides to metals.

1 Then that goes into fuel fabrication. That fuel is
2 sent to an advanced burner reactor, a fast spectrum
3 reactor, and it operates its own closed fuel cycle so
4 that the spent fuel from the advanced burner reactor
5 then is processed. The recycled lanthanides go back
6 to fuel fabrication, that closes the fuel cycle. The
7 cladding hulls from the AVR spent fuel processing go
8 into high level waste as well as the residual fission
9 products and the cesium and strontium.

10 Now, we've very carefully looked at the
11 amount of waste that we'd be generating in this
12 process. It's a very important consideration. And
13 I've normalized this to a scale of 100 metric tons per
14 year. You can project to whatever size commercial or
15 industrial plant you'd like. We kind of think about
16 2500 tons is about right for an industrial process.
17 But for 100 tons of spent fuel per year, we generate
18 about 13.3 cubic meters of uranium oxide which is
19 classifiable as a low-level waste, a Class C waste.

20 The hulls, plus the technetium and the
21 sludge would be in an iron zirconium allow. That's a
22 high level waste stream about a cubic meter per year
23 for 100 tons. Iodine, we're presently looking at
24 potassium iodide but that's rather soluble in water,
25 so we're looking at other waste forms but this, if

1 it's KI it would be a high level waste, very small
2 volume. Xenon and krypton, we would bottle up the
3 krypton and have a very small volume of that. Tritium
4 would be a high level waste. We are still looking at
5 what that volume would be. Cesium, strontium as
6 aluminosilicate, again, a Class C waste after decay.
7 It's a significant volume, about 35 cubic meters per
8 year. The residual fission products could be in a
9 borosilicate glass or a different type of crystalline
10 waste form such as a crystalline silicotitanate.
11 That's a high level waste. If it's glass, it's around
12 six cubic meters per year.

13 Carbon-14 we'd capture as a sodium carbonate
14 also as a high level waste. Now if you add the high
15 level waste volumes in this table, it comes out to
16 around 10 or 12 cubic meters per year. For the same
17 amount of light water reaction spent fuel in the
18 direct disposal case, the unpackaged volume of that
19 100 tons is about 120 cubic meters. So we have about
20 a factor of 10 reduction in waste volume. So we have
21 both the benefits of reduced heat load repository and
22 reduced waste volume. Now that's maybe a secondary
23 effect, but it's going to result in fewer high
24 expensive -- highly expensive waste containers.

25 Another way of looking at the UREX+1A

1 process is to consider the attractiveness levels of
2 the various streams coming out of the process. And
3 the main thing I wanted to show you here is that we're
4 operating with very dilute streams, very dilute
5 concentrations of transuranic elements in these
6 process streams. If you're familiar with the DOE
7 order on graded safeguards, these have attractiveness
8 levels of either D or E and you see that it's D at
9 this point, it's level D at this point, D at this
10 point. It becomes a level C only when you've done the
11 final product conversion of the oxide.

12 Now, that has to do -- and here's the table
13 from that DOE order. At attractiveness level D,
14 basically this says that we would not have to operate
15 in a Category 1 security facility. Now, we will
16 probably do that anyway, make it a Category 1, but the
17 point I wanted to make is that the streams that are
18 present in this process are really not a proliferation
19 issue until you get to the final step where you
20 convert it to the fuel form. Now, the status of the
21 development of this process, we've demonstrated
22 UREX+1A process at laboratory scale in 2005 and this
23 year. We'll continue optimizing the process probably
24 through 2009. We're planning a pilot scale
25 demonstration of the process in the 2011, 2013 period

1 at a scale of around 30 to 100 metric tons of LWR
2 spent fuel per year at a location still to be
3 determined.

4 We expect an industrial scale spent fuel
5 recycling plant using that process to come on line and
6 maybe 2025 to 2030 time period at a very large scale,
7 2500 metric tons per year, to match the expected
8 output from our commercial fleet. It also helps to go
9 to that very large size as far as the economies of
10 operation because if you can capitalize on economy of
11 scale with an aqueous process, you've gained
12 significant reduction of cost.

13 Now on the fast reactor closed fuel cycle,
14 we can either use the UREX+1A process if it's oxide
15 fuel. If it's metal fuel, in the fast reactor system,
16 then we use a pyrochemical process and that's
17 illustrated schematically here. It's a process that
18 involves molten salt electro-refining. In this case,
19 we replace the chopped fuel pin segments into an
20 electrolyte salt, apply a potential and deposit pure
21 uranium on a cathode. Within -- of course, deposit
22 salt along with that uranium deposit. We remove the
23 salt by a process of distillation and cast uranium
24 into an ink, that becomes our uranium product.

25 The cladding hulls, the noble metal fission

1 products are left behind in the anode basket in that
2 electro-refining process and that goes to metal waste
3 form reduction. The remaining salt from the electro-
4 refiner contains some of the uranium, all of the
5 transuranics, and all the fission products except the
6 noble metals. And that goes into an electrolysis step
7 where we then recover the uranium transuranics
8 together and that becomes a mixed uranium transuranic
9 product with about 25 percent uranium and maybe five
10 to seven percent lanthanides.

11 The salt that is remaining in this system is
12 then sent to a polishing step where we remove the
13 residual transuranic, send the salt to a cesium
14 strontium extraction step and then that leads them to
15 the formation of a ceramic waste form where we
16 incorporate the other fission products. We've
17 demonstrated a portion of the pyro processing flow
18 sheet in the course of EBR-II spent fuel processing.
19 We're not conditioning around 150 kilograms of spent
20 EBR-II fuel per year. It's highly enriched uranium.
21 The driver fuel is discharged at about 57 percent U-
22 235. It's recovered and then down-blended to LEU.

23 The trues in this process are not recovered
24 but are sent to waste. The GNEP program would
25 complete the process by recovering the transuranics

1 and recycling them and we envision that plants used in
2 the ABR fuel cycle closure will be rather small, low
3 throughput plants, co-located with a cluster of
4 reactors, perhaps on the order of a gigawatt in the
5 reactor part which means that the plant throughput can
6 be something on the order of less than five tons per
7 year at which point this process is very economical.

8 The final slide; we're looking at a number
9 of advanced technologies for longer term applications
10 including uranium crystallization, the user of super-
11 critical CO₂, carbonate dissolution for the uranium
12 step, decladding by means of voloxidation. We're even
13 considering the recycle of zirconium. We believe that
14 we can recover zirconium at sufficiently high purity
15 that it can be sent to zirconium cladding fabrications
16 for recycle. They've looked into it and at least one
17 of them, Wachang (phonetic) has said that they'd be
18 delighted to accept it if it's free.

19 We'd also like to have a single step
20 extraction process for the transuranics to replace the
21 combination of TRUEX and TALSPEAK. And these are, as
22 I said, longer term application, probably for
23 application in a second generation recycling plant.
24 That completes my presentation. Thank you very much.

25 VICE-CHAIRMAN CROFF: Thank you, Jim. I

1 think we'd like to take a few questions right now.
2 We're a little bit tight on time at this point, so I'm
3 going to ask each person asking questions to limit
4 themselves to one question at this point. If we have
5 time at the end, we'll throw it open, but we'll see
6 how the second talk goes, but, Professor Hinze.

7 MEMBER HINZE: A quick question, if I might;
8 the hardware, is anything being done to look at the
9 hardware to minimize the hardware as part of the waste
10 stream?

11 DR. LAIDLER: It's something we're going to
12 have to live with. If we can achieve the kind of
13 decontamination that we hope, then it need not become
14 a high level waste stream. The nice thing about the
15 hardware is that it's not heat generated. So it
16 really doesn't impact on the repository. It takes up
17 some volume, of course, but you can compact it pretty
18 well, even if it has to go into the repository.

19 MEMBER HINZE: Thank you.

20 CHAIRMAN RYAN: If we could just pull out
21 that slide that was a table for a UREX+1A process
22 projected waste generation.

23 DR. LAIDLER: Sure.

24 CHAIRMAN RYAN: There it is. Uranium, of
25 course, on its own is Class A waste according to 61,

1 so I guess what's making it Class C?

2 DR. LAIDLER: I guess I'm being a little
3 conservative. It's pure enough that it would meet
4 Class A. If we can achieve that level of purification
5 in a large plant then it would be. Right now, we've
6 only done it at lab scale. We down to -- we're up to
7 6/9th percent purity, which means just a few atoms of
8 other materials in there.

9 CHAIRMAN RYAN: Well, I mean, to me that's
10 an important difference and I guess the message I take
11 away is all the decontamination factors really are
12 going to drive what's in what category for waste.

13 DR. LAIDLER: Sure.

14 CHAIRMAN RYAN: That's interesting.

15 DR. LAIDLER: Now, you know, we're dealing,
16 of course with a departure from current law. The
17 Nuclear Waste Policy Act categorizes all this as high
18 level waste.

19 CHAIRMAN RYAN: Right, and I think you just
20 used in a radio-nuclide content which you know that
21 has some merit as a risk-informed approach.

22 DR. LAIDLER: Sure.

23 CHAIRMAN RYAN: The other second part to the
24 question is, you know, the European system, IAA and
25 others there's an intermediate waste category. Do you

1 see the current waste -- set of waste categories in
2 the US as being -- as needing significant revision to
3 address this new system?

4 DR. LAIDLER: I'd love to see that. That
5 would give us an easy way to get rid of the hardware.

6 CHAIRMAN RYAN: One of the things that the
7 Committee has commented on and thought about in other
8 context is most of our definitions are origin based,
9 where the waste came from or who generated it rather
10 than what the radio-nuclide content is. And we've
11 commented that, you know, to be risk informed, you'd
12 take the approach of looking at the radio-nuclide
13 content and perhaps not so much on what process
14 generated it or where it came from. What do you think
15 of that idea?

16 DR. LAIDLER: I'd love to see us evolve into
17 that.

18 CHAIRMAN RYAN: Okay, thanks. I'm sure
19 there will be other questions and again, let me
20 apologize to our speakers. I do have a meeting at
21 10:00 o'clock with the Commission, so if you see me
22 leave, it's not due to lack of interest, but I just
23 have to make another meeting. Thanks.

24 MEMBER WEINER: Thanks very much for your
25 presentation. It's fascinating. Has the reduction --

1 I can't read my question. Has the reduction and
2 precipitation of technetium that you showed been
3 tested in something other than laboratory scale? Can
4 you do this on a large scale? Does it work?

5 DR. LAIDLER: We've not been able to do it
6 on large scale. It's strictly at the laboratory
7 scale. Now, our definition of laboratory scale is a
8 kilogram of spent fuel.

9 MEMBER WEINER: Uh-huh.

10 DR. LAIDLER: And we're limited in that
11 respect by two things, our budget and or facilities.

12 MEMBER WEINER: Do you anticipate any
13 problems in scaling up that process?

14 DR. LAIDLER: We don't think so. We've done
15 enough tests with recover of these materials. The
16 only uncertainty is in the case of the dissolver
17 sludge. We know that about 40 percent of the
18 technetium will be in the sludge and we fully expect
19 it to be metallic in that material. The key is to
20 prevent it from oxidizing during the course of
21 processing.

22 MEMBER WEINER: Thank you.

23 MEMBER CLARKE: Thanks, Jim. Just a quick
24 question; you've given us a real nice analysis of the
25 -- how the radio-nuclides follow through the process

1 in waste streams that are generated, linking waste
2 streams to different processes. I wonder, is there an
3 ongoing effort to determine what the facility would
4 look like at the end of its lifetime to identify
5 decommissioning issues and seeing how they might be
6 minimized as well?

7 DR. LAIDLER: We're presently in the midst
8 of the conceptual design of the pilot scale facility
9 that I mentioned which would operate at 100 tons per
10 year. We are paying a lot of attention the how to
11 decommission the facility. The present study that
12 we're doing is looking at existing facilities because
13 we're trying to do it on a fairly short time schedule.
14 It's nice to be able to utilize existing concrete. So
15 we have one facility existing that's contaminated
16 already, one that is not, actually two that are not,
17 and we're also looking at a Greenfield site for that
18 pilot plant.

19 If we're in the contaminated facility, we're
20 stuck with what's in there, but we're trying to
21 conceptualize the facility equipment, the process
22 equipment, so that it does make it easy to remove and
23 decontaminate.

24 MEMBER CLARKE: It seems like a good time to
25 be thinking about those things.

1 DR. LAIDLER: Absolutely.

2 MEMBER CLARKE: Thank you.

3 VICE-CHAIRMAN CROFF: I'll go next. A
4 couple of slides before this one, you had -- you
5 talked about process performance targets for your
6 various recoveries. Where did you -- how did you come
7 up with these, I guess, is the most straightforward
8 way to ask it and is there a need for more regulatory
9 guidance concerning the needed requirements or the
10 process performance targets?

11 DR. LAIDLER: Absolutely. These are numbers
12 that we've been wrestling with for about five years
13 now. We even formed an OECD NEA working group to
14 address performance criteria for advanced separations
15 technologies. And every time I introduce a set of
16 numbers to that group or even within our own program,
17 I get the reaction, "Well, you're just being
18 subjective". And I'm not entirely subjective. I'm
19 looking at reductions in heat load and in
20 radiotoxicity and in waste volume. And so that's
21 where these numbers -- how these numbers are based but
22 it would be nice to have some regulation which would
23 give it some sort of an imprimatur .

24 VICE-CHAIRMAN CROFF: Okay, and now by way
25 of a little explanation, the ACNW has initiated the

1 development of a White Paper on fuel recycle to help
2 us get smart is what this is for, and provide a basis
3 for future recommendations to the Commission and it
4 will address somewhat the history of recycle and to
5 some extent the advance processes. And this is a good
6 start, the talks today in providing information for
7 that.

8 To prepare that paper, we've got three
9 consultants on board and I'm going to give that a shot
10 at the questioning here. The first is Ray Wymer.

11 MR. WYMER: Hi, Jim.

12 DR. LAIDLER: Hi.

13 MR. WYMER: I just have a small question.
14 Tell me how you'll handle the tritium.

15 DR. LAIDLER: I wish I knew.

16 MR. WYMER: Okay, that's a good answer.

17 DR. LAIDLER: We are planning in the
18 chopping step and in the dissolution step to carry out
19 those operations in an enclosed cell where we would
20 use an inert cover gas and then sweep that cover gas
21 through scrubbers. And the intention is to pass that
22 through a caustic scrubber and in that case get the
23 CO₂ in the form of a carbonate and hopefully the
24 tritium in a titrated water, basically. The issue
25 then is how we concentrate that stream and we're

1 presently trying to design that.

2 Nobody, to my knowledge in the commercial
3 world is worrying about it, but we're going to try.
4 It's probably -- we're probably three years away on
5 coming up with a process.

6 MR. WYMER: so that's a development
7 activity.

8 DR. LAIDLER: Absolutely, yeah.

9 MR. WYMER: Thank you.

10 VICE-CHAIRMAN CROFF: Larry Tavlaresdes?

11 MR. TAVLAREDES: Hi, I'm Larry Tavlaresdes,
12 Syracuse University. Thanks for you presentation,
13 it's very illuminating. And I have one question, I'll
14 ask this one first. You touched upon it and that is
15 the DF's that you need to get the separations you are
16 looking for to get in for high cross section fission
17 products. You mentioned the DF of around 10,000
18 required. What do we know today about this and are
19 there extractants that can achieve this that we know
20 of? Are these developmental things?

21 DR. LAIDLER: Well, the DF of 10,000 for
22 thermo-recycle is really a piece of cake. That's not
23 a problem. In fact, we probably another couple orders
24 of magnitude higher than that. That particular
25 criterion is a number that was developed in concert

1 with CEA and EDF, Electricity de France because they
2 are doing thermo-recycle of MOX and that is their
3 specification for thermal recycle pollute.

4 We think it's a pretty easy criteria to
5 meet. The 250 for the fast reactor fuel is really a
6 speculative number because we have very limited
7 evidence that there is a fuel cladding interaction,
8 pinnacle interaction between the lanthanides and the
9 stainless steel cladding which could -- it's basically
10 a liquid metal embrittlement process which could limit
11 fuel lifetime. It's very limited basis for that
12 criterion and there are those who think that we could
13 get by with a lower DF but I'm trying to be very
14 conservative at 250.

15 It's easy enough for us to do, certainly
16 with the aqueous process. It's more of a challenge
17 with pyro. The thing is that we need data, we need
18 fuel performance data from fast reactor radiations of
19 this fuel and we don't have any. We don't have a fast
20 reactor.

21 MR. TAVLAREDES: Do we think we can get this
22 data down the road in time for what we need? Are we
23 planning to do this?

24 DR. LAIDLER: That's the next speaker's
25 problem.

1 VICE-CHAIRMAN CROFF: Howard Larson?

2 MR. LARSON: Howard Larson, a consultant to
3 the ACNW. In my private life, a long time ago in
4 another world I was involved in commercial
5 reprocessing and I understand why the pilot plant
6 would be essentially a DOE activity because of the
7 timing and other things but you're talking 10 or 15
8 years later for a 2500 metric ton a year plant. Is
9 there any plans for industry participation in this
10 program or development or building it or what? Or is
11 it entirely a DOE effort all the way through as part
12 of this program?

13 DR. LAIDLER: Well, I can give you my own
14 opinion but maybe I should ask Buzz to give the
15 official position.

16 DR. SAVAGE: The official DOE position is
17 that we desire and intend to engage industry very
18 actively from the beginning of the program, which is
19 right now and we are working on our plans for doing
20 so.

21 MR. LARSON: They do have them?

22 DR. SAVAGE: Yes.

23 VICE-CHAIRMAN CROFF: I think with that,
24 we'd better get onto our second speaker. Buzz?

25 DR. SAVAGE: I'd like to introduce Kemal

1 Pasamehmetoglu from Idaho National Laboratory. He's
2 our National Technical Director for Fuels Development
3 for Advanced Fuel Cycles and his presentation will
4 give you the perspective on the fuel development
5 program which is a part of our advanced fuel cycle
6 development.

7 DR. PASAMEHMETOGLU: Thank you both and
8 thank you for the invitation. I am Kemal
9 Pasamehmetoglu from Idaho National Laboratory. As
10 Buzz indicated, I'm the National Technical Director
11 for Fuel Development Activities for the Advanced Fuel
12 Cycle Program originally, now merging into GNEP. So
13 in my talk -- is this clear for you? Okay. I will
14 talk about the fuel development activities basically
15 taking over from where Jim leaves the transuranics and
16 converging them into fuels and sending them to the
17 reactors and then receiving those back, after Jim gets
18 done with them, again, taking the transuranics and
19 recycling back to the reactors. That's the part of
20 the job that I'm doing.

21 As part of that development, there is also
22 which was -- there is also a facility that we are
23 planning on looking at a similar concept as Jim
24 indicated, a pilot-scale fabrication facility for
25 fuels supported by separations and other technology

1 activities, so I'm going to give you a brief summary
2 of where we are with respect to that and at the end of
3 my talk, I have a number of view graphs looking at
4 advanced safeguards concepts but that is really -- I
5 put those at the end of my presentation. It's up to
6 the Advisory Committee whether you are really
7 interested in going through that or -- it is part of
8 the package.

9 Let's start with the fuel development. Now,
10 what is so different about the fuels that we are
11 talking about under the fuel cycles programs as
12 opposed to commercial fuels. As you know, all the
13 commercial fuel today in the United States is really
14 uranium oxide fuel and of course, in other parts of
15 the world, it is also plutonium uranium oxide most
16 fuel that's being commercially used. And it took
17 awhile to develop that technology. Now we are talking
18 about basically additional elements in our fuel. So
19 it's no longer just uranium and plutonium but we are
20 talking about adding neptunium, americium and curium
21 to our fuel.

22 So we are dealing with multiple elements
23 which complicates the problem from the get-go. And
24 these transuranics, they do have varying thermodynamic
25 properties. One of the important properties that is

1 really challenging us is the vapor pressure of
2 americium. Because it has a high vapor pressure at
3 temperatures around 1400, 1500 degrees C, it is
4 challenging some of the standard fabrication
5 processes. Therefore, we need to develop processes
6 that are lower temperature processes. We are no
7 longer dealing with a very pure stream coming in, a
8 pure stream of uranium. Now we have to deal with the
9 impurities that get carried over from the separations
10 process and as Jim mentioned, in many cases, I believe
11 the purity that comes into the fuel is going to be
12 more than adequate but depending upon the separation
13 process that we use, we still have to obtain some data
14 on the lanthanide carryover and how that effects the
15 fuel's performance.

16 For thermo-recycle, the lanthanide carryover
17 is really a big detriment, but if we're go to fast
18 recycle, it is the criteria it is relaxed a little
19 bit. On the other hand, we still need additional data
20 to look at fuel clad interactions issue. Typically,
21 when we are talking about closed fuel cycles, the
22 economics and the fact that we don't want to lose too
23 much material to the second -- to the waste streams,
24 we want to achieve as high burn-outs as possible at 50
25 gigawatt days, the type of burnouts that are standard

1 today are -- we don't believe are going to be
2 economically feasible to go to a closed fuel cycle.
3 We are talking about hundred gigawatt day per ton or
4 higher type of burnouts.

5 The fuels that we are dealing with,
6 especially those that contain the americium, they have
7 a much higher helium generation compared to standard
8 fuels, so we have to design our fuel to accommodate
9 the high helium generation part of it, designing the
10 fuel pellets to make sure that the helium gets out of
11 the pellet, doesn't get retained in the pellet and
12 part of it is designing the fuel pin so that the
13 planning is adequate to accommodate that released
14 helium.

15 And it's not really -- it's not merely the
16 fission process. It is the capture and the decay
17 process on americium that causes the additional helium
18 generation. And finally, but probably one of the most
19 important issues of that, when we introduce these
20 elements, especially americium and curium and perhaps
21 after one recycle, just americium along, the
22 fabrication -- all the activities associated with the
23 fuel fabrication and assembly needs to be done
24 remotely. We can no longer rely on hands-on
25 activities and fabrication itself -- by itself is not

1 the issue, as you all know. All the fuel fabrication
2 plants are automated, so everything gets done
3 automatic, in an automated fashion anyway. It's just
4 the maintenance and the quality control associated
5 with that, that causes the problem.

6 And also just the nature of the problem, we
7 are not dealing with a really specific fuel
8 composition. We are dealing with a range of
9 compositions that we need to be able to accommodate
10 the fuel to. Obviously, our source material from the
11 LWRs is variable. That depends on the burnoff that
12 the initial fuel receives in the LWR in terms of the
13 isotopic compositions, but it also depends on how long
14 it's been cooled before it was separated and sent to
15 the fuel refabrication plant. And as we transmit
16 materials in fast reactors, in each step, there will
17 be slight changes in the isotopic compositions and
18 then again, every time they separate, there is -- and
19 especially if we go from one separation process to
20 another separation process during the recycling, say
21 from aqueous for the first part and then the pyro for
22 the second part, you have to deal with the impurities
23 that are associated with those. So those are the
24 things that really make the fuel issue a critical
25 issue for this to be successful. I'm not going to

1 dwell on this too much, but basically, this is where
2 the current technology is in the US, that this
3 technology we can say it is mature. It's been used in
4 other parts of the world but as we start adding other
5 materials to it, in terms of fabrication, we still
6 have quite a bit of demonstration to do.

7 Now this is in a long view graph, it is an
8 eye chart, I apologize for that but in one view graph
9 I tried to show you the different steps of the fuel
10 fabrication as well as the -- it's not the steps that
11 are really important. I think, everybody does the
12 fuel development and the fuel qualifications the same
13 way. It is the facilities that we need and how many
14 of them do we really currently have and how many of
15 them we are going to have to rely on either foreign
16 sources or start building them ourselves. Now, early
17 on the concept development -- that is where we are
18 with this transuranic fields, really. That's the step
19 we are doing right now. We are doing a lot of small
20 scale fabrication, doing a lot of out-of-pile
21 characterization of those samples and some
22 irradiations in facilities where we can get some
23 irradiation time. Most of the time, even though these
24 are fast reactors fields we are doing these in thermal
25 reactors because that's what we have in our country.

1 We have advanced test reactors that's easily
2 accessible to us and we are trying to do some fast
3 reactor irradiation on collaboration with the French.

4 But as we go -- and these are facilities
5 that we have and we are using. However, as we go to
6 pin scale fabrication, with these kind of materials
7 now we are really quickly talking about remote
8 fabrication. When we are talking about those
9 quantities of materials, we can no longer do those
10 hands-on; therefore, we need to establish our hot cell
11 capacities as quickly as possible to be able to
12 fabricate those fuels and then we also need to go to
13 more and more prototypic irradiation conditions. That
14 means fast reactors, and eventually we will have to,
15 as part of this phase, before we can define the
16 process design, we really need to do a transient test
17 as well to establish the power limits of our fuels.

18 So we have a facility in this country that's
19 being shut down for awhile now and we are planning on
20 restarting that or at least we are making proposals to
21 DOE that we should restart that so that we can do the
22 transient testing on those fuels. And now one step
23 beyond that, now we are talking about assembly levels
24 basically. We are talking about the engineering
25 issues, the real engineering issues, associated with

1 those fuels to lead onto the lead test, assembly
2 testing. At that time, we need an engineering scale
3 facility and that is the advanced fuel cycle facility
4 that I'll talk about. And then we have assemblies of
5 these fuels that we can test which is basically one
6 step before we can say we have a qualified process for
7 the fuel. At that time, we'll probably need a test
8 reactor of our own as well.

9 Now, when we are talking about the test
10 reactors anywhere in the world and obviously, the
11 United States as well, we are -- and if we are talking
12 about a test reactor that's aimed at qualifying the
13 fuel, recycle fuel or the transuranic fuel, we are
14 talking about two different types of fuels. First we
15 need to be able to restock the reactor with a known
16 fuel type which we refer to as the driver fuel and in
17 our case that will probably be either a metal or an
18 oxide driver, uranium plutonium driver, oxide driver.
19 And then we should be able to introduce our
20 transuranic fuels into that reactor in varying
21 quantities with time, probably starting with pin level
22 irradiations early on and working our way up to
23 assembly irradiations, doing the lead test assemblies
24 and qualifying the process and eventually being able
25 to convert a fraction of the core to transuranic fuel

1 and demonstrate that the reactor can run with
2 transuranic fuels alone. So the fuel at that -- at
3 this point, the fuel development program really
4 divides into two.

5 There is an effort and granted that is not
6 a development, that's just a fabrication and finding
7 the fuel type of more of an engineering effort, to
8 find the driver fuel and then to develop the
9 transuranic fuel in parallel to that. Now, for our
10 initial assessment, we've been doing the fuel
11 development before GNEP, and it actually started under
12 AFCI, all the way back to ATWP Program, Accelerated
13 Transmutation of Waste Program and we've been looking
14 at a number of different fuel forms and trying to find
15 what is the best fuel form for transmutation and with
16 GNEP coming along, we sat down and evaluated what
17 we've learned, what we know so far. We've reviewed
18 the data that's out there, not only in the United
19 States as well as in other countries, who are looking
20 at the transmutation technologies and basically our
21 conclusion was that in an accelerated program the
22 metal fuel and oxide fuel are the ones that are
23 closest to implementation.

24 So we are going to proceed with development
25 of the metal fuel. There are still some things that

1 we need to solve even though we are fairly confident
2 that the base data that we have so far shows these
3 both fuel forms are feasible. We need to be able to
4 demonstrate -- we have done fabrication at laboratory
5 scales with very small loads of americium; however,
6 those kind of techniques that we've been using in
7 laboratory scale are not quite amenable for large
8 scale production, so we have to be able to extrapolate
9 that and we have a conceptual design for a production
10 scale fabrication method and be able to demonstrate
11 that and also the fuel clad interactions, especially
12 for fuels that are containing large quantities of
13 lanthanides from the get-go and we are talking on the
14 order of four or five percent type of lanthanides in
15 there and see what the fuel clad interactions was in
16 there.

17 Now, there are some backup options, of
18 course. If the americium, if we cannot do a
19 fabrication directly with no loss of americium, then
20 there are -- we also have backup designs where we try
21 to recover the americium that are lost during the
22 fabrication and introduce that as a target into the
23 reactor to recover the americium. And then we are
24 looking at the development of advanced clad materials
25 especially if the lanthanides become an issue and we

1 are looking at cladding of possibly liners, to be able
2 to deal with larger amounts of lanthanides.

3 On the oxide side, when -- early on about
4 five, six years ago when the partitioning and
5 transportation program started in the United States,
6 we have met with our international colleagues and at
7 that time we had made a decision that US will focus on
8 metal and nitrite fuels and Europeans and the
9 Japanese, they were already doing a lot of work on the
10 oxide fuels. So we were basically minimizing our
11 investment on the oxide fuels with the full knowledge
12 that we will be sharing our data as we go along and
13 that's indeed, what we did and it turned out that the
14 oxide fuels, the work that was done in Japan and
15 France, so far showed that those fuel forms are,
16 indeed, feasible as well for transmutation.

17 In other words, you can put the transuranics
18 in a stable form, in an oxide pellet, and they do
19 survive in a certain amount of irradiation and they
20 behave fairly nicely without any gross failures after
21 a certain amount of irradiation even in fast reactors.
22 However, the issue really is that the process that we
23 are using to fabricate that fuel is still a derivative
24 of the MOX process. It is basically the same as the
25 MOX process. It's a powder processing, pressing the

1 powders, centering the powders and that is not a
2 process that is very friendly to remote fabrication,
3 not the remote fabrication, per se, but it is to
4 remote maintenance of that facility.

5 So it does work and it will -- it is
6 feasible to do it. The concern is, really, the
7 economics associated with that. So in parallel to
8 that is a backup option. We are also looking at the
9 vibor-pac and the sphere-pac oxide fuels which
10 simplify the fabrication quite a bit but again, it's
11 a risk trade-off at that time, is those type of fuels
12 do not have the same amount of data in terms of
13 performance so we need to build that data base up
14 fairly quickly to go down that direction. And the
15 longer term technologies are the things that we have
16 started looking. We are nowhere near basically being
17 able to say, yeah, these fuels are indeed feasible,
18 they can be deployed. Those are nitrite fuels and the
19 dispersion fuels for second and third generation fuel
20 forms. And the nitrite fuels have an advantage of the
21 capability of high transuranic loading for
22 transmutation purposes. They are nice for
23 reprocessing purposes.

24 However, there is also the nitrogen-15 issue
25 that we need to solve if we go with the nitrite fuel

1 in the long -- that's the second generation.
2 Dispersion fuels are good candidates for -- if we
3 really want to go to really high burnoffs in the long
4 run, those will be good fuel forms. But our research
5 -- by the time GNEP came along, our research on
6 dispersion fuels was in the really early stages so it
7 is not a candidate for the first generation, perhaps
8 not the second generation, but for the long run, they
9 do offer some potentials.

10 Now, let me quickly summarize on what we
11 have done so far with respect to the metal fuels in
12 this country. As I have indicated, we have fabricated
13 a number of metal fuel samples at the laboratory scale
14 using a technique called arc casting, where we
15 basically heat the materials really quickly and cast
16 them really quickly so that there is not time for
17 americium to be lost. And it worked really well, but
18 this is basically one small batch at a time type of
19 deal and there's no way we can do that on a really
20 large scale. So we are looking at basically and
21 extrapolation of that design which we call the
22 induction casting where we would be flowing the
23 materials but the materials will not be flowing in a
24 molten state. They will be flowing as solid materials
25 and powders and then they will be molten and casted

1 very quickly into slugs so that there is no time for
2 americium to vaporize. We have not done that process
3 yet. However, we did -- as I've indicated, we did
4 fabricate a number of samples. We have irradiated
5 them in the advance test reactor in the United States.
6 Those are thermo-irradiations. The French and the
7 Japanese have done some irradiation of metal fuels in
8 similar compositions in their fast reactors and we are
9 sending basically two rod loads (phonetic) worth of
10 fuels. Within two weeks it's going to be going to
11 France to be irradiated in Phenix in the last two
12 cycles of the Phenix, Phenix reactor.

13 And those have basically uranium, plutonium,
14 americium, neptunium, just because we are limited so
15 far on dealing with these fabrication with all these
16 fuels. We have not dealt with curium at all. We
17 don't -- we have not fabricated any curium bearing
18 fuels. However, there are -- even though we believe
19 the -- at least we have demonstrated the feasibility
20 but there are some issues that need to get resolved
21 and I already talked about those in the previous view
22 graph. And this picture here, this is the arc
23 casting. This is how the metal fuel looks like, it's
24 slugs after it's cast and then it's loaded into rods
25 or pins and the metal fuel is always sodium bonded so

1 it is sodium bonded.

2 This is the result of our very initial
3 irradiation that we did in ATR around about eight
4 percent burn-up levels. These are the PIE results
5 after the fuel came out of the reactor, right around
6 six to eight percent. That is really the swelling
7 threshold for this fuel and we were able to achieve
8 the swelling threshold. Some of the fuels did not
9 swell and that has to do with the fission density as
10 opposed to just a percent burn-up and some of the fuel
11 was fully swollen that came out. But what we've seen
12 in this fuel that contained americium and neptunium,
13 the behavior was very similar to the uranium plutonium
14 fuel that we had extensively tested in the past.

15 So that's why we feel fairly confident that
16 this fuel form may be feasible for transuranic
17 recycling. We have spent quite a bit of effort on
18 nitrite fuels as well in this country, as I've
19 indicated and I also wanted to summarize that for you.
20 We were able to produce pellets under very carefully
21 controlled conditions. We were able to produce
22 pellets, irradiate the pellets in the advanced test
23 reactor. We are also shipping a couple of rods for
24 the irradiation campaign in Phenix. It's going along
25 with the metal fuels but what we have observed with

1 the nitrite fuel is that it is a very sensitive fuel
2 form and especially with the addition of americium to
3 the fuel, the centering temperatures, it's very
4 difficult to control the centering temperatures. When
5 we go to too low of a centering temperature, we cannot
6 get the mechanical integrity in the fuel.

7 When we go to very high centering
8 temperatures, then we start putting too much americium
9 in the fuel. Americium nitrite is -- the vapor
10 pressure is almost the same as americium metal, versus
11 americium oxide vapor pressure is quite a bit lower
12 than the americium nitrite. So with nitrite, we still
13 have a long way to go in order to be able to do a
14 large scale production with consistent results and we
15 have also seen that there is an extreme sensitivity to
16 pellets to oxygen, even small amounts of oxygen,
17 whether it's in the -- it's introduced during shipping
18 or whether it's introduced during characterization,
19 small amounts of oxygen results in loss of mechanical
20 integrity very quickly. And this is an example of
21 that. This pellet was one of these.

22 It was a perfectly nice pellet. We put into
23 a -- we were trying to measure the thermo-conductivity
24 of that pellet and our thermo-conductivity was flowing
25 around 100 ppm of oxygen in there. And after being

1 exposed to 100 ppm of oxygen, that's what happened to
2 the pellet.

3 Okay, this is a summary of the irradiation
4 schedule, what you see in here. Everything in here is
5 already done. I've shown you a few results of the PIE
6 already, so those fuels are irradiated. The PIE is
7 done. We are confident with the results of that and
8 those are basically nitrites and metals and based on
9 those results, we said metal is our primary candidate,
10 nitrite is a backup option for longer term. We have
11 a number of irradiations ongoing in the advanced test
12 reactors, also these are for basically higher burn-
13 ups. We are trying to achieve 20 percent or higher
14 burn-up in these fuels in the advanced test reactor.

15 Starting next year we are going to have this
16 campaign which we have been looking forward to, we
17 have been getting ready for about three years in
18 Phenix reactor. That's going to be really -- for our
19 own fuels it's going to be the first time we're going
20 expose them to prospect (phonetic) from irradiation.
21 So it will go on for about two years and after that
22 they are shutting down the reactor so it's really our
23 last opportunity to do anything in Phenix in France.

24 And these campaigns that will start also
25 next year are going to start dealing with the issue of

1 lanthanide and start putting some lanthanides into the
2 fuels and going to different amounts of lanthanides
3 under different levels of burn-up trying to come up
4 with a quantitative measure that we can pass onto Jim
5 in terms of what the lanthanide clean-up factor needs
6 to be on the fuel and then we are negotiating with the
7 Japanese to be able to get into Joyo in late 2009,
8 early 2010 and start doing some irradiation testing in
9 Joyo as well for these kind of fuels.

10 Now, as part of that, at least as part of
11 the long-term program, and if you have read the GNEP,
12 overall GNEP objectives, one element of GNEP is a
13 larger emphasis on modeling and simulation and being
14 able to do more predictive work in the long run with
15 respect to not only the fuels but the separations, the
16 whole recycling technology. Now, as you know, even
17 for the simple type of fuels that we have today, our
18 predictive capabilities are really, really limited.
19 It is a very difficult problem that we are dealing
20 with. Everything is changing on us with time. There
21 is really no steady state to speak of. Everything is
22 a transient problem and everything is really an
23 initial condition dependent problem depending upon how
24 you fabricate the fuel. Two -- the exact same fuel is
25 fabricated in two different places, typically behaving

1 two different ways.

2 So but these are the type of predictions
3 that we need to do in order to at least get a handle
4 of -- from a pure fundamental understanding
5 standpoint, to get a handle of what these fuels are
6 really doing. And to us, that is important because as
7 I have indicated in my early -- in my very first view
8 graph, we are dealing with a variable range of
9 compositions even though that's not a very wide range,
10 but we are talking about perhaps the neptunium going
11 from three percent to five percent and curium going
12 from 500 ppm to up to 2,000 ppm. Even though it's a
13 narrow range, it will be almost impossible to be able
14 to hold qualification experiments for the whole series
15 of compositions. Therefore, we need a tool that at
16 least within a narrow range can guide us and do one
17 set of experiments and then be able to extrapolate
18 those experiments to at -- at least to different
19 compositions.

20 So as part of that, we do have an effort
21 where we are looking at an integrated fuel modeling.
22 It is a multi-scale modeling, basically on the length
23 scale going all the way from the nanometer scale to
24 meter scale which is really where we see the
25 engineering problems occur, but these are mostly the

1 electronic structures, the molecular dynamics and in
2 the time scale all the way from picosecond to seconds
3 and hours to years to fuel performance. And this is
4 one of our grand challenges, that we also communicated
5 to our office of science partners in DOE to help us
6 out with. There are two problems.

7 One problem is, do we really understand
8 things at this level? Do we have a good understanding
9 of it to be able to model it? And in many cases it
10 turns out that yeah, we do have quite a bit of
11 understanding to be able to model it. But
12 computationally doing this kind of a computation over
13 a decade's worth of scale, is also a challenge. And
14 they are -- I believe they are really excited to help
15 us with this problem and we are working with them
16 closely on that. So that's part of our fuel
17 development effort as well.

18 Now, I'm going to talk a little bit about
19 the advanced fuel cycle facility, what it is.
20 Basically, as I've indicated right now, we are trying
21 to use our existing facilities, our plutonium
22 facilities. There are not too many places in the
23 United States where we can deal with transuranics, so
24 we are using almost -- we are taking advantage of
25 everything we can get our hands on to be able to do

1 that work. And we are going to start converting some
2 of the hot cells to help us out with that work, but
3 eventually, those are really small facilities and we
4 can deal with gram quantities of materials at the
5 most, maybe tens of grams of transuranics. The
6 advanced fuel cycle facility is to basically take
7 everything that we've done in here, be able to bring
8 that closer to an engineering reality and it does have
9 -- it is targeting four technologies; advanced fuel
10 fabrication, remote fuel fabrication for these
11 different types of fuels, advanced processing, and
12 primarily the processing of the fast reactor fuel as
13 it gets recycled through the fast reactors, advanced
14 safeguards concepts and advanced weight form
15 associated with all these recycling operations, not
16 only separations but the fuel fabrication.

17 And then it's supposed to be done at an
18 engineering skill so that the data that we get out of
19 it in terms of post-safety non-proliferation and
20 environment can give us the input we need to make a
21 decision whether we really -- those are technologies
22 you want to commercialize or do we need to work on
23 them more until we optimize some of this before we go
24 commercial. It needs to be large enough. We don't
25 want it to be too large. It's not a production

1 facility. It's still a technology development
2 facility but at the same time, it needs to be large
3 enough so that the data that comes out of it is
4 reliable for decisions on commercialization.

5 And as it's positioned currently, and this
6 is at the very, very early stage of conceptual design,
7 actually. It's pre-conceptual design I would say.
8 It's envisioned that the size of it is going to be on
9 the order of maybe 10 LTAs per lead test assemblies
10 per year for fuel fabrication. These are fast reactor
11 test assemblies, about one ton or per year of heavy
12 metals, plus reactor fuels, the processing module and
13 then it will be complimented by an R&D module where we
14 will be doing small scale things before we carry them
15 into the large scale engineering module.

16 We expect that it will have a pyro-process
17 module and an aqueous process module tied to a remote
18 fuel fabrication and that connection -- designing that
19 interface is very important and I'm going to talk a
20 little bit about that also. The idea is to -- for the
21 materials never to leave the hot cells between
22 separation and fuel fabrication. Basically, we
23 separate the materials, ship them to fuel yards, into
24 the next hot cell and do the fuel fabrication and then
25 in a cartoonish sense, we expect from one end we'll

1 get spent fuel coming in and from the other end of the
2 hot cells fresh fuel will come out without the
3 materials ever leaving the hot cells in between.

4 And also analytic laboratory obviously to
5 support all these activities and an advanced control
6 and monitoring center to not only around the plant but
7 also to be able to test the advanced concepts on
8 safeguards control and monitoring. So in that
9 respect, we are trying to design it so that not only
10 we do demonstrate something but also this becomes a
11 facility for us to use for the next 50, 60 years so
12 that we always maintain the state of the art. After
13 we do the first demonstration of the fuel cycle, I'm
14 sure we are going to learn second things and for the
15 second generation we will want to improve certain
16 things in terms of cost and performance and we will
17 like this facility to be able to help us do that, too.

18 So it's not being designed just one single
19 demonstration with a limited scope. I'm going to skip
20 this but basically as I've indicated, we are in the
21 early phases of the design yet, but we have a number
22 of trade studies to complete in terms of exactly which
23 way we are going to go with the AFCF, whether it will
24 be a modular facility, how many modules it's going to
25 have and how it's going to interact with the other

1 facilities that are either under GNEP or that are --
2 that we are currently using.

3 Now, the rest of the view graphs really are
4 related to the advance -- what we plan on doing in
5 terms of the advanced safeguards research and how we
6 plan on using AFCF to demonstrate advanced safeguards.
7 I don't know whether this Committee is interested in
8 listening to that or can we just leave it with the
9 view graphs.

10 VICE-CHAIRMAN CROFF: I think with our time
11 situation if you could -- I think we'd be interested
12 in the safeguards thing, but if you could get through
13 it relatively quickly, seven minutes or something like
14 that, because I want to leave a lot of time for
15 questions.

16 DR. PASAMEHMETOGLU: Okay, with respect to
17 the NRC, this is one view graph that I want to talk
18 about for a few minutes, that's now currently with
19 separations and the fuel fabrication, really for
20 advanced safeguards, IAEA has certain goals that we
21 would like to achieve in this kind of recycling plants
22 and the IAEA goal, it's not a requirement, it's a
23 goal, is to be able to detect a significant quantity
24 and I guess I should go to the previous view graph,
25 and that's a fixed amount. Basically, we should be

1 able to detect any loss of eight kilograms of material
2 within a year, that's the significant quantity and the
3 uncertainty on that which they refer to as sigma
4 inventory difference as 2.4 kilogram of plutonium.

5 So that's a fixed number. The regulations
6 in the United States right now, at least the ones that
7 are in there, granted that we haven't really operated
8 -- built or operated a plant like this for a long
9 time, are in terms of fractions of the inventory, a
10 percentage of the inventory. And this is the NRC and
11 this has really -- the basis for this has nothing to
12 do with the separation plant. The basis for this is
13 for a fuel fabrication plant and this is the DOE
14 number. And the issue I want to point out which means
15 that we really need to work closely with NRC as we go
16 through this process in order to develop these kind of
17 regulations, if you just convert the current numbers,
18 existing numbers, to what it will take for us to
19 operate AFCE, you are talking about basically an
20 inventory difference uncertainty of 25 grams per year.
21 That's impossible to detect.

22 Whereas IAEA would not -- regardless of the
23 size, that would still be 2.4 kilogram for IAEA which
24 you know, we are meeting. So these are the type of
25 things that I think as we proceed in this technology

1 in terms of the safeguard, these are the type of
2 things we need to develop jointly. And the objective
3 really is to be able to apply for what we currently
4 know which is a robust safeguard technology for the
5 PUREX plants that we are using all over the world, but
6 be able to apply the same techniques to UREX and pyro
7 and get the same robustness out of that, be able to
8 achieve the IAEA goal of not losing any more than one
9 significant quantity with a certain uncertainty with
10 less intrusive means and by that I mean, we don't want
11 to shut down the plants every other month to be able
12 to take inventories and we don't want to take too many
13 samples, and we don't want too many inspectors pushing
14 too many buttons in there.

15 So reduce the requirements of continuous
16 presence of inspectors and overall the objective is to
17 reduce the risk of diversion from these facilities.
18 And it is based on basically four different concepts.
19 One is advanced instrumentation. We are working on a
20 number of new instruments that are -- that may be more
21 accurate, more robust, more reliable than what we had
22 before to track down the materials as the materials
23 flow in the plant and advanced control logic concept
24 where we are basically looking at all the
25 instrumentations that are in that plant, not just

1 stuff that tracks down the nuclear materials, but the
2 pressure sensors, temperature sensors, everything that
3 we have in the plant and convert those into some sort
4 of a safeguard envelope and every time something that
5 shows that the plant is really not operating the way
6 it should be operating, doesn't mean somebody is
7 diverting something but there is something wrong with
8 the plant operations, then you shut down the plant and
9 do the inventory at that time. And these are mostly
10 based on modeling and simulation and we are working on
11 also basically an advanced virtual design of the plant
12 fuel fabrication, plus separation plant jointly and do
13 a lot of documentation and being able to embed
14 safeguards into the plant design based on the virtual
15 design, and then eventually demonstrate all those in
16 the AFCF with a large enough scale so that you can
17 really look at those materials.

18 And what I have indicated earlier the
19 cartoonish concept as part of the safeguards by design
20 is spent nuclear fuel comes from one end, the
21 materials stay in the hot cells until it's converted
22 to fresh fuel without leaving the hot cell so they are
23 within a hot cell boundary until we have them in fresh
24 fuel. There is no shipping in between; however I have
25 to admit that on a cartoonish sense, it makes sense

1 but designing that interface still requires a little
2 bit of work to make sure that we can do an on-demand
3 fabrication. And that's all really I want to say. I
4 think that must -- and these are about -- I think that
5 summarizes everything I want to say about safeguards.

6 VICE-CHAIRMAN CROFF: Okay, thank you very
7 much. I think what I'm going to do is go around again
8 and allow everybody one question to start and we'll
9 see how much time we have left and I think at this
10 point, I'll leave -- let the questioner direct a
11 question to any of the folks up here as opposed to
12 just Kemal, depending on, you know, where your
13 interest lies. So with that, Jim?

14 MEMBER CLARKE: Thanks, Allen. Just a quick
15 question for Kemal. You mentioned the americium and
16 the high vapor pressure and you need to recover it
17 given the current approach. It strikes me that if
18 there were a way to keep it in the matrix and not
19 compromise the quality of other operations that that
20 would be preferable. Is there -- can you continue to
21 look at that or is that --

22 DR. PASAMEHMETOGLU: Yeah, our baseline
23 approach is basically keep it in the matrix and that's
24 why we are looking at that induction furnace. If we
25 just floated the solid materials, heat them very

1 quickly, melt them very quickly, cast them very
2 quickly, so that we don't lose any americium, that's
3 our baseline approach. Recovering americium is a
4 backup approach.

5 MEMBER CLARKE: Okay.

6 DR. PASAMEHMETOGLU: It's the first
7 demonstration.

8 MEMBER CLARKE: Okay, I misunderstood.
9 Thank you.

10 MEMBER WEINER: This is a kind of general
11 question. And I address it to anyone who wants to
12 answer it. When Dr. Laidler gave his presentation he
13 was talking about nitrite fuel as if it were, you
14 know, a done thing. And then I look at your slide and
15 the nitrite fuel still has a great many problems. So
16 my question is, generally, can one or all of you draw
17 a line as to where you have actually tested something
18 where you have some confidence that this is a going
19 technology or where you're simply are -- I don't want
20 to put it simply, but where you are still in a
21 planning look at options stage? Is there some break
22 point in here related to fuels, related to
23 instrumentation? Can you give some idea because I'm
24 a little confused as to how much of this is going to
25 change -- have to change direction of necessity as we

1 move toward the goal and how much of it is -- are you
2 confident in.

3 DR. PASAMEHMETOGLU: Well, at this point for
4 the fuels, I can speak for fuels, and then I'll ask
5 Jim to comment on the nitrite, on the nitrite fuel,
6 but for fuels, we are confident that we can make
7 either metal or outside work. Therefore, those are
8 our baselines and until we do some remote fabrication,
9 in either one, it's very difficult to choose between
10 the two because there are different issues and one is
11 part of processing, the other one is this metal
12 casting and we expect that after we do some hot cell
13 remote fabrication, which will be within four to five
14 years. At that time, we will be able to better make
15 a decision on which one is our primary. So it will be
16 metal or oxide.

17 Nitrites and dispersions have some nice
18 futures to it, but as you have indicated, we have a
19 long way to go; therefore, they will always remain the
20 background research.

21 MEMBER WEINER: Thank you.

22 DR. PASAMEHMETOGLU: I don't believe,
23 though, Jim is really basing his conclusions on
24 nitrite fuels, but I'll let him speak to that.

25 MEMBER WEINER: I was simply using the

1 nitrite fuel as an example.

2 DR. PASAMEHMETOGLU: Yes.

3 DR. LAIDLER: Well, let me correct that.
4 We're not developing processes for nitrite fuel, only
5 for commercial oxide fuel and potentially for fast
6 reactor metal or oxide. We know that we can handle
7 nitrite fuel with a UREX process but we're not --
8 we're not including those tests in our repertoire,
9 only oxide -- commercial oxide and fast reactor metal
10 and oxide.

11 MEMBER WEINER: Could you extend the concept
12 to the rest of the -- just in general to the rest of
13 the processes or are you -- are you at a stage of
14 confidence where these things can really go at an
15 industrial level?

16 DR. LAIDLER: I'm very confident in the
17 aqueous solvent extraction process because we have a
18 lot of worldwide experience on that. The pyro-
19 chemical process is at a very early stage of
20 development and we just -- that's one of the reasons
21 for having the AFCF. We can run that process on real
22 spent fuel and do the real separations. But, again,
23 that -- to give a time frame, it's probably two
24 decades away.

25 MEMBER WEINER: Thank you.

1 DR. SAVAGE: I would like to make one
2 general comment regarding the budgetary approach in
3 the global nuclear energy partnership for the US
4 program. The majority of our funding will be going
5 into the demonstration projects to demonstrate the
6 technologies that we feel are the most mature and have
7 the least technical risk, but we retain an R&D
8 component to the program which is a smaller amount to
9 continue to investigate these higher risk processes to
10 give us alternatives.

11 MEMBER HINZE: A brief general question with
12 a few parts and this concerns the GNEP. What --where
13 does the United States stand in terms of fuel
14 developments compared with other nations and what's
15 the level of cooperation and at what level is the
16 cooperation being conducted among that nations and is
17 there a -- any sense of an attempt to approach
18 uniformity to our fuels on a global basis and is that
19 important. And do others -- are others as concerned
20 about non-proliferation in their development of these
21 as we are? Is that a brief question?

22 (Laughter)

23 DR. PASAMEHMETOGLU: Yeah. The answer is
24 not going to be very brief, though. No, actually
25 there is quite a bit of collaboration among certain

1 countries. Our collaboration with France in terms of
2 the transuranic fuels, this transmutation fuels has
3 been outstanding so far. There is the collaboration
4 ongoing. Until GNEP came along, the sense of urgency
5 was not there. So where we are with respect to
6 transuranic or transmutation fuels in general is about
7 equivalent of where Japan is, where France is. They
8 are also doing similar things we are doing, small
9 scale glove box fabrications at small scales and small
10 scale irradiations and doing extensive
11 characterization and trying to figure out what makes
12 sense, what doesn't make sense.

13 Of course, with GNEP now, the program is
14 going to get accelerated, hopefully quite a bit
15 accelerated, and I'm hoping that those other countries
16 will support that. It's really important to do this.
17 That chart I showed you, the eye chart that I showed
18 you, from the beginning to the end, it takes about 15
19 to 20 years to get there for one fuel type. Those
20 experiments, they're not things that we do overnight
21 and then look at it the next day and iterate again.

22 From a concept to qualified fuel, it takes
23 15 to 20 years and United States, regardless of how
24 big of a budget we can throw at it, we can only do a
25 few of those and it's very important that we do this

1 internationally and share the data and make a decision
2 on what really makes sense collectively.

3 With respect to proliferation, I think
4 obviously other countries have different views of
5 proliferation, because we don't do PUREX and they do
6 PUREX and they don't see any problem with that.
7 However, with respect to fast reactors, which GNEP is
8 really looking at at the very end of the fuel cycle,
9 I don't know any country that would disagree with the
10 United States that if you're going to put this stuff
11 into the fast reactors, this is the right way to put
12 it in, in terms of group transuranics.

13 For thermo-reactors it is really difficult
14 to put the group transuranics into thermo-reactors.
15 That's why those other countries do PUREX and separate
16 the plutonium. However, for what we are authorized to
17 do on the GNEP, I think we will have full
18 collaboration of other countries, regardless of what
19 their view of proliferation issue is.

20 MEMBER HINZE: And the non-proliferation
21 concerns in the development of the process, build in
22 non-proliferation aspects of it, is that -- is that in
23 accord across the nations?

24 DR. PASAMEHMETOGLU: The safeguards research
25 that we are doing, we have received a lot of interest

1 from the Japanese and the French to participate and
2 work with us in terms of the safeguards by design
3 approach as well as the advance instrumentation
4 approach and they -- and I believe everybody realizes
5 that if this is going to be a worldwide thing, we need
6 to look at it.

7 MEMBER HINZE: Thank you.

8 DR. SAVAGE: I would also point out that
9 there is another program in the Department's Nuclear
10 Energy Office called the Generation for Advanced
11 Nuclear Energy Initiative and there's a synergy
12 between that program and this one. In fact, we feel
13 that the nuclear power 2010 program to promote new
14 reactor construction in the United States, the
15 Generation For program, are all elements of the GNEP
16 vision because without growth of nuclear in the US,
17 the need for these technologies to deal with the waste
18 management issue, the non-proliferation issues, our
19 role in the world as a nuclear supplier state, are
20 meaningless. So all of these programs work
21 synergistically to achieve the ultimate goal, which
22 would be a sustainable closed fuel cycle optimizing
23 the use of the uranium resources and other fissile
24 materials for energy production in a manner that is
25 economic and promotes proliferation resistance.

1 MEMBER HINZE: And minimize waste.

2 DR. SAVAGE: And minimize waste, right.

3 VICE-CHAIRMAN CROFF: Howard?

4 MR. LARSON: Dr. Hinze has sort of the same
5 question I did because when we looked at the
6 safeguards segment, there's quite a difference between
7 NRC, DOE and IAEA. I just wondered how the other
8 countries feel with our goals being so much lower than
9 the IAEA's. I know you said you wanted the plants to
10 be able to meet the IAEA goals.

11 DR. PASAMEHMETOGLU: Yeah, but the funny
12 part of it is, though, when I was looking at it with
13 respect to the small pilot scale plants that we are
14 trying to do before we go commercial, if we were to
15 apply those numbers to a commercial plant, they'll all
16 come out about the same and I think that's where the
17 NRC's 0.1 percent number came from based on the JMOX
18 plant in Japan. If we were to do it at the commercial
19 scale, 0.1 percent would be roughly equal to what the
20 IAEA is tracking.

21 But when you try to apply it to a small
22 pilot scale plant, then all of a sudden it becomes
23 impossible to apply. That's why I was making that
24 comment.

25 VICE-CHAIRMAN CROFF: Okay, Larry?

1 MR. TAVLAREDES: I was curious about the
2 scale-up issues that you mentioned a bit. And it
3 seems to me it's going to be a challenge to go from
4 the -- what you would say laboratory casting methods
5 to a continuous process to make these and I have
6 several aspects of this, questions related to that and
7 that is first of all, it seems to me you have to go
8 from a bench type continuous process to a larger scale
9 and I think maybe the scaling up would not be linear.
10 And so what problems do you see involved in going from
11 the scale-up in the fuel fabrication and do you have
12 any connections with the European community who may
13 have facilities that may be helpful to you in doing
14 this?

15 DR. PASAMEHMETOGLU: Let me answer -- I
16 guess, let me answer the question in the reverse
17 order. With respect to the European community, the
18 only place where we can really do remote fuel
19 fabrication in Europe right now, the only facility is
20 -- at least the only facility that I'm aware of is in
21 a place called the Transuranic Institute, TIU in
22 Carlsruhe (phonetic). However, they do not want to --
23 they do not want to contaminate their facility with
24 powder processing so they are limited to a very few
25 type of processes that they are willing to test in

1 there. And they are not in the metal fuel business at
2 all, so they don't have any equipment to doing metal
3 fuel, therefore, that's not going to work.

4 In terms of the scaling, in Russia there is
5 -- but they are mostly working no the vibro-pac and
6 the sphere-pac technology for remove fuel fabrication
7 issues. So if we can collaborate with the Russians,
8 that will probably be a good thing in that respect.
9 In terms of scaling the processes from the laboratory
10 scale to large scale, on the pilot processing that's
11 already done because if our scheme works, it's going
12 to work just like the MOX fuel. For the metal,
13 you're right, we still -- but the nice thing about it,
14 it's not something that takes 10 years to develop and
15 test. We can test the different concepts.

16 Once we have a hot cell facility up and
17 operational, which we plan on having next year, after
18 that it takes a few months to test a concept. If it
19 works, great; if it doesn't work, you tweak a few
20 things. So within a few years, I think we will find
21 something is really the right scale for the scaling
22 approach.

23 MR. TAVLAREDES: Thank you very much.

24 VICE-CHAIRMAN CROFF: Ray?

25 MR. WYMER: I had a couple of comments and

1 then a question. Is that okay?

2 VICE-CHAIRMAN CROFF: All right, I'm soft.

3 (Laughter)

4 MR. WYMER: Okay, the comments, are, I was
5 a little surprised that there was no mention of the
6 fairly extensive Indian program on carbide fuels for
7 fast reactors and the second comment was, I'm not sure
8 you know both these things, that there's also over 40
9 years experience in fabrication and irradiation on a
10 small scale of transuranic elements up through
11 California at Oak Ridge and the RADC. And while the
12 irradiate those in the thermo-flux reactor, still
13 there's a lot of aspects of the performance that ought
14 to be of some value and I'm sure you're aware of that
15 and I mention it sort of as general information.

16 The question is, when you do the fast fuel
17 reactor cycles, after awhile you build up a whole
18 suite of higher actinides. You must have a bleed-off
19 stream eventually because those become troublesome
20 after awhile because they're parasitic. And I wonder
21 what you plan to do with that bleed-off stream that
22 becomes a waste stream.

23 DR. PASAMEHMETOGLU: Well, I guess that's
24 more of a Jim question than my question because
25 everything Jim gives me, I'll turn it into fuel.

1 MR. WYMER: Okay.

2 DR. LAIDLER: One of the beauties of the
3 fast reactor is that you don't climb up the higher
4 transuranics that quickly.

5 MR. WYMER: Not so quickly, right. So you
6 can go around the loop a number of times.

7 DR. LAIDLER: Exactly, and there is -- in
8 any of these schemes there has to be an exit strategy
9 and we may exit from that cycle after 100 years or so
10 at which point maybe we can apply accelerator
11 transmutation to the residuals.

12 MR. WYMER: Okay, that's your fallback
13 position.

14 DR. LAIDLER: Yeah, I'll be gone by then.

15 (Laughter)

16 VICE-CHAIRMAN CROFF: I'll let myself in on
17 this. First, on your question, Ray, I've run recycle
18 calculations for -- in fast reactor for a lot of
19 cycles.

20 MR. WYMER: Yeah, I know you have.

21 VICE-CHAIRMAN CROFF: And it doesn't build
22 up, period.

23 MR. WYMER: You don't get any in the higher
24 stuff, the higher --

25 VICE-CHAIRMAN CROFF: Huh-uh, because

1 everything fissions before it gets there. Everything
2 is fissile or fissionable in a fast reactor and --

3 MR. WYMER: I'm surprised that all of it
4 does, Allen, but you're the authority, I recognize
5 that.

6 VICE-CHAIRMAN CROFF: And actually, if you
7 put LWR plutonium in a fast reactor and cycle it
8 around a number of times, the quality improves.

9 MR. WYMER: Oh.

10 VICE-CHAIRMAN CROFF: Believe it or not, it
11 ends up looking like very nice material.

12 MR. WYMER: Well, I'm talking to the father
13 of the origin code that does all these calculations.

14 VICE-CHAIRMAN CROFF: But then my question,
15 it will probably go to Buzz, I guess, I read through
16 the -- I guess it was your report to Congress that you
17 sent two or three months ago and I'm remembering, I
18 think it was there, mention that you are at the
19 beginning stages of preparing, I think it was a
20 generic environmental impact statement. Can you talk
21 a little bit about -- well, I'll call it the scope of
22 it or what you're trying to decide through that
23 process?

24 DR. SAVAGE: The initial scope that was
25 announced for the Environmental Impact Statement was

1 that it was strictly for out technology demonstration
2 program which involved three demonstration projects;
3 this larger scale, I call engineering scale
4 demonstration of the UREX+1A technology separations,
5 an advanced fast test reactor for testing
6 transmutation fuels and the advanced fuel cycle
7 facility. Those are the near-term projects in the
8 GNEP vision for the US component of the program and
9 the Environmental Impact Statement is evaluating the
10 alternatives for those projects as far as technologies
11 and site locations. And it will be a two-year process
12 and we're -- we have a contractor on board to lead the
13 effort and a draft of the EIS is due about a year from
14 now.

15 VICE-CHAIRMAN CROFF: Okay, then let me go
16 beyond it. I hadn't understood it was that narrow of
17 a scope and preface it by noting that what is it, 30
18 years ago or so, the government, I guess the AEC
19 actually, started it, the Generic Environmental
20 Statement on Mixed Oxide, which, you know, basically
21 appeared to be necessary for legal reasons I don't
22 understand for the country to recycle plutonium, which
23 they had wanted to do at the time. And that became a
24 fairly contentious exercise that was not completed
25 because of President Carter's policy decision.

1 And some regulations were put on the book,
2 I guess sort of as a result of that, but what plans
3 are there -- I'm presuming somebody will have to pick
4 up that football again, at some point and complete it,
5 you know, for the widespread deployment and finish
6 that process. Is there any thinking about that?

7 DR. SAVAGE: There is. I'm not directly
8 engaged in that activity. We are looking beyond the
9 EIS for these initial demonstration projects to a
10 programmatic level environment impact process
11 afterwards. So there will be people evaluating that
12 before we get into that programmatic but that will
13 probably end up being in that programmatic EIS.

14 VICE-CHAIRMAN CROFF: Okay, and I'll note,
15 I think something that flowed out of that at the time
16 was an EPA, I guess it's a standard, 40 CFR 190, that
17 is titled something like Releases from the Uranium
18 Fuel Cycle, but it includes processing and
19 fabrication. One part of that limits release of
20 radioactive iodine and krypton, and if I work the
21 numbers right, I think the DF for iodine, required DF
22 was 300 and for krypton 100.

23 It's expressed in curies so you've got to do
24 some gyrations to back it out. And in the Federal
25 Register notice that promulgated that, the EPA

1 indicated -- this is in the background information, of
2 course, that they also wanted to look at let's see
3 tritium and carbon-14. It's just they hadn't been
4 able to assess the technologies to decide what a
5 reasonable number was and at that point -- they never
6 pursued it, of course, because again, President
7 Carter's policy decision. But there is a little bit
8 of information there and it seems to me that's
9 probably going to come to the forefront in this
10 Environmental Impact Statement. How much you put up
11 the stack is the basic issue and that may have to be
12 revisited.

13 I think with that, NRC staff, anybody have
14 a question? Okay, we've still got a few minutes here.
15 Anybody else, I'll throw it open. Anybody?

16 MR. FLACK: Allen, if I could just ask a
17 question, with respect to the fuel, eventually that
18 needs to be put into a reactor and I assume that
19 reactor may be something like a liquid sodium reactor.
20 Do we fully understand how the fuel will behave under
21 the transient conditions that could evolve both for
22 design basis accidents, and beyond the design like
23 ATWS and that sort of thing, and how that would be
24 addressed as you begin to evolve a model for the fuel,
25 what the fuel should look like? Is that --

1 DR. PASAMEHMETOGLU: Well, that is the
2 phase, the transient phase. You're right, we need to
3 understand that. I cannot state at this point that we
4 fully understand that based on the data that we have
5 to date. We haven't done that. However, the data
6 that we have obtained to date is showing that at least
7 the metal field is behaving very much like uranium
8 plutonium metal field, so we have expectations that
9 the transient behavior will be very similar as well.

10 However, obviously, we have to test it and
11 that's why we need to have that TRET (phonetic)
12 facility, the transient reactor to do those transient
13 tests and to put the -- before we can really say this
14 is our fuel guide and what our power limits are and
15 what our safety modules are. So that's -- it is part
16 of the program.

17 MEMBER WEINER: This is really a question
18 for Dr. Savage. If -- when these processes go
19 commercial, when they become part of commercial fuel
20 plants, of course, it will be regulated by the Nuclear
21 Regulatory Commission. So I wonder to what extent, if
22 any, you have been communicating with the NRC to
23 design a regulatory framework for this.

24 DR. SAVAGE: We've already had several
25 meetings with NRC and the problem has been recognized

1 here at the Commission. A White Paper has been
2 prepared for the Commission on what the regulatory
3 issues are likely to be. Our current position with
4 respect to our demonstration projects is that if
5 they're built on DOE sites, they probably will not
6 require NRC regulatory oversight. However, in our
7 design efforts we want to bring NRC into the review of
8 the designs as we develop them so that they can be
9 licensable when do go commercial. So we will engage
10 and keep NRC engaged throughout even the demonstration
11 projects.

12 MEMBER WEINER: That's very forward
13 thinking.

14 VICE-CHAIRMAN CROFF: I'll ask a question,
15 probably for Jim. There was mention of very high
16 burn-up LWR fuels up at the, you know, 100 gigawatt
17 days per metric ton and maybe beyond. Are there any
18 issues that arise concerning processing? Can these
19 things be dissolved, for example? Are there any
20 issues there that come up?

21 DR. LAIDLER: There are a lot of issues.
22 The first issue is getting to 100,000.

23 VICE-CHAIRMAN CROFF: Well, I understand.

24 DR. LAIDLER: The second issue is any
25 linings that are built into the fuel may complicate

1 the processing. The third is that as you go to higher
2 and higher burn-ups it becomes a little bit harder to
3 get complete dissolution. So we may have to in those
4 cases, resort to some either an advance dissolution
5 process or, perish the thought, to the introduction of
6 fluoride ion into the system.

7 VICE-CHAIRMAN CROFF: Understand.

8 DR. LAIDLER: I don't like to do that
9 because of the complications of process equipment.

10 VICE-CHAIRMAN CROFF: I understand. Anybody
11 else here?

12 DR. LAIDLER: Let me add one thing to that,
13 Allen. The other point is that in some cases, these
14 advanced fuels will require the introduction of
15 reenable (phonetic) poisons and reenable poisons tend
16 to be lanthanides.

17 VICE-CHAIRMAN CROFF: Okay.

18 DR. LAIDLER: And that just imposes a more
19 severe restriction on the removal of lanthanides in
20 our processes.

21 VICE-CHAIRMAN CROFF: I understand. Well,
22 we're a whole three minutes ahead of schedule but I
23 think that's not a problem. I'd like to -- I'd like
24 to thank all of you for the presentations. They have
25 been very helpful to us to get us into a common

1 framework as to what's going on and I suggested in
2 the number of questions that you did a really good
3 job of that. I suspect in preparing this White Paper
4 some of the fellows, you know, may have -- you know,
5 may be on the telephone wanting a little bit more
6 detail in some areas, but I hope that's not a
7 problem. Yes, sir.

8 DR. SAVAGE: Can I make one final
9 statement? DOE's office of Civilian Radioactive
10 Waste Management still exists and Yucca Mountain
11 licensing is their highest priority. That is one of
12 the Secretary's highest priorities as well. So this
13 program does not intend to do anything to divert
14 attention on the path for Yucca Mountain.

15 VICE-CHAIRMAN CROFF: Okay, thanks. And my
16 sincere thanks for coming by. It was really very
17 helpful and I think an eye-opener a little bit on
18 just how complicated some of this is going to be.
19 There's a lot of boxes on those charts. So with
20 that, I think we'll adjourn this session and we'll be
21 back in session at 10:30.

22 (A brief recess was taken at 10:13 a.m.)

23 (Back on the record at 10:31 p.m.)

24 VICE-CHAIRMAN CROFF: Well, I'm still short
25 a couple of Committee members but our schedule it

1 tight and I think maybe yours is too, so let's go
2 ahead and get going. I think for this session the
3 designated official is going to be Latif Hamdan. And
4 before we go, we've got somebody on the phone here.
5 Would you introduce yourself, please?

6 MR. ROSENBURGER: Yes, this is Kent
7 Roserburger with Washington Savannah River Company.

8 VICE-CHAIRMAN CROFF: Okay, thank you.
9 Anybody else out there? No, okay. This session on
10 Standard Review Plan for Activities Related to the US
11 Department of Energy Waste Determinations. And staff
12 has released a draft SRP and the ACNW proposes to
13 comment on it and this is sort of a question and
14 answer session on the draft SRP so you're going to,
15 I guess, walk through some things and then we'll have
16 the questions. Anna, do you want to take the lead?

17 MS. BRADFORD: Yes.

18 VICE-CHAIRMAN CROFF: Okay, take the lead.

19 MS. BRADFORD: Good morning. My name is
20 Anna Bradford and I'm the Project Manager for
21 Development of the Standard Review Plan for
22 Activities related to Department of Energy Waste
23 Determinations. And with me is Dr. Christianne Ridge
24 and Dr. David Esh, the two other main staff
25 contributors to the SRP.

1 And as you know, we were here a couple of
2 months ago back in May and gave the Committee a
3 presentation on the overall contents of the SRP but
4 at that time the SRP had not been publicly released
5 and the Committee had not had a chance to review the
6 document, so that overview was at a pretty high
7 level. But since then, the document was released for
8 public review on May 31st. It's open for public
9 comment until July 31st. Copies of the SRP were
10 provided to the Committee and after you had a chance
11 to look at it, your staff, as you mentioned, then
12 transmitted to us some specific questions or comments
13 from which you wanted to hear a little bit more
14 specific information from us.

15 And that is the purpose of today's
16 presentation is to really get to those specific
17 areas. We're not going to go back over information
18 you've heard before such as, you know, history of the
19 NDAA and things like that. So Dave Esh and I will
20 each cover several topics and hopefully, what you
21 hear today will help you focus and clarify any
22 recommendations you might have to give us for the
23 final SRP.

24 And although I'm not going to go, like I
25 said, to the background of the NDAA, I did want to

1 talk for a minute about what we can and can't do
2 under the law and these are the things we had to keep
3 in mind when we were developing the draft Standard
4 Review Plan. And the first is that DOE is only
5 required to consult with the NRC. We do not have any
6 regulatory authority over DOE and we do not have any
7 authority over their activities with respect to this
8 waste. Also, the NDAA does not apply to the cleanup
9 of the entire site. It's not a site decommissioning
10 law. All it does is provide specific criteria for
11 determining whether certain waste required disposal
12 in a geological repository or not. It really applies
13 to only a small portion of all the clean-up
14 activities that DOE might be performing at a site.
15 And the SRP does not address all the other cleanup
16 activities that might be going on at that same site

17 And it also particularly specifies the use
18 of Sub-Part C of 10 CFR Part 61, not some other
19 cleanup requirements. It specifically calls out Sub-
20 Part C. Also that our monitoring role under the NDAA
21 is limited to assessing whether or not DOE's disposal
22 activities are in compliance with Sub-Part C. Again,
23 we don't have any regulatory or enforcement authority
24 over them in monitoring space. And we also don't
25 have any authority or consultation role when it comes

1 to other spills or leaks that may have already
2 occurred at the site. And we'll talk more about
3 monitoring a little bit later in this presentation.

4 And before we get into the technical
5 details, I wanted to talk for a minute about the
6 purpose of the SRP. And as you know, it's a
7 document that provides guidance for the staff that
8 may be conducting reviews of waste determinations.
9 And it describes the types of information that may be
10 assessed by the NRC staff during its reviews. For
11 example, if we're looking at the performance
12 assessment for closure of a high level waste tank,
13 what types of things would we be looking for?

14 And having this documented in the SRP will
15 help provide consistency across the different reviews
16 we're doing and also because we'll be using different
17 staff reviewers. I also wanted to point out that the
18 SRP is deliberately written to be flexible and
19 applicable to the wide variety of things that we
20 might be analyzing in waste determinations. As you
21 can imagine, it might be hard to be very prescriptive
22 when we're looking at things such as closure of tanks
23 in place, removal of waste which would then be
24 treated and disposed of elsewhere in a low level
25 waste disposal facility, maybe as grout, maybe as

1 glass, looking at a piece of vitrification equipment
2 such as a melter or looking at an evaporator for a
3 tank farm. So we really needed to be broad.

4 If we had tried to be too prescriptive,
5 this document would have been very large and probably
6 still wouldn't have covered all the bases of all the
7 things we might see in the future. Dave is now going
8 to talk about some areas with respect to the PA.
9 Following Dave, Christianne will talk about radio-
10 nuclide removal and some cost benefit analysis. Then
11 it will come back to me to talk on a few remaining
12 issues such as existing guidance and monitoring.

13 Dave?

14 DR. ESH: Thank you, Anna. I guess now is
15 the part of the presentation that we like to call
16 Christmas in July because you get to hear me speak
17 for 30 minutes. But I'm going to focus on
18 performance assessment. It's a main part of what
19 it's done in these reviews to demonstrate compliance.
20 And this introductory slide is just providing a
21 summary of the overlying elements and philosophy of
22 the SRP with respect to performance assessment. We
23 expect that performance assessment is going to be
24 what's used, the analysis approach, to demonstrate
25 compliance with 10 CFR 6141. The SRP provides

1 guidance on general topics, such as data uncertainty
2 and model support as well as the specific topics,
3 such as say estimation of infiltration rates. And as
4 Anna mentioned, SRP has to be written to consider
5 site to site variability and also problem to problem
6 variability.

7 Everybody tends to like to focus on tanks,
8 but tanks are one incidental, one type of waste
9 incidental to the processing review. There are other
10 types of reviews too, that have different
11 implications. So this review that we do, it's
12 anticipated that they're performed with a risk-
13 informed approach and that's necessary for a variety
14 of reasons, mainly because there's a large amount of
15 information and you have a limited amount of time and
16 resources to perform the review, so you have to focus
17 on those aspects that are most important to the --
18 most likely to influence the demonstration of
19 compliance. Next slide, please.

20 In performance assessment review
21 procedures, we have an allowance for deterministic or
22 probabilistic approaches and the reason is that those
23 different approaches can be used in different
24 circumstances and they have their pros and cons. We
25 had a separate section devoted to uncertainty and

1 sensitivity analysis which we feel is an important
2 part of the performance assessment process. We also
3 have separate areas on evaluating the model results
4 and defining the contributions of the barriers
5 because if you can't evaluate your model results and
6 define what's driving the calculations, then it's
7 going to be very difficult to implement a risk
8 informed approach to the review. Next slide,
9 please.

10 The Committee had a number of questions
11 about the performance assessment approach and the SRP
12 and I wanted to reiterate here at the top that these
13 reviews, we typically will measure or characterize
14 the review not in say pages of documents but in
15 inches of documents and the highest level documents
16 may be hundreds and hundreds of pages and multiple
17 documents and there might be hundreds of supporting
18 references of various size, so if you're going to
19 comb through that information and try to ask the
20 right questions, you really need to focus on what are
21 the areas that you think are driving the results.

22 The SRP does not prescribe a specific
23 analysis technique to demonstrate compliance either
24 deterministic or probabilistic but you can use
25 different approaches and there's lots of reasons why

1 you would use different approaches. And at the
2 bottom here I say, "Compliance does not equal
3 reality, compliance equals safety". I think this is
4 one of the most important points that we're a
5 regulator and our main goal is to insure that public
6 health and safety is protected. And one way that you
7 can do that is by being pessimistic or what people
8 commonly say conservative in their analysis. That's
9 a way to insure that you've protected public health
10 and safety.

11 Ideally, the performance assessment would
12 be a very close representation of reality. But when
13 you have a lot of uncertainty, it's difficult to make
14 a judgment as to whether you've not underestimated
15 your impacts and therefore, that you're not
16 protective of safety. So I think this is an area
17 where maybe I'll spend a few minutes and talk about
18 a little bit on my philosophy.

19 In the SRP we don't anticipate a particular
20 approach. DOE can use whatever approach they want
21 and justify. We certainly indicate a preference for
22 probabilistic analysis. We think there's probably
23 more advantages to disadvantages but a deterministic
24 approach can be used. If a deterministic approach is
25 used, we feel it has to be reasonably conservative

1 because it's not explicitly representing the
2 uncertainties. And it can be a very big challenge to
3 represent that uncertainties in a deterministic
4 calculation or to evaluate them, I should say, not
5 represent them because they don't act in a linear
6 manner and you can't look at them one at a time
7 necessarily in these types of models.

8 The models respond in a non-linear way that
9 if you look at one uncertainty or one sensitivity at
10 a time, you usually don't get the full picture of
11 what the sensitivity -- what the impact of the
12 uncertainty is in that type of analysis approach. So
13 we provide guidance on each approach in the SRP and
14 we think that's appropriate and we indicate our
15 preference for a probabilistic analysis but we can't
16 prohibit the other analysis. All we can do is
17 provide guidance as to what the shortcomings may be
18 and the types of things a reviewer needs to look for
19 if say a deterministic analysis approach is used.

20 We understand the problems with using a
21 deterministic analysis. The Committee had some
22 questions about well, shouldn't you be using a best
23 estimate type of deterministic analysis with a pretty
24 rigorous sensitivity analysis? And I would argue
25 that the problem with that is if there's a lot of

1 uncertainty and you're using a best estimate, the
2 likelihood that you've under-estimated the impacts is
3 much higher than if you've used a conservative
4 analysis of some sort. So one of the issues is,
5 well, if you use a conservative deterministic
6 analysis and then you're trying to estimate the cost
7 benefit of removal, which is related to the impacts
8 that you've generated with your performance
9 assessment, how is that valid because you have this
10 conservative estimate of impact. And so when you're
11 calculating the cost benefit, it's based on this
12 number that's conservative.

13 Well, yeah, it is. What that would lead
14 to, though, is you're going to make a decision to
15 remove more waste than what you probably should which
16 protects safety. It doesn't -- if you use a best
17 estimate, you could maybe lead to the -- come to the
18 decision that you don't need to remove more waste
19 when you really should be removing more waste. So I
20 understand that in an ideal world you would want to
21 use your best estimate deterministic analysis but if
22 you have a lot of uncertainty, there's a risk to
23 doing that and I think that two approaches that we
24 advocate either a probabilistic analysis or a
25 conservative deterministic analysis are the two

1 approaches you have to use if you have a lot of
2 uncertainty and these problems have a lot of
3 uncertainty.

4 Now, another complication if you use a
5 deterministic analysis is how do you call -- what is
6 conservative? How do you define conservative? It is
7 a challenge because many things -- it's not obvious
8 what the conservative answer is. And the example I
9 would give is, say groundwater flow, is it
10 conservative or over-estimate groundwater flow or
11 underestimate it? It's actually dependent on the
12 problem. If you increase groundwater flow, you're
13 increasing the transport rate but you're also
14 increasing dilution. So it depends on your specific
15 radio-nuclides in your problem and your specific
16 problem. Increasing the groundwater flow rate will
17 increase the arrival time of the long-lived radio-
18 nuclides but it will dilute the concentrations of the
19 shorter-lived radio-nuclides or the more mobile
20 radio-nuclides that may have been arriving at the
21 compliance point already.

22 So there's a trade-off and the maximum
23 might be in the middle or it might be at either end
24 of the spectrum, but that's just one example.
25 There's many examples in these types of calculations

1 where it's not obvious what the conservative
2 selection is, even though people will attempt to make
3 conservative selections, what they call conservative.
4 I have a problem with even using conservative because
5 a conservative -- the terminology implies that you
6 know what the answer is. And in these problems, the
7 performance assessment, you're going your projection
8 of what you think reality is.

9 We won't know what the real answer is but
10 hopefully we can estimate an impact that will assure
11 safety that we've over-estimated it. If you're
12 designing a bridge, you'll put a safety factor in the
13 design of the bridge. You will over-design the
14 bridge. The performance assessments should be over-
15 estimated. Even if it's a probabilistic analysis,
16 you're probably over-estimating because there's some
17 areas where you can't adequately represent the
18 uncertainty or maybe you have variability that you
19 don't want to handle, spend the effort to try to
20 handle and so you'll try to make a conservative
21 decision.

22 So, it's kind of a soapbox issue but I
23 think it's important that we feel pretty strongly
24 that the approaches in the SRP are the ways to go.
25 A different approach, I think, could be problematic

1 for us. Yeah, as a scientist, I want to know what
2 the true answer is but as a regulator, I want to
3 insure people are safe, and those are two different
4 answers. And that's the point that I want you to
5 take. Next slide, please.

6 In our performance assessments we strive,
7 if we can, to perform our own independent analyses,
8 given our resource considerations and schedule.
9 These independent calculations may include a
10 probabilistic performance assessment if we feel it's
11 necessary. This review approach, we believe helps
12 focus our review and strengthens the basis for the
13 results of our review. As I indicated, it's a large
14 amount of information and if you spend your time
15 focusing equally on all areas, you're going to dilute
16 your effort on areas that most influence the
17 decision. Now -- or most influence your estimated
18 risk.

19 The risk that we are estimating is a
20 compliance risk, that's what I call it. We --
21 everybody talks risk and risk regulator. We're
22 looking at the risk of exceeding a limit or a
23 compliance type risk, which may be different than the
24 actual or true risk. If you have a limited knowledge
25 of your system, your compliance risk is probably

1 going to be much larger, it's estimated to be much
2 larger than what the true risk is if you really knew
3 it.

4 As you collect more information, you can
5 collapse those two closer and closer together. But
6 if you don't have a lot of information and you have
7 a lot of uncertainty, you almost -- by definition,
8 your compliance risk is going to be quite a bit
9 larger than what your true risks are, but that's the
10 approach you have to use to protect health and
11 safety. Just as if you were designing a bridge, you
12 wouldn't design it at what you think the minimum
13 strength is for that bridge to withstand the forces
14 it's going to see; you over-design it so you're
15 pretty sure it's not going to fall down and injure
16 somebody or create a hazard.

17 We don't rely on these independent
18 calculations as a basis for our decision though, only
19 to inform the review process. Our decisions are
20 based on the calculational results of DOE. Next
21 slide, please.

22 Now there are a variety of questions on
23 these higher level issues that were provided to the
24 staff by the Committee. There's a whole list of them
25 here. I really couldn't do slides on each one in the

1 time that we have now, but we'll be happy to jump
2 back and discuss them in detail. What I'll do now is
3 just walk through them and say a few words about each
4 one. The compliance period, 10,000 years, the
5 Committee had a question of whether you could look at
6 a shorter compliance period. Certainly if the risks
7 were -- you can show that the risks occurred earlier,
8 you could argue that you would evaluate a shorter
9 period. The compliance period is kind of fixed,
10 though, by the scope of the problem. The analysis
11 period may be shorter, you can argue it needs to be
12 shorter to demonstrate compliance.

13 The actual compliance period would be still
14 our 10,000 years which we think is appropriate to
15 look at the long-lived mobile contaminants and long-
16 lived less mobile contaminants. Institutional
17 controls, we are not attempting to do anything new in
18 regulatory space here. We're following the Part 61
19 approach which specifies an institutional control
20 period of 100 years. There were some questions about
21 whether we could use an LTR approach, which the
22 Committee says may be more risk informed. I would
23 say it's different but it's not necessarily more risk
24 informed. In the LTR approach you can analyze
25 unrestricted release which means the people can

1 access the site at year zero. Then you apply a 25
2 millirem per year dose limit or you can analyze
3 restrictive release, where you evaluate that the
4 institutional controls are in place as long as needed
5 up to 1,000 years and the public receptors at the
6 boundary of the site, the maintained area, but you
7 also have to do a calculation that the controls fail
8 at year zero and then you evaluated a dose limit of
9 100 or 500 millirem per year.

10 So it's a different calculation but it's
11 not necessarily more risk informed and our
12 calculations for the first 100 years there's no
13 impacts assessed to a public receptor, it's -- the
14 site's under control, the public receptors are only
15 evaluated for ongoing operations at the site
16 boundary, but during that time, there's no potential
17 for an intruder to intrude into the system. So in
18 many of these problems where you have a lot of cesium
19 and strontium, on the order of 30 year type half-
20 life, you're looking at an order of magnitude
21 reduction in the risk over 100 years. So if you
22 analyze the risk as year zero compared to year 100,
23 you'll be looking at impacts 10 times larger than
24 what we evaluate in this analysis.

25 And then when the controls fail, in the

1 analysis that we do for Part 61, that intruder is
2 inside a buffer zone, which could be in the area
3 where the waste is. The public receptor is outside
4 the buffer zone. In the LTR analysis, the receptor
5 is evaluated at the point of maximum exposure
6 anywhere, so over top of the waste or wherever the
7 point of maximum exposure is. So our approach is
8 sticking with the Part 61 approach. Yeah, there's
9 other things you could do but I don't see that the
10 LTR approach is more risk informed, nor do I see that
11 there would be a big benefit to extended the
12 institutional control period for most problems,
13 because we're looking at a situation where the
14 technology is such that the intrusion occurs at 100
15 years. Where they have an intruder barrier that
16 they may argue they can take credit for which will
17 prevent intrusion for up to 500 years, but the risk
18 from the long-lived contaminants, whether you start
19 the release -- the processes that can lead to release
20 500 or whether you start them at 100, all it does is
21 shift the arrival time of the peak by 400 years out
22 some time in the future.

23 So maybe you're changing the arrival at
24 5,000 to 5400, it doesn't have a big impact for long-
25 lived contaminants. So only if you went to the

1 process where you allowed institutional controls for
2 the whole analysis period and therefore, you could
3 prevent -- you could argue for the prevention of
4 contact with the waste or for a very large buffer
5 zone effectively between the waste and the public.
6 That's the only real benefit to allowing or arguing
7 about what the institutional control period should
8 be.

9 The use of water, I don't think we
10 explicitly called it out in the SRP but this issue is
11 that basically if the water is non-potable, would you
12 allow the Act to evaluate the impacts from the water
13 and that answer, of course, is no. If the water if
14 not potable, we wouldn't assume that somebody is
15 going to drink it. And my personal opinion is,
16 that's one of the best ways to assure safety of a
17 site is you put it some place where people aren't
18 going to use the resources and the water is not
19 either accessible at the yields or it has a state
20 that people aren't going to use it. Over the long
21 term, that's probably the best way to assure safety
22 of one of these systems or sites.

23 Conceptual model uncertainty, there were
24 some questions about how do we evaluate that. We
25 don't evaluate conceptual model uncertainty different

1 than any other uncertainty. We realize it's a little
2 bit more of a challenge but when the staff performs
3 one of these reviews, we basically have to ask
4 yourselves, is there a different conceptual model
5 that could be used that would result in a higher
6 impact and -- or is the information sufficient to
7 constrain it to the conceptual model that has been
8 presented? So we evaluate the conceptual model
9 uncertainty integrated with all the other types of
10 uncertainties. It's not treated any differently.

11 Engineer barrier performance is a big part
12 of these problems and it is a projection of
13 performance into the future. We had quite a bit of
14 guidance in the SRP about engineer barrier
15 performance. We think that's needed and justified
16 because these problems are going to rely on barriers.
17 If you can't rely on barriers, the problems are done
18 already which is, in most cases, they wouldn't meet
19 compliance. You do need to rely on barriers to some
20 extent. Estimating their performance is a challenge
21 but I don't think we are constrained to saying that
22 barriers can only last as long as the experience that
23 we've had. There are a number of barriers out there
24 that have lasted much longer than our recent
25 experience. It may not be a barrier in a radioactive

1 waste facility but there are natural analogues to
2 many of these systems and processes that I think are
3 reasonable representations of what we could expect to
4 occur. And a couple of examples I'll give you is
5 that for erosional stability, for instance, there's
6 a native American burial mounds that have lasted for
7 many, many hundreds to thousands of years in a
8 variety of locations and environmental conditions.
9 And yes, some of those have probably failed and some
10 of them have partially failed, many of them have
11 remained intact. That shows that they're basically
12 -- they have a layered type system when they were
13 designed and they're somewhat analogous to the
14 layered type engineered caps you might see in these
15 waste disposal systems.

16 They've lasted a long period of time and
17 we're considering in decommissioning space doing some
18 work to try to evaluate those more quantitatively and
19 try to understand why they've lasted and develop
20 guidance there. Certainly, if we did that, we would
21 reflect that in our Standard Review Plan for
22 incidental waste or if not in the plan at least in --
23 we would mention that guidance for the reviewers to
24 consider.

25 Other examples are cementitious materials.

1 There are certainly examples of cementitious
2 materials that have lasted for very long periods of
3 time. The point I want to make about barrier
4 performance is a lot of it comes down to
5 functionality. There's a difference between saying
6 a cementitious material can control the chemistry of
7 a site for thousands of years compared to it will
8 provide a hydraulic barrier for thousands of years.
9 Cements and concretes, as you heard two days ago,
10 there's been quite a bit of work, but there's still
11 quite a bit of uncertainty. They're subject to
12 discrete failure, cracking and it's hard to project
13 when and to what extent they're going to crack.

14 That would limit the functionality of that
15 barrier as a hydraulic barrier but the mass of
16 concrete is still essentially there and if the pore
17 fluids of the concrete are what's controlling
18 release, you can estimate pretty easily how long that
19 calcium hydroxide is going to be present and how long
20 it's going to buffer the pH or the system which will
21 limit the releases of the radio-nuclides. So
22 performance, we really take a risk informed approach
23 there. We don't view barriers as failed or unfailed.
24 We view them as varying degrees of performance. And
25 a barrier can start losing its performance but still

1 be beneficial to the system, so people like to talk
2 in failed and unfailed and I don't think that's
3 really fair because all these things are a continual
4 spectrum of results.

5 There was a question about the stability of
6 tanks under variability saturated or saturated
7 conditions. And this was a problem that was
8 recognized in Part 61. If you look at the technical
9 requirements, it basically says you cannot site a low
10 level waste facility in an area -- in a zone of water
11 table fluctuation basically. And that was because at
12 the time, there was a lot of uncertainty about what
13 that would mean for the release of contaminants.

14 There's still uncertainty with that, but in
15 the SRP we don't take a prescriptive approach. We
16 will consider that situation and consider how the
17 risks were evaluated and if they were evaluated
18 appropriately and if there's a basis for the release
19 that's been considered but we don't say one condition
20 is prohibited and one condition is favorable. We
21 understand that there could be a variety of
22 conditions that we'll see in our review and we'll
23 evaluate them accordingly. Certainly, we'd probably
24 focus more review effort on the situation that's more
25 complicated. That should be understood.

1 Level of proof, we use reasonable assurance
2 as our level of proof and we don't define it any
3 differently here than in any other regulatory
4 construct where the NRC uses reasonable assurance.
5 So that's -- I guess I'll let it go at that. Climate
6 change, we do consider climate change, natural --
7 climate change from natural processes. Climate
8 change can influence a system but we don't consider
9 human induced climate change and the reason for that,
10 I think one argument I could make, in addition to how
11 would you estimate it, which there's a lot of people
12 arguing about climate change and they aren't arguing
13 about what the 10,000 year value is. They're arguing
14 about what's the impact of climate change in 50 years
15 or 100 years.

16 But remember in these analyses, we do the
17 intruder analysis where the intruder directly
18 disrupts the waste, drills a well into it, puts a
19 house above it, drills a well right beside it,
20 something that puts them very close to the waste.
21 Climate change, say human induced climate change is
22 an indirect impact on the system from human actions.
23 Intrusion is a direct impact on the system from human
24 actions. I would imagine you could probably do the
25 calculations to demonstrate that the -- in many and

1 almost all circumstances, the direct intrusion is
2 going to bound the impact from the indirect process.
3 I can't say that definitively so, but that's my
4 opinion.

5 Nearby contamination we heard about from
6 Anna. We don't evaluate the impacts of a nearby
7 contamination, although it can be very important and
8 high from a risk perspective. We believe our
9 language in the NDAA gives us an interpretation that
10 we're supposed to focus on what's contained, not what
11 the past releases are. The past releases are covered
12 by other regulatory agencies and other processes. So
13 if we were covering it, we're just duplicating that
14 effort of how it's managed. What we do consider,
15 though, is that the nearby contamination gives two
16 pieces of information that we consider. It gives how
17 is the -- how are the releases from our system likely
18 to be transported in the environment, so that's an
19 important piece of information.

20 And then what was that other one? Sorry,
21 I lost my train of thought. I don't remember, I'm
22 sorry, I'll think of it. The nearby contamination --
23 oh, I think it provides a decent analogue for how the
24 system is going to behave. So a stakeholder might
25 not like the fact that there's existing contamination

1 but from a performance assessment perspective, it's
2 good, you know. Yeah, if you look at the strontium-
3 90 plume at West Valley, it's a big issue for the
4 public and the management of it, et cetera. It gives
5 you a great piece of information for how you expect
6 the contaminants to move when they are eventually
7 released from the high level waste tank. So in our
8 analysis at West Valley, we made a GIS model and a 3D
9 representation of the contamination. We're able to
10 look at that and see, okay, whether our performance
11 assessment model prediction for transport of these
12 various contaminants are close at all to what's been
13 observed in the system. I think those were some of
14 the main topical areas you had questions on.

15 We didn't attempt to answer them in our
16 slides but we figured it would be much more
17 beneficial to have an open discussion on the topics
18 with you that we could cover them more effectively.
19 I'll pass onto Christianne now.

20 DR. RIDGE: Good morning. Is this
21 microphone working? Okay. Well, we had the
22 opportunity to come talk to you in May and you might
23 remember in May Dave regretted that we had left the
24 slowest speaker till last, and unfortunately we mixed
25 that up a little today and Dave was second and

1 unfortunately, that leaves the driest and stuffiest
2 speaker third in the batting order.

3 But in addition, it leaves, perhaps a
4 somewhat complicated topic for third which is radio-
5 nuclide removal, which I think is something that
6 we're perhaps a little less comfortable with because
7 the tie-in to being risk informed isn't quite as
8 clear and direct. With the performance objectives,
9 I think it's very easy for a lot of us to understand
10 that we want to do a risk informed review and meeting
11 the performance objectives is our measure of risk and
12 it's very easy and straightforward to see how that
13 happens. Now, I'm going to talk for the next few
14 minutes and the next few slides about radio-nuclide
15 removal and why we're looking at radio-nuclide
16 removal and what we're looking at and if you remember
17 in May, unfortunately, there were a lot of
18 protobations (phonetic) on this topic. I'm going to
19 be looking at removal for waste determinations that
20 were submitted after removal was completed, removal
21 for waste determinations where the removal was
22 submitted and they're looking at plans for what we
23 will be removing. For instance in the saltstone
24 review, we looked at salt waste processing facility
25 which is not going to be completed for some time and

1 yet we were looking at the waste determination before
2 that removal action was complete.

3 So there's looking at the removal before
4 and after waste determinations are completed, there's
5 the difference in the language which I'm going to
6 talk about on the next slide, between looking at the
7 maximum extent practical and the maximum extent
8 technologically and economically practical. So we've
9 left, perhaps, the most prototypical section for
10 last, the one with the more different little details
11 we have to look at, but I'm going to try to do this
12 simply, so if you bear with me.

13 First, in May we talked about radio-nuclide
14 inventories, the selection of highly radioactive
15 radio-nuclides, the selection of radio-nuclide
16 removal technologies and the practicality of
17 additional removal subdivided into a couple of
18 topics. Now, the first two, I think we covered and
19 were somewhat straightforward on most of the
20 questions that we received from the Committee related
21 to the selection of radio-nuclide removal
22 technologies and the practicality of additional
23 removal, so in the next few slides I'm just going to
24 focus on those last two bullets.

25 Now, before I get to the last two bullets,

1 I did want to talk briefly about why we're looking at
2 radio-nuclide removal to the maximum extent
3 practical. As I said, we appreciate that the
4 performance objectives really give you a straight
5 line towards assessing risk and doing a risk informed
6 review and so one might ask why the SRP spends so
7 much time and goes into so much detail talking about
8 how to assess whether radio-nuclides were removed to
9 maximum extent practical. The simple answer, of
10 course, is that it's a guide for NRC reviewers and
11 we're required to look at removal to the maximum
12 extent practical by the language of various
13 requirements including the NDAA.

14 The more philosophical question, perhaps,
15 is why this requirement is included in the National
16 Defense Authorization Act for 2005, the NDAA and also
17 included in DOE's Order 435.1, which may apply to
18 Hanford and the West Valley Policy Statement. Both
19 include this type of requirement that radio-nuclides
20 be removed to the maximum extent that's either
21 technologically and economically practical or the
22 maximum extent practical. There might be subtle
23 differences between the two, which I'll address in a
24 moment, and I'm an engineer not a philosopher but my
25 interpretation of this is that all three bodies

1 wanted to encode the preference that this waste that
2 we're deciding is not high level waste that we try to
3 minimize the amount of waste that is dealt with
4 during this process. So maybe you could safely
5 dispose of a little bit more of this waste in the
6 ground, in near surface disposal, but it seems that
7 all three bodies wanted to encode this preference
8 that we reduce the amount of waste that goes through
9 this type of waste determination for whatever reasons
10 and I'm not going to speculate about what Congress
11 was thinking or the philosophical positions of DOE or
12 NRC, but my interpretation as a reviewer is that the
13 reason we do this part of the review is that Congress
14 and DOE and NRC have come to the same conclusion,
15 that we want to minimize the amount of waste that
16 goes through this process of being declared not high
17 level waste or waste incidental to reprocessing as
18 sort of an independent requirement in addition to
19 meeting the performance objectives.

20 So the first step in this process that we
21 outlined was selection of technologies and the NRC
22 reviewer's evaluation of the technologies that DOE
23 decided to use to remove radio-nuclides and the
24 process that DOE used to select those technologies.
25 And as a first cut, one of the things that we look

1 for is the range of technologies that were evaluated
2 and we expect those to include at the very minimum,
3 technologies that have been used at other DOE sites.
4 And one might think that that's a bit circular, where
5 evaluating whether or not DOE is doing what it is
6 that DOE does and they set their own bar and I
7 appreciate that that is a bit circular.

8 Nonetheless, through experience we have
9 found that that is a good starting point because the
10 sites are different and the same technologies that
11 perhaps could be adapted with some effort to be used
12 under different circumstances with a slightly
13 different type of waste or slightly different type of
14 tank, we would like to see that those communications
15 throughout the DOE complex are made. And one might
16 assume that they are made, but we have found through
17 experience that that's a good place to start, to say,
18 well, you know, at Hanford they seem to be able to do
19 this, they seem to be able to use this technetium
20 from the waste, they seem to be able to use this type
21 of technology. Could that be adapted for Idaho?
22 Could that be adapted for Savannah River? Are there
23 technologies that could be adapted for used under
24 slightly different circumstances? So that's a first
25 step.

1 As a second step, the SRP informs the
2 reviewer that they would expect that the selection
3 process that DOE would go through, might include some
4 of the following topics; the expected effectiveness
5 of the technology, the technological maturity of
6 various technologies, schedule impacts that might
7 occur from using different technologies,
8 implementation costs, worker safety impact,
9 systemwide effects of various technologies. Now, a
10 couple of these terms might require a bit of
11 additional explanation. One of them that, I think,
12 cause some questions was technological maturity and
13 the advice in the SRP perhaps isn't precise enough in
14 saying exactly what level of technological maturity
15 is required, but I think there's a reason for that,
16 which in part, is due to the sort of complications
17 that I alluded to earlier that a waste determination
18 can be submitted after removal is considered complete
19 by DOE, before removal is complete or even well
20 before removal is considered to be complete, for
21 instance, in the case of the salt waste processing
22 facility at DOE which now is not expected to go
23 online, my understanding is, until 2011.

24 So there is some time before some of these
25 technologies will be implemented. And the degree of

1 technological maturity, I'm not sure we could really
2 draw a line that says if it's in development at a DOE
3 site, then that's enough and you have to consider it
4 or if it's actively being used at a different site,
5 you have to consider it. Or if it's being actively
6 used at your site, you have to consider it. I think
7 that that comes down to a matter of judgment, in part
8 because you would require a different level of
9 maturity if the technology were going to be
10 implemented within three months or if the technology
11 were going to be implemented in 2011.

12 The degree of things you might consider
13 depends, we feel, in part on what the other
14 constraints are, when does this need to be used, when
15 do you need to start building it, when do you need to
16 start putting it in your budget? When do you need to
17 put down the Erlenmeyer flask and the pipette and get
18 out of the laboratory and into engineering, different
19 levels of maturity might be applicable or reasonable
20 in different situations. So I think that's in part
21 the reason that the SRP left some flexibility in that
22 region and maybe we do need to put a finer point on
23 that in the SRP.

24 And then with respect to systemwide effect,
25 I think some of these others are obvious,

1 implementation costs, worker safety impact. With
2 respect to systemwide effects, I think we were
3 speaking there about effects that trickle down into
4 downstream processes, so real physical chemical
5 effects. For instance, you might not want to use
6 oxalic acid, even though it cleans your tank out very
7 well, if it causes downstream problems in another
8 chemical system, if it means that the glass that
9 you're eventually vitrifying does not turn out as
10 well, so those kinds of downstream effects is really
11 what we meant by systemwide effects.

12 The next topic we got several questions
13 about was why we meant by looking at radio-nuclide
14 criteria. Essentially, what we would be looking at
15 is how DOE decided or will decide that they will stop
16 removal activities. So I mean, once again, this is
17 the real bug-a-boo of this kind of an analysis is
18 that you're looking at either things that have taken
19 place in the past or things that will take place in
20 the future and the language is a little different,
21 but essentially in meaning, the review criteria is
22 the same. You want to know why did -- or will DOE
23 stop removing radio-nuclides from a system. And so
24 if you're looking at a system where you are yet to
25 perform the removal activities, DOE may establish

1 various radio-nuclide criteria for deciding when
2 they're complete.

3 For instance, DOE might say, "We will stop
4 when we reach this volumetric goal, when there are
5 200 gallons left in the tank, we're done". They
6 might say, "When we've achieved a specified removal
7 efficiency. So, for instance, if you have a chemical
8 treatment process and you think it can achieve 80
9 percent removal of the cesium or technetium or
10 whatever radio-nuclide in your system, DOE might say,
11 "We're going to stop this chemical process when we
12 have removed 80 percent because that is what we have
13 decided is practical." And similarly, you might
14 clean until you say, "We're going to pump on this
15 pump until the pumping rate has declined to a gallon
16 per minute, that's all we can do. Anything after
17 that is not practical, we're not achieving much".
18 And so any one of these types of criteria or
19 different types of criteria, these were examples that
20 we used, any one of these types of criteria might be
21 a good reason for DOE to say, "When we get to this
22 goal, we're done".

23 Now, in that case, we don't know if that
24 has happened yet, but what the reviewer would look
25 at, would be, "Well, they say they're going to stop

1 when they've gotten out 80 percent of the cesium. Is
2 that the best they can do? Are they doing better at
3 other sites? Do we think there are other
4 technologies that could do better?" Similarly, if you
5 were going to say we are going to stop when we meet
6 a volumetric goal, the NRC reviewer would look at,
7 "Well, is that a fair goal, does that mean that they
8 really did try to remove it and anything after that,
9 yes, we agree getting down below 200 gallons, that
10 would be impractical".

11 And so for waste removal activities that
12 haven't stopped yet, that would be the type of
13 thought process that a reviewer would go through.
14 Now, those goals might not always be met. And they
15 might be met. I should actually interject here, it's
16 not as simple as a distinction between the top bullet
17 is for future reviews and the bottom bullet is for
18 waste removal activities that have taken place,
19 because maybe you get a waste determination where the
20 removal activities have taken place and the answer is
21 we established this volumetric goal, we met this
22 volumetric goal and we're done. So it's not quite as
23 simple as a distinction between future and past but
24 that's an easy way to think of it. But, of course,
25 one reason you might have stopped is that you met

1 your goals.

2 Now, you might stop for other reasons. You
3 had a volumetric goal but then you worked at it and
4 you were supposed to get down to 200 gallons. You
5 got down to 300 gallons and your pump broke, and then
6 you have to go through a process of deciding, well,
7 is it worth taking out this pump and the worker dose
8 that that would cause and the cost that that would
9 cause and the delay that that would cause to remove
10 that extra 100 gallons to get down to our goal?
11 Well, maybe it is and maybe it isn't and you would
12 need to evaluate that and the NRC reviewer would
13 similarly want to understand DOE's thought process,
14 DOE's evaluation to go through that decision and
15 decide whether or not it's worth going on at that
16 point.

17 So I may have over-emphasized this point
18 too much but those are the types of decisions and
19 essentially whether or not you call it the basis for
20 a decision you have made or the criteria you're going
21 to use to decide, it's the same thing. It's deciding
22 -- it's evaluating the basis for the decision to stop
23 removal.

24 Now, of course, another aspect of the same
25 problem is that you look directly at would it be

1 practical to perform additional removal. So you've
2 stopped or you've decided when you will stop and then
3 you also look at the flip side of that coin which is
4 to decide is it practical to do more. So there are
5 -- again, we list some reasons in the SRP that you
6 might decide it's not practical to do more. There
7 might be minimal expected benefits of doing more.
8 The dose that you predict might be quite low and you
9 can say, "Do you know what, it's not practical to do
10 more because we just have nothing to gain". The
11 economic cost in balance with those doses might be
12 quite high. There might be programmatic and schedule
13 impacts of additional removal. Again, there might be
14 system impacts which I talked about a little earlier
15 with respect to downstream processes.

16 Now, I think that the third bullet there,
17 the programmatic impacts might require a little bit
18 of additional clarification because that's a somewhat
19 flexible and open-ended notion of what are these
20 programmatic impacts. I think one example might be
21 for instance, in the saltstone review that we did for
22 Savannah River, one of the arguments that DOE made
23 for why the schedule was so important was that any
24 delays in treating salt waste would have an impact on
25 the vitrification facility and would limit how much

1 waste could be sent to the defense waste processing
2 facility, the vitrification facility.

3 We don't know right now what all the
4 programmatic impacts could be. That's one example
5 but the reason that the SRP left flexibility in this
6 area is that we recognize that we can't anticipate
7 what all the mission impacts are going to be from
8 DOE. We're not DOE. So we can't anticipate all
9 those arguments but we did want to leave flexibility
10 in that area, especially for analyses that are done
11 under the NDAA. And I mentioned earlier that
12 essentially we believe maximum extent practical and
13 maximum extent technologically and economically
14 practical to get to essentially the same point.

15 But if there is a subtle difference, it's
16 that we might give more weight, perhaps, to these
17 programmatic impacts under the NDAA because the
18 language is more broad. It just says that we have to
19 evaluate removal to the maximum extent practical, and
20 practical encompasses a great many things. And so as
21 one example that comes to mind is a mission impact
22 such as limiting what can be vitrified in the
23 vitrification facility. There could be others and
24 that's part of the reason that the SRP left some
25 flexibility in this area.

1 But now, again, since we are engineers and
2 not philosophers, we did express the preference that
3 to the extent possible, costs and benefits be
4 quantified in terms of economic costs and expected
5 doses because we understand those and their numbers.
6 That's our preference but, again, there is
7 flexibility left open for these other areas. So once
8 you get into cost benefit analysis, the first
9 question, of course that comes to mind is what is
10 your metric? And we discussed this a great deal
11 internally and whether or not we wanted to put into
12 the SRP a number, this number of dollars for this
13 dose that's averted. And we did not do that.
14 Instead we recommended in the SRP that the costs and
15 benefits be compared to costs and benefits of similar
16 DOE activities, essentially recognizing that there
17 are different -- there are reasons that activities
18 performed by DOE are different than the type of
19 activities that are performed, for instance, by our
20 decommissioning licensees and we have guidance for
21 ALARA analyses for licensees.

22 We recognize that for a variety of reasons,
23 activities performed by DOE are different because
24 they are part of the Federal Government, because
25 they're a bigger organization than many of the

1 licensees. There are various reasons, but
2 essentially what we wanted to do going forward was to
3 say, well, we assume that anything that DOE does
4 someone at DOE believes to be practical. We are
5 defining practical based on other DOE activities in
6 the context of a site perhaps. In the context of
7 similar environmental cleanup activities, what DOE
8 guidelines does DOE use to say we are going to clean
9 up this waste, we're not going to clean up this
10 waste. And so the types of questions we're going to
11 ask are the types of questions we've asked in the
12 past, for instance, if you spent \$600.00 -- and I'm,
13 of course, making these numbers up, \$600.00 a gallon
14 to remove waste from Tank XYZ, why did you say it
15 wasn't practical to remove the same number of gallons
16 at \$200.00 a gallon from Tank ABC? There might be
17 good reasons for that but we would ask the question.

18 We would ask the question and expect that
19 there would be a technical reason for the answer.
20 And so that's the guidance that we settled on. We
21 did discuss other NRC guidance, for instance, the
22 guidance that's used in regulatory analyses or the
23 guidance that's used for ALARA analyses for license
24 termination under the LTR. And I don't need to go
25 into it now, we discussed why we thought some of

1 those might not be applicable to this particular
2 situation. So that's how we addressed cost benefit
3 analyses.

4 Now, of course, half of that equation is
5 cost and half of that equation is the benefit and the
6 Committee raised some very good questions about how
7 do you assess the benefit when the analysis for the
8 performance assessment might be quite conservative?
9 And essentially, if DOE gives us a bounding analysis,
10 and they say, "Well, this tank, do you know what,
11 it's coming in, it couldn't possibly be greater than
12 15 millirem per year. We've met the performance
13 objectives," if we agree that that's bounding, you
14 come in at 15, you're done, it saves them time, you
15 know, saves us time. You're done. That is
16 problematic when you put that in the context of a
17 cost benefit analysis because now you're chasing
18 these 5 millirem that probably most people involved
19 agree aren't there because maybe it's only a
20 millirem, maybe it's a half millirem. We certainly
21 appreciate that point.

22 The SRP emphasizes that uncertainties in
23 the dose estimate will propagate into cost benefit
24 analyses, so if you don't know if your dose is 10 or
25 50 or .1 millirem, the SRP does emphasize to the

1 reviewer that those uncertainties are half of your
2 cost benefit analysis and they're going to have an
3 impact and the reviewer does need to be aware of
4 that. And we do recognize this issue and it's a
5 difficult one. And what I would say, the explanation
6 I can give is that when we are evaluating a
7 performance assessment, we certainly through
8 independent analysis that Dr. Esh talked about and
9 through just reviewing the analysis, try to assess
10 the degree of conservatism of the performance
11 assessment. So we do try to have some understanding,
12 is this 15 the best estimate, is this 15 very
13 conservative, and as Dave pointed out, that in itself
14 is not simple but it is what we are trying to do.

15 And so we do recognize the issue and
16 attempt to assess the degree of conservatism and
17 indeed, DOE is free to and they certainly do point
18 out to us any time they think an assumption that
19 they're making is conservative. I think that those
20 -- we can be confident that those areas will always
21 be highlighted in the performance assessments we
22 receive to make sure we understand and we investigate
23 those and we decide if we agree, but certainly we do
24 try to be aware of those areas.

25 We also received another question about

1 worker dose estimates and worker dose estimates are
2 expected to be based on exposures from similar
3 activities because they have been in the past in
4 reviews that we've gotten. We don't require that and
5 I think that the question probably was trying to get
6 to the difference between a worker dose estimate,
7 which probably is based on a best estimate based on
8 similar activities that have taken place and DOE has
9 experience taking pumps out of these tanks. They
10 have a good idea of what the worker dose might be and
11 so I think that probably what the question was
12 getting at was this broader issue I just discussed of
13 comparing a best estimate of a worker dose to a
14 conservative estimate from a performance assessment
15 perspective and I don't think I need to revisit that.
16 I think I've probably went on about that a bit too
17 long, but we are aware that one of those is a best
18 estimate and one of those might be conservative and
19 we do try to understand that in the comparison.

20 And so with that, I will turn things back
21 over to Anna who will finish up a few last slides.

22 MS. BRADFORD: Right. I have just a few
23 odds and ends types of things that came up in the
24 questions and comments that we got from the Committee
25 and one was on existing guidance. And I wanted to

1 point out that the SRP uses existing guidance where
2 applicable. We've looked a lot at NUREG 1573, which
3 is performance assessment for low level waste
4 disposal facilities, as well as NUREG 1757, which is
5 the consolidated decommissioning guidance. But we
6 didn't just cut and paste from these documents.

7 We really made sure we went and looked at
8 the information we were using and tailored it to make
9 sure it was applicable to waste determination
10 reviews. And also because each of the sets of
11 incidental waste criteria, be it NDAA, DOE, Order 435
12 or the West Valley Policy Statement, they all
13 specifically cite 10 CFR 61, not the LTR or any other
14 kind of requirement. And so, therefore, we thought
15 using the guidance for 10 CFR 61 was the most
16 appropriate approach in the SRP.

17 And for worker dose, 10 CFR 61 references
18 for the most part 10 CR 20 and so the SRP lists those
19 sections of CFR 20 that are applicable. We have
20 ignored things like administrative things or
21 enforcement because obviously, those aren't
22 applicable to DOE but it lists the sections of Part
23 20 that should be considered and for the most part,
24 DOE's own regulations in 10 CFR 835 are the same or
25 in some cases a little bit more stringent than ours

1 in Part 20 and so in their waste determinations, DOE
2 typically provides a crosswalk between their
3 requirements in 835 and our requirements in Part 20
4 to show that by meeting 835, they meet Part 20 and
5 Part 61. And we don't plan, in the SRP to provide
6 one of those generic type of crosswalks.

7 And then I wanted for a minute to just go
8 over a few terms that there seemed to be some
9 questions about that we used in the SRP. Reasonable
10 assurance, Dave talked about that for a moment
11 already. This is the same reasonable assurance that
12 we use in all of NRC's or many of NRC's regulatory
13 activities. It's the same here when we're looking t
14 waste determinations. The comparable to, a few sets
15 of the waste criteria will have a statement. For
16 example, DOE Order 435 will say they should use 10
17 CFR 61 Subpart C or comparable safety requirements
18 and the question was, what does comparable mean, and
19 we would say that comparable means either the same or
20 more stringent than the requirements of Part 61.

21 And as the SRP states, DOE has never in any
22 of their waste determinations, tried to use some
23 other set of criteria that are comparable to.
24 They've always just gone ahead and used Part 61. The
25 other phrase is "other characteristics", and this

1 comes out of the first requirement of the NDAA, which
2 is that it simply says the waste does not require
3 disposal in geologic repository. And we feel that
4 you show you meet this by meeting the other two
5 criteria, which is you meet the performance
6 objectives and you remove waste to the maximum extent
7 practical. But we wanted to have some flexibility
8 there. Maybe there's going to be some other
9 characteristic of a waste stream that we haven't seen
10 before that will come up in the future that would
11 make you stop and think maybe this does require
12 geologic disposal even though it meets these other
13 requirements, for example, on non-proliferation
14 concerns or some other -- something else. We just
15 wanted to leave that flexibility there and not close
16 the door on that. That's the reason for that phrase.

17 And then also the draft SRP was issued for
18 interim use and comment. That interim use is just
19 supposed to give the idea that we can go ahead and
20 start using it immediately. Our reviewers can use
21 the information in there on their waste determination
22 reviews we have already ongoing and DOE can look at
23 it to get an idea of what types of things they might
24 want to include in future waste determinations that
25 they plan to submit to us.

1 I wanted to talk again about monitoring for
2 a minute. This is the last area addressed in the SRP
3 is our monitoring of disposal actions under the NDAA
4 and our monitoring will be risk-informed and
5 performance based as the SRP says. We really plan to
6 focus on the things that could effect the results.
7 And we believe, as the SRP says, that non-compliance
8 will be when there is no longer reasonable assurance
9 that performance objectives can be met. And this
10 might be the result of either a measured parameter or
11 projected analyses such as a PA result.

12 And we intend to, as we do in our waste
13 determination reviews, rely on DOE's PA as updated
14 and revised. We would maybe look at how it's updated
15 or revised or maybe perform our own confirmatory
16 modeling to come to any conclusions about whether
17 there's an non-compliance. And of course, we'd pay
18 special attention to any parameters that are highly
19 risk significant. And the scope of the monitoring
20 plans may vary. We're really at the early stages of
21 the monitoring. We haven't started monitoring
22 anything yet in particular. So I think as we're
23 going along, the scopes of those plans may change.

24 For example, right now, we're reviewing a
25 waste determination for two tanks at Savannah River,

1 and it would make sense to me if the first monitoring
2 plan was for those first two tanks because that's
3 what we've completed so far, but as we complete more
4 reviews and as our monitoring activities are
5 encompassing more tanks, it might make sense to
6 consolidate a monitoring plan. Maybe eventually, it
7 would be a plan for all of a tank farm but we're not
8 there yet.

9 And I just want to repeat again that we do
10 not have any authority with DOE with respect to
11 monitoring. So we can't require them to monitor a
12 particular aspect of their activities, but they do
13 have their own internal requirements for monitoring
14 and any documents and things like that are things we
15 would expect to look at. I just wanted to, in
16 conclusion, point out that the draft SRP is based on
17 existing NRC guidance, like I mentioned, as well as
18 staff experience. We've completed five incidental
19 waste reviews and we certainly applied that
20 experience when we were developing that SRP and I
21 think we've found that it greatly informed what we
22 thought should be in the SRP. Having had that
23 experience of going through reviews, it really helped
24 you understand what should be included in the SRP for
25 future reviews.

1 Also the draft SRP is flexible and
2 applicable to the many different types of waste
3 determinations we may see in the future, while still
4 providing the main purpose, which is the consistency
5 for reviewers and for people to understand what it is
6 that the NRC will be looking at. And with that, I
7 hope what you heard today will help answer any
8 questions you have and we look forward to receiving
9 any comments you might have.

10 VICE-CHAIRMAN CROFF: Okay, thank you.
11 Questions from the Committee, Jim?

12 MEMBER CLARKE: What I'd like to do Allen,
13 is I'd like to make a comment, and then I'd like to
14 ask Dr. Esh to comment on my comment. But I'd start
15 out by saying I thought your comments concerning how
16 the NRC will review the performance assessment
17 especially with respect to the very difficult issues
18 around long-term performance, I thought that they
19 reflected a very thoughtful analysis and you don't
20 have to comment on that, unless you disagree with it.

21 The observation seeing the barriers
22 performance is limited to the experience is clearly
23 overly conservative. What we've seen, if barriers
24 are going to fail, they usually fail pretty quickly
25 because they're not constructed properly or they were

1 a bad design. However, saying that they will perform
2 well into the future, and I don't know what that
3 means, going back to experience, but to say that they
4 will perform well, into the future, is probably
5 overly optimistic unless we're prepared to intervene
6 in a way that keeps them performing.

7 And the other thing is I think -- I can't
8 recall how you did this but I think the way we define
9 failure is important and I would define it as whether
10 it's engineered barriers or institutional controls,
11 is this loss of control. In other words, the barrier
12 that failed to meet the design objectives or the
13 institutional controls failed to perform, and I would
14 add a caveat, with or without consequences, because
15 I think if you try to wrap consequences into failure,
16 just they are waste specific and site specific and
17 many other factors reflect on that.

18 So I would come back to I think the
19 importance of intervention in the long term if you
20 really need a barrier to perform over a long term, in
21 monitoring this, I think you have to be prepared to
22 intervene. And so I would think that the way you
23 propose to look at that or the way you propose to
24 review how the applicant plans to deal with that
25 would be important. That's my comment. I just throw

1 it back to you.

2 DR. ESH: Well, I would agree with your
3 wholeheartedly on your first part about experience
4 base and going beyond experience based. I think
5 certainly you can make arguments for going beyond
6 experience based and of course, the \$64,000.00
7 question is how far beyond that or maybe for some
8 barriers it's a \$64 million question, but I think
9 it's -- the analysis approach has to consider a
10 variety of things. It has to consider what you know
11 now, the system that barrier is operating in, what's
12 the processes mechanisms and how dynamic is that
13 system and there are certainly some things that are
14 going to be more controllable than others.

15 And the example I gave with respect to the
16 burial mounds, the American Indian burial mounds is
17 they've -- a number of them have survived for a long
18 period of time from a stability standpoint. So the
19 material is still where it was originally and it's
20 still relatively intact. If that barrier was also
21 trying to limit water flow through it, that
22 functionality may have been lost much earlier than
23 the stability functionality and also your type of
24 design can be very important, too. So let's take the
25 infiltration example.

1 And you have a source of something very
2 short-lived, you may be able to put a geomembrane
3 down which can be very impermeable if installed
4 properly under the quality assurance procedures, very
5 effective for a short period of time, essentially
6 limit infiltration to nothing for 30 years, 40 years,
7 50 years, whatever the case may be. Of course, you
8 wouldn't want to put a geomembrane down if you're
9 worried about trying to limit infiltration 1,000
10 years out. Almost categorically, it's not going to
11 last that long.

12 But another type of design, if your goal is
13 to limit infiltration 1,000 years down the road,
14 might be something like the water balance type covers
15 that people have been investigating that try to mimic
16 the natural system and I think those could
17 potentially be very effective especially at the semi-
18 arid sites. At the humid sites, there's just too
19 much water. Plants can't use it all --

20 MEMBER CLARKE: We are totally on the same
21 page here. I think --

22 DR. ESH: Yeah, so I think like in the SRP
23 we tried to provide enough guidance that will allow
24 somebody to make a reasoned judgment as to the
25 validity or at least the reasonableness of the

1 projection of the barrier performance. And we
2 advocate multiple lines of evidence to support them
3 and certainly if you're going beyond the experience
4 base and you're going a lot beyond the experience
5 base, then the amount of information you need to
6 support that projection is much more comprehensive
7 and stringent. You need a lot more support to
8 justify that you're going to be able to achieve that
9 objective.

10 Monitoring and maintenance definitely
11 serves a role in barrier performance but also
12 remember in our regulatory construct for disposal, we
13 don't take the EPA approach. If you have monitoring
14 and maintenance and it continues for a long period of
15 time, great. But --

16 MEMBER CLARKE: I understand.

17 DR. ESH: But ultimately, you're trying to
18 make a decision now and you're investing the cost to
19 make a decision now, instead of continually deferring
20 your decision and not making it based on new
21 information. You may also add that in which will
22 help insure that you don't have some problem down the
23 line, but ultimately our process is trying to make a
24 good decision now.

25 MEMBER CLARKE: I understand, David, but

1 all I'm pointing out is that if something happens,
2 natural processes work against what we're trying to
3 do, whether they be earthquakes or erosion or
4 environment intrusion or whatever, I would submit
5 that it would be important that the applicant has
6 sort of that, they're telling them what they plan to
7 do if that happens.

8 DR. ESH: Well, our analysis approach is
9 you need to consider -- I mean, people like to look
10 locally and I even fall victim to that. I'll give
11 you an example. When I drive to work, I go over a
12 railroad track that has no bars that come down, it
13 just has lights. And I would just speed right over
14 it. I think, you know, I've been driving this route
15 for six years now. How many times have I encountered
16 a train? What's my risk of needing to slow down at
17 this railroad crossing?

18 MEMBER CLARKE: This does not come as a
19 surprise to us, David.

20 DR. ESH: Well, anyway, so one day I'm
21 driving and I'm approaching the railroad tracks and
22 the lights are on and a train's gone through. And
23 I'm like, you know, that's different. And the next
24 day, I'm driving through and a train is going through
25 again, at the same time. The same thing the next

1 day. What happened is the Baltimore tunnel fire
2 resulted in a rerouting of the train system that was
3 sending more trains on the track that I crossed. It
4 changed the system. It was a very complicated system
5 and I was looking locally. But whenever you analyze
6 these barriers or project performance, you have to
7 think out of the box which engineers aren't usually
8 good at and scientists are too good at. But you have
9 to be somewhere in between, I think.

10 MEMBER CLARKE: Well, said, thank you.

11 MEMBER WEINER: First of all, I'd like to
12 thank all three speakers for really clarifying this
13 whole issue. I thought all three of you did a
14 tremendous job. And Dave, I especially want to
15 commend you for your discussion of deterministic
16 versus probabilistic and conservative versus non-
17 conservative. This is a very real problem because we
18 tend to say, "Oh, my goodness, it's too conservative,
19 it's not realistic, why are we doing this", but you
20 have clarified the NRC take on this and that was
21 really good.

22 I have questions for all of you. Your
23 statement about potable water, David, does that apply
24 across NRC regs? In other words, if you don't have
25 potable water, you don't worry about anybody drinking

1 it?

2 DR. ESH: Well, I can think of a
3 decommissioning example. In Tennessee, I think it
4 was maybe Kerr McGee (phonetic) where that was part
5 of the argument for the dose assessment is that water
6 was not likely to be potable. The states may have
7 their own regulations and certainly EPA, they protect
8 groundwater, I think, regardless of the potability.
9 But then also in the recent EIS process for the
10 uranium enrichment facility in New Mexico, I think,
11 part of the argument for that is that the groundwater
12 is likely not to be potable.

13 So --

14 MEMBER WEINER: Very likely not to be
15 potable. It's very saline.

16 DR. ESH: Yeah, so I mean, it's not unique
17 to our problem but -- and it's kind of a common sense
18 thing. When we say risk informed, that applies
19 across the board, so it applies to scenarios and
20 parameters and models and all sorts of things, and
21 this would be a scenario type thing.

22 MEMBER WEINER: Christianne, you talked a
23 lot about doses and removal of radio-nuclides. To
24 what extent do you use the concept of collective dose
25 in making your regulatory decisions?

1 DR. RIDGE: Well, I think in the SRP what
2 we outline is that we address the collective dose
3 because it is what is used in ALARA analysis and
4 basically the discussion in the SRP outlines some
5 problems that would occur if that were to be used in
6 a -- in this type of analysis. So to answer your
7 question simply, so far we haven't. We do not expect
8 to and the SRP discusses it basically in the context
9 of reasons that it would not be applicable to this
10 type of analysis.

11 MEMBER WEINER: That's very helpful. Do
12 you -- in looking at these determinations, do you
13 ever balance off work -- you must balance off worker
14 dose against public dose or against dose to a
15 potential intruder? Is that some kind of tradeoff
16 that you do?

17 DR. RIDGE: Certainly worker dose is a very
18 important consideration. And we fully expect and
19 have in the past considered the impacts on worker
20 dose. Now, in the SRP we do say that we think that
21 a ratio of worker dose to public dose is very
22 problematic and that worker dose is an accepted risk
23 and public dose is not an accepted risk. And it
24 makes us very uncomfortable with simply presenting a
25 ratio; this much worker risk can be traded off

1 against this much public risk. To our minds, they're
2 very different things.

3 And so we certainly always consider worker
4 dose and it's a very important consideration in the
5 analysis but yet, we are uncomfortable and the SRP
6 provides a bit of discussion on this topic. We are
7 uncomfortable with the simple mathematical ratio of
8 the two.

9 MEMBER WEINER: Well, I can understand
10 that. Are you considering any discussion -- and I'm
11 not -- I haven't read your guidance that well, I'll
12 be perfectly frank about that, but are you
13 considering some extended discussion of that
14 dichotomy that you run into that you can decrease the
15 public dose by increasing the worker dose or vice
16 versa but worker dose is a -- the workers know what
17 -- know that they're taking a risk. Is there a
18 discussion of that?

19 DR. RIDGE: The discussion of the
20 difference between the -- the discussion that I just
21 provided basically, that one is an accepted risk and
22 one isn't and that makes us uncomfortable with the
23 simple mathematic ratio, that discussion is in the
24 SRP.

25 MEMBER WEINER: Yeah.

1 DR. RIDGE: I don't think that we
2 explicitly say that we would expect that worker dose
3 would increase if public dose decreases. I'm not
4 sure that that always would be true and so we don't
5 say that in the SRP but we do discourage presentation
6 of this simple tradeoff. There's a point at which
7 this number of millirems to worker equals this number
8 of millirems for public. We don't feel very
9 comfortable with that.

10 DR. ESH: Remember the worker doses also
11 have a much higher limit. So like of you look at the
12 past experience for a worker dose, it's based on
13 somebody trying to achieve that worker limit so the
14 result is necessarily going to be probably much
15 higher than what you're trying to achieve for the
16 public dose and the things that you can do to control
17 the worker dose in many cases are pretty
18 straightforward. You put in more shielding or you
19 put in more protective coverings and procedures, et
20 cetera to minimize the worker doses. You could
21 probably take the worker doses much lower than what
22 they are, but why do you need to if you're meeting
23 your limits.

24 So then if you take those numbers and try
25 to compare them to the public numbers, it gets really

1 sticky.

2 MEMBER WEINER: Yeah, I understand that.
3 I just wanted to expand on the discussion. And I
4 wanted to compliment you on your statement about
5 reasonable assurance. That's always a problem and I
6 really don't have any questions about it. So I just
7 wanted to thank all three of you.

8 CHAIRMAN RYAN: I apologize for being late.
9 I had a mission -- a meeting with Commissioner Yatsco
10 (phonetic). He's the boss. I guess I compliment you
11 on not using collective dose. In most examples it's
12 silly, except for that relative evaluation for ALARA,
13 do I do it by process A or B, and there is a metric
14 that's very helpful in the work circumstance. I
15 guess I'd challenge you to think about the fact that
16 public dose in its broadest sense is accepted.
17 People get medical exposure. We accept background.
18 We accept radon up to certain levels and all of that
19 so it is accepted.

20 It's not accepted, not by everybody, but I
21 think it's a little risky to say you're comparing an
22 accepted risk to an unaccepted risk. That's way too
23 broad to be right over all schemes. So I would get
24 you back to where you were a few minutes ago which is
25 let's evaluate it in the context of the determination

1 you're making whether it's a worker or a member of
2 the public based on the system, the scheme and the
3 process but I would be careful that language doesn't
4 take you to that more philosophical place rather than
5 the analytical place which is where you need to be.

6 DR. RIDGE: We always want to avoid the
7 philosophical place.

8 CHAIRMAN RYAN: Yeah.

9 DR. RIDGE: And I understand your point,
10 but I do need to comment that in the case of a
11 medical exposure, there is some benefit that the
12 public is expecting from receiving that dose and I --

13 CHAIRMAN RYAN: Radon, people accept radon
14 all the time at much higher levels than they do from
15 other things. I know it's voluntary, involuntary.

16 DR. RIDGE: Yeah, there's the whole
17 voluntary/involuntary question and we probably don't
18 need to get into that but it does need to be brought
19 up.

20 CHAIRMAN RYAN: The comment is avoid it
21 all. Stick to your knitting and I think you can
22 avoid what would really be a complicated sorting out
23 process. You might want to look at that language
24 again and just touch on it.

25 And again, I apologize for coming in a

1 little bit late, so I missed some of the important
2 conversation you had earlier on, so I'll just stop
3 there and not continue, thanks.

4 MEMBER HINZE: Christianne, I'm a great
5 believer in cost benefit analysis. That has great
6 attributes. It also has problems and I'm sure you're
7 well aware of them. And one of them is the problems
8 that come from comparing apples and oranges and I'm
9 wondering, you've also discussed or at least
10 mentioned the uncertainty propagation that goes into
11 the benefits, perhaps not the cost.

12 But I wonder if the important thing to
13 emphasize here and maybe you have, is that once you
14 compare technologies and removal limits, et cetera,
15 within a site or within a problem rather than
16 comparing that with other sites because as one
17 compares the cost benefit from a site to another
18 site, you're moving into another whole realm of
19 uncertainty space and I think that the emphasis here
20 should be on the comparison among the technologies,
21 et cetera, within a site rather than between sites,
22 if you will.

23 DR. RIDGE: I think that that -- actually,
24 I think that we are already in agreement in that the
25 SRP does indicate that we would expect that the best

1 comparison would be to similar activities and one of
2 the similarities we noted was activities at the same
3 site. And so we did mention other environmental
4 cleanup activities which conceivably could bridge
5 sites, but we do actually mention in the SRP, I think
6 in a couple of places, that when making this
7 comparison, we want to look at similar activities and
8 that one of those similarities that should be given
9 weight is activities at the same site.

10 MEMBER HINZE: Yeah, I think your
11 uncertainties are going to be common --

12 DR. RIDGE: Right.

13 MEMBER HINZE: -- within the site. Dave,
14 in your presentation, I understand why we need or
15 should provide flexibility in analysis procedures and
16 deterministic versus probabilistic. I'm just
17 wondering what kind of guidance that is in the
18 document to make certain that people use the correct
19 form of analysis. There are times when deterministic
20 analysis is not a very good approach, as you are well
21 aware and how are -- how is that guidance and
22 assurance that we're really headed in the right
23 direction both DOE and your own review?

24 DR. ESH: Yeah, I don't know if I can
25 assure we're headed in the right direction but in the

1 SRP what we attempted to do was clearly indicate our
2 preference and list the problems associated with
3 certain approaches. The deterministic analysis can
4 be very problematic in a situation where you have a
5 complicated problem that you don't know much about
6 and you have a lot of uncertainty because what ends
7 up happening is you try to manage that uncertainty in
8 each part of your calculation by being pessimistic or
9 what people say is conservative and when you add that
10 all up, the whole calculation can get pretty
11 pessimistic.

12 MEMBER HINZE: Pretty mean.

13 DR. ESH: Yeah. If that approach, though,
14 that very pessimistic calculation gives you a result
15 which achieves that you're trying to achieve, shows
16 compliance with your limits, then as a regulator, I
17 don't have a problem with it. I can be pretty
18 confident and argue that this is a correct decision
19 action and that people are going to be safe. As a
20 scientist, I don't like it at all because I'd like to
21 know what the answer is, where is reality but in
22 order to get to reality, you have to invest in the
23 understanding which costs money.

24 People -- if there's a reason why people
25 want to get to that understanding, they'll invest the

1 money in it but usually the only reason they would
2 want to know the truth is if it can save them a lot
3 of money. So it's kind of a tradeoff. Our approach
4 is generally, we start with a probabilistic analysis
5 where we really liberally apply uncertainties and try
6 to see exactly what can drive things in the problem
7 and then we'll refine it and add in more complexity
8 in the areas that we see driving it as needed and we
9 might come to an understanding that well, the risks
10 aren't as high as we thought. It was driven by our
11 simplistic representation of process A.

12 But that process, I think, is iterative and
13 also all we can do is indicate the disadvantages of
14 certain approaches but we can't say you have to use
15 a certain analysis technique. For all -- you know,
16 somebody could -- they don't even have to use a
17 performance assessment to do one of these things.
18 They could do a hand calculation if they could
19 demonstrate it. There's no impetus that they have to
20 do something complicated but by the very nature, the
21 activities associated with them and the projections,
22 they are fairly complicated and that kind of drives
23 towards the more complicated techniques, which I
24 think you can get more out of.

25 Maybe we're kidding ourselves and you

1 aren't learning anything more by the complicated and
2 probabilistic uncertainty analysis than you are with
3 a deterministic but I tend to think we are because I
4 think it really helps focus. When we're faced with
5 a stack of documents this big, we want to know you
6 know, I have 100 hours to look at it, can I put 90 of
7 my hours on these two and 10 of them on the rest?

8 MEMBER HINZE: You also have the
9 opportunity to go back to DOE and request additional
10 information. Now, how binding is that or is that
11 just a request but they need not comply with it? You
12 need to have some of these iterative get-togethers.

13 DR. ESH: It certainly isn't binding. We
14 can make the request and they can supply the
15 information if they want to. Generally, they're very
16 accommodating and if they have it, they'll supply the
17 information. But there's no requirement that they
18 have to. But then lacking the information, we have
19 to make a decision. So if it's an important piece of
20 information and we don't get it, then we're probably
21 more likely to make an unfavorable decision because
22 we don't have the information that we think is
23 important to the decision.

24 MEMBER HINZE: You have to build in greater
25 uncertainties.

1 DR. ESH: Yes, yeah.

2 MEMBER HINZE: Okay, thank you.

3 CHAIRMAN RYAN: I think the one thing
4 that's really different for me and I think I heard,
5 Christianne, you mention it a little bit, is that if
6 you do the deterministic versus any kind of a either
7 sensitivity study or probabilistic approach, you
8 really end up missing what I think is your important
9 point, is what's driving the system. One of the real
10 key things that make the dose that I'm interested in
11 go up or down. So, you know, I think that to me is
12 one of the key elements is you really need to
13 understand, do I need to spend more time on you know,
14 sequestering radio-nuclides in a matrix, do I need to
15 spend more time in water management? You know, where
16 do I need to spend my time and my money?

17 So a little investment in studying the
18 system might pay off and, you know, in what you
19 actually have to do to manage the system. So to me
20 that's a real focus and I believe that's reflected
21 property in the guidance what you said today.

22 DR. ESH: Yeah, if I was on the other side
23 of the fence and I was trying to solve or justify one
24 of these problems, I would very much make a strong
25 case that a small investment in understanding can

1 probably pay off big in cost in terms of reducing the
2 design or reducing the amount of waste you have to
3 remove or all those things that are very expensive to
4 do on these problems. So my opinion, though.

5 VICE-CHAIRMAN CROFF: I'll offer a few
6 comments, I guess, and you know, whenever you want to
7 respond, go ahead. First, concerning the use of
8 water, it came to my attention, I think this is
9 correct, is there is not necessarily one measure or
10 whether water is potable. In other words, different
11 agencies have different lists of you know, how much
12 salt or whatever has to be in it to make it not
13 drinkable water. And in some cases, I think some of
14 these groundwaters can be close. And what I'm saying
15 is, under one list it's potable, under another list,
16 it's not.

17 And I think a suggestion there is be more
18 specific on how potability is measured. In other
19 words, if you have an official list or however it's
20 done, I think that would be a good thing to do. I'm
21 always sensitive to, you know, proposals, sort of
22 trying to gain the system a little bit, if you will,
23 and that's where I'm coming from. Nearby
24 contamination with the LTN, I think we're sort of
25 stuck with, you know, even if a tank has a residual

1 100 curies and there's 10,000 curies around it, well,
2 the 100 still adds something whether -- by policy,
3 whether we like it or not. So that's there.

4 Where I think nearby contamination is going
5 to drive you nuts is in monitoring. If there's a --
6 whether it be leaks from tanks or other disposal
7 sites nearby, if there's a comparable or a lot more
8 radioactivity in it, you know, you're going to have
9 a lot of trouble in monitoring, trying to figure out
10 what is doing what, sort of unraveling the problem,
11 if you will. And that's where I think it's really
12 going to come to the forefront and be important.

13 DR. ESH: And that was my second point that
14 resulted in the longest pause in ACNW briefing
15 history, which was the impact of the nearby
16 contamination on your ability to monitor. We would
17 expect on the monitoring --

18 VICE-CHAIRMAN CROFF: I must have had a
19 senior moment. Okay.

20 DR. ESH: Yes, I'm not that senior, but I
21 guess it's maybe my young children that are causing
22 this. In the monitoring, we would expect that they
23 recognize that influence of their ability to see
24 what's happening with their system from this nearby
25 contamination. And we understand it could be a

1 problem. On the other hand, we think that the
2 monitoring should be much more focused on what Tim
3 Nicholson from Research would tell you about are
4 performance indicator type things rather than
5 environmental monitoring.

6 The time that you're seeing the problem
7 with the environmental monitoring, you've already
8 created a significant problem that might be hard to
9 remedy. If you use these performance indicator, such
10 as the moisture content in the cap above the facility
11 or something like that, you stand a higher likelihood
12 of being able to take an action and a less costly
13 action to remedy the situation. So that -- I agree
14 with you, yes, it is an influence and we expect it to
15 be considered in the monitoring.

16 VICE-CHAIRMAN CROFF: On the issue of
17 conservatism, you correctly pointed out that you can
18 use a conservative and deterministic analysis to show
19 compliance has been done for years. I mean, there's
20 no question about it. I begin to have concerns
21 about it when it's used in the cost benefit
22 situation. You know, your analogy with the bridge,
23 I'm not sure that analogy flies with me, because
24 safety factors in bridges, I think, you know may be
25 factors of a few at most and some of these

1 conservativisms as you've mentioned, you know, DOE, I
2 think keeps -- in many cases, just keeps piling them
3 on because they know they can still meet whatever the
4 limit is. And the conservatism factors there, I
5 would hazard in many cases can be orders of
6 magnitude.

7 And when you start factoring that in, you
8 know, doing this cost benefit kind of thing, I mean,
9 you know granted, you know, it gives you a
10 conservative answer there, too, but at some point,
11 you know, you're driving the system to remove more
12 and more waste when they really don't need to and
13 those resources can be better used elsewhere. And
14 that's part of the risk informed business and it
15 gives me some concern there.

16 Then when you go to the monitoring thing
17 and you've got this conservative performance
18 assessment, and you get some kind of a monitoring
19 result and the two are just apples and oranges --

20 DR. ESH: Yeah, but --

21 VICE-CHAIRMAN CROFF: So let me stop there
22 and let you respond to any of that.

23 DR. ESH: Yeah, I share -- I understand
24 your concerns. As I said earlier, from the
25 regulator's perspective, we're trying to insure

1 safety. As a taxpayer, I don't want somebody
2 spending inordinate amounts of money on something
3 that I don't think is an issue. And -- but as a
4 regulator, we're trying to insure safety and these
5 problems, if you have a bunch of things that are all
6 linked together and there's data uncertainty and
7 model uncertainty and all sorts of different types of
8 uncertainty, if you have limited information, you
9 don't have a good handle on the total impact of your
10 uncertainty. So if you're using something like a
11 best estimate deterministic analysis, the likelihood
12 that you're underestimating the impacts is much
13 higher than if you're using a conservative analysis
14 to manage your uncertainties.

15 If you're using the best estimate, you're
16 basically ignoring the impact of your uncertainties
17 on the decision, which in these problems as you
18 stated, the impact of the uncertainty can be large.
19 You know, on something like plutonium solubility, it
20 changes six orders of magnitude as you go from ph 12
21 to ph 9 or 8 or something like that, roughly
22 speaking. That difference in six orders of magnitude
23 can be the difference between flying way under your
24 compliance limit and being way over your compliance
25 limit. And that range -- the range of ph values I

1 cited are what you get in a cementitious material as
2 you go from a fresh cement to a very aged cement. It
3 changes over that sort of range.

4 So if you don't have the information to say
5 at what rate do we expect this ph to change and how
6 is it going to change over our analysis period, if
7 you just stick with your fresh value, you may be
8 making a very bad and unsafe decision. You can
9 invest the resources into defending how that's going
10 to change and constraining it, and then your
11 compliance risk is much -- is probably much closer to
12 the true risk. But the down side -- I mean, this is
13 like -- this is very analogous to I think our legal
14 system. You don't want to put an innocent man in
15 jail. You err on the side of letting guilty people
16 out.

17 This is the same situation. You don't want
18 to not protect people; you want to err on the side of
19 over-protecting them. If it gets to the point of
20 being ridiculous, I mean, that's what you worry about
21 but I don't think that's what's happening in these
22 problems. It's a matter of what you know and what
23 you don't know. And I think we work in it much more
24 closely. We understand how far from reality we,
25 meaning the technical analysts, believe the results

1 probably are from what the compliance calculation is
2 and in many cases, I don't think they're inordinately
3 out of line. They may be couched as conservative,
4 but I think we tend to over-estimate what we know and
5 if you just look at examples of -- in many of these
6 cap systems, these RICRA type caps that they put in
7 all over, where they've got around to analyzing them
8 in detail, they find many times that the resistive
9 layer, the hydraulic conductivity of the resistive
10 layer, shortly after putting the system in place, is
11 always a magnitude higher than what they thought it
12 would be. And it's because they didn't plan for the
13 complexity especially of like a dessication process
14 that causes cracking of it in the near surface.

15 I mean, it's like that type of thing that
16 can change things a lot. You have to factor into the
17 analysis. If you can't analyze it, you have to be
18 conservative to insure protecting people. So I mean
19 I --

20 VICE-CHAIRMAN CROFF: Let me get back in
21 here a little bit. I understand but again, where I'm
22 coming from is let's postulate. You know, you
23 received a conservative analysis. It shows that you
24 comply with whatever the limit is. I don't know, the
25 limit is 25 and the conservative analysis says 10.

1 Okay, you've complied. So you've already assured
2 safety here. I mean, you've determined compliance
3 with a conservative analysis. Now, the issue is how
4 much further, if any, do you go.

5 DR. FLANDERS: Can I insert just for a
6 moment? I think, Allen, I think I understand your
7 question. I think one of the things we -- my name is
8 Scott Flanders, NRC staff. I understand your
9 question but I think one of the things you need to
10 keep in mind is the cost benefit analysis is one
11 piece of the information that we use to assess
12 whether or not you remove radio-nuclides to the
13 extent practical. And if you end up in a situation
14 where you've demonstrated compliance, then it puts a
15 pretty high threshold on the need to further remove
16 radio-nuclides. And that's part of the reason why we
17 don't necessarily establish a fixed dollar, \$2,000.00
18 per -- is because it's a piece of the information
19 that we take into consideration in terms of making a
20 decision whether or not we believe they removed to
21 the extent practical.

22 The word "to the extent practical", allows
23 you the flexibility to consider other things like
24 cost, and consider other things like dose and the
25 fact that you've met the performance objectives. So

1 I caution that I don't want the thought to be that
2 the staff looks at the cost benefit analysis and if
3 it shows that even if you've already satisfied the
4 performance objectives, that you know, you need to
5 spend millions of dollars to reduce the -- you know,
6 remove a few more millirem when there's so much
7 uncertainty in removing a few more millirem. It's
8 part of the information that we consider in terms of
9 looking at removing to the extent practical.

10 And we recognize, I think, the point that
11 I think Dave and Christianne are making, we recognize
12 and we understand what you're doing in deterministic
13 analysis and the uncertainty and the conservatism
14 that goes into that analysis, how that influences
15 what you see in terms of your dose estimate and
16 that's factored into looking at your cost benefit
17 analysis and factor that into your decision making on
18 whether or not you remove to the extent practical.

19 So I mean, I'm not sure -- I think your
20 question goes to the cost benefit analysis being --
21 you know a way looked at in isolation in terms of
22 other considerations in terms of remove to the extent
23 practical.

24 DR. ESH: I mean, I would look at it this
25 way; if you do a conservative analysis and that over-

1 estimates your impacts, you don't know that it's
2 conservative first of all. It's your professional
3 guesstimate that it's an over-estimate but besides
4 that, you generate a result that is higher than what
5 you expect really to be. Then you decide, okay,
6 based on that, I need to spend X amount of money to
7 reduce it. Well, if you had the information to
8 reduce your estimate, get constraining information
9 that allows you to not be so conservative, that
10 allows you to not spend the money to remove the
11 source. You can either spend your resources on
12 developing the basis and constraint of your analysis,
13 or you can spend your resources on removing the
14 source, but either one are tied to what you know and
15 what you don't know.

16 If you are using a best estimate and
17 there's a lot of uncertainty, you're running the risk
18 that you're doing something that's not protective,
19 and I think in that situation you have to err on the
20 side of being protective. That's -- the whole -- I
21 mean, I don't want to get into it, but the whole --
22 the way that we manage radiological risk in all of
23 our systems is set up that way.

24 VICE-CHAIRMAN CROFF: I agree up to a
25 point. You know and it's a matter of degree, you

1 know, and go back to the bridge analogy. You know,
2 maybe the bridge has a safety factor of two or three,
3 but performance assessment has a safety factor of 100
4 or I think we're getting into a different part of
5 space.

6 DR. ESH: But if the performance assessment
7 results can range from 10,000 times unacceptable to
8 10,000 times acceptable, you have to look at it on a
9 normalized scale. If you're 100 times over on an
10 eight order of magnitude scale, that's not so bad.

11 VICE-CHAIRMAN CROFF: I agree with you and
12 that's the kind of information I'd like to see it
13 based on. You know, you've got the top, you've got
14 the bottom and something in the middle. That's the
15 idea. I think we may be headed in that direction
16 anyway. We were talking a little bit yesterday, the
17 recent Hanford Performance Assessment that I just
18 sort of skimmed through is a best estimate
19 deterministic. And we'll see what they use it for,
20 but it's for the single shell tanks, so we've got to
21 figure sooner or later we may be seeing it.

22 Let me try to move onto some other things.
23 On radio-nuclide removal, I guess my -- you know, my
24 thinking is to focus on whether it's worthwhile to
25 remove the next gallon of waste and not so much

1 whether removal is complete, whatever that means.
2 I'm not sure focusing on the completeness leads you
3 to anything very useful and for some of these, I'm
4 not sure that they're even useful measures or
5 meaningful measures. So it seems to me --

6 DR. RIDGE: It might be more helpful if you
7 could be more specific about which other measures
8 aren't meaningful.

9 VICE-CHAIRMAN CROFF: Efficiency, because,
10 I mean, I's assuming by efficiency, you know, it
11 would be a number like 99 percent.

12 DR. RIDGE: I think I can speak to that for
13 -- I mean, not specific, I understand you're making
14 a broader point, but I can speak to that specific
15 point for a moment, about efficiency and I think that
16 it might be clarified by giving a couple examples of
17 how we have used it.

18 One is in the salt waste determination for
19 Savannah River. One of the things we were looking at
20 was the expected radio-nuclide removal of the various
21 processes that we're using, one was the interim
22 processes versus the final salt waste processing
23 facility. So the final salt waste processing
24 facility was going to get out five percent of the
25 technetium. So I was thinking of that as -- you

1 know, perhaps we should have defined it a little more
2 specifically, but that's a treatment efficiency, five
3 percent of the technetium.

4 Now, we would want to compare that to other
5 technologies that maybe could remove 20 percent of
6 the technetium that went through the chemical
7 treatment process. And maybe there are, maybe there
8 aren't, technetium can be a very difficult thing to
9 remove. Are there other technologies that are being
10 used at other sites that have removed a greater or
11 lesser fraction of the technetium? That would be one
12 way that we'd use a treatment efficiency. Now, I
13 think if I understand your question correctly, you
14 were envisioning efficiency more in terms of volume
15 and --

16 VICE-CHAIRMAN CROFF: No, not necessarily.

17 DR. RIDGE: Okay.

18 VICE-CHAIRMAN CROFF: Let me go to first
19 your example of --

20 DR. RIDGE: I do think that that efficiency
21 was useful to us in that context. I'm not sure I
22 understand why it would be not useful.

23 VICE-CHAIRMAN CROFF: I agree that the
24 efficiency as defined as something like a percentage,
25 can be useful in comparing processes. That's a very

1 common use. But in determining when radio-nuclide
2 removal is completed or is gone far enough, the
3 difficulty you, you know, run into is if you say, you
4 know, we can say it removed you know, 90 percent from
5 the material from a tank, well, if they started with
6 10,000 gallons at the bottom of a million gallon
7 tank, that's probably pretty good. If the tank was
8 nearly completely full, it's probably not so good.

9 And the problem is, you know, your starting
10 point is variable. And so the efficiency ceases to
11 have meaning. You know, what's really meaningful is
12 how many curies do you leave in the tank and how many
13 curies are in the saltstone? That's the parameter
14 that's really important and sort of how you get there
15 and all these other measures isn't so important.

16 DR. RIDGE: I completely agree with you
17 about the arbitrariness of -- the potential
18 arbitrariness of the starting point and I think that
19 that's one of the reasons that in the SRP we did ask
20 the reviewer to look -- to make sure they understood
21 if any percentages are presented by DOE, which in the
22 past they have been. DOE has given us numbers that
23 indicate we've removed 99.9 percent of the
24 radioactivity due to this radio-nuclide, 90 percent
25 of the radioactivity due to this other radio-nuclide

1 and DOE has presented those types of numbers in the
2 past. And I think that this arbitrariness of the
3 starting point is exactly why in the SRP we encourage
4 the reviewer to make sure they understand what the
5 starting point was for that number, so that the
6 understand was this 99.9 percent based on the all
7 time high volume in the waste, was it based on
8 treatments after bulk removal.

9 And there is a certain degree of
10 arbitrariness. I think that it's important that the
11 reviewer understand the starting point and I think
12 you make a very good point that the metric might be
13 more useful to compare processes. And maybe we need
14 to put a finer point on that but certainly we haven't
15 said once they remove 99 percent, they're done.

16 VICE-CHAIRMAN CROFF: I understand. And
17 all I'm saying is I'd expend your resources on the --
18 you know, what's left and what's going to be disposed
19 on site not what's removed and they're going to go
20 into a glass log. Let me move on to programmatic and
21 scheduling packs and sort of elaborate a concern
22 there.

23 And that is on the programmatic impacts,
24 and you've cited the Savannah River tank capacity
25 example, which is, I would say a classic case here,

1 what I discovered through hard experience is the --
2 at the DOE sites, the waste management systems are
3 incredibly intricate, complex and huge. And it's
4 very difficult to validate a claim that there's a
5 programmatic impact. You know, the Savannah River
6 tank capacity thing, if you try to track it all down
7 and figure out, is there really a tank capacity
8 crisis or is there not, and try to track down all the
9 technical things of what they might be able to do to
10 free up tank space and then whether they're really
11 practical or not, you get -- I mean, it's an
12 incredible amount of work and I say that from
13 personal real experience, and you know, very often
14 you can't get to a definitive answer to figure out
15 is this claim really valid or not. And that leaves
16 you in a very difficult position, I think using
17 programmatic things and schedules sort of -- it's
18 very easy, you know, for a milestone to be created
19 here.

20 I mean, milestones can be created and
21 uncreated at will and provisions in compliance
22 agreements for that matter. So what I'm saying there
23 is, I mean, you know, there can be practical
24 implications there but on the other hand, it -- you
25 know, there's ways that can be used and I think in th

1 SRP cautions need to be in there about sort of, you
2 know, how much weight can you give to these, and
3 validation of them? That's the thought process
4 there.

5 On the cost benefit thing, in metrics
6 there, you know, Mike talked a little bit about
7 collective dose and the limitations in that. And, of
8 course, this Committee is on record in saying
9 collective dose isn't such a good thing to use as it
10 was done traditionally for this kind of thing which
11 is, you know, the integral overall space of micro-
12 doses is what I'm referring to.

13 But then that leaves the question okay,
14 what kind of measures and metrics do you use? In some
15 of the waste determinations I've seen DOE seems to
16 approach it more on a you know, "Gee, the pumping
17 efficiency went down a lot, we're not getting very
18 much out and it will cost a lot more", kind of a
19 thing. And then in the most recent Savannah River
20 waste determination, there were these metrics like
21 dollars for 50 years of dose averted to the public
22 receptor and a similar thing for workers.

23 And first, I've never seen a metric like
24 that before so it was sort of novel, and I'm not sure
25 whether it has any real conceptual validity or not.

1 And secondly, even if it has conceptual validity, you
2 know, there were numbers like, I'm remembering
3 numbers like the magnitude of like \$10 million per
4 millirem averted, on that order, and I'm sort of, you
5 know, asking myself is that too high or too low? I
6 mean, what am I measuring it against. And --

7 DR. RIDGE: I think the answer we would
8 provide, the answer that we tried to provide in the
9 SRP and that I've apparently unsuccessfully tried to
10 provide in my slides was that we would try to compare
11 that to other similar activities that DOE is
12 performing.

13 VICE-CHAIRMAN CROFF: Give me a couple of
14 for instances on the similar activity.

15 DR. RIDGE: For instance, removal of
16 similar waste from tanks at the same site. If DOE
17 wanted to move into this phase, I could imagine
18 looking at dollars per public millirem averted for
19 another environmental cleanup, maybe a spill at the
20 same site. I think we wanted to keep it somehow
21 similar and so we envisioned that maybe you would
22 compare one weird determination to another but it's
23 difficult. We don't --

24 VICE-CHAIRMAN CROFF: I realize this is a
25 very tough issue and I'm not sure I have an answer to

1 it, but the relative comparison, I don't think quite
2 is going to make it because for a couple of reasons.
3 First, if the next one was say, you know, they go
4 ahead and they grout these tanks and it was 10
5 million per millirem. They go to the next one and
6 its 50 million per millirem or something, well, maybe
7 you should have done something to the first tank but
8 you've already gone by it and secondly, these may all
9 be too high or too low compared to other
10 opportunities to use the researchers.

11 DR. RIDGE: I think something that gives us
12 a benchmark as to whether or not we're out of the
13 ball park is that they do have to meet the
14 performance objectives. So whether or not -- I doubt
15 they would all be much to low in the sense that
16 really they should be spending 10 bucks per millirem
17 because I think if they did that, they wouldn't be
18 meeting the performance objectives. So in that
19 sense, that does help to tie us into reality but I
20 certainly appreciate that there is an unsatisfying
21 aspect to only comparing it to other DOE activities.
22 Unfortunately, we also didn't think it was reasonable
23 to compare DOE activities to for instance the ALARA
24 analysis we do for our licensees. That seemed to us
25 to be a bit apples and oranges. So I certainly

1 appreciate your point.

2 VICE-CHAIRMAN CROFF: Fundamentally, I
3 think you have to assure that the conceptual validity
4 of the measure they propose and I'm not -- you know,
5 I mean, on one hand we say collective dose has a
6 problem but it includes the population, but this
7 measure doesn't include the number of individuals
8 exposed. Mike wants to intervene.

9 CHAIRMAN RYAN: I guess I'm struggling with
10 Allen's view of it a little bit. I mean, in one hand
11 I agree and hear what he's saying, but I think to me
12 it's better to get back close to what is important to
13 risk. Are you effecting release rates or not? Are
14 you effecting confinement or not? Does your system
15 add containment or not? Those are the kind of
16 relative measures where I think you have a much
17 better handle of evaluating A versus B. Please stay
18 away from collective dose as you say you're going to.
19 It's a measure fraught with terrible uncertainty in
20 and of itself. All those dose conversion factors are
21 all conservative, sometimes by many orders of
22 magnitude and that's ignored when we do dose
23 calculations most of the time.

24 So you're compounding, if you use a dose
25 metric, another set of conservatisms that you don't

1 even account for in most cases. So my view of it
2 would be get back to the things that you looked at
3 that are risk significant and try and get your
4 measure of relative value, you know, for doing
5 something closer to those activities out to the
6 receptor. You know, my version of it for students
7 is, "Well, do you want to drive the bus sitting in
8 the front seat looking out the front window or do you
9 want to put it in reverse and sit on the steering
10 wheel and try and steer it"?

11 You know, it's much better to be in the
12 front seat, so get close to the work, get close to
13 the radioactive material and you'll have a better
14 way, I think, to make those kind of evaluations
15 rather than the back end. And again, it's all in the
16 context of what Christianne said, that if you are
17 demonstrating compliance, that's done. Now let's see
18 if we can optimize at the source or at -- you know,
19 that kind of thing. So does that make sense to you?
20 You folks, all three of you or --

21 DR. ESH: I think it does to me. I mean,
22 the problem is, if you're operating in an overall
23 construct that has some degree of silliness to it,
24 how much do you refine some part within it?

25 CHAIRMAN RYAN: Yeah, exactly, well said.

1 DR. ESH: I mean, that's the problem you're
2 dealing with. I mean --

3 CHAIRMAN RYAN: That made up for the pause,
4 by the way.

5 VICE-CHAIRMAN CROFF: I think with this,
6 we're at the closure time, so I'm going to shut up
7 and turn it back to you.

8 CHAIRMAN RYAN: Well, no, I appreciate the
9 discussion but it's always good to hear --

10 VICE-CHAIRMAN CROFF: Well, no, we're at
11 12:30. I mean, I could yak on forever but --

12 CHAIRMAN RYAN: That was clear. Again, I
13 thank you all for your time this morning and for your
14 insight. You've got a tough job that you've done
15 really a very professional and well prepared document
16 and, you know, our part now is to maybe offer some
17 minor things that might help make it even a little
18 bit better. You've all done a really wonderful job
19 and thanks for letting us participate with you.

20 With that, hearing no other further
21 business we'll adjourn for lunch and reconvene at
22 1:30. Thank you.

23 (Whereupon at 12:31 p.m. a luncheon recess
24 was taken until 1:29 p.m.)

25 CHAIRMAN RYAN: Good afternoon, folks. If

1 we could come to order, please.

2 We have two briefing schedules this
3 afternoon on dry cask storage probabilistic risk
4 assessments, first from RES and NMSS, and second from
5 the Electric Power Research Institute. We'll have
6 both briefings separated by a short break.

7 So without further ado, I will turn this
8 over to our cognizant member for this session, Dr.
9 Ruth Weiner. Dr. Weiner?

10 MEMBER WEINER: Thanks, Mr. Chairman. Our
11 first presentation will be from Ronaldo Jenkins, who
12 is Branch Chief for PRA Support Branch for the
13 Division of Special Projects and PRA in the Office of
14 Research. And he is joined by Gordon Bjorkman, who
15 is Section Chief of Structural and Material Technical
16 Review Group and SFPO.

17 So without further ado, gentlemen, it's all
18 yours.

19 MR. HACKETT: Actually, Dr. Weiner, if I
20 could chime in. This is Ed Hackett from the Spent
21 Fuel Project Office. I had a few opening remarks,
22 and then we'll turn it over to the staff.

23 MEMBER WEINER: Please.

24 MR. HACKETT: Dr. Weiner, Chairman, thank
25 you.

1 Good afternoon. As I said, my name is Ed
2 Hackett. I'm Deputy Director for Technical Review in
3 the Spent Fuel Project Office. Just a few opening
4 remarks relative to context and key messages that
5 I'll go into here just very briefly.

6 But even before that, I'd like to express
7 our thanks from the Spent Fuel Office to the Office
8 of Research, many of whose representatives are
9 arrayed around me here to the right. And it's been
10 a long effort for them and for us working
11 collaboratively, so we appreciate that.

12 We also appreciate prior communications
13 here just recently from the committee with regard to
14 some of your questions, so we have the benefit of
15 those in advance. We appreciate that. The staff
16 will endeavor to answer your questions during the
17 course of the presentation, and, if not, I'm sure
18 you'll let us know.

19 If I could have the next slide.

20 This effort was really initiated to help
21 SFPO develop an initial look at risk-informing our
22 regulatory approach for spent fuel storage. As you
23 are aware, the framework in this area has
24 historically been largely deterministic and
25 prescriptive. As I just mentioned, the Office of

1 Research has had the lead for this effort, but we
2 have worked very closely, sort of hand in hand, on
3 this effort for quite some time.

4 The focus is an important thing to bring
5 across here in the way of context and opening
6 remarks. The focus has been on development of the
7 methodology, and you'll see in here, and I've already
8 reviewed, the limited pilot application, the limited
9 scope pilot application that you see there.

10 Go to the next slide.

11 And the reason for the importance of that
12 context, I think it's obvious that these PRA numbers
13 are very low. I think that's in common between the
14 study that the staff did and also from what I've seen
15 of the EPRI study. However, that was not the focus
16 of the study. The numbers come out small. I don't
17 consider that myself to be a surprise.

18 I come from the reactor side of the house
19 here, just recently to SFPO, and, of course, dry
20 casks are decidedly not PWRs or BWRs, so you would
21 expect a lower risk, and, in fact, a significantly
22 lower risk. And that's, in fact, what we see.

23 The dry storage systems for spent nuclear
24 fuel are also passive, obviously. They have
25 significant margins on the structural integrity that

1 have basically been designed in, and they are
2 extensively analyzed and tested, so -- also, there
3 are significant inspection and oversight efforts that
4 we do here at the NRC that you're aware of that
5 provide for continued maintenance of these margins.

6 So the bottom line there is that there are
7 a lot of reasons these numbers would be low, but
8 that's also not the focus. The focus was really kind
9 of where you get into in the second bullet here is
10 looking at, you know, where are we getting to in
11 terms of what's risk-dominant or what are risk-
12 dominant contributors to this study. And Gordon and
13 Ronaldo will go through that in detail.

14 But one example you'll see is, again, not
15 surprising that the risk is dominated by handling
16 sequences. And there will be some discussion of
17 that.

18 So that said, you know, we're here to
19 present you with significant findings and conclusions
20 and present an overall discussion, and try and answer
21 your questions to the best of our ability.

22 With that, I'll turn it over to Ronaldo.
23 Thank you.

24 MR. JENKINS: Good afternoon. My name is
25 Ronaldo Jenkins, and I'm Chief of the PRA Support

1 Branch in the Office of Nuclear Regulatory Research.
2 I'm joined by Dr. Gordon Bjorkman, Chief of the
3 Structural and Materials Section of the Technical
4 Review Directorate in the Spent Fuel Project Office
5 within the Office of Nuclear Material Safety and
6 Safeguards, NMSS.

7 I would also like to thank the committee
8 for taking the time to hear this presentation.

9 Just to review the topics we will discuss
10 today, I will cover the goals of the dry cask storage
11 system PRA and an overview of the PRA methodology.
12 Then, Dr. Bjorkman will provide a detailed discussion
13 of the success criteria for this system. He will
14 discuss the staff's analysis of the response of the
15 multi-purpose canister or MPC to these stresses and
16 fuel failure. Dr. Bjorkman and I will then conclude
17 by summarizing the report findings and highlighting
18 its conclusions.

19 When the Office of Research began this
20 project, it was first intended to be a scoping study.
21 As the staff examined the issues involved, the scope
22 of the report changed and became more detailed to
23 provide better understanding of the dry cask storage
24 system operation and failure modes. The primary
25 focus of the report was to provide guidance for

1 future PRA studies such that we can encourage risk-
2 informed activities in this area.

3 Just to review what we mean by "risk, risk
4 equals frequency times consequences." Risk in this
5 report is defined in terms of the probability of
6 latent cancer fatalities per person per year.

7 The dry cask storage system operation is
8 divided into three phases -- handling, transfer, and
9 storage. As the equation on this line indicates, we
10 examine and determine the risks associated with these
11 three phases, and then add them together to obtain
12 the total risk.

13 Just a brief discussion on the cask system
14 itself. The Holtec Hi-STORM 100 dry cask storage
15 system consists of a multi-purpose canister or MPC
16 that confines the fuel, a transfer overpack which
17 shields workers from radiation while the cask is
18 being prepared for storage, and a storage overpack
19 that shields people from radiation and protects the
20 MPC during storage.

21 When the transfer overpack contains the
22 MPC, the unit is referred to as a transfer cask.
23 When the storage overpack contains the MPC, the unit
24 is referred to as a storage cask.

25 The dry cask storage system operation, as

1 I said, is divided into those three phases. During
2 the handling phase, the transfer cask is lowered to
3 the bottom of the cask pit next to the spent fuel
4 pool. Then, the spent fuel assemblies are loaded
5 into the MPC. The MPC is then prepared for storage
6 and lowered from the transfer cask to the storage
7 cask.

8 The transfer phase begins when the storage
9 cask with the MPC inside is moved through an airlock
10 outside the secondary containment building. Then,
11 the transfer phase ends when the storage cask is
12 moved to its location on the storage pad of the
13 independent storage -- independent spent fuel storage
14 installation or ISFSI. Lastly, the storage cask
15 begins its phase of storage for the balance of the
16 20-year licensing period.

17 In order to facilitate the risk analysis,
18 the dry cask storage operation was divided in 34
19 distinct stages. These stages were developed in part
20 due to the detailed analysis that the staff took to
21 -- when they examined the overall process.

22 This composite sketch shows the movement of
23 the transfer cask and storage cask through the
24 secondary containment building, out the equipment
25 hatch, to the ISFSI. A risk assessment will evaluate

1 how the applicable initiating events affect MPC
2 during each stage of operation.

3 Just so that we are clear on terms, in
4 terms of this report, initiating events are those
5 events that may lead to a release of radioactive
6 material to the environment.

7 As we have discussed before, the initiating
8 events were identified using NUREG-2300, PRA
9 Procedures Guide, and from design operational data
10 for the specific cask and the plant being studied.
11 Information on the design of the cask system was
12 obtained from licensing documents.

13 Analysts visit the plant to observe the
14 operation and equipment used during the handling,
15 transfer, and storage phase. Written descriptions of
16 the procedures were obtained and studied, and
17 additional details were provided through a discussion
18 with plant personnel.

19 The total list of initiating events were
20 reviewed by the NRC staff who had reviewed and
21 licensed this particular dry cask storage system.
22 This review drew upon the extensive knowledge and the
23 diverse perspectives that the staff had on the
24 system. Based on these reviews and the process used
25 to develop these events, the staff constructed a

1 complete list of all initiating events that would
2 conceivably affect the cask system.

3 What you see on the slide is the final list
4 of initiating events for the handling and transfer
5 phase which were not screened out by other
6 engineering analysis.

7 This line lists those initiating events
8 relevant during the storage phase. Here we're
9 concerned with external phenomena such as seismic
10 events, strikes from aircraft, or thermally
11 overloading the MPC due to vent blockage or fire. We
12 are excluding tsunamis and volcanic activities as
13 initiating events, because they are not applicable to
14 the site.

15 Other events such as lightning, flooding,
16 and shockwaves from pipelines, commercial trucks, and
17 rail cars were screened out by engineering analysis.

18 Given that the applicable initiating events
19 create mechanical and thermal challenges that could
20 lead to failure, the PRA must now assess whether the
21 barriers -- in this case, the fuel plan and the MPC
22 cask system -- will be successful in performing its
23 containment function.

24 In addition, for the subject plant, a
25 release of radioactive material will actuate the

1 containment isolation function. Therefore, the PRA
2 must consider the reliability of those systems to
3 isolate that release.

4 As shown in this event tree, we see that
5 the applicable initiating event and the success
6 criteria combine to determine whether or not you
7 arrive at a particular end state, whether you have a
8 release or no release. The evaluation of the release
9 end state, or consequence analysis, provide us with
10 the consequence portion of the risk equation.

11 In order to assess the radiological
12 consequences, the staff used the MELCOR accident
13 consequence code system. Release fractions were
14 estimated, and the source terms were developed based
15 on input from Sandia National Laboratory.

16 As shown, the model used input from
17 radionuclide inventory, source term, meteorological
18 data, population data, and emergency response to make
19 these calculations. Estimated consequences in terms
20 of latent cancer fatality probability for an
21 individual was 3.6 times 10^{-4} .

22 Going back to our risk equation, we
23 summarized the risk in each of the three phases --
24 handling, transfer, and storage -- to provide an
25 estimate of the annual risk to an individual. We

1 estimate 2.0 times 10^{-12} for the first year of
2 operation, which includes the three phases. We
3 estimate 1.9 times 10^{-13} per year for the remaining
4 years of operation, which only involves the storage
5 phase.

6 At this time, I'd like to turn the
7 presentation over to Dr. Bjorkman, who will discuss
8 specifically the staff's analysis of the mechanical
9 and thermal loads on MPC and fuel.

10 DR. BJORKMAN: Well, thank you. Could I
11 have the first slide?

12 Thank you. In terms of success criteria,
13 what I'd like to talk about and highlight are
14 basically the Hi-STORM 100 system. I'd like to
15 summarize the events that could lead to containment
16 or confinement boundary failure -- that is, MPC
17 breach -- or fuel failure.

18 I'm going to concentrate on the high
19 probability of failure events. I'm going to talk a
20 little bit about the analysis models, failure
21 criteria, failure modes. And when I'm finished with
22 that I would also like to talk about the release
23 fractions methodology that was developed.

24 Next.

25 Going to the Hi-STORM 100, as Ronaldo has

1 already mentioned, there are three components -- the
2 multi-purpose canister, which is the confinement
3 boundary for the fuel; the transfer overpack shields
4 the MPC and workers during transfer operations; and
5 the storage overpack, which shields the MPC during
6 storage.

7 Next, please. Thank you.

8 Just to give you an idea of what these look
9 like, the transfer overpack -- these are pretty much
10 to scale. The interior volume is occupied by the
11 MPC, and those are approximately the same. The
12 transfer overpack consists of an exterior one-inch
13 thick plate, an interior three-quarter inch steel
14 plate, and four and a half inches of lead shielding.
15 And it's surrounded by a water jacket for a neutron
16 shield.

17 The storage overpack is -- has a steel
18 shell about three-quarters of an inch thick, an
19 interior shell of approximately one and a quarter
20 inches thick, and a concrete -- filled in with
21 concrete that is about two feet thick. It also
22 contains a concrete shield lid, as well as two two-
23 inch thick plates that cover the top of the storage
24 overpack.

25 Next, please.

1 The multi-purpose canister -- the multi-
2 purpose canister is basically made up of three
3 components. There is the shield lid, the structural
4 shield lid, which is a nine-inch thick stainless
5 steel lid; an inch and a half -- or, excuse me, a
6 half-inch thick steel shell; and a two and a half
7 inch thick baseplate.

8 With respect to the seals that occur at the
9 junction of the lid and the shell -- of course, we
10 have to have a double seal there, and that is formed
11 by the exterior shell. And the lid -- there's a
12 structural weld at this location. The welds that
13 prevent leakage through the event and drain ports are
14 here.

15 These two welds, in this group of welds,
16 provides the first seal. The second seal is provided
17 by an annular plate, which is then welded to the
18 shell and welded to the lid. And that provides the
19 second confinement boundary seal. So it's a double
20 containment or double confinement as required.

21 The lower region there is a full
22 penetration weld that connects the shell to the
23 baseplate. That is right down here at this location.
24 This will be a very, very important -- of interest.
25 This will be a -- really, a region of focus down here

1 in terms of MPC potential breach and failure.

2 Next slide, please.

3 Release of the radionuclides -- well,
4 radionuclides are released from the environment if --
5 first, we have cladding failure or CRUD spallation,
6 and the MPC confinement boundary breaches.

7 Okay. Next.

8 Now, the Table 19 in the report summarizes
9 the various stages. We have summarized them right
10 here. We have 34 stages. We talk about initiating
11 events or frequencies, and these range in these
12 orders of magnitude for all of the 34 events.

13 We then have the conditional probability
14 release from the MPC or from a fuel rod, and these
15 range typically from zero all the way up to about 28
16 percent conditional probability failure.

17 We then have the probability of secondary
18 containment failure, the consequence, and risk
19 numbers, and these are the ranges. What I am going
20 to talk about specifically is this column. Virtually
21 my entire presentation will be dealing with this
22 column -- conditional probability of release from the
23 multi-purpose canister or from fuel rods.

24 MEMBER WEINER: Excuse me?

25 DR. BJORKMAN: Yes.

1 MEMBER WEINER: Gordon, can we go back to
2 that slide a moment? What are the units of
3 consequence that you have?

4 DR. BJORKMAN: Cancer fatalities per year,
5 I believe?

6 MEMBER WEINER: Consequence?

7 DR. BJORKMAN: No. I'm not sure.

8 MR. JENKINS: It's the probability of
9 latent cancer fatalities.

10 MEMBER WEINER: I thought that was the
11 units of risk.

12 MR. JENKINS: It's frequency times the
13 consequence.

14 MEMBER WEINER: Oh, okay. Thank you. So
15 the consequence there are latent cancer fatalities,
16 is that correct?

17 MR. JENKINS: Right, probability.

18 MEMBER WEINER: Probability. Thank you.
19 Okay. Sorry.

20 DR. BJORKMAN: No, that's fine.

21 MEMBER WEINER: Please continue.

22 DR. BJORKMAN: Okay. So what I will be
23 talking about is that second column -- conditional
24 probability of release from the MPC or fuel rods.
25 Okay. Event categories -- there are two event

1 categories that could produce fuel failure or MPC
2 breach -- thermal events and mechanical load events.

3 Under thermal events, to evaluate the
4 thermal events, a computational fluid dynamics model
5 of the MPC and the storage overpack were developed to
6 do the thermal evaluations. This is the storage
7 overpack. A detailed thermal analysis model was
8 constructed, a computational fluid dynamics model
9 using fluid.

10 Okay. And this model was used to evaluate
11 two particular thermal events -- that is, aircraft
12 fuel fire, so the entire fuel load from the
13 Gulfstream IV aircraft, which is the largest aircraft
14 that could land near the -- this particular site.
15 The entire fuel load was then discharged and burned
16 for three-hour duration.

17 We know that this is quite a conservative
18 duration. We know that in aircraft failures or
19 aircraft crashes that we have a large fireball much
20 of the fuel is burned up in the first few seconds or
21 few minutes. All of this -- all of this fuel was
22 also pooled around the storage overpack. We know
23 that that's a very unlikely event as well. So it's
24 quite a conservative analysis that was done here.

25 MR. HACKETT: Gordon, could I interrupt for

1 just a second?

2 DR. BJORKMAN: Yes.

3 MR. HACKETT: This is Ed Hackett again. I
4 should have mentioned at the beginning as a caveat to
5 this, and it's maybe obvious to a lot of folks, but
6 what Gordon is talking about here from the aircraft
7 perspective is an accidental crash. This study
8 specifically excluded accident, sabotage, and
9 terrorism related to those factors.

10 MEMBER WEINER: Thank you. Your report
11 makes that very clear.

12 DR. BJORKMAN: Okay. Very good point.
13 Thank you, Ed.

14 And, again, these are from accidental
15 crashes of aircraft.

16 Blocked vents was another event that could
17 take place. Blocked vent -- duration for the blocked
18 vents, the vents cool -- convection cooling of the
19 MPC shell is done through air circulation if these
20 vents are blocked. The temperature of the MPC could
21 go up, and the temperature of the fuel could go up as
22 well.

23 A 20-year duration for this was assumed,
24 although steady-state temperature are actually
25 reached in less than 30 days. Also, it would be very

1 difficult for this to occur, because inspections are
2 done -- several inspections are done yearly to
3 particularly look at whether or not the vents are
4 actually blocked.

5 But the 20-year duration was assumed,
6 because as I'm going to talk about one of the other
7 failure criteria, which is a structural failure
8 criteria, is creep rupture, and we try to prolong the
9 duration of this fire, so we can get as much duration
10 to see if we could get creep rupture.

11 Okay. Next slide, please.

12 Now, results of the thermal events with
13 respect to fuel cladding failure. These are the two
14 events -- the Gulfstream IV fuel fire and the blocked
15 vent. The maximum cladding temperatures in degrees
16 Celsius are shown here, and the accident limit or the
17 accident temperature limits are shown here, 570
18 degrees. And, obviously, from this we see that there
19 are no cladding -- fuel cladding failures.

20 I should mention as an asterisk on this
21 that cladding failure is actually not expected until
22 we get to temperatures well above this, temperatures
23 in the vicinity of 750 degrees Celsius. So this was
24 quite a conservative failure criteria, and we never
25 reached those temperatures.

1 Next slide, please.

2 Now, thermal events and MPC failure,
3 thermal events and the multi-canister failure. We're
4 looking at a loading in the MPC and internal pressure
5 due to the filled gas. The MPC canister is filled
6 with helium. The helium is there to cool through
7 convection, to cool the fuel. It's at approximately
8 five atmospheres, about 82 psi, and there are two
9 failure modes that could be generated from this
10 internal pressure loading.

11 One is a limit load failure, and in that
12 case what happens is you get a -- we use a flow
13 stress model, and what we want to do is -- what are
14 the stresses causing continuous plastic flow? Could
15 I get continuous plastic flow and breach? And what
16 we wanted to make sure is the actual stresses in the
17 shell, in the MPC, are actually less than the flow
18 stress.

19 Now, the flow stress itself, though, is a
20 function of the yield stress of the material, the
21 ultimate strength of the material. In turn, the
22 yield and ultimate strength are functions of
23 temperature. So what was done is probability
24 distributions were developed from the literature for
25 all of these quantities, Monte Carlo simulations were

1 performed, and no failures were predicted at all.

2 For creep rupture, creep rupture being
3 under sustained stress, long-time -- long term-
4 stress. Is there a sustained straining such that a
5 strain limit is reached and rupture occurs? And
6 that's what we'd like to determine here.

7 So it's a time to failure data, or as much
8 time to failure data on the stress and temperature
9 for stainless steel weld and base metal was obtained.
10 The Argonne National Laboratory creep model was used
11 to predict creep damage for any time-temperature-
12 stress condition, and in this model the stresses were
13 magnified to account for weld flaws as well.

14 And using all of this data and running it
15 through a Monte Carlo simulation, again, no creep
16 rupture failures were predicted. None whatsoever.

17 Next slide.

18 So we see that from thermal events we have
19 no failures, either for the fuel rod cladding or for
20 the MPC confinement boundaries.

21 Now, mechanical load events. What was
22 considered? What were the results? Explosions -- a
23 gasoline tanker traveling on the nearest highway.
24 Well, the explosion of that tanker of course is an
25 overpressure at the location of the storage overpack

1 of about one pound per square inch, significantly
2 less than the design external pressure of 10 psi.
3 Again, pipeline failure from the nearest pipeline and
4 explosion overpressure one psi, much less than 10 psi
5 design.

6 Strikes by heavy objects -- could they tip
7 the storage cask over? Could they penetrate it?
8 Well, we looked at vehicle impact. We took a 10,000-
9 pound vehicle traveling at 150 miles an hour. You
10 could not tip over the cask. If the cask does not
11 tip over, there is really nothing that really
12 stresses the cask whatsoever, unless it tips over.

13 Tornado missiles -- again, the mass and
14 velocity of these missiles were insufficient to cause
15 storage overpack perforation or tip over.

16 Again, strikes by heavy objects continued
17 -- aircraft. The Gulfstream IV aircraft is the
18 largest aircraft that can be handled at the local
19 airfields. This is a twin-engine jet. The two jets
20 are mounted at the rear of the fuselage. The plane
21 weighs approximately 74,000 pounds.

22 We're looking at the possibility of crashes
23 on landing and takeoff as well as crashes due to
24 overflying aircraft that don't land at the airfield.
25 Landing and takeoff, it's the -- Gulfstream IV is the

1 largest aircraft. We want to look at the hard
2 components that are in the Gulfstream IV.

3 This would be the landing gear or the
4 engine shaft, and the engine shaft is where the --
5 the hardest, smallest diameter piece that could hit
6 the storage overpack. And that does not penetrate
7 the storage overpack, let alone even get to the MPC.

8 The mass and velocity also of this aircraft
9 are insufficient to tip the cask over as well.

10 Okay. Now, that's for takeoff and landing.
11 What about overflights? Well, we assume that all
12 over-flying aircraft are larger than a Gulfstream IV
13 and traveling at high velocity. We, therefore,
14 assume that all impacts cause cladding failure and
15 MPC breach. We made that assumption.

16 Rather than trying to do an analysis for
17 all of these aircrafts, okay, we just said let's just
18 see what happens to the risk numbers if we made the
19 assumption that all overflights -- that these are
20 large aircraft traveling at high velocity, and they
21 could potentially breach the MPC and cause fuel
22 cladding failure.

23 Based on that, the conditional probability
24 of a release is then the probability or frequency of
25 overflight crashes divided by the sum of the

1 frequency or probability of overflight crashes and
2 takeoff and landing crashes. And the number that is
3 reported here and is in the PRA is .14.

4 Well, I want to tell you that this number
5 is wrong. Okay? In reviewing this section last
6 night, I discovered that the calculation for
7 overflight pressures, you have to have -- you have to
8 know the size of the target area that the aircraft
9 will hit. Well, in that calculation, on page 32,
10 second from the bottom paragraph, they had a
11 calculation in there which the aircraft engines of
12 the Gulfstream II were 100 meters apart.

13 Well, we know that that's not true. They
14 are actually a lot closer than 100 meters, and that
15 number is going to be reduced by a factor of more
16 than 10. This number will then go down to .01, will
17 be one percent, and will change the risk number
18 accordingly by an order of magnitude. And this will
19 be corrected in the PRA.

20 Next slide.

21 Other mechanical load events -- seismic.
22 An ABAQUS soil structure interaction mode, ABAQUS is
23 a finite element package that is used for non-linear
24 analysis as well as elastic analysis and explicit
25 dynamics.

1 A soil structure interaction model that
2 included the storage overpack, the ISFSI concrete
3 pad, and the soil was modeled, and the coefficient of
4 friction between the cask and the pad -- that is, the
5 frictional coefficient that resists sliding or
6 tipover, particularly sliding of the cask, was varied
7 between .25 and .53.

8 Earthquake magnitudes were increased from
9 their site design basis value by 9 to 11 times. The
10 site design basis value was taken at half of the
11 seismic margins earthquake value, which is .3g, and
12 we use .15g peak ground acceleration. Again, these
13 are increased by 9 to 11 times, the design basis
14 earthquake, no cask tipover whatsoever under those
15 conditions.

16 Okay. Thank you.

17 Mechanical load events continued. Cask
18 drop events. Okay. There are two categories of cask
19 drop events. One is when the MPC is unsealed, open,
20 the lid has not been welded yet. Okay? Those
21 obviously, in terms of the calculation of whether the
22 MPC breaches or not, don't really matter. We must
23 consider that the MPC is breached for all of those
24 evaluations.

25 Now, when the MPC is sealed, there are

1 really four conditions and four general categories.
2 One is when the transfer cask is moved over the
3 refueling floor. The maximum drop height at that
4 point is about three feet. The other case is when
5 the transfer cask is lowered through the equipment
6 hatch we have a maximum drop of 100 feet.

7 And the other is when the MPC, the multi-
8 purpose canister, is lowered into the storage
9 overpack from the transfer cask. That's a 19-foot
10 drop, and that storage overpack moved to the ISFSI
11 pad and the maximum drop is only one foot.

12 Now, in evaluating the MPC drops there were
13 two significant drops. One is the 100-foot drop
14 through the equipment hatch. We have the refueling
15 floor, we have approximately a 100-foot drop. If the
16 storage overpack, if the cask hits the storage
17 overpack, that ends up being a soft impact, because
18 the storage overpack acts as an impact limiter,
19 absorbing much of the energy in that impact.

20 If the storage overpack is either not here
21 or the transfer cask misses the storage overpack on
22 its descent, it will hit the concrete floor. That is
23 also a soft impact. This transfer cask, as I
24 described earlier, is a fairly robust, very heavy
25 cask. It goes about 10 inches into the concrete

1 floor, and that 10 inches of deformation and crushing
2 absorbs a significant amount of energy. So that is
3 relatively soft impact.

4 On the other hand, the 19-foot drop of the
5 storage overpack -- of the MPC into the storage
6 overpack -- and I should explain what happens here --
7 it's lowered through the equipment hatch down to and
8 rests upon -- on the top of the storage -- on the top
9 of the storage overpack, and then independently the
10 MPC is then lowered after the door is slid sideways,
11 opened, the MPC is lowered into the storage overpack.

12 There is a possibility in this particular
13 transfer that it could drop 19 feet. This is a hard
14 impact. There is very little energy absorption here.
15 The MPC hits the bottom of this plate. This plate is
16 spread over a large area. Very little deformation
17 takes place. It probably only sees -- well, it sees
18 on the order of probably only a fraction of an inch.
19 We're talking about maybe an inch deformation here,
20 very small amounts of deformation. That's a very
21 hard impact.

22 And as we will see, just to give you -- you
23 know, let you see what's going to come here, this is
24 the dominant contributor to risk, this drop right
25 here, not that one. And that comes out of this

1 study.

2 Yes?

3 MR. DIAS: One quick question here. How
4 wide is the shaft? You know, is there any chance of
5 some rotating momentum to be applied to the canister,
6 or as the transfer canister -- as it's coming down
7 that would cause it to hit some of the floors in
8 between? I'm thinking out loud here.

9 DR. BJORKMAN: I really depends upon what
10 actually happens, what the event is that causes --

11 MR. DIAS: Yes. But if it's wide enough,
12 we know, then, that could be a little less probable.

13 DR. BJORKMAN: I couldn't tell you exactly
14 what the width of this is.

15 MR. DIAS: Okay.

16 DR. BJORKMAN: My estimate is that it is
17 probably 30 feet or, you know, more. I'm --

18 MR. DIAS: Okay.

19 DR. BJORKMAN: I'm just guessing, but I
20 don't know for sure.

21 MR. DIAS: Okay.

22 DR. BJORKMAN: I mean, I have looked over
23 equipment hatches before and looked down and --

24 MR. DIAS: I haven't.

25 DR. BJORKMAN: I don't -- I don't recall

1 what the exact --

2 MR. DIAS: Okay.

3 DR. BJORKMAN: But, no, you know, if it is
4 brought over and the event -- the drop takes place as
5 it's coming over and certainly hits something and
6 tips it could then -- and it would go down, that
7 would -- that would probably be a less damaging event
8 for the MPC than the direct impact all the way down.

9 The likelihood of breach under those
10 conditions is probably less. That's just a guess at
11 this point.

12 Yes?

13 MR. MALLIAKOS: This is Asimios Malliakos
14 from the staff. Actually, this failure is being
15 drawn to scale. So I have engineer here --

16 DR. BJORKMAN: This is 20 feet. Then, this
17 is on the order -- this could be almost 30 feet.

18 MR. MALLIAKOS: Yes.

19 DR. BJORKMAN: So it could be close.

20 MR. MALLIAKOS: Yes.

21 DR. BJORKMAN: Okay. So this is the event
22 that will dominate right here. It's not intuitive at
23 all, not intuitive at all. But this is what comes
24 out when you do this kind of a detailed evaluation to
25 determine what the dominant event is.

1 Okay. Next, please.

2 To do this analysis, a detailed LS-DYNA
3 finite element model was developed to perform the
4 drop impact analysis. This is a continuum mechanics
5 model. This is the geometry. It's a quarter scale,
6 taking advantage of two planes of symmetry. It's a
7 quarter scale model. This shows the concrete floor
8 and the wall under the concrete floor that this cask
9 would impact.

10 Next slide, please.

11 We zoom in at the bottom there. We zoom in
12 at the bottom corner, and, you know, this is hard to,
13 you know -- in a 10-second glimpse it's hard to see
14 what's going on here, but you can begin to see some
15 of the detail.

16 This is the baseplate of the MPC. This is
17 the baseplate. Here we have the shell -- the shell,
18 the half-inch thick shell. And there were a lot of
19 elements through the thickness, and you see that
20 going up this way.

21 This yellow here is a basket support, and
22 I will talk about that in a minute. That's a basket
23 support that is welded to the MPC shell. You see
24 that in a very coarse model the actual basket in
25 green is modeled. The actual fuel rods are actually

1 modeled, and they are modeled so that the mass -- the
2 mass of the system is actually modeled correctly. So
3 they're in there just to make sure that the mass and
4 the dynamics work properly.

5 Next slide, please.

6 If we look at the MPC -- and, again, I
7 talked about that weld in the corner between the
8 shell and the baseplate. If we look at a location
9 away from the basket support -- the basket support
10 that I'm going to be looking at in this case is a bar
11 that may be an inch and a half thick and maybe two
12 inches wide. The basket supports are welded fairly
13 -- at anywhere from 15 to 20 degrees around the
14 interior of the MPC shell. They're there to prevent
15 any movement of the basket inside the cask. That's
16 their function.

17 If we look at the deformation -- and this
18 is for the 19-foot drop at the same time at five
19 milliseconds into the event, if we look at a location
20 away from the basket support we see a nice gradual
21 curvature taking place, a very nice deformation.

22 If we look directly at the basket support,
23 we see that what is happening here is we get high
24 constraint. Virtually much of the deformation -- all
25 of the deformation takes place just in this lower

1 section right down here. So the basket support is
2 constraining the deformation into this localized
3 region.

4 Next slide.

5 And if we look at the stresses, or in this
6 case the strains, the effective plastic strains in
7 here -- and this is exactly the same picture as I
8 showed you before, and now we're going to look at it
9 more closely. This is a closeup of that same
10 section, and I'm going to show you the maximum value
11 of strain that comes out of here, which is .459 or
12 about 46 percent strain. You'll remember that
13 number.

14 What I also want to show you is another
15 thing that's very important for the PRA to recognize
16 how this analysis was before performed. Notice this
17 maximum occurs at a single element -- right here --
18 a single element through the thickness. There are
19 six elements through the thickness.

20 So when we discuss the failure probability
21 of the MPC or the possible breach of the MPC we're
22 really talking about the failure of that one element
23 through the thickness. And we're making the
24 assumption that this crack or this initiation of
25 failure would propagate through. That is not always

1 the case, however.

2 So this is a conservative analysis in that
3 case. It will take additional -- additionally more
4 rigorous analysis to actually go through and fail it
5 all the way through and do the multiple simulations
6 that would have to be done. So I want you to keep
7 that in mind. We're talking about a single element
8 here.

9 Okay. Thank you.

10 What is the failure criteria? I showed you
11 how we calculated the stresses, or in this case the
12 strains. I showed you how we calculated the strains.

13 What's the failure criteria? The most
14 highly stressed region of the MPC is at the
15 circumferential weld joining the shell to the
16 baseplate, and you saw that. The material, the weld
17 material, is Type 308 stainless steel. We have a
18 strain-based failure criteria based on test data of
19 Type 308 stainless steel weldments taken from nuclear
20 powerplant piping, nuclear powerplant piping that was
21 in service. These coupons were cut up from those
22 welds, and tests were done on those two failures to
23 determine strain at failure.

24 From this data, the mean and standard
25 deviation of the true strain at failure was

1 calculated, and the true strain at failure is really
2 what we want, because this is consistent with the
3 output in LS-DYNA. The data that we used to compare
4 with our analytical model should be the same and
5 consistent. In this case they are.

6 The data have to be adjusted, however, for
7 strain rate and temperature. The data is for room
8 temperature at static loading. We have to adjust it
9 for high strain rates, high impact loads at elevated
10 temperature. A factor of .88 was applied to the mean
11 failure strain.

12 Okay. And based on that, the actual data
13 now -- I can show you, this is in Table B2 in the PRA
14 -- we now have the standard deviation from the mean.
15 The mean value for the strain at failure is about .73
16 or 73 percent strain. Seventy-three percent strain,
17 for those of you who aren't familiar with strain,
18 this would be a 73 percent -- in general, a 73
19 percent increase in the length of the material prior
20 to failure.

21 Okay. So a one-inch bar would fail when it
22 got to 1.73 inches approximately. That's not exactly
23 the definition of "true strain," but it's the
24 definition of engineering strain.

25 Anyway, so .73 or 73 percent strain, and

1 that is really what we were calculating -- that is at
2 the 50 percent probability effect. That is, we have
3 a 50 percent chance that the actual failure strain is
4 less than the calculated value. Okay? So this is
5 incorrect. This should be switched around. It's
6 correct in this table in the PRA report, however.

7 So this is the probability. This is the
8 probability that the actual failure strain is less
9 than the value that was calculated in the LS-DYNA
10 program. Okay. And these are the values for several
11 standard deviations.

12 Next slide.

13 We also have to adjust it for the state of
14 stress. We adjusted it for strain rate and
15 temperature. Now we have to adjust it for state of
16 stress.

17 Okay. The strain at failure is based on
18 uniaxial tension -- that is, pointing it in one
19 direction, stretching it this way, failed. Okay. In
20 the actual LS-DYNA calculation, we have a complex
21 three-dimensional state of stress going on. Okay?
22 So we need to -- and this triaxial state of stress,
23 this three-dimensional state of stress, may constrain
24 plastic flow and lower the strain at failure,
25 particularly if it's tension. It'll constrain the

1 plastic flow and lower the strain at failure.

2 So what is calculated as a triaxiality
3 factor for each element -- so for each element in the
4 analysis a triaxiality factor was calculated, and the
5 failure strain was modified.

6 And this is the final data -- MPC failure
7 probability. For various drop heights -- 19-foot
8 drop, 100, and five-foot drops. The maximum strain
9 in LS-DYNA -- I'll just go through the 19-foot drop,
10 the maximum strain in LS-DYNA, approximately 46
11 percent strain. Notice the 100-foot drop is
12 considerably less.

13 Okay. Now, adjusted for the effects of
14 triaxiality, what we did was we took the triaxiality
15 factor and bumped up the LS-DYNA value -- rather than
16 lowering the failure value, we bumped up the LS-DYNA
17 value by the triaxiality factor to get this strain,
18 before comparing it to the table I just showed you
19 before, to compute the failure probability. And this
20 is, again, the probability of weld failure.

21 So we end up with approximately a 28
22 percent conditional probability failure, okay, given
23 that the event has occurred. And, again, asterisks
24 -- this is the probability that one of the six
25 elements through the thickness has failed.

1 Next slide. Thank you.

2 Okay. So we've talked about MPC failure.
3 Now we also have to talk about cladding failure, the
4 drop events, mechanical drop events. We have end
5 drop impact. The most likely drop scenario is that
6 of an end drop impact. These are high impact loads
7 on the fuel rods.

8 If we were to go and use what we call
9 static buckling formula for a fuel rod, and use
10 static buckling formulas where you just -- you know,
11 we all take the yardstick and put some load on it and
12 it bows out, and that -- that is buckling.

13 Well, if we did and used those formulas to
14 predict the failure of the fuel rod for the g loads
15 that are -- it is subjected to, we would have the
16 fact that a one-foot drop predicts buckling and fuel
17 cladding failure. And this, of course, is not
18 physically correct.

19 What happens is that magnitude and the
20 duration of the loading are important. We have high
21 loads but very short duration. And this is a dynamic
22 problem and must be treated as a dynamic problem.

23 What we did is we developed a fuel rod
24 model, a single-pin model, and this is -- the artist
25 has taken a great deal of liberty here in creating --

1 this is a straight pin. It has a slight bow in it.
2 That bow is only one one-hundredth of an inch, but
3 it's highly exaggerated here, just for the point of
4 illustration.

5 These lateral springs are the grid spacers
6 between -- okay, the grid spaces in the assembly.
7 These distances are typically 20 inches, 20 inches
8 each. Okay? And there's a small amount of bow.

9 And the rod can displace laterally through
10 some gap, and that gap is determined by distance
11 between adjacent rods, how much gap there is between
12 the fuel assembly and the fuel basket itself, and the
13 maximum gap was assumed.

14 Now, if we use the single rod model -- and
15 that was dictated by computational efficiency. In a
16 10 by 10 fuel assembly, we have 100 rods. All of a
17 sudden we have 100 rods buckling, interacting with
18 one another. This is a very complex problem. It's
19 only recently that this problem has begun to be
20 tackled computationally.

21 This single pin rod by itself has 20,000
22 elements and 10,000 nodes. Okay. We use a cask to
23 ground spring. I will just -- you know, we have a
24 rod and there's the cask mass and the MPC mass are
25 all in here, and we have a cask to ground spring.

1 They'll say, "Well, how do you choose that cask to
2 ground spring?"

3 Well, what is the fuel rod field? The fuel
4 rod fields -- what it's resting against. It's
5 resting against the MPC baseplate. Well, how does
6 the MPC baseplate move? Well, what we do is we
7 determine the stiffness of this spring such that it
8 has exactly the correct displacement characteristics,
9 and we go through an iterative process until we get
10 it right, so that it displaces and the fuel rod
11 thinks it's resting against the MPC baseplate.

12 The mechanical properties of high burnup
13 fuel were used, and a cladding failure strain limit
14 of one percent was used. And this is near the lower
15 end of the strain failure data. Other values could
16 certainly be used. We used one percent in this
17 particular study.

18 Okay. I want to show you one of the
19 results, and then this is -- again, this is not
20 intuitive. Fuel rod response -- these are basically
21 impacts from the same height. There is a 20-foot
22 drop onto the concrete floor, and this is the MPC 19-
23 foot drop of the -- from the transfer cask into the
24 storage overpack. I talked about that before.

25 Look at the behavior of this. This is a

1 fairly soft impact. Okay. The 20-foot drop, the
2 transfer cask, onto the concrete floor. We get
3 deformation. The transfer cask is very heavy. It
4 penetrates an inch or two into the floor for a 20-
5 foot drop, and we get this very classic buckling
6 mode, very classic.

7 This is one grid spacer. This is the next
8 grid spacer. This is about 20 inches.

9 Now, MPC hard drop. This is a hard drop.
10 Same drop height. Totally different buckling
11 characteristics. This buckling characteristic, this
12 is the exact buckle shape you would get if you took
13 a rod -- free rod -- a fuel rod, dropped it 19 feet
14 onto a rock hard surface, steel plate or something,
15 freely, without any support or anything, you just
16 drop it, bang. This is the buckle shape you get.
17 It's a classic textbook. You can open a textbook.
18 That's exactly what you get.

19 Well, isn't this nice? The model predicts
20 it, so the model works. It's not biased by our own
21 -- how we constructed the model or anything like
22 that. It is giving us exactly what it wanted to do.
23 In this process, the strains are very, very high, as
24 we'll see on the next slide. If we look at what goes
25 on here, and we say, well, drop height -- the maximum

1 principal strain with drop height onto the concrete
2 floor -- and what we see is for about 20 feet we're
3 less than the one percent strain limit.

4 At 40 feet we've exceeded the one percent
5 strain limit, so we could say, well, we -- by our
6 criteria, we're getting failure of somewhere between
7 20 and 40 feet.

8 Look at the 19-foot drop. Nineteen feet --
9 we are way up there. Way up there. Okay. We're
10 probably at -- for the same drop height we're more
11 than 10 times higher in the strain value. So it is
12 a much more severe impact again.

13 Go ahead.

14 Okay. That ends the discussion of the
15 success criteria that basically lead to MPC, breach,
16 or cladding failure. Now I'd like to talk about
17 release fractions methodology, and this methodology
18 was developed from a number of references. Dr. Bob
19 Einzinger put this together, did a great job.

20 The release fractions methodology -- what's
21 the governing equation? It's actually pretty simple
22 in its most fundamental form. The release fraction
23 -- that is, the amount of radionuclides that get out
24 into the atmosphere is based upon what?

25 Well, if I have a three by three fuel

1 assembly, certainly based on the number of rods that
2 fail -- let's say the red ones fail, so four out of
3 nine rods fail. This is four over nine. That's the
4 release fraction.

5 Now, I've got to look at it and say, "Okay.
6 Those rods failed." Now, of those rods, how much of
7 what is in that rod gets into the MPC canister, into
8 the cask? How much gets into the cask environment?
9 So that's this quantity -- F sub from rod to cask.
10 Then, if there's a breach, you have to say, "Well, of
11 all the stuff that's in here, how much actually gets
12 out into the environment?" So that's the third
13 component.

14 And I'll go through very, very briefly and
15 discuss how we went about or how Bob went about
16 calculating each of those quantities.

17 Okay. Source terms -- the source terms.
18 The source term for the I^{th} radionuclide -- we have
19 quite a few radionuclides. What is the source term
20 for each radionuclide? We have F sub K . This is the
21 release fraction.

22 And the source term -- the amount of stuff,
23 the amount of radioactivity that is going to get out
24 is, what is the fraction of the total inventory that
25 gets out summed over the various -- summed over the

1 various types of radionuclides that we can have?

2 And we have basically three larger classes
3 of radionuclides. We have noble gases and volatile
4 gases. Okay. And as I'll explain later, we're not
5 going to be talking about volatile gases, just noble
6 gases. And this will be krypton-85.

7 Fuel particles, fuel particulates, and
8 we're also -- and we're going to be talking about not
9 only the body of the fuel pellet but also the rim of
10 the fuel pellet as well. And we'll also talk a
11 little bit about the CRUD.

12 Okay. What are the model limitations?
13 It's only applicable for impact events. The effect
14 of fire on volatility of fission products and change
15 in material properties are not considered because the
16 MPC failures -- because no -- no MPC failures
17 occurred due to thermal events.

18 And, therefore, thermal events which would
19 produce volatile fusion products -- if the
20 temperatures got high enough -- are not considered.
21 The temperatures are not high enough to release these
22 volatile fusion products -- fission products.

23 Next.

24 Fuel properties. BWR, slight modifications
25 would have to be made for PWR, but it's BWR fuel, 60

1 gigawatt days per metric ton burnup, and the rim
2 effect in the fuel pellet is considered. And the
3 reason it's considered is that the actinide inventory
4 -- actinide inventory in the rim is higher than in
5 the body of the fuel. That's number one.

6 And the particulate size is small. And
7 what I mean by "small," I'm talking about sub-micron
8 size, .1 to .3 microns. And, therefore, the rim and
9 body are considered two distinct regions in this
10 methodology.

11 Next.

12 Okay. Release from the rods, F sub RC.
13 Release from the rods into the cask. How is that
14 done? Well, as I just mentioned, the particulate
15 release from the rim and the body regions were
16 analyzed separately.

17 Now, the fracture of the fuel into fines is
18 based on modifications of the equations from the DOE
19 Handbook that relate the fraction of the fuel
20 fragments, the fraction of the fuel fragments that
21 are generated, that are of respirable size, versus
22 the specific energy or the impact energy.

23 If we know the impact energy, we can go up
24 and using the DOE methodology we can calculate the
25 percentage of particles less than 10 microns. Okay.

1 I should say that the PRA adjusted this curve
2 downward to be more consistent with the data, and
3 that is explained in the PRA.

4 Okay. F sub RC. F sub RC, release from
5 the rod to the cask is dependent upon what? The
6 number of fracture sites in the rod, and anywhere
7 from one to seven sites were considered. Five is the
8 default value.

9 Entrainment of the fines in the gas stream
10 during depressurization of the rod. Rod breaks, the
11 gases want to stream toward the opening, the gases as
12 they're moving at some velocity want to pick up the
13 particles. How much of those particles are picked up
14 by the gas and get out of the rod? That's the
15 entrainment.

16 Now, the extent to which the rim region
17 actually fractures -- how much of the rim region
18 actually does fracture? Okay. Well, uncertainty is
19 considered in both of these parameters -- number of
20 fracture sites, entrainment, and the amount of rim
21 material that is actually fractured. And with those
22 ranges you end up getting release fractions for this
23 particular quantity, from rod to the cask, that vary
24 from 7 times 10^{-5} all the way up to 1.2 times 10^{-2} . So
25 variability in these is significant.

1 Now, the next quantity is the cask to
2 environment release. So now we've got the particles
3 in the cask. They've come out of the rod; they're in
4 the cask. Okay. Now what happens? Well, the
5 particles not settling out by gravity or plating out
6 onto surfaces is assumed to be 10 percent, so
7 90 percent are assumed to settle out or plate onto
8 surfaces.

9 And, again, this -- in this environment we
10 have the internal five atmospheres or the original
11 82 psi, plus the fill gas pressure that is now
12 relieved. So the internal pressure in the cask is
13 greater than five atmospheres. It also depends upon
14 the particles exiting the depressurized cask.

15 How many exit the depressurized cask? Of
16 those that it suspended, how much exits the cask? It
17 is assumed here that it's 100 percent, because we're
18 going from five plus atmospheres down to one
19 atmosphere, and in this process we're going to get --
20 depending upon how much the fill gas contributes,
21 we're going to get up to the high 90s in terms of
22 percentages of actual material that will go out when
23 the cask actually ruptures. So we were assuming 100
24 percent here for that.

25 CRUD -- what is the basis for CRUD

1 inventory? CRUD -- Chalk River Unidentified Deposits
2 -- it bounds -- the value that is used of .72 curies
3 per rod bounds 90 percent of the rod data of the data
4 for assemblies that's out there. The inventory was
5 decreased, or the radionuclides were decreased by
6 decay of cobalt-60. It's assumed that CRUD is made
7 up of cobalt-60. The decay of cobalt-60 was assumed
8 over 10 years, so that's also contributing and went
9 into the value.

10 Reduce the CRUD values -- reduce by a
11 factor of two for axial variation on the rod, because
12 the data is based on peak values. So it was smeared
13 across the rod. It was scaled up for burnup. Okay?
14 Scaled up for burnup because the data is really for
15 low burnup fuel, but it does not include the
16 influence of water chemistry.

17 PARTICIPANT: (Inaudible comment from an
18 uniked location.)

19 DR. BJORKMAN: Right. Ten years is the age
20 of the fuel since it has come out of the reactor.
21 Correct, right.

22 And this is basically a summary of the
23 release fractions. These are for the three basic
24 groups -- noble gas particulates and CRUD. The
25 inventory came from the ORIGEN program here. This

1 was basically developed for the CRUD inventory curies
2 per rod. The fraction of rods that fail -- 100
3 percent of the rods when they failed -- 100 percent
4 of the rods were assumed to fail in this analysis, or
5 the fraction from the rod to the cask -- again, for
6 noble gases, 12 percent.

7 This was the range of values. You saw
8 these numbers before when I talked about the
9 uncertainty. These are the range of values, and this
10 range of values pertains to the amount of rim
11 fracture which can be almost zero to one, and the
12 entrainment. How much of it actually gets entrained
13 in the gas as it flows out of the crack? Anywhere
14 from zero to one, and that gives you this range.

15 How much actually gets out of -- okay.
16 Well, for the CRUD we've got 0.05. And how much
17 actually gets out from the cask to the environment?
18 For the noble gas it's all of it. For the
19 particulates it's 10 percent. And for the CRUD it's
20 also 10 percent. And that gives you the --
21 basically, the release fractions for each of these
22 three groups.

23 And now I'd like to turn it back over to
24 Ronaldo to talk about issues that are out of scope.

25 MR. JENKINS: Now that we've discussed

1 basically what went into the report, we should also
2 talk about what didn't go into the report or was not
3 explicitly addressed.

4 As the slide indicates, terrorism,
5 sabotage, or military accidents were not addressed by
6 this PRA. Fabrication errors or design changes were
7 not considered in this study. But we did consider
8 the weld failure evaluation of the MPC, as Gordon
9 talked about, to reflect normal flaws that might
10 exist in well deposits of stainless steel.

11 Plant damage -- the casks would travel
12 along a designated load path that was selected to
13 ensure that should the cask be dropped on the floor
14 the floor would be able to hold the cask. The cask
15 -- excuse me, the train carrying the transfer cask
16 along the load path is also designed at this plant to
17 be single failure proof.

18 The frequency of misloading, while not
19 estimated, deterministic calculations were performed
20 to investigate the effects of misloading on thermal
21 loads, and the failure probability of the MPC and the
22 possibility for criticality. With respect to human
23 reliability issues, the operational data was used in
24 order to derive the frequency of the handling
25 initiating events to occur. Therefore, human

1 performance is implicitly implied, so we did not do
2 a human reliability analysis. But the data does
3 reflect human performance.

4 Similar to nuclear powerplant PRAs, worker
5 risk was not addressed. And except for possible cask
6 and fuel corrosion, aging effects was beyond the
7 scope of this PRA.

8 Lastly, we considered individual initiating
9 events and not multiple events. Individual factors
10 were investigated one at a time using sensitivity
11 studies.

12 Including the issues outside the scope of
13 this report -- unloading, offsite, transport, and
14 repository storage was not addressed in the report.
15 On the subject of uncertainty analysis, we do
16 recognize today that we would formerly perform a
17 quantification of the model uncertainties, but the
18 decision at the time was to forego that step.

19 Now, as to conclusions, the PRA report
20 determined that there was no prompt fatalities, and
21 the risk in terms of latent cancer fatalities was
22 very low. The risk was dominated by accident
23 sequences in the handling phase where the significant
24 contributors were the drops of the MPC and transfer
25 casks.

1 This comprehensive evaluation of the
2 initiating event success criteria and accident
3 consequences sets the stage for future PRA studies in
4 this area.

5 At this time, we'll entertain any questions
6 you might have.

7 MEMBER WEINER: I'm sure that we have -- I
8 certainly have a great many, but I will defer first
9 to my colleagues on the committee. Dr. Hinze.

10 MEMBER HINZE: If I may ask, these out of
11 scope issues that you've just talked about -- did
12 sensitivity studies indicate that these could be
13 considered outside the scope?

14 MR. JENKINS: I'm sorry. The --

15 MEMBER HINZE: Sensitivity studies.

16 MR. JENKINS: -- sensitivity studies --

17 MEMBER HINZE: Considering the range of
18 uncertainties?

19 MR. JENKINS: The sensitivity studies were
20 conducted on selected parameters. You know, Dr.
21 Bjorkman talked about those kinds of sensitivity
22 studies. When we talk about uncertainty analysis,
23 we're talking about how probability distributions may
24 vary depending on how they're propagated through the
25 analysis.

1 So sensitivity studies are typically where
2 you'd take one particular parameter and you would
3 bury that and determine how sensitive your results
4 are, your bottom line results are to --

5 MEMBER HINZE: I'm familiar with what --

6 MR. JENKINS: Okay.

7 MEMBER HINZE: I guess I'm a bit confused.
8 This is a PRA, but in many places, as I understand
9 it, you selected conservative conditions and used
10 those in a -- as a single value.

11 MR. JENKINS: We selected the best --

12 MEMBER HINZE: And so is this really a
13 probabilistic risk assessment?

14 MR. JENKINS: Well, we tried to select best
15 estimate values.

16 MEMBER HINZE: Well, I heard "conservative"
17 quite often. Perhaps I misheard. I don't know when
18 they are conservative and when they aren't, but, you
19 know, it's a brief presentation.

20 Let me ask -- this was for a particular
21 site?

22 MR. JENKINS: Yes.

23 MEMBER HINZE: What were the criteria that
24 were used to select the site for this analysis? Why
25 was this one chosen?

1 MR. JENKINS: I believe it was due to the
2 -- having information readily available to start the
3 work.

4 MEMBER HINZE: I would think that you would
5 have this kind of information available at every dry
6 cask storage site. Were there particular attributes
7 of this site that made it more desirable from a
8 failure standpoint?

9 MR. JENKINS: No. I don't think there was
10 any bias one way or the other regarding --

11 MEMBER HINZE: I was trying to -- is this
12 where you had data? Well --

13 MR. JENKINS: First, you had to have a cask
14 at that particular --

15 MEMBER HINZE: Yes, okay.

16 MR. JENKINS: -- facility. Okay?

17 MEMBER HINZE: Sure, I understand.

18 MR. JENKINS: And I think it was more
19 driven by the fact that we had design data from the
20 dry cask storage manufacturer. So once you picked
21 that particular design, then you say, "Well, where is
22 it? Where is the facility?" And then, we made
23 arrangements to contact the licensee to allow us to
24 go and, you know, walk down the system.

25 MEMBER HINZE: One of the things that I was

1 -- I was surprised to see out of scope issue was this
2 aging effects of fuel during storage. That has a lot
3 to do with CRUD. It has a lot to do with thermal
4 aspects. How sensitive are your results to the age
5 of -- the storage age of the waste?

6 MR. JENKINS: The report talked about
7 looking at a cask -- I forget the name -- a
8 Victor 21.

9 MR. MONNINGER: There were -- yes. This is
10 John Monninger from the Office of Research. For the
11 past several years, the NRC has had a research
12 program ongoing up at Idaho National Laboratory,
13 wherein they have taken fuel and opened up casks to
14 look at the evaluation of the fuel.

15 And the fuel has actually been in very good
16 shape. I don't have the exact reference to the
17 research reports, but this issue on the aging effects
18 of the fuel, aging effects on the dry cask, or dry
19 storage cask systems, was also considered in the
20 staff's license renewal assessment, for example, for
21 the Surry site, etcetera. So the staff has looked at
22 aging effects, but it just wasn't explicitly included
23 within this PRA study.

24 MR. JENKINS: The particular system I think
25 you're talking about, John, is there's a canister

1 V/24, and it was like 14 years of storage. And so
2 they pulled it out and examined it, and there was no
3 indication of degradation. So I believe that kind of
4 lends credence. We can't rule it out, but it's -- it
5 wasn't explicitly addressed.

6 MR. HACKETT: I think if I -- this is Ed
7 Hackett. I think if I could back up our questioning,
8 I think just to try and paraphrase where you're at
9 with the questioning, it's really going to criterion
10 for what was in scope and what was out of scope. And
11 I don't think -- or I think it is fair to say that
12 was not addressed in a systematic way. I think a lot
13 of these were out of scope based on the magnitude of
14 the resources or the level of effort that would be
15 required in certain areas.

16 One I could speak to, for instance, from my
17 own technical background, when you look at -- the
18 slides not up there, but fabrication and future cask
19 design changes. But just to stick with fabrication,
20 you could probably have spent several years worth of
21 effort going into weld flaw distributions and how
22 they, in turn, might initiate cracks.

23 There are certain stress events, like
24 Gordon was referring to, and where that might go. It
25 would be a very large effort. And I wasn't involved

1 at the time, but I would have assumed that one of the
2 reasons for excluding that probably were twofold --
3 one, because of the magnitude of probably -- one,
4 because of the magnitude of the effort; and then,
5 also, when you look at the complexities involved in
6 trying to do this on a pilot sense and getting the
7 methodology down, that piece was excluded. I don't
8 know if that's helpful, but I see where you're going.
9 You're trying to get to a criterion.

10 MEMBER HINZE: Sure. Sure. One of the
11 things that was going through my mind as Gordon was
12 talking was the effect of corrosion. Both the effect
13 of strain on accelerating corrosion and the effect of
14 corrosion on the strength characteristics, and I
15 gather that's excluded because it's a multiple
16 initiating event. Did you consider corrosion?

17 DR. BJORKMAN: No, corrosion was not
18 considered -- was not considered in this at all.
19 Typically, when one designs a nuclear powerplant,
20 piping and things like that, a corrosion allowance is
21 included at the beginning. But in these analyses, no
22 reduction in thicknesses of materials was assumed due
23 to corrosion that might occur over time, particularly
24 given that this was -- these were stainless steel
25 casks.

1 MEMBER HINZE: I'm taking time away from my
2 colleagues. I'll just ask one more question. This
3 earthquake magnitude confused me, 9 to 11 times the
4 design basis earthquake. Are we really talking about
5 earthquake magnitude here? Or are we -- you know,
6 the log of the energy? Or are we talking about 9 to
7 11 times the acceleration?

8 DR. BJORKMAN: Nine to 11 times the
9 acceleration.

10 MEMBER HINZE: Okay. I really think you
11 ought to be very concerned about using earthquake
12 magnitude.

13 DR. BJORKMAN: Correct.

14 MEMBER HINZE: That has a very specific
15 meaning. I was quite sure you didn't mean that.

16 DR. BJORKMAN: No. I mean -- it has
17 nothing to do with moment magnitude.

18 MEMBER HINZE: Right.

19 DR. BJORKMAN: Exactly.

20 MEMBER HINZE: It couldn't.

21 DR. BJORKMAN: No, it couldn't.

22 MEMBER HINZE: But you -- that's something
23 you should try to not use, please.

24 DR. BJORKMAN: All right. Thank you.

25 CHAIRMAN RYAN: Page 18 and 19. Just

1 clarification questions. I want to make sure I
2 understand. If you wouldn't mind, just for
3 everybody's benefit, putting it up on the screen.

4 There we go. The $3.6 \text{ times } 10^4$ is a fairly
5 standard reference for cancers per rem of radiation
6 exposure. Is that -- am I understanding that right?
7 What's the $3.6 \text{ times } 10^{-4}$? I'm at Slide 18, right
8 down at the bottom.

9 MR. JENKINS: I'm sorry. Your question
10 was?

11 CHAIRMAN RYAN: The question is: what is
12 $3.6 \text{ times } 10^{-4}$. That's the probability of latent
13 cancer --

14 MR. JENKINS: That's the probability of
15 latent cancer fatality.

16 CHAIRMAN RYAN: Fatal cancer for an
17 individual.

18 MR. JENKINS: For individuals.

19 CHAIRMAN RYAN: Per what? Integrated over
20 an accident or --

21 MR. JENKINS: Well, for this particular
22 release -- high burnup fuel, fuel and the release
23 height of 50 meters. I believe there is a certain
24 area that's specified on the table.

25 CHAIRMAN RYAN: Okay. I'm just trying to

1 -- and I realize in the interest of time you just
2 summarized that, but I'm trying to figure out, are
3 you calculating doses to one individual? Are you
4 integrating over a population and a sector? How is
5 it done? Is it rem? Is it something else? Can you
6 help me out a little? Thank you.

7 MS. MITCHELL: Jocelyn Mitchell from the
8 Office of Research. The Max code takes the
9 inventory, the specific inventory released, multiples
10 it times the release fractions, which you heard
11 discussed, takes the population and the meteorology
12 for the specific site, and then transports the plant
13 -- or the plume away from the site.

14 For that particular number, we looked
15 solely between zero and 10 miles, 16 kilometers, from
16 the site, and then calculated an individual risk from
17 that distance only. The reason that that was chosen
18 was to try to compare with the reactor safety goal.

19 CHAIRMAN RYAN: Yes, I understand.

20 MS. MITCHELL: Okay. So it is not a total
21 integrated latent cancers for this accident. If I
22 were doing it again, I would probably choose to quote
23 that number, because it's a lot easier to explain.

24 CHAIRMAN RYAN: No, I'm with you. And I --
25 that really helps me understand it. I also just have

1 a little bit of trouble from a fundamentals point of
2 view of taking very small doses, multiplying, and
3 then adding them up, and trying to relate that to
4 cancer. Just -- it's wrong. In spite of the fact we
5 use it a lot, it really is a gross overestimate of
6 cancer risk I think.

7 MS. MITCHELL: Well, that surely is a
8 subject of discussion, and I know that the ACNW is
9 having a very large meeting, which I wouldn't miss
10 for the world --

11 CHAIRMAN RYAN: Okay. Great.

12 MS. MITCHELL: -- later this fall. I think
13 whatever it is, November or something, I will be
14 there --

15 CHAIRMAN RYAN: My simple-minded analogy is
16 --

17 MS. MITCHELL: -- to hear the discussion.

18 CHAIRMAN RYAN: -- I'd rather be hit in the
19 face by a one mile an hour wind for 200 hours than a
20 200 mile an hour wind for one hour.

21 (Laughter.)

22 So low dose or no dose rates really -- and,
23 again, from a relative standpoint -- I'm now on page
24 19, it sort of washes out. I mean, you can compare
25 different scenarios or different accident scenarios

1 for the absolute values of those numbers relative to
2 one another.

3 One is 10 times higher or lower, but I just
4 -- I just wanted to make sure I understood that we
5 we're on the page where there is some uncertainty and
6 how that's -- what it really means in terms of
7 absolute values. Thanks.

8 Ruth?

9 MEMBER WEINER: Jim?

10 MEMBER CLARKE: I just had a quick question
11 following up on Dr. Hinze on the out of scope issues.
12 Based on what you learn from this, is there any
13 interest in going back and looking at any of those?
14 I was particularly interested in the last one. Are
15 there any plans to -- uncertainty distribution and
16 propagation?

17 MR. JENKINS: At this time, I don't believe
18 there is -- we're not going to revisit that
19 particular issue. However, in the future work we'll
20 consider that. The focus of this report was to
21 provide the staff with, you know, sort of a road map
22 on how to do these PRAs. And once having done it,
23 you know, future applications will become easier.

24 Ed, did you have anything?

25 MR. HACKETT: Yes. This is Ed Hackett.

1 Very good question, and I think the answer is, yes,
2 there is definitely interest. The caveat is: are
3 there resources? And are we going to be able to
4 pursue that relative to some of our other priorities?

5 For right now, as Ronaldo indicated, what
6 we're looking at doing, as far as the user office,
7 the Spent Fuel Project Office, is looking at how this
8 can inform our regulatory approach in a number of
9 areas as you've seen in the report, with an easy
10 example being the inspection effort. So we're
11 focusing on that right now, but there is absolutely
12 interest in that. It's just going to be a question
13 of where we can go with resource limitations for the
14 future.

15 MEMBER CLARKE: Understood. Thank you.

16 MEMBER WEINER: You've called this a pilot
17 program. Just to follow up on that, so your intent
18 from here is to go where? Revisit some of these
19 issues, simply use it to inform the regulatory
20 approach as you just said? Where are you going --
21 what is this a pilot for?

22 MR. HACKETT: Again, a good question. And
23 the original view was that there would probably be
24 several phases to this effort, I think it's fair to
25 say, wherein this was the first phase and it was a

1 pilot. I think there was envisioning that we would
2 go beyond to address these other items that are out
3 of scope. And as I just said, we may or may not be
4 able to do that, subject to resources.

5 So our next steps, so to speak, are to go
6 down the path of looking at, what does this mean for
7 us in dry cask storage space from the standpoint of
8 risk-informing the inspection process, the oversight
9 process, licensing, possibly even the regulations
10 themselves, was basically an initiation and a first
11 look for us at being able to do that with what has
12 largely been historically a deterministic approach.

13 CHAIRMAN RYAN: Why did you use latent
14 cancer fatalities and not dose? Because surely you
15 have to calculate dose before you get to latent
16 cancer fatalities.

17 Jocelyn? Jocelyn, why don't you stay up
18 here?

19 (Laughter.)

20 MS. MITCHELL: As I mentioned, the desire
21 was originally to compare with the reactor safety
22 goals, and they are both expressed in terms of
23 impact, early fatalities, which can be calculated zero,
24 and latent cancer fatalities.

25 CHAIRMAN RYAN: But the basis wasn't the

1 same. You didn't do it for a whole integrated
2 population, so how do you compare it? I'm sorry.
3 The basis wasn't the same. You didn't do it over the
4 same integrated population, if I understood you
5 right.

6 MS. MITCHELL: The safety goals are --

7 CHAIRMAN RYAN: Oh, no. This case versus
8 the reactor case.

9 MS. MITCHELL: The reactor safety goal,
10 when you compare with the safety goal, you -- the
11 qualitative statement is that the latent cancer
12 fatality risk to the population should be a small
13 fraction of the naturally-occurring, and they define
14 the small fraction as .1 percent, and they define
15 only the first 10 miles, because if you -- for
16 exactly what you said, you have so many cancers
17 naturally-occurring in the huge population that the
18 amount that you would get from this accident would be
19 small. So they look only between zero and 10 miles.

20 CHAIRMAN RYAN: Oh, and you did the exact
21 same thing.

22 MS. MITCHELL: Yes.

23 CHAIRMAN RYAN: And integrated over the
24 whole population.

25 MS. MITCHELL: No, only between zero and 10

1 miles.

2 CHAIRMAN RYAN: In that -- the whole
3 population in that 10-mile annulus.

4 MS. MITCHELL: Yes.

5 MEMBER WEINER: I see. Thank you. I would
6 encourage you in all of these to at least go back to
7 dose, because you're just introducing another
8 uncertainty. But that's just a parenthetical
9 comment.

10 MS. MITCHELL: The problem with dose is
11 that not all radionuclides are the same. So if you
12 talk about some sort of a dose, you have a hard time
13 putting short-lived and long-lived activities on the
14 same, and inhaled versus not inhaled.

15 CHAIRMAN RYAN: Figure that out to apply
16 the risk.

17 MS. MITCHELL: Yes, that's correct. Which
18 dose --

19 CHAIRMAN RYAN: You have to calculate it
20 anyway.

21 MS. MITCHELL: -- which dose would you --

22 CHAIRMAN RYAN: Fifty --

23 MS. MITCHELL: We go on an organ-by-organ
24 basis. Well, for -- for organs we look at the lung
25 and the breast and -- on an organ-by-organ basis for

1 early fatalities. For instance, we look at the red
2 marrow in the lung, and the GI tract to determine --
3 in this case it happened to be zero. Okay?

4 But that's the dose we look at. For latent
5 cancer fatalities it's the thyroid gland. What dose
6 went to the thyroid gland? What number of cancers
7 would you get, and what fraction would be fatal? So
8 we add up all those cancers on an organ-by-organ
9 basis.

10 CHAIRMAN RYAN: Is this methodology
11 outlined in the report, or is it --

12 MS. MITCHELL: No. You can get the Max
13 reports.

14 MEMBER WEINER: It is outlined in the Max
15 reports. This is not to say that there aren't --
16 there isn't controversy over it.

17 I'm confused as to why you selected certain
18 parameters. Why a 20-year fire, for example? I'm
19 just -- you know, why not, if you're going to do 20
20 years, why not 10 or 100 or what?

21 DR. BJORKMAN: The actual selection of the
22 -- the 20 years has to do with a block event. The
23 actual fire duration was from the aircraft fuel,
24 which was a three-hour fire.

25 MEMBER WEINER: So that was based on the

1 aircraft fuel.

2 DR. BJORKMAN: Right. The aircraft fuel
3 was the basis for the fire, and even that was longer
4 than it probably should have been. But, again, it
5 was more extreme than it had to be, but it showed
6 that there were no possible breaches of either the
7 multi-purpose canister or the fuel for a rather
8 severe fire.

9 MEMBER WEINER: And I'm curious as to,
10 since there was a degree of uncertainty in your input
11 parameters, sometimes more, sometimes less, as to why
12 you didn't use distributions and sample on them. I
13 mean, it seems to me you could have said the value of
14 parameter X is between A and B, and I will assume a
15 certain kind of distribution, or my data looks like
16 a certain kind of distribution. Why so many point
17 values? Why not use distributions?

18 DR. BJORKMAN: I think that, for example,
19 the -- you know, the example of the fire, I didn't --
20 I didn't do the analysis, but I know that
21 computationally, if you're going to start to use
22 distributions around -- you know, you're going to
23 have to use distributions around the material
24 properties, you know, obviously, the inputs, the
25 fire, the duration. You would have to use changes in

1 the meshing scheme for the model. That's a variable
2 that has to do with our knowledge as opposed to a
3 random variable. So there would be so many things to
4 vary.

5 So here, rather, point estimates were made,
6 and one then looks at the result and one says, "If I
7 had begun to chose -- or choose distributions based
8 on all of these parameters, how different a result
9 could I get? And what would be the probability that
10 I could even achieve that result of, say, cladding
11 failures or MPC breach?"

12 And based upon these point estimate
13 analysis, what it looks like is that even with
14 accounting for distributions for all of these
15 parameters, we couldn't get to the point where even
16 the worst combinations could get us to a failure.
17 And that's really what these point estimate problems
18 begin to show us.

19 MEMBER WEINER: I can understand that when
20 you don't get to a failure. But you do have a case
21 where you do get to a failure. And you don't have to
22 distribute everything. In fact, you could have
23 simply given the range and reported this as an error
24 bar. And I'm a little bit concerned -- I'm concerned
25 about reading a report like this where there is a

1 single number -- this many latent cancer fatalities
2 per year.

3 I mean, it seems to me at the very least
4 with all of the uncertainties in the parameters you
5 used there should be a range reported.

6 MS. MITCHELL: We did look at a
7 sensitivity. If you look at the appendix, I'm not
8 sure that it was actually carried forward into the
9 executive summary or the main body of the report, but
10 the appendix we did consider the value of the source
11 term. So there was what we called the higher source
12 term, which is the number that goes into the two
13 times 10^{-12} , and then used the lower value -- a lower
14 value of the source term for the particulates in
15 CRUD.

16 MEMBER WEINER: I see. I'm going to --

17 MR. RUBIN: I'd like to give a little
18 perspective to answer your question. My name is Alan
19 Rubin with the staff. I had been involved with the
20 study early on when this got started. There was a
21 lot of different analysis going over time on this
22 report. The initial scope was to do sort of a
23 scoping study, preliminary pilot study, and then look
24 to see where you're getting some dominant
25 contributors and do a more refined detailed analysis

1 of those dominant contributors.

2 We did that, and you see the results. The
3 risks are extremely low. To expend staff resources
4 on doing more refined detailed analysis for very low
5 risk was something we had to weigh based on other
6 priorities. And that was kind of a -- sort of an
7 overall decision, where we were going to spend the
8 resources.

9 We also, in light of earlier studies, had
10 picked some parameters that were much more
11 conservative and came up with some results earlier.
12 We had much longer duration fires, for example, that
13 were assumed in earlier draft studies. And even in
14 those cases, with our sensitivity study, the risk was
15 still extremely low. We have refined the analysis.
16 We had shorter duration fires that were more
17 realistic but still somewhat a little conservative
18 maybe, and each time we did that we got lower risks.

19 So to spend more resources, detailed
20 sensitivity studies -- you might change the order of
21 magnitude a little bit, but you're still so low
22 beyond other risks that we see normally in reactor
23 studies that it was felt that it was not the most
24 prudent thing to do. So --

25 MEMBER WEINER: Thank you for that. Staff?

1 Antonio or --

2 MR. DIAS: I've got a very quick question.
3 I understand this is site-specific, but what really
4 caught my eyes was the fact that, you know, the whole
5 transfer process has to follow a very specific path.
6 Is this really something that utilities will, you
7 know, follow without ever, ever making any change?
8 I would always expect there is always something on
9 the way and all of a sudden, you know, they have to
10 move it to one side or the other.

11 And how would that affect your calculation?
12 Your calculation always assumes that it's either a
13 beam or a concrete wall underneath the path that the
14 transfer cask is following. If that was not the case
15 --

16 MR. JENKINS: Well, my understanding is
17 that this process, this moving the cask, is a very
18 deliberate, very slow --

19 MR. DIAS: Yes.

20 MR. JENKINS: -- paint drying kind of
21 process to observe. And the licensee is very
22 deliberate in following every step of the process.
23 Okay? So --

24 MR. DIAS: This is not something that is in
25 any tech specs. I mean, it's just -- it's there --

1 DR. BJORKMAN: Actually, what it is is --
2 and this all --

3 MEMBER WEINER: Please talk into the
4 microphone.

5 DR. BJORKMAN: Oh, I'm sorry.

6 MEMBER WEINER: Okay.

7 DR. BJORKMAN: This is really something
8 that evolved out of the NRC's document, NUREG-0612,
9 on the control of heavy loads back in the early '80s.
10 And what plants have done because of that is they
11 have basically had to do several things.

12 Number one, they have to evaluate the
13 consequences of a drop, if they do not use a single
14 failure-proof crane. If they have a single failure-
15 proof crane, they're not required to evaluate the
16 consequences of a drop as far as plant operations are
17 concerned and safe shutdown of the plant, etcetera.

18 When they do not have a single failure-
19 proof crane, the rigor with which they have to
20 prescribe a load path is very constrained. In other
21 words, they have actual markings on the floor. They
22 get to a certain point, they have certain checks,
23 they have to be no more than six inches above the
24 floor at this point when they start to transport.
25 The rate at which they can move across the floor is

1 determined, so there are basic procedures that they
2 must follow for the control of their heavy loads.

3 And, you know, I've been away from this for
4 a long, long time, and got involved in the original
5 analyses for drops into the reactor and other kinds
6 of things. But I have not, in fact, written one of
7 these procedures myself, but I know that they are
8 required to have these procedures, yes.

9 MR. DIAS: Okay. Thank you.

10 MEMBER WEINER: Are there any other
11 questions? Anyone? Hearing none, we are at the time
12 for a break, and we will come back at quarter past
13 3:00.

14 (Whereupon, the proceedings in the
15 foregoing matter went off the record at
16 3:01 p.m., and went back on the record at
17 3:15 p.m.)

18 CHAIRMAN RYAN: If we could come back to
19 order, please. Please take your seats.

20 MEMBER WEINER: Our next presentation will
21 be from EPRI, Probabilistic Risk Assessment of a
22 Bolted Dry Spent Fuel Storage Cask Revisited. And
23 the presenter is Ken Canavan. Have I pronounced it
24 correctly?

25 MR. CANAVAN: That's correct.

1 MEMBER WEINER: It's all yours.

2 MR. CANAVAN: Thank you very much. Welcome
3 to the last --

4 MEMBER WEINER: While Mr. Canavan is
5 getting wired up, he is the Senior Project Manager
6 for EPRI, and his main area of technical expertise is
7 risk technology. His experience includes unique
8 applications of risk technology including nuclear
9 power and the aerospace industry.

10 MR. CANAVAN: Well, welcome to the last
11 presentation of the last day of the ACNW meeting. I
12 guess I will be challenged to both inform and
13 entertain you. I'll try and keep it brief.

14 Prior to joining EPRI -- a little pertinent
15 background for you, prior to joining EPRI I was
16 employed by Data Systems and Solutions as Manager of
17 Risk Technology there as well, and we were contracted
18 by EPRI to perform the first and second version of
19 this report. So I can't really disclaim much of what
20 is in between those pages in that first I was the
21 principal investigator, and then I joined EPRI and
22 became the project manager.

23 So it's a little bit hard, but I will
24 mention that we're going to talk about both versions
25 of the report. We're going to focus on the revised

1 version; hence, the title "Revisited." The first
2 version was done in 2002 and completed in 2003.

3 And as a result of review and comments
4 received on that report, another version of that
5 report was generated to address some of the
6 conservatisms in the study, and that was published in
7 December of 2004. So a little bit of this was me
8 looking back at some of the older materials and
9 preparing for this presentation.

10 Our outline was to first go through some of
11 our goals. We'll have some slides on methodology
12 overview. There aren't too many, and they aren't
13 that detailed. We'll talk a little bit about the
14 Phase 1 study, the Phase 2 study, show you a little
15 bit about the results, and talk about some of the
16 conclusions and what the industry and EPRI sees as
17 the future uses of cask PRA type technology.

18 Well, our goals in developing the spent
19 fuel cask PRA were to develop a bolted cask PRA based
20 on transnuclear cask. We knew at the time that the
21 NRC was embarking on doing a welded cask study, so we
22 thought we would look at another vendor, to
23 collaborate with the NRC in some of their work,
24 better understand the risk and consequences of onsite
25 dry cask storage, and to develop some risk insights

1 regarding the dominant contributors and potential
2 cost reductions of cask handling and dry fuel
3 storage.

4 And the last part, which is in bold, it's
5 the more important part of what we were looking at as
6 an industry, which was to develop the tools required
7 to support a risk-informed framework in the area of
8 onsite spent fuel cask handling, it says
9 transportation. That's probably more appropriately
10 transfer and storage.

11 As you saw earlier, we're dealing here with
12 the same basic risk equation. Risk is frequency
13 times consequence. We're answering our three basic
14 risk questions. What can go wrong? How likely is
15 it? And what are the consequences of what goes
16 wrong?

17 For the dry spent fuel storage, the risk
18 problem is, again, divided into three phases. Now,
19 the reason why we divide it into three phases is
20 because some of these questions differ among phases.
21 What can go wrong? might be different in the case of
22 loading or transfer than it is in storage. How
23 likely is it? is certainly different. And certainly,
24 the consequences can vary as well. So the reason for
25 the three phrases is slightly different answers to

1 the same type of questions.

2 In the area of dry fuel storage, risk is
3 calculated very similar to standard probabilistic
4 risk assessment. And it's using commonly used terms
5 and procedures that are used in the operating nuclear
6 plants. That makes sense since most of the people
7 who work on these studies are taken from that area of
8 expertise and simply work on the cask part.

9 So our elements tend to be the same. We go
10 through an initiating event analysis, a data
11 analysis, a human action analysis. We look at some
12 success criteria, as you heard of before. It's a
13 little bit different when we talk about casks.

14 Our success criteria is structural analysis
15 and thermal hydraulic analysis, which isn't really
16 typical in an operating plant, although the thermal
17 hydraulics is, the accident sequence analysis, and
18 then some work on consequences.

19 Our scope -- some of the items that are not
20 in scope -- acts of sabotage and terrorism. Those
21 are actually covered by other programs. The RAM cap
22 process is a process that's applied to both operating
23 facilities and spent fuel storage, so that's a risk-
24 based approach to looking at dry fuel storage.

25 We don't look at damage to the nuclear

1 facility. Again, in most cases, this is handled by
2 another analysis, which is one of the major reasons
3 why it doesn't appear here. For example, it might be
4 handled in the -- either the PRA or other analysis
5 such as the fuel handling and fuel load drop analysis
6 and accidents work that's done at the nuclear
7 facility.

8 We don't look at worker risk. I'm not sure
9 why we don't look at worker risk, but it's pretty
10 typical. As a former worker, I'm a little concerned
11 about that, but --

12 (Laughter.)

13 -- worker risk is typically not included
14 within the scope of risk analysis. We're really
15 looking at public risk, and it's because our metrics
16 are the safety goals, which is public risk.

17 And, last, we don't look at transportation
18 to the final repository. Again, there is quite a bit
19 of analysis in this area that's being done and being
20 performed as we speak. So this is covered under
21 another type analysis.

22 Events that are in scope. Okay. We look
23 at the design basis accidents, and we look at the
24 beyond design basis accidents. We look at events
25 resulting from the handling, which would be onsite

1 transfer and the storage, and we look at all types of
2 external events, including seismic fires, high winds,
3 floors, nearby facility accidents, pipelines,
4 aircrafts, and others. And the list includes such
5 things as even meteorites, so it's pretty -- it's a
6 pretty big list.

7 Okay. In the case of the bolted cask
8 design, we were very careful to make sure that we
9 were performing a realistic estimate of the frequency
10 of occurrence as well as the consequences. And as
11 such, most of the work represents what I would call
12 average cask risk. It's average enrichment, average
13 burnup, and average fuel age.

14 To give you an example, just one example of
15 the many as you go through the study, a burnup of
16 zero to 25 megawatt days per kilogram of uranium is
17 probably about an eight percent strain. If you look
18 at 25 to about 50, you're looking at a failure at
19 about four percent strain. If you look at items that
20 are greater than maybe 55 megawatt days per kilogram
21 of uranium, you're looking at failures in the area of
22 the strains of one percent.

23 So when we look at the fuel failing within
24 the bolted cask, we're looking at failures around
25 four percent, because that's an average for the

1 current fuel inventories. Recognizing that reactors
2 are running longer and higher burnups, in the future
3 casks may be loaded with higher burnup fuel. But for
4 now a good average is the average burnup in the range
5 of 25 to 45 megawatt days per kilogram of uranium.

6 There are several more examples where we
7 strictly look at average risk. They are noted
8 throughout the report.

9 I included some selected highlights and the
10 methodologies employed, because I thought it might be
11 interesting, even to non-PRA type people. That was
12 our initiating events.

13 We looked at a combination of generic lists
14 to get to our generic list of initiating events, but
15 we went a little bit beyond that and did a master
16 logic diagram approach, which is a fault tree type --
17 tree type structure where you go through and you look
18 at what different things can happen to fail different
19 barriers of consideration -- so, for example, fail
20 the fuel and fail the cask boundaries.

21 The frequency of cask drops was calculated
22 from a fault tree of a typical nuclear power
23 operating nuclear facility refueling building crane.
24 So we took the crane, we divided it down into its
25 pieceparts, assessed failure modes and effects and

1 analysis, and developed a fault tree style approach
2 to assessing that drop. Then, we used that fault
3 tree to assess the various kinds of drops that we
4 could have in our analysis.

5 We did look at the potential for misloading
6 fuel, so there is some human action type analysis
7 that was performed. Some more selected highlights of
8 our methods employed in the case, the structural
9 analysis for our success criteria. We use a
10 fragility approach.

11 That approach is significantly different
12 from the finite element analysis that was employed by
13 the staff. In the fragility analysis approach, we
14 were lucky enough to get a hold of some of the design
15 basis calculations for use in this report.

16 In each design basis calculation we removed
17 the margins of safety that are typically added in
18 those type of design basis calculations, including
19 margins of safety on materials, margins of safety on
20 any of the structural parameters, and created
21 basically a new structural capacity for the cask
22 based on a median set of properties.

23 Then, we looked at acceleration dependent
24 on target hardness. So there was some previous work
25 done on how hard or soft a target is, and what the

1 acceleration is. And they tell me I should continue
2 to use acceleration, although I always feel it's
3 deceleration when you're dropped. But the
4 acceleration that -- the fuel experience is very
5 dependent on whether the target is hard or soft.

6 So if you're looking at an asphalt roadway,
7 or you're looking at a compacted gravel roadway,
8 versus something that is 10 feet of steel reinforced
9 concrete, there's a significant difference in the
10 energy that the fuel will see.

11 So using a combined of these two we can
12 calculate -- we can use the fragility approach,
13 develop a fragility curve, and calculate a
14 probability of the cask value for the different
15 surfaces it won't land on.

16 Again, for thermal hydraulic analysis, we
17 assume average fuel, average burnup, average decay
18 heat, average storage times.

19 Accident sequence and consequence analysis
20 -- in our case, we assume there are two fuel pins now
21 for all acceleration events. There is a nice writeup
22 in the report that talks about where that information
23 was derived from. It was derived from previously
24 done work by Sandia where they did a crash into a
25 non-yielding surface, where the fuel experienced

1 about 100g.

2 We took that and on the basis of how many
3 fuel pins failed we recalculated those numbers back
4 to what we thought the fuel would see for the work
5 that we did, given average burnups.

6 Initially, in Phase 1 of the study, which
7 was the initial study, we didn't model building --
8 buildings mitigating release. So we didn't model --
9 we took it as the refueling building didn't exist.
10 There was a really good reason for that when we did
11 that, but we decided in the future phases to include
12 the HVAC systems that are designed to mitigate
13 releases in the refueling building in the analysis.

14 Initially, we had assumed a ground-level
15 release. In the first study, we removed that as well
16 and assumed elevated releases where appropriate.
17 And, last, we looked at some source terms --
18 conservative source term treatment. That was in
19 Phase 1, and we looked at removing that in Phase 2.

20 We'll talk a little bit about -- more about
21 that later. But before we move too far along, a
22 couple of more interesting highlights that haven't --
23 well, let's see if they appear on the next slide.
24 Yes. I will say that both Phase 1 and Phase 2
25 studies rely significantly on literature that was

1 available and published to the team.

2 So aside from myself there were different
3 people involved at different times in the study,
4 approximately four to five engineers, all with a
5 specific background and a specific item. Some had
6 human action analysis experience. We had a
7 structural gentleman involved with structural
8 analysis and a gentleman who did the thermal
9 hydraulics work, myself as the accident sequence lead
10 and principal investigator.

11 But each of us brought to bear a lot of the
12 previous work that was done by Sandia, and others, to
13 support some of the work that was done here. But we
14 did study -- in Phase 1 we looked at a bolted cask
15 design. It was performed at a representative BWR.
16 That's a really nice way of saying this is a generic
17 study, non-site specific.

18 The NRC was a specific study done on a
19 specific plant, and we're generic in that no
20 particular sites modeled, although you'll see
21 significant reflections of both the P and a BWR
22 layout in it. And they might look a little bit like
23 Prairie Island and Peach Bottom. That's where the
24 team went and observed a cask movement, but yet still
25 no particular sites modeled.

1 Where required, you assume location is the
2 Eastern United States. When I say that, what I mean
3 is when you look at wind hazard or you look at
4 seismic hazard, it's very nice to be able to have a
5 site so you can go get a fragility curve, so -- or go
6 get a wind speed -- information wind speed. So where
7 it was required to get these items they are either
8 extrapolated to an Eastern U.S. site or they are
9 actually from that Eastern European -- Eastern U.S.
10 site.

11 Some hazards had to be assumed -- natural
12 gas pipeline explosion. The plants that we visited
13 did not have a natural gas pipeline located nearby,
14 but we chose to include a natural gas pipeline in our
15 generic study.

16 You might ask why. The reason why we did
17 that is because we were trying to make the study
18 generic enough that if someone wanted to take the
19 generic study and make a plant-specific study out of
20 it, that they could see how all of the hazards were
21 handled within the study, and they could decide,
22 "Well, I don't have a natural gas pipeline." It's
23 much easier to remove it than it is to -- for them to
24 go figure out how to include it. So we showed them
25 how to include it, and if they need to remove it they

1 can.

2 And I already mentioned that the general
3 layout is based on Prairie Island and Peach Bottom.
4 There are quite a few other little things that come
5 in now and then based on a generic site. For
6 example, we don't really know how the site is laid
7 out with respect to nearby airports. So our aircraft
8 crash is based on flyover only.

9 If you have a specific site, you might look
10 around and find out that three sides of the ISFSI
11 can't be approach by plane. We didn't have a
12 specific site, so you can approach it from all four,
13 which would probably be pretty rare for most nuclear
14 powerplants.

15 As with all PRAs, we need to perform some
16 simplifying assumptions in order to make the analysis
17 tractable, to be able to perform it. One of those is
18 that word "generic study." Cask loading was assumed
19 to be a two-step process. I won't go into too much
20 detail on cask loading, but with bolted casks it's a
21 little bit different in that the lid is put on before
22 the cask is physically removed from the fuel pool.

23 So it's submerged, the lid is put on, the
24 cask is lifted as it breaks the surface of the water.
25 Somebody climbs on top and screws down four of the

1 bolts hand-tight. Then the water is pumped out via
2 the drain as the cask is lifted. You don't want to
3 lift it out of the water. You drop below tech specs
4 and the fuel pool water level. So as someone
5 mentioned earlier, the ink-drying thing, that's
6 actually exciting compared to the campaign I saw.

7 (Laughter.)

8 So they basically move it two inches, two
9 to six inches out of the water, pump some water out,
10 move it another two to six inches, pump some water
11 out. They're concerned about fuel pool level.

12 When that's all done, they decon and then
13 move it. While it's still suspended, they decon it
14 and move it over to a preparation area where it's
15 deconned further, it's fully evacuated out, dried,
16 fill gas is put in, the remainder of the bolts are
17 tightened, and then it's ready to go outside.

18 In that interim, let's assume that they
19 have put it down. They need to pick it back up.
20 Putting down and picking up makes a difference to our
21 fault tree and our calculated probabilities. So
22 we're assuming two steps.

23 Acceleration-related events -- drops -- are
24 always assumed to fail two fuel pins, not all the
25 fuel pins. That's the subject of some debate because

1 of the stress and strains calculated.

2 Horizontal drops within the refueling
3 building, and actually even outside, were assigned --
4 were a high epistemic uncertainty, and, therefore, a
5 higher probability of cask value. Okay. Nice big
6 word -- epistemic uncertainty. All the PRA guys can
7 shake their hands.

8 Epistemic uncertainty is the sequence of
9 events. Uncertainty of the sequence of events. For
10 example, you drop the cask sideways, what will it
11 hit? What will it land on? When we were looking at
12 horizontal drops within the refueling building, we
13 had assumed that intervening wall underneath the
14 cask, and that intervening wall would create
15 stiffness. That stiffness on a horizontal drop could
16 be problematic in that it was on a small area and
17 focused all of the energy, for example, worst case
18 midline of the cask.

19 So we assigned a pretty high epistemic
20 uncertainty in this part of the analysis to that
21 probability that we don't know exactly what's --
22 we're dealing with a generic study. We don't know
23 exactly what's underneath when we drop it. We don't
24 know what they've left in the movement path of the
25 cask. So we were a little concerned of what it might

1 hit.

2 And as a result of using a higher
3 uncertainty that broadens our 5ths and 95ths
4 percentiles of the curve, and makes the mean move
5 higher. So if you have less uncertainty, with the
6 same parameters you would have a lower mean value.

7 Building mitigation and potential doses was
8 not modeled. This was because it was not initially
9 modeled in Phase 1. This was because we knew of one
10 utility that did some handling outside. And,
11 therefore, we assumed immediately that, well, we
12 shouldn't model building mitigation. We'll talk a
13 little bit more about that when I get to Phase 2.

14 Ground level doses were also assumed.
15 Again, if you're not going to model building
16 mitigation, you're probably close to the ground.
17 Limiting weather conditions were assumed.

18 And I -- for reference I provided the EPRI
19 report number that was completed in 2003. Let's see
20 if you have a nicer laser pointer than me. Okay.
21 You do.

22 Okay. So Phase 1 was completed in December
23 of 2003, approximately a year after it was started.
24 Phase 2 was begun shortly after that, and it had a
25 slightly different set of goals and objectives. The

1 first one was to reduce some of the conservatives in
2 the Phase 1 study. Lower, more realistic assessment
3 of spent fuel cask risk was desirable, and we wanted
4 to make sure that we had a better comparison with the
5 NRC PRA when it was completed, a more flexible tool
6 for risk-informing regulations and informing the
7 public, and a reduced potential for misinterpretation
8 of the results.

9 In other words, we didn't want to come out
10 with something and then be saying, "Well, that's
11 actually a little bit higher than it should be." So
12 we went and did the update, which was completed in
13 November of 2004. The update was to revise the cask
14 drop probabilities from NUREG-0612 to incorporate the
15 lessons learned and items in NUREG-1774, to
16 reevaluate some of the uncertainties, specifically
17 the one concerned with the horizontal epistemic
18 uncertainty of the cask.

19 We wanted to evaluate additional source
20 terms. We initially ISG-5, which was not intended
21 for use in PRAs. We subsequently changed that. We
22 revised assumptions associated with mitigation of
23 releases and aerosol deposition and building HVAC.
24 So we went and said, "If you're handling a building,
25 here's a fault tree of a typical HVAC system. What's

1 its availability, and how much mitigation would it
2 provide?"

3 We considered elevated pathways for
4 releases from the buildings. We investigated the
5 impact of alternative, more realistic weather
6 conditions. Our initial analysis has pretty much
7 just the right wind speed that if someone were
8 standing in the plume that they got the maximum
9 amount of dose that they could receive. They stood
10 there an awful long time, too.

11 So we investigated alternative, more
12 realistic weather conditions. We investigated -- we
13 wanted to do a couple of other things, which was
14 investigate intact versus damaged fuel rods. You
15 know, we have tight cracks and pinholes which are
16 generally classified as non-damaged currently and
17 larger defects. And we assumed initially that the
18 fuel that was put into the cask was non-damaged, and
19 that, therefore, took completely intact which is not
20 always the case.

21 And last was to assess the conservatisms in
22 the storage phase, and look at, you know, 20-year
23 duration, knowing that someone might simply take the
24 year -- if you give them a yearly risk, someone might
25 just take it and simply multiple by 20. Since we

1 were a little conservative, because the number was
2 low, but you start multiplying the conservatisms by
3 20 and they start adding up.

4 Unfortunately, Items 7 and 8 were not
5 evaluated in Phase 2.

6 I should have mentioned earlier, but it was
7 mentioned in the last presentation, that our results
8 are in terms of latent -- both prompt and latent
9 cancer fatalities per cask per year. And in the area
10 of prompt fatalities we have 0.0. The reason why
11 these metrics are chosen is -- again, is because they
12 are very typical of online risk.

13 And if you start looking at a site and
14 saying, "Well, I want to know what the risk of
15 operation is, the risk of shutdown, the risk of spent
16 fuel storage," you need common metrics. This is a
17 pretty typical metric. So we wanted to stay true to
18 the metrics at least that are typically used.

19 And you'll notice these are the Phase 1
20 results and these are the Phase 2 results. The
21 biggest thing to note is that we have a factor of
22 62-1/2 reduction from Phase 1 to Phase 2. But even
23 Phase 1 had a very low value -- $3.5E^{-11}$ per cask per
24 year is a substantially low number. Most of that
25 came from the loading phase.

1 If you look, here is the loading phase with
2 a significant fraction, basically 80 percent of the
3 risk. Then, if you look at the storage phase, we had
4 about 12 percent of the risk with this absolute
5 value. And then, the transfer phase made up the
6 remaining eight percent.

7 When we took a look at some of those
8 conservative assumptions that we had, Phase 2 came
9 out and said, okay, well, we're still at zero prompt
10 fatalities, but the total cancer fatalities go from
11 $3.5E^{-11}$ per year to $5.6E^{-13}$ per year. And if you'll
12 notice, one interesting thing happens.

13 This is now the loading phase, as opposed
14 to that. So there's a -- most of the reduction takes
15 place in the cask loading phase. and if you think
16 about it most of our conservatisms were related to
17 the cask loading phase, right? They were building
18 mitigation ground-level releases and the horizontal
19 epistemic uncertainty. So that gave us a very
20 different picture of the risk and said, "Hey, you
21 know, cask loading is still a significant fraction,
22 though. I don't want to throw it away." It's still
23 11 percent, but it dropped significantly.

24 Storage came up and transportation -- the
25 transfer also becomes a larger fraction, although all

1 of the absolute values are a little bit lower.

2 Okay. Let's talk about some sequences. In
3 Phase 1, on the left-hand side of this graph, is the
4 Phase 1 of the project results, and on the right-hand
5 side it's Phase 2. And if you look, initially Phase
6 1, number one accident sequence -- if this is hard to
7 read, it should be decent to read in your handouts
8 hopefully -- that's the on-edge or horizontal drop.
9 And it says -- easy to read on my screen. It says
10 during loading. That's what in the brackets. That's
11 the loading phase.

12 Then, we have the refueling building
13 failure, another horizontal drop, but this is during
14 transfer. These two are a function of the larger
15 uncertainty that we've spoken about. The next one is
16 heavy loads exceed the structural limit. This is a
17 first year only. It's a function of the assumed
18 frequency of the high winds. So dependent on
19 location.

20 And again, this one, which is the high
21 temperature, is assumed a function of the distance
22 from some of the fixed hazards. So a gas line -- you
23 know, we assumed a gas line. There are several
24 others that contribute, but they're all the result of
25 assumptions of this generic site. And the last one

1 is the high temperature fire during transfer.

2 Okay. In the second one, the top sequence
3 is the high temperature fire during transfer. So
4 this one right down here is now here. And then,
5 heavy loads exceeding structural limit, the high
6 temperature -- temperature and forces during storage,
7 that's the assumed hazards.

8 The on-edge drop during transfer, the
9 refueling building failure, which is both random and
10 seismically induced, and then the last, cask impacted
11 by missiles. And I can give you some details on each
12 one of those initiating events. I wrote it down, so
13 I'd get them right.

14 In this case, this high temperature fire
15 during transfer is a transporter fire. We all know
16 that occasionally vehicles catch fire. In this case,
17 one of the transporters we were looking at had very
18 large wheels. They were rubber. Rubber burns nice
19 and hot and for a long time.

20 Some of the other transporters we knew were
21 tracked, but in this particular case we noticed this
22 one. We did note it in the combustible loading, that
23 this was a function of the type and size of a
24 vehicle. If you look at a tracked vehicle, this
25 number might be significantly different.

1 Heavy loads exceeding the structural limit
2 -- this is floods, tsunamis, wind, seismic. This
3 high temperature force during storage is the fixed
4 and non-fixed transient sources. The on-edge drop
5 during transfer is the horizontal drop. The
6 refueling building failure we spoke about is the
7 seismic and the random failures. And the last one is
8 actually missiles, which are wind, flood, and a
9 meteorite is I believe included in that list.

10 Let's talk about some conclusions. The
11 Phase 1 project conclusions was that there's a pretty
12 low risk for the bolted design dry fuel storage
13 systems. We felt that in general it might apply to
14 all design systems. It's driven by a relatively
15 small number of key assumptions as well as site-
16 specific hazards. So if you should happen to be
17 sitting next to a liquid natural gas plant, you might
18 have a different set of site-specific hazards, but in
19 general it's a very low number.

20 The use of a risk-informed approach could
21 achieve both cost and safety benefits. So we came to
22 the conclusion that a risk-informed approach could be
23 beneficial in this area.

24 So then we did Phase 2, and we confirmed
25 the low risk for the bolted design and even found

1 some areas that could be improved upon. We showed
2 that the risk is, again, still driven by a small
3 number of assumptions in plant specifics, although we
4 think that plant specifics are more related to
5 seismicity and weather than they are to near site
6 facilities.

7 We thought additional analysis was only
8 warranted if the cost benefit could be justified
9 through a burden reduction. At this point, the risk
10 is so low when compared to the operating risks, if
11 you consider the site as a whole, putting money into
12 doing additional analysis or making this generic
13 analysis plant-specific is not really warranted
14 unless you can justify it on a beneficial basis.

15 The use of the risk-informed approach to
16 dry fuel storage, though, could achieve, if used
17 correctly, both cost and safety benefits.

18 So what are some of the future uses of the
19 cask technology? Well, to improve public perception
20 of spent fuel storage options. Cask storage is a
21 very low risk activity. There were some other
22 things. Going through the literature, maybe you look
23 at performing a risk tradeoff of analysis between
24 repairing versus just leaving it as found.

25 If something, for example, is slightly

1 above the design thermal loading of the cask, you
2 might look and say, "Well, you know, it's really not
3 worth lifting it up, transporting it back inside,
4 taking out some fuel assemblies, putting in some fuel
5 assemblies," and retransporting it outside, because
6 the risk of leaving it as it is versus moving it is
7 -- it's a better situation to leave it outside.

8 Enforcement discretion for discovered
9 deficiencies, identify areas for reduced margins in
10 future cask designs, it is interesting that drop
11 dominates some of these -- some of the areas of
12 transport. Dropping is close -- is a function or at
13 least partially a function of weight. If you can
14 reduce weight you might reduce situations where drop
15 is a problem.

16 Identifying reduced burdens associated with
17 regulatory and environmental requirements -- so you
18 might be able to increase allowed boundary doses or
19 reduce inspections, something that was mentioned
20 earlier. And then, lastly, review regulations to
21 assist in licensing of new storage or expansion of
22 existing facilities. Again, it's a low risk
23 activity, and some of the effort that goes into the
24 licensing of it might be better served if it was
25 applied somewhere else.

1 MEMBER WEINER: Thank you very much. We'll
2 start at the other end with questions. Dr. Clarke?

3 MEMBER CLARKE: I guess just a couple of
4 things to clarify. The metrics are the same in both
5 studies, is that correct, or --

6 MR. CANAVAN: That's correct.

7 MEMBER CLARKE: If I recall correctly, the
8 prior study incorporated human factors indirectly
9 through the data. Do you get into that at all, or --

10 MR. CANAVAN: We have a separate -- we
11 incorporated human actions directly as a function of
12 human action analysis. So there was actually human
13 action analysis performance tests. For example, we
14 did look at corrosion, and as part of that we looked
15 at the introduction of the wrong gas, introduction of
16 liquids.

17 We looked at the handling procedures that
18 they use around the cask for those types of items.
19 And there was actually human performance analysis
20 done by looking at the procedures and the steps in
21 those procedures and determining whether or not
22 mistakes could be made at various steps. And so
23 there was the specific handling of human actions.

24 MEMBER CLARKE: And both of you came up
25 with very low risks.

1 MR. CANAVAN: I meant to point that out.
2 I had another presentation where I stuck in a little
3 bit of slides the similarities and the differences.
4 There is a factor of 3.6 difference between the first
5 year calculated by the NRC and the EPRI report. And
6 at this level of resolution, those are identical
7 numbers.

8 Matter of fact, I am amazed that the
9 numbers are as close as they are, given the different
10 designs, given the different approaches that were
11 taken in several areas. While the overall
12 methodology remains similar, there's a lot of things
13 that go on in the details that can easily affect a
14 number. And 3.6 is spot on. I don't think we could
15 do it if we tried, and it did happen relatively
16 independently.

17 And I'd also note that storage is exactly
18 the same -- $1.9E^{-13}$. That is the same number.

19 MEMBER CLARKE: Thank you.

20 MEMBER WEINER: Dr. Ryan?

21 CHAIRMAN RYAN: No additional comments.

22 Thanks.

23 MEMBER WEINER: Dr. Hinze?

24 MEMBER HINZE: Is your work, especially on
25 the storage, transferable to the aging pad at Yucca

1 Mountain with the proper seismic and meteorological
2 conditions?

3 MR. CANAVAN: You're not the first to ask
4 that question. I believe it is substantially
5 applicable to Yucca Mountain.

6 MEMBER HINZE: When you considered some of
7 the potential far-out factors, did you -- would you
8 consider volcanic ash that has come from a remote
9 volcano as a factor in analysis of the cask?

10 MR. CANAVAN: The TN bolted design does not
11 rely on that, so we did think about it and dismissed
12 it based on it would have to remain totally covered
13 for a substantial period of time.

14 MEMBER HINZE: Totally covered.

15 MR. CANAVAN: Totally covered.

16 MEMBER HINZE: Okay. Very good. I gather
17 that from NRC's work and EPRI's work that there is no
18 difference between a bolted and a welded covered
19 cask?

20 MR. CANAVAN: Each design has some
21 advantages and has some disadvantages. Since I have
22 never been in the operational aspects of welding a
23 top on versus bolting a top on, I will say from the
24 risk perspective the tradeoffs seem about even.

25 MEMBER HINZE: Thank you very much.

1 MEMBER WEINER: Why two fuel pins? Why not
2 five? Why not all of them?

3 MR. CANAVAN: Actually, on page H4, so you
4 can see I prepared for this --

5 (Laughter.)

6 On page H4, Sandia did an analysis where
7 they took a cask with I think PWR fuel and
8 accelerated the fuel and had it hit a non-yielding
9 surface. The fuel inside experienced about 100g.
10 They had a certain amount of fuel failures that
11 occurred in that test.

12 What we did is we took that test, and we
13 took the forces that the fuel experienced, and we
14 translated that to our fuel, which was four percent
15 -- approximately an average of four percent strain.
16 And then we looked at how many fuel pins do we think
17 would -- based on the stresses that they would see
18 would exceed that strain. And we came up with a very
19 small fraction, something like $2.7E^{-4}$. We took that
20 and we multiplied it by the number of pins and came
21 up with about two.

22 MEMBER WEINER: You certainly did prepare
23 for that question.

24 (Laughter.)

25 That was very good.

1 What went into your particular choice of --
2 let me ask the question the other way, another -- a
3 more general question. Did you correspond or
4 communicate at all with NRC to have some comparison
5 between the two analyses?

6 MR. CANAVAN: Well, let's see. Yes. But
7 the communication was intended to be more frequent,
8 but what ended up happening is we had some early
9 communication where I did the site drop-in up here.
10 We shared some -- shared some early information.
11 After that, the EPRI schedule was quite aggressive,
12 and I was a paid contractor at the time, paid to meet
13 schedule milestones. And our work quickly got ahead
14 of the NRC. So at that particular time we didn't
15 share much more, so I do think the efforts are
16 relatively independent.

17 MEMBER WEINER: Does anybody from NRC want
18 to comment?

19 MR. RUBIN: Yes, let me comment. My name
20 is Alan Rubin. I was involved at the beginning of
21 the study where there's initial interactions with
22 EPRI, basically the methodology of identifying
23 initiating events, and I think there are many
24 similarities in that. We had an early start.

25 We had initiating events identified. I

1 think EPRI had meetings with us, and there was an
2 intent to share more information. Because of the
3 unavailability of the NRC's report to be publicly
4 available, that was not -- we couldn't do that. We
5 limited the meetings to what we could discuss. And
6 until a public meeting such as this, when we could
7 share documents and review and compare, the
8 interactive discussions were more limited.

9 MEMBER WEINER: Thank you. Does anybody on
10 the staff have questions? Antonio?

11 MR. DIAS: It's very interesting the
12 numbers come so close, because you have a boundary
13 that's about 300 meters, isn't it? Between 100 and
14 300 meters. That's the boundary for the public that
15 you assume.

16 MR. CANAVAN: Yes, that's correct.

17 MR. DIAS: And I didn't see in your
18 presentation -- do you go into a very elaborate model
19 for release fractions or not? How did you address
20 release fraction?

21 MR. CANAVAN: Yes. There's a pretty
22 elaborate --

23 MR. DIAS: Okay.

24 MR. CANAVAN: -- model for release
25 fractions. We don't use the Max code substantially,

1 so we're not looking at what is the population around
2 the site, because we couldn't. So we put our member
3 of the public at the site boundary and made him stay
4 there --

5 MR. DIAS: Okay.

6 MR. CANAVAN: -- until the release passed
7 him.

8 MR. DIAS: Okay. Thank you.

9 MEMBER WEINER: So you basically calculated
10 the reasonable and maximally exposed individual, or
11 just the site --

12 MR. CANAVAN: At the site boundary.

13 MEMBER WEINER: Yes.

14 MR. CANAVAN: Yes.

15 MEMBER WEINER: At the site boundary.

16 Anyone else have any comments, questions?
17 Come up and identify yourself, please.

18 MR. MALSCH: Yes. Marty Malsch. I'm with
19 a law firm that represents the State of Nevada. I
20 just had two clarifying questions. One is, did your
21 PRA include consideration of errors in the
22 fabrication of the cask or canister?

23 MR. CANAVAN: A commonly-asked question.
24 Yes, I would say that it does, because when you use
25 the fragility approach to assessing, for example,

1 cask drops you assess an average strength of
2 materials. So you're looking at an average. And
3 then, uncertainty is applied to that average in terms
4 of both epistemic uncertainties and randomness
5 uncertainties.

6 In the case of randomness uncertainties,
7 they incorporate things like strength of materials
8 and other properties that could be random throughout.
9 Could there be a flaw? Could there be a partial
10 flaw? Could there be a manufacturing problem? All
11 those come together to produce the mean value of the
12 cask. So the short answer to the question is I
13 believe they're in there.

14 MR. MALSCH: Okay. My second question is:
15 in looking at aircraft crash risks, what kind of
16 aircraft did you assume, and what did you assume was
17 the aircraft crash probability? I'm trying to guess
18 because your slides say you associated the study with
19 a typical site in the Eastern U.S., and I was
20 guessing what you might have assumed by way of
21 aircraft and crash probability, but I wasn't sure.

22 MR. CANAVAN: I want to be careful and not
23 misspeak and give you a probability that I am -- that
24 I don't know off the top of my head. But I will say
25 it looked at the random -- the statistics from the

1 FAA on random failures per -- the typical random
2 failures per hundred square miles and looked at ratio
3 in that area and to the approximate area of what an
4 ISFSI normally consists of. It might have even been
5 a little conservative on that, because I think if you
6 actually do that number it's a really small one.

7 And it was a larger -- for the purposes of
8 doing cask impacts, it was an extremely large plane.
9 I believe -- and it is cited in the report, I'm going
10 to say a 757. It's a big plane, but it -- and the
11 engine sizes are all there, and the fact that the
12 hardest parts of the plane are the engine shaft and
13 the wheels. They're all -- that's all accounted for
14 as well as the fire, a resulting fire. And
15 conservative bounding analysis is done in a lot of
16 that case.

17 MR. MALSCH: Just to point out, you
18 mentioned earlier that you thought your study was
19 applicable to Yucca Mountain. Just to point out that
20 on initial analysis DOE has concluded that the
21 probability of an aircraft crash at the site -- I'm
22 not sure what the footprint was, but at the same from
23 military aircraft associated with a nearby test and
24 training range, flunked the NRC criterion of 10^{-4} per
25 year.

1 So the aircraft crash probability for Yucca
2 Mountain is likely to be considerably higher than the
3 typical aircraft crash probability associated with
4 overflights in Eastern U.S.

5 MR. CANAVAN: Yes, that could be true.

6 MR. MALSCH: You should be careful about
7 whether this aspect of your study is directly
8 applicable to Yucca Mountain.

9 MR. CANAVAN: Yes. When I said it was
10 directly applicable to Yucca Mountain, I would never
11 assume that the site-specific values were directly
12 applicable. I will say that the study did look at
13 large military aircraft, by the way. It looked at
14 air taxis, large aircraft, and small aircraft. So it
15 does -- it did look at the range of our aircraft.

16 But I wasn't insinuating that all of the
17 values -- for example, the study looks at a natural
18 gas line being located next to this particular ISFSI.
19 I assume there aren't a lot of natural gas line at
20 Yucca. So we'd have to look at some of the items
21 that are in the study and decide whether or not that
22 they need to be considered for that risk or not.

23 MR. MALSCH: Okay. Thank you.

24 MEMBER WEINER: Is there anyone else? Yes?

25 MR. ABBOTT: Hi. My name is Ed Abbott with

1 ABZ. If you were talking to a member of the public
2 about this, would you consider these events credible
3 from a public health and safety perspective?

4 MR. CANAVAN: That's a good question. Ed
5 doesn't remember me, but I worked for GPU many, many
6 years ago, and we met several times. I would say
7 that some of the -- we took an approach of trying not
8 to screen. There is the word "screen" used very
9 rarely in this report. My intent, since it was
10 generic, was not to screen when we did the analysis.
11 My intent was to be additive.

12 So when you look at missiles, we looked at
13 anywhere from wind-produced missiles all the way to
14 a meteorite. I was actually surprised how non-rare
15 a decent-sized meteorite is, but it's still probably
16 not -- it might be on the verge of non-credible. The
17 idea would be to add up those hazards, use them as
18 the initiating event, that being sort of a bounding
19 value, but not conservative because it's calculated
20 on the individual pieces.

21 Then, we didn't throw anything out. So if
22 somebody suddenly feels that they have a reason for
23 changing the wind speed or there -- you know, there's
24 a meteor shower coming by and it's going to affect
25 that. They could adjust the values in the study and

1 take the generic to specific.

2 So the short answer to the question is
3 individual initiators might be non-credible. But if
4 they are, they shouldn't have impacted the total that
5 we looked at very significantly, because the more
6 credible hazards should dominate.

7 Did I answer your question, or was that too
8 much tap dancing?

9 MR. ABBOTT: That's okay.

10 MR. CANAVAN: Okay.

11 MEMBER WEINER: Any further questions?
12 Anyone? Hearing none, I'll turn the meeting back
13 over to the Chairman.

14 CHAIRMAN RYAN: Thanks very much, and I'd
15 like to thank all our participants and speakers for
16 this afternoon session on two very informative
17 presentations on work done in separate places by
18 separate people and showing similar results. It's
19 always interesting to see that.

20 With that, I believe we are at the end of
21 our agenda for presentations. I think we've got a
22 brief bit of business for the committee to discuss,
23 potential letters for the rest of the day, whether we
24 will or won't write them. Beyond that, we're
25 finished.

1 I want to suggest for folks that do want to
2 participate in the last part that you do that. But
3 other folks that may want to leave, we'll just take
4 a short five-minute break and the reconvene.

5 (Whereupon, the proceedings in the
6 foregoing matter went off the record at
7 4:05 p.m. and went back on the record at
8 4:16 p.m.)

9 CHAIRMAN RYAN: Okay. We're ready to go,
10 so we'll go on the record.

11 I think we just need to cover one bit of
12 business for the end of today's activities, and the
13 question is: will we have letters on today's
14 activities, which would include, first, the advanced
15 fuel information that we heard in two briefings this
16 morning.

17 VICE CHAIRMAN CROFF: Not yet.

18 CHAIRMAN RYAN: Not yet.

19 VICE CHAIRMAN CROFF: We want to wait for
20 the White Paper.

21 CHAIRMAN RYAN: And I think with the White
22 Paper under construction by Ray and colleagues that
23 it's best to integrate that into that White Paper.
24 So, and the information we heard, while very
25 informative, is generic and early on.

1 VICE CHAIRMAN CROFF: Right.

2 CHAIRMAN RYAN: And that's a good place for
3 it. Okay. That's fine.

4 The standard review plan for waste
5 determinations -- I think from yesterday we agreed we
6 want to modify the current draft that we read out
7 late yesterday. Right, Allen?

8 VICE CHAIRMAN CROFF: Right.

9 CHAIRMAN RYAN: And then, the two briefings
10 this afternoon on the dry cask storage -- first, the
11 RES presentation, second the EPRI presentation.

12 MEMBER WEINER: What I would like people to
13 do --

14 CHAIRMAN RYAN: Well, before we ask people
15 to do stuff, I'm curious what the letter would focus
16 on and what we would be reporting on the information.

17 MEMBER WEINER: Well, I think we need to
18 report that we -- on these two studies and the
19 differences, the similarities, a number of the
20 questions that we had about -- particularly about the
21 NRC study, number of the suggestions that were made
22 as to how it could be improved, and I -- if no one
23 has any comments, then we could just write a very
24 general letter. But my guess is, just from the
25 comments that I heard, that everyone has some comment

1 to make on the letter.

2 And out of that I would guess we could get
3 some recommendations. One recommendation is that
4 this was a pilot study. I'd like to see a final --
5 a study that is not a pilot study, that is more
6 generic.

7 CHAIRMAN RYAN: Jim?

8 MEMBER CLARKE: I think she's asking us to
9 send her what we would put into a letter if we write
10 a letter. Now, can we take that approach, or do we
11 have to decide to do --

12 CHAIRMAN RYAN: Well, I guess I'm reaching
13 -- now that it's fresh in our minds -- and, again,
14 I'll hold my views until the end, but what would be
15 the main conclusion or the main recommendation, or
16 where are you leaning? I mean, we had I think a
17 productive dialogue and understanding what's in the
18 reports.

19 But here -- and I'm just offering a
20 comment. We have two reports, two different
21 approaches on slightly different but similar casks
22 and similar purposes and endpoints. And in spite of
23 my stumbling through how the risk calculations are
24 done, just not having as much familiarity as I
25 perhaps should, we end up with what by all reckoning

1 relative to anything are extremely low probabilities.

2 So I wonder what it is we're going to say.

3 And I guess, frankly, I take up the point that was
4 made by one of our presenters that, does it make
5 sense that we spend the time, money, and effort on
6 such low probabilities and refining and fine-tuning?
7 So I'm challenging us to think about, does this rise
8 to the point where we have something terribly
9 substantive to add?

10 Now, I think we did have good dialogue on
11 perhaps things that could be better clarified, better
12 stated, clearer, crisper definitions, and things
13 that, like I said, I stumbled through. I just wonder
14 what it is we're going to report.

15 MEMBER WEINER: I think one of the things
16 worth reporting is that there were two quite
17 different, uncoordinated approaches, and they come up
18 with very similar risks.

19 CHAIRMAN RYAN: And very low risks.

20 MEMBER WEINER: And very low risks. And
21 within -- well within an order of magnitude of each
22 other, and that I believe is significant, because
23 this is an area that the public does look at.

24 CHAIRMAN RYAN: And I think if that's the
25 main conclusion, and then the observation is there

1 are a number of points discussed, and, you know,
2 these are listed in the appendix for the benefit of
3 the authors to consider as they finalize and review
4 documents, and so forth, that's about as far as it
5 goes.

6 I just want to leave with a little bit
7 better structure of what we were talking about here
8 if we're going to write a letter.

9 MEMBER WEINER: Fine.

10 MEMBER HINZE: I think, if I might --

11 CHAIRMAN RYAN: Bill, please. Yes.

12 MEMBER HINZE: I think Ruth said the magic
13 words there. There's a lot of public interest in
14 this. And I think it's very important. I'm very
15 impressed that they came up with similar values with
16 two different types of canisters, and they are low
17 values. I think this is going to be of interest to
18 everyone.

19 CHAIRMAN RYAN: You know, and one point
20 that struck me is after I sorted out that all of the
21 probabilities that I was asking about were
22 conditional, it turns out the real driver is the
23 frequency of the accident. That's the driver.

24 MEMBER WEINER: And that's --

25 MEMBER HINZE: The seismic activity.

1 MEMBER WEINER: Yes.

2 CHAIRMAN RYAN: Right. So there's a couple
3 of things we could observe for the benefit of trying
4 to translate it into, you know, a different kind of
5 a summary for our own purposes. But that's where I
6 think the letter ought to go. It's not to say things
7 ought to be thrown out, or it's not good, or it's
8 just, you know, here are some interesting
9 observations from the two sessions, and the one
10 conclusion is the probability of impacts are pretty
11 low. So --

12 MEMBER HINZE: Put a positive spin on it.

13 MEMBER WEINER: Yes.

14 CHAIRMAN RYAN: Well, I don't think we spin
15 it either way. I think we simply say what we
16 reported.

17 Allen, any thoughts?

18 VICE CHAIRMAN CROFF: I think we should
19 give it a try. The point on the public is public
20 interest is well taken, and I think there is pretty
21 clearly an interest on the part of one Commissioner,
22 since he took the time to come down and listen to it
23 himself. And I think he -- I think it's worth trying
24 to put our views down.

25 CHAIRMAN RYAN: Okay. All right, good.

1 I'm just -- I'm glad we focused it up a little bit to
2 help Ruth --

3 MEMBER WEINER: Thank you.

4 CHAIRMAN RYAN: -- shape it up a little bit
5 more.

6 MEMBER WEINER: May I say one more thing?
7 I'd like to have a draft that we can -- that would be
8 final by the August meeting. I think that was your
9 intent, wasn't it?

10 CHAIRMAN RYAN: That's up to you.

11 MEMBER WEINER: So if you're going to send
12 me comments, please send them in a timely fashion.

13 CHAIRMAN RYAN: Okay.

14 MEMBER WEINER: Otherwise, I'll ignore
15 them.

16 CHAIRMAN RYAN: Okay. That concludes our
17 review of what letter-writing we had not discussed.
18 Are there any other items? Hearing none, the meeting
19 is adjourned.

20 (Whereupon, at 4:23 p.m., the proceedings
21 in the foregoing matter were adjourned.)

22

23

24

25