

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
175th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, December 12, 2006

Work Order No.: NRC-1377

Pages 1-223

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

175TH MEETING

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

+ + + + +

THURSDAY

DECEMBER 12, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 10:00 a.m.
in Room T-2B3 of the U.S. Nuclear Regulatory
Commission, One White Flint North, 11555 Rockville
Pike, Rockville, Maryland, Dr. Michael T. Ryan,
Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- MICHAEL T. RYAN Chairman
- ALLEN G. CROFF Vice Chairman
- JAMES H. CLARKE Member
- WILLIAM J. HINZE Member
- RUTH F. WEINER Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF PRESENT:

LATIF HAMDAN

NEIL COLEMAN

ANTONIO DIAS

JOHN T. LARKINS, Executive Director, ACRS/ACNW

MICHAEL P. LEE

DEREK WIDMAYER

FRANK GILLESPIE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACNW Chairman	4
Semi-Annual Briefing by the Office of Nuclear Material Safety and Safeguards (NMSS), Jack Strosnider	8
Fuel Cycle Safety and Safeguards, Gary Janosko	14
High-Level Waste Repository Safety Program, Lawrence Kokajko	17
Spent Fuel Storage, Bill Brach	27
RACER: Tools and a Process to Guide Decisions about Risk Reduction for Contaminants in the Environment	79
Nuclear Energy Institute (NEI) and Electric Power Research Institute (EPRI) Views on NRC Interim Staff Guidance (ISG) DLWRS-ISG-01 on Seismic Event Sequences	139
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

(10:01 a.m.)

CHAIRMAN RYAN: All right, folks. The meeting will come to order please. And we will start our formal record.

This is the first day of the 175th meeting of the Advisory Committee on Nuclear Waste. During today's meeting, the Committee will consider the following: a semi-annual briefing from the Office of Nuclear Material Safety and Safeguards, a presentation on RACER, a tool for the process to guide decisions about risk reductions for contaminants in the environment, Nuclear Energy Institute and Electric Power Research Institute's views on NRC interim staff guidance on seismic event sequences, and discussion of Draft ACNW Letter Reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Antonio Dias --

MR. DIAS: I'm here.

CHAIRMAN RYAN: Oh, sorry, there you are -- is the Designated Federal Official for today's session.

We have received no written comments or requests for time to make oral statements from members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 of the public regarding today's sessions. Should
2 anyone wish to address the Committee, please make your
3 wishes known to one of the Committee staff.

4 It is requested that speakers use one of
5 the microphones, identify themselves, and speak with
6 sufficient clarity and volume so that they can be
7 readily heard.

8 It is also requested that if you have cell
9 phones or pagers that you kindly turn them off.

10 I'll begin with some items of interest.
11 Dr. John Larkins, ACRS/ACNW Executive Director is
12 retiring on January 4th, 2007. As Executive Director
13 for the past 13 years, he has been devoted to the
14 Committee and has provided outstanding management to
15 the members. He has ensured adequate technical and
16 administrative support to the committees in performing
17 their statutory obligations effectively and
18 efficiently.

19 His major contributions include selection
20 of new members and consultants to the committees,
21 reappointment of members, formulation and execution of
22 the Committee's operating budget, resolution of
23 conflict of interest issues, and quality assurance of
24 ACRS/ACNW office activities.

25 His devotion, dedication, enthusiasm, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unrelenting support to the committees are second to
2 none. And are very much appreciated.

3 On behalf of the Committee, I'd like to
4 thank Dr. Larkins for his outstanding support to the
5 Committee. We wish him happiness and success in his
6 retirement and in his future endeavors.

7 And I will add to the long list of things
8 that we always have a great quality assurance check in
9 our letters, every single one, every single time. And
10 it is that quality that I think is reflected in our
11 products. And, John, we really appreciate all your
12 hard work.

13 And I'd ask everybody to give John a round
14 of applause.

15 (Applause.)

16 DR. LARKINS: It has been fun. I've
17 enjoyed it for 13 years.

18 CHAIRMAN RYAN: Indeed.

19 Well, again, we wish every success in your
20 future endeavors.

21 The ACNW would also like to recognize an
22 outstanding staff member, Ethel Barnard, who, after
23 approximately 40 years working with the Committee will
24 retire on January 3rd, 2007.

25 Ms. Barnard has handled several different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jobs for the ACRS/ACNW over her tenure with the staff.
2 These include managing the Committee's reference
3 library and ensuring compliance with the FACA
4 requirements for document retention and retrieval.

5 There is a long list of other tasks she
6 has handled for the Committee which would take me a
7 long time to go through.

8 However, I would note that she has done an
9 exceptional job at handling all computer hardware and
10 software matters for the members, many of whom need
11 the remedial help on a regular basis to keep up with
12 technology as it evolves and changes. And she always
13 provides that with a smile on her face and
14 professionalism above many. And her willingness to
15 assist the members of the staff is much appreciated.
16 Thanks to Ethel.

17 I don't know that Ethel is at work today.
18 But let's let the record reflect our sincere
19 appreciation for her efforts as well.

20 All right. With that, we will turn our
21 attention to our opening briefing this morning. This
22 is our semi-annual briefing by the Office of Nuclear
23 Material Safety and Safeguards. And I'm not sure
24 exactly who is going first.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Jack Strosnider, the
2 Director, is here and welcome, Jack. And thanks for
3 being with us this morning.

4 MR. STROSNIDER: Thank you. Nothing like
5 a grand entrance. And I apologize for that.

6 I just wanted to make a few brief opening
7 remarks. And then we will go through and hear from
8 the divisions.

9 And the first thing I wanted to comment on
10 -- is John here? John Larkins today? I just wanted
11 to -- there's John, okay. I understand you have
12 decided to do some different things. And I just
13 wanted to say thank you for all of your service and
14 for all the coordination and good cooperation that we
15 have had. And we will miss you. And good luck.

16 Hello, Frank.

17 MR. GILLESPIE: Hi, Jack.

18 MR. STROSNIDER: I'm looking forward to
19 working with you in the future. So thank you very
20 much.

21 I wanted to comment a little bit on
22 communications. First of all, I just acknowledge that
23 I know you have a very busy schedule so we do
24 appreciate the opportunity to meet with you
25 periodically. And I think we have made some progress

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in terms of our interactions in trying to proactively
2 identify activities, issues that you are interested in
3 and where we are looking for your comments and input.

4 And the six-month rolling calendar, I
5 think has helped us with that. And I think one of the
6 things we have talked about is looking to how we can
7 be even more proactive. Looking a little further down
8 the line when we think about our budgeting process and
9 how far out in the future that goes that we want to
10 continue to work on that area.

11 But perhaps most importantly in terms of
12 our interactions, I want to acknowledge the value of
13 your input. We appreciate your comments, positive and
14 negative, on what we are doing. That helps us. It
15 makes for a more robust program and helps us withstand
16 the scrutiny of our programs that comes from a variety
17 of sources.

18 So to comment on those things, do a brief
19 information on the reorganization, which I hope
20 everyone is familiar with. And what -- just in case
21 everyone is not familiar, effective October 1st, we
22 have a new NMSS and we also have a new Office of
23 Federal and State Materials and Environmental
24 Programs. Have I got that right? FSME -- I'm still
25 learning some of the acronyms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A little bit about the logic behind this,
2 and I'll start with what -- the original NMSS, we had
3 five technical divisions. And the Division of Waste
4 Management and Environmental Protection and the
5 Division of Medical and Industrial Nuclear Activities,
6 those were taken out of NMSS and combined with the
7 Office of State and Tribal Programs to create this new
8 office, FSME.

9 And that was -- and I don't want to go too
10 much into that obviously. Charlie Miller is the new
11 Office Director there and he will be here in February,
12 I think, to talk about what is going on in that
13 office. So he'll give you all the detail.

14 But part of the motivation, at least, was
15 recognizing the increased number of agreement states,
16 the changes in the programs going on there, the
17 relationship between the environmental activities and
18 the industrial medical activities with the states and
19 some of those other stakeholders. So a point of
20 motivation there was to get those activities all in
21 the same office.

22 And with regard to NMSS, actually we could
23 have called it the Fuel Cycle Safety Office but there
24 is some legislation that says we will have an Office
25 of NMSS. So we are NMSS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But if you look at what is left in the
2 office now, we have the Fuel Cycle Safety and
3 Safeguards, which deals with production of fuel,
4 conversion, enrichment, and fabrication of fuel.

5 And we have the -- the org chart is up
6 here -- we have the Division of Spent Fuel Storage and
7 Transportation, which after the fuel comes out of the
8 reactors, it has got to be stored someplace, shipped,
9 et cetera. It used to be the Spent Fuel Projects
10 Office.

11 And we have the Division of High-Level
12 Waste Repository Safety for the ultimate disposition
13 of the fuel.

14 So we have pretty much all of the
15 activities associate with the fuel cycle. The one
16 activity that did move to the other office was uranium
17 recovery licensing. And, again, that was -- part of
18 the logic there was recognizing the interest of the
19 states in those activities. So that was part of the
20 motivation there.

21 We have -- I think everybody knows Bob
22 Pierson, who is not here today, but I think Gary
23 Janosko is here representing the Fuel Cycle Safety and
24 Safeguards. Bill Brach is here, Director of Spent
25 Fuel Storage and Transportation. And Lawrence Kokajko

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who is the Director of High-Level Waste Repository
2 Safety. Bill Reamer retired a month or so ago now and
3 Lawrence has taken over that position.

4 And I want to mention Mark Flynn is
5 Director of our division of -- what do we call it now
6 -- it used to be -- it's on there but our
7 administrative activities. Mark is here.

8 So like I say, we appreciate these
9 opportunities to meet with you. Like I said earlier,
10 I think one of the things we want to continue our
11 coordination and cooperation. I think we want to keep
12 building on the progress we've made with the rolling
13 calendar, look at what we can do in terms of planning
14 consistent with the budget cycles, which means trying
15 to look out a few years.

16 We recognize that we need to build into
17 our schedule and into our budgeting interactions with
18 the Committee so that we make sure that we can give it
19 the right support. And try to identify our activities
20 as early as we can so that you can look at them and
21 identify your interest and coordinate those. So that
22 is one of the areas we will continue to focus on.

23 And, again, we appreciate your
24 independent, objective input to what we are doing. It
25 helps us to make a more robust program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I'll be happy to take any questions or
2 comments on what I said. And the plan, then, I think
3 we are going to start off -- are you going to go first
4 Gary? We'll start off with Gary and we will go
5 through a little summary of what is happening in each
6 of the divisions.

7 CHAIRMAN RYAN: Jack, thanks. I think we
8 will defer questions, if we may, until the end. Are
9 you going to be able to stay with us?

10 MR. STROSNIDER: Yes, I plan to stay.

11 CHAIRMAN RYAN: Okay. Great. But let me
12 add, we recognize that in this time of moving from one
13 building to another and reorganizing into two groups,
14 you really have a lot of just organizational work to
15 do. And I know that is always challenging.

16 But we still appreciate the fact that you
17 have come here today and we continue to work with
18 elements of the staff in the different technical
19 areas. And from our point of view, even though you
20 are busy with all these other reorganizational issues,
21 our agenda stays full. And we appreciate the ongoing
22 interaction as you have outlined it.

23 And we, too, think the rolling calendar is
24 a great focal point for all of us to sharpen our
25 thinking and plan our activities and interact with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you. So we appreciate that very much.

2 MR. STROSNIDER: Good. Okay. Thank you.
3 We will turn it over to Gary, then.

4 CHAIRMAN RYAN: For those speakers coming
5 up, if you would, just for our court reporter, if you
6 could say your name and affiliation, that would be
7 helpful as you come to the front.

8 MR. JANOSKO: Good morning.

9 CHAIRMAN RYAN: Welcome.

10 MR. JANOSKO: Can you hear me okay?

11 CHAIRMAN RYAN: Fine.

12 MR. JANOSKO: My name is Gary Janosko.
13 I'm the Deputy Director in Fuel Cycle Safety and
14 Safeguards, NMSS.

15 And on a personal note, I'll miss seeing
16 John in the Fitness Center although inevitably we seem
17 to choose lockers in the same part of the locker room
18 so I guess that means I'll have more room now so maybe
19 there is a good side to this.

20 The Division of Fuel Cycle Safety and
21 Safeguards has chosen three subject areas for which we
22 might be seeking your assistance over the near term.

23 The first is the Global Nuclear Energy
24 Partnership, otherwise known as GNEP. And actually on
25 your agenda tomorrow morning at 10:45, our folk who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide oversight in that area will be providing a
2 briefing, a very comprehensive briefing regarding our
3 conceptual approach to the licensing of GNEP. Of
4 course, at that time, you are welcome to ask any
5 questions you have regarding our thoughts in that
6 subject area.

7 The second area of the fuel cycle
8 identified, for which we might be seeking your
9 assistance, would be any advance technologies that
10 come to our attention as a part of our licensing and
11 inspection work. One right now on our radar screen is
12 something called SILEX. You may or may not know about
13 SILEX. I'll spend a few minutes talking about that.

14 SILEX is an acronym which stands for the
15 Separation of Isotopes by Laser Excitation. And as
16 the name implies, it is a laser-based enrichment
17 process.

18 Basically what we have right now regarding
19 SILEX is a letter of intent from the licensee, who is
20 Global Nuclear Fuels, located in Wilmington, North
21 Carolina. And that letter of intent maps out a
22 schedule for how they plan to implement this SILEX
23 process.

24 And the first part of that implementation
25 is a test loop facility that they plan to construct on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site. They will be submitting an amendment to their
2 current license for that facility. Sometime next
3 month is the current schedule. And then they plan to
4 build that test loop.

5 And based on a successful outcome of that
6 test loop, they will be submitting a license
7 application for a new enrichment facility sometime
8 during the first quarter of fiscal '08. So, again, if
9 all goes well, that is the current schedule mapped out
10 by the licensee.

11 We can't talk much about the process
12 itself because when you do, you kind of stray into
13 classified information pretty quickly, most of which
14 is secret, restricted data. So one of our challenges
15 actually in dealing with this technology is being able
16 to limit the dissemination of that information as much
17 as possible without, obviously -- but in the same vein
18 insuring that the people that need to know this
19 information have it available. But all the same, it
20 relies on the sensitivity with regard to this
21 information.

22 And the third and final subject area that
23 we have identified in fuel cycle is MOX. And that is
24 a familiar topic to the Committee here. I know that
25 we have briefed the Fuel Subcommittee of the ACRS on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the progress on MOX. And of which some of the ACNW
2 members have participated in those briefings.

3 Where we stand today on MOX is we are
4 proceeding with the acceptance review of the
5 application. And we plan to complete that review next
6 month. The original application has grown
7 significantly based on interactions with our staff and
8 the applicant.

9 The original application was deemed to be
10 insufficient and again, based on communications with
11 the licensee, they did provide a lot more information,
12 basically moving information from the ISA summary
13 document that accompanied the application into the
14 application itself to ensure that it complied with our
15 regulations. And as I say, we plan to complete that
16 acceptance review next month.

17 And unless you have any questions, that
18 completes my comments today.

19 CHAIRMAN RYAN: Okay. I think we will
20 hear everybody's presentations then maybe take some
21 questions at the end if that is okay.

22 CHAIRMAN RYAN: Thank you.

23 Lawrence?

24 MR. KOKAJKO: Okay. My name is Lawrence
25 Kokajko. I'm the relative new Division Director of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the High-Level Waste Repository Safety Program in
2 NMSS. And I appreciate the opportunity to be here
3 today.

4 Mike, thank you.

5 CHAIRMAN RYAN: Thank you.

6 MR. KOKAJKO: I, too, would like to wish
7 you well, John. You know we worked together in NRR
8 for a while many, many years ago. And I do recall
9 that fondly.

10 And welcome, Frank. We will --

11 MR. GILLESPIE: What have I done?

12 (Laughter.)

13 MR. WIDMAYER: This was just laughter.

14 CHAIRMAN RYAN: Let's keep a clean record
15 here so one at a time.

16 MR. JANOSKO: Maybe that should be
17 stricken from the record. I don't know.

18 CHAIRMAN RYAN: That's all right. That's
19 fine.

20 MR. JANOSKO: I think you have got an
21 exciting position and I welcome you to this program.

22 CHAIRMAN RYAN: And, I'm sorry, just,
23 Frank, as the new guy, when you talk, use the
24 microphone.

25 MR. JANOSKO: I said many years ago when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I had RTG, I think it was my first briefing of ACNW,
2 I said I thought I had the best job in the house.
3 Well, I was wrong then. I have it now.

4 I have always wanted to be involved in a
5 program of national significance. And I couldn't ask
6 for a better program to work in. Working with some
7 great regulators, some great scientific and
8 engineering staff members, and I do appreciate that.
9 And I'm hoping some of that comes through today in my
10 presentation.

11 I want to go to -- let's see, next --
12 introduction, okay. I'm going to go through these
13 pretty quickly and just to let you know a few things.
14 We do anticipate a license application for Yucca
15 Mountain June 30th, 2008.

16 And that is what Ward Sproat committed to
17 the Congress and the administration. And he has
18 energized the program is making some changes in it.
19 And I do believe he will be successful in doing so.

20 The Nevada Congressional delegation
21 remains opposed to this. And, of course, the new
22 Congress does add some uncertainty. But we will be
23 monitoring that and we will continue our technical
24 work to prepare for it. And I'll go into some details
25 later on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In doing so, we are augmenting our staff,
2 not only recruiting, training, and continuing training
3 of our staff, but we are also trying to get them in
4 other program areas to get licensing experience and
5 bringing it back as well.

6 Leadership in the division are examining
7 the resources, policies and procedures to make a
8 docketing decision, review the LA, reach decisions
9 about safety and regulatory compliance, and to defend
10 those decisions before the hearing board in the
11 allotted statutory time frame of three, maybe four
12 years. So we're working that now.

13 I think we are going to divide my
14 conversation up into preclosure and postclosure. In
15 preclosure, we have done multiple things in terms of
16 preparing for our review. Recently, and as you noted
17 in I think later this afternoon you are going to
18 discuss our first ISG on Review methodology for
19 Seismically Initiated Event Sequences. This was
20 issued in September of 2006.

21 We have three others that are all on the
22 drawing boards. PCSA, or Preclosure Safety Analysis
23 Level of Information and Reliability Estimation is due
24 out in March of next year. Also, PCSA-related Dose
25 Performance Objectives and Radiation Protection in May

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of 2007 is our estimate. And Human Reliability
2 estimated in July of 2007.

3 We've also started looking at operating
4 experience review, identifying operational data that
5 may have risk significant aspects that we anticipate
6 for the geologic repository operations area as defined
7 by DOE right now. And we are also, of course,
8 visiting various sites such as INEL, Savannah River,
9 Hanford, and other areas that may have similar
10 operations to what DOE is anticipating for the grow
11 up.

12 We are also doing an exercise regarding
13 identifying potential risk insights for our surface
14 facility and primarily given that DOE is proposing a
15 small pool operation for perhaps reloading certain
16 canisters, we are looking at spent fuel operations as
17 well.

18 We've had several interactions with DOE in
19 preclosure. One is information on PCSA. We did this
20 back in May of 2006. We presented our expectations
21 for level of information and reliability estimation.
22 And DOE presented its -- some information on its
23 program in relation to reliability safety basis as
24 well as information available at the license
25 application phase.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They have also committed to providing a
2 summary of their reliability assessment which they did
3 do. And I'm going to address that in a little bit.
4 We had a seismic meeting in June of `06. And, again,
5 we presented our key messages and they addressed them
6 in an open public meeting. And later we addressed a
7 PCSA in relation to aircraft hazards, preclosure
8 source terms, and consequences, reliability, human
9 reliability, license specifications and training, and
10 preclosure criticality.

11 DOE also addressed these topics but with
12 the exception of preclosure criticality, we had a good
13 exchange but they are not going to be ready in certain
14 areas and they, in fact, deferred that as well as
15 postclosure criticality for a future date.

16 DOE has recently submitted two technical
17 documents. One was on reliability methodology and
18 frequency analysis of aircraft hazards. We are going
19 to respond to those letters later this month.

20 Also, NRC is interested in a variety of
21 other technical exchanges related to their preclosure
22 safety analysis such as proposed design and
23 operations, hazard identification, event sequences,
24 identification of the important to safety structure
25 systems and components and source term and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequences.

2 I might also add that in relation to this,
3 we have been responding to a couple of letters from
4 the State of Nevada on the aging facility as an
5 integral aspect of disposal operations.

6 Post closure, internally we are looking at
7 doing a revision to our Total System Performance
8 Assessment code. Later this year, we hope to have
9 that done -- later in `07 we hope to have that done as
10 well as updating our users' guide in late `07 as well.

11 The technical work that supports the TPA
12 models and parameters are including waste package and
13 drip shield performance, drip degradation, unsaturated
14 and saturated zone flow and transport and consequence
15 of the disruptive events.

16 We have had two technical exchanges with
17 DOE on this. One was on their Critical Decision-1
18 process. This is their conceptual design
19 documentation to define how they are going to proceed
20 with both their engineering surface facilities as well
21 as their natural and engineered barriers in the
22 postclosure phase.

23 At this meeting, NRC provided our
24 expectations regarding -- and the regulatory framework
25 for the new Transportation, Aging, and Disposal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 canister. DOE just recently, last month, late last
2 month, issued their performance specs for the vendors
3 to begin to analyze their TAD specifications in terms
4 of the disposal operations.

5 And I might note that -- and Bill Brach
6 may go into a little bit more detail -- the Repository
7 Safety Program and the Spent Fuel Division as well
8 have defined a technical advisory group to discuss
9 items of mutual interest so that we can help
10 articulate the regulatory framework and evaluate it
11 appropriately in whatever framework it is in, whether
12 it is in transportation, interim storage at a reactor
13 site, or disposal operations.

14 We have requested a variety of additional
15 interactions to examine DOE's TSPA model, extractions,
16 and process models. We are waiting to hear from DOE
17 on that now.

18 As we identify issues, we are sending
19 information and letters to DOE. Most recently, we
20 sent one on capping seismic peak ground velocity for
21 low frequency events. And DOE is providing on an
22 irregular basis responses to our open KTI agreements.

23 A couple of other things I would like to
24 mention just very briefly. We are also continuing our
25 public outreach activities. We recently -- Jack --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Marty Virgilio, Jack Strosnider, Bill Brach, Janet
2 Kotra, and I all visited the State of Nevada and
3 visited also the Timbisha Shoshone Tribe as well as
4 Clark County and Nye County. And we are hoping to
5 have -- and, in fact, enhance our outreach efforts in
6 2007, including holding a licensee workshop in the
7 State of Nevada sometime next year.

8 EPA, as you know, has been tasked with
9 developing a new standard. They are still on track to
10 do so. And we, of course, will issue conforming
11 regulations afterwards, probably six to nine months
12 after that.

13 Igneous activity, I know you all have
14 expressed some interest in that. We are awaiting the
15 report from the ACNW. And we will, of course, review
16 that report as it reflects repository safety staff
17 work. And, of course, we are looking forward to
18 participating in the workshop with you in a manner
19 commensurate with our regulatory role.

20 And I think that is it. And if there are
21 any questions --

22 CHAIRMAN RYAN: After you all finish,
23 we'll open it up for all questions all around.

24 MR. BRACH: While we are pulling up our
25 slides, let me first introduce myself. I'm Bill

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Brach. I'm Director of the Spent Fuel Storage and
2 Transportation Division. And let me first apologize
3 if in my presentation I use the acronym SFPO or Spent
4 Fuel Project Office. If so, we've made the
5 transition. As Jack had noted, we used to be the
6 Spent Fuel Project Office. I will note that our roles
7 and responsibilities in that regard did not change in
8 the realignment/reorganization.

9 I, too, want to pass along congratulations
10 to John on his upcoming retirement. And thank you for
11 many years of service. I very much enjoyed working
12 with you over the years. And wish you well.

13 And to Frank Gillespie. Frank and I have
14 worked together and known each other for over 30 years
15 now. And so, Frank, I'm looking forward to re-
16 engaging in a different venue with you here.

17 Now in the overhead presentation -- in the
18 presentation, the very first overhead, I just want to
19 briefly note that our division's areas of
20 responsibilities, as Jack noted, we have
21 responsibility for licensing and certifying the
22 storage of spent fuel at reactor facilities or away
23 from reactor facilities.

24 We also are involved in the review
25 certification of our transportation packages. That is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both spent fuel packages as well as non-spent fuel.
2 And by non-spent fuel, I'm making reference to, for
3 example, fissile materials and by-product material
4 transportation packages.

5 We have a significant engagement with
6 state governments and other federal agencies, both
7 principally at Department of Transportation,
8 Department of Energy, as well as international
9 agencies such as the International Atomic Energy
10 Agency, the IEA Nuclear Energy Agency as well as
11 interface with Native American tribes. And Lawrence
12 just mentioned the engagement meetings last week with
13 state and tribal representatives that we participated
14 in.

15 And public outreach in the area of spent
16 fuel storage and transportation remains high. It has
17 been high. And that is a very active area as was just
18 noted.

19 Now we did brief the ACNW in May of this
20 year. I think we spent one to two hours giving a
21 fairly detailed overview of our office, our programs,
22 activities, casework, and regulatory technical issues
23 that we are addressing.

24 So this morning I just briefly
25 want to provide a very brief update and then move into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a couple technical topics that may be of interest to
2 the Advisory Committee.

3 I would note that since the May ACNW
4 briefing we have been engaged with the ACNW in support
5 first of our Office of Research in meeting with the
6 Advisory Committee on the Dry Cask Storage PRA.

7 And I thank the Committee for their
8 engagement and comments and feedback as well as
9 subsequent briefings on two tunnel fire studies that
10 we have carried out, the Baltimore Tunnel fire and the
11 Caldicott Tunnel, a real accident involving a fire and
12 a tunnel fire -- rail and road accidents involving
13 fires.

14 Now we looked at those -- again, for
15 everyone here, there was no radioactive material in
16 those accidents but we carried out and looked at
17 studies of what would have been or what would have
18 happened if radioactive material spent fuel had been
19 in those accidents. And again thanks to the Committee
20 for your review and comments in that regard.

21 Our workload in the spent Fuel Storage and
22 Transportation Division remains high with over 100
23 cases per year in both storage and transportation. We
24 conduct about 15 inspections each year. Our
25 inspections out of headquarters are focused primarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on designers and fabricators of storage and
2 transportation casks but we provide significant
3 support to the regional offices and their inspection
4 of storage facilities at the reactors or away from
5 reactor facilities. And as noted, our engagement in
6 public outreach continues to be high.

7 Now this morning I want to briefly cover
8 with you a few topics that I believe may be of
9 interest to the Advisory Committee as well as a couple
10 of others that are perhaps pending.

11 Moderator exclusion, I have a slide that
12 follows but moderator exclusion pertains to
13 transportation and how we have -- I'll say how we
14 internationally have addressed moderator exclusion.
15 What we mean by that is the design of packages to
16 allow moderator ingress.

17 And what we are looking at is taking into
18 account the advances in designs and materials as well
19 as, if you will, looking to risk inform our processes.
20 Should we relook at that question? And so moderator
21 exclusion with regard to transportation is topic that
22 we are looking at now. Here is a slide. I'll get
23 into a little bit more discussion in that regard.

24 Burnup credit is a topic that as long as
25 I have been in the spent fuel storage activities, has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a topic that we have been addressing. On the one
2 hand, I'm proud of the progress we've made over the
3 past few years. There is more to be made. And I will
4 be addressing what collaborative efforts we, NRC, and
5 other agencies have to address burnup credit. This
6 issue also is primarily focused in the transportation
7 arena.

8 The third topic deals with high burnup of
9 fuel. And as noted also, it is focused with regard to
10 transportation considerations. As power plants are
11 continuing to try to be more effective and more
12 efficient and get more utilization of their fuel,
13 extending outages, increased high burnup, increasing
14 the burnup of the fuel, that is raising questions to
15 us with regard to both storage and transportation,
16 most predominantly in the area of transportation.

17 In other words, as the fuel achieves higher
18 burnups, questions with regard to maintaining the
19 structural integrity, if you will, of the cladding of
20 the spent fuel and how that material under different
21 accident conditions and transportation would maintain
22 its geometry or if it were to change its geometry, how
23 it might change, and the analysis required there.

24 I have noted in the last bullet a few
25 topics. Lawrence had mentioned the Transportation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Aging, and Disposal Canister. I will discuss that a
2 little bit more briefly later. I would note
3 increasing complexity of reviews. I've mentioned
4 three topics but I'll just discuss again some of the
5 considerations and concerns as well as casework that
6 we are seeing today that, if you will, the margins or
7 the envelop is being pushed in some of the designs.

8 The last topic, there clearly are some
9 questions with regard to the national strategy on
10 spent fuel management and I will discuss that in a
11 brief overview.

12 Moving now to moderator exclusion, as I
13 noted, the current practice here in the U.S. and I'll
14 offer the current practice really internationally, is
15 in a transportation package review is to consider that
16 moderator gets inside into the inner container of the
17 package. That is water ingress into the package.

18 From a conservatism, from a safety
19 standpoint, from a perspective of -- irrespective of
20 how fuel might reconfigure if you are able to
21 demonstrate that the package maintains subcriticality
22 with a moderator, an optimum physical configuration,
23 from a safety standpoint, that is a very sound place
24 to be. So our looking at moderator exclusion is not
25 trying to, if you will, move from or walk away from a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safe, conservative regulatory position to take but we
2 also think we need to be looking at, from a risk
3 informed perspective, as well as how packages perform
4 under different accident conditions, the extent to
5 which packages can maintain their physical integrity,
6 their leak tightness, if you will, so that moderator
7 under different accident conditions could not or would
8 not ingress into the inner container.

9 This is an issue -- one, let me mention
10 the regulations do current allow -- and I'll say an
11 exception, a special case-by-case basis such a
12 consideration for moderator exclusion. But we are
13 looking at this or considering this in a broader
14 context rather on a case by case but should we, as a
15 regulatory agency, look in a broader context with
16 regard to allowing moderator exclusion under certain
17 conditions.

18 We are developing -- in the process of
19 developing a staff paper, an options paper, I'll refer
20 to it, that would look at various considerations that
21 would need to be considered if we were to be embarking
22 down this path. And one of the considerations we have
23 is that we feel very clearly if we were to embark down
24 this path -- and I'll offer this would be an agency-
25 commission level decision -- I'm talking now but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are looking at considering it, if you will, at the
2 staff level -- but one of the considerations if we
3 were to embark and go down this process, that we would
4 believe a rulemaking would be probably the path to be
5 taken, one that clearly would involve and engage all
6 of the stakeholders with regard to opportunity for
7 input and consideration as well as an ability and an
8 opportunity for us to share in a broad, open,
9 participatory process of some of the considerations,
10 some of our thinking, some of our technical
11 considerations.

12 I would note that this does have some
13 fairly clearly related considerations that would also
14 need to be addressed. The environmental impact
15 statement that was prepared for Part 71. Our
16 transportation regulation clearly is based on the
17 regulations that have moderator ingress. And so we
18 would have to reevaluate the extent to which the
19 environmental impact statement would need to be
20 revised to reflect a change as we are considering in
21 this regard.

22 I would note, too, that we need to be
23 looking at the safety -- what I'm referring to in the
24 overhead is the safety security interface. I can't go
25 into the details but from the standpoint of the safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements that irrespective of the accident
2 condition must demonstrate that the package maintains
3 subcriticality under all accident conditions is
4 irrespective of the initiating event for which --
5 under which water or moderator was allowed into the
6 package.

7 I can't go into the details but we clearly
8 would need to be looking at, from a safety/security
9 perspective, this consideration and how that would
10 need to be addressed in both safety as well as
11 security considerations.

12 As noted, we are in the process of
13 preparing the options paper, trying to, at the staff
14 level, walk through the various considerations,
15 technical issues that would need to be considered and
16 addressed. And I have also been informed by the
17 Advisory Committee staff that the ACNW is interested
18 in the area of moderator exclusion.

19 So I have noted on the overhead that we
20 are anticipating a -- I put in fiscal year `07,
21 thinking probably the February/March time frame. And
22 as Jack Strosnider, our Office Director, made
23 reference to the rolling calendar, we will keep in
24 touch with the Advisory Committee staff as appropriate
25 timing, as our thinking and development of the options

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper evolving to engage with the Advisory Committee
2 in this regard.

3 Moving now to burnup credit, as I've
4 noted, we have made progress, as noted in the first
5 bullet, first hashmark, we did issue interim staff
6 guidance. It has been about four years ago but we do
7 allow burnup credit for actinides in transportation
8 and storage.

9 I would offer that that is an allowance,
10 if you will, or a regulatory position on our part that
11 has not been practiced by the industry too extensively
12 at this point. We did earlier this year approve a --
13 this was a propriety package, a transportation package
14 that had very limited -- and I'll stress the very --
15 very limited fission product burnup credit as well as
16 actinide credit.

17 But I would note, and it noted in the
18 middle, the second hashmark, there is a collaborative
19 effort underway. It has been underway for a while but
20 I think we are making -- hopefully on the steps of
21 making progress in this regard, working with the
22 Department of Energy, EPRI, NRC's Office of Research
23 has the NRC lead although we are working very closely
24 with the Office of Research in this regard to develop
25 and obtain information that would allow us to consider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and, as appropriate, move into allowance of burnup
2 credit for fission products as it relates to storage
3 and transportation.

4 There is an effort underway right now to
5 acquire what might be currently available fission
6 product data and related type information available
7 internationally as well as looking at what additional
8 tests or experience may be needed to provide the
9 complete set of information that would be needed to
10 provide for if you have full burnup credit allowance
11 in storage and transportation.

12 And so this is an effort underway. I'm
13 always -- hopefully not the naive but the optimist
14 that we're on the steps of moving forward and looking
15 forward to obtaining the fission product data that is
16 currently available internationally in the near term
17 and hopefully it will provide us a basis for moving
18 forward with the -- I'll say next, revision three, to
19 our interim staff guidance on burnup credit.

20 And I'd offer, again, this may be an area
21 that the Advisory Committee may be interest in in
22 future engagements. I see Dr. Weiner is nodding her
23 head yes but we will engage with your Advisory
24 Committee staff as this evolves and we move forward.

25 The third topic I'd like to raise is with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regard to high burnup fuel. As I've noted, as power
2 plants are continuing to be more effective and
3 efficient and better utilization of fuel, that is
4 resulting in higher burnups of the fuel. And the
5 question that has raised is with regard to storage but
6 primarily in the area of transportation, is questions
7 with regard to what might be hydrating or other
8 phenomena, if you will, that is occurring with regard
9 to the cladding of the spent fuel.

10 And from the standpoint of under the
11 different transportation accident condition testing as
12 well as if they were involved in a real accident, how
13 would the integrity of that cladding withstand the
14 impacts of different accident conditions or the
15 accident situations or accident conditions with the
16 regulations, primarily looking at, if you will, from
17 the standpoint of impact tests.

18 And this is, as noted in the overhead, has
19 raised questions with regard to how much we know or
20 don't know about the ability of that material to
21 withstand -- or to maintain its integrity, withstand
22 the different accident condition tests.

23 I have noted under considerations this
24 issue is related to a topic I have discussed with
25 regard to burnup credit as well as moderator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exclusion. If under burnup credit we are able to
2 allow burnup credit for the spent fuel and if under
3 accident conditions there were to be some
4 recombination of the fuel under burnup credit, some of
5 the considerations with regard to maintaining
6 subcriticality we'd be able to demonstrate through
7 modeling and analysis.

8 Related to moderator exclusion, if
9 moderator is excluded from the package, then the
10 physical -- potentially physical reconfiguration of
11 the fuel inside the container would provide some
12 measures with regard to safety and analysis. It would
13 provide us a basis for perhaps moving forward.

14 I've noted in the third bullet other
15 considerations or additional like poison to the
16 package. I would note though that many of the package
17 designs today are optimizing how much fuel can be
18 placed into the canister so that if we are looking to
19 add additional poison or other materials, that would
20 then tend to reduce the available storage space.

21 Now there are a number of activities
22 underway both within the NRC and outside the NRC. I
23 have noted that there is a workshop coming up early
24 February -- I believe it is the last week of January,
25 early February in California. The focus of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 workshop is on hydrating of cladding. And gaining a
2 broader understanding.

3 I understand this will be both a national
4 and international participatory workshop. We will
5 have staff from our office involved as well. As well
6 as we have had numerous ongoing discussions with the
7 nuclear fuel vendors.

8 Often times when I refer to a vendor, I'm
9 making reference to a transportation package, cask, or
10 transportation cask designer. We have had ongoing
11 interactions with the fuel vendors, the global nuclear
12 fuels, the Westinghouse companies, for example, with
13 regard to information and activities they currently
14 have underway to develop a better, improved
15 understanding of the fuel -- of high burnup fuel and
16 the integrity of the cladding materials.

17 The third bullet makes reference to a
18 collaborative effort also the Department of Energy,
19 NRC, and EPRI have had underway to address and gain a
20 better, improved understanding of high burnup fuels.
21 And again I'd offer this is an area as the Advisory
22 Committee is interested, we will keep the Advisory
23 Committee staff informed of progress and opportunities
24 for engagement as the Committee may wish.

25 The last slide I have identified a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas. The first is the Transportation, Aging, and
2 Disposal Canister. Lawrence had noted the Department
3 of Energy, as part of their repository design, has
4 developed and made available the performance
5 specifications. I believe they are called the
6 preliminary performance specifications for the TAD
7 canister.

8 This is an area, as Lawrence noted, that
9 the TAD canister transportation, if you will, would be
10 under Part 71. Aging is considered part of the
11 inherent activity at the repository. Disposal, of
12 course, at the repository as well. But the Department
13 of Energy has asked that these packages also be
14 evaluated under Part 72 for temporary storage, for
15 example, at a power reactor facility. So that would
16 be storage at the power reactor facility or another
17 interim facility as it is, if you will, incidental to
18 its eventual journey to the repository.

19 Our two divisions are working very closely
20 together to be sure that we are integrating amongst
21 our technical staff these technical-type issues that
22 we are raising whether it be a Part 63 disposal-
23 related or aging-related question or issue or a
24 transportation, Part 71, storage, Part 72 issue to be
25 sure that we are fairly integrating and collaborating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amongst our staffs so that hopefully folks on the
2 outside of the NRC would see that we are one agency.
3 We may be addressing a Part 71 or a Part 63 issue but
4 we are one agency collaborating amongst ourselves with
5 regard to issues and considerations involving the TAD
6 canister design.

7 The second area I have identified -- now
8 I have mentioned moderator exclusion, burnup credit,
9 as well as high burnup fuel, and my second note is
10 increasing complexity of our casework.

11 The vendors, over the past few years,
12 clearly are looking to optimize their designs, if you
13 will, reduce their margins, increase the capacity
14 whether it be for storage or transportation and that
15 is with regard to our technical staff has, if you
16 will, quite a significant challenge with regard to the
17 types of reviews, the levels of reviews, some of the
18 margins that we felt comfortable with before that
19 might allow a less -- a more scoping type review as
20 opposed to a more detailed review.

21 Those times are changing. And so these
22 are areas that as certain cases come along that might
23 be of a nature that might be appropriate for Advisory
24 Committee engagement or information, again, this is an
25 area that I will identify to the Advisory Committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We may engage at the Committee's interest.

2 The last topic -- and actually I have to
3 admit when I was preparing the overheads, this was
4 before the Congress had closed but I think all of you
5 are aware that the national strategy with regard to
6 spent fuel management and now I'm looking at it from
7 the standpoint of some of the Congressional proposals
8 that have been proposed in the last Congress with
9 regard to interim storage facilities.

10 There was one proposal of having
11 facilities in each of the states, maybe a regional --
12 a statewide facility in each of the states where spent
13 fuel was generated. That was under consideration of
14 having a SPISB at the Yucca Mountain repository
15 location and other considerations. I have this on
16 here.

17 There has been quite a bit of continuing
18 debate and discussion at the national level with
19 regard to the overall management programs and
20 strategies for spent fuel. And this is one that we
21 are trying to watch very closely.

22 Gary Janosko made reference as well to the
23 Global Nuclear Energy Partnership. And it, too, has
24 potential ramifications that might influence our
25 office with regard to whether it be recycling or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reprocessing and the increasing transportation of
2 spent fuel as well as other fuels that might be
3 supportive of some of the advanced reactor concepts in
4 the GNEP program.

5 Those are aspects that would impinge and
6 impact our office as well as well to the extent there
7 is reprocessing or recycling may change the profile of
8 spent fuel that might eventually be in the TAD
9 canisters.

10 So I would note that those are areas that
11 are downstream. We are trying to keep our eyes open
12 and maintain awareness of what might be evolving
13 programs in that regard that might have a direct
14 influence not only on Spent Fuel, Storage and
15 Transportation Division but other parts of NMSS.

16 And that completes my planned remarks. I
17 guess at this point Jack, I believe, has a few closing
18 comments he would like to make.

19 MR. STROSNIDER: Okay.

20 MR. BRACH: Thank you.

21 MR. STROSNIDER: Thank you. That was sort
22 of a whirlwind tour of what is going on in the office.
23 One of the things, as I mentioned earlier, I think we
24 have all the right pieces to deal with fuel cycle
25 safety in the office. And one of the key things I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hope we will be able to accomplish is the good sort of
2 cooperation, coordination of our activities as Bill
3 and others talked about because there is a real nexus
4 between all these pieces.

5 Sam Jones is handing out a brochure on the
6 Office of Nuclear Material Safety and Safeguards. It
7 gives a brief summary of the responsibilities of each
8 division within the office. And it also has the
9 organizational chart with the managers pictures on
10 there so you can put some faces with the names.

11 I did just want to call to your attention
12 on that vision statement on the front of it. And a
13 part of that I wanted to focus on was our goal to be
14 a world class high performing organization. And as I
15 said in my opening remarks, we really appreciate the
16 expertise that this group brings and the independent
17 observations and input that you provide on our
18 programs because that helps us achieve that world
19 class status that we want to be as an office.

20 So with that, thank you very much. And I
21 guess we will -- I'll stay here so I can direct the
22 questions to the right person.

23 CHAIRMAN RYAN: If you fellows want to
24 come up and just at the front table, that would be all
25 right, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STROSNIDER: Okay. Let's get a couple
2 of chairs.

3 CHAIRMAN RYAN: Sure. We will get a
4 couple of chairs and take a minute. And while we are
5 getting that organized, Jack, let me second your
6 thoughts that our collaboration with you helps us meet
7 our goal which is to provide the Commission advice on
8 topics of significance and interest to them in
9 accordance with our action plan and our annual plan
10 and our charter as well. So we appreciate that
11 cooperation.

12 I'd be remiss if I didn't recognize Sam
13 Jones who is our point of contact. He is the one that
14 carries messages to and from and does it very well.
15 And we really appreciate his continued interest in our
16 work and our work together.

17 MR. STROSNIDER: If I could, before we
18 start the questions and answers, I wonder if we could
19 get the projector turned off.

20 CHAIRMAN RYAN: Yes, that would be great.
21 We can do that.

22 MR. STROSNIDER: Unless that is a new
23 technique.

24 CHAIRMAN RYAN: If I may, just let me
25 start I think with Lawrence Kokajko and the High-Level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Waste Program. Lawrence, welcome to your new
2 assignment. It is a challenging job and it is of
3 national importance. And I'm glad you embrace it.

4 We have been thinking, of course, as we
5 read the announcements from DOE on 2008 and the
6 license application coming in, you might recall we
7 were kind of geared up when the decision was made to
8 change the standard. And we are working toward a date
9 there as well. I think we are getting back into the
10 mode.

11 And as we think about that, and how we are
12 preparing ourselves and trying to advise the
13 Commission and certainly interact with you and DOE and
14 others, we're trying to focus on the risk significant
15 things.

16 So let me just leave that thought with you
17 to say what, from your view, will be the risk
18 significant issues where we can provide the best
19 counsel and advice and interaction with you that helps
20 us to do a better job of advising the Commission? I
21 think you have touched on a couple of the igneous
22 activities. Seismic issues are a couple.

23 But I just want to share with you our
24 focus is to expend our time and resources on those
25 things that are risk significant where we can add

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valuable commentary to the dialog as we move ahead.

2 We have also -- we are thinking about how
3 we will interact with DOE and what briefings we might
4 get from them. And certainly we want to stay
5 cognizant of the activities and exchanges that you are
6 having with the idea that we don't want to duplicate
7 effort.

8 If you are attending a briefing and we can
9 gain from that, we hope to stay in touch so we can
10 learn those schedules and participate in a meaningful
11 way. And vice versa. If we're going to have
12 briefings, we will obviously keep you up to date so
13 you and your staff can certainly benefit from any
14 information that we gather in our forum here.

15 So I that is something I know we are both
16 interested in being as efficient and economical as we
17 can and getting our work done.

18 MR. KOKAJKO: I appreciate that. I agree
19 with you. I know you all are on track to continue to
20 deal with the igneous activity area. We, of course,
21 are hoping to have a technical exchange with DOE in
22 January or February on the TAD specs. And, of course,
23 Bill Brach will be involved in that one as well. And
24 clearly, you know, your participation and attendance
25 would be most welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You mentioned seismic, peak seismic ground
2 velocity is an item that I think might be useful for
3 you to become involved in. And you can start by
4 looking at our letter last September. That could be
5 very helpful.

6 And, of course, our ISG reviews as well.
7 I know you are going to get a perhaps an opposing
8 viewpoint this afternoon on our ISG1, on Seismic, but
9 I think it is -- I think it would be helpful to have
10 you take a look at, you know, the work that we are
11 doing and how we are preparing to review the license
12 application since this essentially supplements the
13 Yucca Mountain review plan.

14 An area that I think we perhaps can talk
15 more about later is a topic that is being discussed
16 internally is on drift degradation. And I think that
17 perhaps a future workshop under the auspices of the
18 ACNW would probably be a good idea and I'd like to,
19 you know, work with you to see how best we can do
20 that.

21 CHAIRMAN RYAN: Sounds great. And again
22 we will work to get all that on our rolling calendar
23 so it is timely, efficient, effective, and uses our
24 resources to the best possible advantage. So well
25 said, right? So we appreciate that. And I'm sure we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will have a good dialog as we move forward.

2 Let me turn to the other members of the
3 Committee. Jim, you want to start with any questions
4 for anybody?

5 MEMBER CLARKE: Just a couple questions.
6 Lawrence, you mentioned that the EPA is on track with
7 issuing the standard, which will be a final standard.
8 That's right?

9 MR. KOKAJKO: Correct.

10 MEMBER CLARKE: And is that for `07? When
11 is that scheduled?

12 MR. KOKAJKO: I think they are trying to
13 get something published before the end of this month.

14 MEMBER CLARKE: Before the end of this
15 month? Okay.

16 And I had a question for Bill. You
17 mentioned both GNEP and TAD. The specifications for
18 the TAD, I believe, came out last week or very
19 recently. Is it too soon to have an estimate of when
20 they might be available?

21 MR. BRACH: Well, no, it is not too
22 inappropriate to ask the question. I have a similar
23 question but from the standpoint I was asking DOE just
24 last week, we had a quarterly management meeting with
25 them, and I asked them the question from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standpoint of when we, the NRC, may be expecting
2 applications from vendors coming to us.

3 The comment was that the -- the response
4 was that they expected that the applications would be
5 in to us at least by June of 2008, matching, if you
6 will, with the date for the repository application.
7 But they noted it may be in advance of that date,
8 recognizing that the Department of Energy is planning,
9 if you will, in the marketplace to, if you will,
10 compete the various cask designers with regard to
11 having multiple cast vendors designing tab
12 specifications. And recognizing that that is a fairly
13 competitive market today and I would envision it to be
14 a competitive market in the future.

15 That June 2008 is probably the outside
16 date with a date between -- oh, well, heck, I can't
17 say between today and then but in the -- probably
18 somewhere in advance of June 2008 I would anticipate
19 applications.

20 Now that is coming in to us. Typically a
21 review on our part takes about a year for
22 transportation, about roughly two years for storage,
23 that includes the rulemaking time frame for the Part
24 72 rulemaking to proceed as well.

25 So from the standpoint of applications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into us, if it is June 2008, taking that as the
2 outside date and one to two years after that for the
3 completion of the technical reviews, assuming that the
4 completion is an issuance of a certificate. And then
5 deployment would be within a year or so after that.

6 It takes a period of time for cask
7 development and then deployment. So it is still a few
8 years away which would also then mean that the current
9 dry cask storage systems that are being used today
10 will be in use for the next few years anyway.

11 MEMBER CLARKE: Okay. Thank you.

12 The other question is -- just so I
13 understand the TAD, the TAD is the final container for
14 the spent fuel and will go directly into the
15 repository. In other words, it will not be reopened
16 once it is loaded.

17 How does that -- or has any thought been
18 given to how that coordinates with GNEP or spent fuel,
19 ISK, to be used in a reprocessing, recycle --

20 MR. BRACH: I'm really not in a position
21 to answer that.

22 MEMBER CLARKE: I know.

23 MR. BRACH: At the end of the
24 presentation, I was trying to make reference to a
25 number of initiatives and considerations that we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to maintain cognizance of. But personally with
2 regard to --

3 MEMBER CLARKE: I know these are DOE
4 decisions but I just thought I'd ask.

5 MR. STROSNIDER: I can only give a very
6 general answer and again I would reemphasize the focus
7 of this office now where the lead for GNEP activities
8 is in Fuel Cycle Safety and Safeguards.

9 But we recognize very clearly that
10 depending what would happen in either reprocessing or
11 recycling or the different methods that that could
12 impact the waste form that would go into storage and
13 transportation. And ultimately into the mountain.

14 And so I think, as I said earlier, we have
15 the right groups to be prepared for that. We are
16 looking at our regulatory infrastructure in terms of
17 what would we need to do to address the potential
18 scenarios that could come out of that. But, of
19 course, it is a national policy level decision which
20 will depend on some Congressional decisions and those
21 sort of things.

22 But part of the reason for putting this
23 office together was to be ready to address that. But
24 I realize that is a pretty general answer but just as
25 Bill said, we are watching as close as we can and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to anticipate what we will need to do to fulfil
2 our role.

3 MEMBER CLARKE: If I have just add to that
4 question, I'm trying to study the chart here a little
5 bit and understand where the uranium in situ leach
6 mining activity is. It is not specifically
7 identified.

8 MR. STROSNIDER: I may have gone over that
9 a little too quickly but that was actually transferred
10 to the new office that is in the Division of Waste
11 Management and Environmental Protection. Okay. Larry
12 Camper is sitting back there.

13 MEMBER CLARKE: Okay. That's great. I
14 just wanted to make sure I was clear on that part.

15 MR. STROSNIDER: The rationale for that
16 was the recognition of the close interactions of state
17 involvement in a lot of those environmental activities
18 that are associated with that. And so we felt it was
19 good to have it in that office.

20 And, of course, it had been there
21 historically. It has been back and forth. But it is
22 back there again.

23 MEMBER CLARKE: Well, I think from the
24 meeting we had yesterday in briefing the Commission,
25 it was clear from Larry's comments -- I don't want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steal your thunder but with the groundwater protection
2 being the key issue between two agencies, that made a
3 lot of sense because it is similar to what they deal
4 with in other areas.

5 All right, thanks.

6 MR. STROSNIDER: I just want to make that
7 clear.

8 MEMBER CLARKE: Okay. Thank you, Jack,
9 that was a fine answer to the question.

10 MEMBER WEINER: I would like to follow up
11 on some of the questions that were asked of Bill Brach
12 naturally. How are you addressing the question that
13 the utilities have raised of fuel that is already
14 canistered in various canister designs sitting in
15 storage, dry storage?

16 MR. BRACH: Are you making reference to
17 the transportability of the --

18 MEMBER WEINER: Yeah.

19 MR. BRACH: Right. When dry cast storage
20 first was put into practice, all of the dry cask
21 storage systems were, we call them single purpose but
22 storage only. There are -- and there are a number of
23 casks that are currently deployed at plants across the
24 country in storage only casks. In the last couple of
25 years we've had a number of I'll say preapplication

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meetings with vendors of some of these storage only
2 casks designs as they're looking at ways that they can
3 design and submit to us and application for a
4 transportation overpack the would allow the
5 transportation of those packages without having to
6 reopen and repackage, if you will, the inner contents.

7 We had not -- none of those have come to
8 completion or issuance, if you will, where we have
9 concluded or issued a certificate but we've had quite
10 a few pre-application meetings engagement with vendors
11 with regard to looking at how a -- on their part, how
12 they can design a transportation overpack to transport
13 those packages without having to reopen them.

14 MEMBER WEINER: So the overpack would then
15 have to meet the cask -- Type B cask standards.

16 MR. BRACH: Yes, it would, yes, the entire
17 package, the contents as well as the overpack and
18 packovers would all have to meet the Part 71
19 transportation --

20 MEMBER WEINER: Well, I'm really glad that
21 question is being addressed because that comes up
22 quite frequently. Have you -- I know that you all
23 have -- that DOE has transferred a triga fuel which
24 hydrites. Have you looked at the condition of that
25 fuel after transportation? Are you taking any looks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at how that would effect any potential accident
2 scenarios?

3 MR. BRACH: Personally, I may have to
4 refer to technical staff who may be a little closer to
5 this than I am. Clearly transport triga fuel has
6 occurred for a number of years. Now, with regard to
7 examination of the fuel condition after transport, I'd
8 have to look to staff to see do we have any
9 information on that, Ed, or -- are you familiar, Ed?

10 AUDIENCE MEMBER: No.

11 MR. BRACH: That may be a question I need
12 to follow up with John or Frank. I don't have --
13 personally, I don't have that information, but let me
14 see what we can do.

15 MEMBER WEINER: Yeah. It was just a
16 general question because this, it seems to me would be
17 a source for lessons learned on transportation, the
18 fuel with hydrites. Do you anticipate any changes in
19 cask design as a result of transporting high burn-up
20 fuel, because you're going to have some thermal
21 stresses that you didn't have before?

22 MR. BRACH: Well, it's probably a little
23 early to tell. First, frankly, I'd be looking to the
24 vendors to in making that analysis, their proposal.
25 I really would wait to see what the vendors are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposing with regard to -- again, I identified a
2 moderator exclusion and burn-up credit are two aspects
3 that may help address the transport of high burn-up
4 fuel where the issue of high burn-up fuel would be.
5 Potentially reconfiguration of the fuel under accident
6 -- in an accident or under accident conditions. But
7 with regard to any materials or other design aspects,
8 personally, I'm not aware of any but I would look to
9 the vendors, if there's a need to be, what they would
10 be proposing.

11 MEMBER WEINER: A question for Mr.
12 Kokajko. We've heard off and on that technical
13 exchanges with DOE won't continue, are going to be
14 limited and you talked about continuing technical
15 exchanges. What's the status of those?

16 MR. KOKAJKO: I believe we will continue
17 the technical exchanges. In fact, we believe we have
18 a commitment from Morris Rhoat (phonetic) that he wants
19 to see these exchanges continue. However, you know,
20 DOE as they're preparing their LA is working on a
21 schedule that clearly is going to be pretty intense
22 right now. And that what we need to do is somehow get
23 involved with their schedule to say, "Hey, we want to
24 have, you know, some moments where we can have these
25 technical exchanges", and as they develop their work,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we will then offer the opportunity to have technical
2 exchange on those sets of topics.

3 That has not been worked out yet. They're
4 just recently they're coming up with a strategy to
5 finalize their LA and until that happens, you know, we
6 can't do it. Now, we are planning, you know,
7 hopefully a technical exchange on PAD in February and
8 I understand by that time they may have a little more
9 certainty as to when their products are going to be
10 ready and then we can follow on with the tech
11 exchanges. Our goal is to have then as early as
12 possible. Theirs, of course, is to get their LA in.
13 So we've got to figure out some mutually agreeable way
14 of getting the information. But Morris Rhoat has
15 indicated and Paul Bauman (phonetic) at the quarterly
16 meeting, that he's interested in doing this and so
17 we're going to continue them.

18 MEMBER WEINER: Thanks. I'd like to close
19 by commending Jack Strosnider for the statement that
20 you're going to include ACNW in your planning. I know
21 that that was a question that came up some years ago
22 and we were hoping that that would happen, so that's
23 great. Thank you.

24 CHAIRMAN RYAN: If I could just, Gary,
25 let's talk for a second about GNEP. I mean, we heard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a few briefings just kind of scratching the surface a
2 bit. And one of the thoughts that caught my attention
3 and I think caught the committee's attention was a
4 slide where it showed what wastes are going to be
5 generated. Uranium oxide was listed as a Class C
6 waste. I said, how did it get to Class C? This was
7 a DOE presentation. And they said, well, there's some
8 TRU in it. And I said, how much. Well, we don't
9 know yet. Well, it could be Class C grade or Class C
10 TRU or high level waste based on how much. So it
11 raised the question in my mind that from our
12 perspective, what goes where, the devil of the details
13 of what goes where is really a big part of thinking of
14 GNEP from a waste perspective.

15 You know, how much will be low level
16 waste, how much will be high level waste? And even,
17 is there any rationale for thinking about an
18 intermediate level waste category. I take note that
19 a lot of the countries of the world that have
20 reprocessing have an intermediate level waste category
21 for lots of reasons that you know, may be fully
22 appropriate or not appropriate in our case. I don't
23 know. So you know, other than the facilities
24 themselves, whether it's the advanced reactor or the
25 reprocessing facility, which obviously are very big

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 challenges in complex facilities that need lots of
2 technical attention in their licensing.

3 How about the waste side, are you thinking
4 in that area as well or is that something that we
5 should think more about or -- that's a big question.
6 I'm sorry to just kind of overload you but I didn't
7 want you to go away empty handed.

8 (Laughter)

9 MR. JANOSKO: My feelings weren't hurt up
10 to this point. Dr. Ryan, actually, I'll have to defer
11 to our GNEP experts who will be here tomorrow morning.

12 CHAIRMAN RYAN: And that's fine. I just
13 wanted to tell you we're thinking about that, and
14 that's --

15 MR. STROSNIDER: I'd offer a simple answer
16 to your big question, though, yes. I mean, we agree
17 that is an issue that we need to understand and we
18 need to follow. And again, depending upon how GNEP
19 evolves and which processes are decided on and what
20 comes out, we'll have coordinate closely with our
21 counterparts in FSME with regard to the various levels
22 of --

23 CHAIRMAN RYAN: That's really kind of why
24 I asked the question, with all of our folks here in
25 the audience is that is obviously a point of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coordination.

2 MR. STROSNIDER: And I see Larry's head
3 going, yes, yes, yes. So I think we're all in
4 agreement.

5 CHAIRMAN RYAN: And I think that's an
6 area, you know, as GNEP evolves a bit, that's an area
7 where the committee certainly will be taking some
8 interest. Thanks. Allen.

9 VICE CHAIRMAN CROFF: I'll defer my GNEP
10 questions until tomorrow. I think that we'll have an
11 intensive discussion. On SILEX and noting there may
12 be sensitivities and if so, say it but do you have
13 any sense whether SILEX raises any unique technical
14 issues you might not see in gaseous diffusion or
15 centrifuge?

16 MR. JANOSKO: Absolutely, and you're
17 right, the details of that would be considered
18 classified information but there definitely are
19 considerations in that regard, proliferation
20 considerations that we need to be very careful when
21 dealing with that information. As I mentioned, a lot
22 of the information dealing with the process itself
23 basically slides into sensitive restricted data
24 category, so it would be very difficult to discuss
25 much about the process itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Okay, I'm going to
2 suggest to the committee, you know, I'd be interested
3 in getting a briefing on SILEX. I have no real sense
4 of what it is, if you will, equipment-wise and I don't
5 know if the rest of the committee is interested. It
6 would have to be obviously, a closed briefing or if
7 the committee is not, you know, I can come in for a
8 one-on-one at some point but I --

9 CHAIRMAN RYAN: Let's leave that open and
10 we'll think about it and talk about it some more, but
11 yeah, that's an idea.

12 VICE CHAIRMAN CROFF: Talk about it a
13 little, at least an educational thing just to
14 understand what it is, because I just don't have a
15 feel.

16 MR. JANOSKO: I have a very short list in
17 front of me of unclassified information. It will take
18 me 10 seconds to read it, so let me do that.

19 VICE CHAIRMAN CROFF: Okay.

20 MR. JANOSKO: Basically SILEX will enrich
21 uranium up to five percent enrichment, utilizes UF6 in
22 gas form and multiple machines will be required in
23 various test cases. Beyond that, anything additional
24 details basically --

25 (Laughter)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JANOSKO: We briefed the commission on
2 this topic and had to be very careful about what it is
3 we said and we had to limit it basically to that
4 description. And aside from that, it does stray into
5 classified space. So appreciate it, please, we'll be
6 in touch.

7 CHAIRMAN RYAN: We'll follow up, okay,
8 great.

9 VICE CHAIRMAN CROFF: Okay, on the MOX
10 plant, the ACRS has had the lead in general on it but
11 we've been involved in it and got well at least
12 previously tried to bore in a little bit on the waste
13 management aspects. And at the time we did it, this
14 goes back at least a year, there wasn't much detail in
15 the then available documentation. I'm assuming the LA
16 will have a lot of detail on this. Do you have any
17 insights as to where they stand on managing their
18 waste to -- as I recall it previously, the -- was it
19 Duke, whoever is building this plant, basically said
20 they were going to throw the waste over the wall to
21 Savannah River site.

22 People in DOE, some elements of them said,
23 "Well, oh, no, you're not", and that's sort of where
24 it stood at the time. Do you have any sense of where
25 they're going on their waste management at this point?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JANOSKO: I'm going to refer you
2 question to a staff member in the audience, Bill
3 Trekofski, who is Mr. MOX and allow me to ask Bill
4 that question.

5 MR. TREKOFSKI: There has not been a lot
6 of changes. It's still been a somewhat fluid
7 situation with DOE there as far as what they've gotten
8 in the license application with our doing the
9 acceptance review and we'd be pleased to get with the
10 ACNW staff and update on them and have them forward
11 that to you.

12 VICE CHAIRMAN CROFF: I think we'd still
13 be interested in it. Whether we do it in an ACNW
14 meeting or as a part of a briefing for the ACRS that
15 we would attend, we'll have to sort that out. That's
16 the way we did it before. It was an ACRS meeting.
17 But our, you know, assuming that they can get it over
18 the wall, meaning DOE will take it, our interest at
19 the time is making sure they had safe shutdown
20 capability. In other words, if they shut down and
21 they couldn't get the waste over the wall for whatever
22 reason, that they could handle it you know, for some
23 realistic amount of time and not get into trouble. So
24 I think --

25 CHAIRMAN RYAN: Yeah, I think we actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 focused on maybe even three time horizons of, you
2 know, this week, you know, this six months or five
3 years from now. I mean, there's three different time
4 horizons to think about of short, intermediate and
5 long on the safety questions.

6 VICE CHAIRMAN CROFF: Okay, but if you're
7 briefing the ACRS on this thing at some point in the
8 future, I think maybe getting the staff in the loop
9 and getting some people up here we may be able to
10 handle that way.

11 MR. JANOSKO: Certainly.

12 VICE CHAIRMAN CROFF: Okay. Thanks.

13 CHAIRMAN RYAN: Mr. Hinze?

14 MEMBER HINZE: Thank you, Mike. My
15 comments are directed primarily to you, Lawrence, and
16 certainly I was extremely pleased to hear that you and
17 your staff are going to participate in our working
18 group meeting in February on igneous activity. It's
19 very important to us that we do have a rather thorough
20 review by your staff of the positions that we have
21 stated that the NRC has taken with regard to the
22 various elements of the igneous activity problem, and
23 we look forward to your comments on the scientific
24 aspects as well as the regulatory aspects of that.

25 And I'm sure we'll end up with a much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better document. Mike has commented about the risk
2 significance of what we are doing and what we are all
3 doing. Some years ago, a couple of years ago, your
4 staff prepared a report on risk insights from the old
5 TPA. I'm wondering if the new TPA is leading to any
6 variation in their risk insights to the problems of
7 Yucca Mountain. Do you have any insight into what the
8 new TPA is doing in regard to the risk significance?

9 MR. KOKAJKO: It would be premature for me
10 to comment on that at this time, primarily because the
11 revised code is in development and until that time is
12 over, we really don't have any -- there are no further
13 risk insights at this time but if that does happen, we
14 certainly will.

15 MEMBER HINZE: Right, that's terribly
16 important that we keep up with where you are in terms
17 of that.

18 MR. KOKAJKO: I recognize that.

19 MEMBER HINZE: Perhaps I missed it, but
20 when do you anticipate that being completed and will
21 we be briefed on that?

22 MR. KOKAJKO: We can brief you on that,
23 but it won't be ready until toward the end of 2007.

24 MEMBER HINZE: The end of 2007. As you
25 mentioned we are going to be hearing later today about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the response of NEI and EPRI to one of your interim
2 staff guidances that relates to the Yucca Mountain
3 Review Plan. I'm wondering and I don't want to get
4 ahead of their presentation, but I think there is some
5 concern being raised about the role of interim staff
6 guidance and how it fits into the overall review of
7 the license. Can we anticipate further interim staff
8 guidance reports coming in?

9 You've mentioned four of them and could
10 you give us a bit of philosophy of the management here
11 in terms of the use of the staff guidance? Can we
12 anticipate that there will be a change of the Yucca
13 Mountain -- a revision of the Yucca Mountain Review
14 Plan eventually incorporating these or where are we
15 headed with that?

16 MR. KOKAJKO: I don't also want to speak
17 for Bill Broad or Jack but I'll try for just a moment
18 and let you guys chime in. First of all, interim
19 staff guidance as a term of art, was adopted in the
20 Spent Fuel Project Office back a number of years ago
21 and that was a process by which the staff had met some
22 what seemed to be some intractable problems and we --
23 and that the Standard Review Plans did not address and
24 I think all the Standard Review Plans at the time in
25 SFPO were still in draft, I believe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so these were concerns and problems
2 that we needed to move forward on. And so the first
3 six, I believe, in SFPO were generated to get over
4 those issues. I was there at the time and so I had
5 some experience in what they were dealing with and
6 that helped move some of the licensing reviews along.
7 Similarly, in the Yucca Mountain Review Plan, we have
8 some areas that the guidance was not as clear or
9 precise or perhaps needing clarification such that we
10 anticipated there being a problem in an application of
11 the Yucca Mountain Review Plan and in this case,
12 seismic event sequences was one such topic.

13 And it is still guidance to staff. We can
14 do any number of approaches as to how they want to
15 address regulatory compliance. But this is our view
16 of how a certain process could be followed for us to
17 confirm and ultimately make a regulatory decision on
18 whatever DOE submits. In terms of a revise in the
19 Yucca Mountain Review Plan, I don't think -- I don't
20 think, but I have not made any judgment that we will
21 revise the Yucca Mountain Review Plan. We're talking
22 essentially if the LA comes in on June 30th, 2008,
23 roughly 18 months from now, and I would rather be
24 using my time to prepare and supplement the review
25 plan as needed rather than trying to spend the time to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go through a formal process of revising the whole
2 review plan.

3 I think that it's just not a good way of
4 utilizing limited resources. Now we did meet with NEI
5 and EPRI before we issued ISG-1 and the Repository
6 Safety Program and we heard what they said and we went
7 ahead and issued it anyway. I will tell you NEI and
8 EPRI's concern is broader than just the Repository
9 Program. I think they view this as applicable to
10 whatever NRR is doing, the SFST, I used the acronym
11 right, didn't I. So I think their issue is broader
12 than just limited to repository operations.

13 MEMBER HINZE: Right. The term de facto
14 regulation is one that we hear in regard to the --

15 MR. KOKAJKO: Yeah, I don't buy that. I
16 think -- I don't buy that at all. I think that it was
17 meant to provide guidance to staff to try to deal with
18 very difficult problems that needed to be addressed
19 and you know, no one has said that the staff is really
20 wrong. I mean, I think -- and again, so I'm looking
21 at aid to the staff and that's been my prime concern
22 all along.

23 MEMBER HINZE: If I may, Laurence, are
24 there any reports come of the center or out of your
25 staff that are on the horizon that you can see that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be interested in and are important to the high
2 level waste program?

3 MR. KOKAJKO: I mentioned one after Mike
4 Ryan's earlier opening remarks during the questioning
5 period. There's one on drift degradation that's
6 coming out. I clearly would like you to take a look
7 at it and you know, and as I said, I would hope that
8 you may consider a workshop on that so we can get some
9 other eyes on it and maybe some other people from
10 outside to take a look at what we're doing and I think
11 that would be of interest to you as well as interest
12 to us, so I'm looking forward to that.

13 There are some other variety of things
14 that could be coming out soon, but I'd have to go get
15 a listing and get it back to you somehow. I -- my
16 brain is older now than it was before, so I don't
17 remember the --

18 MEMBER HINZE: We've been looking forward
19 to the airborne remobilization report. Is that on the
20 immediate horizon?

21 MR. KOKAJKO: I couldn't tell you offhand.
22 I don't see anyone back in the audience that could
23 answer that but I can follow-up on that.

24 CHAIRMAN RYAN: Well, maybe we could take
25 the action that we'll communicate with Laurence, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, after the meeting and understand any other items
2 that might be coming along and we can follow up.

3 MEMBER HINZE: As we prepare the Igneous
4 Activity White Paper, there is obviously a hole there
5 in the airborne remobilization and it's -- we hate to
6 leave that hole in the White Paper.

7 MR. KOKAJKO: To be honest, I don't know
8 if any time soon it's coming out but I can find out.

9 MEMBER HINZE: Thank you.

10 MR. STROSNIDER: If I could come back just
11 for a second to this subject of interim staff
12 guidance, I just heard and you'll hear industry
13 perspective this afternoon, but I would share just a
14 couple of thoughts. One is, I think you know, I
15 believe there is value in writing down this sort of
16 guidance, writing down the expectations and I have
17 asked in various public meetings of licensees and of
18 DOE whether they see value in it and the answer I got
19 was yes.

20 And having said that, there are at least
21 two issues that come up and one is the de facto
22 regulation issue. That is, are we doing more than
23 guidance or are we changing, trying to change
24 regulations or et cetera. That is not the intent of
25 it. We shouldn't be doing that and I've told the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry and NEI if they see that, they should bring
2 it to our attention. They have the opportunity to
3 comment and you know, that's not what we intend to use
4 that for. So that's a legitimate, you know, question,
5 if you will and I don't think we do, but if the people
6 think we are, then they should call us on it, and we
7 need to deal with it.

8 The second part of it is the process
9 issue, which if you look at all the agency processes
10 and I know this has been brought up in discussions
11 we've had with NEI, is this duplicative or and do we
12 need this process, are there other vehicles that we
13 could be using to do the same thing. So I know those
14 are at least two of the other issues. But I think
15 fundamentally, the message I'd want to leave you with
16 is that it is important.

17 You know, when I look at our strategic
18 goal of openness, you know, part of my interpretation,
19 I think the agency's interpretation of that is to make
20 sure that our expectations are clear, that people
21 understand the process, they understand the
22 opportunities for participation and they understand
23 our expectations. And this is one way that we get
24 that documented. It certainly encourages a dialogue
25 that I think, you know, adds value to the whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. So, yeah, we need to be careful that we're
2 using it for what it's intended to be used for. There
3 may be some questions about various processes for
4 accomplishing the same thing but fundamentally, I
5 think it's of value and I've had that feedback from
6 licensees.

7 CHAIRMAN RYAN: Jack, as a former licensee
8 and applicant in a number of arenas, I would tell you
9 that I really appreciated any time I get clear
10 guidance or there was clear guidance written down of
11 what I needed to do or what the review would be about
12 and all that, so I will second that motion.

13 So I think that's very important and I
14 think the comment that you just made that if people
15 feel it's something other than that, they're more than
16 welcome to challenge it. It's also an openness
17 approach and I think that's to be commended as well,
18 but from my own personal experience when there was
19 clear guidance on what was expected, it's a whole lot
20 clearer and your task before you becomes a little more
21 straightforward. So three cheers.

22 Ruth, you had one question you wanted to
23 ask.

24 MEMBER WEINER: I had a quick follow-up
25 question for Larry Kokajko. Is there still the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference of opinion over drift degradation that we
2 heard from the Center and from DOE several years ago?

3 MR. KOKAJKO: Difference of opinion in --

4 MEMBER WEINER: Yeah, difference of
5 opinion as to what the mechanism was, how likely the
6 drifts were to collapse and so on.

7 MR. KOKAJKO: You mean between staff and
8 DOE or --

9 MEMBER WEINER: Or between -- well, we
10 heard it from the center, between staff and DOE
11 basically.

12 MR. KOKAJKO: Well, the answer is, we
13 clearly have some disagreements. The extent and
14 nature of them, I think, is still to be fully
15 determined. We've not come out with a final report.
16 I do believe we have some relatively general
17 consistency internally but, you know, this hasn't been
18 hashed out yet. And I know the DOE is taking some
19 different views on some things than what we have, and
20 I mean, that's what regulators are supposed to do.
21 You know, find these things, get them out there and
22 make the judgments and so we're still waiting.

23 And remember, there is no DOE position,
24 there is no NRC position. We're still in a pre-
25 licensing, pre-application phase and we're just sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of understanding where we each are at this moment.

2 MEMBER WEINER: Thank you.

3 CHAIRMAN RYAN: Yes, sir.

4 MR. BRACH: If I can, I'd like to go back
5 to a question from Dr. Weiner. She asked me earlier
6 about triga fuel and in the intervening time during
7 questions and answers, I did get some additional
8 information I'd like to share with you. We have had,
9 over the last year, a series of pre -- what I'll refer
10 to as pre-application meetings with the Department of
11 Energy on their standardized cannister they're
12 planning for use of transport and eventual disposal.
13 And the standard DOE container would include triga
14 fuel and staff has pointed out to me in our
15 discussions and meetings with DOE, they've not
16 identified to us nor have we seen any information yet
17 with regard to triga fuel and its ability or any
18 hydrating or structural integrity questions, although
19 they did point out that DOE is considering that all
20 the fuel would rumbilize (phonetic) in the cannister
21 under accident conditions. So whether that is based
22 solely on the technical information that does raise
23 into question the continued integrity or if that's
24 being looked at in more of a simplistic, I'll say
25 assumption and modeling case, but they are looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rumbilization of the fuel in the cannister as one of
2 the considerations. That's also in conjunction with
3 moderator exclusion considerations as well. I just
4 wanted to provide that additional information. I
5 apologize I didn't have that at my fingers before
6 that. Thank you.

7 CHAIRMAN RYAN: Dr. Larkins?

8 DR. LARKINS: I just want to make one
9 comment. Ruth, you mentioned about communications and
10 coordination. I just was going to say I think
11 communications and coordination has been excellent
12 this past year. I had a chance to participate in
13 NMSS's planning a retreat for the first time and I
14 think that was an excellent exchange and opportunity
15 that Jack provided for me to help keep the committee
16 informed as to what was going on in NMSS and so I
17 think it's been good and hopefully it will continue to
18 be excellent.

19 CHAIRMAN RYAN: Thank you. I mean, I
20 think in closing I'll say we really appreciate, Jack,
21 you and your management team coming down and giving us
22 this very informative briefing. I know it's going to
23 help us become more focused and efficient in our work
24 and hopefully our interactions with be will be
25 constructive and helpful to you as well. So with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, I'll say thanks very much unless there are any
2 last questions. Thanks very much.

3 MR. STROSNIDER: Thank you for your time.

4 CHAIRMAN RYAN: Thank you. With that,
5 we're at the appointed hour for our lunch period.
6 We'll break until 1:00 p.m. and we'll reconvene
7 promptly then.

8 (Whereupon, at 11:30 a.m. a luncheon
9 recess was taken.)

10

AFTERNOON SESSION

1:02 p.m.

CHAIRMAN RYAN: All right, I guess we'll reconvene and start our record again, please. Okay. The next presentation is going to be led by Dr. Clarke and so, Dr. Clarke, I'll turn the meeting over to you.

MEMBER CLARKE: Thank you, Mike. Dr. John Till is going to be presenting to us on a methodology that he had developed to guide risk reduction for contaminants in the environment. Dr. Till is President of Risk Assessment Corporation. We're very pleased that you can be here. Thank you.

CHAIRMAN RYAN: If I may, Dr. Clarke, just to help John in the context of this, we've been on an adventure and I think Jim can offer comment as well, on looking at how to risk inform a variety of situations and we've spent a lot of time thinking about monitoring and modeling. For example, if you have a contaminated site, or an operating site and you detect contamination, is that a bad thing or a good thing? Is it trending upward or downward? What's the pattern that you see over time?

And the idea is if you can understand the relationship of your monitoring data to compliance, that's one thing you need to do. And then if you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand it in terms of risk or behavior into the
2 future, that's the second thing. And I think when Jim
3 and I talked about this, we agreed that hearing about
4 John's work that he's been doing in this area sounded
5 pretty exciting and is something that would address
6 that very point of how do you take what seems to be a
7 complex picture of lots and lots of data and sort it
8 out so you really can tease out some risk significant
9 information. So we're thrilled to have you here to
10 tell us about your capabilities and how this works.
11 So with that, I'll --

12 MEMBER CLARKE: Thanks, Mike.

13 DR. TILL: Well, thank you very much, Mr.
14 Chairman and members of the committee for the
15 invitation to be back with you today. It's been about
16 two years, I think, since I was here before and it's
17 always an honor. I may have mentioned two years ago
18 and I think I did, that this project was underway
19 called RACER, and that stands for Risk Analysis,
20 Communication, Evaluation and Reduction. It's an
21 acronym that we developed and it's catching on at a
22 lot of places now and that's what I'm going to talk to
23 you about today.

24 I am going to have two parts to this. One
25 part, I'm going to go through some slides to explain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to you what RACER is about, basically how it works and
2 a little bit about the history. And then the other
3 part will be a demonstration of some of the software
4 that we've developed that do just these things, Mike,
5 that you've been talking about.

6 I need to give credit to my research team
7 who worked with me on this project. That's a
8 photograph of our team and also to Colorado State
9 University because we're actually working for Colorado
10 State University and those of you who may know Dr.
11 Ward Wicker at Colorado State. Colorado State is
12 actually the primary contractor to Los Alamos for this
13 work and Ward is actually the PI on the project and
14 it's set up that way so that we maintain our
15 independence in what we do. And I'll talk about that
16 a little bit more later, but we never would have
17 gotten to this point without our independence from the
18 Department of Energy and Los Alamos.

19 I think too, as I go through this, if you
20 have questions, just hit me with those if that's all
21 right, and then if I see that I'm struggling getting
22 through the talk, I'll let you know, because I want
23 you to see the software, because that's really the
24 power of RACER are these tools we've developed. I've
25 been in this field for 35 years now and what our team

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does is to calculate risk to humans and the
2 environment from radioactive materials and chemicals
3 once they get into the environment. So you need to
4 recognize my starting point is a source or what you
5 might call a source term.

6 And I also want to clarify that when I
7 talk about risk, it's probably different from the
8 context in which you're accustomed to risk. My risk
9 is to individuals. Generally, the end point is cancer
10 or the incidents of cancer or some health effect to
11 humans or ecology as opposed to the risk or chance or
12 probability of an event that releases these materials
13 into the environment in the first place.

14 So keep that distinction. That's just
15 where I'm coming from. There's no reason why you
16 can't in some cases, combine those and I know many
17 people do. But over the years that I've done this
18 work, I've -- this project, more than anything is
19 really the culmination of like I said, 30 years of
20 work and many studies on Department of Energy sites,
21 on industrial sites and sort of if I had a chance to
22 go back and help someone prevent bad things from
23 happening, prevent legal situations from coming up,
24 how would I do it. And that's really what RACER is
25 about. It deals with current and prospective risk and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really most of my career has dealt with retrospective
2 risk. But it's been a unique project and I'm very
3 grateful for the chance to have an opportunity to talk
4 to you about it today.

5 So if I had to boil down the basic
6 principles that I've learned in 35 years, they would
7 come down to this; and these are the principles of
8 RACER. Some of you may not agree with me on these and
9 I've talked to audiences who are very, very much in
10 opposition to these points, but I strongly believe in
11 these principles. First of all, that environmental
12 data related to public exposures are public
13 information. You may not agree with me on that. Some
14 facilities strongly disagree with that, but I can tell
15 you that if it's information that ultimately would be
16 used to calculate a risk, a dose to the public, that
17 it will be public information at some point.

18 My point to facilities is, get it out
19 there, get it on the table. RACER is all about
20 getting it organized and helping people understand it.
21 The second point is that risk must be a fundamental
22 starting point for decision making to protect the
23 public. And again, people may not agree with me on
24 that. We talk about human and ecological risk here
25 but this is a starting point. Risk to humans in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular, is the only common denominator we have for
2 chemical and radionuclide exposure, and therefore, it
3 is a good place to start. It's not the only factor in
4 making decisions and I'll talk some more about that,
5 and we all know that, but it is, in my opinion, the
6 most fundamental starting point.

7 Why ecological risk, this is important
8 because we spend millions of dollars trying to reduce
9 human risk but at the same time, we destroy the
10 ecology. And what RACER is about is trying to balance
11 those two and make it very clear how we do this
12 balancing between the two. The third point is that
13 all sources of risk must be considered in evaluating
14 public exposures. I'll explain what that means but I
15 think you hit on that, Mike, too. RACER is not just
16 about cleanup of a contaminated site. It's about an
17 operational source, what's coming out of a stack.
18 It's about a new facility that you might want to
19 build.

20 I believe very strongly that you have to
21 put all of this into one package and the reason you
22 have to do that is because we often get trapped into
23 focusing on one source of risk when there might be
24 another source among the spectrum of the facility
25 that's far more important. And then the fourth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principle is that readily accessible and user friendly
2 tools must be available to aid in decision making
3 about risk.

4 Frankly, I believe that the days are gone
5 when we can simply issue a massive report that
6 calculates risk to the public. We have to do far more
7 than this. And I'm going to show you because this is
8 what RACER is about, is providing tools that with a
9 limited amount of training and experience on these
10 tools, you can understand how to use them. The tools
11 have to be transparent. You've heard that word many
12 times. They have to be flexible. What that means is
13 you need to be able to change the parameters used in
14 these calculations very easily. They have to be
15 repeatable. What that means is that someone could
16 come behind you, if you've made the calculations with
17 these tools and repeat them and come up with the same
18 answer. And they have to be independent and that's a
19 key factor.

20 I have seen over and over again and I know
21 you have as well, where a facility who creates some
22 report or some calculation of risk because of the lack
23 of credibility or trust, cannot go any further with
24 that document. If that calculation then is made by an
25 independent source, it has more credibility. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just a fact of life in the business that we're in.

2 And then finally there has to be a process
3 for public advice to decision makers. And I emphasize
4 the word "advice". The public are not decision
5 makers but they should have an avenue to advise the
6 decision makers. Those are the principles that RACER
7 incorporates.

8 This is generally the area that's
9 addressed by the tools and in fact, the tools will
10 calculate risk to anyone in the area. If you're
11 familiar with Los Alamos, which is here. The National
12 Laboratory is in the Historic Area here, the town of
13 Santa Fe is here. I'll point out San Ildefonso Pueblo
14 sits right in here, one of the Native American Pueblos
15 sits right up next to the laboratory. Santa Clara
16 Pueblo next to them, town of Los Alamos. Water
17 resources are of tremendous value there and are
18 extremely precious. Any contamination of any kind,
19 chemical or radionuclides, in water there is a crisis
20 if it gets offsite.

21 It will get offsite at some point. There
22 is contamination there now and RACER is helping people
23 to understand what this is going to mean when the
24 material does get offsite. Okay, this graphic will
25 try to illustrate the concepts of RACER and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 software and how it works, but we start on the left
2 with what we call boxes, box sources. They might be
3 contaminated sites, operational sources, new sources.
4 There are background sources. At Los Alamos there are
5 about 2,000 of these different sources within that
6 boundary of the laboratory, 2,000 different sources.
7 Most of these are contaminated land sites. They are
8 historical legacy waste sites. They are not all
9 characterized at this point and they're in a mode of
10 trying to characterize these sources.

11 CHAIRMAN RYAN: John, could you give us a
12 little bit more in terms of size and differences?
13 What's the range here of all the sites?

14 DR. TILL: Well, Mike, they go -- some of
15 these sites might be legacy landfill sites that
16 contain low level radioactive waste and even some
17 probably higher level stuff that was put there many
18 years ago. These are material disposal areas they're
19 called and those are acres on the order of probably
20 several acres to tens of acres in size. Some of the
21 other sites are much smaller. Some are not as large
22 as this table. So it's a wide spectrum of the type of
23 site and also the type of contamination.

24 Chemicals, a lot of explosives that were
25 used there over the years, other chemicals, PCBs, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 name it, it is there, and then the entire spectrum of
2 radioactive materials are there.

3 I'll say this, too, Los Alamos, I've
4 studied DOE sites for years; Hanford, Rocky Flats,
5 Fernald, Idaho, Savannah River. We've done historical
6 dose reconstruction on those and more sites. Los
7 Alamos National Laboratory is the most complex of any
8 DOE site. And I say complex because of the spectrum
9 of nuclides, the extent of the contamination there and
10 also the ecology there is so sensitive, it's a very
11 arid area. It is not a simple -- it's a very complex
12 terrain if you're doing air modeling. So you name it,
13 and it's thrown into Los Alamos.

14 My point would be that if you could do
15 what I've done or what I'll show you and what we're
16 doing at Los Alamos, if you could do this at Los
17 Alamos, you can certainly do it at a simpler site much
18 simpler, okay. Does that answer your question okay?

19 CHAIRMAN RYAN: Yeah.

20 DR. TILL: All right, so the point is that
21 if we have sources to the environment, whether they're
22 air or contaminated soil or in groundwater whatever
23 they are, that we know that we have mathematical
24 methods in our science today that will allow us to
25 take these sources and make some kind of a calculation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using similar methods and to prioritize these sources
2 and basically, I could run this software, I'll show
3 you, and prioritize all 2,000 sources at Los Alamos
4 and it can be done very quickly.

5 But the point is, we don't make our
6 decisions just based on risk and that's what this is
7 prioritized by is risk to humans. What we know is
8 that in order to do something about these sites
9 whether it's remediation or reducing risk from stacks
10 or whatever, we need other information. We need to
11 know something about ecological risk, cost,
12 feasibility of a method. Culture is a huge issue
13 there because of the pueblos, for example. And so
14 trying to convince the San I Pueblo that a little bit
15 of tritium in your water is not a big deal, is a huge
16 deal. It is a real challenge. And so what we have is
17 another tool. I probably won't get to this one today
18 but it's called a decision support tool, and basically
19 it says if you have these estimates of risk from
20 different from different sources and you want to make
21 some decision about reducing that risk you can take
22 into account these other factors and it gives you a
23 traceable way to show people how you made that
24 decision.

25 This is really decision analysis software

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've adapted for RACER.

2 MEMBER WEINER: Excuse me.

3 DR. TILL: I'm sorry, yes.

4 MEMBER WEINER: Excuse me, what decision
5 analysis software did you use? I'm just curious.

6 DR. TILL: Precision Pro.

7 MEMBER WEINER: Thanks.

8 DR. TILL: Okay. Throughout this process
9 it's very important that you tell people what you're
10 doing and you document all the methods. All of what
11 you see demonstrated in the software is documented in
12 hard reports that has been peer reviewed and that was
13 part of Colorado State University's function, was to
14 provide a national peer review team for the RACER
15 methodology. But we received input from the public
16 and the public changed the methods. They changed the
17 way that we laid out the screens and the RACER tools
18 and they made a huge difference. The idea of RACER
19 and I'll talk about this briefly, is that there is
20 long-term some kind of advisory panel that works with
21 the risk managers that understands the tools and how
22 they work and they can provide feedback to the risk
23 managers who ultimately make the decisions. But
24 that's the concept of RACER.

25 The heart of RACER is the data base.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Environmental data are our most solid evidence and the
2 most solid input material that we have to risk
3 calculations if you have data. If you're talking
4 about a future facility, you may not have release data
5 but certainly you have environmental data that help to
6 characterize your location.

7 When we got to Los Alamos, what we found
8 was there are a lot of data. It's been collected
9 there for years and years. It's been collected within
10 the laboratory by different groups but they all have
11 their own system, they all have their own data base.
12 They all name their analytes differently and so we
13 found that you couldn't just go in, take the LANL
14 data, put it into a single data base that you could
15 use for the RACER tool and it took us two years to get
16 all the data consistent in a format, put into a data
17 base that was retrievable and that's the RACER data
18 base and I'll be using that today to demonstrate the
19 tools.

20 There are five million records currently
21 in the RACER data base that go back to 1956. But it's
22 not just Los Alamos data. The regulator there is the
23 Environment Department and their data have to go into
24 this data base as well. They had the same issues
25 within their department with regard to different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groups collecting different -- collecting the same
2 data in different ways and so this took us a
3 tremendous amount of work.

4 It's done. This data base is in ACCESS
5 and we did that deliberately because we think these
6 tools should be available to as many people as
7 possible. ACCESS is readily available and it works.
8 The vision for the data base is something like this,
9 and you'll remember one of my key points we
10 independence. The idea is that this data base would
11 be maintained by what we call a technical steward,
12 that is outside of Los Alamos National Laboratory. It
13 would likely be a university, possibly a community
14 college but they'd have to have a person dedicated to
15 keeping up the data base to making sure it's
16 maintained but the information from the laboratory,
17 from the environment department, from EPA or any other
18 data producers, would be automatically fed into this
19 data base and then this would be available on the web
20 for public and other end point users.

21 The data analysis tool I'll demonstrate in
22 a moment, but really takes all of this information and
23 lets you do things with it, lets you plot data on
24 maps, lets you look at trends, special distribution of
25 data, those kinds of things. It's a tremendously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 powerful tool, comparison to standards, for example.
2 This is an example, if you look at the data analysis
3 tool, you're interested in getting a plot of cesium
4 137 in soil compared to background. This is the kind
5 of a background that comes up. Every one of these
6 blue dots or dots on the map, you could actually zoom
7 in on, click on the dot, find out everything about
8 that data point, when it was collected, when the
9 analysis was done, everything about that bit of
10 information.

11 The risk calculation tool, then, takes the
12 information and calculates risk to humans. This tool
13 is GIS based and every data point has a GIS locator
14 associated with it. So the idea is, and you've been
15 challenged with this, I'm sure many times, where you
16 go talk to the public and say, "Here's how I
17 calculated your risk. I'll let you breathe this much,
18 I'll let you live here. I'll let you work there, I'll
19 let you recreate over here in this canyon", and then
20 they come up and say, "Yeah, but I don't live there.
21 What if I lived over here, and what if I were an
22 native American and I had a special diet that wasn't
23 like your diet". Well, what I'll show you is that the
24 tool is so flexible you just go in and on the spot
25 make the changes and then you come back and you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rerun the calculation and show that person what the
2 difference would be. And you know and I know that
3 generally these questions don't amount to much in
4 terms of a significant change in the result, but the
5 power of this is that at least you can show people on
6 the spot rather than go back, make the calculation and
7 get back to them.

8 So this is the idea is that the
9 flexibility of scenarios is a very important feature.
10 We talk about current risk, we talk about prospective
11 risk and here is where we had to use 25 years of our
12 experience. How do you get a groundwater model into
13 a tool as simple as this or an air dispersion model
14 into a tool as simple as this when you have a complex
15 terrain? There's a way to do this and it's actually
16 done by what we call environmental transfer factors.
17 So you lay a grid over the area and if you take for
18 example, a release from any point in this grid, we can
19 calculate -- let's say this is air dispersion, we can
20 calculate -- if we had a source here, we can calculate
21 chi over Q is for any other points on this grid. So
22 basically, all you have to do is come in, inject your
23 source and you prerun these calculations so the tool
24 is actually going into a massive spreadsheet to get
25 out a result.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: I have another question.

2 DR. TILL: Yeah.

3 MEMBER WEINER: Do you calibrate your
4 results? Do you have any kind of monitoring against
5 which you calibrate what you get?

6 DR. TILL: Yes, absolutely. Any
7 validation that we can use and incorporate into the
8 models, the air dispersion models, sediment models,
9 groundwater models, we use to check the modeling, of
10 course. This is a huge, huge step forward and
11 otherwise RACER wouldn't work as simply if you
12 couldn't -- if you didn't have a system like this
13 where you could prerun your transport calculations.
14 We have grids for air, we have grids for surface
15 water. We have grids for sediment and I'll just give
16 you a couple of examples of the risk tool and we'll
17 come back and see these but if you were to ask the
18 tool to show me Los Alamos and hypothetically put a
19 person in every 100 meter by 100 meter grid across the
20 site and let them stand there for a year, which is
21 unrealistic, but this is the picture you would get
22 back of risk to that person in that 100 meter by 100
23 meter grid.

24 And what -- I mean, to me this tells me a
25 lot. It says, yeah, there's a lot of contamination

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around there but the risk is pretty darn small. It
2 also says there's a lot of area on Los Alamos that has
3 no contamination whatsoever. I'll show you in the
4 tool but we can zoom in into areas. The pink and red
5 spots of course, are the areas of higher risk. This
6 is Mortandad Canyon right here. It's a very highly
7 contaminated canyon out there but you could go into
8 these grids. You could see what the contaminates are.
9 This is for radionuclide risk. You could look at the
10 same graphic for chemicals. This is chemicals. This
11 is a close-up of those same grids so you'll see this
12 is Mortandad Canyon and you'll see exactly where the
13 locations are of higher risk if that's what you're
14 plodding.

15 If you wanted to look at 10 sources, for
16 example, you could compare the sources. This is
17 health impact value which is basically risk for 10
18 different sources across the site.

19 MEMBER CLARKE: And just to confirm what
20 you said in your introduction --

21 DR. TILL: Yes.

22 MEMBER CLARKE: Those risks are cancer
23 risks.

24 DR. TILL: These are cancer incidents
25 risk. There's also a non-carcinogenic risk from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemicals and that's a separate calculation which you
2 plot separately.

3 MEMBER CLARKE: And the chemical cancer
4 risk is additive, if you have more than one chemical,
5 that's a total?

6 DR. TILL: Yes.

7 MEMBER CLARKE: A total risk?

8 DR. TILL: Yes.

9 MEMBER WEINER: How do you get from your
10 dose to cancer risk?

11 DR. TILL: Well, we use risk coefficients
12 and they're in here and I can show you where they are
13 if I could get to them, but if you know your dose, if
14 you have your exposure and you know your dose to
15 various organs of the body for the various
16 radionuclides, we convert to cancer incidents using
17 risk coefficients. That's how it's done.

18 CHAIRMAN RYAN: I got a more sharp
19 question. How do you get around the fact that you're
20 calculating micro-doses to mega people?

21 DR. TILL: No, we're not --

22 CHAIRMAN RYAN: An unfair estimate of the
23 cancer risk when you're at very low doses.

24 DR. TILL: Okay, wait a minute now. I'm
25 calculating only a dose to an individual in the RACER

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tool.

2 CHAIRMAN RYAN: Right, you can't use a
3 global risk estimate and estimate risk to an
4 individual cancer. You can't do it. It's just not
5 right. Now, if you want to do it over a group and
6 then look at Case A versus Case B as a relative
7 measure, I've got no problem with that.

8 DR. TILL: Well, I understand --

9 CHAIRMAN RYAN: An absolute risk estimate,
10 John, it's just -- there's no validation. It's the
11 same as getting hit by you know, one-mile an hour wind
12 for 200 hours or a 200 mile an hour wind for one hour.
13 Same amount of air goes by me.

14 DR. TILL: Okay. But remember what I'm
15 doing here in RACER is prioritizing.

16 CHAIRMAN RYAN: And that's a relative
17 measure, so I'm okay with that. You've said that
18 before, so --

19 DR. TILL: It's a relative measure, okay.

20 CHAIRMAN RYAN: -- I would just caution
21 you to try and calculate or present it as an absolute
22 cancer risk for an individual. That's an intermediate
23 step towards the relative measure, right?

24 DR. TILL: That's fine.

25 CHAIRMAN RYAN: Okay, I just want to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure --

2 DR. TILL: And also if you had a risk
3 coefficient that you preferred or maybe you're only
4 interested in dose, that's fine. It's on here. Stop
5 at dose if you don't want to go to risk. That's
6 another factor.

7 CHAIRMAN RYAN: That's a nice flexibility
8 to have.

9 DR. TILL: Absolutely.

10 CHAIRMAN RYAN: Okay, great.

11 MEMBER WEINER: I have one other comment
12 along those lines. You talk about communicating to
13 the public.

14 DR. TILL: Yes.

15 MEMBER WEINER: What this conversion of
16 dose to cancer has done is, basically, to convince
17 people that if there is any exposure, they will get
18 cancer, because that's the simplistic way that it's
19 interpreted.

20 DR. TILL: Well, yes. On the other hand,
21 I'm convinced that one of the powers of this tool is
22 the communication of a calculation, whether it's dose,
23 whether it's a chemical exposure, whatever it is, it's
24 all in here, and you can stop where you want. But for
25 a relative comparison, I would agree - I would say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very strongly that I think we can use some risk end
2 point for relative comparison, that that would be all
3 right.

4 CHAIRMAN RYAN: My own view is I like the
5 idea of the relative part, and I think we're on record
6 as saying relative comparisons are very meaningful.

7 DR. TILL: Yes.

8 CHAIRMAN RYAN: We use them in ALARA in
9 the workplace all the time. Method A gives this
10 person, Method B, so if Method B is just as effective
11 from an economic point of view as some other, and the
12 dose is a lot lower, obviously, it's a numeric choice.

13 DR. TILL: Right.

14 CHAIRMAN RYAN: But, by the same token, I
15 think Ruth's hit the nail on the head. We're also on
16 record as saying absolute estimates like that are flat
17 out wrong.

18 DR. TILL: Well, you don't have to use it
19 for that, but RACER was developed so that the decision
20 makers could identify where the potentially highest
21 risk areas are for making decisions relative to other
22 sites. You've got to make a decision about 2,000
23 sites at Los Alamos, how are you going to do it? I
24 think this is a perfectly valid way to do it.

25 MEMBER WEINER: Is the relative risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appreciably different from the relative dose?

2 DR. TILL: Well, no, it would be the same.
3 Okay? And that was a very strong point that the
4 Environment Department insisted that we put in, was
5 this idea of dose, and not just go to risk, so that --
6 your point is well taken, and others are with you on
7 that. Okay. And when we look at the tool, you'll see
8 either one. I can show you either one.

9 I won't say much about this, but this is
10 the decision support tool, which basically takes these
11 risk - you see this is your stack on the left. If you
12 took your sources and stacked them up on the basis of
13 risk alone, you'd get the left-hand stack. And then
14 you'd reorganize your stack, when you take into
15 account other factors. And then you may have
16 identified the Source B on top as being the one you
17 want to concentrate on. And then you can look at
18 alternatives for doing something to reduce risk on
19 that site. And that's what the decision support tool
20 does.

21 CHAIRMAN RYAN: Derek, could you hold them
22 there for that. That looks an awful lot to me like a
23 relative or a comparative ALARA approach. I mean,
24 what you do is you --

25 DR. TILL: Let my -- I think it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: You're ranking them by
2 certain measures, it could be cost, it could be dose,
3 it could work as the hours spent in the hazardous area
4 like the high heat zone.

5 DR. TILL: Exactly.

6 CHAIRMAN RYAN: Could be any one of a
7 dozen things.

8 DR. TILL: Exactly.

9 CHAIRMAN RYAN: And then you're ranking
10 them in a relative way, and then you come out with
11 your ranking based on the alternate factors, so that
12 looks an awful lot to me like at least the conceptual
13 framework that you go through on ALARA evaluations.
14 Is that a fair thing to say?

15 DR. TILL: I'm not as familiar with what
16 you're talking about, but it does -- it is ALARA, in
17 a sense. Absolutely it's ALARA.

18 CHAIRMAN RYAN: Okay. I think it is.

19 DR. TILL: And the key is that the
20 decision support tool, it's a very flexible thing,
21 just like the risk tool is. You can go through, make
22 calculations very quickly and see what the impact
23 would be on changing your alternatives.

24 MEMBER WEINER: Are your ranking factors
25 and your weights independently arrived at?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TILL: The weights on the different
2 factors taken into account, you would insert. In
3 other words, that's the flexibility of it. You might
4 be dealing with a alternative that is a source that's
5 going to affect the San I. Pueblo. And if you say
6 cultural impact, what am I going to weight that
7 compared to risk? You might weight cultural impact
8 very highly, but you put in the weights. We have done
9 some focus groups to see what people around Los Alamos
10 would say about weighting factors, but that's all done
11 by the user.

12 I'll talk briefly about the RACER process.
13 Many of you have probably dealt with public panels.
14 They can be a nightmare, and we all know that. They
15 also could be very effective, and there are secrets,
16 not secrets, but there are ways that if you set up a
17 panel correctly, it can work very, very effectively.
18 One of those is size, and my idea is you'd never have
19 more than 11 people on a panel. That's the max.

20 Anyway, I won't dwell on this, but I think
21 it's very important for any source of risk, industry,
22 DOE facility, whatever, to have some kind of a panel
23 where you actually ask communities what they think.
24 And then the RACER process in the end would be set up
25 something like this. The database and the risk tools,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the decision support tool would be maintained by a
2 public institution, and that's just to guarantee the
3 independence of these tools. The panel itself would
4 be maintained and taken care of by what I call a
5 process steward. And in Los Alamos, we have the New
6 Mexico Community Foundation working with us to do
7 this, again, independent from the source of risk.

8 I'll say something about funding. Funding
9 in any process like this to make it effective needs to
10 come not only from the source of risk, but from the
11 regulators. And that way, no single organization has
12 the power to withdraw the funding and shut down the
13 process. Once you make a commitment to a public
14 process like this, it's very difficult to back out of
15 it, and you don't want to venture into this territory
16 unless you're prepared to make that commitment.

17 Now I'll demonstrate the tools. I'm going
18 to just go through the data analysis tool. I'm going
19 to pick some things that I know fairly well. My team
20 could probably let you just sit here and shout out
21 what you want to see, but I might not be able to do
22 that, but it truly is that flexible. So this is the
23 data analysis tool that just lets us look at these 5
24 million data records and try to make some sense of
25 these.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm going to select - you have several
2 different options. You can look at specific data for
3 a particular site, a particular analyte, evaluate
4 spatial trends, evaluate trends over time for a single
5 location, evaluate trends over time for an analyte.
6 I'm going to select looking at spatial trends, as an
7 illustration.

8 The Environmental Remediation folks at Los
9 Alamos really have most of these data, but this lets
10 you select where your data come from, if you wanted
11 only to look at the New Mexico Environment
12 Department's data, or one of the other group's data,
13 that would be fine. Most of the data are categorized
14 as rock, sediment, and soil, so we're going to take a
15 look at those data to give us a lot to select from.
16 Now what it's doing now is running a query. Well,
17 we're not quite there yet. Okay. So now we're going
18 to -- these are all the data here. There's,
19 apparently, 14,150 data records that ER has collected,
20 so it's gone into the database, it's identified those.
21 In order to make this run a little more quickly, I'm
22 going to pick that Mortondad Canyon area, which I
23 showed you earlier, because we know it's got a lot of
24 stuff there.

25 Let's see. See if I push that button,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what happens. I think this is going to give us a map
2 of, I think it was 2,843 data points in Mortondad
3 Canyon. This software, Map Select, was developed as
4 a part of this work, so it is special to the RACER
5 tools, so this just gives you - this is Mortondad
6 Canyon. Obviously, there are many records at the same
7 site. But, anyway, this just gives you an idea of
8 some of the data that have been collected there. So
9 let's next.

10 We're going to now - let's select Cesium-
11 137. We know we have a lot. I'm trying to narrow
12 this down so it'll run a little more quickly. So it's
13 going to go into the database now and search all of
14 those records, finding only the records related to
15 Cesium-137. There's quite a bit of contamination
16 there that is Cesium. So this will take me about a
17 minute here for this to go through the records and
18 find all the data, and then we can make some more
19 plots. Any other questions while we're waiting? Jim.

20 MEMBER CLARKE: One question. Where
21 should this data reside?

22 DR. TILL: Where should it --

23 MEMBER CLARKE: Once you've collected it,
24 and put it in the access, would you recommend it
25 reside locally?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TILL: Well, the vision, as I said,
2 was that it would reside in the RACER database that is
3 maintained by an independent institution from Los
4 Alamos or the regulator.

5 MEMBER CLARKE: And anyone would have
6 access to it.

7 DR. TILL: And anyone would have access to
8 it. In fact, our plan always has been to take these
9 tools and make them, to the extent that we can, web
10 available. That's a challenging task, though. The
11 database itself we've already done, made web
12 available. It's just that now you can't use these
13 tools on it, because we don't have the tools web-ready
14 yet. Okay?

15 I believe very strongly, as I said at the
16 beginning, environmental data should be public
17 information. I think it gets us out of trouble before
18 it happens, and many people don't agree with me on
19 that.

20 MEMBER WEINER: How do you handle the
21 question that, say, the concentration of any
22 radionuclide in any given point changes with time? Do
23 you go back and assay again? How do you look at the
24 temporal changes of the source term, so to speak?

25 DR. TILL: Well, I don't know if - maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I didn't make it clear, but you can take a look at a
2 specific location, and Cesium-137 for as far back as
3 they've collected samples at a given site, and look at
4 trend over time. Okay? In other words, you can see
5 if that concentration is increasing or decreasing over
6 time.

7 MEMBER WEINER: But then what do you use
8 as the basis for your risk calculation, the latest
9 one?

10 DR. TILL: Actually, we have a feature
11 that allows you to decay it. The models will also
12 transport it in time. In other words, you may have a
13 sediment location that's contaminated. You could
14 refine your calculation to only those data in the last
15 year, if you want to. Okay?

16 MEMBER WEINER: My question is, really, if
17 you're comparing risk.

18 DR. TILL: Right.

19 MEMBER WEINER: Or comparing dose --

20 DR. TILL: Right.

21 MEMBER WEINER: -- what do you use, or do
22 you use them all, as the basis of your comparison?
23 I'm thinking specifically of what happened before and
24 after the el Serro fire at Los Alamos, or any one of
25 the fires that have occurred there in the last 30

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years. Do you just -- if people say okay, I want to
2 know what my risk is, if I go hiking at someplace up
3 there. Do you use the latest data? Do you use them
4 all? How do you do that?

5 DR. TILL: What do you want? I would use
6 whatever you want.

7 MEMBER WEINER: I want to know what my
8 risk is. I want to --

9 DR. TILL: If it were me, I would know a
10 little bit about the analyte, how mobile or immobile
11 that material is in soil, say. And if I was only
12 interested in Plutonium, I would say I'm not too
13 worried about it. It's not going anywhere much, so I
14 might go back 10 years, use 10 years worth of data,
15 something more mobile, even Cesium, fairly mobile. I
16 might just go back five years, or two years, and use
17 the most recent data for that. I could do it either
18 way. I could also make it both ways, and show you the
19 difference, how it changes the dose. That's the idea
20 of flexibility. I could do any of that. And I'll
21 show you in just a minute, I'll show you some of these
22 features that you can select.

23 The key to this is once you get the data
24 organized, the modeling you know, I know, and we had
25 the methods around for years. Then how can you take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the appropriate shortcuts in the modeling to make it
2 work in something like Access. That's unique. On the
3 other hand, the methods are fairly standard that we
4 use.

5 CHAIRMAN RYAN: John, are you going to
6 talk about uncertainty analysis, and error estimation?

7 DR. TILL: Yes, but I don't have that
8 built into what I show you today. All right? That we
9 compute an exact uncertainty with the calculation. I
10 haven't finished that yet. It will be a separate
11 module. We know how to do it, but I don't have that
12 in what I'm showing you today. Okay? But the answer
13 is, we will have it. I can't talk much about it
14 today. Okay?

15 CHAIRMAN RYAN: How are you going to deal
16 with it?

17 DR. TILL: How are we going to deal with
18 it? That's a very good question, because we've
19 struggled with that, too, in particular with the
20 public. I think, and what we've decided is, you can
21 make a calculation and include uncertainties, but
22 broadly speaking, you take uncertainties and you put
23 into categories, which you might help people define,
24 a small uncertainty, a medium uncertainty, or a large
25 uncertainty. In your decision support tool, we think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's where it goes, because if you're making a
2 calculation or decision that has huge uncertainty,
3 you're going to weight some of those factors
4 differently. If it's a small uncertainty, you will
5 weight those factors differently, and that's where we
6 think we go with uncertainty.

7 CHAIRMAN RYAN: But you have data
8 uncertainty, and you have model uncertainty. I mean,
9 if you're going to go into the subsurface, you're
10 going to have model uncertainty.

11 DR. TILL: Exactly.

12 CHAIRMAN RYAN: And so how are you going
13 to treat those? You stated that the models are all
14 known. That's not true. There's a lot of
15 uncertainty.

16 DR. TILL: Okay. Remember, too, we're
17 talking about relative comparisons of things, which
18 helps us some out of the uncertainty quandrum. Okay?
19 It does at Los Alamos. If you know generally the area
20 of Los Alamos, the uncertainties for a particular
21 media, like ground water, might be about the same in
22 this area, and a little different over in this area,
23 but about the same. Okay? So we think the relative
24 comparison helps, because they, essentially, wash one
25 another. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Well, there's a great deal
2 of difference between the uncertainty that you have in
3 modeling an andersite or a lava flow, versus the
4 sediments. I mean, there's a great deal of --

5 DR. TILL: Oh, absolutely. Absolutely.
6 I understand that. And believe me, I know that with
7 regard to ground water modeling, the particular model
8 you select, the vadose zone, the huge uncertainties in
9 that at Los Alamos, so my question to you would be,
10 what difference does it make in terms of risk? And if
11 you understood whether it made a big difference or a
12 small difference in terms of risk to somebody down
13 here, that helps. That's what RACER would help you
14 do.

15 You could change -- we have three choices
16 of models for the ground water, for the vadose zone.
17 You can very quickly pick which one you want to try.
18 There may be one that's recommended by the scientist
19 at Los Alamos, and one that's recommended by the
20 Environment Department, and they don't agree. So my
21 answer to the Environment Department and the
22 laboratory is, okay, you may not agree, but what
23 difference does it make in terms of risk, or dose?
24 And it may not make much difference, whichever one you
25 pick.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: It could, though.

2 DR. TILL: Oh, it could, and you would see
3 it. That's my point. You would see it, if it did
4 make a difference. Okay? Yes.

5 CHAIRMAN RYAN: I'm thinking about the two
6 words, "accuracy" and "precision". Now precision is
7 significant digits, and accuracy is did I hit the
8 duck. And relative comparison tends to make your
9 prediction of accuracy not as important.

10 DR. TILL: That might be true. Yes.

11 CHAIRMAN RYAN: But the other element of
12 uncertainty is precision. And, of course, with the
13 dose conversion factor, the typical precision is an
14 order of magnitude, just on the dose factor alone.

15 DR. TILL: Yes.

16 CHAIRMAN RYAN: So I'm trying to sort that
17 out. I guess that's something you're wrestling with,
18 too, from what you said.

19 DR. TILL: Yes. But the dose factor
20 might, take for example the dose factor, uncertainty,
21 but if it's a dose factor you're applying in two
22 pathways, the uncertainty washes if you're trying to
23 make a comparison.

24 CHAIRMAN RYAN: Well, I just think with a
25 relative comparison, I agree with you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TILL: Right. I mean, I am not
2 proposing RACER be the end product for making your
3 risk calculation that's submitted to the Commission,
4 that says we know the risk is small because. I'm
5 saying what RACER does, it helps you sort through all
6 the pathways, all the sources very quickly, and come
7 to grips with what is on top of the pile, so that you
8 can focus --

9 CHAIRMAN RYAN: I come back to that slide
10 we talked about, which basically says, John, that it's
11 kind of an ALARA tool, with all those features of
12 ALARA that you're now listing.

13 DR. TILL: Yes, that's right.

14 CHAIRMAN RYAN: So I appreciate that.

15 DR. TILL: That's right. Then your staff
16 go to work on those things that count the most.

17 CHAIRMAN RYAN: Right.

18 DR. TILL: The other thing about RACER is
19 its transparency, its flexibility, all that stuff when
20 you're out talking to people and somebody challenges
21 you on the ground water model. I can't do it today,
22 but somebody says yes, but we know that's a fractured
23 flow, we think it's fractured flow, they don't. They
24 think it stays there 10,000 years. All right. Let's
25 check it real quick. Does it make a difference? Yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you could see real quickly it might make a difference,
2 or maybe it doesn't make a difference in terms of
3 dose, but that's -- I'm not trying to sell this
4 product to anybody as the endpoint of a risk
5 calculation, but I'm trying to take us a notch up in
6 how we have tools that help us to do this, and how we
7 explain it to people as we go through the process.
8 Okay?

9 MEMBER CLARKE: Excuse me, Mike. From a
10 time management standpoint, we --

11 DR. TILL: We need to go quick.

12 MEMBER CLARKE: We are just getting into
13 your demonstration, and how long will it take? Will
14 we still have time for questions?

15 DR. TILL: Let me go through this. What
16 is our time? Yes. Okay. I probably need another 10
17 or 15 minutes in the demonstration.

18 MEMBER CLARKE: I hate to cut the
19 committee off, but we don't -- we want to see the rest
20 of this presentation.

21 DR. TILL: Okay. So I've got to find out
22 where I am. We're going to -- oh, let's see, spatial
23 trends. We're going to make select comparison values,
24 and here, I'm going to use a background value that we
25 can make a comparison to, and an upper tolerance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limit, because you have all these choices in the data.
2 We can run this calculation using all the data with -
3 let's just say 1950 to 2006, but I could constrain it
4 to whatever I wanted here.

5 MEMBER WEINER: And does your background
6 change?

7 DR. TILL: Does my background change? I
8 don't know the answer to that. I'd have to ask my
9 team. If we had the data for background at an earlier
10 time, it probably does change. Okay?

11 MEMBER WEINER: Thank you.

12 DR. TILL: You could correct it for decay,
13 for example, samples taken 10 or 20 years ago.

14 MEMBER HINZE: How about elevation?

15 DR. TILL: Elevation? Well, background
16 certainly is a function of all of those things, time,
17 elevation, media, and that is taken into account.
18 Let's see. I'm going to go straight, I think, and
19 just try to move on with this, and just map the data.
20 You can see as I go through, there are just a lot of
21 choices you've got with regard to what you want, what
22 you might want to see.

23 Okay. So now we're looking -- this is
24 actually the graphic I showed you in my presentation.
25 We could take and zoom in, so you can see these sample

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 locations very clearly, and see which ones are higher.
2 You can take and look, I think, and find out
3 everything about that data point, the magnitude of
4 Cesium, 147 becquerels per gram, more information
5 about the data point, itself. That's why I say that
6 the database is really the heart of RACER. That's the
7 data tool. I'm going to move on to the risk tool,
8 now.

9 CHAIRMAN RYAN: John, just while that's
10 coming up, is there any limit to the amount of data
11 you can manipulate?

12 DR. TILL: No.

13 CHAIRMAN RYAN: I think that's a huge
14 strength, because if you can take thousands of data
15 points --

16 DR. TILL: You can take 5 million records
17 from Los Alamos - now what we're doing, Mike, right
18 now is, Access is a wonderful piece of software that
19 everybody has access to, but we're going to bump up
20 against data limitations. And they're putting half a
21 million records into this system a year now. It's an
22 awful lot of information, and so we're shifting the
23 database to another software called "My Sequel", which
24 is very similar in terms of its free. I mean, you
25 download it from the web, so most anyone could get it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But the fact is, there's no data limitation to it that
2 we found yet. In fact, even all these calculations -
3 I mean, I'm sure you appreciate how fast it's going
4 through some of this, but if I were showing you some
5 of the more complicated ones, it's still quite fast.

6 Now I'm going to show you the risk tool.
7 I'm going to just do a simple site analysis using
8 surface soil. And the reason I do this is because the
9 laboratory spent, I don't know how much money, but a
10 lot, and produced a very thick report that does
11 basically what I'm going to show you in a matter of
12 minutes, so we're going to use soil. I'm probably
13 going to go kind of fast, just to give us some time.
14 Okay?

15 MEMBER CLARKE: I'm sure there are more
16 questions, but if you want us to get through this.

17 DR. TILL: I'm going to select this
18 Mortondad area again. They actually picked 10 sites
19 for an analysis to prioritize, basically. And they
20 made the calculation, submit it to the regulator
21 exactly the way we do it in RACER. I'm going to just
22 use three of these to make it go a little more
23 quickly. There are a lot of other choices one can
24 select. I could actually go to the map, and all of
25 those contaminated areas around the site, I could just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 draw three areas. I can draw them on the map,
2 polygons. So we're going to -- okay. It's going to
3 take a second here.

4 Now it's going into the database, and it's
5 picking those three sites. And it's going to collect
6 every sample that's been collected within the GIS
7 coordinates of those sites. And I'll show you the
8 sites here in just a minute. I could have brought
9 that up, but this will save us just a little time
10 here. And it's actually going through the entire 5
11 million record database while we watch.

12 You can do cross-media. I can select soil
13 and releases to air, for example, because this is
14 important. Are you worried about what's coming out of
15 the Lance facility, as much as you are this
16 contaminated land over here? And, yet, the Lance
17 facility is licensed, it's regulated by the EPA, and
18 it's in compliance, and the risk may be larger. That
19 kind of perspective, I think, is very important for
20 people to know.

21 What you're going to see at the end, when
22 we get to risk, don't be upset by that quantitative
23 estimate of risk. Remember, I'm using that to
24 prioritize sites. Okay? So I'm going to give you a
25 heads-up about that. We can screen, so we have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area. We picked three areas that we're trying to set
2 priorities for. We know that a lot of stuff in those
3 areas is below a valid screening limit, either an EPA
4 limit, or someone else has set a limit. I'm going to
5 use what's known as a risk-based reference value to
6 screen, and I'm going to go in, and I'm going to use
7 the EPA Region 9 PRG values for chemicals, and I'm
8 going to use the EPA Superfund values for
9 radionuclides. I'm going to pick - let's see - you
10 can pick your PRG value. I'll just leave it on
11 residential soil, so now it's creating a - it's going
12 through the thousands of records, and it just screened
13 out the ones that are no longer valid. And I'll show
14 you, here's the list. Everything checked. These are
15 the sites on the left-hand site, the source ID, your
16 analyte codes, and we can cross those - you see the
17 analyte description, so a lot of these are chemicals.
18 If it's not checked, it's not going to be included in
19 the calculation because it was screened out. I'll
20 make it go a little bit faster. I could have just
21 thrown it all in the mix, if we wanted to. But,
22 anyway, we've now screened, so next we're going to
23 decide how we're going to use this land.

24 What they have to do at Los Alamos, is put
25 a resident on the land. Sounds crazy, I know, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's what the regulator is making them do. You
2 could put the resident off the area, and make a
3 calculation, so let's just leave it as the default.
4 These are our three areas here that we could go into
5 this, and what you can do is change your scenario to
6 be anything that you want, the number of days, whether
7 you want male or female, adult, child, and then you
8 have all of these different parameters that you can
9 use to describe the person. I'm just going to leave
10 it set up to the default. We're going to go into the
11 next screen, which is going to actually calculate the
12 exposure.

13 Many different types of samples, of
14 course, we're going to use a mean value to calculate
15 the concentration in these contaminated areas. You
16 have choices of excluding non-detects, of excluding
17 all non-detects, including them all, using half the
18 value for the remainder. Different people do
19 different things, but that's -- the point is, this is
20 very flexible.

21 Okay. Now it's taking those three sites,
22 and hypothetically putting a person on the site to
23 calculate what the exposure is from both the chemicals
24 and the radionuclides on the site. Okay?

25 MEMBER WEINER: How long a time are you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accumulating the exposure?

2 DR. TILL: One year.

3 MEMBER WEINER: This is the exposure -
4 this is the person sits on that site.

5 DR. TILL: That's right, which doesn't
6 make any sense. All right? I agree, but that's what
7 they are required to do to the regulator to prioritize
8 their sites. I could put the person off the site. I
9 could make it so that the person is only recreating on
10 the site, hiking on the site for a number of hours a
11 year. That's all, I could have done that very easily.
12 So we're finished with the exposure calculations, and
13 now we're going to calculate risk, and dose, and the
14 health impact.

15 MEMBER CLARKE: I guess, John, for the
16 exposure factors you could use the EPA defaults. You
17 could use the 90th percentile.

18 DR. TILL: Exactly.

19 MEMBER CLARKE: You could use whatever you
20 want.

21 DR. TILL: Exactly. I didn't show the
22 screens but you could just go in and make changes.
23 You just create this person. This is very important
24 for Los Alamos, because of the Native Americans who
25 live next door.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: What do those numbers
2 mean?

3 DR. TILL: Okay. So what we're doing now
4 is looking at East Ten Site Slope. That's one of my
5 three sites. Right? I have three sites. East Ten
6 Site Slope, if that person sat on that area for one
7 year, it would be 2.3 times 10 to the minus 5, that's
8 a risk number. The dose would be 30 millirem, would
9 be that person's dose. You want in SI units, that
10 would be in sivert. The carcinogenic chemical risk,
11 5.2 E minus 7. The non-carcinogenic hazard index
12 risk, 5.0 E minus 2.

13 Let's look at another site - Mesa Top.
14 These are the values you would get. Now let's just -
15 what you can do, too, is you can set this as a
16 benchmark. What that means is you want to go into the
17 site, hypothetically remove 50 percent of that
18 material. That would be your remediation mode. You
19 go back through. It will allow you to reduce those
20 concentrations, and then you can see how much the
21 change in risk would be. That's what the benchmark
22 allows you to do.

23 We can do all kinds of analyses on these.
24 You can look at risk result, all the details of the
25 analysis in terms of exposure route, analyte,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentrations, units, and this is the whole idea of
2 transparency. And this is what it means to me, so
3 that I can go back and see anything used in the
4 calculations for a parameter or a result that comes
5 from the calculation.

6 I'll try to show you one more thing here,
7 and I'll try to just wrap this up. Let's take a look
8 at the three areas, just in terms of chemical
9 carcinogenic risk. This would be how they stack up,
10 Mortondad Slope, Mesa Top, East Ten Site Slope. If
11 you look at radionuclide dose, Ruth, you were asking
12 about, there's your dose comparison. Is that
13 different from the risk comparison? It shouldn't be.
14 Nope, looks the same in terms of relative comparison.
15 Okay?

16 I'll show you one more thing. Let's see.
17 Well, I won't go through this, but we can take any of
18 those areas, or pieces of those areas. I can draw a
19 polygon around a portion of it where you feel like
20 you've got good sample coverage, and I can calculate
21 using whatever I tell it to use as a calculation or
22 value, whether it's your average depth of samples,
23 your maximum depth of any sample, any of those that
24 can calculate the volume you'd have to take out to
25 completely, the volume of soil you'd have to take out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to complete decontaminate that area.

2 MEMBER CLARKE: John, one quick question
3 on soil data, say, for example.

4 DR. TILL: Yes.

5 MEMBER CLARKE: You put in the data they
6 have. Do you do any statistics with it? Could you
7 creek it if you wanted to?

8 DR. TILL: Yes. In fact, that's another
9 feature on here. Some things you can do, you can look
10 at the number of samples in an area, and we have a
11 calculation that will tell you how representative
12 you've sampled that area statistically. All right?
13 Which is a very important feature at Los Alamos,
14 because they're getting reamed, really hurt by the
15 regulator making them collect far more samples than
16 they think should be collected, so we hope this is
17 going to help sort of come to some agreement on that.

18 MEMBER CLARKE: You wanted a data point in
19 a location where you didn't have a sample, you could
20 do something with that.

21 DR. TILL: That's right.

22 MEMBER CLARKE: Yes.

23 DR. TILL: I'm going to stop the
24 demonstration. I think you get the idea of the tools
25 and what they do. We've been working on this for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 almost three years. It's -- I think some people look
2 at this and think, well, this is very simple stuff, we
3 have all the methods down. But, believe me, it's not,
4 and I would say five years ago we couldn't do this.
5 We wouldn't have had the technology to do it from the
6 computer standpoint, but it's a very sophisticated
7 amount of team work pulling together a number of
8 different skills to put it into a format that's easy
9 to use like this.

10 My final word on this is, it's never meant
11 to be the ultimate thing. What people tell me when
12 they look at this is, more than anything, it's a very
13 helpful risk communication tool. There are a lot of
14 features we're going to add to this, so that you have
15 perspective on risk, comparisons to make, to
16 background, to other kinds of risk, whatever, so I
17 think it will be of a lot of value when we get those
18 features added to it.

19 That's an update, ladies and gentlemen.

20 MEMBER CLARKE: Thank you very much.

21 Mike, you were just about to ask a question, when I
22 suggested we move on. Would you like to follow that?

23 CHAIRMAN RYAN: Well, I guess my question
24 is really more a comment. I really think that the
25 next step of adding some of the uncertainty analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things you discussed would really kick up a notch, as
2 the chef says, because some of those graphs, for
3 example, where you're using relative risk, if you had
4 an uncertainty bar on that, you could really say well,
5 these two are the same, and don't sweat the numbers so
6 much.

7 DR. TILL: Right.

8 CHAIRMAN RYAN: And then this one is
9 double that one, or roughly double, on the average of
10 that kind of thing. And I think in terms of -- first
11 of all, that's a fairer comparison when you're doing
12 those relative things. And, second, based on the
13 context --

14 DR. TILL: Yes.

15 CHAIRMAN RYAN: -- of what you're
16 calculating, and how you're using it. And, really, in
17 terms of risk communication, uncertainty is a key part
18 of that component there.

19 DR. TILL: Yes.

20 CHAIRMAN RYAN: This reminds me a little
21 bit of what Tim McCartin has done with the TPA, which
22 is the same kind of analyses for many different
23 performance assessment runs of -- for Yucca Mountain,
24 for example, or any other performance assessment code.
25 I mean, could you take it to the next step? Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I've got contamination, and then I think this is maybe
2 what Bill was talking about, predict its behavior in
3 the environment. Right now you're taking a snapshot
4 of what is. Well, do you see this eventually evolving
5 into well, what is it now, what's it going to look
6 like 20, or 30, or 50 years from now if we do nothing,
7 if we do this, or if we remove it all, that kind of
8 thing.

9 DR. TILL: It actually can. And we could
10 illustrate this - I couldn't today, and I don't think
11 I've got the data in here that would allow me to show
12 you the Chromium plume, for example, where it is today
13 at Los Alamos. It's been a huge issue out there, and
14 the lab has been fined significantly over the last few
15 months for this, but the Chromium plume and where it's
16 going to go.

17 What I think is, RACER will never replace
18 the in-depth, very necessary, sophisticated science
19 that goes into -- underlies the work for any facility,
20 Yucca Mountain, in particular. On the other hand, I
21 am convinced that we can take something like that, and
22 simplify it with some shortcuts, so that it would work
23 in a very easy-to-use tool like this, would help
24 people understand the implications of ground water
25 there, compared to other pathways, whatever. I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I know you can do that. Yes?

2 CHAIRMAN RYAN: But it's very intriguing,
3 because it really does, in a simple way, give you
4 meaningful risk-significant insight.

5 DR. TILL: Yes, absolutely it does.

6 CHAIRMAN RYAN: That's a real plus.

7 DR. TILL: I think we have to go in this
8 direction in order for the industry to survive, and to
9 go where I think it's going. I think Yucca Mountain's
10 got to do the same thing. We can't just keep telling
11 people we're scientists, we know what we're doing,
12 trust me. It doesn't work any more. That's what
13 RACER is about.

14 CHAIRMAN RYAN: Yes. Thanks, John. Thank
15 you.

16 MEMBER CLARKE: Bill, I know you have some
17 more questions.

18 MEMBER HINZE: Well, I'm just really
19 having some trouble accepting what you've just said.
20 This comes across as elitist, but I can see the
21 potential danger of mishandling these kinds of data,
22 putting in all of the right modes of modeling, and
23 coming up with a result that could be misconstrued.
24 I just wonder how -- to what depth of knowledge one
25 has to have in order to be able to use this in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 useful fashion, so that you will get results.

2 DR. TILL: Right.

3 MEMBER HINZE: I think you, and I think
4 I've dealt with enough of the citizenry, who have very
5 good intentions, but they don't understand the
6 subtleties of modeling of uncertainty, of data input,
7 of the interconnection between parameters, and putting
8 this in the hands of people and just saying this will
9 give you a meaningful risk, even a relative risk - I
10 don't know. John, I'm really having some problems.

11 DR. TILL: No. I think we've struggled
12 with that, as well. I think the whole idea of the web
13 aspect of it, we're not sold on. I want to say,
14 though, that this panel that I showed you in the
15 graphic, and I said if you want that panel to be
16 successful, and I said that there would be certain
17 criteria they would have to meet - I am convinced that
18 you could create a panel who could learn to use these
19 tools enough with some training, and with the backing
20 of this technical steward that I was talking about, so
21 that these calculations are very meaningful. And one
22 more thing I'm going to tell you, I know exactly what
23 you're talking about. I've been there.

24 Information like this is misused all the
25 time by people I know, very, very well, and they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 misleading a lot of people. All right? I just don't
2 agree that keeping it from them is the solution. I'm
3 much more in favor of putting something on the table
4 that the methods are approved and peer reviewed, and
5 where you can see, and if they are manipulating, you
6 can see exactly what's being done. That's a
7 difference in philosophy between us, but I've learned
8 a lot of this the hard way, as well. And I've been
9 burned, too.

10 MEMBER HINZE: I'm wrestling with this
11 because I'm doing exactly the same thing you are,
12 except for the gravity data of the United States, the
13 conterminous U.S., as well as North America. And
14 these data are extremely useful, and you can develop
15 all kinds of software to process. But that data also
16 can be very much misused if you don't understand those
17 tools. And you put those tools into the websites, and
18 my group and I are wrestling with these same problems.
19 And we're very concerned about misinterpreting. And
20 I think you need to put in a lot of caveats, and make
21 them very visible.

22 DR. TILL: You know, that's part of the
23 way you do this. Do you know when I said you create
24 the scenario, we have a page in there that if you go
25 in and put in a breathing rate, or an ingestion rate,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or something, you actually have a meter that you look
2 at, and it says breathing rate. If you start throwing
3 up your breathing rate, which is done. You know this
4 is done all the time, where unrealistic values are
5 inserted, it reaches a peg. It turns red, and you're
6 not allowed to go above an upper bound limit. Those
7 are the kinds of things I can see we can add to this.
8 We will never prevent people from misusing. I don't
9 think we can do it, no matter what.

10 MEMBER CLARKE: All right. Ruth.

11 MEMBER WEINER: Just to take off from that
12 last - I manage a code that does similar things, and
13 one way which you can't prevent misuse, but you can
14 certainly expose misuse, is always to display the
15 inputs with the outputs, and that way, what we tell
16 people is, you put in an unrealistic input, you're
17 going to get an unrealistic output. And it's always,
18 always echoed. Two more comments.

19 One is, that one of the ways to introduce
20 uncertainty is to put in distributed variables, and
21 then sample, but it takes a fast code to really make
22 that operable and access, access isn't that fast.

23 DR. TILL: Right.

24 MEMBER WEINER: So you might look at
25 different codes. The other question I have is, how is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your panel selected? Do you have people who work at
2 Los Alamos on the panel, or are they prohibited?

3 DR. TILL: Well, there isn't a panel, yet.
4 That's where we are in the whole process. How will
5 they be selected? They would be selected by the
6 process steward. Would they be people that work at
7 Los Alamos? They could be, they could be community
8 people. I have criteria that I certainly would use in
9 selecting a panel, and I've talked to our process
10 steward about this many times. I mean, you have to
11 have someone on there from the environmental groups,
12 who there, at Los Alamos, are the most in-depth,
13 knowledgeable, tough people I've met anywhere, but
14 they've got to be on there somehow represented. Okay?
15 You have to have the Pueblos represented, so how this
16 is done, there would be some criteria that have to be
17 followed to select the people. That's all I can tell
18 you.

19 MEMBER WEINER: And I think it's -- for
20 its purpose, and I have to agree with Bill, you have
21 to make things very, very clear. I mean, my immediate
22 question is, what are the underlying equations? And
23 I think although only one person in a thousand is
24 going to ask you that, it has to be available.

25 DR. TILL: And they're there, they're on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the web. They're on our website, in fact.

2 MEMBER WEINER: That's good.

3 DR. TILL: The equations are on the
4 website, if they're not in the model itself. That's
5 exactly right. That's the idea of transparency.

6 MEMBER WEINER: Thank you.

7 MEMBER CLARKE: Thanks, Ruth. The reason
8 I asked you about where the data should reside is, I
9 can think of more than one superfund site where all of
10 the data through the record of decision is one
11 location, for example, for Love Canal, all of the data
12 through the record of decision is in the archives for
13 the State University of New York at Buffalo library.
14 All the data after construction is in somebody's
15 office, and so there are information management
16 disconnects that this can go a long way to solve, I
17 think.

18 I was going to ask you - Ruth asked you
19 about the panel, and I was going to ask you about your
20 technical steward - what are the criteria for --

21 DR. TILL: Yes. Interestingly enough,
22 there are a lot of people who want to be the technical
23 steward of RACER, and I mean, I --

24 MEMBER CLARKE: This is a site-to-site
25 decision, by the way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TILL: That's right. It's a tough
2 decision, and I'll be very honest, we went - we were
3 talking to a local community college for a long time,
4 because they were -- they came to all the meetings,
5 and they really were interested in the tools. And the
6 problem is, this is fairly sophisticated stuff, and
7 you - in order to have -- the technical steward would
8 be the only one allowed to make the changes internally
9 to the tools. That's the way our vision is, so you
10 would have to have a fairly high level person, who
11 knows what they're doing, who knows the tools pretty
12 much inside and out, and who that's going to be, I
13 don't know right now. I mean, New Mexico State and
14 the one individual has worked with us on this on the
15 mapping software, Tom Kershner, he knows this solid.
16 It's not our vision to stay there very long. We want
17 to finish this and get out, but probably, a university
18 within the state.

19 MEMBER CLARKE: Yes, that was where I was
20 going. I wasn't thinking of one person, I was
21 thinking the technical steward would be a decision
22 made on a site-by-site basis.

23 DR. TILL: Oh, that's exactly right. Yes.

24 MEMBER CLARKE: Okay.

25 DR. TILL: Yes. Mike, do you have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more questions?

2 CHAIRMAN RYAN: No.

3 MEMBER CLARKE: Anyone on the committee,
4 any more questions? Anyone from the staff? A few
5 more minutes.

6 MR. FLACK: Yes, I will comment, if I can.
7 John Flack of ACNW. You know, following up on the
8 discussion on uncertainties, one way to get around
9 some of it, anyway, is to do sensitivity studies to
10 try to understand how great or how big is the
11 uncertainty, or whether the uncertainties really
12 matter, in some cases. But, also, doing sensitivity
13 studies help you to understand whether the model is
14 predicting what you expect it to predict, so by going
15 in and looking at changes, and seeing how it affects
16 the results is, I think, a very use of the tools.
17 But, again, if you get to the bottom line, and say I
18 have to report the risk, or I have - you know, this is
19 a bottom liner result, and from working with risk for
20 a long time, it's usually the weakest point in the
21 analysis, because people tend to focus there and not
22 understand how you got there. But by doing
23 sensitivity studies, I think it gives you more
24 understanding of the model, and whether you believe
25 the results are giving you the right results, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through your expectation of what the performance would
2 be. So I think in that context it would be useful to
3 do some of those.

4 DR. TILL: You know, uncertainties really
5 do complicate things, and yet that's where the science
6 is today. What we've struggled with this ever since
7 we started RACER was how to address uncertainties. We
8 have deliberately left them out up until this point
9 until we get to this point; because, obviously, we're
10 going to have to take some shortcuts to make this a
11 very viable, user-friendly - to keep it very viable
12 and user-friendly, and so probably doing something
13 like you're talking about, Ruth, with regard to
14 precalculating uncertainties, some work with
15 sensitivities. I mean, the idea is where is your
16 uncertainty for a given pathway? Is the ground water
17 model uncertainty far, far huger than your air
18 dispersion model uncertainty? Probably. Okay? So
19 that just knowing those things helps us a lot, and
20 that's how we'll probably take some shortcuts as we
21 incorporate uncertainty. We know how to do it, and
22 we've done this for years in all of our work. This is
23 the first time we've just been stumped with how to
24 incorporate uncertainties as a part of the feature of
25 RACER, but we'll get it. We'll get it .

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Can you make it quick?

2 MEMBER WEINER: It's quick. At the
3 beginning of your talk, you talked about environmental
4 risk, in other words, non-human, but you didn't - I
5 notice you don't have any of that, and I was going to
6 ask you what is the metric that you're using for non-
7 human risk?

8 DR. TILL: Well, believe it or not, it's
9 not dose, and it's not risk in the sense that we've
10 calculated it to humans. What we think is that,
11 ecological risk is more of a decision support tool
12 item, where the idea of how much destruction to this
13 one acre of land would be to clean up, and that you
14 would weight that with some factor in your decision
15 support tool. That's where we think it goes, rather
16 than a --

17 CHAIRMAN RYAN: Value system, it's not a
18 risk system.

19 DR. TILL: Yes. Exactly. Yes, we thought
20 a lot about that.

21 MEMBER CLARKE: Focusing on habitat loss.

22 DR. TILL: Exactly. Exactly.

23 CHAIRMAN RYAN: No, that's not the -- I
24 don't think that's what I heard. Habit loss is --

25 DR. TILL: Well, habitat loss, destruction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the environment.

2 CHAIRMAN RYAN: Okay.

3 DR. TILL: Delaying the process of
4 remediation.

5 MEMBER CLARKE: By the way, that's -- I
6 think it was at the same working group meeting that
7 you attended, John, we asked the EPA how ecological
8 risk factored into remediation decisions, and they
9 basically gave the same answer. It was more of a tool
10 to decide what not to do, than what to do.

11 DR. TILL: Right.

12 MEMBER CLARKE: Okay.

13 DR. TILL: Thank you very much for the
14 chance to come, and I appreciate the very candid
15 thoughts from all of you, and the challenges from you.
16 This has been a tough piece of work, but we're very
17 proud of it, and think we're headed somewhere with
18 this, so thanks for the invitation.

19 CHAIRMAN RYAN: Jim, thank you. John,
20 that's a great step forward. It really is. I mean,
21 the fabulous part to me is you can handle 5 million
22 records, and sort through it pretty quickly, and gain
23 insight. And even though we challenge you on the
24 uncertainty side, we already know you've got this part
25 fixed, so we're talking about what's next. But we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really appreciate you coming and sharing this with us.
2 It really gives us an idea of the state-of-the-art.

3 DR. TILL: Thank you. Good.

4 CHAIRMAN RYAN: Thank you. With that,
5 we'll adjourn for 15 minutes, and reconvene for our
6 next presentation at 2:45.

7 (Whereupon, the proceedings went off the
8 record at 2:27:04 p.m., and went back on the record at
9 2:43:24 p.m.)

10 CHAIRMAN RYAN: Okay. If I could ask
11 everybody to come to order, please, we'll reconvene.
12 We'll now turn the meeting over to Professor Bill
13 Hinze, who's going to lead us in our next session.
14 Professor Hinze.

15 MEMBER HINZE: Thank you very much, Dr.
16 Ryan. We are pleased to welcome to us today
17 representatives from the NEI and EPRI, who will be
18 discussing with us the interim staff guidance that
19 deals with seismically initiated event sequences. We
20 heard the staff make a presentation on this a month
21 ago, and at that time, both NEI and EPRI made some
22 comments during the discussion period. But today, we
23 are going to hear a more formal presentation on the
24 industry perspectives on the NRC interim staff
25 guidance. And with that, Rod, we'll turn it over to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you. Rod McCullum.

2 MR. McCULLUM: Thank you, Dr. Hinze, and
3 Dr. Ryan. I am Rod McCullum of NEI, and to my left
4 here is Ken Canavan of EPRI. Also in the audience,
5 and we hope to have a good discussion here, and to
6 help us out with the discussion, we have Greg Hardy
7 from EPRI, and John Kessler, from EPRI, as well as
8 Everett Redman from NEI.

9 This is going to be a rarely integrated
10 NEI/EPRI presentation. You see, NEI and EPRI logos on
11 the cover slide here. We try no to do that. EPRI is
12 industry's independent scientific organization, NEI is
13 responsible for regulatory and policy issues, but the
14 reason we have integrated, the reason we're actually
15 showing two logos on the same presentation here, is
16 because we have a couple of issues that we feel are
17 very closely linked. Our concerns with ISG-01 are
18 both from a regulatory policy standpoint, and from a
19 technical standpoint. And we feel that some of the
20 issues in the regulatory policy side, that inevitably
21 with these types of regulatory tools, lead to the
22 technical problems that we see.

23 We have had a very spirited dialogue with
24 the NRC staff on this topic. We appreciated the
25 committee's interest in that a month ago, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly, are interested in continuing to advance
2 this dialogue, not just on ISG-01, but in terms of the
3 general issue of the role of ISGs in the regulatory
4 process, and are very interested to hear the
5 committee's views on the subject.

6 This is a bit of background here, starting
7 with what we think we heard from the staff. And,
8 again, there's a lot of members of the staff here I'm
9 glad to see, and if we got this wrong, I certainly
10 hope they will correct us. But starting with what we
11 heard from the staff about ISG-01 last month, and
12 leading up to a little bit of our position, it was
13 described the staff as addressing a communications
14 problem regarding DOE's proposed approach for
15 compliance. They had received, I believe, a topical
16 report from DOE that was more deterministically-based,
17 Part 63 is a probabilistic regulation, so they felt
18 that their staff, NRC staff, needed more guidance.
19 We'll get into why we feel that's interesting in a
20 little bit. So what they did is propose an ISG and
21 example methodology to review seismically initiated
22 event sequences in the context of the probabilistic
23 method for looking at the failures of structure,
24 systems, and components by convolving hazard curves
25 and fragility curves, and the extent to which you do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, we feel is unprecedented, the number of
2 fragility and hazard - the number of fragility curves
3 you'll be looking at and comparing to the hazard
4 curve, and where that will drive design. And Ken will
5 be speaking to that, more specifically.

6 Using an interim staff guidance to us is
7 a very interesting term. It is something that was
8 done out in what is now SFST or SFPO world, the dry
9 cask storage and transportation regulations establish
10 this precedent. They have, I believe, 20 ISGs, maybe
11 22 including the ones that are currently draft. We
12 have problems with the use of ISGs being a regulatory
13 tool that does not follow the same regulatory process
14 as do review plans, and regulations, themselves. We
15 feel that that is a lack of regulatory discipline, and
16 that that does lead to problems. And we feel ISG-01 is
17 an example, so while we do have concerns with the use
18 of that type of tool, in general, and we'll describe
19 those in some detail in the presentation. We
20 specifically find that tool inappropriate for Yucca
21 Mountain, where there isn't even an application yet,
22 so we're wondering where the interim is, where the
23 situation out there that has safety implications that
24 the staff needs to move faster than regulatory due
25 process would let them move, so that's that concern.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is the timeline. I think it's pretty
2 - it is what you saw last month, but just as a
3 reminder, the draft ISG was issued on May 22nd. NEI
4 submitted comments on July 6th, and we requested a
5 public meeting with NRC. That meeting was held on
6 September 14th, 2006. Even though we left the meeting
7 not agreeing with each other, I really want to thank
8 the NRC staff for both responding to our request.
9 They brought a very robust team to that meeting. I
10 think - I didn't count the number of NRC people, but
11 it was certainly in the dozens, and they were able to
12 cover all the issues, and very frank discussion on
13 both sides. I would hope however this issue plays
14 out, both in the specifics and the general, that we
15 can continue to have that form of dialogue with the
16 staff. Nevertheless, they did issue ISG-01 on
17 September 29th, and there were no significant changes
18 in response to the NEI comments.

19 These are the NEI comments, and I brought
20 a copy of the comment letter with me that I'd be happy
21 to leave with the committee. I know you had some
22 questions about what you saw on the public record in
23 terms of who the comments came from, and --

24 MEMBER HINZE: That would be helpful.

25 Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCULLUM: Yes. But, anyway, there
2 are five comments, essentially, in that letter.
3 Numbers one, three, and four are really regulatory
4 policy issues. Numbers three and five, are the
5 technical issues. I'll be addressing the regulatory
6 policy issues, Ken will be addressing the technical
7 issues.

8 As I've said, we don't believe ISGs are an
9 effective regulatory tool. They lack the regulatory
10 due process, the rigor, the structure of regulations,
11 review plans, reg guides, and we feel those process
12 components are there for a reason, and when they are
13 not used, you run into situations where you have
14 unintended consequences. And we feel the technical
15 analysis being called for in ISG-01 will lead to many
16 unintended consequences in the way it drives design at
17 Yucca Mountain.

18 They were originally intended as a generic
19 tool to address emerging issues affecting multiple
20 licensees with ongoing operations. None of these
21 describe the situation at Yucca. We are well in
22 advance of an application. We are going to be
23 revising a review plan, anyway, when the EPA standard
24 comes out. We don't see - whatever the rationale was
25 for using ISGs in the dry cask world that you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 multiple licensees out there that were doing things in
2 their casks, in their pools, NRC saw an emerging
3 issue. They needed to get it out quickly. None of
4 that logic applies in the case of Yucca Mountain.

5 We believe, and this is where Ken's
6 technical work will - and he's done a lot of work
7 leading up to this - will be important; that
8 application of the methodology in ISG-01 will lead to
9 a more stringent standard for Yucca Mountain surface
10 facilities than exist for higher hazard facilities;
11 namely, reactors. And we really want to ask the
12 question, is this what the commission intended with
13 the Yucca Mountain regulations and review plans, and
14 would again remind you that when ISGs are used, and
15 there isn't the broad review, there isn't the
16 commission approval, that question never gets to be
17 asked. So we are still looking for an answer, is that
18 what was intended? And while the staff has indicated
19 that this is just guidance to the staff, we find it
20 curious that the staff did this in response to
21 something DOE submitted, that the staff did not find
22 acceptable, so DOE submits the methodology, the staff
23 responds to that by issuing guidance to themselves;
24 yet, it's not meant to be a requirement, or an
25 expectation being placed on DOE. And we find that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be, at the least, a bit curious.

2 And this particular methodology, we were
3 searching hard, and we have not found any precedent
4 for the use of the methodology described in ISG-01.
5 And we, again, ask the question - we've designed
6 hundreds of seismic structures at nuclear reactors and
7 other nuclear facilities very safely. Why do the
8 Yucca Mountain surface facilities really need a new
9 way of doing business?

10 So getting back to the general concerns
11 with ISGs, they introduce instability and
12 unpredictability in the regulatory framework. You
13 heard from the staff last month that the reason
14 they're using an ISG, instead of revising review plan
15 - why go to the trouble to revise the whole review
16 plan, when you're only looking at one specific issue?
17 And that, to us, is the crux of the problem; is when
18 the regulations can change, and they can change too
19 easily, you don't have a playing field that stays
20 fixed. You do have a moving target. And our
21 experience in the world of dry cask storage has been
22 exactly that with ISGs. We've had RAIs written
23 against draft ISGs in the middle of review processes.
24 It's very hard to do business in a world where the
25 playing field is a moving target. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequences of a moving target are three-fold here.
2 The possibility when you're only looking at one narrow
3 aspect of the regulatory structure of something, such
4 as the seismic analysis, is you could miss other
5 aspects. If you're looking at just the seismic
6 methodology, are you really thinking about how the
7 seismic methodology, the application of that
8 methodology will affect the other aspects of the
9 design. Again, Ken is going to explain how that will
10 happen here.

11 Inconsistencies in the regulatory
12 framework, and I know this was something that this
13 committee commented on, on the Yucca Mountain review
14 plan, and that Commissioner Diaz specifically wrote in
15 the approval of the Yucca Mountain review plan, very
16 responsive language in terms of the review plan being
17 applied in a manner that was focused on risk. You
18 don't apply the review plan across the board, the same
19 way that you focus on the areas of the most risk-
20 significance. This committee commented on that, and
21 the Commission was responsive to that comment in the
22 COM SECY approving the release of the review plan.
23 And, again, if you don't have that comprehensive
24 review, if you don't have that level of regulatory
25 process rigor, how do you assure that you're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 picking out an area over here in seismic, and treating
2 it with respect to risk differently than you're
3 treating other aspects of the regulation? And even
4 with the best of intentions with these things, you're
5 going to get unintended consequences.

6 Dry cask storage licensees don't have
7 backfit protection like Part 50 licensees do. I guess
8 in the case of Yucca, you call it a forfeit, a forward
9 fit, more aptly, because now that this ISG is out, the
10 DOE designers are going to be designing things
11 differently, perhaps, in response to this methodology.
12 And, again, I would ask the question - is this really
13 what's intended? Are the designs that are going to
14 evolve from this untested methodology really going to
15 be better designs? Are they going to be necessary
16 designs? So why they're particularly ineffective for
17 Yucca Mountain, I pretty much covered this. You don't
18 have a situation where you need a generic
19 communication tool. There's nothing going on in the
20 interim here, and there is ample time to revise the
21 Yucca Mountain review plan.

22 I am about to introduce Ken. He's going to
23 speak to the first point. We strongly believe - now
24 last month I think this committee did a good job of
25 questioning the staff on what they felt the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implications of using this methodology would be. I
2 don't think you got a lot of certainties in terms of
3 them being able to demonstrate that it wouldn't lead
4 to more stringent design. You're going to hear from
5 Ken, as to why we think that this will lead to a lot
6 of design complexity that won't add additional safety,
7 and will make the design of Yucca Mountain much more
8 challenging.

9 And then after Ken talks more to that
10 first point, I'm going to - I just want to put in your
11 minds here these next two points. We believe there is
12 a provision in Part 63 which would allow the use of
13 traditional, you may call them more deterministic
14 approaches, at Yucca Mountain consistent with
15 precedent because they're reasonable, because they're
16 proven. I will concede that we raised this point in
17 the meeting we had with NRC. The author of the
18 particular section of the regulation was there, as
19 well as the lawyer that interprets the regulation, and
20 they both told us that's not what they meant. We
21 think it's what they should mean, and we at least
22 think that the commission should be asked that; again,
23 did you really mean this?

24 So coming down to the final point here is,
25 as we look at the question of whether or not this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 untested methodology gives us a more stringent
2 standard, the question is, did you really intend to do
3 this? And that's question, I would submit to you,
4 hasn't had the opportunity to be asked, because of the
5 unique nature of the way ISGs are promulgated, without
6 the same inputs as more formal regulatory tools. So
7 with that, I'll turn it over to Ken to walk through
8 the argument of how we feel this is going to drive the
9 design.

10 MR. CANAVAN: That's got to be the record
11 in speed. Good afternoon. I'm Ken Canavan. I'm the
12 Risk and Safety Program Manager at EPRI. The program
13 includes, just to give you a little bit of my
14 background, includes risk on both standard
15 probabilistic risk assessments for nuclear power
16 plants, but also includes items like grid risk, risk-
17 informed applications. And we do a lot of work in
18 external events, fires and seismic. And that's our
19 role here today.

20 The slides I'll be presenting are the ones
21 with the EPRI logos on the lower left, so if you need
22 to go back later and figure out which ones I was
23 speaking to, you can notice it by the logo.

24 The presentation contents that I'm going
25 to go through, I'm going to go through an overview of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ISG-01, then an overview of traditional seismic PRA-
2 type methods. I'll compare and contrast a couple of
3 the important elements of those. And then I'll talk
4 about some of the technical issues that we see with
5 ISG-01. And then I'll have a brief conclusion on some
6 of those activities.

7 Ron put up here a slide for you to look at
8 that you've already seen before in the earlier
9 briefing about a month ago, and this slide is to
10 represent the methodology for ISG-01 for seismically
11 initiated events. It goes to our first point, that if
12 you look at this figure, it doesn't actually represent
13 exactly what ISG-01 says. What ISG-01 says is that
14 the first step is to assess the seismic performance of
15 individual SSCs on the ITS. The second step is that
16 failure probability exceeds one in 10,000 during the
17 pre-closure period, then it's retained. If it's below
18 that, then it's just screened, and the intent of 10
19 CFR Part 63 is met. In the case where the components
20 don't screen, you need to demonstrate that the seismic
21 sequence is less than one times one in 10,000 over the
22 pre-closure period. And if that screening test fails,
23 alternately, you demonstrate that the consequences are
24 accepted. So if you go back to the chart, that's not
25 really what's here. The chart is demonstrating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that's a little bit more typical of what I
2 would call seismic PRA. This is a little bit more
3 typical of that type of approach, with the exception
4 of a few boxes. But this actual is the event sequence
5 less than one in 10,000, and is the dose category
6 exceeded, actually occurs a little bit earlier in the
7 process.

8 First you're doing the components, is what
9 is said in the ISG. And that's sort of a significant
10 point, as we'll get to in future slides. But let's
11 talk a little bit about the Seismic Probabilistic Risk
12 Assessment approach, and this is, obviously, a very
13 brief overview of a very complicated topic. But just
14 to try and compare and contrast some of the steps, the
15 first step in a - and just a quick note before I go
16 too far into the methodology - there's a number of
17 methodological documents that are available, and that
18 we could have referenced here. We didn't print out -
19 some of the references are, indeed, NRC NUREGS and Reg
20 Guides. We won't point to those right now, but if we
21 need to get a list of references together, we can do
22 that.

23 But seismic PRA methodology starts with
24 screening out of high capacity components. There's,
25 traditionally, a number of components that could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 screened out because they're of known high capacity.
2 The next step in the seismic PRA would be to identify
3 the seismically controlling components, but that's
4 done by function, so you're looking at a system
5 function that's important to safety, and then you
6 identify the components or components that are the
7 drivers of the seismic risk. And that's generally
8 referred to as the weak link approach.

9 In the seismic PRA, these are then
10 immediately incorporated into the seismic sequence
11 model, which is usually a version of the Level One PRA
12 that exists. Then that model is evaluated, and then
13 a results review is performed, so you evaluate that
14 model and come up with results. You then take those
15 results, and you look, first, to find out if you need
16 to refine your seismic model? Did you miss anything?
17 Are there things that need to be included?

18 Other activities are to look at potential
19 mitigative and recovery actions that may or may not
20 have been initially included in the model. Some of
21 those are hardware, some of them are procedure-
22 related. And then, generally, you repeat the above
23 steps. If you find any mitigation or any recovery
24 actions that you wish to include in the model, you ca
25 put those in. And then the last part of that is, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perform physical modifications. The physical
2 modifications part for the plant is where you look at
3 the seismic sequences and decide if there's any cost-
4 beneficial changes that you can make to the plant that
5 make sense from a design perspective.

6 I will note here that, at least in the
7 past, our experience with the IPEEE, the individual
8 plant examination for external events, indicates that
9 not always the highest contributor is the one that
10 upon which modifications are designed for. Often,
11 it's one of the lower contributors that may be very
12 cost-effective to fix. In other words, it's so easy
13 to fix, you just go ahead and do it.

14 There are other ones that might require a
15 cost-benefit-type analysis that you might go through
16 and decide that it applies to multiple sequences; and,
17 therefore, a larger piece of the risk; and, therefore,
18 that is something that you would want to go through.
19 But this is part of the risk-informed process that you
20 go through in the seismic PRA, and subsequent
21 modifications to the plant. You then incorporate - if
22 you make any physical modifications, you may then
23 incorporate those into the model, and repeat the
24 procedure again.

25 Having talked about both methodologies,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 let's -- the relative -- we wanted to compare some of
2 the relative elements of each approach in the weak
3 link or the traditional seismic PRA approach. We tend
4 to identify the seismically control failures at a
5 function level. For the ISG-01 methodology, we're
6 examining all the fragilities for all the components,
7 regardless of importance. Now that may not be
8 actually what is being done, or what the licensee and
9 licensor have agreed to, but that is certainly what is
10 stated in the ISG-01.

11 In the case of the seismic PRA, we may
12 perform fragility analysis for selected component, or
13 components, for that particular function. And that in
14 both cases will convolve the fragility with the
15 hazards, but in the case of the seismic PRA, it's only
16 for those selected components that drive the seismic
17 risk. And in the end, when you look at these two
18 approaches, the seismic PRA is sort of a top-down
19 approach to managing the risk at the facility, where
20 it's looked at holistically, not a sequence-based
21 approach, but a more across sequences and whole
22 facility type approach; whereas, in the ISG-01
23 methodology, it's sort of a bottoms-up approach. If
24 it didn't screen the first - if the individual
25 component doesn't screen, then we look at the seismic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sequences, so we're going from the bottom to the top.

2 Some of the technical issues that come out
3 of the ISG-01, is that it forces - and maybe that's a
4 strong word - but it forces a method that is not
5 consistent with the majority of seismic probabilistic
6 risk assessments, or analyses. I purposely didn't
7 call it seismic PRAs here. There are probably 40
8 seismic PRAs done in the nuclear power arena, maybe
9 it's a little bit less than that, but it's around that
10 figure. And in the case of ISG-01, it's not a seismic
11 PRA, per se, and the methodology that's in ISG-01 is
12 certainly not widely demonstrated.

13 We also feel it imposes an alternative
14 design requirement. If you go through the first step,
15 and you actually take each individual component, and
16 you perform fragility analysis, and compare that to a
17 cut-off, is essentially imposing a new design
18 requirement upon that component, if you expect it to
19 screen. So if you're the procurer of a particular
20 component at your plant at this facility, and you're
21 looking at two components, one that may screen and one
22 that may not, you may choose the one that screens.
23 You're not differentiating among the risk-significance
24 of the pieces of equipment. Is that more important in
25 the overall scheme of safety, than, let's say, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 next component that you look at?

2 This approach is very -- the ISG-01
3 approach is very resource-intensive, if you perform
4 the first step, as it's stated. If you go and you
5 look at each component that's important to safety, and
6 you perform a fragility analysis, that is certainly
7 going to be a very resource-intensive process.

8 The next bullet, just to give you a little
9 comparison - a typical seismic PRA, anywhere from
10 about a typical range of fragilities might be about 25
11 to 75, there are some plants with some more, there are
12 some plants - there actually are a few plants with a
13 few less fragilities that are performed. For a site
14 in excess of, let's say, approximately 50,000
15 components - again, another approximation - but in the
16 case of ISG-01, if we were doing this for a facility
17 with 50,000 components, we'd be performing 50,000
18 fragilities. Fragilities are not cheap. The
19 expertise available to perform fragilities is getting
20 harder and harder to find. There are fewer and fewer
21 seismic experts out there who are capable of
22 performing this type of analysis.

23 Again, I was going to make the point that
24 ISG-01 is component and sort of sequence-based, as
25 opposed to facility-based. The ISG-01 really does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at components, then sequences, doesn't really
2 speak about among sequences; where the seismic PRA
3 attacks the results in a more holistic perspective and
4 a downward-looking approach, where it might look
5 across sequences for potential mitigative or recovery
6 actions. ISG-01, currently, is also silent on the
7 area of mitigative and recovery actions, but it does
8 talk about modifications on that chart, design
9 modifications prior to considering both mitigative and
10 recovery actions. In other words, that box isn't
11 there, but the box on modifications is there, so if
12 you're a design engineer, you're not looking for
13 mitigative and recovery actions, you're looking for
14 hardware changes. And it imposes those hardware
15 changes before the consideration of uncertainty, cost-
16 benefit, and other factors. It's interesting, your
17 previous presentation will have little to do with what
18 we're going to talk about here where you were
19 discussing uncertainty, but I'll discuss that on a
20 future slide.

21 The screening criteria is of one in 10,000
22 over the pre-closure periods imposed without
23 consideration of, for example, the commensurate
24 threat. It's significantly lower, more than a factor
25 of hundred, than the safety goals for operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactors, so you're looking at a one times ten to the
2 minus four over the closure period.

3 The other interesting fact that we're
4 looking at here is the tails of the distributions, and
5 that's the fragility curve. The tails of the
6 fragility curve can drive the design, and the tails of
7 that fragility curve has an extremely large
8 uncertainty associated with it.

9 I did want to make a couple of other
10 points on the technical issues. There are a lot of
11 potential single SSC sequences that are possible in
12 the case of evaluating seismic. We know this from all
13 the seismic PRAs performed, things like building
14 failure is the potential for a single event sequence,
15 and there are several others. For example, if like
16 equipment is used in two trains of a mitigative
17 system, and those trains are located in the same part
18 of the building, they are assumed, through the
19 methodology of seismic PRAs and probabilistic
20 analysis, to both fail with the exact same fragility,
21 so only one fragility is used; therefore, it really is
22 a single event, even though there are two pieces of
23 equipment involved. And the results of that is the
24 potential to over-design some of the structures and
25 equipment. And there are some ancillary things here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like the cost of construction, and there's even the
2 possibility in the case of the extreme hazards, and
3 the very low threshold criteria that are being used
4 here, that there may be some situations of the design
5 that actually haven't been encountered in modern
6 construction. It is possible, for example, to find it
7 very difficult to design a pole or crane to be able to
8 withstand the seismic forces we're talking about in
9 this particular facility.

10 And I did a quick back-of-the-envelope
11 analysis just to look at the pre-closure facility and
12 get some idea of what the building itself would look
13 like, and I estimate something greater than three and
14 a half feet of maximum steel - the maximum steel
15 reinforcement allowed by code being required, and
16 that's really - I think I can say with pretty good
17 assurance - that that's the minimum. It may even be
18 about four feet thick concrete with maximum
19 reinforcement. That's a lot of concrete, that's a lot
20 of reinforcement. That's stronger than a typical BWR
21 secondary containment, and as strong as some of the
22 existing containments in the nuclear industry.

23 But the most important point of that whole
24 discussion, is that this is an artifact of the
25 analysis technique, it's not an artifact of physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reality. I don't think we would be discussing it if
2 it was a physical reality, but what I mean by that is
3 an artifact of the analysis, is the seismic hazard
4 curves are designed, are based largely on expert
5 judgment, especially in the higher acceleration
6 regions we're looking at. And that expert judgment
7 has a lot of uncertainty associated with it, several
8 orders of magnitude. And it's probably in the
9 conservative direction right now, so this is an
10 artifact of a - this is sort of a mathematical
11 artifact, or artifact of the expert judgment.

12 And just to give you an example, I can
13 take the fragility, the hazard curve that's being used
14 for Yucca Mountain, and I can find on that curve the
15 probability of a 15G earthquake occurring, the
16 probability of a 15G earthquake - yes, there's no
17 physical reality that we can have that earthquake, but
18 that curve will produce a probability that is very
19 low, but it will produce that probability, even though
20 it's not physical.

21 And the last part of the ISG, the ISG also
22 doesn't provide any guidance on the performance of
23 consequence analysis. It does refer to it being the
24 last part of the screening process, but certainly
25 doesn't provide any guidance on its performance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These were my technical concluding
2 remarks. In overview, the ISG appears to be a little
3 bit more risk-based than it appears to be risk-
4 informed. I do have a bullet here that the current
5 state-of-the-art of seismic probabilistic analysis may
6 not support the extremely low criteria that's
7 currently proposed, and uncertainties are extreme in
8 the tails of those curves, and it's important to know
9 that when you're making risk-informed decisions, risk-
10 informed decisions are made in the light of
11 uncertainty, and understanding that uncertainty. So
12 I would argue that it may not be risk-informed, it
13 also may not be prudent to design the structures to
14 those higher acceleration levels without consideration
15 of what are the impacts, both financially, both on
16 other hazards that you may need to consider.

17 And the last part is, more flexible
18 methodologies than what's proposed in ISG-01 may be
19 required to support a real practical risk-informed
20 framework for Yucca Mountain, especially in the area
21 of seismic. And those conclude my remarks on this
22 part.

23 MR. McCULLUM: There'll be one more
24 technical subject coming up, but first I want to take
25 you back to something I mentioned on the introductory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slides to Ken's talk here, which is, this is the
2 belief, why we at NEI believe there is a regulatory
3 basis for - well, certainly, we believe there's a
4 strong basis for NRC not imposing expectations on DOE
5 through guidance to its staff, but why, specifically,
6 the original, more traditional approaches originally
7 proposed by DOE should be accepted at Yucca Mountain.

8 Now, again, I will already concede that
9 both DOE staff and GC disagree with this
10 interpretation. We'd certainly like to see it
11 explored, and we think it's a very useful
12 interpretation, particularly, again, looking at how
13 much work has been done successfully with the more
14 traditional approaches, and how unprecedented, and
15 perhaps sending us off in a non-productive direction
16 ISG-01 is.

17 But, anyway, initiating events would be
18 considered only if they are reasonable, and reasonable
19 is defined as, in part, consistent with precedents
20 adopted for nuclear facilities with comparable or
21 higher risks. We feel this in the regulation should
22 give DOE the ability to use traditional approaches.
23 I remember when the staff was speaking to you last
24 month, the reason given for the rejection of the
25 original methodology, and the decision to issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance - again, guidance to the staff to correct a
2 problem that DOE was having, yet it's not really a
3 requirement being issued upon DOE - had to do with
4 well, the regulation requires a different approach.

5 Well, the second question to that is, why?
6 And that's, again, why you need the broader level
7 review. That's why the regulatory discipline is in
8 the system, and that's why ISGs should not be used,
9 and similar tools should not used to circumvent the
10 regulatory discipline, because that's second why
11 question never gets asked. The interpretation is that
12 63.102(f) does not allow DOE to submit analysis based
13 on existing precedent, even if it's not exactly what
14 you might have envisioned when you were writing Part
15 63; yet, the question of why you have to reinvent the
16 wheel in a broader sense doesn't get addressed.

17 This goes back to the point I just
18 mentioned, and we have a lot of experience with ISGs.
19 And I will say that not everything in an ISG is bad.
20 I know when I first mentioned this in a public meeting
21 in a DOE/NRC technical exchange, Lawrence Kokajko came
22 up to me afterwards, and he pointed to all the things
23 that are in the ISGs that folks in the vendor
24 community may have found useful. I'm not sure folks
25 in the utility community would agree with all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those, but whatever - I'm not contending that
2 everything that's in an ISG is bad. What I am
3 contending is, when NRC staff does sense a legitimate
4 need to address an issue with guidance, or with
5 promulgating an expectation, that they do it with the
6 same level of rigor and process that the original
7 instrument had associated with it. I mean, the staff
8 has told us that these ISGs essentially amend the
9 Yucca Mountain review plan; yet, they don't have the
10 same level of process, the same level of approval.

11 And so we do find - our experience with 22
12 ISGs now, is they do - although, they're written as
13 guidance to NRC staff - they do tend to become de
14 facto requirements. And the fact that this
15 methodology is out there, and is out there in specific
16 response to a methodology of DOE's that the staff
17 rejected, it does reduce DOE's flexibility. One of,
18 I think, NRC's best tools is the TPA code. NRC uses
19 the TPA code to do its own independent analysis, and
20 it looks at DOE's TSPA, and it can do all kinds of
21 nifty comparisons there. NRC could use this
22 methodology to do its own internal studies, and to
23 take apart pieces of DOE's design. It would be very,
24 I think, instructive if DOE was designing with the
25 top-down approach. NRC starts to look at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bottoms-up, they might come up with some very
2 interesting questions in doing that. But NRC staff
3 wouldn't think of imposing its TPA code on DOE,
4 through interim staff guide, or any form of regulatory
5 tool. It's very clear that that's a tool that NRC
6 does to do its own independent work.

7 I would submit to you that this
8 methodology could be such a tool. There is really, in
9 our minds, no rationale to support imposing it on DOE
10 through an ISG. And if the conclusion is that it
11 should be imposed on DOE, well then it should be
12 imposed appropriately. It should be imposed by taking
13 the review plan, or even the regulation, to a greater
14 level of detail. But, again, ask yourself the
15 question - why the review plan, and why the regulation
16 originally left the flexibility there.

17 CHAIRMAN RYAN: Rod, let me just stop you
18 a second. I'm struggling here. I'll tell you why.

19 I have no guidance from OGC or anything.
20 We are here to give technical advice to the
21 Commission.

22 If I was to follow your guidance,
23 everything would be in 10 CFR 63.

24 MR. McCULLUM: I would say everything that
25 is necessary would be in 1063 or the Review Plan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Oh, wait a minute now.
2 You said it should follow the highest level that it
3 came from. It all came from 63.

4 MR. McCULLUM: Right.

5 CHAIRMAN RYAN: Why don't we write
6 everything in regulation and be done with it? I'm
7 really struggling to follow the logic of how an
8 interim staff guidance is inappropriate for a reason
9 that is really kind of a regulatory structure reason.
10 I don't follow that.

11 I'm not trying to argue with you as much
12 as I'm just trying to understand your point. I don't
13 get it.

14 MR. McCULLUM: Yes, I'm glad you brought
15 that up because I need to clarify it, absolutely.

16 CHAIRMAN RYAN: Let me give you my counter
17 example. The NRC uses license conditions, letters to
18 licensees, branch technical positions, reg guides, I
19 mean dozens of different kinds of instruments to
20 communicate to applicants, licensees, and others. Why
21 are you picking on this one?

22 Now I did understand -- and if I may just
23 take a minute -- I appreciate the fact you had some
24 very specific technical issues. So you are kind of
25 disagreeing with the process and you are disagreeing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the content. Somewhere along the line I would
2 like to understand which one is more important to you.

3 MR. McCULLUM: Well, I think all those
4 tools you mentioned have a higher degree of process
5 rigor. I think that you get down to the point where
6 you have technical things being imposed on a licensee
7 that aren't as well-thought-out as they should be when
8 you abdicate some of your process rigor.

9 You use the term "everything should be in
10 the regulation." I guess where the disconnect is
11 coming is in that definition of everything. I said
12 everything that's necessary.

13 We firmly believe that regulation should
14 be the high level, and it should be incumbent upon the
15 applicants and the licensees to define how to apply
16 those regulations, how to comply with those
17 regulations.

18 What you have with ISGs is, without
19 revisiting the overall structure of the regulation,
20 you have a more detailed expectation being placed on
21 a prospective licensee.

22 I would submit, why go to that level of
23 detail?

24 CHAIRMAN RYAN: Well, you know, I've been
25 a licensee and an applicant both at this Agency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Whenever I've got the NRC to write something down,
2 tell me what they wanted, I always went away feeling
3 pretty good, if I thought I was technically correct
4 and sound, for all the reasons that you just cited.

5 MR. McCULLUM: Right.

6 CHAIRMAN RYAN: I guess my own view is I
7 didn't much care what they called it.

8 MR. McCULLUM: Well, no, and, again,
9 that's why I would concede there are things in ISGs
10 where there are licensees out there who are glad they
11 got that in writing. There are times that the
12 regulator needs to clarify.

13 We find, as a matter of course, though,
14 that ISGs are not an effective way of doing that.
15 Remember, the title says, "interim." Let me ask you,
16 of the 22 interim staff guides in the dry storage and
17 transportation world, why are they all still interim?
18 What comes next? Interim doesn't convey a level of
19 permanence.

20 It also gets back to the fixed playing
21 field issue. When the regulator can convey
22 expectations in an interim fashion, in a fashion
23 without the controls that are placed on the
24 regulations and the other tools themselves, the
25 licensees can be surprised.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are cases in the dry storage world
2 where, again, RAIs are written against draft ISGs in
3 the middle of review processes. If there legitimately
4 is an emerging issue that is discovered, that may be
5 appropriate, and ISGs may have been the most effective
6 tool at hand at the time to do that.

7 But, again, in Yucca Mountain, that is not
8 the case. There is no interim here. If there is an
9 emerging issue, why can't it be dealt with in the
10 context of the review plan itself?

11 I hope that is helpful, but it is our
12 contention that you get to the technical problems such
13 as this by not following the appropriate level of
14 process rigor. That process is put there in place for
15 a reason.

16 If we found a problem that I haven't got
17 the right cause, I apologize for that, but our
18 experience with ISGs would suggest that we should
19 answer that question of, why are they interim
20 indefinitely? Then maybe many of them would find
21 appropriate permanent vehicles. Maybe some of them
22 wouldn't.

23 But the overall, the overarching review
24 should be done, particularly in light of the risk
25 information that is known about dry cask. You've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heard about the dry cask PRAs and what low risk levels
2 you are dealing with there, and you have all these
3 expectations promulgated through ISGs.

4 Are we focusing enough attention on the
5 right risk-significant areas there?

6 CHAIRMAN RYAN: I appreciate your
7 clarifications. Thanks.

8 But what I am trying to separate in my
9 mind, or at least from what you both have said, is,
10 what are the technical challenges that you see in the
11 ISG? That is one set of things.

12 Forgive me, I just don't know the area
13 well enough of the seismic questions, but I am trying
14 to separate what your process problems are from the
15 technical points.

16 MR. McCULLUM: Right. The only
17 relationship is that we feel that --

18 CHAIRMAN RYAN: I'm trying to ask you
19 don't relate them.

20 MR. McCULLUM: Okay.

21 CHAIRMAN RYAN: Just tell me what your
22 technical issues are, and I now understand what your
23 process points are, but what are the technical issues,
24 separate from those?

25 MR. McCULLUM: I'll let Ken speak to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay.

2 MR. McCULLUM: I think it has to do with
3 how we feel the design will be driven by this
4 methodology in ways that might not otherwise make
5 sense.

6 MR. CANAVAN: Yes. I think, if I might,
7 I'll step us back to here.

8 The ISG is a --

9 CHAIRMAN RYAN: What page is that?

10 MR. CANAVAN: I have a lack of page
11 numbers.

12 MR. McCULLUM: You went back one, two
13 slides from where you were. So you're at slide 16 or
14 15.

15 MR. CANAVAN: Yes, it is on page 8 of your
16 presentation slides. Did we all find it? Fifteen?

17 I would start with this is sort of a
18 summary of the major issues. The devil's always in
19 the details. So I would encourage us that, if we are
20 going to pursue something, that we look at some more
21 of the details.

22 But the ISG wants more of a bottom-up
23 approach. So it is not really risk-informed. It is
24 looking at mostly -- it starts off with individual
25 components and moves to sequences, and then it never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discusses among sequences.

2 So let's say I have 15 sequences that all
3 impact fuel pool draining. It never looks at, well,
4 is there some piece of equipment that we should have
5 in place or procedure to refill the pool, because of
6 this seismic event? And what does that do to the
7 probability of those 15 sequences? Some of them are
8 initiated by seismic events; some are initiated by
9 fire; some are initiated by random events.

10 That is why it is important to look
11 holistically; rather than from the bottom-up, look
12 from the top-down, so that we can look at a variety of
13 sequences. The ISG-01 never discusses looking across
14 sequences. The ISG-01 says look at a component. Look
15 at a sequence. Does it screen? No. Modify the
16 structure.

17 That brings us to the next, one of the
18 other concerns that is actually not on this page that
19 was made earlier, which is you may be modifying the
20 structure prior to doing something that is a little
21 bit more holistic, a little bit more risk-informed
22 rather than risk-based.

23 The next bullet talks about -- there's
24 actually two things implied in here. One is that the
25 state-of-the-art of probabilistic assessment may not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support the extremely low criteria that Yucca Mountain
2 currently has. That criteria is based on a hazard
3 curve. That hazard curve is formed by expert
4 judgment, especially in the tailends. The tailends,
5 it can be up to two orders of magnitude in the tails
6 of the probability at a certain G-level.

7 So you're now designing for a G-level
8 because the design of .58 didn't make the cutoff,
9 because you're looking at 1(-6), and that's upping
10 your G-force level to something very high, where the
11 structure fails. So now you go back and you say, "I
12 want to make this structure stronger," but that whole
13 convolution of the seismic hazard curve and the
14 building fragility is driven by the tail of that
15 structure.

16 If you said, "I don't know G-force levels
17 higher than 1 G, I don't even physically know them,"
18 and you cut off the hazard curve, you would find that
19 the design actually now does screen. So it is a sort
20 of a mathematical artifact, based on expert judgment,
21 and you're making a building that might be
22 significantly stronger based on a curve that comes
23 from expert judgment that we know is conservative, and
24 therefore, may not be risk-informed.

25 The nuclear industry as a whole struggles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with some of this on the seismic area as well, but
2 only in the cases where you're looking at extremely
3 high G-forces and you're at the tails of those curves.

4 I did a quick study that I was going to
5 put in the slides, and I decided not to, where if you
6 cut off the top, because I thought it was a little too
7 in-depth, if you cut off the top 20 percent of the
8 hazard curve, you can reduce the risk by up to 30 to
9 40 percent in some cases.

10 So you basically are saying, when you cut
11 off that hazard curve, I don't know any more after
12 this. I'm going to stop. I'm not going to take it to
13 15 G and 1 E (-22) because I know that those aren't
14 real values; they can't really happen.

15 If I start truncating that curve, I find
16 that the risk starts reducing. In the case of Yucca
17 Mountain, some of these components would start
18 screening.

19 So, in this case, since we know that a
20 significant portion of the components will not screen
21 based on their current design, they are going to
22 actually be designed to this probabilistic framework
23 on a component-by-component basis, and that is risk-
24 based, not risk-informed.

25 It is also beyond the state-of-the-art, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my opinion, given the uncertainties that the seismic
2 can support, seismic methodologies can support.

3 The last part is more flexible
4 methodologies than given in ISG-01, for example,
5 looking at recovery, looking at repair, looking at
6 mitigative actions, isn't included in ISG-01 and would
7 be an important aspect of reducing the probabilities
8 of sequences in ISGs and equipment, so that they would
9 screen.

10 CHAIRMAN RYAN: Is it fair for me to
11 conclude from your comments that you think ISG-01 is
12 inconsistent with other guidance that the NRC has put
13 out on seismic issues?

14 MR. CANAVAN: Yes, completely.

15 CHAIRMAN RYAN: Have you said that?

16 MR. McCULLUM: We can go straight to this
17 one now.

18 MR. CANAVAN: This is exactly where we are
19 headed.

20 The ISG-01 cites the MOX example of the
21 MOX plan as supporting ISG-01. We reviewed the
22 reference that's in ISG-01, and it really doesn't
23 provide sufficient information to demonstrate it as a
24 precedent. It's also only one facility.

25 We compared some of the design processes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that were in the MOX facility and what was planned for
2 ISG-01 in Yucca Mountain. These are just some
3 differences in the criteria shown on the table.

4 But other than MOX, there's certainly no
5 other facility using this that we're aware of, and the
6 MOX is a little light in technical information and
7 figuring out whether or not they really do qualify as
8 precedent, as opposed to commercial nuclear facilities
9 that have a large body of both PRAs performed and
10 guidance available, some of it even the fast guidance
11 in the form of new regs and new reg CRs, that goes
12 through the development of a seismic hearing.

13 CHAIRMAN RYAN: I mean just as a non-
14 expert, it seems to me that those technical
15 comparisons are more compelling than the process
16 comparisons.

17 MR. CANAVAN: Well, I'm a technical guy.
18 So I feel they're very compelling.

19 CHAIRMAN RYAN: And I do, too. But,
20 again, just to review, our focus here is to give the
21 Commission technical guidance on technical matters.
22 So the process matters are not in our wheelhouse, but
23 these tend to be.

24 So I am interested to hear a little bit
25 more about what your insights are here on these kinds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of points.

2 You know, for example, talk a little bit
3 more, if you would, please, about the PRAs that have
4 been done at power plants and utilities, and how does
5 that information come to bear, and what are the new
6 regs that are involved, if you could?

7 I know I'm putting you on the spot because
8 you probably don't have all that at hand, but --

9 MR. CANAVAN: Greg?

10 MR. HARDY: Can I just talk to this real
11 briefly?

12 MR. CANAVAN: Yes, please.

13 MR. HARDY: I helped put this together.

14 CHAIRMAN RYAN: You have to sit at a
15 microphone and tell everybody who you are.

16 MR. HARDY: Even if I talk loud?

17 CHAIRMAN RYAN: Yes.

18 MR. HARDY: All right. I'm Greg Hardy
19 with ARES, and I'm a consultant to EPRI, worked on
20 seismic PRAs since the very first one in the
21 commercial -- Oyster Creek.

22 I don't know whose seat I am stealing
23 here. I apologize.

24 If you are interested in this particular
25 thing, and I think maybe it makes sense to flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through it a little more, we have this one precedent
2 for MOX. What they did for MOX is design to a one-
3 time 1×10^{-4} curve, which if you're into
4 probabilities, what it means, it is a little more of
5 a higher level for that site than, for instance, what
6 happens at Yucca Mountain, a 5×10^{-4} design.

7 And it is key for a number of reasons. In
8 truth, yes, there was a performance goal that was
9 raised at an RAI stage within the MOX facility, and
10 that RAI asked, well, what does it mean beyond the
11 design basis, which is frequently asked, but not in a
12 prescriptive -- it is usually asked in a more broad
13 sense: Can you go beyond the design basis of what
14 will happen?

15 Well, here in MOX, in truth, there was an
16 RAI that they responded to which basically asks that
17 question. But the performance goal is a 10^{-5} goal.
18 That's a significant difference than the 10^{-6} that
19 Yucca Mountain is being asked to address.

20 So what they did in the MOX SER, and
21 they've got some references to that, they come up with
22 this quantity called the risk reduction ratio, which
23 is a factor of 10. It is basically dividing those two
24 quantities. It says, how far do you have to leap
25 beyond the design in order to demonstrate this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular seismic performance goal?

2 The significance, and the reason we put it
3 here, if you look at what happens for Yucca Mountain,
4 where they have designed to a 5×10^{-4} and the
5 performance goal is 1×10^{-6} , a very different
6 situation, a factor of 500.

7 So what it means is -- and that's that
8 last column -- what they found at the very -- they
9 only looked at six kind of very generic components at
10 the MOX facility. They concluded everything is okay;
11 our design holds; we don't change it.

12 But for Yucca Mountain, with that factor,
13 I would be very surprised if they didn't have to drive
14 the design based on that performance goal criteria,
15 which means you could do the design for a 5×10^{-4}
16 earthquake, which is about .58 Gs. It is what that
17 corresponds to, at least currently. I know they are
18 redoing the hazards someday.

19 But you do that design; it's not going to
20 hold. You're going to find you don't meet this
21 criteria. You going to have to raise it up and up and
22 up, and you're going to have to do a feedback system,
23 which basically comes back, I believe, and has this
24 thing, control to your design based on a performance
25 goal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The reason I say that, with that factor of
2 500 there, you just can't, I can't see it, unless you
3 have such a very big system of components with
4 parallel branches, et cetera, that you don't drive the
5 risk by any singletons.

6 I know the NRC has said -- I was part of
7 a conference call you guys had a while ago; I was part
8 on a cell phone; I apologize. But I think I heard
9 that they had done something that they believed that
10 wouldn't change the design, but I haven't seen
11 anything to that effect. I would be very surprised if
12 that were the case, based on my experience of, what
13 would happen with that design and some conversations
14 with the Yucca Mountain people.

15 So that is kind of the significance here
16 of, if you're using this as your precedence, it is a
17 little different animal; it really isn't the same
18 beast, at least results-wise and what the effect is.

19 CHAIRMAN RYAN: Thanks.

20 MR. HARDY: Sure.

21 CHAIRMAN RYAN: We appreciate that.

22 MR. CANAVAN: I was going to, if you
23 wanted just a little bit more information on it --

24 CHAIRMAN RYAN: Let's have it.

25 MR. CANAVAN: Okay. Let's talk a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit more about this part. This is the traditional
2 seismic PRA methodology, and this is very overview.
3 Obviously, the devil is in the details.

4 I was going to make that part that says
5 "under consider" much, much larger and talk about many
6 of the other items that you need to consider to be
7 called risk-informed.

8 But I would say in the seismic method you
9 will be looking at seismic-initiated sequences, which
10 will include the normal sequences that come from a PRA
11 plus those that are strictly seismic-related.

12 So the normal items that are in the PRA,
13 the normal sequences, will not have seismic failures
14 in them, but there will be a few unique ones that are
15 related just to seismic.

16 When you are finished with all your
17 results and you look at the end result of the PRA,
18 what you will find is that there are some seismic
19 sequences that drive the results that you may want to
20 look at to see if you want to modify.

21 This is of a structure that has already
22 been built. It has been running. It is operating.
23 It has a seismic design.

24 So you are looking back at, well, what are
25 the things that I can do to mitigate or recover these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sequences? The chances are you don't pick mitigation
2 and recovery-type actions to incorporate your facility
3 except those that indicate that you can recover
4 multiple sequences with.

5 One of the items that you will find is
6 that, if you look at some of the severe accident
7 strategies now at nuclear power plants, you find that
8 a lot of the things that they are doing in severe
9 accident management mitigate many of the sequences,
10 including those initiated by, for example, fires and
11 seismic and other events.

12 ISG-01, at least the current guidance,
13 lacks that. If you look at that picture or the flow
14 diagram, it drives you right to modification if you
15 don't meet. So it doesn't look at, well, do I refine
16 these, based on new information or things that I might
17 do to make them lower?

18 Those actions can include some things like
19 hardware. The best example I can give you is, for
20 example, a portable pump not kept on site that can be
21 brought to the site in a short period of time that you
22 might use to mitigate fuel drain-down-type events.

23 There are many others that we could walk
24 through that you could credit in the accident
25 sequences and essentially not drive your design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strictly by the hardware meeting a certain threshold,
2 which is essentially, as Greg pointed out, changing
3 the design point.

4 You might as well not design for .58 G;
5 you might as well just go convolve the single, take
6 the hazard curve, take a component, figure out what
7 that has to be seismically-designed to, and design all
8 your structures there, because that's really where you
9 are headed.

10 The seismic PRA, we would repeat the above
11 steps a bunch of times. We would iterate through the
12 process, making refinements to the model, doing
13 mitigative and recovery-type actions, incorporating
14 those into the model. Then, lastly, we would go about
15 the process of physical modification. So it's
16 actually the last step in the seismic PRA, not in the
17 middle of convolving.

18 The last step in the seismic modification
19 may not, for example, go after the most significant
20 seismic contributor. It might look at that
21 significant seismic contributor and say, in this
22 particular case, it is being driven by the tail. So
23 we do uncertainty and some sensitivity analysis, and
24 we say this is actually an artifact of the mathematics
25 and the judgment that went into making the hazard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curve, not necessarily something we need to spend \$16
2 million fixing, for example. Let's say it is a
3 structure, and it's an expensive fix.

4 But there are these other things that are
5 more cost-effective to do and lower the risk about as
6 much. So you might look at a tradeoff and say, well,
7 I'll only be spending a million here, but I'll be
8 reducing the risk twice as much, but not by reducing
9 the top, but by reducing the other lower contributors,
10 maybe several.

11 So, in that case, you're being risk-
12 informed, recognizing that your resources are fixed
13 and you are trying to make the best design you can for
14 that situation.

15 None of this appears in the brief ISG-01
16 methodology that is put out.

17 So I would argue that a seismic PRA
18 methodology might be a better methodology to use, with
19 the one caveat that, even the current state-of-the-art
20 seismic probabilistic risk assessments, and even the
21 current, are still held hostage to uncertainty and the
22 fact that the seismic curves remain largely based on
23 expert judgment, especially in the tails.

24 Is that clarification sufficient?

25 CHAIRMAN RYAN: It sure helps me. Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCULLUM: I think if we were done
2 speaking to this particular issue here, that would
3 bring us to our concluding slide, which --

4 MEMBER HINZE: Can we make certain we
5 understand what all the items are in that table?

6 MR. McCULLUM: Yes, sure.

7 MEMBER HINZE: The likelihood of increase
8 in design level, what is that?

9 MR. HARDY: Let me just go back to that.
10 Sorry.

11 At MOX, the relative closeness of what
12 they design to to the performance goal -- and we use
13 this risk reduction ratio, and this is something in
14 the MOX documentation. That particular nomenclature
15 you might not see.

16 So this number is just these two numbers
17 divided. What it says is it's relatively easy to meet
18 that performance goal if your design level is close to
19 it.

20 So what that low means is that, as it was,
21 MOX did nothing to change their design basis. All
22 they did was a study to show that they had reached
23 this performance goal.

24 What I'm saying at Yucca Mountain likely
25 will happen, certainly if you use this first approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you take a fragility and convolve it with a
2 hazard, and not do the whole process of going through
3 and looking at the consequences, you are going to have
4 a very tough time bridging that 500 gap. So I would
5 say there's a high probability that your design basis
6 is going to be predicated on this performance goal and
7 not on this design level they are currently marching
8 to, and they know that.

9 MEMBER HINZE: Isn't it true, though, that
10 the concern here is meeting a certain dose level? If
11 that dose level does not exceed the standard, then you
12 don't have to worry about design adjustments?

13 MR. HARDY: Yes. I'll let Ken talk to
14 that.

15 It's a truth, but it is very difficult to
16 do. They didn't do it at MOX. It is basically a --

17 MEMBER HINZE: That is just one, as you
18 say.

19 MR. HARDY: Yes, and the only one that is
20 a precedent, unfortunately.

21 MR. CANAVAN: I'll bring us back to this
22 particular slide.

23 The box that you are referring to is, "Is
24 the dose less than the Category 2 limit," and if the
25 answer is yes, you're in compliance. If the answer is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no, you're modifying the design.

2 The dose is the last step. This is
3 another note I will make on ISG-01. ISG-01 is very
4 detailed on developing hazard curves. It is very
5 detailed in reference to how to develop fragilities.
6 It is pretty detailed on convolving them.

7 Then, all of a sudden, the detail in
8 ISG-01 starts to disappear. There's no mitigative, no
9 recovery actions, and there's no discussion about how
10 you would calculate consequence.

11 There is a reason, I think there is a
12 reason for that. It is very difficult to assess how
13 you calculate consequence in this particular facility.

14 When does the seismic event occur? Does
15 it occur on-shift or off-shift? Where's the crane?
16 If the building fails and the crane hits, how many
17 casks does it hit and how do they fail, and what's the
18 source term that you use?

19 All these things start to become a very
20 subjective-type evaluation. You probably can assess
21 the probabilities of earthquakes day or night and
22 times, but it is a very convoluted and relatively
23 subjective analysis to even come up with the source
24 term, and then, nevertheless, how that source term
25 gets distributed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also, given the process, given this
2 process being posed during design, I would argue that
3 the person that's procuring the equipment certainly
4 feels a significant amount of pressure not to be the
5 person who causes the consequence analysis to be
6 performed, because it is hard. So they would try to
7 defer, I would believe, to a more rugged piece of
8 equipment, as opposed to doing an analysis that is
9 subjective and difficult, and especially in licensing
10 a regulatory space.

11 Also, there isn't a whole lot of guidance
12 in that area available. So while it is true that it
13 is an avenue, a potential avenue of relief, I think it
14 would be less availed than the modification approach,
15 less used, if you will.

16 MEMBER HINZE: You know, Ken, I may be
17 approaching this from completely the wrong manner, but
18 if I were DOE and I was using this methodology, I
19 would use the methodology until I met the standard,
20 and I would change the design. I would do that in-
21 house before putting this into a license application.

22 As I see it, what NRC can accept, can
23 expect from the DOE is a presentation of this in a
24 manner that meets the design, the standards, and the
25 design would have been changed. So we don't have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worry about this mitigation problem that you are
2 dealing with.

3 Where am I wrong in this approach?

4 MR. CANAVAN: ISG-01, well, it depends on
5 how you read the ISG-01. I understand what you are
6 saying. You would do a traditional seismic PRA. You
7 would finish it before submitting --

8 MEMBER HINZE: Yes, yes, yes, and I would
9 just design until I met the standard.

10 MR. CANAVAN: Then you would submit and
11 you would hope that the person reading ISG-01 reads it
12 the same way, reads that a seismic PRA is acceptable.

13 My big concern is that the people at this
14 table and the discussions that are happening now, 10
15 years later, when Yucca Mountain is fully designed,
16 there's a new person in here that says, "You did a
17 seismic PRA. You didn't do ISG-01. You can't credit
18 recovery actions because it is not an ISG-01," because
19 ISG-01 does not allow -- does not say that recovery
20 actions can be included.

21 ISG-01 says do each component. Do each
22 sequence, and then compare it to these criteria. If
23 you don't do what's in ISG-01, 10 years down the road,
24 someone might turn around and say, "Where's the
25 fragilities for all the components? You credited a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recovery. It's not allowed by ISG-01."

2 MEMBER HINZE: But where am I wrong in
3 this --

4 MR. CANAVAN: You're not.

5 MEMBER HINZE: -- that the NRC has put it
6 onto paper that this is not a de facto regulation?
7 You are worried about the term "interim," and you
8 should be worried about the term "interim," but the
9 term "guidance" is there. It doesn't say,
10 "regulation." It's guidance.

11 MR. CANAVAN: I would agree with you, and
12 if we didn't have the experience of the 22 ISGs that
13 we already have, and if we really believed they were
14 just guidance to the staff, we wouldn't be having this
15 discussion.

16 MEMBER HINZE: Point well-made.

17 CHAIRMAN RYAN: Do you want to sum up?

18 MR. McCULLUM: Yes, and I'll go to the
19 summary slide. Again, thank you for your indulgence.

20 The first three points here are process
21 points, and I'm not going to belabor those. I have
22 heard in this room, I guess all I'll say is "uncle."

23 But with this particular, what we would
24 call, unintended consequence of those process
25 deficiencies, we do find technical issues. We do see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it being interpreted as more than guidance, and we
2 think it should be withdrawn.

3 So, with that, I'll conclude.

4 CHAIRMAN RYAN: Thank you very much.

5 We will turn to the Committee for any
6 questions they have. I can't conceive that there
7 would be any questions, but let's try it anyhow.

8 (Laughter.)

9 Dr. Clarke, one of the problems of sitting
10 at that end is you're called on first.

11 MEMBER CLARKE: Well, I am happy to reply
12 that I don't have any questions.

13 CHAIRMAN RYAN: Dr. Weiner?

14 MEMBER WEINER: I can't comment at all on
15 the regulatory problem because that is not our purview
16 anyway. But something struck me; early in your
17 presentation, you said that the Yucca Mountain, that
18 the ISG was used -- a reactor in Yucca Mountain is not
19 a reactor.

20 What would you use as a comparison for the
21 surface facilities at Yucca Mountain to design a
22 seismic standard?

23 MR. McCULLUM: Well, we think that it
24 would be a conservative, and not wholly inappropriate,
25 comparison to compare Yucca Mountain to a reactor. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think the concern here is that you're driving to a
2 level of stringency that is beyond what is applied in
3 most reactors.

4 MEMBER WEINER: I guess my point is Yucca
5 Mountain isn't a reactor. Are the differences such
6 that that would be an adequate or appropriate
7 comparison?

8 MR. McCULLUM: I think it would be an
9 appropriately conservative comparison, unless, of
10 course, the argument is that Yucca Mountain is a
11 higher hazard, that the Yucca Mountain service
12 facilities were higher hazard than a reactor. Absent
13 a nuclear chain reaction, the temperatures and
14 pressures, and all that, and the accident
15 possibilities -- I wouldn't go there.

16 But I would say it is not that far --
17 again, the seismic design of the reactors is all quite
18 conservative and quite safe. If Yucca Mountain is a
19 lower hazard facility, it is not so much lower that I
20 would start proposing that we design a much less
21 robust structure.

22 MEMBER WEINER: What would you do for a
23 seismic standard in the absence of ISG-01?

24 MR. CANAVAN: I would propose a tried-and-
25 true methodology. The seismic PRAs that have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done in the industry have shown great strengths as
2 being able to improve a design. They do so in a risk-
3 informed framework. So they don't impose a new design
4 criteria.

5 They suggest that we use a combination of
6 realizing we have fixed resources and some common
7 sense, that we don't necessarily have to design
8 structures that are 4.5, 4 feet, 3 feet of steel-
9 reinforced concrete for a hazard that doesn't require
10 it.

11 So I would advocate an approach similar to
12 what was taken in the IPEEEs and performing seismic
13 PRAs for Yucca Mountain or a seismic PRA for Yucca
14 Mountain, with all the bells and whistles that come
15 with doing that: looking at recovery across
16 sequences, looking at mitigative actions and
17 strategies that make sense, as part of lowering the
18 design -- I think it makes the most sense resource-
19 wise and safety-wise. I think it is safety-focused
20 and resource-focused.

21 MR. McCULLUM: And I would add that what
22 exists in the regulation Part 63 in the Yucca Mountain
23 Review Plan is sufficient to allow DOE to make the
24 choice, to do that, to submit that to NRC, and for NRC
25 to review it, using whatever tools they want to review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it.

2 So I would contend the existing regulatory
3 framework is adequate, without the ISG, is adequate to
4 allow that to happen.

5 MEMBER WEINER: Thank you.

6 CHAIRMAN RYAN: Well, this has been an
7 interesting discussion. I appreciate your candor and
8 detail.

9 A couple of just follow-up questions: I
10 sympathized with the struggle of what's Yucca
11 Mountain-like or not like. To that end, I would say
12 it's certainly not a MOX facility, either,
13 particularly the MOX facility at Savannah River, which
14 is going to be a lot different in terms of its feed
15 material than spent fuel.

16 It's going to be plutonium, not spent
17 fuel. That's a big difference, particularly when you
18 think of consequence and events that disrupt and
19 airborne, and all the rest.

20 MR. McCULLUM: Yes, I would agree with
21 that. That was the only reference we have.

22 CHAIRMAN RYAN: And I fully appreciate the
23 fact, well, it's either that or nothing. So I am
24 sympathetic. But I think we've got to be careful.

25 I am taken, Ken, by your comments that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 state-of-the-art approach, and thinking about how to
2 use the seismic PRA, even though, clearly, that's not
3 my area of expertise, that is a compelling argument to
4 think about: How would you do it if you were at a
5 power plant?

6 To the extent that Yucca Mountain is going
7 to have spent fuel from power plants in some inventory
8 -- I don't know how much -- you know, you get a lot
9 closer to thinking about radioactive material at risk.
10 At least there's some alignment there.

11 So you can think about, what does a power
12 plant look like and what should the facilities at
13 Yucca Mountain look like, at least in concept. When
14 you get to the details, it may fall apart in some way.

15 But that means something to me just from
16 a health/physics point of view. If I have an
17 inventory of "X" curries of this profiled fission
18 products and actinides, and it's half of this
19 inventory, well, I've got a foot on the ground, that
20 kind of thing. Then using the techniques, which
21 obviously are Professor Hinze's area of expertise on
22 seismic issues, seems to make a lot of sense.

23 I would urge you to focus on the technical
24 questions. At least from our standpoint of what we
25 can advise the Commission on, the process and OGC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions of, what can the staff write and how does it
2 relate to this, that, and the other, that's not a
3 wheelhouse.

4 So from our point of view, I am glad we
5 have done what we have done. We've just kind of
6 separate them into two bins to really understand your
7 technical challenges to the content of the ISG and
8 some of these other things. That's helpful. I am
9 glad we've gone through that, but we have some more to
10 think about.

11 With that, I'll turn it back to Professor
12 Hinze.

13 MEMBER HINZE: Allen?

14 VICE CHAIRMAN CROFF: While I make a
15 comment, I would like to get the slides back. Is
16 Michelle back there? Can we get the slides back up?

17 Maybe, first, a comment: I'll take off on
18 what Mike was saying. It looks to me like the pre-
19 closure in the surface facilities at Yucca Mountain
20 look an awful lot like reactor spent fuel pools and
21 reactor dry storage operations to me. It is not
22 exact, but real close.

23 The slide I had wanted -- you had in the
24 presentation three slides with a title of "Technical
25 Issues with ISG-01." Let's see if we can get these up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here.

2 CHAIRMAN RYAN: There it is.

3 VICE CHAIRMAN CROFF: That's it.

4 It seems to me pretty much this slide,
5 coupled with your thought of going out on the tail of
6 some distribution into unphysical space, are a set of
7 potentially-compelling technical arguments just
8 encapsulated here in terms of not differentiating risk
9 significance, and that is something that at least I
10 think I could understand.

11 Have you discussed the issues on this
12 slide with NRC staff, and do they agree with them or
13 not?

14 MR. CANAVAN: We have had some
15 conversation -- I wouldn't call it formal -- during
16 breaks at other meetings.

17 MR. McCULLUM: This issue, in a more
18 general sense, was discussed in a meeting we had on
19 September 29th.

20 MR. CANAVAN: Yes.

21 CHAIRMAN RYAN: But he's not asking in
22 general. Have you talked about your specific
23 technical questions?

24 MR. CANAVAN: I would have to say that it
25 was mentioned in brief and not in detail, and there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was a difference of opinion.

2 CHAIRMAN RYAN: It seems to me that
3 conversation should probably continue.

4 MR. McCULLUM: Yes, no, it should. I
5 think, as we have gone on beyond the meeting and put
6 some more effort into it, even post our comments, I
7 think we have learned a few more things. We would
8 like the dialog to continue, yes.

9 VICE CHAIRMAN CROFF: It seems to me
10 that's the focus there, whether that's valid or not.

11 With that, I'll pass.

12 MR. McCARTIN: Yes, I guess one comment.
13 I was at the meeting and --

14 CHAIRMAN RYAN: I'm sorry, Tim. Would you
15 tell us who you are?

16 MR. McCARTIN: Tim McCartin, NRC staff.

17 I was at the meeting. I would say the
18 details of these slides, as I remember, we did not
19 hear. I go with my memory, but the details were not
20 mentioned.

21 MR. McCULLUM: Yes, our thinking over the
22 last several months continued to advance on this.

23 MEMBER HINZE: I want to leave sufficient
24 time for the NRC staff to make some comments and raise
25 whatever issues they wish to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But while we have this slide on, I am very
2 sensitive to the very resource-intensive approach
3 here.

4 Ken, have you evaluated the -- and I'm
5 also concerned about the development of fragility
6 curves. Although they're expert elicitation, there's
7 a lot of expert elicitation in PRA, as we are all very
8 well aware.

9 We do have a large number of fragility
10 curves in the nuclear power plants. How many
11 fragility curves might we see in the pre-closure site?
12 Have you evaluated that? Is this really of concern to
13 anyone?

14 MR. McCULLUM: I think if it was performed
15 as the first step, so each component that they
16 identify is, indeed, going to require a fragility
17 analysis performed for it, I think it could get
18 extremely resource-intensive and extremely costly.

19 In general, we perform 25 to 75 for a
20 typical nuclear facility, operating nuclear reactor.
21 If we look at Yucca Mountain surface facilities, you
22 could easily be into the thousands, if you would do
23 each component. That is just a very broad estimate on
24 my part.

25 In side discussions with the Yucca

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mountain folks as well, they indicate that they feel
2 that there would be a number of components that they
3 would have to do.

4 MEMBER HINZE: And you see the ISG
5 guidance as that the DOE would have to consider
6 fragility curve of each component? Is that -- I heard
7 you say that, I believe?

8 MR. McCULLUM: That is what the
9 methodology says. I'm not sure how DOE's interpreting
10 it or what they plan to submit.

11 I will say that in public meetings they
12 both said that wasn't what they were going to do, both
13 the licensee and licensor. NRC and DOE both said in
14 a public meeting that they didn't intend to look at
15 every component, which I found odd because the ISG
16 does say that, and it is exact.

17 I even put in the quotes because I am sort
18 of surprised by the party who wrote the document as
19 saying, "No, well, that's not exactly what we're going
20 to do." I always have concerns when someone says that
21 because my experience of 22 years in the nuclear power
22 industry, most of it as a licensee, has been that
23 exactly what's written is exactly what's meant.

24 Ten years from now or 20 years from now,
25 when the people who do the interpretation are gone,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a brand-new interpretation that comes in.
2 That is what is usually written on the page. It is
3 not up for negotiation at that particular time.

4 CHAIRMAN RYAN: If I may, Bill -- Ken, I
5 think that is an important point for us to think
6 about. Again, I sympathize with the view that drift
7 of guidance over time, whether it is a decade or 15
8 years, is not a good thing typically.

9 MR. CANAVAN: I have 22 years of --

10 CHAIRMAN RYAN: Clarity upfront is what
11 you are reaching for. If we can focus on the
12 technical clarity issues that are in front of you now
13 with this interim staff guidance, I think that is real
14 helpful. So I appreciate the comment that 15 years
15 from now your son or grandson will be wrestling with
16 it.

17 MR. CANAVAN: I have 20 years to early
18 retirement, so I may still be here.

19 (Laughter.)

20 CHAIRMAN RYAN: Okay, well, there you go.
21 So you'll be the voice of reason and history in the
22 whole thing.

23 (Laughter.)

24 MEMBER HINZE: Another question, if I may:
25 You're reasonably familiar with ASCE 43-05?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CANAVAN: No.

2 MEMBER HINZE: No? Okay. Is someone in
3 EPRI?

4 MR. CANAVAN: ASME?

5 MEMBER HINZE: The American Society of
6 Civil Engineers 43-05.

7 MR. McCULLUM: I think Greg can help us
8 out there.

9 MR. HARDY: I am relatively familiar, if
10 you want to just ask the --

11 CHAIRMAN RYAN: You'll have to use a
12 microphone.

13 MEMBER HINZE: Would you, please?

14 You can introduce yourself again.

15 MR. HARDY: Greg Hardy with ARES.

16 MEMBER HINZE: Let me ask a question then.
17 What is the difference between that standard and the
18 methodology prescribed in ISG-01?

19 MR. HARDY: They come up with a technique
20 for coming up with a design basis. It is a relatively
21 new kind of criteria that is not geared to a -- as
22 opposed to 1165 or something -- is not geared to a
23 strict 10(-4) design criteria. It is a sliding scale
24 based on the slope of your hazard curve.

25 So it is a risk, what they would call, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk-informed criteria for how you come up with what
2 you should design to, which that risk-informing,
3 hopefully, alleviates the need for looking beyond the
4 design basis.

5 So traditional may be to come up with
6 either a number or a return period, a 10(-4) hazard
7 like MOX did, like it sort of started down the path.

8 ASCE, and this is applying to the new
9 nuclear power plants -- that's what they're going to
10 be using, which is what I'm meeting on the next two
11 days -- but that particular path is a different
12 approach. It comes up with a criteria for a design
13 basis.

14 Then you are, for new plants, if you want
15 to go down that road, because there's another piece of
16 it, you look at a margin beyond that design basis in
17 a traditional SPRA sense, like Ken is talking about.
18 But it is not the design; it is more of a looking at
19 that margin.

20 MEMBER HINZE: Well, let me pick out a few
21 words in your reply.

22 MR. HARDY: Okay.

23 MEMBER HINZE: That is, you stated that
24 these are the standards that, presumably, are going to
25 apply to new nuclear power plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARDY: Yes.

2 MEMBER HINZE: So what's the difference
3 between using ISG-01, which basically follows 43-05
4 and --

5 MR. HARDY: Well, I'm not sure. It makes
6 reference to it, but I'm not sure it follows the
7 approach.

8 There's a different approach on what new
9 plants are doing and what Yucca Mountain is doing in
10 response to this.

11 MEMBER HINZE: Can you specify what those
12 differences are?

13 MR. HARDY: I'll try it again. I mean,
14 stop me if I'm going off in the wrong direction.

15 One is a prescriptive design criteria --
16 that's Yucca Mountain -- where you are designing to a
17 certain level, and then you have this second check,
18 which is this second column I had, which is a
19 performance goal approach. That will throw you back
20 in the space of redefining your design so that your
21 performance goal is met, if I understand it right.

22 What the new plants -- what 43-05, and
23 43-05 is the basis for what the new plants are doing,
24 and we are revising the standard of a new plant and
25 the reg guides, you know. So I will say it is based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on 43-05, but what they're going to do for new plants,
2 they will take and define, instead of either of these
3 two here, $10(-4)$ or $5 \times 10(-4)$, they will define that
4 number based on the hazard and some generic
5 fragilities at a site.

6 It may be something between a $10(-4)$ and
7 a $10(-5)$, depending on your location, how severe the
8 hazard is, something like that. That defines your
9 design. You don't have to go through this performance
10 goal assessment, which may change your design for the
11 new plants, once you have verified you've met the
12 design.

13 So let's say you do have to do -- I mean
14 it's not completely devoid of what goes on beyond the
15 design basis. There is a separate check where they
16 require you to do a margin or a PRA review of that to
17 demonstrate some margin, but it's not to this kind of
18 a performance goal. So that's the basic difference.

19 Did I explain it right or --

20 MEMBER HINZE: Right.

21 MR. HARDY: Okay. It's not an easy
22 concept, and it is still evolving. So I apologize if
23 I've gone off in the wrong direction some.

24 MEMBER HINZE: Thanks very much, Greg.

25 MR. HARDY: Good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: I am going to ask, does the
2 staff have any questions? Mike?

3 MR. LEE: Yes.

4 Ken, I think you mentioned that DOE was
5 considering doing a conventional analysis and --

6 MR. CANAVAN: Yes. At their last meeting,
7 they seemed to indicate that they performed or were
8 performing a standard PRA-type analysis.

9 MR. LEE: All right. So, from the staff's
10 perspective, if they choose to apply a different
11 methodology to review that design, they are not
12 necessarily mutually-exclusive, are they?

13 MR. CANAVAN: No, they are not.

14 MR. LEE: Okay. So I'm still kind of
15 struggling with, if your concern in some respects is
16 regulatory creep, that the methodology that is used to
17 review the design may over time become a de facto
18 requirement --

19 MR. CANAVAN: Or that DOE does not
20 complete their seismic PRA and decides to follow
21 ISG-01.

22 MR. McCULLUM: Yes, that's based on our
23 experience with, again, the 22 ISGs in the dry cask
24 storage rule, that they do tend to become de facto
25 requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEE: But, I mean, in the professional
2 world, DOE is a big -- you know, an adult, for lack of
3 a better word, I guess. I am sure they can pull in
4 the right type of expertise to do a seismic PRA and to
5 develop a facility that meets, that follows a
6 conventional design approach.

7 I'm just not sure where the real issue is.
8 This is the staff -- the staff's proposing a
9 methodology that they're going to be using. They
10 haven't told DOE that DOE has to use this methodology.

11 MR. McCULLUM: Yes, I would agree with
12 you. I think on one of my slides that is exactly the
13 point I made. That was my analogy to the TPA.

14 If that is, indeed, the way this is used,
15 if the staff uses it to compare what they do to what
16 DOE does, that is actually very valuable. If DOE does
17 a traditional top-down design, and the staff crawls
18 under and looks up at it from the bottom-up, that
19 would, in fact, be a very good, independent check.
20 That is the world I guess we hope to find.

21 MEMBER HINZE: Thank you.

22 John?

23 MR. KESSLER: John Kessler, EPRI.

24 One clarification that maybe could be
25 made, I am not clear, when NRC provides guidance to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 its staff, what that means in terms of the RAI cycle.
2 So, for example, if DOE comes in with methodology one
3 and DOE staff are required to look at methodology two,
4 where not all the information that DOE provided -- or
5 there's some information that DOE did not provide to
6 conduct methodology two, is that a whole bunch of RAIs
7 where DOE is going to have to go back out and collect
8 a bunch of information to do ISG-01 type or not?
9 That's the part I'm not clear about in terms of how
10 much more work DOE is going to wind up having to do
11 anyway if the staff are required to do an analysis
12 against ISG-01.

13 CHAIRMAN RYAN: Again, John, we're
14 drifting. I appreciate the question, but I think
15 we're drifting a little bit back into what is a
16 process control question within the Agency and is not
17 in the wheelhouse of this Committee.

18 And I appreciate the question. It is a
19 very valid one. So I'm not putting it away, but our
20 mission is focused on the technical stuff.

21 MR. KESSLER: I appreciate that.

22 MEMBER HINZE: Tim?

23 MR. McCARTIN: Well, Tim McCartin, NRC
24 staff.

25 With respect to an RAI, whenever one is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generated, there is discussion internally of, do we
2 need this information? While it is hard for me to
3 imagine that the sole need for information would be
4 "they didn't follow what we said in the ISG, and so we
5 want more information," I just don't see how that
6 would make it past -- what's the safety significance
7 of the information? There has to be more than "they
8 didn't follow what was in our guidance."

9 Now I'm talking my view of how I would
10 defend why I need additional information.

11 CHAIRMAN RYAN: Again, I've got to ask
12 that we stay on our --

13 MR. McCARTIN: But I thought that was what
14 you were asking me to address. But we're ready to
15 respond when the Committee -- we have some
16 perspectives on what we have heard.

17 CHAIRMAN RYAN: We would appreciate them
18 now.

19 MR. McCARTIN: Now? Okay.

20 I will give some broad perspectives on
21 what we have heard, and then my colleagues here can go
22 into more detail.

23 First of all, I would say some of the
24 specifics that have been provided, my view is that if
25 the ISG is requiring that, that's wrong, but I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe the ISG is requiring some of the things that
2 have been asserted.

3 I will promise you that I'm going to go
4 back and reread it to see if this interpretation, can
5 I pull that out from there? We are sensitive to that
6 interpretation -- things like requiring 50,000
7 fragility curves, analyzing all the components,
8 considering things like at a 15-G acceleration that is
9 not realistic.

10 The citation from the regulation that was
11 put up was put in precisely to preclude that kind of
12 assessment, where if you have a 15-G and it's not even
13 credible for the site, how does it get in? I mean
14 that whole part of the regulation was put in to don't
15 include unrealistic things in the analysis.

16 Certainly, the intent by the staff was not
17 to have an ISG that brought those things back in. So,
18 like I said, we will go back and look at that, but
19 certainly that was not the intent of the ISG.

20 With respect to the comments about design,
21 yes, in that chart that was shown there is a loop that
22 goes back to design, but it was not the NRC's intent
23 to try to tell DOE how to design the facility.

24 The approach that Dr. Hinze suggested,
25 that you do the seismic analysis, you iterate it as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 best you can. You determine what you want to do. At
2 the end of the day, you then come up with, well, what
3 are the things we're relying on? For those things
4 you're relying on for safety, what the ISG is trying
5 to say is that you are going to have to address the 1
6 in 10,000 chance, and that's what we would expect.

7 But how you design and how you iterate, do
8 that as the process; whatever process the Department
9 of Energy wants to use, at the end of the day, it is
10 looking at the things you are relying on, and the
11 intent of ISG, we felt was, how do you deal with the
12 spectrum of seismic events down to the 1 in 10,000?
13 And it was a way to deal with that.

14 With respect to risk, I know the
15 suggestion was there's no consideration for risk. We
16 disagree. As I believe it was Dr. Hinze suggested,
17 for the Category 2 events, there's a 5-rem dose to the
18 public. If something isn't going to challenge that 5-
19 rem dose, you don't have to do anything. No design is
20 required. It is only when you are challenging that,
21 and I think from a risk standpoint, if you're
22 challenging a 5-rem dose to the public, it's useful to
23 look at those pieces of equipment as important to
24 safety.

25 I think, with that -- that is sort of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 broad view of some of the things we heard, but I
2 think, from our action on the staff, we will go back
3 and reread the ISG and see what some of these things
4 said. We did not intend some of the assertions that
5 were made, and I guess I would be upset if I read it
6 that way myself.

7 But I want to offer there are other staff
8 members that, in terms of specific aspects of what was
9 presented, have more to add.

10 MR. SHAH: This is Mahendra Shah.

11 I have just a couple of points. The first
12 one is that Part 63 has a specific requirement in PCSA
13 for 10(-6), which is a little different from any other
14 regulation that we have. So we just cannot avoid
15 that.

16 That is the reason why we had a need to
17 write this particular ISG, because that has been
18 totally ignored. There was a miscommunication, as I
19 said. DOE's methodology that was presented to us, the
20 feedback that we gave to them was that it would not
21 meet the intent of the regulation. That was the
22 reason for writing this particular ISG.

23 The second thing is the consequence of our
24 writing did not elaborate on that in this ISG, it is
25 because that is not the focus of this particular ISG.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This was only the pre-closure design, assessment and
2 design part, and there are other areas that it was
3 intended to talk about the consequences.

4 So it was understood that the actual way
5 in which you do the consequence analysis is not within
6 the scope of this particular ISG.

7 The fact that --

8 CHAIRMAN RYAN: Just a quick followup to
9 clarify: Is that written down in the ISG, what you
10 just said? Is that explained?

11 MR. SHAH: About the consequence --

12 CHAIRMAN RYAN: This flow from 63 and on
13 down through, is that laid out clearly?

14 MR. SHAH: Yes, yes, it was written by
15 staff.

16 CHAIRMAN RYAN: But I guess I heard these
17 guys say it isn't laid out clearly.

18 MR. CANAVAN: I would disagree on several
19 of the points that have been made.

20 CHAIRMAN RYAN: Well, just on this one
21 point. Because I hear what you said, but putting
22 myself in the shoes of the folks that are on the other
23 side of the table, if that's not spelled out clearly
24 as to your intent, and the flow of the intent, and why
25 it's different and what flows from 63, and all that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that roadmapping really gives them a place to put
2 their foot and understand the framework.

3 So that could be maybe just a suggestion,
4 a possibility, that if that's clearly laid out in the
5 document, it would help everybody understand it.

6 MR. SHAH: It is not only laid out in the
7 document, we also had a very detailed technical
8 exchange where we made presentations and answered all
9 the questions. That's all public documents.

10 CHAIRMAN RYAN: I understand that, but the
11 point is, if it's not explicit in the guidance, in the
12 interim staff guidance itself, it falls, in my own
13 view, from my own experience, a little short.

14 MR. SHAH: We have a letter that went out
15 before we had the ISG, and then we had the technical
16 exchange and meeting minutes. Then we had the ISG and
17 then the public comments and responses. So there were
18 numerous opportunities for clarifications, and DOE did
19 ask all the questions they wanted to. I thought we
20 answered them satisfactorily.

21 But in spite of whether there is a
22 problem, DOE has not expressed those problems. It's
23 only the --

24 CHAIRMAN RYAN: No, no, I understand that.
25 This is a new set of questions. But it's never too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 late to get it right.

2 MR. NATARAJA: May I add something? My
3 name is Mysore Nataraja. I'm from staff.

4 The ISG described why this particular ISG
5 was written. It described a sure way one how can
6 demonstrate compliance with regulations for onsite
7 nuclear event sequences. So it does describe that
8 process and why we generated this ISG. The
9 information is there.

10 MR. McCARTIN: In fairness, I think we
11 need to go back and read the document with the
12 concerns in mind.

13 CHAIRMAN RYAN: That's a great suggestion,
14 and I appreciate that, Tim, that that's going to
15 happen.

16 MR. SHAH: And the last point I would like
17 to make -- I think John probably has a few points; I
18 don't want to take all the time, but --

19 CHAIRMAN RYAN: We're actually over time.
20 So we need to wrap up promptly.

21 MR. SHAH: Okay. Quickly, the design
22 examples that were given here were probably because of
23 the unrealistic hazard curves more than anything.

24 MR. STAMATKOS: Yes, I just want to
25 make --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I'm sorry, could you tell
2 us who you are for the record?

3 MR. STAMATKOS: Oh, I'm sorry. John
4 Stamatkos from the Center at San Antonio, CNWRA.

5 Ken, I would take a different view of your
6 description of the hazard curve. A hazard curve, it
7 is true, is built on expert judgment or expert
8 elicitation, but the higher ground motions you get at
9 very low probabilities are not the result of expert
10 judgment as much as they are of the promulgation of
11 uncertainty. That uncertainty plays out in the 100-
12 year earthquake as well as it plays out in the
13 million-year earthquake. It is the uncertainty of the
14 inputs into a PSHA that drive those hard ground
15 motions. It is not whether or not you use an expert
16 elicitation.

17 I also want to point out that I think that
18 one slide you had where you had the comparison with
19 MOX has both I think some errors and some apples-and-
20 oranges comparisons. First of all, the MOX facility
21 as a seismic design, it's to a deterministic design
22 spectrum, though old Reg Guide 160 spectrum. So the
23 design level, seismic design level, differs as you
24 move from the different structure of frequencies from
25 one to another. I think it goes from around 10,000 at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some values to about 50,000 for some others.

2 And the seismic performance goal -- let me
3 finish my comment -- the seismic performance goal for
4 that facility is 10(-5) as a rough sort of gauge of
5 performance, but it is for single-component SSCs.

6 The economic design level is something
7 that DOE has prescribed. There's nothing in the
8 regulation that we are telling DOE how or what level
9 they need to design to.

10 The performance goal there, 1x7(-6) is
11 really the performance goal for the event sequences.
12 You do need -- that would only happen, that risk
13 reduction, very large risk reduction would only happen
14 in the event of where there might be singles. We have
15 discussed with DOE at the moment there doesn't seem to
16 be in anybody's imagination that there will be a large
17 number or any singles in their evaluation.

18 I have other comments, but I think I'll
19 just stop at those.

20 MEMBER HINZE: John, if you would like to
21 give us a few notes to take away, we would appreciate
22 those.

23 MR. STAMATKOS: Okay.

24 MEMBER HINZE: If you don't have time --
25 we are running near the edge of time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Ryan, I would really like to have the
2 presenters have a chance to respond to these remarks,
3 even though we are over time.

4 CHAIRMAN RYAN: Sure.

5 MR. McCULLUM: Yes, I just want to say a
6 couple of things really quick here.

7 First of all, on the MOX, I again want to
8 point out that the apples-to-oranges nature of this
9 comparison is the precise reason why we raised this
10 issue. MOX was cited by the staff as the example of
11 a precedent for the ISG-01 methodology. It is our
12 contention the methodology does not have a precedent.
13 So it is, indeed, our attempt to illustrate that this
14 is an apples-to-oranges comparison.

15 I also want to thank the staff for their
16 very forthright responses here and their willingness
17 to consider.

18 As I mentioned, we had a very lively
19 discussion back on September 29th. I think, as a
20 result of that discussion, we went back and we dug a
21 little harder. That is why you are getting a
22 presentation here today where we have, hopefully,
23 advanced the dialog, and I think the Committee's
24 questions continue to advance the dialog.

25 So I look forward to hearing what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff has to say after they go back and look at some
2 of these questions then.

3 Ken, do you have anything?

4 MR. CANAVAN: I just want to make a few
5 quick notes. With the 15-G non-physical example, I
6 didn't mean to imply that the ISG inferred that. I
7 mean to imply, correctly, that you can take hazards
8 curves and you can find 15-G and you can find a
9 probability associated with that. It is non-physical,
10 but it is still there. It is an artifact of hazard
11 curves, unless you cut it off. Since you do cut it
12 off somewhere, there's always an argument about
13 exactly where you cut it off, where it becomes truly
14 non-physical.

15 Just to make another comment on the expert
16 elicitation, I think I used expert judgment, as used
17 in the development of seismic hazard curves. In
18 general, that's based on some geological findings, and
19 oftentimes those geological findings are known in the
20 100-year type of range, less known in the thousand,
21 and, obviously, less known in the -- so I guess the
22 point would be, when you're looking at million-year
23 return periods, there's certainly less evidence of
24 what truly happened, how big the G-force was, and it
25 really is based on a lot of the expert judgment and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opinion, and tends to be certainly more uncertain than
2 the hundred-year return period, which we have recorded
3 data for. At least we knew the earth shook for a
4 fact.

5 So I would argue that at the tails of the
6 curves it becomes a little bit more uncertain because
7 the data is more sparse and certainly more uncertain.

8 I don't want to say that there was no
9 consideration of risk except if you follow the strict
10 procedure that is outlined. I stand by my comments
11 that the ISG is, indeed, written, at least that's how
12 I read it -- and I went through and read it several
13 times just to make sure I didn't misquote or say
14 anything wrong. It actually says the first step is to
15 assess seismic performance of individual SSCs on the
16 ITS in that period. So if I were to read that
17 literally, that is what I would do, which would mean
18 every SSC on the ITS.

19 So I don't think I was implying anything
20 that isn't there. Maybe it wasn't intentional, but it
21 is written that way.

22 If it is followed, there is no weighting
23 of risk. If you go to the next step, it certainly
24 does. If you go through all the steps, I do feel that
25 there is more of a risk-informed approach. It just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seems bottom-up rather than top-down.

2 And Greg Hardy had one other comment.

3 MR. HARDY: Yes. In response to what John
4 just said, if you could go back to that one, you are
5 exactly correct. What they used at MOX was not the
6 10(-4), although that is what they say in their
7 submittal. It is a .2-G reg guide. What happens is
8 it envelops this. So they argue that they met that
9 criteria, and this risk reduction ratio goes even
10 lower.

11 So the point is still clear, that it is
12 even lower than shown here. I agree with you, this
13 was done on an individual fragility basis at a lower
14 probability, and that might be something to entertain
15 for Yucca Mountain. I would be happy to do that
16 because it is conservative to use that first screen
17 Ken talked about on individual fragilities with a
18 hazard at this kind of level. If there were an
19 alternative approach that would avoid all this system
20 modeling, going back and forth, that might be
21 something worth looking into.

22 MEMBER HINZE: Thank you very much, Greg.

23 With that, I'm going to turn it back to
24 Dr. Ryan and thank our presenters and the staff and
25 their Center associate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have a feeling that we haven't heard the
2 end of this.

3 (Laughter.)

4 CHAIRMAN RYAN: I want to compliment
5 everybody on bringing their views to the table in a
6 professional and clear manner. I appreciate the
7 staff's willingness to revisit and rethink. If we
8 squeeze out a little harder, maybe we will get a
9 little better view of the world here.

10 Again, I want to thank all of the
11 presenters and all the participants for coming. It is
12 really helpful to address complicated, and sometimes
13 tough, issues like this. We really appreciate the
14 open dialog, and we were pleased to facilitate it.

15 Thank you very much.

16 MR. McCULLUM: Thank you.

17 CHAIRMAN RYAN: We will take a short, very
18 short, 5-minute break. The Committee will reconvene
19 to consider its letter-writing activities in five
20 minutes.

21 (Whereupon, at 4:26 p.m., the Committee
22 went off the record.)

23

24

25