

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
151st Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, June 22, 2004

Work Order No.: NRC-1547

Pages 1-247

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

151ST MEETING

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

+ + + + +

TUESDAY, JUNE 22, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 10:00 a.m.
at the Nuclear Regulatory Commission, Two White Flint
North, Room T2B3, 11545 Rockville Pike, Michael T.
Ryan, Acting Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL T. RYAN

Acting Chairman

JAMES CLARKE Consultant

ALLEN G. CROFF Invited Expert

GEORGE M. HORNBERGER

Member

RUTH F. WEINER

Member

1

2

3

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS, Executive Director

3 NEIL COLEMAN

4 HOWARD J. LARSON, Designated Federal Official

5 MICHAEL LEE

6 GEOSPHERE TRANSPORT WORKING GROUP:

7 JAMES DAVIS, U.S. Geological Survey

8 RICHARD PARIZEK, Pennsylvania State University,

9 NWTRB member

10 DONALD SHETTEL, Geoscience Management Institute, via

11 videoconference

12 INES TRIAY, U.S. Department of Energy

13 ALSO PRESENT:

14 ROBERT ANDREWS, U.S. Department of Energy

15 BILL ARNOLD, Sandia National Laboratory, Bechtel

16 SAIC Company

17 PAUL BERTETTI, Center for Nuclear Waste Regulatory

18 Analysis

19 ANDY CAMPBELL, NMSS

20 KEITH COMPTON, NMSS

21 TIM McCARTIN, NMSS

22 JAMES WINTERLE, Center for Nuclear Waste Regulatory

23 Analysis

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

<u>Agenda Item</u>	<u>Page</u>
Opening Statement	4
Keynote Presentation	10
Views on radionuclide transport	10
James Davis, USGS, Menlo Park, CA	
Discussion	48
Regulatory Overview of Radionuclide	61
Transport Issues	
Keith Compton	61
Discussion	70
DOE Assessment, Robert Andrews	84
CNWRA Modeling of Site-Scale Saturated Zone	
Flow at Yucca Mountain	
James Winterle	135
Discussion	151
Neptunium-237 Sorption	
Paul Beretti	161
Discussion	186
Characteristics of Saturated Zone Transport	
at Yucca Mountain	
Bill Arnold, DOE	206
Discussion	230
Adjourn	247

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:03 a.m.)

1
2
3 ACTING CHAIRMAN RYAN: The meeting will
4 come to order, please. Thank you. This is the 151st
5 meeting of the Advisory Committee on Nuclear Waste.
6 The meeting will come to order. This is the first day
7 of the 151st meeting.

8 My name is Michael Ryan, Vice-Chairman of
9 the ACNW. Chairman John Garrick is unable to attend.
10 The other members of the committee present are George
11 Hornberger and Ruth Weiner. Also present are
12 consultants Allen Croff and Jim Clarke.

13 During today's meeting, the committee will
14 conduct a working group on the geosphere transport of
15 radionuclides at the proposed Yucca Mountain
16 high-level waste repository.

17 John Larkins is the designated federal
18 official for today's initial session. I believe that
19 he is not present at the moment. So, Howard Larson,
20 you will serve as the designated federal official for
21 today's opening session. Thank you.

22 The meeting is being conducted in
23 accordance with the provisions of the Federal Advisory
24 Committee Act. We have received no requests for time
25 to make oral statements from members of the public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding today's sessions. Should anyone wish to
2 address the Committee, please make your wishes known
3 to one of the Committee staff. It is requested that
4 speakers use one of the microphones, identify
5 themselves, and speak with sufficient clarity and
6 volume so that they can be readily heard.

7 Before starting the first session, I would
8 like to cover some brief items of current interest.
9 First, Dr. Latif Hamdan officially rejoined the staff
10 on June 7, 2004 as senior staff scientist. Dr. John
11 Flack will join the ACRS-ACNW office staff as a senior
12 technical adviser in July and should be present at
13 this meeting.

14 Dr. Bruce D. Marsh has recently been added
15 as an ACNW consultant. Dr. Marsh is professor of
16 igneous petrology in the Department of Earth and
17 Planetary Sciences at the Johns Hopkins University in
18 Baltimore. His research interests also include
19 geophysics and magma dynamics. Dr. Marsh brings with
20 him an impressive set of academic credentials, and the
21 committee looks forward to working with him.

22 I would also like to recognize our remote
23 locations. And we are set up from San Antonio at the
24 Center for Nuclear Waste Research. Welcome to the
25 center. Can you see and hear effectively?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHETTEL: Yes. We can see and hear
2 effectively.

3 ACTING CHAIRMAN RYAN: Wonderful.
4 Technology is working with us. Thanks very much.

5 MEMBER HORNBERGER: Also Las Vegas.

6 ACTING CHAIRMAN RYAN: Also Las Vegas is
7 available as well. So thank you very much.

8 Without further ado, I will turn the
9 working session over to Dr. George Hornberger. Dr.
10 Hornberger?

11 MEMBER HORNBERGER: Thank you, Mike.

12 As Mike said, today we are going to have
13 a working group meeting on geosphere transport of
14 radionuclides. The part 63, the regulation, requires
15 that the NRC evaluate any license application to
16 ensure that there are multiple barriers that are
17 effective in the system. And the geosphere does have
18 to function. It is supposed to function as part of
19 the overall system to provide safety.

20 And so we convened this working group
21 meeting to hear the latest information that is
22 available. And basically for the NRC, the question
23 will be as stated in the agenda. For Yucca Mountain,
24 do the conceptual models, mathematical
25 implementations, and site data, provide confidence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the geosphere can retard the transport of
2 radionuclides.

3 We have a distinguished panel. Most of
4 the panel is here. And Neil tells me that we have one
5 remote panelist, but he's not really a remote
6 panelist, just a panelist who is joining us remotely
7 from Las Vegas.

8 I will actually let Sharon Steele
9 introduce the panel members for the record.

10 MS. STEELE: Okay. Thank you.

11 For the record, it is my pleasure to read
12 the bios of the panel members. First, to my far left
13 is Dr. James A. Davis. He's a senior research
14 hydrologist with the U.S. Geological Survey. He has
15 directed a long-term research program on the fate and
16 transport of contaminant metals and radionuclides in
17 groundwater.

18 He has served as Program and Division
19 Chair of the Geochemistry Division of the American
20 Chemical Society and as an Associate Editor of the
21 journal *Water Resources Research*. Dr. Davis has also
22 served on the technical direction team of the Sorption
23 Project for the Nuclear Energy Agency, OECD, in Paris.

24 To Dr. Davis' right is Dr. Richard
25 Parizek. He is a professor of geology and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 geoenvironmental engineering at Penn State. He is
2 President of Richard R. Parizek and Associates, a firm
3 of consulting hydrogeologists and environmental
4 geologists. He is also a registered professional
5 geologist.

6 On February 11, 1997, President Bill
7 Clinton appointed Dr. Parizek to the Nuclear Waste
8 Technical Review Board. In 1990, he was appointed to
9 an administrative law judgeship on the Atomic Safety
10 and Licensing Board Panel of the U.S. Nuclear
11 Regulatory Commission. He left that position upon
12 appointment to the Nuclear Waste Technical Review
13 Board.

14 Please note that when members of the
15 Technical Review Board speak extemporaneously, they're
16 speaking on behalf of themselves and not on behalf of
17 the board. When stating a board position, it will be
18 identified as such. And that position will generally
19 be published and available on the NWTRB Web site.

20 Over to my far right is Dr. Ines Triay.
21 She is the Deputy Chief Operating Officer for the
22 Department of Energy's Environmental Management
23 Program. Her work is heavily focused on coordinating
24 the environmental management's high-level radioactive
25 waste program and providing technical expertise to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Office of Civilian Radioactive Waste. Previously she
2 managed the department's Carlsbad field office in New
3 Mexico, where her work focused on solving problems
4 associated with radioactive waste.

5 Dr. Triay began her career as a
6 postdoctoral staff member in the Isotope and Nuclear
7 Chemistry Division at Los Alamos National Lab. She
8 progressed through many positions to Acting Deputy
9 Director of the Chemical Science and Technology
10 Division and to group leader for the Environmental
11 Science and Water Technology Group.

12 At Los Alamos, she researched and
13 developed various techniques for removal of
14 radionuclides from the environment and led the team
15 that was responsible for the first transuranic waste
16 to be shipped to the waste isolation pilot plant, or
17 WIPP, which began operations in March of 1999.

18 Joining us from Las Vegas is Dr. Don
19 Shettel. He is Chairman, Vice President, and Senior
20 Geochemist with Geosciences Management Institute,
21 Incorporated in Boulder City, Nevada.

22 He has been a scientific consultant on
23 high-level nuclear waste disposal since 1986.
24 Currently he is a consultant to the State of Nevada
25 and has consulted with Nye County in the past. He has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also consulted with Chatham County, North Carolina on
2 low-level radioactive waste disposal, the Saskatchewan
3 Environmental Research Council for High-Level Waste
4 Disposal in Canada, and with the Minnesota Department
5 of Natural Resources and Mineral Exploration.

6 Before consulting, Dr. Shettel was a
7 senior research geochemist with Exxon Production
8 Resource Company in Houston, Texas and a senior
9 geoscientist with Bendex Field Engineering Corp. in
10 Grand Junction, Colorado, where he worked on the
11 National Uranium Resource Evaluation Program.

12 Dr. Shettel has advanced degrees, Master's
13 of Science and Ph.D. in geochemistry and mineralogy
14 from Penn State, and a Bachelor's of Science in
15 geology from the University of Michigan.

16 That's it.

17 MEMBER HORNBERGER: Thanks very much.

18 I'm very pleased that we have this panel
19 joining us. I think what we are going to do now is
20 just start right in, jump in. Jim Davis is going to
21 do the keynote presentation on a new approach to
22 modeling retardation by sorption at the field scale.

23 DR. DAVIS: Thank you, George.

24 I want to thank George and the other
25 members of the working group for inviting me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I hope to present this new approach that
2 we have used in a modeling for potential performance
3 assessment demonstration of a low-level waste site,
4 but I think the approach that we used could have some
5 scope for thinking about a new way of thinking about
6 modeling and the geosphere transport problem at Yucca
7 Mountain.

8 I do want to acknowledge my co-author,
9 Gary Curtis, who has done the reactive transport
10 modeling simulations I will be showing. There is also
11 an army of other people that have helped, especially
12 with the fieldwork. This research was supported by
13 the Nuclear Regulatory Commission, the Office of
14 Regulatory Research.

15 Next slide, please. Now, whether it's
16 low-level waste or high-level waste, the goal here is
17 to get to a performance assessment evaluation. At
18 least part of that assessment is evaluating when
19 radionuclides reach a receptive audience or
20 population. With respect to the saturated zone of an
21 aquifer, we would like to do this with a reactive
22 transport model that takes into account both
23 groundwater flow and dispersion. And in the ideal
24 case, we would be able to incorporate as much
25 information as we know about the chemistry and even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the microbiology that would influence the transport of
2 whatever contaminant or radionuclide that we're
3 interested in that causes a risk.

4 So the ideal situation is we build in some
5 very detailed knowledge of our reaction processes and
6 we would be able to put that together with a flow
7 model that worked at the field scale. That is ideal.
8 And we will see where we have to make simplifications
9 in the process in order to reach an answer.

10 Next slide, please. I am going to speak
11 solely about sorption during my talk. Well, there is
12 a small part where I may be talking about reduction,
13 but for the most part, I'm going to be talking about
14 sorption and how chemistry affects sorption.

15 If we look at the classical definition of
16 retardation with a linear distribution coefficient, we
17 see when you have transport down a column, if you have
18 a nonreactive tracer, this is the concentration of the
19 nonreactive tracer that has been introduced in a
20 pulse. And its dispersion or mixing causes its
21 concentration to vary along the front. Then a sorbing
22 solute is retarded. And its transport is not as fast
23 as the nonreactive tracer.

24 We can describe the retardation in terms
25 of the porosity and the bulk density and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution coefficient, K_d , if this parameter holds
2 constant. The K_d is defined as the absorbed quantity
3 of the absorbing radionuclide divided by the dissolve
4 concentration of the radionuclide.

5 Next slide, please. Now, the problem with
6 elements that have complex chemistry, some
7 radionuclides have very simple aqueous chemistry. For
8 example, cesium and strontium, when they are dissolved
9 in water, they are dissolved as the ions. They
10 typically do not form other types of aqueous species.

11 The actinide elements, however, have a
12 very complex aqueous chemistry. And that causes K_d
13 values for the sorption of elements like uranium to be
14 quite dependent on the chemistry of the water. So,
15 for example, what is shown here is the log of the K_d
16 for uranium absorption onto amorphous iron oxide or
17 ferrihydrite. And you can see over this rather large
18 pH range it varies by a large amount, by many orders
19 of magnitude.

20 But the thing I really want to point out
21 is not so much the overall pH dependence but the very
22 important dependence on the carbonate concentration,
23 which is shown here where all of these solutions are
24 equilibrated with either air, the partial pressure
25 carbon dioxide in air, or an atmosphere that is one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent CO₂.

2 Now, one percent CO₂ is a very common
3 value for groundwater systems, which actually can go
4 much higher than this as well under natural conditions
5 and even higher in contaminant plumes. But the
6 important thing is to look at how much for a system
7 that is a one percent CO₂, a common value in
8 groundwater, what that does to the pH dependence in
9 the region between seven and eight, which is a very
10 commonly observed pH range in natural waters. The K_d
11 for uranium varies by four orders of magnitude. So
12 this is a problem for an approach where we would
13 assume a constant K_d value.

14 Next slide, please. This is a graph of
15 the uranium aqueous speciation for a specific set of
16 conditions; that is, ten micromolar uranium, which is
17 about two parts per million of uranium. This is
18 relevant to concentrations you will see later in the
19 talk.

20 And if you go back one slide, the reason
21 the absorption or the K_d comes down at this high pH
22 range, next slide, is because of the formation of
23 aqueous carbonate complexes, which effectively pull
24 the uranium off the surface. The uranium would rather
25 be dissolved in solution with these carbonate ions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than absorbed on the surface.

2 So these red ones are the carbonate
3 complexes. The blue ones are multi-nuclear species
4 that complicate the uranium aqueous chemistry as you
5 get up to higher concentrations. This is all again
6 equilibrated with the partial pressure of carbon
7 dioxide in air.

8 Next slide, please. And, as I pointed
9 out, though, the speciation is also dependent on the
10 partial pressure of carbon dioxide itself. Here we
11 have a plot of constant pH of 7 or one micromolar
12 uranium, which is about 238 parts per billion. And
13 here we show the speciation as a function of the
14 partial pressure carbon dioxide.

15 So at -2, this is the log. So this is the
16 one percent value I was talking about before. And
17 this is ten percent CO₂ out here. This is the range
18 that we observed in the field system I am going to be
19 talking about in a minute. So, even at constant pH,
20 as you vary this partial pressure of carbon dioxide,
21 the speciation is changing in solution.

22 Next slide, please. So in terms of
23 conceptual models for describing sorption in solute
24 transport, the common practice by consultants and for
25 low-level waste situations is to assume that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constant K_d can be used because this is a simple way
2 to move forward. This approach, however, it should be
3 noted is valid only if you have linear absorption in
4 constant chemistry throughout the space in time that
5 you are modeling.

6 Some have tried to introduce more
7 complexity by introducing a different type of
8 nonlinear isotherm, such as a Freundlich isotherm, but
9 this also only applies at constant chemistry. So this
10 doesn't really fully take into account what we
11 observed in contaminant plumes.

12 In contaminant plumes, we have variable
13 chemistry and we have complicated aqueous speciation
14 reactions that affect the amount of absorption in
15 addition to the nonlinear absorption.

16 In this case, we have maybe two choices.
17 We have surface complexation models, which I will show
18 in a minute, coupling the quantification of absorption
19 with the aqueous speciation; or we can try to describe
20 the distribution of K_d values that might occur as a
21 result of the change in the chemistry.

22 Next slide, please. The surface
23 complexation models are simply a way of describing
24 absorption with a mass law, which is the same way we
25 describe our equilibrium chemistry, our solubilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's the way thermodynamics works, by determining
2 stability constants and then describing the equilibria
3 that result by a mass law.

4 And in surface complexation modeling, we
5 accomplish the same way of describing absorption by
6 writing reactions that involve specific sites on the
7 surface particles, reacting with an aqueous species
8 that is a master component for the equilibrium
9 calculation, and then you have a stability constant
10 that is equal to the concentrations of these species.

11 And so this is a surface species, just
12 like this is an aqueous species. And so we can
13 calculate the amount of this surface species that
14 exists at a particular pH value via this constant.

15 The important thing is that; whereas,
16 absorption is a function of pH, if we had done our
17 model correctly, this constant is not as independent
18 of pH, just like uranium aqueous concentration with
19 acetate, that stability constant we can look up in the
20 literature. That is independent of other values. We
21 want this value to be independent of the chemistry;
22 whereas, K_d , as I have shown, is a very sensitive
23 function of the pH.

24 Next slide, please. And then we can
25 couple these constants that we determined for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 absorption. And then there is only one shown here.
2 There may be more than one in the model.

3 We can couple these in an equilibrium
4 calculation with thermodynamic data for aqueous
5 speciation or thermodynamic data for solubilities.
6 And so we can couple our absorption reactions together
7 with our thermodynamic database that we have for
8 describing equilibrium.

9 And so, for example, this constant could
10 be coupled together with the constant for formation of
11 the uranyl carbonate complex. And so you can see by
12 that mechanism that if we add bicarbonate to the
13 system, it starts to form this species, which competes
14 with the formation of this. And, therefore, you can
15 decrease absorption by forming this complex. So now
16 ideally this constant should also be independent of pH
17 in the carbonate concentration.

18 Okay. Next slide. Now, I mentioned
19 before at the beginning that ideally we would like to
20 incorporate all of our knowledge of reaction
21 mechanisms into a solute transport model, but this
22 becomes very difficult because our knowledge is
23 constantly advancing.

24 For example, the species that I have just
25 shown on the surface, while commonly thought to be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 absorbed uranium species, we are now showing in
2 surface spectroscopy studies -- for example, in this
3 study that I was a part of, we absorbed uranium onto
4 the iron oxide mineral hematite in the presence of
5 air. And at all pH values, we found using access
6 spectroscopy that uranium when it's absorbed always
7 has a carbonate, one or two carbonate, anions attached
8 to it.

9 So it's not a bare uranium ion, uranyl
10 cation that absorbs on the surface. In fact, it's
11 something more complicated than that. And this was
12 true at all pH values.

13 So our previous knowledge of how uranium
14 absorbed on the surface is incorrect. And now we are
15 working in systems with silicate. We are finding that
16 uranyl silicate complexes also form on iron oxide
17 surfaces.

18 So our knowledge about the actual chemical
19 species that occur on the surface is advancing now as
20 a result of advances in spectroscopy. With the
21 Synchrotron accelerator radiation, the detection limits
22 are dropping. And we are able to determine more and
23 more about the details of these surface reactions.

24 Next slide, please. So that makes things
25 a little difficult because our knowledge, our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scientific knowledge, is advancing. And we can't
2 constantly be to the minute or to the day adapting our
3 codes.

4 So as far as applying the surface
5 complexation model in natural systems, the approach
6 that most people have taken has been to take the most
7 advanced knowledge that we have, which is based on
8 studying absorption onto pure mineral phases that are
9 representative of what might be present in a soil or
10 a sediment and developing the surface complexation
11 model and then trying to extrapolate that to the
12 natural system, either by adding up the contributions
13 of individual mineral phases present in a soil sample
14 or what have you.

15 What we have done in this study that I am
16 going to show that is different is we have backed off
17 of that need to know all of the details and
18 incorporated that into the model. We are using what
19 I would call as an engineering approach to develop the
20 surface complexation model.

21 What we do is we collect data relevant to
22 field conditions using the field materials. And then
23 we make various simplifications to the model that
24 allow us to move forward with a fairly precise and
25 accurate assimilator of the absorption as a function

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of aqueous conditions. I will show what I mean.
2 Basically, this is the new part that I am going to,
3 "new" in parentheses, be talking about.

4 Next slide, please. Now, the site that I
5 am going to describe where we did our work is the
6 Naturita UMTRA site, which is located in southwestern
7 Colorado along the San Miguel River. There was a mill
8 there that operated for 20 years, from '38 to '58.
9 And shown here is an aerial photo from 1974.

10 Here you see the tailings. The river in
11 this slide is flowing down this way. We have this
12 reach. There is a two-kilometer reach here, where the
13 aquifer is recharged by the river up along here, just
14 above the edge of the slide. And then the groundwater
15 flows down through the reach and discharges along this
16 area.

17 This is a funny thing you see from space,
18 a former go-cart track that was, in fact, built on
19 tailings. So all of the dust was being kicked up and
20 breathed by the kids riding around on this go-cart
21 track, I guess, back in the '50s.

22 Next slide, please. There are a lot of
23 houses out there. The foundations are built with
24 tailings also. Very interesting place.

25 This is another aerial view of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Naturita site in 1996. This is where the mill yard
2 was formally located. Now, at this point, the DOE
3 UMTRA program, the tailings had been removed in 1979,
4 but here the surface remediation was occurring. And
5 parts of the vadous zone were being dug up in the mid
6 '90s and carted off to a landfill. So that's why you
7 can see that there are pits out here at the site.
8 This is where the tailings used to be.

9 I am going to talk a lot about a one-time
10 uncontaminated sediment sample we collected here and
11 work with. So that was up-gradient of all of the
12 contamination.

13 Next slide, please. So our approach for
14 developing and testing the surface complexation model
15 was to characterize the groundwater flow and
16 geochemistry at the site, measure uranium absorption
17 on the uncontaminated sediment sample that we
18 collected, fit a sorption model to that sorption data,
19 and then to test that model in the field using the
20 same uncontaminated sediment samples suspended in
21 wells in the uranium contaminated area and also
22 removing contaminated sediments from the aquifer and
23 studying the uranium that was absorbed on those
24 sediments as a test of the model. Then, finally, we
25 did reactive solute transport modeling and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comparison of constant K_d and SCM approaches.

2 Next slide, please. SCM stands for
3 surface complexation model. Sorry.

4 So here these red dots are all of the
5 wells that we put in at the site. Again, the
6 groundwater recharge occurs here at this reach. There
7 was also a database that ran from 1986 to 1996 from
8 the Department of Energy wells that they had there
9 before they started their surface remediation. That
10 data set was extremely valuable to our study.

11 Again, it's a two-kilometer reach. And
12 the flow direction is this way. We have a bedrock
13 flow boundary on this side and the river boundary on
14 this side.

15 Next slide, please. Now I am going to
16 show some of the concentration contours that existed
17 in 1999 at our first sampling. These are the uranium
18 concentration contours, ranging from two to ten
19 micromolars. So that's 400. Two is 450 ppb and 10 is
20 2.3 parts per million. This is the original area of
21 contamination. So you can see that the uranium has
22 moved out of that area and is discharging to the
23 river.

24 The pH throughout this region is
25 relatively constant, around 7.1. The alkalinity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 varies considerably. That has to do with the fact
2 that there is calcite in the vadous zone material.
3 And these tailings were either acid-extracted or
4 base-extracted and then placed on the ground. As
5 precipitation fell on the tailings, the water would go
6 into the vadous zone and dissolve calcite to create
7 these alkalinity plumes. There are alkalinity
8 gradients that are associated with the contamination
9 itself.

10 The result, if you take these pH values
11 and these alkalinity values that were measured, the
12 result, the range in pressure of carbon dioxide that
13 existed in the aquifer was approximately one to ten
14 percent. And at any point in the aquifer, the
15 dissolved calcium concentration was controlled by the
16 solubility of calcite.

17 Next slide, please. The groundwater is
18 poised in a suboxic condition. There is very little
19 dissolved oxygen. And this is true even up-gradient
20 of the contamination. So there are biological
21 reactions.

22 As the river water comes in, it is quickly
23 the oxygen is removed by degradation of organic
24 carbon. There is no nitrate in the aquifer. And
25 there is some evidence of manganese reduction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occurring.

2 Then down-gradient, where it was a
3 lower-lying area and there was a lot more -- this is
4 mostly barren. And down here there were a lot of
5 cottonwood trees. And so there is a lot more.
6 Vegetation became vegetation on the ground. There is
7 evidence of iron reduction occurring in the aquifer.
8 No sulfide was detected in the aquifer.

9 Next slide, please. So this cross-section
10 is to give you an idea of the texture of the material,
11 very cobbly, high-gradient mountain stream. The
12 material used in our experiments was actually dug out
13 with a backhoe from beneath the water table. But this
14 gives you an idea of the texture.

15 We used the material that was less than 3
16 millimeters, which was 15 percent by weight of the
17 sediment but had 85 percent of the uranium absorption.
18 The sediment was primarily quartz and feldspars with
19 calcite, iron oxides, and some clay.

20 MEMBER HORNBERGER: Jim, give us a sense
21 of the scale.

22 DR. DAVIS: Right here?

23 MEMBER HORNBERGER: Yes.

24 DR. DAVIS: That is about 10-12 feet
25 there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please. But all of the
2 material came from below that.

3 Next slide, please. So this is a plot of
4 the experiments that we did with the uncontaminated
5 material. They were batch experiments done with
6 artificial groundwater with equilibration for four
7 days.

8 What is plotted here is the log of the
9 uranium K_a versus the dissolved uranium concentration.
10 So it's plotted as an isotherm. You might often be
11 used to seeing these plotted as a function of pH, but
12 we can't do that here because of the calcite in the
13 sediments.

14 For each partial pressure carbon dioxide
15 that we used in this experiments, you get one pH value
16 at equilibrium. So each of these partial pressures of
17 carbon dioxide, which were imposed on the system, gave
18 us a different pH value.

19 You can see as you go to higher partial
20 pressures of carbon dioxide, the absorption is
21 dropping or the K_a is dropping. Again, this is log of
22 the K_a . So this is one and this is ten. There is
23 also a dependence on the K_a on the uranium
24 concentration itself. As the uranium concentration
25 goes up, then the K_a is dropping.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, again, these experiments were done to
2 mimic natural conditions. This is not like a research
3 study to just get at these relationships. All of
4 these conditions actually exist out in the aquifer.

5 Next slide, please. Now, just as a
6 tangent now, you can see the difficulty that we might
7 have in applying a forward model, instead of this
8 engineering approach. Here is an example of what the
9 material looks like.

10 Whether you are looking at a quartz grain
11 or a feldspar grain, what we have on top of these
12 grains are extremely thick coatings, several hundreds
13 of nanometers thick of illite/smectite clay. And
14 embedded within those are lots of iron oxide
15 particles, some of them goethite and some of them
16 ferrihydrite that is formatting goethite.

17 The scale bar here is 100 nanometers. And
18 this is sitting on the top of a quartz particle, then
19 down here a scale bar of nine nanometers. You can see
20 the goethite rods. And there are many of them. If
21 you look here backed away, there are many of these
22 goethite rods immersed in this clay.

23 So if we were going to try to construct a
24 forward prediction of uranium absorption, we would
25 have to know how the uranium absorbed onto

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 illite/smectite clay, how it absorbed onto goethite,
2 how it absorbed onto ferrihydrite, and how we have to
3 try to enumerate the surface area of each of these
4 types of minerals present. It is a very difficult
5 thing to do to get an accurate prediction from these
6 measurements made in the lab with single mineral
7 phases.

8 Next slide, please. So, again, in this
9 study, we wanted to take an approach where we fit the
10 data with an inverse surface complexation model. And,
11 to simplify it further, we have no electrical double
12 layer, which is a common component of the other types
13 of approaches, to use either a diffuse layer model or
14 a triple layer model to take into account the effect
15 of surface charge on absorption.

16 This model has no electrical double layer.
17 And we are able to describe the absorption that we
18 measured in the lab as a function of pH and partial
19 pressure of carbon dioxide in the uranium
20 concentration using these two surface reactions.

21 So we have these two surface reactions.
22 Next slide. And we couple those together with the
23 thermodynamic data for the aqueous speciation. Go
24 back one, please. And the result is that we can now
25 describe these data fairly accurately.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide and go on. So that is how we
2 developed the model. Next I want to talk about the
3 tests we did of the model. We did two types of tests.
4 One was to suspend uncontaminated sediments, the same
5 ones that we had used in our batch experiments in the
6 lab, suspend them in bags in the uranium contaminated
7 part of the aquifer.

8 So these red dots are wells that we
9 suspended that material. There is a range of chemical
10 conditions in each of these wells. The samples were
11 suspended for 3 to 15 months, but we saw no time
12 dependence. In fact, we probably could have suspended
13 them for a period of time from four days to a week and
14 gotten the same results.

15 Next slide, please. The other type of
16 tests we did of the model was to remove contaminated
17 sediments from the aquifer. This was very difficult
18 to do because of the cobbles. We never were able to
19 obtain cores, which we wanted to obtain. We were
20 driving the drillers crazy trying to do that. But we
21 were able to obtain material from each of these holes
22 as we were putting the wells in place, sometimes by
23 collecting cuttings from the saturated zone.

24 And on each of those samples, we measured
25 the amount of uranium that was absorbed by an isotopic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exchange technique in the laboratory. So from the
2 measurement of the dissolved uranium in the water and
3 this measurement of the absorbed uranium, we could
4 calculate an *in situ* K_d and compare that to what our
5 model said should be there.

6 Next slide, please. So this slide shows
7 in a general way a comparison of the K_d values
8 measured for the field samples with our model
9 predicted values. The model predicted ones are the
10 clear, and the measured are the shaded.

11 Where it says "NABS," that is the
12 background sediment, Naturita aquifer background
13 sediment. So that is the uncontaminated samples.
14 This is the K_d , but notice it is plotted in a
15 geometric scale. And then over here are values for
16 contaminated sediments.

17 With the exception of these wells down
18 here, the final two, we got within a factor of two
19 between the model and the measurements, measurements
20 made in the field.

21 These two down here, I probably won't have
22 time to talk about it until in the discussion section
23 if someone is interested. We believe these are down
24 where we have measurements of ferrous iron in the
25 aquifer. And we believe that, in addition to absorbed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Uranium-6, there is also reduced Uranium-4 present on
2 these sediments.

3 Next slide, please. Now I want to make a
4 point here. We have variability in the K_d value for
5 the uncontaminated sediments. The K_d varied by a
6 factor of 22. That is one sediment put into 17
7 different wells, each well having a different
8 chemistry. And so because of the different chemistry,
9 we got a variation in K_d of 22.

10 If you take the contaminated sediments,
11 which are 14 different sediments collected spatially
12 throughout the site, and put them into one water
13 sample, which is an artificial groundwater
14 equilibrated with lab air, you only get a factor of
15 2.5.

16 So my point here is that the K_d variation
17 that we are observing in the aquifer is primarily due
18 to the variation in water chemistry, not due to a
19 large range in the variability in the absorptive
20 properties of the sediments.

21 Next slide, please. So that is summarized
22 here. I am not going to go into it, but we have
23 observed exactly the same thing at another site, in an
24 aquifer at Cape Cod, where we have a large variation
25 in K_d primarily due to gradients in pH values. Again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have made this kind of comparison, and we find that
2 the K_d variation at the kilometer scale is primarily
3 due to aqueous chemistry and not due to changes in the
4 properties of the sediment.

5 Next slide, please. So now I am going to
6 go to some transport modeling and some simulations.
7 Here are 1-D simulations, now where the absorption is
8 described by this what we call the semi-empirical
9 absorption model.

10 And what we have done here, the initial
11 condition in this column is the background conditions
12 in the aquifer, pH 7.1 and low alkalinity. And then
13 we change the inlet at time equals zero to a different
14 condition, where we either vary the pH, the uranium
15 concentration, or the alkalinity and while leaving the
16 other two variables constant at their average value.

17 So, for example, here at the inlet, we
18 change to an average uranium and alkalinity. And we
19 vary the pH over the whole range observed in 459 water
20 chemistry measurements throughout the site. The range
21 that we looked at was from the minimum value to the
22 maximum value. And the average value is shown here in
23 the black.

24 What you see here is the pH variation we
25 see at the site is not affecting the transport very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much. That maybe isn't too surprising because we
2 don't see a huge pH variation at the site. The
3 variable uranium concentration has a much larger
4 effect. At the higher uranium concentrations, we have
5 less retardation.

6 So the maximum concentration is shown out
7 here. So the variable uranium concentration has this
8 much effect on transport, but we see that the largest
9 effect is the variable alkalinity that we observe at
10 the site. This definitely has the largest impact on
11 how fast the uranium is being transported. Again, the
12 variations that we are looking at here are based on
13 the actual field observations.

14 Next slide, please. Now, if we look more
15 closely at the effects of alkalinity on the model K_d
16 value, what is shown here now, for a constant pH of
17 7.1 is variable uranium concentration and alkalinity.
18 And you can see that the K_d is going down as we
19 increase the uranium concentration or as we increase
20 the alkalinity. These are model response curves.

21 Now and for the rest of the talk, I am
22 going to be talking about cobble-corrected K_d values.
23 Now our laboratory measurements were made on the less
24 than three-millimeter material. And now we have
25 corrected up the surface area to consider the entire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 porous medium. I can talk more about how we did this
2 at the end if someone is interested.

3 Now I want to point out these
4 concentrations here at an alkalinity of about 11 and
5 10 micromolar uranium, this is about the peak of
6 alkalinity and uranium in the aquifer. Our model says
7 that that should have a K_d of about .32, which would
8 result in a retardation factor of 3.9.

9 Next slide, please. Now, if you put those
10 values into a column, now where we have the initial
11 condition is the background conditions and then we put
12 in a pulse of one pore volume, if we model it with a
13 constant K_d , we predict retardation of about 3.9, as
14 I said, but with a surface complexation model, we
15 predict a lot more retardation. And that is because
16 the alkalinity disperses in the column. And this
17 causes the uranium to absorb more strongly; whereas,
18 that is not taken into account in the constant K_d
19 approach.

20 Next slide, please. You can see that
21 here. This maybe is too complicated to get into in
22 detail. Basically, what happens, as we see in the key
23 to figure, is that we have a plot of alkalinity,
24 uranium, and then simulated K_d values.

25 What happens in this one pore volume

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 injection is that the alkalinity is not retarded and
2 the uranium is. So the alkalinity is separating from
3 the uranium at the beginning, and then the alkalinity
4 moves off. There is a uranium peak that follows at
5 the end of the alkalinity pulse. And by two pore
6 volumes, they have completely separated. So this is
7 why this increases the uranium retardation in that
8 simulation.

9 Next slide, please. Now, in the aquifer,
10 we don't have a one pre volume injection. We had the
11 tailings in the mill yard here. And they were there
12 for decades. We had rain falling on the tailings.
13 And that was our input. That is a continuous input,
14 not a one pore volume input.

15 So now I am going to describe the 2-D
16 reactive transport modeling that we have done. We
17 have the source area, this brown area, this region in
18 the aquifer. The hydraulic conductivity was estimated
19 from age dating and from transport of chloride that
20 was observed as a function of time in the DOE data
21 set. There was a chloride plume from a salt roaster
22 located at a specific place here. And we could see
23 with time the chloride, how fast it had moved to the
24 aquifer.

25 So we used those two things to estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the hydraulic conductivity in the aquifer. And then
2 we had contaminated recharge bringing uranium and
3 alkalinity into the aquifer at a rate -- the recharge
4 was one percent of the annual precipitation. So it
5 was a continuous input.

6 Next slide, please. These showed results,
7 the comparison between the observed uranium and
8 alkalinity values, compared with our simulations using
9 the surface complexation model for 62 years of
10 simulated transport.

11 A conservative tracer would take about 33
12 years to travel the whole 2 kilometers in this aquifer
13 on average. There is not one velocity because the
14 flow model -- there is a velocity flow field here in
15 the flow model. And their velocities are faster in
16 certain places, especially close to the river, and
17 slower over here near the bedrock surface, which is
18 why some of the highest concentrations are here. And
19 they are less influenced by the river.

20 You can see we have reasonable agreement
21 between the observed uranium contours and the
22 simulated uranium contours using this absorption model
23 that we developed in the lab with uncontaminated
24 sediment.

25 Next slide, please. And the important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing is to notice that K_d varies not only in space.
2 It also varies in time because of the evolving
3 chemical conditions in the aquifer. And the model is
4 able to handle that.

5 The important thing about this
6 distribution of K_d 's is this is not a random
7 distribution of K_d values. This has spatial
8 character. And the spatial character arises from the
9 changing chemical conditions as a function of time and
10 space.

11 Next slide, please. We have evaluated the
12 model. I'm not going to go into that in any detail
13 except to state the conclusions. We have done a
14 sensitivity study. And the conclusion of that and
15 what we wanted to do was to compare the sensitivity of
16 our absorption parameters to what we understood about
17 the hydraulic connectivity.

18 And here is a rough guide. The model is
19 more sensitivity to the hydraulic connectivity than
20 the surface complexation parameters. So that is an
21 important thing to understand. We are less certain
22 about this value than we are about these others or at
23 least this has a bigger impact.

24 We had no electrical double layer model I
25 mentioned. So we tested the result of matching this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 species up with an anion, a major anion, in the
2 groundwater to see if changing the charge here would
3 have an effect on transport. It does not have an
4 effect.

5 And we also used rate laws developed from
6 kinetic studies, batch studies, in the lab to see
7 whether our local equilibrium assumption was valid.
8 We again got identical results, whether we used the
9 kinetic transport model or a local equilibrium model.

10 Next slide, please. Where am I on time?

11 ACTING CHAIRMAN RYAN: You're doing pretty
12 well. If you could wrap in, say, five more minutes,
13 that would be good.

14 DR. DAVIS: Okay. So we have done
15 simulations of future uranium migration. In
16 particular, in this project we were working with NRC
17 staff to do an actual performance assessment of a
18 receptor. And so this was done by Ralph Cady in the
19 NRC Office of Regulatory Research and is in our NUREG
20 report.

21 We have also compared constant K_d versus
22 surface complexation transport simulations, starting
23 from the observed conditions in the field, simulating
24 transport for 500 years, and comparing peak
25 concentrations, flux to the river, and cleanup time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please. This shows the range
2 of K_d values and retardation factors that we used in
3 the constant K_d approach. So we have this
4 distribution of K_d values predicted. This is
5 predicted by the model given the aqueous chemistry in
6 the aquifer. And then these are the distribution
7 actually measured with contaminated sediments by the
8 isotopic exchange. The results, the ones I'm going to
9 show are from the isotopic exchange distribution.

10 Next slide, please. So this shows
11 simulated cleanup times for an observation point
12 that's up-gradient in the contaminant plume at the
13 current time for this point in space right here. And
14 the question is, how long would it take to get to the
15 drinking water standard, which is about 10^{-1}
16 micromolar or 10^{-7} molar?

17 And you can see that the red slides are
18 for the constant K_d simulations. This uses the range
19 of K_d values, again, that were found for all the
20 contaminated sediments. This is the highest K_d out
21 here. So it takes longer to clean up at this point.

22 And this is the lowest K_d , which pumps
23 fast. But the main thing is that the slope is quite
24 different for the surface complexation model. Again,
25 that gets into the fact that as uranium moves, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alkalinity is changing. And so things don't really
2 have the same kind of slope as you get in a constant
3 K_d simulation.

4 Next slide, please. This shows simulated
5 peak concentrations at an observation point. This was
6 the observation point used for the performance
7 assessment analysis that was done by Ralph Cady. This
8 again shows the initial condition, which was the
9 current condition in 1999, and this shows the peak
10 concentrations.

11 For the K_d simulations, the peak
12 concentrations are always the same. And it has to do
13 with this peak, this highest uranium concentrations
14 passing through this observation point.

15 And the K_d just determines how fast it
16 gets to the observation point. It doesn't change the
17 peak concentration; whereas, with the surface
18 complexation model, you actually get a smaller peak
19 concentration as a result of a change in chemical
20 conditions in the aquifer.

21 Next slide, please. This last one is to
22 show results for concentrations in a pumped well.
23 This was again part of the performance assessment.
24 This well was pumped for domestic use at a rate that
25 I don't remember.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The thing that is interesting here is that
2 the constant K_a simulations don't bracket what
3 actually happens with the surface complexation model.
4 You actually get a higher concentration of uranium
5 coming in at an earlier time in these simulations than
6 you do for any of the K_a simulations. And the reason
7 is as you pump this well, higher alkalinity water
8 starts to come into towards the well and then exists
9 there at the current time. So that this higher
10 alkalinity water comes in and changes the properties
11 relative to any of the constant K_a simulations.

12 Next slide, please. So I will show the
13 conclusions of this slide, and then I just have a
14 couple of slides for discussion about how this might
15 be interesting to think about in terms of the
16 geosphere at Yucca Mountain.

17 The conclusions from our work are that
18 current reactive transport models can accommodate the
19 surface complexation concept. We don't think the use
20 of the constant K_a concept is really required from a
21 technology point of view. The codes can accommodate
22 this concept.

23 The real issue is how do we parameterize
24 these models? And that is what has been I think
25 different about our approach, the way we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approached the problem of parameterizing.

2 We think that this kind of modeling can
3 reduce uncertainty with respect to sorption because we
4 think that we can bound this more carefully than can
5 currently be done, at least with constant K_d
6 simulations.

7 I think an important conclusion for two
8 field sites that we have looked at is that the spatial
9 variability in groundwater chemical conditions was
10 more important in influencing the range of K_d values
11 that we observed compared to variability in the
12 properties of the aquifer materials themselves. And
13 this was at a kilometer scale.

14 You are talking about moving from one
15 geological formation to another. It's at the 100
16 kilometer scale. Of course, we haven't tested that,
17 something like that. And our conclusion would likely
18 not be valid or may not be valid.

19 Then, finally, predictions based on a
20 range of constant K_d values do not always bracket
21 simulations result obtained using the semi-empirical
22 surface complexation model. Random sampling of a K_d
23 distribution may overlook spatial character of the
24 distribution.

25 Those are the conclusions from our study

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the Naturita UMTRA site. I have just a couple of
2 more slides. I thought we would talk about how this
3 might be relevant to neptunium.

4 This is a plot of neptunium speciation as
5 a function of pH with a system equilibrated with air
6 for one micromolar neptunium. You can see that
7 analogous to the uranium, neptunium does form these
8 aqueous carbonate complexes, although they are not as
9 strong as the uranium carbonated complexes.

10 Next slide, please. And in studies of
11 neptunium absorption, there is a similarity in that
12 the neptunium absorption is sensitive to the partial
13 pressure of carbon dioxide.

14 And in modeling that, this was work done
15 by Kohler, *et al.* published in 1999, neptunium
16 absorption on hematite with no carbon dioxide present
17 with atmospheric carbon dioxide and almost two
18 percent. And with the almost two percent, you see the
19 absorption coming down these squares, the green
20 squares.

21 And then shown here are surface
22 complexation model simulations. I just want to point
23 out that to simulate this data, they had to assume
24 that neptunium formed a complex at the surface with
25 carbonate attached to it, which is the same thing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we observed in our spectroscopic data for uranium.

2 So there is again a chemical analogy here
3 that an exact surface complexation model may require
4 these ternary surface complexes involving carbonate.

5 Next slide, please. This just shows some
6 numbers for variable integrated carbon in groundwater,
7 a comparison of the ranges that we have at the
8 Naturita site to what has been described for the Yucca
9 Mountain hydrologic system.

10 We have in comparison to the Naturita site
11 a much larger range of total dissolved inorganic
12 carbon and a larger range in the partial pressure
13 carbon dioxide, although the upper numbers here may be
14 among the most important to look at. And they are
15 somewhat similar.

16 Next slide, please. And using those data
17 and their model for the Np, absorption of neptunium on
18 montmorillonite, surface complexation model with a
19 diffuse double layer model, and using this site water
20 chemistry, Dave Turner at the center and others,
21 including Paul Bertetti, have done a neptunium K_d
22 contour map, which they published, and showing ranges
23 in the neptunium K_d as if the aquifer were composed of
24 the montmorillonite.

25 And the ranges go from 25 to -- I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure what the upper numbers are, but in this region
2 down-gradient of the proposed repository, the K_d
3 ranged by a factor of 4, so perhaps not a huge range,
4 but one thing to note is that there certainly is a
5 sparsity of data in this area directly down-gradient
6 in terms of the water chemistry.

7 Next slide, please. Finally, I will just
8 make a note that another possible bad actor is fulvic
9 acids. This is a paper published in 2000 using Chalk
10 River fulvic acids and Chalk River subsurface
11 material, packing a column.

12 This shows the transport of neptunium
13 under the given conditions in the absence of the
14 fulvic acids. So you had a retardation factor of
15 about three for those conditions. And then when you
16 put in fulvic acids that were ten times what they were
17 in the aquifer, you were able to reduce the
18 retardation by a huge amount, almost to the point of
19 no retardation at all.

20 Now, this, of course, is very influenced
21 by this concentration of fulvic acid they put in. But
22 I just wanted to point out that there is another thing
23 that could be affecting aqueous speciation and
24 retardation of neptunium.

25 Next slide, please. So just as discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 points about how what we did at Naturita might be
2 relevant to Yucca Mountain, I put up these. There is
3 some uncertainty, at least, in understanding neptunium
4 retardation in the saturated zone as part of the Yucca
5 Mountain modeling.

6 Because it relies on a log-normal
7 distribution of abstracted K_d values -- I guess I am
8 referring here now to the center's approach in the
9 modeling -- the distribution of abstracted K_d values
10 is based on montmorillonite as a model for the
11 alluvium for the scaling of surface area.

12 So the difference between what we have
13 done and what the center has done, they have done an
14 excellent job of evaluating the effect of water
15 chemistry on K_d for this montmorillonite surface.

16 In our approach at Naturita, we worked
17 with actual sediments and the aqueous chemistry
18 distribution to arrive at the K_d values. So we had
19 less of a problem I think in this abstraction process
20 of going from the pure montmorillonite to the real
21 material.

22 There is also what you can do is measure
23 the range in K_d 's and then sample this log-normal
24 distribution when you do the performance assessment
25 simulations. However, if you would back up a couple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of slides, please, that ignores the spatial character
2 which is part of the range.

3 It's not a random set of pH and alkalinity
4 conditions that causes this contouring of K_d values.
5 In fact, this K_d contour here is 25. This is well
6 below the median. This is on the lower end of the
7 distribution.

8 So if you sample a distribution,
9 log-normal distribution, for all of these chemistries,
10 you may, in fact, be building too much retardation
11 into the model for this section of the aquifer because
12 you're treating it as a random thing when, in fact,
13 you have actual pH and alkalinity values here that
14 could be considered.

15 Next slide, please. One more. And then,
16 finally, I don't know, actually, the extent fulvic
17 acids have been considered as part of the Yucca
18 Mountain problem. I just brought it up because of
19 that one paper that seems to have some relevance.

20 Thank you very much.

21 MEMBER HORNBERGER: Thank you, Jim.

22 We started a few minutes late, and we're
23 running a little late. We have a little bit of
24 flexibility built into our schedule, but I definitely
25 would like to break by noon. So we will take time for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some questions and discussions, but to the extent that
2 we can keep them focused, it would be good.

3 Ruth?

4 MEMBER WEINER: First, I want to thank you
5 for a really fascinating presentation. That was just
6 really great. I would just limit myself to one
7 question.

8 You started in Naturita with a
9 contaminated site. And you have made some
10 adjustments, some suggestions about moving to the
11 Yucca Mountain site. Is there anything that could be
12 done in the Yucca Mountain site that would be
13 analogous to the contamination that you started with
14 at Naturita? Is there something that you can do in
15 the surface, take samples, whatever?

16 DR. DAVIS: Well, yes. Obviously the
17 testing that we did that we were capable of doing
18 because of the contamination that was there aided our
19 model evaluation and maybe validation if you want to
20 call it that in that we were able to go out and put
21 uncontaminated sediments into contaminated
22 groundwater. We were able to pull out contaminated
23 sediments. So it enabled a good, better testing of
24 our model.

25 The model could at an uncontaminated site,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like Yucca Mountain, be built by abstracting enough
2 sediments and making enough groundwater measurements.

3 So the thing that might be limiting the
4 construction of a model is -- I mean, there are
5 sediments now becoming available because of the early
6 growing program.

7 And the question is, is there enough water
8 chemistry available immediately down-gradient at the
9 site?

10 MEMBER HORNBERGER: Michael?

11 ACTING CHAIRMAN RYAN: I'll defer.

12 MEMBER HORNBERGER: Allen?

13 DR. CROFF: You have talked mostly about
14 saturated, saturated entirely, I think. Given that
15 Yucca Mountain, parts of it, are unsaturated or
16 spasmodic flow, periodic flow, would this approach
17 work or how might it work or what adjustments would
18 have to be made to make it work?

19 DR. DAVIS: Well, that's a good question.
20 We have no experience making it work in unsaturated
21 systems, but the adjustments that would have to be
22 made are the same kinds of adjustments that would have
23 to be made and used in either a constant K_d or a
24 distribution K_d approach except that you would have to
25 understand the water chemistry in the water that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flowing in the unsaturated zone. And you have to
2 understand the surface area system. Those are the
3 difficult things to understand to apply a model like
4 this into the unsaturated zone.

5 MEMBER HORNBERGER: Ines?

6 DR. TRIAY: I have three questions, the
7 first one along the lines of what has been asked for
8 the unsaturated zone. What has been the validation
9 that you have done with respect to these experiments
10 that are more wet chemistry, bench chemistry, type of
11 experiments, based on batch type of experiments versus
12 experiments that are performed under flowing
13 conditions, whether it is saturated or unsaturated?
14 And that is my first question.

15 The second question that I have --

16 MEMBER HORNBERGER: Can he take them one
17 at a time maybe?

18 DR. TRIAY: I'm sorry. Yes. That's fine.

19 MEMBER HORNBERGER: We will come back.

20 DR. TRIAY: I was just wondering whether
21 he wanted to hear all of the questions.

22 DR. DAVIS: With respect to flowing
23 conditions, we have done also column experiments. I
24 didn't describe them, but we have a pretty good
25 agreement in the prediction of transporting columns

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with this model.

2 Then the other part of the validation I
3 described in the top, where we put uncontaminated
4 sediments into the groundwater system itself for
5 periods of months, up to 15 months.

6 So I showed so those data, where we put
7 uncontaminated sediments in the groundwater at the
8 site and then pulled them up after a period of time
9 and measured the amount of absorbed uranium on that
10 and compared that to what we predicted with the model.
11 And we got within a factor of 2 for 17 different
12 wells.

13 DR. TRIAY: So my second question, then,
14 is so I guess that your point is, then, that this type
15 of surface complexation model could be applied under
16 flowing conditions and you can get the data from batch
17 experiments and apply it under flowing conditions and
18 predict radionuclide migration. Is that a fair
19 statement?

20 DR. DAVIS: Well, it's a fair statement as
21 long as the local equilibrium assumption applies. It
22 will depend on the flow rate. So you can certainly
23 increase the flow rate. It's an equilibrium model.
24 So as long as --

25 DR. TRIAY: The kinetics is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dominating.

2 DR. DAVIS: If the kinetics is not
3 dominating, then yes.

4 DR. TRIAY: So then that brings me to my
5 second question. Have you done some sensitivity
6 analysis based on the surface complexation model to
7 try to make a definitive conclusion as to whether or
8 not sorption coefficients can or cannot be used to
9 describe radionuclide migration?

10 What I mean by that is the surface
11 complexation model take some resources to develop,
12 especially for actinides, for the obvious reasons.
13 You have to get a tremendous amount of data. And you
14 have to get a tremendous amount of data as you vary
15 groundwater chemistry and, of course, when you start
16 varying groundwater chemistry, the actinides sometimes
17 behaving in a manner that is not ideal from the point
18 of view of solubility.

19 So you have to really control your
20 environment when you are trying to develop the surface
21 complexation models for actinides, like plutonium,
22 neptunium, americium, and the like.

23 So based on what you know now, is it your
24 opinion that the sorption coefficients that are more
25 readily obtainable for the actinides are inadequate to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 predict radionuclide migration?

2 DR. DAVIS: Well, that's a difficult
3 question because inadequate would depend on the
4 criteria that one is judging inadequacy. It also
5 depends on a performance assessment point of view how
6 important is a K_d value to the assessment.

7 If in the case of iodine and technetium
8 you were able to conclude that there is no danger, the
9 dose is small enough with a K_d of zero, then obviously
10 you would not need a surface complexation model for
11 technetium and iodine.

12 So for neptunium, if there is a dependence
13 on the assessment or the safety assessment on the K_d
14 value, then my opinion is that yes, these types of
15 models would give more certainty and scientific
16 credibility to the values of retardation that are
17 simulated in reactive transport modeling in the
18 saturated zone.

19 I agree with you that it costs more, but
20 I also think that the costs are not as great as
21 thought if you use this engineering semi-empirical
22 approach to compare it to the more scientifically
23 based approaches that require a complete understanding
24 of the electrical double layer and so forth.

25 DR. TRIAY: What I meant by "resources,"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I didn't mean costs in terms of funding, although that
2 is probably true, but I meant more that sometimes it
3 is just not possible to look at all of the range that
4 you would need in order to come up with arable surface
5 complexation model for some of the actinides because
6 the actinides start becoming insoluble and getting to
7 complexation with some of the trace components in the
8 groundwater to the point that, all of a sudden, you
9 are studying something different.

10 That way you think that you are studying
11 some resources, not from the point of view of money
12 necessarily but from the point of view of it is
13 difficult because we don't understand the solubility
14 of the actinides to the point that you can actually
15 know that all that you are varying is the age versus
16 carbonate concentration, nitrate, so on and so forth.

17 So that's the concern that I have, you
18 know, to what extent can you really do this for that
19 very rich chemistry that the actinides exhibit at near
20 neutral pH.

21 DR. DAVIS: Well, in particular, I assume
22 you are talking about plutonium.

23 DR. TRIAY: Right.

24 DR. DAVIS: I think our studies have
25 involved uranium. And we are beginning to work with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neptunium. We don't think we have solubility issues
2 with those.

3 But yes, you do have to be able to work
4 experimentally under conditions where you are not
5 precipitating a base.

6 MEMBER HORNBERGER: Let's take that as a
7 discussion point. Jim, do you have a question?

8 DR. CLARKE: I, too, thought it was an
9 excellent presentation. Thank you for that.

10 This is just a fairly basic question.
11 This approach can be extended in a straightforward way
12 to several radionuclides. Would it shed any light on
13 competitive absorption? Any thoughts on that?

14 DR. DAVIS: The competitive adsorption
15 between radionuclides?

16 DR. CLARKE: Yes.

17 DR. DAVIS: Well, we have been working at
18 relatively low concentrations for radionuclides. The
19 competing that goes on for the surfaces is really from
20 the major cations in the groundwater, the calcium and
21 magnesium.

22 By using this approach, we take them into
23 -- but we work with an artificial groundwater of the
24 same composition and range of compositions that exists
25 in the aquifer. So we are taking that into account.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It becomes lumped into our absorption constant, the
2 competitive processes, with those major ions.

3 Now, if you're talking about competing
4 between radionuclides, you would need pretty high
5 concentrations approaching solubilities, I think,
6 before those would become important.

7 Really, that's I think outside of the
8 geosphere. That must be more of a near phenomenon
9 that could be important near the waste package itself.

10 DR. CLARKE: Okay. Thanks.

11 MEMBER HORNBERGER: Dick?

12 DR. PARIZEK: Yes. Dick Parizek.

13 Again, a very, very interesting
14 presentation. In your discussion, you didn't consider
15 colloid transport particularly?

16 DR. DAVIS: No.

17 DR. PARIZEK: Right? That's excluded?

18 DR. DAVIS: That's correct, yes.

19 DR. PARIZEK: It's interesting. Looking
20 at the river, it's like a conceptual model here. You
21 say, "Well the river was a source of recharge above
22 the tailing pile." Then it became a discharge area
23 further down. It's sort of like the Forty Mile Wash
24 example.

25 You have infiltration, which is episodic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It would be climate-driven in terms of pluvials,
2 monsoonals. You have differences in that. As you go
3 maybe on the west side of the alluvium, you have more
4 of the bedrock interface. And you also show sort of
5 a chemistry in the slower portion of the aquifer along
6 the valley wall versus near the river.

7 So the chemistries ought to be really
8 complicated in your model, even under the present data
9 source. For Forty Mile Wash, you expect also
10 complicated chemistries. And so you would need a lot
11 of data, I would think, on water chemistry as well as
12 the hydraulic conductivity variability to make a good
13 and reliable forecast.

14 Would you agree with that? It's sort of
15 capturing, I think, the main points you were trying to
16 bring up for us.

17 DR. DAVIS: Well, the richer the database
18 on the water chemistry, the hydraulic conductivity,
19 obviously the better your model is. The model itself
20 is developed from the batch data. So there you don't
21 have to collect thousands of data points. You collect
22 hundreds of data points. And then the question is how
23 many sediments are you going to collect to be
24 representative of the aquifer.

25 In our case, because we were worried about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, we collected a ton literally, 2,000 pounds, of
2 aquifer material, which we screened to determine the
3 weight percentage of different size sediments and so
4 forth. That was more because there were no other data
5 on the size fractionation available for the aquifer.

6 The complex chemistry you are talking
7 about, the contours near the river, that is a result
8 of delusions more than chemical reactions, just so you
9 understand that. That is the river water coming into
10 the aquifer and exiting back.

11 DR. PARIZEK: Right. What it shows is
12 that the chemistry is quite variable, for whatever
13 reason.

14 DR. DAVIS: Yes.

15 DR. PARIZEK: In the case of Forty Mile
16 Wash, there is also a plume variability to the
17 recharge along the wash versus the recharge from the
18 bedrock portion and the tufts portion. And so there
19 is that interface between the two along the western
20 edge of the alluvial valley fill, where it's again
21 sort of similar looking, kind of a complicated
22 chemistry.

23 Then, again, whether or not you have
24 channelites flow in the alluvium, how well-known is
25 that, the samples were rotary-grilled versus sonic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core.

2 Now, it may be a possibility. And, again,
3 how big a sample would you need in order to be able to
4 say I have enough sample to say something about
5 spatial variability, even at the core sample location?

6 DR. DAVIS: Well, there are two issues
7 here. One is you go back in --

8 MEMBER HORNBERGER: Jim, in the interest
9 of time, perhaps we won't go back. Just try to
10 address the Yucca Mountain application.

11 DR. DAVIS: Okay. The K_d contour that I
12 showed that the government drew, that is the same kind
13 of contour you could draw with our model. The
14 difference is that they have used it to build up a
15 log-normal distribution that the performance
16 assessment code draws from randomly.

17 There is nothing wrong with their
18 approach. I would just argue that if it is possible,
19 you would not draw from it randomly. You would use
20 the alkalinity and pH data you have and couple it to
21 the flow, not to draw random K_d 's off the
22 distribution.

23 MEMBER HORNBERGER: Don, are you with us
24 in Las Vegas? Do you have a question?

25 DR. SHETTEL: Yes, I am. Can you hear me?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Yes. Yes, we can
2 hear.

3 DR. SHETTEL: I have a couple of
4 questions. Phosphate is next to the complex with
5 uranium as well. Have you looked at the phosphate
6 concentration in all of these waters?

7 DR. DAVIS: In the Naturita system, we
8 have looked at phosphate. It's very low
9 concentrations and doesn't affect the aqueous
10 speciation in Naturita.

11 DR. SHETTEL: My second question, I think
12 Dr. Parizek touched on this to some extent, but
13 rainfall in the West, especially the continuous loop,
14 was rather episodic. In your case, it may have a
15 dilution effect more than anything else. Does that
16 factor into your model?

17 DR. DAVIS: The modeling that you're
18 referring to, the one percent of precipitation that we
19 assumed was recharge?

20 MEMBER HORNBERGER: Perhaps the question
21 is you assumed a steady flow.

22 DR. DAVIS: Yes, we assumed a steady flow.

23 DR. SHETTEL: Okay. So you're averaging
24 rainfall over the course of a year or some time
25 period?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DAVIS: Yes.

2 DR. SHETTEL: How much effect would that
3 have if they weren't averaged but were episodic, if
4 they randomly input into your model?

5 DR. DAVIS: Well, obviously since we
6 haven't done that, I can't say for sure, but I don't
7 think it would have a big effect.

8 DR. SHETTEL: Okay. I want to thank you
9 for a very interesting talk. I think this raises one
10 more question about Yucca Mountain.

11 MEMBER HORNBERGER: Thanks, Don.

12 Obviously this is a very interesting
13 presentation. We could easily go on and have another
14 hour of discussion, but we do have to move on in the
15 interest of time. Thank you very much, Jim.

16 What we are going to do now is go to our
17 next presentation by Keith Compton.

18 MR. COMPTON: Good morning. My name is
19 Keith Compton. I am with the Performance Assessment
20 Section in the Division of High-Level Waste Repository
21 Safety.

22 I am here to talk to you this morning just
23 to provide an introduction and some regulatory context
24 to the NRC approach to evaluating flow and transport
25 in the saturated zone. I will try to be brief. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is only an introductory presentation. The technical
2 details will be provided this afternoon and tomorrow
3 morning.

4 Now, again, my objective is to provide the
5 regulatory framework, the context for the activities
6 that we will be talking about this afternoon. What I
7 would like to do is to leave you with an understanding
8 of the connection between the presentations that will
9 be given by the center staff and by NRC staff and an
10 understanding of how these are relevant to the
11 regulatory requirements and to the regulatory tools
12 that we use.

13 The first part of my talk will provide
14 that context. I will be talking about two of the
15 important regulatory tools that we have, which is the
16 Yucca Mountain review plan and the risk insights
17 baseline report. And that will be the majority of the
18 talk, hopefully short talk. And the second half will
19 just be a brief summary of the talks that will be
20 given later so that you have an understanding of what
21 is going to be coming.

22 Jumping right in, the yucca mountain
23 review plan for those of you who may not be familiar
24 with it provides guidance for implementing the
25 requirements of part 63, particularly the requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of part 63.21, which governs the content of a license
2 application, and 63.114, which deals with the
3 post-closure performance assessment that's required in
4 the safety analysis report of any potential license
5 application.

6 The review plan consists of a number of
7 topical area and model abstractions. Today and
8 tomorrow we will be focusing on two of the relevant
9 sections of the review plan.

10 The first deals with flow paths in the
11 saturated zone. It's mainly focused on hydrology.
12 The second is radionuclide transport in the saturated
13 zone and is more focused on chemistry retardation.

14 The Yucca Mountain review plan contains
15 detailed guidance in the form of review methods. And
16 it tells us how to review a number of topics. These
17 include descriptions of aspects of the abstraction and
18 their technical basis. It deals with adequate
19 justification of the models and the data that are used
20 in a performance assessment, evaluation of the
21 uncertainty in the models and data. And also it deals
22 with how to demonstrate that the models are supported
23 by independent evidence that's termed "model support."

24 Something that is important to bear in
25 mind on the review plan is that the review methods are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given for a detailed review. It covers a lot of
2 material. However, that level of detail is for if you
3 needed to do a detailed review. However, in any
4 review of a potential license application, we would
5 tailor the depth of review to the extent to which the
6 Department of Energy relied upon the particular
7 abstraction to make their safety case to demonstrate
8 compliance. So, in other words, if the DOE believes
9 that this is an element that is important to their
10 safety case, we would do a more detailed review.

11 There are two aspects to how we would
12 determine whether they are relying on these
13 abstractions to make their safety case. One is we
14 would look for any explicit credit they take. And by
15 going into the multiple barriers section of the safety
16 analysis report and seeing what has been prevented,
17 what they have said about the credit that they plan to
18 take for saturated zone.

19 But also we would look for any implicit
20 credit that is taken by examining the TSPA model and
21 determining whether they have, in fact, in the model
22 taken credit for a feature, event, or process that
23 would affect the repository performance. So there are
24 two parts determining the extent of the reliance: the
25 explicit and implicit credit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, turning to the details, this is a bit
2 of a summary. There are several pages on each of
3 these topics. I've tried to summarize them into one,
4 rather than just reading all of them.

5 The review plan identifies a variety of
6 factors that can affect flow paths. Several of the
7 factors in the first bullet, factors such as changes
8 in the water table or changes in potential and future
9 climate, will be discussed by Jim Winterle in his
10 presentation on flow paths.

11 I would also point out that the review
12 plan does require an examination of how features,
13 events, and processes have been included in the
14 assessment and evaluation of the approach used by DOE
15 in their abstraction, the saturated zone flow. The
16 focus of our talks is going to be on what we have
17 done. We are not going to be talking a lot on our
18 evaluation of the DOE models.

19 For saturated zone transport, it's
20 constructed in a fairly parallel fashion. Again,
21 there are a number of factors that have been
22 identified that can affect radionuclide transport.

23 We just heard about the importance of
24 water chemistry to transport. That is something that
25 is pulled out. And that is also something that Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Paul Bertetti will be talking about this afternoon
2 covering the center's approach to abstracting the two:
3 radionuclide transport and the impact of water
4 chemistry. Again, the focus of our talk will be
5 mainly on the first bullet. We won't be going into
6 DOE or evaluating what DOE might have done.

7 Next slide, please. The next important
8 regulatory tool that we have is a document known as
9 the risk insights baseline report. This report is a
10 set of analyses that were conducted by the NRC and by
11 the center. They're intended to identify features of
12 the engineered and natural environment that are
13 important to repository performance. This is also
14 used to assist in determining the level of detail. We
15 determined how significant different abstractions,
16 different components are to repository performance.

17 There are a number of risk insights. I'm
18 only going to talk about the ones related to saturated
19 zone flow and transport. We have one aspect which is
20 considered to be of high significance to waste
21 isolation; that is, retardation and the saturated
22 alluvium.

23 As many of you know, there are two
24 components to the saturated zone. There is a
25 fractured tuff aquifer and then a saturated alluvial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aquifer. The absorption in the saturated alluvium we
2 believe is particularly important.

3 Now, because of that, it is also important
4 to consider the distance of the flow path in the
5 saturated alluvium. If the flow were to bypass this
6 saturated alluvium for much of its length, that would
7 obviously impair its ability to function as a barrier.
8 And so that issue of the distance of flow paths in the
9 saturated alluvium was rated as of medium significance
10 to waste isolation.

11 Also, there is absorption, however, that
12 does take place in the fractured tuff, particularly if
13 the nuclides diffuse out of the fractural water and
14 into the rock matrix. It's this term, "matrix
15 diffusion." The possibility of that, the impact that
16 that could have on performance, is determined to be of
17 medium significance.

18 I would also point out that in this, the
19 effect of colloids on transport in the saturated zone,
20 is also rated to be of medium significance to waste
21 isolation. It is not something that we are going to
22 be talking about in our presentations in detail.

23 We have time constraints. And we wanted
24 to go over several things in sufficient detail. And
25 so for that reason, you are not going to see a lot on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation of colloids.

2 So the first talk this afternoon will be
3 by Mr. Jim Winterle. He will present the groundwater
4 flow model that has been developed by the center. And
5 he will talk about the sensitivity of model flow paths
6 to different factors, flow paths and travel times, to
7 different factors, such as changes in recharge or
8 changes in the water table level.

9 And, as I have pointed out, this talk will
10 address several of the items that have been called out
11 in the Yucca Mountain review plan and also in the risk
12 insights baseline report.

13 The next presentation will be by Mr. Paul
14 Bertetti on development of sorption parameters. He
15 will focus on parameters affecting transport and, in
16 particular, how they are abstracted for the purposes
17 of performance assessment. This will, in large part,
18 be focused on determination of retardation factors for
19 actinides and particularly for neptunium. Again, this
20 talk will cover or will mention several of the factors
21 that are identified in the review plan and in the risk
22 insights baseline report as well.

23 Finally, tomorrow morning Mr. Tim McCartin
24 of the NRC will provide a discussion on performance
25 assessment and risk perspective. In that talk, he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will discuss how a risk-informed approach can be
2 applied to evaluating the performance of the saturated
3 zone.

4 He will be doing that by first describing
5 the principles of the risk-informed approach. And
6 then he will step through an example that has been
7 developed to show how it can be used to evaluate the
8 performance of the saturated zone as a barrier.

9 That presentation will illustrate the
10 relationship between the key items that have been
11 identified in the review plan and baseline report
12 showing retardation, the transport distance, matrix
13 diffusion, how these work together in working
14 combination to affect repository performance.

15 And that's it. As I said, this is a very
16 brief introductory presentation. What I had wanted to
17 do is to just introduce you to two of the important
18 regulatory tools, the Yucca Mountain review plan and
19 the risk insights. Again, the review plan identifies
20 items for review.

21 The risk insights assist in determining
22 the focus and the depth of the review. And I have
23 provided by use of the risk insights an introduction
24 to some of the aspects that are considered to be of
25 particular importance to repository performance and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then provided just a very brief introduction to the
2 talks that will be given later so that you have an
3 understanding of what is coming.

4 That's all that I have. If anyone has any
5 questions, I would be happy to take them.

6 MEMBER HORNBERGER: Great. Thanks, Keith.

7 Obviously we are going to suffer a great
8 temptation to ask Keith detailed questions about
9 presentations yet to come. I will empower Keith to
10 deflect all such questions. Let me start, Keith.

11 As you heard Ines ask Jim a question on
12 adequacy of an approach, in general terms, can you
13 give us some insight on the regulatory perspective as
14 to how or how the Yucca Mountain review plan might
15 determine what would and would not be adequate from
16 the NRC's point of view?

17 MR. COMPTON: I can talk a little bit
18 about I guess the standard to be applied, which would
19 be a reasonable expectation standard used to determine
20 whether something was adequate. I will mention that.
21 And hopefully that will get to the question.

22 When DOE develops their performance
23 assessment and develop their models, the standard that
24 we would apply to determining whether their overall
25 assessment was adequate would be reasonable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expectation.

2 And there is a number of things that are
3 important to that. It includes the full record. It
4 recognizes that you are not going to have absolute
5 certainty and you're not going to be able to
6 completely eliminate all uncertainties in your
7 assessments. And it acknowledges that because this is
8 our processes that operate over a very long time
9 scale, that there are inherently greater uncertainties
10 and that we will have to focus on the full range of
11 distributions, not to pick out one particular tail of
12 the distribution, one particular value of, for
13 example, a retardation coefficient and focus in on
14 that.

15 I don't know if that gets to your
16 question. There are a number of items that are in the
17 review plan. In determining whether it is adequate,
18 we would look at the risk insights. We would look to
19 see how important do we think this is in affecting it.

20 Performance is a very sensitive to
21 changes. Then we need to know a lot more about it.
22 We need to have a fair amount of confidence. If it's
23 something that doesn't really affect the overall
24 performance results, then we might not need as much
25 information on that or as long as we understand how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important it is for performance.

2 MEMBER HORNBERGER: Thanks.

3 Ruth?

4 MEMBER WEINER: This may strike you as a
5 simpleminded question, but to the public, Yucca
6 Mountain was always promoted as being in the
7 unsaturated zone. And that was why it was a good
8 site. What is the relative relevance and importance
9 of your focusing on the saturated zone?

10 MR. COMPTON: I'm not sure that I would be
11 able to talk about the relative importance of the
12 unsaturated zone and the saturated zone. I know that
13 our work has focused largely. Again, the goal of this
14 presentation is to present the work that we have done
15 and the approaches that we are taking. And a lot of
16 that work has been on the saturated zone. I don't
17 know if anyone wants to add anything.

18 MEMBER WEINER: Well, we can defer it to
19 later if somebody else wants --

20 MR. COMPTON: Okay. But I will not try at
21 this point to speculate about the relative kind of
22 importance of the two. We are focusing in this
23 presentation on the saturated zone.

24 MR. CAMPBELL: I can just add -- this is
25 Andy Campbell, Chief of the Performance Assessment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section -- that we will keep that in mind as we go
2 along. The relative importance of the saturated zone
3 -- keep in mind DOE and the federal government picked
4 the site. We're the regulator. So we're looking at
5 and evaluating and will evaluate what DOE comes in
6 with.

7 Based upon our own analyses using TPA and
8 doing over many years work the saturated zone comes
9 out as an important barrier. And so it isn't so much
10 as what has gone on in the past but on the basis of
11 all of this work, saturated zone comes out as fairly
12 important. And that is why we are focusing on that.

13 That was documented in the risk insights
14 report, which was publicly available in April.

15 MEMBER WEINER: Thank you. That is very
16 helpful.

17 MEMBER HORNBERGER: Mike?

18 ACTING CHAIRMAN RYAN: Just an
19 observation. I want to turn your attention to your
20 first backup slide. I thought those were kind of
21 interesting and helpful rallying points for both your
22 consideration of the review plan and maybe the risk
23 insights.

24 Let's just go through them. Maybe could
25 we get that slide up or talk about it? There are five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets there: system description and model
2 integration and so forth. This seems to kind of maybe
3 help organize our thinking of how the other
4 presentations might come along.

5 MR. COMPTON: Sure. Particularly for the
6 different model abstractions, these are fairly
7 standard review areas. They're broken down in this
8 format in the review plan.

9 The first review area, review method is a
10 description of the system and model integration. So
11 in that bullet, we would look at how in a license
12 application and the safety analysis report the system
13 was described and how it's integrated with other
14 sections.

15 For example, saturated zone flow and
16 saturated zone transport need to be consistent with
17 each other. And this would be a place where we would
18 look to see that, in fact, the approaches are
19 consistent.

20 The next section goes to the justification
21 of the data and the models that would be used. So at
22 first we have presented. We described what is there.
23 And now we look at how well the data and the models
24 are justified.

25 Next we go on to evaluating to what extent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and how well has uncertainty in the data been
2 evaluated. The next is going more towards model
3 uncertainty. There may be different models that could
4 be appropriate. And that section would provide
5 guidance on how to determine whether they have
6 appropriately accounted for the possibility of
7 different conceptual models.

8 Then, finally, model supports are a topic
9 which deals with how well the outputs of the model
10 compare to some kind of objective comparison. It
11 might be a comparison with field observations. It
12 might be a comparison with the abstracted model with
13 a more complex process-level model, but in general we
14 want to see that the abstracted model is supported by
15 some kind of objective evidence. This is the section
16 in which it would be done.

17 Again, the depth to which you would go in
18 any of these elements would depend on how important it
19 is and how much credits the DOE was taking for it.

20 So, for example, if retardation in the
21 saturated alluvium was determined to be a barrier that
22 DOE is relying on to make their safety case to show
23 that they will meet their performance objectives, then
24 that is something that would be reviewed to a much
25 greater amount of detail. If, on the other hand, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decided that was not important or they didn't want to
2 invest the energy in it or it just didn't have any
3 impact on performance, you wouldn't spend as much of
4 your time reviewing something that wouldn't really
5 have an impact or wasn't part of the argument.

6 So yes, these are the sections that are
7 called out, review methods that are called out in the
8 review plan.

9 ACTING CHAIRMAN RYAN: It's kind of the
10 intersection of the two points you made earlier, that
11 the review plan is the items for review and the risk
12 insights. It's kind of the focus in depth of those.
13 To me, you can't get from one to the other.

14 MR. COMPTON: Right.

15 ACTING CHAIRMAN RYAN: Thanks very much.

16 MEMBER HORNBERGER: Allen? Ines?

17 DR. TRIAY: I wanted to ask you from the
18 perspective of the approach that you are using to
19 review what comes in from DOE, to use the phrase that
20 was used here before. Do you model in parallel to
21 DOE? Do you use your own modeling capability and then
22 compare results at the end? Do you try to use their
23 same assumptions? Do you use your own assumptions?
24 Could you help me a little bit in terms of how do you
25 provide that independent validation of what comes in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from DOE in this very complicated area of radionuclide
2 migration?

3 MR. COMPTON: Okay. I'll try and take
4 that on. And then I will see whether my answer is
5 adequate.

6 MEMBER HORNBERGER: And how will that be
7 judged?

8 MR. COMPTON: But the first thing that is
9 important to bear in mind is that we review what the
10 Department of Energy submits. It is the department's
11 responsibility to make a safety case. So it is not
12 our job to kind of independently decide. I mean, they
13 have to make the safety case. So that is probably the
14 first thing to keep in mind.

15 The role of independent modeling, it
16 serves a number of roles. One of the things that it
17 does is it gives us an understanding of how to review
18 their model.

19 The fact that we have done these exercises
20 gives us our independent understanding of what is
21 important so that we can look for those if there may
22 be gaps. It is very hard to find what is not talked
23 about, but that is one of the roles of independent
24 modeling. As well, there may be some role for
25 independent modeling and confirming the calculation if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you want to check something to see whether there is
2 something that has been done.

3 Does that answer your question?

4 DR. TRIAY: Yes.

5 MEMBER HORNBERGER: Jim Clarke? Jim
6 Davis? Dick?

7 DR. PARIZEK: As I sort of watched the
8 process over the years, it seems like NRC has remained
9 constant. You have your rules, your regulations. I
10 think they are the same as they were when this process
11 started a long time ago.

12 Meanwhile the DOE appears to shift
13 emphasis as it has to decide what the work products
14 have to be and marshals its efforts and produces its
15 results. And so you could get the idea that group is
16 moving in different directions to create the final
17 product that you folks are going to review.

18 Have you evolved in this same time period?
19 To what extent have you evolved? I see like the
20 safety analysis or the risk-based discussions have
21 sort of elevated through time to make that very clear.

22 The KTI process has always been there and
23 the FEPs process has always been there. Are you
24 constant? Have you been constant? You have obviously
25 done models. You have learned a lot. You do some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models in some cases in a limited way but enough to
2 draw attention to aspects of the problem that really
3 need attention, perhaps by DOE, reminding them, on the
4 one hand, or understanding the benefit you get
5 yourself, being able to make these analyses yourself.

6 Where has NRC been heading in all of this
7 while? I mean, you obviously have learned a lot, and
8 they have learned a lot. We have all learned a lot.

9 MR. COMPTON: Well, I will give two
10 answers to that. And then I may pass the rest of it
11 off. The first is that yes, it has been evolving.
12 The second is that I have been with the NRC since last
13 September, not enough to discuss the evolution. I
14 don't know if Tim or Andy --

15 MR. McCARTIN: Yes. Tim McCartin, NRC
16 staff.

17 We started doing performance assessments
18 around 20 years ago. And we clearly have tried to
19 incorporate the science as it has evolved. I guess I
20 will give a couple of examples.

21 I mean, one I think will be a very good
22 one you will hear later by Paul Bertetti about the K_d
23 approach and the pH dependence, et cetera, that he
24 will be discussing. I think that is a very good
25 example of something that how we are evolving with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time, changing our look at the K_d approach.

2 Another example is matrix diffusion. I
3 will say matrix diffusion in the unsaturated zone. At
4 one time we had in our model, I will say 10 to 15
5 years ago. We no longer have it there. We have the
6 capability to do it. But we came to look on it as not
7 a very significant process.

8 And so there have been changes along the
9 way. I will talk a little bit about that in my talk
10 a very small amount with respect to matrix diffusion.

11 Colloids we look to DOE, who has actually
12 done a little more work than we have in the colloid
13 area. We continue to keep abstract of that. We are
14 continuing to do analyses with colloids. Another
15 version of the TPA code will have a more explicit
16 treatment of colloids.

17 So things continue to evolve with time.
18 I like to think we haven't stood still but continue to
19 make changes in the areas we believe are significant.

20 DR. PARIZEK: And clearly the role of
21 multiple barriers has not changed, the idea that the
22 natural system barriers have got to be there to do
23 something, but you can't take credit if you can't more
24 or less establish why it does something for you.

25 So they still take credit when they can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and are not taking full credit for other aspects of
2 the natural barrier system. But they have to have
3 multiple barriers, right? That hasn't changed.

4 MR. McCARTIN: Absolutely. And I will say
5 maybe a prime motivation to my talk tomorrow is a
6 process that I have been involved with the committee
7 for the last couple of years in terms of explaining
8 and communicating our understanding of the Yucca
9 Mountain with respect to the multiple barriers and
10 that that actually is something that I think has
11 evolved very well over the last couple of years in
12 doing a better job of communicating that
13 understanding. So there is actually another example.

14 It's not just the quantitative models but
15 the explanation and the understanding that they
16 provide. I will say that is a very important part
17 that I think has evolved over the last few years also.

18 DR. PARIZEK: Thank you.

19 MEMBER HORNBERGER: And I will point out
20 that Tim McCartin did start out with NRC before last
21 September. Mike Ryan suggested that he had red hair
22 when he started here.

23 MR. McCARTIN: Sadly.

24 MEMBER HORNBERGER: Don Shettel in Las
25 Vegas, do you have a question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHETTEL: Yes. I would like to
2 follow-up on a previous comment. I think the
3 saturated zone is an important barrier and may turn
4 out to be the most important one, but regarding the
5 vadous zone or unsaturated zone, residents' time for
6 some radionuclides in the unsaturated zone is much
7 longer than it is in the saturated zone.

8 As an example, neptunium, if there is a
9 ratio of residents' time, the UZ to the SZ, is not
10 one, that would suggest that the vadous zone is an
11 important barrier, at least as far as DOE is
12 concerned. I'm wondering if the NRC is going to have
13 a similar meeting to decide if there is absorption in
14 the vadous zone, the unsaturated zone.

15 MR. McCARTIN: Yes. Tim McCartin, NRC.

16 Yes. As Keith explained, in getting ready
17 for this working group, we made a choice to focus
18 primarily on the saturated zone. And so our
19 presentations are related to that.

20 However, the unsaturated zone has many
21 attributes that need to be examined and looked at. I
22 mean, first and foremost, just the fact that it is
23 unsaturated and how dripping occurs into the drips,
24 how many packages might be dripped on is an attribute.
25 Also, the Calico Hills vitric unit is a primarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 matrix flow only unit, where you are right.

2 The transport time will be decidedly slow.
3 If there is some retardation, even slower, that is in
4 our risk baseline report. It is also something that
5 is accounted for in our simulations.

6 An important aspect is how much of the
7 footprint of the repository is underlain by the Calico
8 Hills vitric unit. There are other aspects with
9 respect to the potential for matrix diffusion.

10 In our modeling, we have seen it be fairly
11 limited in the unsaturated zone. DOE has shown it to
12 be a little more in their models. That will be an
13 aspect of our review.

14 So there are a lot of aspects to the
15 unsaturated zone. We did make a commitment to just do
16 the saturated zone. That was not to diminish
17 necessarily the contribution of the unsaturated zone.
18 It was one of time that we thought we just made a
19 decision.

20 MEMBER HORNBERGER: Thanks very much.
21 Thank you, Keith. You got us pretty close to back on
22 time. Thanks to the presentation. We look forward to
23 hearing the other presentations that you have
24 presaged.

25 MR. COMPTON: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: We are now going to
2 take a one-hour break for lunch. We will reassemble
3 at 1:00 o'clock promptly to be on schedule.

4 (Whereupon, at 11:59 a.m., the foregoing
5 matter was recessed for lunch, to
6 reconvene at 1:06 p.m. the same day.)

7 MEMBER HORNBERGER: We're getting ready to
8 start here. It's precisely 1:00 Eastern --

9 (Laughter.)

10 -- more or less.

11 (Laughter.)

12 We're going to return to our working group
13 session, and our next presenter is Bob Andrews, who is
14 joining us from Las Vegas. And I want to thank Bob,
15 because I know how tough it is for the people working
16 for DOE and the contractors to make time to do this.
17 And I want to tell Bob that even though he probably
18 has made similar presentations many times, we do
19 appreciate his willingness to do one more.

20 Bob, are you there?

21 MR. ANDREWS: Okay. Thank you very much.
22 Yes. Can you hear me?

23 MEMBER HORNBERGER: Yes.

24 MR. ANDREWS: You can hear me okay?

25 MEMBER HORNBERGER: Yes, you're on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's fine, Bob.

2 MR. ANDREWS: Okay. Okay, thanks. Yes,
3 thanks. I have the pleasure of, you know, summarizing
4 and introducing, you know, Bill Arnold, who is going
5 to talk after I and I think after some centered
6 discussions that focus on the saturated zone.

7 My particular discussion will have a
8 summary overview of transport aspects in both the
9 unsaturated zone and the saturated zone. I didn't
10 want to lose sight of the fact that part of the
11 barrier below the repository to reduce radionuclide
12 transport is, in fact, in the unsaturated zone.

13 So I'll talk at least conceptually about
14 transport in the unsaturated zone, and then Bill will
15 discuss in greater detail transport in the saturated
16 zone later on this afternoon.

17 As a point of background, virtually all of
18 the information that's in these slides was presented
19 in earlier presentations to the NWTRB in March by
20 detailed individuals from Lawrence Berkeley Lab, Los
21 Alamos Lab, Sandia Labs, and the U.S. Geological
22 Survey. And it's very difficult for us to summarize,
23 but I've tried to do my best and pick the most salient
24 slides that make a discussion of the conceptual models
25 and the key tests that support those technical models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the parameters that are being propagated in the
2 performance assessments.

3 This work is also presented in two
4 technical basis documents and the supporting KTI
5 agreement responses that are presented in appendices
6 to those technical basis documents that have been sent
7 to NRC. Saturated zone was Technical Basis Document
8 Number 11. That was delivered to NRC last fall. And
9 the unsaturated zone transport is presented in
10 Technical Basis Document Number 10, which I believe
11 was sent to NRC towards the end of May of this year,
12 so just about a month ago.

13 So this is in some ways a summary of
14 information that's in those technical basis documents,
15 which, in turn, are summaries of information presented
16 in the model reports and analysis reports and data
17 descriptions that support those model and analysis
18 reports, that support those technical basis documents,
19 and supported the addressing of the KTI responses in
20 appendices to that.

21 So what I want to do is on Slide 2 -- and
22 I believe you're looking at me versus the slides, and
23 at least we are here I think --

24 (Laughter.)

25 MEMBER HORNBERGER: But we all have copies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the slides, Bob.

2 MR. ANDREWS: Okay. That's good, because
3 they're more colorful than I am.

4 (Laughter.)

5 So keep your head down.

6 Okay. We're going to walk through the
7 unsaturated zone flow and transport processes and some
8 key test results and data that support the
9 understanding of those processes and conceptual
10 models, and then do the same thing for saturated zone.
11 And as I said, Bill, who follows later on this
12 afternoon, will go into much greater detail on the
13 saturated zone part.

14 Slide 3 summarizes the key processes of
15 importance to performance, both of the barriers and to
16 the system, in the unsaturated zone. We have changes
17 in climate that have to be considered, the
18 infiltration at the service and ultimately the
19 percolation of that infiltration through the
20 unsaturated zone, contacting the repository, the
21 things that happen in the vicinity of the repository
22 and the couple processes that occur in the vicinity of
23 the repository.

24 In particular, the thermal, hydro,
25 chemical, and mechanical processes are beyond the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scope of this particular presentation, but there are
2 separate technical basis documents on those particular
3 aspects of the effects of the repository construction
4 and heat on flow processes in the unsaturated zone.

5 We then are concerned with how that water
6 moves through the mountain from a transport
7 perspective, in particular not just the flux
8 distribution but how that flux is distributed between
9 the fractures and the matrix, at the faults, the
10 effects of perched water zones, and ultimately effects
11 of variability throughout the unsaturated zone, both
12 in different rock types and the difference and
13 uncertainty of particular properties within a rock
14 type -- for example, the lower lith versus the middle
15 non-lith, and the differences in the uncertainty of
16 the flow characteristics in those two rock units.

17 When we get to transport, Slide 4 talks
18 about the different concepts and conceptual models of
19 importance to radionuclide transport. I think the
20 keynote speaker hit on several of these in his
21 introduction, which I thought was excellent. And
22 those same processes are relevant to us with respect
23 to the performance of the barriers below the
24 repository horizon itself.

25 Those, including advection, matrix

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diffusions, or the diffusion of radionuclides into the
2 matrix, dispersion, sorption, the transport of
3 colloids, which is a little bit different than the
4 transport of dissolved species, they are characterized
5 differently.

6 I believe Bill will talk a little bit
7 about that, but I think we've kind of focused our
8 presentations today on the dissolved constituents,
9 notably things like neptunium, technetium, iodine,
10 etcetera, rather than the colloidal leak transported
11 radionuclides, which include things like plutonium,
12 americium, etcetera.

13 Slide 5 just has some words that summarize
14 that we have models of unsaturated zone transport.
15 Those models are derived from in situ testing,
16 laboratory testing, some comparisons to analog
17 information. There is indirect confirmatory
18 information at the site itself, with respect to things
19 like carbon-14 and other radiotracers that have to be
20 also evaluated with respect to the understanding of
21 both flow and transport.

22 Those tests are key to that understanding.
23 Those tests are key to the models and the confidence
24 in the models. And the tests are also key for
25 developing parameter distributions that are used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within the models and the uncertainty in dose
2 parameter distributions and then propagated through
3 the performance of the unsaturated zone portion of the
4 barriers below the repository horizon.

5 So on Slides 6 and 7, just to orient
6 people to the tests that I'm going to be focusing on,
7 because we have done explicit tests of transport
8 within the unsaturated zone media at Yucca Mountain,
9 the ones that I'm going to be focusing on -- one is
10 Busted Butte, which is just to the south end of the
11 repository block. A picture of Busted Butte is shown
12 in the lower left-hand corner of Slide 7, looking to
13 the east/southeast from the crest.

14 And then I'm going to talk about -- Busted
15 Butte is on a scale of about 10 meters, roughly 10
16 meters. Then I'm going to talk about some cross-
17 testing conducted in the repository block or just east
18 of the repository block itself. One is Alcove 8,
19 Niche 3, where the opportunity of the cross drift
20 going across the ESF main allowed the possibility of
21 putting in water and tracers in that water and
22 evaluating the transport of those tracers through
23 roughly about 20 meters of unsaturated rock.

24 And the other test was done in Alcove 1,
25 between the surface and Alcove 1 at the east end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the northern ramp. And, again, that's tens of meters
2 scale of transport, where we put the water surface and
3 observe breakthrough of different dissolved
4 constituents in the ESF alcove.

5 So I'm going to talk a little bit about
6 each of those three test configurations, not the
7 details, but the general understanding, conceptual
8 understanding of transport processes that's derived
9 from those tests.

10 Starting with Slide 7, it simply shows the
11 cutaway and the actual test layout on the right-hand
12 side for -- more or less for background. Slide 8
13 talks about the different tracers. Sorry about the
14 typo on fluorescein. There's an S before the C. I
15 think that occurs a couple of times, to be honest with
16 you.

17 So this shows the individual injection
18 holes, and we're actually looking at transport across
19 different rock units in the Busted Butte evaluation.
20 And then we're looking at varying ways of observing
21 that transport through that rock mass at the scale of
22 that particular test.

23 Some of the actual data are shown on
24 Slide 9. On the left-hand side, we show breakthroughs
25 or distributions of two tracers -- lithium and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bromide. At the right, we show a diffusive halo if
2 you will of fluorescein as it is moving through, in
3 this particular case, the Busted Butte test.

4 In both cases on Slide 9 we show the
5 actual observed data. In the case of the left-hand
6 side, the observed data are with the data points
7 measured at different times for the different tracers.
8 For example, lithium was measured at 337 days and 440
9 days, and you see the models in comparison to those
10 breakthroughs.

11 So the models with matrix diffusion and
12 with a very limited amount of sorption were able to
13 reasonably reproduce the direct testing that was
14 performed there for both the lithium and the bromide.
15 And the right-hand side for the fluorescein, the
16 bottom part is the model, the top part is a halo if
17 you will observed of the fluorescein dye as it was
18 moving through the fractured rock mass.

19 So the Busted Butte test wasn't so much
20 used to develop parameters per se, but it was used to
21 test the conceptual models of transport through
22 smaller sections of fractured rock mass -- a little
23 bit off of the repository block itself.

24 We then go to Slide 10, where we're
25 looking at Alcove 8, Niche 3, Alcove 8 above in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ECRB and Niche 3 down below. And you see in the upper
2 right-hand side of Slide 10 that we've put a --
3 essentially an infiltration plot in the drift, and
4 then evaluated, after a period of reaching steady-
5 state on the infiltration side, added some tracers and
6 evaluated the tracer migration between Alcove 8 above
7 and Niche 3 below.

8 As you can see, Alcove 8 itself is in the
9 upper lith, and Niche 3 is in the middle non, so we're
10 kind of crossing both of the primary rock units within
11 the repository block. Some of the data and a
12 comparison of the data to model results are shown on
13 Slide 11.

14 Again, the differences in the transport
15 characteristics of in this case lithium bromide and
16 pentafluorobenzoic acid are driven primarily by the
17 different sizes of those dissolved constituents, and
18 you see that effect with respect to the diffusive
19 characteristics, in particular the matrix diffusion
20 characteristics, of the fractured rock mass.

21 And one aspect of uncertainty that has to
22 be evaluated and propagated is: what is the actual
23 interface area between the migrating dissolved
24 constituents and the rock mass? That's not something
25 that's usually directly measurable or observable --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that fraction of the rock mass that actually is taking
2 part in matrix diffusion.

3 So uncertainty in that particular
4 parameter was first off evaluated in this test, but in
5 the uncertainty, and that parameter has to be
6 propagated through to the assessment of the
7 performance of the unsaturated zone feature of the
8 barrier below the repository.

9 Moving on to Slide 12, a third test in the
10 unsaturated zone, where at the surface -- this is at
11 the eastern end of the north ramp, just as you enter
12 into the ESF. There was an infiltration zone put at
13 the surface, that thing called blue cover. It's just
14 a blue cover put on the -- above the infiltration that
15 was artificially applied to try to minimize the amount
16 of evaporation and control the actual amount of water
17 that was being applied at the surface and allowing it
18 to, if you will, recharge at the surface and then go
19 through the unsaturated zone, such that it could be
20 later on collected at the Alcove 1 with a series of
21 sheets and other water collection devices.

22 So similar to Alcove 8, Niche 3, there's
23 water applied. This was not an ambient system flux.
24 It's an artificially perturbed flux, in order to get
25 measurable concentration breakthroughs within a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reasonable period of time, where that would be in the
2 order of years instead of tens of years or hundreds of
3 years, whatever it might have been.

4 So the schematic of the test shown in
5 Slide 12, some of the key results also indicated there
6 as well, where, again, the process of dissolved
7 constituents -- in this particular case I'm not sure.
8 I didn't write down the actual tracers that were
9 selected for that particular test. But the arrival of
10 the tracers at the -- in this case the Alcove 1, some
11 30 meters below the actual surface at that point,
12 required the incorporation of matrix diffusion type
13 processes.

14 So it wasn't just an advective transport
15 through the fractured rock mass, but it required the
16 interaction of that dissolved constituent with the
17 rock matrix in which it was in contact with. So that
18 matrix diffusion process, again, was evaluated and
19 determined to be conceptually a strong basis and valid
20 for that scale of rock mass -- again, on the scale of
21 30 meters.

22 You see some of the tests results and
23 model prediction results in Slide 13, where in the red
24 we actually look at the application of the tracer, and
25 then in green are the actual observed breakthroughs at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the point some, as I say, 30 meters below in the drift
2 in this particular case.

3 So with respect to the unsaturated zone,
4 which I know is not the focus of a number of the talks
5 that will follow, a number of tests, in particular
6 focused on the in situ tests here, but those have been
7 supported by analog evaluations and laboratory tests,
8 have kind of confirmed the conceptual basis, the
9 conceptual models used in the unsaturated zone
10 transport characterization and model.

11 Those tests are also used to provide data
12 to constrain the parameter distributions, the
13 reasonable parameter distributions of transport-
14 related parameters, and for the particular sorption-
15 related transport parameters, which I haven't
16 presented in here. Those are primarily derived from
17 laboratory-based testing.

18 But in the cases where a laboratory
19 sorption measurement is comparable to a tracer that
20 was used in an in situ test, the transport
21 characteristics, the sorption characteristics, are
22 virtually analogous. If anything -- and we'll see
23 some examples here when we get to the saturated zone
24 -- the laboratory sorption measurements predict a
25 slightly lower sorption, lower equivalent K_d , than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what would be derived in situ for the cases where
2 there is a similar dissolved constituent that's being
3 compared. Of course, we're not testing these things
4 with radioactive tracers in the field for very obvious
5 reasons.

6 And uncertainties, then, in parameters,
7 whether those be sorption parameters or transport
8 parameters in general, such as matrix diffusion,
9 effective porosities, fluxes, etcetera, have been
10 included and are being propagated through with respect
11 to the performance assessment, where now performance
12 assessment -- in the most general sense of the word,
13 that includes the total system performance assessment
14 and the evaluation of the capability of the barrier as
15 required in Part 63, and as will be summarized in the
16 safety analysis report later on this year.

17 Switching gears to the saturated zone, we
18 have a conceptual picture. I think we've probably
19 used this conceptual picture several different times
20 to show the different transport behavior of the
21 fractured tuffs versus the alluvium, and that
22 difference in transport behavior, transport
23 characteristics, is directly evaluated in a couple of
24 tests that I'm going to talk about in summary fashion
25 here today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I want to preface this by saying that,
2 unfortunately, to date we haven't been able to form a
3 full cross-fold tracer test in the alluvium for
4 permitting reasons. I believe Nye County, who is
5 going to talk tomorrow -- Dr. Hammermeister is going
6 to talk tomorrow -- will talk a little bit about the
7 current status of any plans for tracer testing,
8 crustle tracer testing in the alluvium.

9 So to date the only test -- and I think
10 I'll have one example of that -- in alluvium, a
11 relatively large scale of transport is what can be
12 varyingly called a huff-puff test or an
13 injection/withdrawal type test from a single pull,
14 where you inject a tracer, let the natural gradient
15 take over, and then withdraw the tracer and evaluate
16 what that tells you about the transport
17 characteristics of the alluvium. And we'll talk a
18 little bit about that in a second.

19 So we have very different, not processes,
20 but different geologic characteristics that affect the
21 transport behavior in both the volcanic aquifer, the
22 tuff aquifers if you will, and the alluvial aquifers.
23 I'm just trying to show those conceptually on
24 Slide 15.

25 On Slide 16, again, an introduction. Just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as in the unsaturated zone, the Department has
2 utilized large-scale testing to characterize the
3 transport models, to validate those transport models,
4 and to develop parameter distributions and their
5 uncertainty that are used to propagate with respect to
6 the behavior and characteristics of the capability of
7 now the saturated zone component of the barrier to
8 radionuclide transport below the repository horizon.

9 Slide 17 shows -- and this may be a little
10 bit out of date with the most current Nye County work.
11 It's as of about six months -- no, nine months ago, at
12 the time we wrote the Technical Basis Document
13 Number 11 on the saturated zone.

14 But it shows the individual bore holes
15 used to -- in the saturated zone used to evaluate
16 geochemistry, used to evaluate hydrology, in
17 particular flow characteristics, potentials, etcetera,
18 and a blowup of the two multi-hole locations, one in
19 the tuff aquifer up above, the C-wells complex that's
20 been called, and one down below closer to Highway 95,
21 the alluvial testing complex in the -- some of the Nye
22 County early warning drilling program polls.

23 I think Bill will talk a little bit about
24 the geochemistry and the use of the geochemistry to in
25 part constrain and evaluate the likely paths of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater flow once you enter the saturated zone.
2 I've left those out of my discussion, as well as the
3 potential evaluations, and have kind of focused on the
4 transport in situ testing information.

5 Now, these wells, as you can see, both at
6 the C-wells complex and the alluvial testing complex,
7 are on the order of tens of meters apart. We have
8 used some larger scale if you will tracers that I
9 believe Bill will talk about to help constrain general
10 transport paths and general transport rates, although
11 those general tracers, like carbon-14, like -- I don't
12 think we're going to talk about uranium-234, U-238,
13 although that is presented in the technical basis
14 document.

15 There are some limitations on how far you
16 can take those larger-scale, naturally-occurring radio
17 tracers with respect to evaluation of transport at
18 Yucca Mountain. So we have relied pretty heavily on
19 these tens of meters scale tests, especially at
20 C-wells.

21 Slide 18 just gives you the
22 hydrostratigraphy, lithostratigraphy, at C-wells.
23 A couple of important aspects here. Those little
24 triangles are from flow meter logs, the actual
25 percentage of flux in the well when it's being pumped,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and where did that flux come from.

2 I think as the panel is well aware, the
3 actual distribution of transmissive features that can
4 yield water, and, therefore, are most likely to
5 transport any dissolved constituents is fairly limited
6 in a fractured rock mass. Not every fracture carries
7 water and is equally transmissive. In fact, you see,
8 you know, for most of those holes, for those three
9 wells, either three or four zones that are carrying
10 most of the water. And, in fact, it's one or two
11 zones that are carrying most of the water.

12 We factored that distribution. We've
13 called that the flowing interval spacing in the
14 technical basis document and in the model reports that
15 support the saturated zone flow and transport to say
16 that that's where, if there are dissolved
17 radionuclides or colloidal radionuclides that enter
18 the saturated zone, it would be in those features that
19 they are principally transported within.

20 Going on to Slide 19, there was a long-
21 term, year and a half-ish pumping test conducted in
22 C-wells. That pumping test was used to evaluate
23 larger scales, the scale now of kilometers, flow
24 characteristics. They weren't -- didn't have
25 transport at that scale of kilometers, but there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at least an evaluation of the general flow
2 characteristics in the saturated zone at the scale of
3 kilometers that was evaluated as a result of this, you
4 know, year and a half long pumping test in the
5 fractured rock mass.

6 Slide 20, and also 21 -- but let's start
7 with 20 -- is a representative cross-hole tracer test
8 conducted in the C-wells for a range of different
9 dissolved and an equivalent of a colloidal species.
10 Those 360-nanometer spheres -- and we've looked at
11 different size of microspheres and their transport
12 characteristics, those different -- those spheres
13 represent an analog if you will for colloids as
14 colloids might be transported through the saturated
15 zone. And any radionuclides that may be sorbed onto
16 colloids could be transported with that colloidal
17 mass.

18 Again, different tracers being used in
19 part to evaluate different diffusive characteristics
20 and to confirm the different diffusive
21 characteristics, in particular the matrix diffusion,
22 between the individual bore holes. So even though the
23 water is predominantly moving through some of those
24 flowing features that I presented on Slide 18, during
25 the injection/withdrawal test, the dissolved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constituents are interacting with the rock matrix.

2 So, again, the matrix diffusion model and
3 the characteristics of the diffusion being related to
4 the size of the dissolved constituent -- bromide in
5 this case being a larger diameter than the PFBA, the
6 pentafluorobenzoic acid -- and, therefore, being less
7 likely to sorb or to -- sorry, to diffuse into the
8 rock matrix.

9 Again, the third bullet, the sorption
10 values -- even though I haven't shown them on here --
11 or they're going to be shown in the next slide. For
12 the in situ tracer tests confirm and, in fact, are a
13 little higher than the laboratory sorption
14 characteristics of these particular dissolved
15 constituents.

16 So Slide 20 simply shows some of the data
17 for a particular test. Slide 21 shows a little bit of
18 laboratory data on top, essentially column
19 breakthrough tests for the -- some of the different
20 tracers used in the C-wells transport test -- in this
21 particular case, bromide versus lithium, and then the
22 bromide-lithium breakthrough and model results down
23 below for the in situ test.

24 So, again, the laboratory sorption
25 measurements, the column-type sorption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristics, indicating a Kd in this particular
2 case of about .1 to .3 milliliters per gram, and the
3 field Kd, to get a reasonable reproduction of the
4 observed breakthrough of, in this case, lithium being
5 constrained between .6 and 4 milliliters per gram.

6 So, again, the in situ sorption values
7 being -- from this experiment anyway being slightly
8 greater than the laboratory-derived sorption values.
9 So the use of the laboratory-derived sorption values
10 is conservative with respect to any application of
11 them for post-closure performance.

12 Given that the chemistry, as we talked
13 about earlier this morning, along those flow paths,
14 likely flow paths remains reasonably stable and
15 constant with time and space along that flow path.

16 Moving to Slide 22, this is that -- the
17 results of that single whole injection/withdrawal.
18 They were injected for a period of time, let sit for
19 a period of time, and then withdrawn for a period of
20 time. And you can't really get -- well, you could,
21 had you used a sorbing-type tracer. You could have
22 determined something about sorption from these tests,
23 but we used non-sorbing tracers for this particular
24 test.

25 So, essentially, what you're doing is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to summarize and evaluate -- and you can't
2 distinguish between flux and velocity using these.
3 It's one kind of lumped parameter. But using
4 reasonable ranges of effective porosity of the
5 alluvium, you get a range of possible alluvial fluxes,
6 as I show there, between roughly one and nine meters
7 per year at that particular location.

8 The site-scale model that Bill will talk
9 about later gives a median value for nominal set of
10 conditions without uncertainty of roughly two meters
11 per year. So it's right in the same bracket as the
12 range of possible single-hole injection/withdrawal
13 tests.

14 And, as I say, there have been plans over
15 the years to do multi-hole tracer tests in the
16 alluvial testing complex or similar multi-bore hole
17 locations in the alluvium. And I think Dr.
18 Hammermeister will talk about those -- the current
19 status of those plans tomorrow.

20 There is one other type of information
21 that I -- even though I kind of focused on the in situ
22 observations up to this point, doing in situ sorption
23 other than with simple tracers is prohibitive, both in
24 time and in terms of protecting the environment. So
25 the sorption characteristics of radionuclides of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 importance to performance are determined in the
2 laboratory.

3 Some examples of those sorption
4 measurements are shown in Slide 23. These are
5 different samples showing different grain size
6 distributions at different locations. We've looked at
7 different chemistries and their effects on sorption
8 measurements, different mineralogies, although limited
9 by where we have samples, and different radionuclides.
10 But it kind of focused on, at least for this
11 particular slide, on neptunium and uranium sorption.

12 And it's these data averaged over the
13 reasonable range of grain sizes expected that are used
14 to develop a reasonable range of sorption
15 characteristics in the alluvium. And similar
16 observations are available from laboratory experiments
17 conducted over the last, you know, 10, 15 years, some
18 of them conducted by Dr. Triay and her co-workers in
19 the early and mid-'90s, argues for the sorption
20 characteristics on the tuff aquifers and, for that
21 matter, in the unsaturated zone as well.

22 So, in conclusion, just as we had in the
23 unsaturated zone, the conceptual models we have for
24 transport behavior in the saturated zone have been
25 developed and are based largely on the in situ testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have. The in situ testing has not only been
2 used to evaluate those models, but also to develop the
3 parameter distributions, reasonable ranges of those
4 parameter distributions that we apply with those
5 models.

6 And I would be remiss to say that, you
7 know, these are just a one-shot, you know, transport
8 evaluation. There is uncertainty in the model. There
9 is uncertainty in the parameters within the model.

10 I talked about some of those parameters
11 today, things like flowing interval spacing, the
12 effective porosity within that flowing interval
13 spacing, the degree of matrix diffusion, and the
14 sorption characteristics of the individual
15 radionuclides themselves along the likely travel
16 paths, both in the unsaturated zone and the saturated
17 zone. And that uncertainty is propagated through both
18 the barrier evaluation and the total system
19 performance assessment.

20 So with that, I will stop and entertain
21 any questions.

22 Dr. Hornberger?

23 MEMBER HORNBERGER: Thank you very much,
24 Bob. Obviously, Bob has summarized a tremendous
25 amount of information and work. It's going to be our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 task to try to focus our questions on the issues that
2 we really want to grapple with most significantly in
3 this meeting.

4 But with that warning, I will proceed to
5 questions. Ruth?

6 MEMBER WEINER: I have a couple of
7 questions. Are you doing anything to the site by
8 introducing water? I mean, you're not introducing
9 that much water. But what's your sense of that?

10 MR. ANDREWS: Yes. When we -- before we
11 do any test at the site, especially any test that's
12 near the repository block itself, a detailed -- I
13 think they're called design evaluation -- design
14 impact evaluation is performed to evaluate, what's the
15 impact, if any, on performance or safety associated
16 with doing the test, whether we're putting water at
17 the surface, whether we're putting water underground.

18 We have an advantage that before this
19 site, assuming it's licensed, is closed, there is a
20 lot of time that transpires. And the natural system
21 is fairly forgiving with that amount of time. But a
22 particular evaluation is done for that water and any
23 other constituent that's introduced during the
24 physical test itself, just as we do with the actual
25 construction of the -- for example, the cross-drift or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the ESF where there are evaluations of the impact of
2 diesel emissions and other organic emissions during
3 the construction activities themselves.

4 MEMBER WEINER: My second question is:
5 how location-dependent are your tests for validation?
6 In other words, if you -- the unsaturated zone clearly
7 is not homogeneous. It's clearly heterogeneous. If
8 you did the same test in a number of different sites,
9 how different would your results be? Do you get an
10 uncertainty band that way or --

11 MR. ANDREWS: Yes. Generally, we're using
12 the individual tests -- you know, whether it be the
13 Alcove 1 stuff or the Alcove 8, Niche 3, or Busted
14 Butte -- we're using those with our models to evaluate
15 the confidence or robustness in the conceptual model
16 and conceptual understanding itself.

17 Clearly, the parameters, you know, at that
18 particular location where the test is performed are
19 contingent on where you give the test. So you then
20 are saying, "I have a model. I have a reasonable, you
21 know, approximation through the observations at that
22 particular point in space with this set of
23 parameters." You know, whether that be matrix
24 diffusion parameter or, you know, sorption parameter
25 or fracture characteristics, whatever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We then, when we extrapolate it or
2 interpolate it to the whole mountain, have to
3 consider, you know, uncertainty in that parameter and
4 variability in that parameter now at the scale of a
5 mountain and from location to location.

6 So in large part, uncertainty in matrix
7 diffusion, in fracture characteristics like fracture
8 porosity and fracture-matrix wetting area, and
9 sorption characteristics are derived not solely from
10 that similar test or singular test, but also from
11 other lines of evidence, including, in some cases,
12 literature information and other sources that we try
13 to characterize the global uncertainty in a particular
14 parameter that we then propagate through to the
15 evaluation of the barrier itself. So the test --

16 MEMBER WEINER: So you find something --
17 I'm sorry. Go on.

18 MR. ANDREWS: I'm sorry.

19 MEMBER WEINER: You find something drives
20 the uncertainty, and others don't?

21 MR. ANDREWS: Yes. I mean, there are some
22 parameters within the models as they are implemented
23 that drive, if you will, the behavior of that
24 particular barrier. Those are generally described,
25 the most if you will significant parameters -- and I'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to be careful about it -- what the measure of --
2 of performance that you are looking at. You know, for
3 example, is it a median breakthrough of a particular
4 radionuclide, or what?

5 But generally, it's able -- you're able to
6 post-process if you will the model results and
7 determine, okay, this particular parameter or this
8 suite of parameters drove the 95th percentile on the
9 breakthrough of this particular radionuclide. So
10 that's kind of a -- if you will a post-processing
11 evaluation once you've implemented the model. But
12 that's possible, yes.

13 MEMBER WEINER: Finally, I assume you
14 heard Dr. Davis' presentation on the Naturita
15 experiments. And I'd like to have you comment on the
16 question of you have models and you validate them
17 against real experimental data. And presumably you
18 benchmark them, calibrate them against that -- those
19 data. And then you do a random sampling of your
20 models. Isn't that correct?

21 MR. ANDREWS: Yes.

22 MEMBER WEINER: Could you comment --

23 MR. ANDREWS: For parameters, yes.

24 MEMBER WEINER: Yes. Could you comment on
25 Dr. Davis' statement that modeling -- doing a post-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiment model, in other words going from the back
2 end, doing that rather than doing random sampling, how
3 -- put another way, what is your sense of the validity
4 of the random sampling method?

5 MR. ANDREWS: Oh, I think that the -- in
6 the random sampling -- well, it's not totally random,
7 because there's correlations, you know, of what's
8 being sampled to the different lithologic units that
9 you're dealing with. And if there was, you know, a
10 variation in -- a significant variation in
11 geochemistry that significantly affected, you know,
12 transport behavior, there would be that correlation as
13 well.

14 But I think the degree of complexity or
15 the degree of sophistication you put in any particular
16 representation, whether that be a fairly simplistic
17 representation which the linear Kd-type model
18 represents, or a more, you know, sophisticated
19 complexation-type model, both of them have to be
20 fundamentally compared to the observations. They are
21 both models, and they have to be compared back to
22 data, whether they're simple models or more complex
23 models.

24 Propagating uncertainty is required in
25 either model, either a simple model or a complex

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 model. You have to have the capability to evaluate
2 the complexity and the -- not the complexity, excuse
3 me -- the uncertainty in that characterization and
4 propagate that uncertainty with -- generally speaking,
5 with a more complex model you have more individual
6 uncertainties, such as surface area or chemistry
7 reactions, that you have to consider and propagate,
8 whereas with a simpler, you know, sorption-type model
9 there is generally one uncertainty, one parameter that
10 you kind of lumped a lot of the complexity in, and the
11 uncertainty in that also has to be propagated.

12 But I think in either case, whether you
13 take a complex model or a simple model, the
14 propagation of the uncertainty within that model as it
15 affects performance would be I think about the same.

16 MEMBER WEINER: Okay. Thank you.

17 MEMBER HORNBERGER: Mike?

18 ACTING CHAIRMAN RYAN: Thanks, Bob. I
19 agree with George. You covered a lot of ground in a
20 real short period of time.

21 I've got another uncertainty question, but
22 hopefully it's a little simpler, at least it is in my
23 mind. If you had to pick two or three things in the
24 unsaturated zone, and two or three things in the
25 saturated zone, that are the drivers of uncertainty at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this point, what would they be?

2 MR. ANDREWS: Probably the sorption
3 behavior of a couple of key radionuclides. Like
4 neptunium -- I think that's the focus of some of your
5 questions -- was on that. The actual flow
6 characterization, you know, within the fractures, both
7 in the saturated zone and in the unsaturated zone,
8 ends up being a fairly significant parameter, in
9 particular with respect to, you know, earlier
10 breakthroughs and later breakthroughs.

11 So those would probably be the two key
12 ones, but I think that probably that's for the
13 detailed modelers who follow me to --

14 ACTING CHAIRMAN RYAN: If it's not a fair
15 question to ask you, that's fine. But, you know, I
16 guess what I'm trying to do is get in my mind some
17 order of what things are really driving the bus in
18 terms of uncertainty. You know, and interesting one
19 is -- and, again, it's a question on breakthrough.

20 For neptunium, it's the time of arrival.
21 But does it affect the concentration? Because
22 concentration is what drives dose, not the time of
23 arrival, because there's relatively little decay. So
24 ultimately I'm thinking about these things and my
25 list, not so much in terms of the geohydrologic model,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but do they or do they not have an impact on an
2 ultimately calculated dose? Some of them might, and
3 some of them might not.

4 MR. ANDREWS: Yes.

5 ACTING CHAIRMAN RYAN: Any thoughts there?
6 Again, that may not be a fair question for you, but --

7 MR. ANDREWS: Yes. And I think it's a
8 little unfair to say the time of arrival is not a
9 significant evaluator. I think the time of arrival is
10 in part the barrier capability that Part 63 asked for.
11 And the time of arrival, although I'll agree with you
12 the difference between 1,000 years and 2,000 years is
13 not significant, the difference between 1,000 years
14 and 20,000 years is significant to --

15 ACTING CHAIRMAN RYAN: That's a fair
16 amount, and I certainly accept that.

17 MR. ANDREWS: -- system performance. So
18 the time of arrival can make a significant difference
19 to Yucca Mountain performance and barrier performance.

20 ACTING CHAIRMAN RYAN: And I guess that's
21 what I'm trying to get a feel of -- in your mind,
22 where are the ones where those differences are
23 potentially significant or important, and where are
24 they relatively minor in terms of, well, it's not
25 going to have a big impact? So I'm just trying to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your top three. And I think you've given me two --
2 you said neptunium and --

3 MR. ANDREWS: Okay. I gave you two.

4 ACTING CHAIRMAN RYAN: Yes.

5 (Laughter.)

6 And that's fair enough. That's close
7 enough. I appreciate your insight.

8 MR. ANDREWS: Okay.

9 MEMBER HORNBERGER: Allen?

10 DR. CROFF: Can you comment on the extent
11 to which matrix diffusion -- to which you found it to
12 be reversible in your test?

13 MR. ANDREWS: I'm probably not the person
14 -- I'll have to find someone who was actually closer
15 to the test, to be honest with you.

16 DR. CROFF: Okay. Again, if it's not
17 fair, we'll --

18 MR. ANDREWS: Yes. Let me try to find
19 someone to have an answer to that, okay? Because I'm
20 not close enough to that particular test, to be honest
21 with you.

22 DR. CROFF: Okay.

23 MEMBER HORNBERGER: Ines?

24 DR. TRIAY: What have you found in terms
25 of the effect of colloids on radionuclide migration?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Would you say that the colloids have a large impact?
2 And to what extent have you been able to bound the
3 effects of colloids on radionuclide migration?

4 MR. ANDREWS: I hate to use this answer,
5 Ines, but it depends. It sort of depends on -- in
6 large part on the chemistry. In particular, it
7 depends on, you know, the pH of the solution and
8 depends on the ionic strength of the solution.

9 And the pH and ionic strength, as you move
10 away from the repository block itself, from the drifts
11 themselves, does return to more or less ambient, but
12 right in the vicinity of the drifts and inside the
13 package and inside the engineered barrier system, the
14 invert if you will. Those pH's and ionic strengths
15 can vary significantly depending on the amount of
16 evaporation of water that occurs.

17 And they -- you know, those chemical
18 controls on the colloid stability end up being fairly
19 significant with respect to the behavior of colloids
20 in the drift and in the package, if they happen to get
21 into the package. And, of course, the degradation of
22 glass waste forms creates colloids, so, you know,
23 smectite-type colloids.

24 So then the effect in the far field is
25 somewhat more constrained, because, you know, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generally dealing with a more well-defined and less
2 time-varying geochemistry. So it kind of depends on
3 where you are and what time you're talking about --
4 the answer to that particular question. So sorry to
5 give you a PA kind of answer, but --

6 DR. TRIAY: Everything is uncertain,
7 right?

8 (Laughter.)

9 MR. ANDREWS: Yes, on that one.

10 DR. TRIAY: Let me ask you another
11 question. Based on the previous talk on the -- on the
12 talk of Dr. Davis, can you tell me -- you were talking
13 about the differences in water chemistry that could be
14 experienced at the site.

15 Could you give me an idea, from your
16 perspective, given all of these sensitivity
17 calculations, you know, that you have performed,
18 whether those changes in water chemistry, because from
19 the perspective of, you know, what I understood from
20 that first talk, that water chemistry is almost all-
21 important when it comes to applying the surface
22 complexation models.

23 To what extent do you feel that that water
24 chemistry would have a big effect on the sorption data
25 that you're utilizing in your transport model?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREWS: Yes. Let me try to -- first
2 off, the bulk of the sorption data that we're using in
3 our transport model are derived using J-13 type water
4 in the experiment. You know, J-13 is more or less
5 along the flow path in the fractured tuffs between the
6 zone underneath the repository and the 18 kilometer
7 point of the reasonable maximally exposed individual.

8 So that water -- and that water is
9 sampled, you know, periodically, and chemistry done
10 periodically on J-13 water by the USGS. And it's been
11 fairly stable, you know, during-- with time over the
12 20-plus years that J-13 and J-12 have been pumped.

13 Now, if you move away from J-13 -- and I
14 think Bill won't talk so much bulk chemistry but types
15 of chemistry in the saturated zone. Along the flow
16 path, the likely flow paths, the chemistry and the
17 saturated zone are, you know, fairly homogenous I'm
18 going to say. And Bill will talk and show some plots
19 I think of different chemical signatures, gross
20 chemical signatures, in the saturated zone.

21 There are observations in the saturated
22 zone where the chemistry is significantly different,
23 and, in particular, where the redox state is
24 significantly different, i.e. there are zones where
25 it's reducing, and there are zones where it's more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 oxidizing.

2 Our current evaluation and current model
3 says that along the likely flow paths the geochemical
4 system is fairly stable and likely to be oxidizing
5 along the most likely flow paths. Those zones that
6 are more reducing and more reducing in our system --
7 just for those of you not aware, more reducing in our
8 system has a significant effect on several
9 radionuclides transport, most notably technetium, but
10 also the other actonides are seemingly infected by the
11 redox state of the groundwater.

12 So those more reducing conditions, which
13 are observed in the saturated zone, we believe are not
14 really along a likely flow path. So taking
15 performance credit for that significant change in
16 chemistry off of the flow path we didn't feel was
17 appropriate. And so that particular, you know, model
18 uncertainty of the -- where the chemistry is with
19 respect to the flow paths has been excluded from the
20 barrier evaluation and performance assessment.

21 But along the likely flow paths, the
22 chemistries and the different chemical signatures are,
23 in fact, very similar. So using a singular sorption
24 mechanism, not affected by time or space, we felt was
25 appropriate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So if you will, the complexities of
2 geochemistry in the saturated zone are not that great
3 along the likely flow paths.

4 DR. TRIAY: So that homogeneity in
5 chemistry, does that help you to bound, then, the
6 effect of colloids?

7 MR. ANDREWS: We use that chemistry in our
8 evaluation of colloid transport. I'd hate to use the
9 word "bound," but we use the chemistry in the
10 saturated zone to -- in our development of colloid
11 transport-related parameters in the saturated zone.
12 So I think "bound" is probably not the right word to
13 use, but that effect is factored in.

14 MEMBER HORNBERGER: Jim Clarke?

15 DR. CLARKE: Bob, the Alcove 1 test
16 revealed that matrix diffusion was important in the
17 areas of densely-welded tuffs. I can't tell from your
18 conceptual model on Slide 3, is that a large area? Is
19 this a significant retardation process overall in the
20 vados zone? In other words, what flow will be
21 intercepted by these densely-welded tuffs?

22 MR. ANDREWS: Well, I mean, the Alcove 1
23 is -- I mean, you're right, it's at the surface, which
24 is -- I believe it's probably Tiva Canyon, at that
25 particular test location. So it's probably, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will, more densely welded than the Topopah Springs
2 welded tuffs. But the welded tuff characteristics and
3 concept of in a welded tuff you can have matrix
4 diffusion processes operative, is more or less a
5 validation of the model, the actual parameters, than
6 -- that we used be --

7 DR. CLARKE: I'm just asking how
8 significant that is overall to transport through the
9 vados zone. Will --

10 MR. ANDREWS: It's fairly significant.

11 DR. CLARKE: So --

12 MR. ANDREWS: It's not so significant when
13 you look at something like the 50 percent arrival of
14 mass. But it is I believe -- and there are
15 sensitivity analyses that I didn't bring. I think it
16 is fairly significant for the early breakthrough
17 arrival of mass. So it kind of depends on where you
18 are on the breakthrough curve, if you will.

19 DR. CLARKE: So I guess this is kind of a
20 question for the NRC. But does that mean that
21 translates to a risk insight? Would that have a high
22 significance similar to retardation in the alluvium?
23 I guess this is fairly new, these data, or is this
24 report just provided in --

25 MEMBER HORNBERGER: No. I think the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has seen this stuff.

2 MR. CAMPBELL: We've been following the
3 C-wells and other tests for quite a few years.

4 MEMBER HORNBERGER: Andy, he's talking
5 about the tuffs, the Tiva Canyon, the Alcove -- test
6 in the alcoves and the over --

7 MR. CAMPBELL: I'm going to have to defer
8 to someone who can address those funds.

9 MR. ARLT: Yes. Hans Arlt, NRC. No, we
10 are aware of that. DOE does claim a lot of credit for
11 matrix diffusion in the unsaturated zone, and we have
12 a few agreements that do cover that.

13 DR. CLARKE: I just wondered on a risk
14 insight basis, does that mean that the unsaturated
15 zone has attributes of high significance as well? We
16 heard about the one this morning for the saturated
17 zone. Would matrix diffusion then have that level of
18 significance on a risk insight basis for the
19 unsaturated zone?

20 MR. ARLT: I think that was medium
21 significance.

22 DR. CLARKE: Okay.

23 MR. ARLT: But it's been rated.

24 MR. CAMPBELL: Our key slides with that
25 was with a group of three that we rated as medium as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opposed to the retardation in the alluvium. And
2 that's primarily based upon, like I said, many years
3 of analyses that we've done with the TPA code and
4 other things and looking at all of the information.

5 MR. ARLT: That is one of the most
6 important things that we'll be looking at from the NRC
7 side is the matrix diffusion in the unsaturated zone,
8 and also the Calico Hills, they are very aware of
9 that.

10 MR. CAMPBELL: Keep in mind that if in
11 DOE's model -- again, as to repeat what he said
12 earlier today, DOE's model takes a lot of credit for
13 that. But we're going to invest enough resources to
14 evaluate that, the importance that they attach to that
15 particular area. That's a very important part of
16 their model, but we're going to invest the resources
17 in evaluating that thoroughly.

18 DR. CLARKE: Okay. Thank you.

19 MEMBER HORNBERGER: Jim Davis?

20 DR. DAVIS: Yes. You mentioned that the
21 pH and ionic strength increase near the waste
22 repository, and that it attenuated away towards the
23 ambient values. I was wondering what -- over what
24 distance -- are you saying that it gets back to
25 ambient values? And how is that determined?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDREWS: It depends on the time.
2 Initially, but, you know -- and I say it depends on
3 time because of the thermal environment, and the
4 thermal environment is changing significantly over
5 time. And, in fact, a thermal environment, even
6 within 10,000 years, is probably not back to, you
7 know, ambient. It's still slightly elevated with
8 respect to the ambient.

9 And it's that thermal environment that
10 drives the chemistry evolution inside the drift. And
11 if a package has been degraded inside the package, the
12 degree that the thermal environment returns to, if you
13 will, more or less ambient is in the first, you know,
14 roughly 1,000 years if I go five, 10 meters away from
15 the drift.

16 So if you just take round numbers, take 10
17 meters and 1,000 meters, you're close to the ambient
18 thermal environment. The chemistry is still trying to
19 catch up, if you will, to that to that change in
20 temperature, and that takes another, you know -- I'm
21 talking extemporaneously here.

22 I thought you'd look at the plots, to be
23 honest with you. But another 1,000 or so years before
24 the chemistry returns in that vicinity around the
25 five, 10 meters around the drift -- I mean, therefore,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the drift to close to ambient chemistry.

2 So it's generally in that few thousand
3 year timeframe, driven mostly by the thermal
4 perturbations on the chemistry, that the pH, the
5 carbonate concentration, other dissolved constituents
6 are significantly changing. And it's not always
7 increasing. Sometimes it's decreasing. It depends on
8 which constituent you are talking about due to the
9 water-rock interactions during the dryout phase and
10 the rewetting phase, if you will, of the thermal
11 profile around the drift.

12 But to answer your question in a very, you
13 know, general way, it's usually in a few thousand
14 years we return close to ambient chemistry, which then
15 would correspond to ambient, you know, sorption type
16 and other characteristics from a geochemistry
17 perspective.

18 The rock itself, although it undergoes a
19 change, it is not a significant change in rock
20 mineralogy during that thermal pulse. So it's mostly
21 the aqueous chemistry that's changing.

22 DR. DAVIS: So after the thermal pulse has
23 subsided, is there -- do you think that there is going
24 to be any impact to the waste packaging or the total
25 waste environment on the chemistry of the water, aside

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the thermal impact which will last 1,000 years or
2 so? I mean --

3 MR. ANDREWS: Inside the drift, yes.

4 DR. DAVIS: But how far out does that --

5 MR. ANDREWS: Inside the drift.

6 DR. DAVIS: How far away from -- in the
7 unsaturated zone is that chemical perturbation going
8 to go?

9 MR. ANDREWS: That's probably on the order
10 -- I'd have to look at the actual model report to be
11 honest with you. But off the top of my head, I'd say
12 on the order of meters that it extends, because the
13 fluxes that -- the water volumes, even though the
14 concentrations are significantly different right next
15 to the waste, and in the invert, because of the
16 thermal behavior in that zone, the volumes of water
17 and the fluxes of water are significantly lower than
18 the volumes of water and fluxes of water that are in
19 the rock mass itself going around the drifts. So you
20 have kind of a dilution, if you will, effect based on
21 just volumes and masses of water that are in the rock.

22 MEMBER HORNBERGER: Dick?

23 MR. ANDREWS: There is a model that
24 addresses that. I'd just have to get that for you.

25 MEMBER HORNBERGER: Dick?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. PARIZEK: Yes, Bob. Could you give us
2 sort of an update on what studies are still underway
3 in the saturated zone/unsaturated zone? Unless others
4 later today and tomorrow are going to speak in detail.
5 But, you know, what's still going on in the program
6 that's part of the present work, that may be different
7 than the science and technology initiatives?

8 MR. ANDREWS: I'll let, you know, Nye
9 County and Dr. Hammermeister talk about the saturated
10 zone, because they probably are closer -- a lot closer
11 to that on what the current testing that's going on
12 there, additional drilling and testing in their early
13 warning drilling program holes is.

14 With respect to the unsaturated zone,
15 there's continuing monitoring of Alcove 8, Niche 3,
16 continued monitoring of drift scale test, the heater
17 test, occasional chemical samples taken, water samples
18 taken for chemical analyses from the drift scale test.

19 Those are probably the two if you will
20 active testing. There's a number of tests going on
21 with respect to the thermal mechanical behavior in the
22 cross-drift and in the lower lith, but that's not
23 really germane to this discussion.

24 That's kind of -- Drew, do you --

25 MR. COLEMAN: That's a pretty good list.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. PARIZEK: About a year ago, the
2 program also gave a confirmation testing briefing to
3 the ACNW, and it was quite extensive -- Debbie Barr's
4 presentations. Is there an update on the status of
5 the confirmation testing program that DOE is working
6 with?

7 MR. ANDREWS: Yes. That plan is being
8 revised slightly, and the actual revision will be
9 reflected in the safety analysis report, you know, as
10 required in the Yucca Mountain Review Plan. The
11 actual plan I think will be available slightly before
12 that, but maybe DOE should speak to the actual timing,
13 you know, of that.

14 MR. COLEMAN: Yes, that's in preparation,
15 and we're going to be reviewing it here in the next
16 month or two and accepting it.

17 DR. PARIZEK: Then, you brought us back
18 with this long-term test that was done in the tuffs.
19 That's six years and seven months ago approximately
20 when that test ended. But that year and a half
21 pumping test delivered something on the order of about
22 .44 million cubic meters of water, I think you
23 indicated. And in that water that was returned back
24 to the alluvium, somewhere down around I guess J-13.
25 It had the tracers in it, it had microspheres in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is it possible to use that as a tracer experiment?

2 I mean, that slug of water is in the
3 system flowing along, and it has been there long
4 enough that you have six and a half -- almost -- more
5 than six and a half years, and you might find the
6 plume and use that as a long-term tracer test or get
7 value out of it if you could actually find the plume?
8 Is that possible? Has any thought been given to that?

9 MR. ANDREWS: It's very possible. There
10 has been thought given to it. I believe the USGS and
11 maybe it's Los Alamos -- I'm not sure who they
12 cooperated with -- have a -- I don't know if it's in
13 the form of a proposal to the Science and Technology
14 Group to do exactly what you just said. I don't know
15 what the status of that is, though, to be honest with
16 you.

17 MEMBER HORNBERGER: Thank you.

18 MR. ANDREWS: So it has been proposed
19 and --

20 MEMBER HORNBERGER: Okay. Thank you.

21 Don, do you have a question?

22 DR. SHETTEL: Yes, I have a couple of
23 questions. The first one involves injection rates in
24 the UZ experiments lead to the higher matrix
25 diffusion. First, I'm wondering if these are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accelerated in the sense that if more water is
2 injected than might be flowing, natural episodic
3 infiltration, and if you're injecting it into a dead-
4 end fracture versus a free-flowing fracture, it might
5 tend to be saturated in the matrix in that area and
6 thereby skew your results in terms of matrix
7 diffusion.

8 MR. ANDREWS: Well, they are at
9 accelerated rates. That is true. So we are
10 overinjecting, you know, orders of magnitude -
11 hundreds to thousands of times the background
12 percolation flow rate, average percolation flow rate,
13 and the uncertainty in that percolation flow rate.

14 So the system is being overstressed with
15 respect to flux in every one of the tests that I have
16 described here -- in the unsaturated zone and in the
17 saturated zone. When you're then comparing and
18 evaluating diffusive characteristics, matrix diffusion
19 characteristics, the model upon which those diffusion
20 characteristics is being evaluated has whatever the
21 saturation is in that rock matrix within the model.

22 The ambient saturation within the
23 fractured rock mass in the unsaturated zone is on the
24 order of 90-plus percent. So the bulk of the pores
25 within the matrix are already saturated. There's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remaining 10 percent roughly that are not. The issue
2 then becomes the fracture-matrix interconnection area,
3 which I think, you know, the second or third part of
4 your question was getting at.

5 That fracture-matrix interconnection area
6 is evaluated in a test, but it's also an uncertain
7 parameter that is propagated through to the effect on
8 performance. So you are right in the sense that when
9 you've done a test the goodness of the test is
10 contingent on the properties during the test, which
11 include the degree of saturation between the fractures
12 and the matrix in the test, which is then evaluated
13 and can only be evaluated within the model that's used
14 to evaluate that test.

15 So it's consistent between the model and
16 the test, and then the uncertainty of that particular
17 aspect, the fracture-matrix interaction term, is an
18 uncertain parameter that's applied when we evaluate
19 the behavior of the barrier and the performance of the
20 system.

21 DR. SHETTEL: That wouldn't seem to
22 correspond very well. If that flow is really in the
23 form of rivulets going down fractures, that can be
24 very tough to compare with --

25 MR. ANDREWS: Well, we don't think there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is episodic flow through rivulets, except for the Tiva
2 Canyon, and it may occur within the Tiva Canyon. But
3 once you get below the Paintbrush, and the Paintbrush
4 being some tens of meters of essentially porous
5 medium, that -- any potential of episodic flow that
6 may have occurred in the first upper 10 meters is
7 damped out, and it becomes more or less a homogenous,
8 although spatially distributed, flux within the
9 fracture system below that point. So it's not like we
10 have masses of water moving through discrete zones.

11 DR. SHETTEL: Well, Alan Flint recently
12 stated at the last NWTRB meeting, I believe, that
13 there is really no reason that the boundary above the
14 repository would be damped out.

15 MR. ANDREWS: I think he was talking about
16 lateral flow. He wasn't talking about temporal
17 damping, so -- and the degree of lateral flow,
18 spatially lateral flow that occurs at that interface
19 between the PTn and Tiva Canyon is a function of the
20 flux. And because the flux -- surface flux changes
21 with time, the degree of effect of lateral diversion,
22 not temporal damping but lateral diversion, changes
23 with time.

24 So given that we have climate changes --
25 I think it was on one of my slides -- we have climate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes that are being applied to the system, and 94
2 percent of the time we have a climate change that has
3 already occurred for this system. The first climate
4 change we apply is at 600 years.

5 That degree of lateral flow and the
6 fraction of flux below the PTn that's either diverted
7 or non-diverted becomes somewhat, you know, damped out
8 also in time. So not just the transient dumping but
9 the spatial damping gets evaluated. So --

10 DR. SHETTEL: Okay. Last question.
11 Switching to the saturated zone, Slide 23, which shows
12 Kd's for alluvium from Nye County's drilling program,
13 there's really only two wells on that list that are in
14 the potential flow path from the repository.
15 Therefore, the other data is really irrelevant.

16 MR. ANDREWS: I'd have to get back with
17 you, because this is some of the data, and --

18 DR. SHETTEL: Yes. 19D and 2D are the
19 only wells that are in the potential flow path.

20 MR. ANDREWS: Okay. I'll take your word
21 for that. I haven't looked at it in that -- I
22 mean, --

23 DOE STAFF: Yes, that's correct.

24 MR. ANDREWS: Okay.

25 DOE STAFF: There are mineralogic and, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, grain size -- these are consistent. You know,
2 the alluvium was not radically different along the
3 flow path, and it is in other locations.

4 MEMBER HORNBERGER: Okay. I think we need
5 to move along. We are running a good bit behind.

6 Thank you very much, Bob.

7 What I'd like to do now is move to our
8 next presentation. Jim Winterle is here I think, I
9 hope. Hello, Jim. And Jim is going to give us a
10 presentation on the center modeling of saturated zone
11 flow.

12 For those of you who haven't done
13 groundwater modeling, I'll point out to you that in
14 advance something you can perhaps look for, it's not
15 uncommon to have groundwater heads match within, let's
16 say, 10 meters or so, and counted very good. And just
17 keep that in mind as you listen to what Jim has to
18 say.

19 (Laughter.)

20 MR. WINTERLE: Okay. I am Jim Winterle.
21 The title of my talk is "CNWRA Modeling of Site-Scale
22 Saturated Zone Flow at Yucca Mountain." This is a
23 nearly identical talk to one I gave a few months ago
24 at the NWTRB meeting. So some people in the audience
25 may have largely heard a lot of this before. I'll try

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to put it this time in a different context as to, you
2 know, how the NRC is using this kind of information to
3 apply risk insights.

4 Next slide, please.

5 A few disclaimers first. One is that the
6 activities here were performed at the Center, and not
7 necessarily any of this reflects the opinion of the
8 NRC. And the second one is that I'm about to present
9 several model scenarios, but these are all exploratory
10 in nature, and they shouldn't be considered an
11 exhaustive list of scenarios, or none of them should
12 be considered preferred by CNWRA or NRC.

13 Next slide, please.

14 I'm going to talk about how our
15 groundwater flow model was constructed, based on a
16 hydrogeologic framework. And then I'm going to look
17 at three different types of analyses we've done with
18 the model -- one on the effects of different
19 hydrogeologic interpretations, and one on the effects
20 of -- what the local recharge is at Yucca Mountain,
21 and another on the effects of increased recharge and
22 water table rise, for instance, that might accompany
23 a potential future climate, and what the effects of
24 those are on groundwater flow paths.

25 To start, we've built this model based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Hydrogeologic Framework Model that was also
2 independently developed at the Center and documented
3 by Darrell Sims, et al. That used as input the
4 GFM 3.1, which is a Department of Energy or USGS
5 production, but it -- that model is just a small
6 portion of the data that goes in this. And there were
7 independent interpretations of geophysics and well
8 bore interpretations.

9 We also lumped together the geologic units
10 into hydrostratographic units in an independent manner
11 differently than how DOE constructed their model. So
12 we think that so much of the approach was done
13 independently of the data and assumptions used by DOE
14 that we're confident that it provides a fairly
15 independent way of looking at things.

16 The hydrogeologic properties assigned to
17 the flow model were based on correspondence to the
18 structural features in here. And that framework model
19 also includes several faults. I won't name them all,
20 but here shown in black lines is fault features and a
21 Caldera altered zone. In red, that shows where I had
22 to extend the Caldera zone southward, and I had to
23 extend the Highway 95 fault zone a little bit more to
24 the east in order to get a good model calibration.

25 But other than that, one other change was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fault zones in the Fortymile Wash and Paintbrush
2 Canyon area were so close together that I constructed
3 those as one single wide zone of -- which we would
4 consider an intensely fractured and faulted zone.
5 Other than that, the features included in the model
6 are the same as what was in the underlying framework
7 model.

8 And this Slide 6 shows a comparison of
9 cost sections from the underlying hydrogeologic
10 framework model and how that gets put into a model
11 grid. This is just a two-dimensional slice, but it's
12 a fully 3-D model.

13 The major units are alluvium. It's the
14 uppermost lavender colored unit. Then there's the
15 upper volcanic aquifer. A unit I'll talk a lot more
16 about in some of the analyses is the upper volcanic
17 confining later, which is actually a poorly confining
18 layer. It has a little bit lower permeability than
19 the adjacent layers.

20 Below that is the lower volcanic aquifer,
21 and below that a very thick confining sequence, which
22 is a very good confining layer, and below that is a
23 thick sequence of what we call paleozoic carbonates.
24 They are very deep. The depth of the model goes down
25 to about 1,500 meters below sea level.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide?

2 The model domain in plan view is very
3 similar to the Department of Energy saturated zone
4 model. It extends well north through the Yucca
5 Mountain areas, where I'm pointing here. It extends
6 well north into the Calico Hills, to the west of
7 Crater Flat, and to the east of Jackass Flats, and
8 south in Canavera, which is a farms area.

9 The interpretation of the water table you
10 see in the contours here was used to assign lateral
11 boundary conditions, and those are what drives the
12 water -- what tells the model what the conditions are
13 outside of the model and forces the water to go
14 through the model.

15 And then, within the model, all of these
16 blue dots you see are calibration points. I believe
17 there were 70 in total that we used for calibrations.
18 And they are at various depths, so there's a three-
19 dimensional aspect to the calibration.

20 In the northern zone, I'll show later
21 there's an area of recharge, and then analyses of
22 recharge, with and without recharging the Yucca
23 Mountain area.

24 Let's go to the next slide.

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With the basic set-up, one of the first
2 analyses I wanted to look at is what are the effects
3 of hydrogeologic interpretation? With the basic
4 underlying framework model that I described, that our
5 flow model is based on, it has so many hydrogeologic
6 units and fault zones and, based only on that, I'm
7 able to get a calibrated model that's reasonably
8 consistent with the quality of calibration the
9 Department of Energy gets.

10 Dr. Hornberger mentioned that
11 calibrations, plus or minus 10 meters of water level
12 at a particular well, is often considered good in our
13 model. Those big errors are sometimes due to where
14 you place hydrogeologic units uncertainties on whether
15 or hydrogeologic units have certain properties or not.

16 So what I did was I tried to add
17 particular features to the model or maybe adjust the
18 geometry of some features. So I don't really have
19 data to say things are a certain way in this model,
20 but there's nothing I've done to this that is refuted
21 by the data. So I have conceptual basis to add
22 particular features. Like this orange layer was an low
23 permeability zone at the tuff galuma interface.
24 Another change was to change the Caldera zone just a
25 little bit further zone. And one change was to modify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the change to the Solitario Canyon fault. Little
2 things like that -- add a third feature, a fault zone
3 feature, to kind of limit the cross flow fault zone
4 and the Fortymile Wash area.

5 (Slide change.)

6 And if we go to the next slide, you'll see
7 doing that, I was able to take the base case
8 calibration or RMS error of 27 meters, meaning the
9 mean square of the error plus or minus zero line,
10 averaging about 27 meters in the base case scenario
11 and just by moving a few features around I was able to
12 reduce that RMS error to 1.1 meter. If you look at
13 the scales you see the error in this alternative model
14 is down within the measurement error of water levels
15 and wells in most cases.

16 So the question was what effect does that
17 have on flow paths. Let's go to the next slide, I
18 think it shows that.

19 (Slide change.)

20 Our original model had flow paths that
21 start out going to the east, southeast and turn
22 abruptly south and largely continue going south into
23 the compliance point and then with the improved
24 calibration, they come a little bit farther east and
25 then again turn south and basically end up in almost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the same spot, slightly more spread to them. And so
2 the two models you see here are basically constraints
3 on what the effects of playing around with calibration
4 or different ways of obtaining an improved calibration
5 within the model and data uncertainties are on your
6 flow paths.

7 (Slide change.)

8 And on the slide all the way to the right
9 is the Department of Energy's base case flow model
10 analysis. And you'll see that the flow paths coming
11 out of their model are more or less in between the two
12 cases that I've come up with here. So they're sort of
13 within the range of uncertainty that we've developed
14 with our model.

15 (Slide change.)

16 If we go to the next slide, the next
17 analysis I wanted to look at was what are the effects
18 of what you assume about recharge in the Yucca
19 Mountain area because the recharge, where the flow
20 paths are first initiating, the question we have is
21 how important is that to how deep the flow paths go
22 and for what units they travel in. So I looked at one
23 case with 10 millimeters a year in the northern area,
24 but no recharge over Yucca Mountain and then a case
25 with the same recharge and then with five millimeters

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a year at Yucca Mountain. And then we also show a
2 recharge area in Fortymile Wash. That doesn't come
3 into play until the third analysis I'm going to talk
4 about later.

5 So we'll go to the next slide.

6 (Slide change.)

7 You see in plan view, the two flow paths
8 with no recharge at Yucca Mountain and with 5
9 millimeters a year at Yucca Mountain, they're almost
10 imperceptively different. I should mention these
11 little blue arcs here are the approximate geometry of
12 where the flow paths transition into alluvium and so
13 the risk insight question we're asking is do these
14 things affect what we've determined to be a risk-
15 significant item in flow distance in alluvium? So I
16 use that to evaluate. And you can see that there's
17 almost no difference in plan view in looking at these.

18 (Slide change.)

19 But if we go to the next slide you can see
20 in a side view that with a little bit of recharge, 5
21 millimeters per year at Yucca Mountain, the flow paths
22 go substantially deeper down to almost 400 meters
23 depth at some areas as opposed to only going about 50
24 to 100 meters deep in the case without recharge at
25 Yucca Mountain.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that, depending on what you assume
2 about the porosity of volcanic units can have the
3 significant effect on the travel time. And I'll tell
4 you right here at this point that there's something I
5 did to the porosity units. This dark blue layer is
6 what we call the upper volcanic layer. It corresponds
7 mainly to the Calico Hills unit and there's good
8 evidence that that's a porous, nonwelded matrix and
9 the flow in that unit may be largely matrix flow, but
10 both NRC and DOE flow models conservatively assume
11 that that's -- that all tuff is just fracture flow
12 with relatively low effective porosity.

13 So one of the things I looked at in
14 sensitivity of the travel time was what if, all tuff
15 if it's welded, it's fractured, but these
16 predominantly nonwelded units we assumed were matrix
17 flow.

18 (Slide change.)

19 If we go to the next slide, you'll see
20 that you can make a big difference between the Case 1
21 model with no recharge at Yucca Mountain stayed
22 shallow and spent a lot of time flowing in that Calico
23 Hills unit, the upper volcanic confining unit is what
24 we call it in this model. And that some of the travel
25 times or flow paths approached 100,000 years where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean was down around 10,000 to 20,000. I forget the
2 exact number, but by adding five millimeters of
3 recharge, those flow paths go a lot deeper and that
4 brings the mean flow path travel time to just over a
5 thousand years in this case.

6 So depending on what you assume about the
7 porosities of the different volcanic tuff units, it
8 can have a substantial effect on whether or not
9 recharge is important. All of our models, the DOE
10 models, that our model do take into account the effect
11 of recharge on the initiation of flow paths, so
12 there's really no discrepancy there, but I think one
13 of the things this points out is here we've identified
14 a risk-significant area, the porosity of nonwelded
15 tuff units for saturated flow, but because nobody is
16 relying on having flow in high porosity units to make
17 their safety case, at this point it's not an area
18 where the Staff needs to focus its concerns. So
19 there's an application of -- identified a potential
20 risk-significant area, but we don't need to focus
21 resources on it, unless the Department of Energy wants
22 to change their approach and start getting delayed
23 travel times as a result of porous flow and volcanic
24 tuffs.

25 Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 So basically, this slide is summarizing a
3 lot of what I just said. Those particle tracking
4 simulations assume that fractured tuffs had a 0.001
5 porosity and then that the nonwelded tuff had a .1
6 value of porosity. And that's an assumption that's
7 unique to this modeling analysis. I think there's
8 data to support that assumption, but nobody is taking
9 credit for that fact at this point. And if you make
10 that assumption for a given flux, because the flux is
11 inversely proportional to porosity or because of
12 velocity at a given flux of inversely proportional
13 porosity, the simulations with and without recharge
14 show a big difference in travel time at Yucca
15 Mountain.

16 I've done other analyses where I've set
17 all the volcanic units to the same effective porosity
18 and that big difference in flow path travel times
19 virtually disappears. And in fact, historically, the
20 performance assessments do not take credit for slow
21 flow and porous tuff.

22 Next slide.

23 (Slide change.)

24 The next analysis I did was to look at the
25 effects of potential water table rise on flow paths.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The evidence shows that during past climate
2 conditions, there have been spring flows at the
3 location of well EWDP-9S. There's evaporate deposits
4 there and in several areas. So one of the things I
5 use to constrain the model was to raise the heads by
6 a constant percentage instead of a constant amount.
7 A constant percentage means more of an increase where
8 the heads are higher, where presumably the recharge is
9 occurring.

10 And the constraint was to keep raising
11 them up until spring flow was just initiated at this
12 location. And an interesting self-consistency of the
13 model was that as I raise the water table up, the
14 first place where the water table hit the land surface
15 was right in this general vicinity where those
16 evaporate deposits occur.

17 So in addition to raising the water table,
18 I also doubled the recharge, so there's double the
19 recharge in the northern area and over Yucca Mountain.
20 I also added 200 millimeters a year recharge in the
21 Fortymile Wash. And then the results of water table
22 rise are shown in the figure where most of the
23 southern region it was 30 meters or less and in the
24 Yucca Mountain area the water table rise varied from
25 about 40 meters to about 120 meters. And that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with other analyses of how much the waters
2 have risen in the past.

3 (Slide change.)

4 And the next question, if we can go to the
5 next slide, is what was the effect of that on the flow
6 paths? And in plan view it has almost no effect on
7 the direction that things are traveling.

8 (Slide change.)

9 And then the next question shown on the
10 next slide is what is effect of that on travel time.
11 The increased water levels were increased more in the
12 north than they were to the south, so that did
13 increase the gradient and flow paths travel times were
14 somewhat shorter, averaging just under a thousand
15 years for the future climate scenario and averaging
16 about a little more than a thousand years for the
17 present day climate scenario, but they weren't what we
18 would consider substantially different.

19 So even though the gradients increased a
20 lot, most of that increased gradient is to the north
21 where flow paths are already going pretty quickly
22 through what we assume are low porosity tuffs and then
23 an off-setting fact is when the water table rises, we
24 get a couple hundred more liters of travel through
25 alluvium. So that slows down the travel times a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit.

2 (Slide change.)

3 So if we go into the next slide, I think
4 we're into the conclusions. A summary of everything
5 we've just covered is that the model calibrations can
6 be significantly approved by relatively minor
7 adjustments to the geometry of the different
8 hydrostaticgraphic and structural features, but the
9 variability in model flow paths for those different
10 scenarios was relatively model and we don't really
11 consider that that affects the more significant aspect
12 of alluvium transport distance.

13 Small amounts of recharge can have a big
14 effect on the units that the flow paths travel
15 through, but one of the other conclusions from the
16 future climate scenario is that further increases to
17 recharge don't add to that effect. So as long as
18 you're considering a little bit of recharge in Yucca
19 Mountain, you're capturing the effect that you need to
20 capture and so it's not so important that you get the
21 exact amount of recharge in the Yucca Mountain area as
22 long as you got enough recharge to initially set the
23 slow paths going in the proper direction.

24 Another point is that what you assume
25 about the porosity of units like the upper volcanic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unit, the Calico Hills nonwelded tuff formation can
2 have a big effect on your modeled particle travel
3 times to the compliance boundary and that if one were
4 to choose in the future probably relatively modest
5 data collection efforts could be used to justify that
6 assumption and improve performance predictions. Right
7 now, nobody is taking advantage of that.

8 Next slide.

9 (Slide change.)

10 In the future climate scenario, it assumes
11 five percent in the rise in the water table boundary
12 was able to match the model -- match the observation
13 of spring flow that had occurred in the past at weld
14 9S location and that the five percent increase
15 resulted in a water table rise that varied between
16 about 50 and 150 meters below the repository,
17 increasing from south to north and that those
18 potential effects of water table rise might be
19 something to consider if that repository footprint was
20 to be extended farther north because the slope of that
21 water table rise seems to be pretty steep to the
22 north.

23 And then the scenario of combined water
24 table rise and increase recharge did not significantly
25 change the flow paths for particle travel times to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compliant boundary.

2 That's the end.

3 MEMBER HORNBERGER: Thanks very much, Jim.

4 Ruth?

5 MEMBER WEINER: You mentioned that your
6 model was different from the DOE model. Was it
7 different because it was independent or was it
8 independent because it was different?

9 (Laughter.)

10 MR. WINTERLE: I'd say it was because it
11 was independent. The results in the end aren't that
12 different so is the model different if the results are
13 similar? I think the ways it's different is we lumped
14 the hydrogeologic units together differently. We
15 defined fault zone geometries differently. Tuff
16 alluvium interface was defined based on completely
17 independent interpretations without any use of DOE's
18 model for that.

19 MEMBER WEINER: So I think you've almost
20 answered the rest of the question which is what impact
21 do you think the differences between your model and
22 DOE's model would have? How would you interpret that?
23 Are they minor because you reached almost the same
24 conclusion? Are they major?

25 MR. WINTERLE: I would say there are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 major conceptual differences in the geometry of fault
2 zones and Caldera zones and the depths the fault zones
3 go to, but in the end, it turns out that those don't
4 seem to affect the flow paths. What affects the flow
5 paths is that in the end you've got to have a model
6 that's calibrated to reasonably match the water level
7 observations. Once you get to that point there's only
8 so many directions the water can go. It has to flow
9 generally down gradient, so things like anisotropy can
10 divert flow askew of the gradient. It's constrained
11 how far that effect can be.

12 MEMBER WEINER: My other question is how
13 much does the importance of the recharge rate depend
14 on the results of sorption and desorption experiments?
15 By itself, you can't really say.

16 MR. WINTERLE: Yes, these analyses were
17 just particle tracking and they don't really say
18 anything about the geochemistry or sorbing
19 characteristics of anything. It's just you could
20 assume whatever those particle travel times are the
21 radionuclide travel times are going to be equal to or
22 less than that. Whether -- independent of the
23 sorption rates or retardation coefficients though
24 eventually those radionuclides that aren't sorbed are
25 going to have to where the water went, so the effects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the flow paths should be applicable to the
2 transport path.

3 MEMBER WEINER: Oh yes. Now I just
4 wondered, all right, ultimately these things are
5 coupled in performance assessment, of course?

6 MR. WINTERLE: Right.

7 MEMBER WEINER: One is your assessment of
8 that.

9 MEMBER HORNBERGER: Mike?

10 ACTING CHAIRMAN RYAN: Jim, I appreciate
11 the fact that you really focused her eon the water and
12 getting that right and matching heads and so on.
13 Given Dr. Hornberger's charge at the beginning and if
14 we're within 30 feet, we're okay. Are we okay or much
15 better than okay or great? What do you feel is the
16 real representation of the modeling now in terms of
17 reality, whatever that is, I don't know?

18 MR. WINTERLE: I think the first analysis
19 we did suggests that being within 30 feet is okay with
20 some caveats. You want that 30 feet not to be all
21 biased depositive errors or negative errors. You want
22 them evenly distributed. In most cases, the largest
23 errors are right next to where fault zones or some
24 kind of feature gives you a steep gradient, so your
25 model grid kind of limits what you can define as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fault zone, so if you were just off by 100 meters,
2 your calibration error is off, but basically you've
3 captured the effect that there's some barrier there
4 that's slowing down your water, causing a gradient or
5 directing your flow in some direction or another. You
6 may be just off as to the exact location of that.

7 ACTING CHAIRMAN RYAN: To non-
8 hydrologists, it sounds like if you do have those
9 discontinuities and you have some physical explanation
10 or other phenomenological explanation that says this
11 is why that discontinuity is occurring, you're kind of
12 bringing closure to the exercise. Is that a fair
13 assessment of where you think you are?

14 MR. WINTERLE: Well, yes. As long as you
15 can demonstrate you've captured the salient features,
16 the major effects of the structural features, you can
17 accept a little calibration error.

18 ACTING CHAIRMAN RYAN: Sure. Thank you.

19 MEMBER HORNBERGER: Allen? Ines?

20 DR. TRIAY: Yes. Along those lines, if
21 you had design your working of the world and you could
22 design the best way to validate the model that you
23 have proposed what do you think remains to be done?

24 MR. WINTERLE: Well, if we all live to be
25 200, I wouldn't mind dumping a lot of some inert

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tracer inside Yucca Mountain and waiting for it. I
2 don't know how long the performance confirmation
3 period is going to extend it to, but a large scale
4 tracer test, I think, would really be the best way to
5 figure out where flow paths that originate near Yucca
6 Mountain actually do transition into the alluvium
7 because there's a lot of uncertainty into the geometry
8 of that interface. There's older debris flows and
9 things down there that could complicate things. But
10 we're limited to points of data here and there where
11 we can put in well bores.

12 DR. TRIAY: So short of living to be 200,
13 what is the next best way to validate the model? What
14 remains to be done? I'm not suggesting that what you
15 have done is not very good. I'm just saying if you
16 had the ability to delineate, what are we going to do
17 next?

18 MR. WINTERLE: I think maybe a couple more
19 strategically placed bore holes would be in order. I
20 think actually that is being done. I'm not sure where
21 the Nye County drilling program is at now, but I know
22 that's on-going. And they've done an enormous amount
23 of data collection in the past few years at a
24 reasonable budget. So that seems to be money well
25 spent in reducing these uncertainties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other thing we can do is just try to
2 keep attempting to look at different conceptual models
3 so we understand what are the consequences of being
4 wrong and so far haven't come up with any consequence
5 that would be so wrong as that we really need to start
6 over and look at things in more dept.

7 MEMBER HORNBERGER: Jim Clark? Jim Davis?

8 DR. DAVIS: Is someone at the Center
9 looking at the effects of water chemistry from the
10 climate change?

11 MR. WINTERLE: I think Paul Bertetti's
12 talk right after me, well, I don't think we're going
13 to look at climate change effects on water chemistry
14 yet.

15 DR. DAVIS: Your conclusion is that a
16 small amount of recharge captures all of the
17 information that you need to know about the increased
18 recharge, but that might not be true if you're also
19 taking into account chemical effects that happen with
20 increased recharge. So I think it needs to be
21 remembered that that's a conclusion relevant to where
22 the water flows.

23 MR. WINTERLE: That's a good point.

24 MEMBER HORNBERGER: Dick?

25 DR. PARIZEK: What's a five percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increase in boundary head values related to in terms
2 of recharge? What sort of recharge would it take to
3 give you that increase?

4 MR. WINTERLE: There was no coupling of
5 those in the model, so --

6 DR. PARIZEK: In other words, does that
7 get us into a pluvial or a monsoonal? I can't quite
8 see what amount increased recharge it would take to do
9 that.

10 MR. WINTERLE: I think it's -- I'm trying
11 to remember. I haven't really gone through and looked
12 at the effect on specific discharge through the model
13 boundaries and compared that to what's been analyzed
14 or estimated for previous climates.

15 DR. PARIZEK: It was good enough to give
16 you the paleo springs reoccurring where spring
17 deposits occur, right? So that's at least --

18 MR. WINTERLE: I guess what happened was
19 I got to that point, I was happy, so I haven't had the
20 time to really dig and to compare that to other
21 analyses and what regional groundwater fluxes had been
22 estimated. But it's definitely something we should
23 look at.

24 DR. PARIZEK: Right. It seems like
25 changing say the water level elevation from 50 to 150

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meters isn't exactly a minor shift, although it
2 doesn't change the flow path or travel times
3 significantly than maybe that doesn't matter too much.
4 It's just hard to imagine you steeping the gradient
5 that much and not have that affect travel times other
6 than the chemistry changes that might occur, but
7 that's what your analyses is showing us, right?

8 MR. WINTERLE: I guess a follow-on
9 analysis that I should consider is to look at
10 different segments of the flow paths and the effect on
11 travel time so I can understand it a little better,
12 but it looks like the flow path right near the
13 repository where most of that water level rise is
14 occurring, if that goes from 50 years to 5 years, it
15 doesn't have a big impact on the full transport time.

16 DR. PARIZEK: The role of major faults,
17 okay, looking for some data on fault permeability and
18 particularly the block boundary faults and again, you
19 seem like you've captured a lot of the details enough
20 that it seems like what would it take to cause your
21 conceptual model to blow up? It can't blow up because
22 it sort of agrees with all the data you matched,
23 right? So what could change conceptually in the model
24 that would show that maybe the present understanding
25 is in error?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WINTERLE: I could speculate.

2 DR. PARIZEK: Maybe that's what we need to
3 do now, but before everybody buys the model,
4 everybody's flow goes south, southeast and then south,
5 if that's a fact of reality, then we have reason to
6 feel better about it. If it's possible that it could
7 be straight south, say under the footprint or split
8 where the straight south and also southeast, you may
9 have a consequence on performance.

10 I want to make sure that the conceptual
11 model that goes into everybody's simulations is
12 correct or as correct as it can be.

13 MR. WINTERLE: One potential question is
14 what if there's some structural feature that we've
15 missed that can grab that water before it has a chance
16 to get over into the permeable zone, beneath Fortymile
17 Wash which that seems to be controlling things.
18 Higher permeability out Fortymile Wash and that draws
19 all the water toward it and then straight south from
20 there. So what if there's some zone we've missed? If
21 there is, I don't think -- I mean there's pretty good
22 density of bore holes on Yucca Mountain proper so it
23 seems like we would have at least saw the effects of
24 that on the water table map if something existed.
25 Maybe something could exist farther south.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. PARIZEK: Yes, on the footprint where
2 the need to control this a little bit stands.

3 MR. WINTERLE: So those are things that I
4 guess we could explore through modeling to look at the
5 effect, how drastic of a feature would you need to
6 really capture the water.

7 DR. PARIZEK: See, if I was in DOE, I
8 would hear this and I would say I don't think I'm
9 going to have much in the confirmation testing program
10 dealing with regional flow. And I would say well,
11 what does NRC think about that statement in terms of
12 this counter plight between what more should be done
13 or should the program know to get the level of
14 confidence it's looking for or is it needed? That's
15 essentially the question.

16 MR. WINTERLE: Another thing is the level
17 of importance that's being relied on for the saturated
18 zone. A lot of people are -- the model doesn't seem
19 to be overly dependent on just the saturated zone flow
20 paths or just the unsaturated zone flow paths. But we
21 assign a high significance to the transport
22 properties, but only a medium significance to the flow
23 paths, but those two things go hand in hand. So I
24 think overall we're going to have -- do a lot of
25 thinking during our detailed review and what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constitutes adequate.

2 MEMBER HORNBERGER: Of course, if they had
3 a radio tracer to the backfill in Yucca Mountain, as
4 Jim has suggested --

5 (Laughter.)

6 DR. CLARKE: Two hundred years, I don't
7 think is long enough.

8 MEMBER HORNBERGER: Performance
9 confirmation is a long-term project.

10 (Laughter.)

11 Don, do you have questions?

12 DR. SHETTEL: My question has been
13 answered already.

14 MEMBER HORNBERGER: Thank you. Thanks a
15 lot, Jim. We're going to move on and Paul Bertetti is
16 going to talk to us about sorption parameters.

17 MR. BERETTI: Well, thank you very much
18 for the opportunity to talk a little bit about how
19 we've developed sorption parameters for saturated
20 alluvium, essentially the part of the saturated zone
21 in Fortymile Wash.

22 I'm going to focus on this topic today,
23 just in order to restrict the content area.
24 Obviously, we've discussed and it has been brought up
25 earlier in the day. We have some risk significance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with colloid-based, colloid-facilitated
2 transport as well as matrix diffusion in the saturated
3 zone. There's all these unsaturated zone processes
4 that we haven't really discussed. So I'll try to
5 focus on this to provide some detail about what we've
6 gone and the process through which we've gone through
7 to develop the parameters that we have.

8 So first what I'm going to talk about is
9 some of our experience with experiments and modeling
10 of those experiments, took place several years back.
11 And our interpretation of that modeling to develop an
12 abstraction, an initial abstraction and a range of
13 parameters. And then the extension of that modeling
14 to further develop those parameters in the abstraction
15 that we can use in the performance assessment code.
16 Then I'll kind of stop a little bit, show some
17 examples of the range of parameters that we get now
18 and talk about some of our work currently to help
19 understand the uncertainties that we have remaining in
20 our abstraction.

21 I think if we go to the next slide, if you
22 back up a little bit, I just want to -- this is
23 similar to Jim's. I just want to acknowledge that
24 these are analysis presented by the Center and doesn't
25 necessarily reflect the position of the NRC. Also,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the results here are exploratory in nature. Also, I
2 will provide some results for under development
3 portion, the TPA Version 5 and so those results should
4 be considered developmental until NRC fully approves
5 that.

6 Next slide, please.

7 (Slide change.)

8 Just a little bit of background.
9 Obviously, we've kind of talked a little bit about the
10 significance of retardation, specifically of
11 radionuclides of neptunium in the saturated alluvium.
12 We know that the transport times of neptunium in the
13 saturated alluvium are particularly sensitive to the
14 range of retardation factors and K_d s that have been
15 used for this point. And so it has been identified as
16 an area of potentially highly risk significant to
17 waste isolation.

18 Primary retardation mechanism, as Jim
19 Davis explained earlier is the chemical sorption of
20 radionuclides on mineral surfaces. And so today, I'm
21 going to talk about, we know that there's a number of
22 things that affect the magnitude of that sorption, but
23 today, I'm going to talk about how we determine those
24 particular values that we assign to that.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 So just to kind of review some of the
3 definitions that I'll talk about today, as Jim
4 mentioned, the K_d , or distribution coefficient is
5 essentially a ratio of concentration of mass of
6 radionuclide on solid and concentration of mass of
7 radionuclide in solution.

8 I'll also mention a term of K_a and you'll
9 also see it annotated as K_{a1} and that is just a
10 normalization of the K_d to the surface area of the
11 minerals that we've studied. Also, you'll see a term
12 R_d or the retardation factor. That's just a function
13 of the amount of K_d and the specific conditions
14 porosity and bulk density that you have for the zone
15 in which radionuclides are traveling.

16 Next slide, please.

17 (Slide change.)

18 So the objective from NRC and Center point
19 of view are to develop an independent data and
20 modeling capability which to not only assess DOE
21 activities, but also to provide input to our own
22 performance assessment model. We'd like to develop an
23 independent methodology that's based on parameters
24 that we can measure. So it would be to our advantage
25 to be able to measure parameters in the field and I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apply that to our model, rather than have a set of
2 parameters that we have to essentially go by our
3 expert judgment on. But would also like to be able to
4 reduce overall uncertainty by being able to measure
5 parameters directly and that ideally would help us
6 improve realism in our model.

7 Then finally, we'd like to develop a set
8 of abstracted models that are formed by what we know
9 impact sorption and that is the chemistry and
10 mineralogy of the system.

11 Next slide, please.

12 (Slide change.)

13 So our general overall approach was to
14 conduct a set of laboratory experiments using relevant
15 minerals, water chemical and radionuclides for the
16 program. And I'll just sort of mention now that in
17 our earlier set of experiments which were started in
18 the late 1980s and early 1990s, there was a limited
19 amount of sort of field-based samples, so our initial
20 approach was to try to pick minerals not only that we
21 could understand to develop a modeling approach and
22 interpret our modeling approach, but also to pick them
23 in a way that we supposed were appropriate minerals
24 for the system.

25 We'd also like to apply them to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate mechanistic models over that broad range
2 of conditions to see what the effects of those
3 conditions are on sorption. We also collected and
4 analyzed some limited field samples to inform our
5 approach and provide a bound for our sorption
6 parameter range.

7 We then applied some detailed models and
8 experiments to build on or confirm results and that
9 helped us develop our initial performance assessment
10 abstraction. We'd also like to make sure that our
11 performance assessment model has the important
12 relevant information built in.

13 Next slide, please.

14 (Slide change.)

15 Okay, so here I'll talk about some of our
16 experimental results and some of the insights that
17 we've developed from that.

18 Down on the bottom here I have a couple of
19 graphs. One is for neptunium sorption of smectite or
20 Montmorillonite, that's a clay phase. We also have
21 neptunium sorption on quartz. The smectite sorption
22 also shows data for conditions in which we have
23 equilibrium with atmospheric CO₂ and also conditions
24 under which there is no CO₂ present.

25 All of the data here on the quartz plot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are with atmospheric CO₂ present. I also wanted --
2 these are plotted in terms of K_a. We have a log scale
3 and then plotted versus a range of pH that's fairly
4 broad from about 3 to 10, depending on the type of
5 experiments and the range of pH that was applicable.

6 The first thing you should notice is that
7 the magnitude sorption for a mineral like
8 montmorillonite is significantly different than the
9 magnitude sorption for quartz and we'll try to talk
10 about this a little bit further.

11 We studied various minerals and chemical
12 conditions. We looked at a number of different
13 minerals from clays, quartz, even basic minerals like
14 alpha-alumina which helped us understand the sorption
15 parameters required to model alumina silicates. We
16 looked at a variety of chemical conditions. As you
17 see here, we can vary pH and vary the amount of carbon
18 dioxide that's present in the system as well.

19 We used minerals similar to what we
20 expected at Yucca Mountain based on the known
21 mineralogy of the tuffs and the studies,
22 characterization studies that had gone in the 1980s
23 and early 1990s from Yucca Mountain and vicinity.

24 The sorption behavior we see is similar
25 with pH, is similar for a given actinide, even on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different mineral surfaces. For instance, we see that
2 when CO₂ is present, neptunium has a sorption maximum
3 around 8; for montmorillonite we also see the same
4 sorption maximum around 8 for quartz. So very
5 different mineral surface, very similar behavior and
6 we see that for all the actinides that we have
7 studied.

8 We also see the sorption behaviors
9 effectively represented by a surface complexation
10 modeling approach, similar to what Jim alluded to
11 earlier today. This is a surface complexation of fit
12 of the data with no carbon dioxide present and this is
13 a prediction of behavior with CO₂ present that's
14 independent of the experimental data. So we can
15 reproduce the behavior appropriately with the surface
16 complexation modeling approach.

17 Next slide, please.

18 (Slide change.)

19 Here are another two graphs. One of the
20 main features of the work that we have done is to look
21 at the effects of surface area. When we normalize
22 data for the effects of surface area, we see that even
23 for different minerals in which we had different
24 magnitudes of sorption, we get an overlap of sorption
25 behavior both for uranium and neptunium in this case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Here's the two plots, one in terms of K_a1
2 which is our effective surface area for all the
3 minerals listed both for neptunium on the left and
4 uranium on the right with CO_2 and without CO_2 . When
5 we normalize and consider these effects of surface
6 area, we get a very similar behavior over the range of
7 pH conditions present.

8 Next slide, please.

9 (Slide change.)

10 So how do we utilize this information and
11 take the information from the field, sort of develop
12 an initial abstraction. What I have shown here are
13 two plots of frequency and distribution of pH and
14 partial pressure of CO_2 in saturated zone waters from
15 the Yucca Mountain region. We know from just the
16 slice that I showed you previously that pH and
17 inorganic carbon or the CO_2 in solution are primary
18 controlling factors in the magnitude sorption for any
19 mineral surface, especially for the actinides.

20 We can use the range of chemistry then to
21 guide our modeling approach. The variability in pH in
22 inorganic carbon is also linked through the aqueous
23 chemistry through the chemical equilibria that we get
24 through carbon reactions and the amount of hydrogen
25 solutions. So those are linked together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We use the database of Perfect, et al.
2 which is a USGS database, considered a large number of
3 saturated zone chemistries in the southern Nevada
4 region.

5 We paired that database down to a smaller
6 number of data points based on chemical balancing
7 inherent -- included in the system, a region that was
8 more appropriate for the Yucca Mountain
9 region to come up with the series of about 460 values
10 that are used to develop these distributions that you
11 see here.

12 Notice that we can represent a range of pH
13 from about 6.3 to about 9.6 that's fairly normally
14 distributed on this scale with an average value of
15 around 7.8. Likewise, we can look at the distribution
16 of carbon dioxide and explore its link between a pH
17 and CO₂.

18 As a note here, there's a detailed
19 description of the approach, not only for application
20 of these data, but also the abstraction of this
21 approach in the RTPA code in those two references
22 which I have on the last slide in presentation.

23 Next slide, please.

24 (Slide change.)

25 So in detail what we did was take the data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the Perfect, et al. database and the
2 understanding of the pH and CO₂ distribution that we
3 have from there, apply a service complexation modeling
4 approach that we know is effect at reproducing the
5 sorption behavior. Use a particular type of surface
6 complexation model that includes an electrical double
7 layer that Jim mentioned earlier. We do arrive at
8 some parameters for sets of minerals to provide us
9 with coefficients or these sorption exchange
10 coefficients. But we could use to model the data over
11 a range of CO₂ and pH for the entire system for all
12 the actinides.

13 And we use geochemical modeling software
14 to generate a range of these surface complexation
15 predictions and we use data on uranium and the other
16 actinides that was available, the most recently
17 available data from the NEA thermodynamic database.

18 And we combine those results to come up
19 with some distributions for actinides.

20 Next slide, please.

21 (Slide change.)

22 So down here at the bottom I have an
23 example of the range of sorption parameter
24 distributions that we generated and used and we call
25 the TPA version 4.0 or 4.1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Notice that we have americium, neptunium
2 and uranium and all plotted on the log of this sort of
3 K_d
4 factor. So we can use this distribution and the range
5 of values here to formulate the distribution and the
6 range of values for retardation factors that we use in
7 the TPA 4.1 code.

8 So we develop the sorption distributions
9 in terms of K_{d1} . We use values from chemistry to
10 constrain those distributions and then recast those in
11 terms of K_{d4D} for use in TPA.

12 So these distributions are independently
13 sampled in TPA 4.1 its independently sampled
14 distributions, but we know that for a particular
15 simulation it should be simulating the same water
16 chemistry, those are correlated so that the same
17 chemistry is applied to each one. And that's how the
18 distribution are generated in TPA4.1.

19 Next slide, please.

20 (Slide change.)

21 So maybe the next step would be to develop
22 a set of responses over a larger range of pH and CO_2
23 and that's what I've shown here. Here are just some
24 three dimensional plots of pH versus PCO_2 for all of
25 the actinides. Notice that we can mimic the behavior.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These are just modeled produced curves, based on the
2 same set of distributions that I showed you earlier
3 and the same sorption modeling constants that I talked
4 about earlier.

5 We can use the surface complexation
6 modeling approach to generate these curves over the
7 range of pH and CO₂ and we can use some curve fitting
8 methods to mimic each one of these curves to a similar
9 equation and then define a set of coefficients. And
10 then we can use those coefficients to define and
11 calculate a K_a value for sampled ranges of pH and
12 CO₂.

13 So now instead of inputting into TPA a
14 range of R_ds that we sample and then gave to correlate
15 after the fact, now we can input directly a range of
16 pH and CO₂ that we've measured in the field and we
17 know what the distribution is and then use the
18 modeling to calculate the sorption factor on the fly.

19 And then we can use our measured values of
20 porosity and bulk density to then calculate a
21 retardation factor that's appropriate. So even though
22 for each simulation run in TPA, we still use one value
23 of that sorption coefficient. It would be based on
24 real sample values of simple chemistry.

25 Go to the next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 So TPA co-development, this co-development
3 for what would be TPA 5.0, they've incorporated these
4 response services in terms of the Kal valleys. They
5 used a field measure range of pH and CO₂. Those are
6 stochastically sampled and so those are correlated
7 together. Because they're chemically correlated as
8 well, so we can use a correlation factor to ensure
9 that we sample those appropriately. We can use that
10 both for the unsaturated and the saturated zone, based
11 on measured chemistry and the distribution of
12 chemistry for those waters and we calculated a surface
13 area for individual geologic layers based on measure
14 samples and then we can calculate K_d and R_d within the
15 TPA code. And since we sample chemistry directly,
16 then we don't have to do the after-the-fact
17 correlation. In fact, the distribution and the shapes
18 of the distributions for the retardation factors that
19 we produce, are relevant to the chemistry. There's no
20 guessing as to what type of shape we should get.

21 Next slide, please.

22 (Slide change.)

23 So in the next couple of slides, I'll show
24 you some comparisons of retardation and factor output
25 from the two versions of the TPA code. Here I show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some density plots of neptunium and uranium
2 retardation coefficients. These are in terms of R_d .
3 And that compares the output from the range of
4 distributions that were used in TPA Version 4 versus
5 this proposed approach. And here we're only talking
6 about saturated alluvium, data for the saturated
7 alluvium and these represent 400 realizations from the
8 code or 400 realizations from a sampled set of
9 parameters.

10 For neptunium, what we see is the median
11 value is slightly higher, the median value here is
12 slightly higher in the version 5 code which utilizes
13 the sampled range of pH, relative to the median value
14 for Version 4. And the range is narrowed. So the
15 mean value is a little bit higher and the range of
16 sampled values is a little bit narrow. In fact,
17 there's a range of values that go all the way out to
18 about 3,000 in the older distributions. So it's
19 narrowed in this approach.

20 ACTING CHAIRMAN RYAN: Paul, just a really
21 quick question. Four hundred realizations. Is that
22 enough?

23 MR. BERETTI: Well, what I'm trying to do
24 is have enough realizations to sort of sample and
25 represent the distribution. This is enough -- that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of a typical range that you sample to to ensure
2 that in the code because of the number of parameters.
3 I guess you could do more, but I haven't done that.

4 ACTING CHAIRMAN RYAN: Well, I guess the
5 question is if you did 10,000 would you really change
6 the shape?

7 MR. BERETTI: I think you could get closer
8 to more representative shape, but so my answer is I
9 think this is okay for what I want to present here.

10 ACTING CHAIRMAN RYAN: You wouldn't change
11 between 4.1 and 5 say, these two?

12 MR. BERETTI: No, I think you would see
13 the same trends.

14 ACTING CHAIRMAN RYAN: That's all.
15 Thanks.

16 MR. BERETTI: Yes. For uranium, the
17 median value is lower in here. We have a more
18 predominant range of values that are in the lower
19 values, but the total range is about the same. So we
20 have a range up here and notice that it's slightly
21 tilted. We have a range of up to about 8,000.
22 There's about the same number of points. So we have
23 a very broad range and we have more values at the low
24 end.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 This is a similar data set, except now I'm
3 going to plot them in terms of the density function
4 plots and this -- now I'm going to also plot them in
5 terms of K_d and one thing I have to say is the
6 specific values of K_d depending on the values of bulk
7 density and porosity that you use, so I just use mean
8 values in the TPA code to produce these plots. You
9 would get slightly different numbers depending on the
10 values that you use. And if you sample those values
11 over the range, then you would get a different
12 sampling. And I have not done that here.

13 And also note that the distribution shapes
14 are functions of this sample pH and CO_2 . So part of
15 this is the fact that we have very discrete CO_2 values
16 instead of the continuous range of CO_2 values that are
17 noticed.

18 Again, here's a difference. We have mean
19 and constrained values for neptunium K_d s that are
20 slight higher than the median values produced by TPA
21 4.1, but the range is significantly narrowed. We
22 don't have a large number of these very large values.

23 Notice all those for americium which could
24 be an important nuclide, the values of K_d are
25 extremely large. The minimum values are on the order

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of 10,000 for K_d . Uranium on the other hand, we have
2 this sort of 5.0 range. It's a little bit lower. But
3 the total range is about the same for both samples.

4 Okay, next slide, please.

5 (Slide change.)

6 Okay, so how are we approaching some of
7 the uncertainties that we know are included in this
8 sort of modeling approach? One of the things we like
9 to do is update water chemistry distribution to
10 reflect the recent sampling in the early well and
11 drilling program. And how might those changes in
12 sample not only water, but mineralogy affect the
13 influence and affect these results?

14 We also have additional work on-going to
15 confirm the mineral content. Recall, I said that the
16 basis for a lot of this modeling approach was on the
17 experiments with mineral phases that we thought were
18 appropriate and that we'd like to make sure that they
19 are indeed appropriate. We also want to look at
20 specific surface areas for the alluvium. Is that
21 range of surface area appropriate? Is it consistent
22 with our measured values? Especially, does it reflect
23 the recent analysis of cuttings and sonic core samples
24 that have been collected. One of the problems with
25 collection of cuttings is that you have a grain size

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution that's influenced by the drilling fluid
2 and the method of collection. Nye County's extensive
3 work and efforts to try to collect more representative
4 samples of alluvium resulted in the sonic core and I'm
5 sure Dale will talk more about that tomorrow.

6 And we'd also like to be able to test our
7 model outputs against experimentally measured values
8 based on these more representative samples.

9 I'll show you some examples in the next
10 couple of slides.

11 Next, please.

12 (Slide change.)

13 This is just a reset. This is just
14 another view of the saturated flow pathing system.
15 These arrows are not calculated flow paths. They're
16 just meant to bound the type of flow paths that Jim
17 showed you and I think you'll see in Bill Arnold's
18 presentation later. Give you an idea of how those are
19 constrained in the models. The approximate compliance
20 boundary is shown on there. And it also shows the
21 location of a couple of wells that I'll talk about,
22 Well 2D and we'll see some examples of data from that
23 and also Washburn-1X. I'll also show the well
24 location of the 19PB which is a location of the sonic
25 coring that has taken place. Also is the location of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the alluvial testing complex that Bob spoke to
2 earlier.

3 Some of the thing to note is flow
4 direction is predominantly toward the south. You're
5 going to have a portion in fracture volcanic rock and
6 alluvium. We're going to talk about alluvium here in
7 a couple of moments. We know that there's some
8 uncertainty in the length of that flow path. As Jim
9 alluded to, we recognize that there's a relationship
10 between uncertainties in the flow model and
11 uncertainties in the transport parameters that
12 influence that.

13 So I'm going to show you some examples
14 from a couple of selected wells, specifically 2D and
15 Washburn-1X.

16 Next slide.

17 (Slide change.)

18 This is a little complicated, but it has
19 a lot of information. These are x-ray diffraction
20 results of well cuttings collected from Well Washburn-
21 1X and Well 2D. So we received cuttings as sample
22 splits from the Department of Energy. We collected
23 semi-quantitative, x-ray diffraction analysis at every
24 5 foot interval for the entire depth of those two
25 holes. So the difference in depth here is that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the complete depth of Well Washburn-1X which is
2 about 650 feet and Well 2D goes down to about 1600
3 feet. Don't confuse this with Well 2DB which is a
4 newer well that penetrates all the way down to
5 something on the order of 2000 feet, I believe.

6 And here we have a comparison of bulk
7 mineralogy between the two wells and then the clay
8 component which is shown in this green layer on the
9 edge, then is expanded to show the types of clays that
10 might be present in that clay fraction.

11 Water table is shown in blue here. I also
12 have a couple of SEM photo micrographs at about 640
13 feet and 820 feet that I'll show you later. One thing
14 that I would like you to note from this diagram is
15 that while Washburn and 2D which are separated in
16 space across that 40 mile wash, at least across the
17 kind of range of expected arrivals of the flow paths
18 have a very similar bulk and clay mineralogy at least
19 through the saturated zone or at least through the
20 depth of Washburn.

21 Also, there's not a significant change in
22 mineralogy as you go from saturated to unsaturated
23 conditions at the water table that exists now. The
24 other thing is notice that we have a significant
25 silica fraction. This is quartz and prostobilite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here. There's a lot of feldspar as you would expect
2 from the tuffs. And we have a consistent amount of
3 clay fraction that's dominated by smectite or that
4 montmorillonite that I showed you previous. We also
5 have a significant amount of zeolite that occurs
6 throughout the depth of the hole. In fact, some have
7 a lot of zeolite as we go deeper, so depending on the
8 zone.

9 One big difference between these results
10 for these two holes is that about 1150 feet we see a
11 large occurrence of dolomite and calcite. We
12 interpret this and I think it's consistent with the
13 lithologic interpretations from DOE and also Nye
14 County that this is the kind of a start of an older
15 package of alluvium or maybe pre-basinal sediments
16 that are dominated by not only calcites, but also
17 dolomitization of tuff particles and that's where you
18 get a lot of that dolomite.

19 One thing to consider though is this depth
20 kind of encompasses the range of the depth of flow
21 paths that Jim Winterle showed you earlier. So even
22 though we've considered a lot of the minerals that --
23 I think we considered enough mineralogy to describe
24 this zone. We might want to look at calcite and the
25 influence of calcite as well and in fact, we have done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that and I can talk to that later, if you'd like.

2 Next slide, please. Well, here is an
3 example of scanning electron micrograph of the well
4 cuttings taken from Well 2D at about the 640 foot
5 level. This is again below the water table in a zone
6 where you have that small amount of zeolite and
7 smectite. Here's a larger scale version. We see kind
8 of the alluvial grains. Notice that they're coated
9 with some material and there's maybe a sparse coating.
10 These are well cuttings so they've kind of been washed
11 off, a lot of the fine grain material has actually
12 been removed here. And they're somewhat
13 unconsolidated, but notice that they're sort of
14 loosely cemented by this material. If we take a close
15 up of this, what we see is it's composed of almost
16 entirely of zeolites, clinoptilolite, one of the
17 minerals that we studied in our sorption experiments
18 and infiltrated or maybe even ingrown clay particles.
19 So the surfaces of these grains might be well
20 represented by clays and zeolites.

21 Go to the next slide, please.

22 (Slide change.)

23 Now if we go a little bit deeper we saw a
24 little more percentage of zeolite in the horizon.
25 Notice we have a similar sort of coating of material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we look at that closely again, we'll see again it's
2 dominated by zeolite. This is primarily that zeolite
3 clinoptilolite and also clay. Both clays that not
4 only are ingrown and formed in place, but also clays
5 that probably were filtered in and kind of were
6 filling in those pore spaces. Note again, those clays
7 are dominated by smectites.

8 So I think this sort of demonstrates that
9 our approach to not only modeling using an alumina
10 silicate phase, but also the range of materials,
11 quartz, montmorillinite, zeolites that predominated in
12 our surface experiments are appropriate for the
13 surfaces.

14 One of the things that Jim mentioned in
15 his talk was the presence of iron oxides and kind of
16 the appearance of those iron oxides. We see iron
17 oxides here, but there's some evidence that they're
18 contained within these amorphous silica phases on the
19 surfaces in Jim's materials for Naturita kind of show
20 that. There are other investigations that show that
21 and Naturita's measurements on the tuff samples and
22 batch studies of that also showed that, that there was
23 sort of minimization of the iron oxide sorption
24 capacity in those experiments.

25 Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 So to conclude or just provide a summary
3 of what I've shown, we have geochemical sorption
4 models that are based on our experimental results.
5 They've been applied to produce the sorption
6 parameters for actinides that we use in TPA.

7 The sorption parameters are constrained by
8 measured water chemistries. We use recently collected
9 analyzed water samples that are consistent with our
10 experimental approach and consistent with the range of
11 chemistries that we have and consistent with the range
12 of mineralogist that we considered.

13 Our TPA output suggests that the saturated
14 alluvium may be an important barrier and that has a
15 retardation capability that could be assessed on the
16 order of the time frame which the regulations address.
17 And the methodology incorporated in the TPA right now
18 are flexible, so they're not limited to a particular
19 type of surface complexation modeling approach. We
20 have a more generic approach that we can develop using
21 sampled and information kind of on the order of what
22 Jim had described earlier and we can incorporate the
23 same sort of changes and coefficients applied directly
24 into TPA without modifying the code substantially.

25 That's all I have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Thank you, Paul.

2 MR. BERETTI: You're welcome.

3 MEMBER HORNBERGER: Questions. Ruth?

4 MEMBER WEINER: I have a number of
5 questions, Paul, I'm afraid and I'll try to condense
6 them as much as possible. You showed us, there's a
7 slide earlier where you showed the oxidation states of
8 the actinides that you were looking at.

9 MR. BERETTI: That's correct.

10 MEMBER WEINER: Americium 3, neptunium 5
11 and so on.

12 MR. BERETTI: Correct.

13 MEMBER WEINER: Do you have spectroscopic
14 verification of those oxidation states?

15 MR. BERETTI: Well, I think the oxidation
16 states for americium and thorium, neptunium, in
17 particular, and uranium in an oxidizing system are
18 fairly well defined for the states that we use in the
19 model. And I think the system and the saturated
20 alluvium is primarily oxidizing and I would expect
21 that the oxidation states for those four to be
22 consistent with that.

23 For plutonium we used the oxidation state
24 plus 5, sort of as a default. We don't have any
25 evidence or a lot of other information to constrain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the oxidation state or the range of states for
2 plutonium. We felt that at the time of the modeling
3 that that kind of was a conservative approach, based
4 on our understanding of how neptunium 5 complexes and
5 sorbs and compared to thorium in the plus 4 state
6 which sorbs much more strongly.

7 So the answer to that is I think there's
8 evidence for the other four. We have direct evidence
9 for neptunium in terms not only in our experiments,
10 but also for uranium as well that those are
11 appropriate.

12 MEMBER WEINER: What direct evidence do
13 you have?

14 MR. BERETTI: Well, the direct evidence is
15 we measured -- I don't have field evidence because I
16 don't field waters for neptunium in those. We have
17 done XF studies with uranium to look at the uranium
18 complexation on montmorillonite at different pH
19 values. We've also done XF studies with neptunium on
20 clays to try to assess the complexation and the
21 complexes that might occur. I have spectroscopic
22 studies with neptunium, kind of infrared IR
23 spectroscopy that shows neptunium plus 5 under the
24 conditions in which we've studied.

25 For americium and thorium, I think those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are fairly well established, but I don't have any
2 direct evidence for those.

3 MEMBER WEINER: Are you familiar with the
4 work that has been done by Don Rye and Andy Fellmy at
5 PNL by David Clark's laboratory at LANL, Cynthia
6 Palmer at Livermore. I mean all of these people have
7 done extensive work on the oxidation states of the
8 actinides under various conditions. And I question a
9 little bit your assumption of plutonium 5. I question
10 somewhat your assumption of uranium 6 which is very
11 dependent on pH.

12 And my suggestion is that you either get
13 direct spectroscopic evidence and visible spectroscopy
14 of your oxidation states or do some literature
15 consultation, consult some of the literature in this
16 area. This is very extensive.

17 MR. BERETTI: Yes, and I'm familiar with
18 much of that. We had to make a conscious decision
19 about plutonium because at the time we did not have a
20 lot of information. I would agree that that's very
21 uncertain. I still would say that I would -- my
22 feeling is that uranium in the plus 6 state in the
23 conditions as measured in the alluvium is appropriate.
24 Beyond that I don't have much else. But I agree that
25 that's something that needs to be strongly considered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Because plutonium 4 forms
2 a colloid and that may be a problem.

3 MR. BERETTI: Right, we were trying to
4 model the aqueous component of plutonium sorption. I
5 would agree that plutonium 4 on the colloid is much
6 more important in terms of plutonium transport, but we
7 just did not include it in this component.

8 MEMBER WEINER: I want to move briefly to
9 your modeling. Does your modeling include -- when you
10 formulate, build your model, do you minimize -- do you
11 have some way to minimize the Gibbs-free energy for
12 all of your solution components?

13 MR. BERETTI: Well, the model is built
14 within the code the same way as all solution -- all
15 the solution components are contained within the code
16 the same way. So the fitting uses a code like FITEQL
17 to sort of get the best fit estimate for the
18 complexation constant, for the sorption parameter and
19 then one represents the behavior, but I would say
20 somewhat semi-empirically because we don't have direct
21 evidence for the complexation that we are modeling to
22 mimic sorption behavior over the range that we have
23 used. That is incorporated then in the overall
24 geochemical model to predict sorption over range of pH
25 and CHH.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: I'm asking because when we
2 modeled the actinides for the Waste Isolation Pilot
3 Plant, we used EQ36 and basically fed in our solution
4 components constantly minimizing the Gibbs free energy
5 so that we could see what remained in solution and
6 what did not. I think Ines is very familiar with this
7 work.

8 And that's the sense in which I ask. And
9 that leads me to another question which is pH and
10 carbonate are not independent of each other.

11 MR. BERETTI: That's correct.

12 MEMBER WEINER: And you, in your model,
13 you recognize the buffering activity of carbonate and
14 the fact that it's going to change as you add
15 carbonate or CO₂, you're going to change the pH.

16 MR. BERETTI: That's correct.

17 MEMBER WEINER: And that is done in the
18 model?

19 MR. BERETTI: That's incorporated in the
20 model.

21 In the model representation for sorption
22 over pH and CO₂, that's incorporated within the
23 modeling approach because all those phases are
24 included.

25 For the sampling then of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distributions within TPA, what we do is for the
2 version 4, we sample a retardation coefficient
3 distribution, so there's not a chemical sampling
4 involved.

5 And then we correlate that, based on our
6 understanding of the correlation between pH, CO₂ and
7 those produced distributions.

8 For the proposed version 5, we sample pH
9 directly. Then that is correlated to CO₂, based on a
10 correlation that we have measured, based on our sample
11 parameter. So yes, they're directly related and yes,
12 those are correlated. They're kind of limited by the
13 quality of the data in the data set. And those are
14 correlated with the factor of something on the order
15 of minus .8. So they're very closely correlated, as
16 you would expect chemically and that's how we choose
17 a value of CO₂ that's related to --

18 MEMBER WEINER: I'll let you go now.

19 MEMBER HORNBERGER: We're getting pretty
20 detailed into the modeling, so let's try to stay at a
21 higher level.

22 MEMBER WEINER: I'm done.

23 MEMBER HORNBERGER: Mike?

24 ACTING CHAIRMAN RYAN: No, I'm all set.

25 Thanks for a nice presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Allen?

2 DR. CROFF: I've got a question on one of
3 your early slides. It was page 7 where you had some
4 experimental results. If I read the left most graph
5 correctly it shows that the reaction is, the sorption
6 reaction is indeed reversible?

7 MR. BERETTI: That's correct.

8 DR. CROFF: Have you found that to be
9 generally the case across various radionuclides and
10 across various minerals and this kind of thing?

11 MR. BERETTI: For the ones that we've
12 studied in the most detailed, yes. I would say those
13 are primarily -- our particular experience is mostly
14 limited to uranium and neptunium in those particular
15 studies.

16 DR. CROFF: Thanks.

17 MR. BERETTI: But yes, that is correct.

18 MEMBER HORNBERGER: Ines?

19 DR. TRIAY: Let me ask you, I thought that
20 this was a very good presentation as well. Let me ask
21 you from your perspective, what is driving the
22 sorption aspect of radionuclide migration more, the
23 mineralogy or the water chemistry?

24 MR. BERETTI: Well, I think the water
25 chemistry has the largest effect. The effect of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mineralogy in our estimation is primarily related to
2 the effect of surface area that you see. So I would
3 couch it in terms of if I knew an effective surface
4 area independent of the mineral phase, then if I knew
5 the chemistry parameters, then we should be able to
6 model the sorption behavior.

7 Now what that doesn't account for are
8 other types of reactions that occur because of the
9 mineral phases, so it completely ignores redox sort of
10 reactions that might occur and I acknowledge that.

11 DR. TRIAY: So you think that the best way
12 to model sorption would be via the surface
13 complexation models almost ignoring, if you will, the
14 -- and I'm not trying to put words in your mouth, I'm
15 trying to understand.

16 MR. BERETTI: Right.

17 DR. TRIAY: When I made a statement and
18 say no, that's not it, it's something else. Ignoring
19 the mineralogy and just having surface complexation
20 parameters, bear radionuclide as a function of water
21 chemistry?

22 MR. BERETTI: Well, what I would say is
23 that -- the answer partly would depend on the
24 chemistry of the system. For instance, if we had a
25 chemistry and a mineralogy type where ion exchange and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a nuclide where ion exchange processes were important,
2 then obviously that would need to be included and
3 incorporated as well. So your model would have to
4 encompass the range of reactions and sorption
5 mechanisms that you propose.

6 I think for the alluvium the surface
7 complexation modeling approach is appropriate or the
8 range of chemical and mineralogical conditions for
9 actinides. I think it's an appropriate approach.

10 DR. TRIAY: How do you take into account
11 in the surface complexation modeling for sorption the
12 difference in oxidation states for plutonium?

13 MR. BERETTI: We had not done that in this
14 case, but if you had enough information to inform your
15 water chemistry with respect to oxidation and you had
16 previously done enough modeling to do that, the
17 problem here is we're trying to include as much
18 chemistry information as we can to develop a sorption
19 parameter without explicitly incorporating all of that
20 chemical modeling within the TPA code. And so it's
21 very -- you would have to have a reactor transport
22 model to appropriately do that and that's not the
23 point where we are. I don't know if that answers your
24 question or not.

25 MEMBER HORNBERGER: Jim Clark.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CLARKE: Slide 14 where you show the
2 neptunium and uranium and the differences between 4.1
3 and Version 5, I guess the big difference is
4 neptunium. Would there be increased medium value for
5 retardation factor?

6 MR. BERETTI: Yes, I would say that seems
7 to be different.

8 DR. CLARKE: For uranium, I can't tell.

9 MR. BERETTI: The mean values are similar.
10 The reason I don't mention those too much, it's kind
11 of depending on the set of data, the realization set
12 that you create and I mean if you happen, you have a
13 small percentage of values that are very large and if
14 you happen to hit one that's extremely large, then
15 it's going to change your mean significantly. So the
16 mean values are about the same between the two sets.
17 The median values are different, however.

18 DR. CLARKE: That's what I was trying to
19 get at. Did you really think there's a significant
20 here and if so, do you think you know why?

21 MR. BERETTI: I know why is that even
22 though that range of chemistry that we use to develop
23 the initial distribution, we had to suppose what the
24 shape of the distribution was, so we came up with our
25 best estimate. The law of normal distribution is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 purposely biased toward the lower end value. So we
2 kind of have a predominance of lower end values and
3 that has that low median.

4 DR. CLARKE: That's for Version 4?

5 MR. BERETTI: That's for Version 4. So
6 for Version 5, we don't have to judge what the
7 distribution shape is. We can measure a distribution
8 of pH and CO₂ and then apply that and so what you see
9 is kind of what the model produces based on that. And
10 so as that distribution would change and as our
11 understanding of CO₂ and pH would change, then that
12 might change as well. It might also be impacted by
13 the range of surface areas that we would measure and
14 then also incorporate into the code.

15 DR. CLARKE: Thank you.

16 MR. BERETTI: Yes sir.

17 MEMBER HORNBERGER: Jim Davis.

18 DR. DAVIS: Very nice presentation. I
19 really admire the work that David and you and Bobby
20 Padwell have done.

21 Given that though, I do want to say
22 something. You've compared -- in talking about what
23 you do in 4.1 and extending to 5, you've made the
24 statement that you might be able to work with real
25 materials and develop a semi-empirical model and use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a similar approach. And I want to point out that
2 there, the abstraction you're making here is somewhat
3 -- it has other limitations than you're mentioning
4 than just surface area. For example, I believe that
5 these measurements that you've done as a function of
6 pH and carbon dioxide are done in simple electrolyte
7 solutions and so your knowledge of the effect of
8 calcium, for example, or uranium sorption is
9 incomplete.

10 MR. BERETTI: That's correct.

11 DR. DAVIS: And calcium is, in fact, going
12 to be in all ground waters.

13 MR. BERETTI: That's correct.

14 DR. DAVIS: So this is another aspect of
15 this semi-empirical approach where you begin to
16 incorporate all of the components of ground water that
17 you include.

18 MR. BERETTI: That's correct.

19 DR. DAVIS: So it's important to look at
20 the composition of an artificial ground water
21 solution. And the other thing that's being abstracted
22 is the electrical double layer. You have included in
23 your model a pH, the pH and CT dependence that you
24 have in the model is, in part, includes within it
25 electrical double layer components and so you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying that that pH and CT in the ground water, I will
2 have the same electrical double layer on smectites in
3 that ground water and that's not confirmed yet either.

4 MR. BERETTI: No, it is not.

5 DR. DAVIS: So there's some uncertainties
6 there and then the final thing I would say is that for
7 the neptunium, for example, you haven't worked at a
8 partial pressure or at least the data you showed here,
9 you haven't worked at a partial pressure of carbon
10 dioxide about air and the values in the system are all
11 above air. So you're extrapolating from air values up
12 to these higher partial pressures of carbon dioxide.

13 MR. BERETTI: Right, it seems like I have
14 data at higher partial pressures.

15 DR. DAVIS: Oh, you do.

16 MR. BERETTI: Of CO₂ that are consistent
17 with what we predict. Also from the modeling
18 approach.

19 DR. DAVIS: I thought the graph you showed
20 was --

21 MR. BERETTI: I only showed is from the
22 montmorillonite study that is in Davener's paper from
23 a few years back. So yes, we do have data for a
24 larger range of CO₂. And that's more recent. So it's
25 not incorporated here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DAVIS: One of the reasons I mention
2 the calcium is in the last couple of years there's
3 been this new aqueous species that's been determined
4 by excess spectroscopy to be possibly predominant in
5 these kinds of waters that involves a calcium uranium
6 carbonate ternary aqueous species. And if you take a
7 model like this and you have to make an assumption
8 then about what -- if that's predominant in aqueous
9 species, it's going to affect your calculated
10 sorption.

11 MR. BERETTI: Yes, I understand.

12 DR. DAVIS: Eventually, you're going to
13 have to face that calcium problem.

14 MR. BERETTI: Yes, I would agree. Data
15 that we can collect in terms of confirmation work
16 would be, would consider that appropriate.

17 MEMBER HORNBERGER: Dick?

18 DR. PARIZEK: I was curious on page 18,
19 these are not sonic log samples?

20 MR. BERETTI: No sir, those are well
21 cutting samples.

22 DR. PARIZEK: From earlier sampling.

23 MR. BERETTI: Yes sir.

24 DR. PARIZEK: Do you expect that would
25 differ, the sonic log?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BERETTI: The sonic coring data that
2 we have on a smaller number of samples to date that we
3 collected last December show very similar bulk
4 mineralogy values. The primary difference in the
5 sonic core sample results that we have now, we have
6 about 10 to 15 percent more by weight of the clay
7 fraction which sort of represents the kind of fine
8 grain material that probably is washed out of a well
9 cutting and that's kind of consistent with what the
10 Nye County folks expected too.

11 So what we see is in a sonic core sample,
12 very simple distribution of mineralogy with a larger
13 percentage occupied by the clay fraction.

14 DR. PARIZEK: And the clay abundance is --

15 MR. BERETTI: The clay abundance is almost
16 exactly the same, correct.

17 DR. PARIZEK: So it's representative.

18 MR. BERETTI: It's representative just in
19 a very similar fashion.

20 DR. PARIZEK: Now for performance, when I
21 look at the smectites, they go from roughly 40 percent
22 to 70 percent of the sample, depending upon where you
23 are in the 2D log or for that matter --

24 MR. BERETTI: Forty to 70 percent of the
25 clay fractions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. PARIZEK: Of the clay fractions.

2 MR. BERETTI: Right.

3 DR. PARIZEK: So shouldn't there be some
4 difference in just the retardation characteristics
5 when you have that much difference in those kind of
6 clays?

7 MR. BERETTI: It's likely that there
8 could. We have a couple of factors that we've seen.
9 When I do the -- we've done our experimental analysis
10 and looked at that effective surface area, it seems
11 that the clay, only about 10 percent of the measured
12 surface area of clays is actually sorbing. Kind of
13 consistent with the percentage of edge sites. So
14 that's sort of modified by that factor.

15 And we do see a measured -- differences in
16 measured surface areas on the sonic core and well
17 cuttings that are consistent with the additional
18 amount of clay. So if we scale the surface area
19 appropriate to what we've measured in the experiments,
20 then the effects of the fine grained materials are
21 kind of all normalized against each other, so it's
22 really a difference in surface area, not mineral type.

23 DR. PARIZEK: There seems to be some sort
24 of a consistent pattern to the smectite abundance with
25 depth. It's not just erratic, but rather, you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of increasing trend that values down, there's an
2 increasing trend. That has to do something with the
3 history of the valley fill accumulation.

4 MR. BERETTI: I would expect so, yes.

5 DR. PARIZEK: You could probably expect
6 similar results at other holes?

7 MR. BERETTI: Yes, I think if you notice
8 the sort of trend for the water table between the two
9 holes, you find that they're very similar. I don't
10 think that's coincidental.

11 DR. PARIZEK: There seems to be a whole
12 different story when you go down below a thousand say
13 feet.

14 MR. BERETTI: The interpretation of that
15 would be sort of complex, but yes, I would agree with
16 you that there's those trends don't seem to be random.

17 DR. PARIZEK: Thank you.

18 MEMBER HORNBERGER: Don, do you have
19 questions?

20 DR. SHETTEL: That should be on now, I
21 think. Is that better?

22 MEMBER HORNBERGER: Yes.

23 DR. SHETTEL: I believe as Jim Davis
24 pointed out, these solutions are fairly simple and
25 there are some other complexing ligands out there such

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as fluoride which at the one ppm level in the ground
2 water is significant if you're in more acidic
3 solutions, especially for neptunium. As far as
4 uranium and phosphate is also an important ligand for
5 uranium and neptunium, but again on the more acidic
6 side of the sorptions, so this may not have that much
7 effect on most of the ground waters which are more
8 alkaline, but it could add a contribution to the
9 complexing.

10 And with regard to colloids, have you --
11 any of these experiments have colloids in them or have
12 you looked or found any?

13 MR. BERETTI: No, we have not. These
14 experiments and this sort of approach is not meant to
15 represent colloids and in fact, it excludes colloidal
16 sized materials as best that we could.

17 What we have tried to do, another sort of
18 process level modeling approaching to look at the
19 important factors of colloid facilitating transport.
20 We've used DOE data and some field-derived data from
21 a Nevada test site to try to develop that approach,
22 but it's not incorporated in these experiments or in
23 the modeling that I discussed.

24 DR. SHETTEL: And lastly, I guess, humic
25 and fulvic acids are not incorporated as well?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BERETTI: No. There's not really been
2 a lot of work. I don't think there's been a lot of
3 work by anyone to look at the organic acid content of
4 the ground waters and the saturated zone. I think the
5 total amount of organic carbon is fairly low. There
6 has been some work by DOE to use the organic carbon to
7 help date ground waters.

8 I will add that our most recent sampling
9 of Well-19PB in which I think that was done last
10 month, we collected a significant amount of samples
11 specifically to characterize the organic acid
12 composition. So hopefully, in the next couple of
13 months we'll have an idea of what those compositions
14 are and what the concentrations are for humic and
15 fulvic acids for those waters. But right now, we
16 don't have any of that. I can't really speak to the
17 others.

18 DR. SHETTEL: Thank you.

19 MEMBER HORNBERGER: Thank you, Paul. We
20 are now going to take a 15-minute break. We are going
21 to start promptly at -- the clock on the far wall
22 there, when the clock on the far wall says 5 past 4,
23 we will start.

24 (Laughter.)

25 (Whereupon, the proceedings in the above-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entitled matter went off the record at 3:51:38 p.m.
2 and went back on the record at 4:08:20 p.m.)

3 MEMBER HORNBERGER: Okay. Let me mention
4 a couple of things. Well, I'll mention the second
5 thing first then, and that will be the first thing.
6 We have a change in schedule for Thursday morning.
7 Currently on the schedule we have the DOE response to
8 NRC independent evaluation of documents, and that has
9 now been postponed from 8:35 until a start time of 11
10 a.m. It's 11 a.m. our time so that you might note on
11 your schedules that that's a change.

12 LAS VEGAS PARTICIPANT: We can't hear you.

13 ACTING CHAIRMAN RYAN: Hang on, we're
14 checking.

15 MR. LARSON: It's because the presentation
16 is going to be from Las Vegas.

17 MEMBER HORNBERGER: Yes, the presentation
18 is going to be -- can you hear me now?

19 MR. BROWN: Vegas?

20 LAS VEGAS PARTICIPANT: Yes, we're here
21 but we can't see you and we can barely hear you.

22 MR. BROWN: Okay. Hold on for a second.

23 MEMBER HORNBERGER: Okay. Can you see us
24 now?

25 LAS VEGAS PARTICIPANT: Yes, we see you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Okay. And can you
2 hear us now? You can hear us?

3 LAS VEGAS PARTICIPANT: Much better.

4 MEMBER HORNBERGER: Okay. At any rate, I
5 was saying -- what you missed was that I said the
6 presentation originally scheduled for 8:35 on Thursday
7 morning has been postponed and will now be at 11:00
8 Thursday morning.

9 The other thing that I wanted to mention
10 to our panel members, you'll notice on our schedule
11 tomorrow afternoon from 2 to 3, during that time the
12 panel members will be invited to make summary comments
13 on the basis of what they have heard, so please, you
14 can give some thought to that both overnight and as
15 the day progresses tomorrow.

16 All right. So I think that our next
17 presentation since we are now hooked up is Bill Arnold
18 in Las Vegas. Bill, you are there and you can hear
19 us, and I think we can hear you.

20 MR. ARNOLD: Okay. Hello, and I'm pleased
21 to have the opportunity to speak to you. I'm going to
22 talk about the saturated zone flow and transport
23 modeling and results. This builds on the presentation
24 given by Bob Andrews earlier in which he described the
25 conceptual models in the unsaturated zone and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saturated zone, and the experimental basis for those
2 conceptual models.

3 I'm going to describe how those conceptual
4 models are implemented in the numerical models for
5 performance assessment calculations. Some of the
6 additional lines of information that give us
7 confidence that those models are realistic and
8 describe some of the modeling results. If we go to
9 the second page --

10 MEMBER HORNBERGER: Bill, can I ask if
11 there are several microphones on at your end if they
12 could be turned off. We can, I think, hear some
13 background noise. Okay. Never mind. Go ahead, Bill.

14 MR. ARNOLD: Okay. Well, I think it's
15 being fixed here.

16 MEMBER HORNBERGER: Yes, that's much
17 better.

18 MR. ARNOLD: Okay. So saturated zone flow
19 really defines the flow paths and the flow rates of
20 ground water through the system. And this is, of
21 course, important to determining the releases to the
22 maximally exposed individual. Saturated zone
23 transport defines the advective and dispersive
24 transport velocities of radionuclides. These can
25 either be dissolved or attached to colloids that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potentially released. In their transport times, we
2 include the effects of matrix diffusion and
3 retardation along paths of likely ground water flow.
4 And the metric of interest here is the mass or the
5 activity flux of radionuclides at the point of
6 compliance, which is about 18 kilometers south of
7 Yucca Mountain. And the basis for quantifying the
8 above processes relies on site-specific data, hydro
9 geology, the geo-chemistry, and the transport testing
10 that's been conducted by many scientists over the last
11 20 plus years.

12 Now if you go to slide 3, this illustrates
13 these two components that are important to us, namely
14 the ground water flow pathways and the transport
15 times. The figure on the left you've seen before
16 shows our expected ground water flow paths from Yucca
17 Mountain as simulated by the flow and transport
18 modeling.

19 The figure on the right shows the results
20 of some transport simulations. These are simulated
21 breakthrough curves for Neptunium in this case at the
22 18 kilometer boundary. The solid black line is with
23 no sorption, but with matrix diffusion. The dashed
24 red line is for Neptunium with sorption, with matrix
25 diffusion and sorption in the rock matrix of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volcanic units, and you can see the line with
2 transport times associated with that.

3 The dashed blue line shows a simulation
4 result for Neptunium transport with sorption only in
5 the Alluvium, and then the dashed magenta line shows
6 simulation results with both sorption in the volcanic
7 matrix and in the Alluvium. And this is for our
8 expected behavior of the system without consideration
9 of all of the uncertainties in the system, but this
10 result is consistent with what you saw earlier in
11 terms of NRC's conclusions about risk significance for
12 different processes in the system. The more
13 significant process here is sorption in the Alluvium,
14 as opposed to matrix diffusion and sorption in the
15 rock and the volcanic matrix.

16 Slide 4, we're going to discuss the
17 regional and site-scale flow models. The regional
18 model allows us to understand the general flow
19 directions in the regional flow system and provides
20 constraints on the volumetric flow rates through the
21 aquifers, which then can be applied at the boundaries
22 of the site-scale model. The site-scale model
23 provides us much greater detail on the flow directions
24 and the flow rates, much higher resolution
25 representation of the hydrogeologic units of relevance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to repository performance at the site-scale.

2 And the site-scale model builds on
3 observations of hydraulic head at the wells,
4 permeability measures and DOE and Nye County bore
5 holes, and some large scale aquifer tests conducted at
6 the C-wells, and somewhat smaller scale test at the
7 Alluvial Testing Complex.

8 Slide 5, this figures shows a portion of
9 the regional scale flow system and a lot of the
10 physiographic features in that area are labeled here.
11 As well, it shows the rectangular boundaries of the
12 site-scale model within the regional flow system. And
13 the several features that are key controls on flow at
14 the regional system, these are hydrogeologic
15 formations, their spatial location, the individual
16 properties. In addition, major faults play an
17 important role in the regional scale flow system.

18 Also, the Death Valley Regional
19 Groundwater Flow system is largely controlled, the
20 water though that system is controlled by recharge and
21 discharge. And a feature of importance at the site-
22 scale is a local recharge along Fotymile Wash, and
23 considerable pumping from the system along the
24 southern boundary of the site-scale model in the
25 Amargosa Desert region.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let's go to slide 6. This figure shows
2 the boundaries of the Death Valley Regional Flow
3 Model, and within those boundaries the recharge, and
4 recharge is primarily at higher topographic
5 elevations of greater than 1,500 meters above sea
6 level. You can see the darker purple colors
7 correspond to higher values of recharge in the system.
8 Also in this figure, you can see the outline of the
9 Nevada test site and the approximate location of Yucca
10 Mountain.

11 The highest values of recharge occur in
12 the highest mountain ranges, such as the Spring
13 Mountains to the south and east of Yucca Mountain, the
14 Panamint Range on the other side of Death Valley.
15 Recharge is a complex function of precipitation, the
16 slope in the geology and the vegetation, and there is
17 a considerable degree of uncertainty in the recharge
18 estimates depending on the method that's used.

19 Another thing that I'd like to point out
20 that this color scale is really not a linear scale,
21 and there are relatively large areas that fall in this
22 white or very light purple range in which recharge is
23 a very small value, less than 1 millimeter per year in
24 the white zone, so there is recharge occurring but at
25 a very low rate in these areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I also wanted to point out that there are
2 large areas where there's thick valley fill deposits
3 in the system where there's essentially no recharge
4 occurring in the system.

5 Slide 7 shows the locations of discharge
6 regions in the Death Valley Regional Flow System, and
7 these natural groundwater discharge locations occur in
8 the topographic lows, in general, and significant
9 discharge occurs from springs in the carbonate aquifer
10 flow system, and by evapotranspiration from shallow
11 groundwater at the playas. Taken together, these
12 recharge and discharge estimates provide us with a
13 basis for an overall groundwater budget through the
14 regional scale flow system.

15 Okay. Slide 8, let's focus in on the
16 site-scale flow system. The figure on the left shows
17 an interpretation of a potentiometric surface at the
18 site-scale. It also shows the wells that were used in
19 this interpretation and the values, the water level
20 values that we used in the interpretation.

21 I'm sure most of you are familiar with the
22 general configuration of the ground water flow system
23 here and the water table. Just to point out, there's
24 a relatively high gradient to the north of Yucca
25 Mountain. There is a moderate gradient just to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 west of Yucca Mountain that apparently corresponds to
2 the Solitario Canyon fault. There's a relatively low
3 gradient area to the south and east of the repository
4 location.

5 Another feature I think that's significant
6 here is there is apparent convergent groundwater flow
7 system that corresponds and seems to be center on
8 Fotymile Wash. This figure also shows the location of
9 tertiary faults, and in some cases the correspondence
10 between those fault locations and interpretations of
11 the potentiometric surface, especially where those
12 faults are apparent barriers to groundwater flow, such
13 as Solitario Canyon fault.

14 I should also point out that this
15 interpretation of potentiometric surface assumes
16 isotropic permeability, and it does indicate generally
17 a southeasterly flow from Yucca Mountain, and a
18 southerly flow in the area of Fotymile Wash.

19 Slide 9 shows the hydrogeologic framework
20 model that's incorporated into the site-scale flow
21 model. The figure on the left shows the geology at
22 the water table as interpreted from this model. This
23 is a 3-D model domain. It's 30 kilometers by 35
24 kilometers by 2,750 meters below the water table. And
25 the grid that's used in the flow modeling is a 500

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meter horizontal spacing and variable resolution in
2 the vertical direction, but the highest resolution to
3 the grid is near the water table.

4 The interpretation of the geology or the
5 hydrogeology at the water table has a high degree of
6 complexity and resolution near the repository, and
7 then as you move away from the repository and the high
8 density of geologic information, the interpretation of
9 the hydrogeology becomes more interpretive and
10 somewhat coarser in resolution.

11 Slide 10 gives some information on the
12 calibration of the site-scale flow model, and what's
13 plotted in this figure are the simulated heads in the
14 upper layer of the model close to the water table
15 shown with the contours, and then the residuals in
16 head are plotted with the various symbols and colors
17 at individual wells.

18 The first thing that I should point out is
19 that the general configuration of the potentiometric
20 surface in the model matches the observations. We
21 compare this configuration of the simulated water
22 levels with the observed and interpreted
23 potentiometric surface. They are very similar. And
24 most of the water levels along the flow path southeast
25 of the repository are accurately simulated. Those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cross symbols indicate a residual or a simulated head
2 within one meter of the observed head, so that area
3 with mostly -- that crosses there to the south and the
4 east of the repository indicate that the calibration
5 is quite close to the observed values in that area.

6 Values of head to the north and the west
7 of Yucca Mountain are generally under-predicted by the
8 model. This is probably due to simplifications in the
9 conceptual model that exist within the model domain.
10 And also, variations in the interpretation of the
11 meaning of the heads, particularly directly to the
12 north of Yucca Mountain as to whether or not those are
13 perched, that represents perched water or is actually
14 the water table.

15 Simulated head along Fotymile Wash and
16 Amargosa Desert are generally within 5 meters of
17 measured head, but I guess the lesson -- the point I
18 kind of want to make here is that along the flow path,
19 the calibrated flow model does reproduce the gradients
20 that are observed rather accurately.

21 Slide 11 shows the comparison between
22 measurements of permeability and the model calibration
23 -- the values of permeability used in the calibrated
24 site-scale flow model, so this is another piece of
25 information that helps gives us confidence that we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 realistically modeling the flow system here.

2 The Calico Hills formation, which is a
3 significant aquitard in the system. You can see the
4 red dot represents the model calibrated value. The
5 range of values for single-hole tests and for cross-
6 hole tests there are shown for comparison. For the
7 Prow Pass Tuff, the calibrated value of permeability
8 which I should point out here is given in units of
9 meters squared, is somewhat higher than the cross-hole
10 testing would indicate, and significantly higher than
11 the single-hole testing would indicate.

12 For the Bullfrog Tuff, the calibrated
13 value is very close to the cross-hole testing results,
14 and much higher than the single-hole test. We have
15 reasons to think that the single-hole testing may have
16 under-estimated permeability in this area.

17 At Tram Tuff, we do have some significant
18 difference between the calibrated permeability in the
19 model and the cross-hole testing results here, but I
20 should point out that this cross-hole testing value
21 that's given here is also in the single-test of the C-
22 wells in which the Tram Tuff is intercepted by a fault
23 in the borehole which may have biased the results
24 there.

25 With regard to the larger scale flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system, the carbonate aquifer, which is rather deep in
2 the site-scale flow model domain, there is a good
3 match between the calibrated value of permeability and
4 the results of single-hole testing in the carbonate
5 aquifer. And in particular, the Bullfrog Tuff, and to
6 a lesser extent the Prow Pass Tuff probably most
7 important with regard to flow paths from the
8 repository.

9 Okay. The next slide, Slide 12, is an
10 additional data set that provides confidence,
11 confirmation of the flow paths that are simulated in
12 the site-scale flow model. This is hydrochemical data
13 and an interpretation of hydrochemical data in which
14 the hydrochemical data in numerous wells within the
15 site-scale model domain have been interpreted to fall
16 within these different hydrochemical facies, Western
17 Yucca Mountain facies, Eastern Yucca Mountain facies,
18 Fotymile Wash, some of the most important ones here.
19 But the pattern that comes out of this interpretation,
20 as indicated by the green dots here, which is the
21 Eastern Yucca Mountain facies, is that we do have
22 similarities in ground water chemistry from underneath
23 the repository to the south and east, and to the
24 south, and further to the south giving some
25 confirmation to the simulated flow paths that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correspond to this distribution of the Eastern Yucca
2 Mountain hydrochemical facies that's indicated here.

3 There is significantly different
4 groundwater chemistry along Fotymile Wash as indicated
5 by the yellow dots here, probably influenced by
6 recharge along the Fotymile Wash channel. And also
7 some significant differences in hydrochemistry just to
8 the west of Yucca Mountain, just to the west of
9 Solitario Canyon fault, and a couple of wells to the
10 east of Solitario Canyon fault too. They seem to be
11 influenced by some underflow across Solitario Canyon
12 fault. And then the red dots here indicating part of
13 the flow system from Crater Flat.

14 I should also point out that the
15 individual chemical species that were used in this
16 interpretation and isotopic ratios are listed under
17 each one of these hydrochemical facies.

18 Slide 13 presents a similar hydrochemical
19 data, sort of an expanded scale here, where the
20 dissolved constituents of importance are Chloride,
21 Sulfate, Delta-Deuterium, et cetera. And these
22 indicate the same trends that I pointed out before,
23 flow system from beneath Yucca Mountain to the south
24 and east, and then to the south, the flow system from
25 Crater Flat generally to the south, flow system from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 beneath Fotymile Wash to the south, and then to the
2 southwest, and then a flow system from Jackass Flats
3 that sort of downs this system on the eastern side of
4 Amargosa Desert.

5 So let's go on to Slide 14, and this is
6 the Carbon-14 data set which also provides us with
7 some confidence in the simulated transport times to
8 the system. Now Carbon-14 is a naturally occurring
9 radioisotope with a half-life of 5,700 years, and
10 there are some rather severe assumptions that need to
11 be used in the interpretation. Direct interpretation
12 of this Carbon-14 data is that the water acquires its
13 initial Carbon-14 content as it percolates through the
14 soil zone, and that in the absence of any water-rock
15 interactions, Carbon-14 content will change only as a
16 function of radioactive decay, thus allowing a direct
17 measurement of groundwater age or changes in
18 groundwater age along the flow path.

19 However, there are some significant
20 uncertainties associated with these assumptions.
21 Groundwater can acquire dead carbon; that is carbon
22 that has essentially lost its Carbon-14 content from
23 water-rock interactions, primarily through the
24 dissolution of Calcite during evolution of the
25 groundwater in the aquifer. And this would lead to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Carbon-14 ages that are anomalously old.

2 There's also the possibility of mixing the
3 groundwater from different sources along the flow
4 path. In particular, in the influx of groundwater
5 from recharge along Fotymile Wash that has a higher
6 Carbon-14 content, and this would also complicate our
7 interpretation of groundwater ages through the system.

8 So Slide 15 shows the -- this figure shows
9 the percent modern carbon in multiple wells through
10 the system, and what you'll see is a pattern beneath
11 Yucca Mountain. Most of the groundwaters have between
12 15 and 30 percent modern carbon in them beneath Yucca
13 Mountain, and to the south and east of Yucca Mountain.
14 There are a few samples, in particular, the one that's
15 anomalous here of 5 percent, this is from the
16 Carbonate Aquifer deeper in the system where we would
17 expect a very low Carbon-14 concentration. The two
18 yellow dots next to Fotymile Wash there are a
19 significantly higher percent modern carbon, probably
20 associated with recharge in Fotymile Wash. And there
21 has been some modeling of the Carbon-14 evolution
22 through the system that does take into account
23 interaction of the groundwater with dead carbon in the
24 system, particularly with regard to percolation
25 beneath Fotymile Wash. And putting that information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together with these measurements of Carbon-14, the
2 conclusion is that groundwater velocity estimates
3 range from about 5 to 40 meters per year corresponding
4 to advective transport times over the 18 kilometers
5 from beneath the repository out to the accessible
6 environment of several hundred years to several
7 thousand years for an unretarded species.

8 This is not a very definitive estimate of
9 groundwater transport times through the system, but it
10 does -- it is consistent with our range of modeling,
11 and does provide some confidence that there is a
12 connection with reality there.

13 Slide 16 shows some more detail about the
14 hydrogeologic interpretation in the site-scale model
15 domain with regard to the Alluvium given its potential
16 significance to radionuclide transport through the
17 system, so the figures that's shown on the left there
18 is the interpreted thickness of the Alluvium.
19 Generally, the Alluvium is thickest under Fotymile
20 Wash and southward towards the Amargosa Valley. And
21 these interpretations are based on wells and on
22 geophysical interpretation.

23 I should point out that this is not
24 saturated thickness of the Alluvium, but thickness of
25 the Alluvium from the ground surface. And this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information is used to constrain the location of the
2 tough Alluvium contact which may be important to
3 transport simulation.

4 Slide 17 shows the saturated zone site-
5 scale flow model and transport model. And I wanted to
6 use this to explain some of the numerical methods used
7 here. Particle tracking method is used, and this
8 includes radionuclide transport processes of
9 advection, dispersion, and matrix diffusion in the
10 fractured volcanic units, insorption in the volcanic
11 matrix, and in the Alluvium.

12 The simulated flow paths from the
13 repository occur in the upper few hundred meters of
14 the saturated zone so they're relatively close to the
15 water table, and the flow rates in terms of the Darcy
16 flux or the specific discharge vary along the flow
17 path from the repository, from about .7 meters per
18 year under Yucca Mountain, increasing to about 2.4
19 meters per year at the 18 kilometer boundary of
20 accessible environment. So as I pointed out before,
21 this is a convergent flow system in which the specific
22 discharge increases significantly along the flow path
23 underneath the repository.

24 Slide 18 gives some information on our
25 model of colloid-facilitated transport as it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented in the model. There are two modes of
2 colloid-facilitated transport. The first one is an
3 equilibrium model in which radionuclides can be
4 reversibly sorbed onto colloids. The second model is
5 which the radionuclides are either permanently sorbed
6 or attached to the colloids through the system, and
7 these radionuclides then just ride on the colloids
8 through the system with no possibility of leaving the
9 colloids.

10 So for the transport of radionuclides that
11 are reversibly attached to colloids, we assume local
12 equilibrium, and then the colloids, the aqueous phase,
13 and the aquifer material for the sorption of these
14 colloids. For the radionuclides that are irreversibly
15 attached to the colloids, there's no desorption of the
16 colloids that occurs. The colloids with the
17 irreversibly attached radionuclides are subject to
18 attachment and detachment from the mineral grains, so
19 the colloids themselves are subject to retardation
20 through the system, but there is no permanent
21 filtration of the colloids in the system. This is, of
22 course, a conservative assumption with regard to
23 radionuclide transport.

24 And a small fraction of the colloids with
25 irreversibly attached radionuclides is transported

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the system with no retardation. And this is
2 as a result of the filtration kinetics in the system.
3 Our estimates of the rate constance for kinetic
4 attachment and detachment of colloids, and the sort of
5 minimum transport time through the unsaturated zone
6 and saturated zone indicates that there will be this
7 small fraction that would not be retarded as the
8 colloids move through the system.

9 Slide 19 lists all of the parameters that
10 are considered in the uncertainty analysis for
11 groundwater flow and radionuclide transport. I won't
12 go through all of these in detail but there was a
13 question earlier about which of these parameters are
14 probably -- are most significant to our uncertainty in
15 radionuclide transport through the system. And I
16 would point out that probably the most important one
17 is still our uncertainty in groundwater-specific
18 discharge. How fast ground water is moving through
19 the system has a significant impact on the transport
20 simulations.

21 And with regard to transport, one of the
22 parameters that's relevant to matrix diffusion is the
23 flowing interval spacing. This is also a parameter to
24 which there is significant sensitivity in the modeling
25 results. And then for Neptunium transport, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sorption coefficient for Neptunium onto the Alluvium
2 is a significant parameter. So that's kind of a very
3 quick and dirty prioritization of these parameters
4 with regard to sensitivity.

5 Slide 20 shows some transport simulation
6 results. What's shown in these figures here are 200
7 realizations of the system in which uncertainty in all
8 of the -- uncertain parameters is included. The upper
9 figure shows the simulated breakthrough curves for in
10 this case a non-sorbing species from the water table
11 beneath the repository to the boundary of the
12 accessible environment.

13 The histogram below shows a histogram of
14 the median transport time shown in those breakthrough
15 curves above, so the midpoint of each one of those
16 breakthrough curves is then represented in the
17 histogram below. The red dashed line in this case
18 shows the median of the median transport times which
19 is between six and seven hundred years through the
20 system. So this suite of realization shows the
21 variability in the transport times among realizations
22 for species such as Technetium-99 and Iodine-129
23 extends from less than 100 years to greater than
24 10,000 years. Many of these breakthrough curves
25 exhibit a long tail that's characteristic of mass

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transfer in the rock matrix in the volcanic units, so
2 you can discern the impact of matrix diffusion in the
3 simulation results. And these results like the
4 others, I want to point out that these do not include
5 radioactive decay.

6 So Slide 21 shows a similar set of results
7 in this case for Neptunium. You can see that the
8 simulated breakthrough curves are shifted to the right
9 reflecting the sorption of Neptunium in the system,
10 and the variability here indicates, among these
11 realizations, that Neptunium-237 has an uncertainty
12 that extends for less than 1,000 years to greater than
13 100,000 years. And sorption and retardation for
14 Neptunium is generally moderate in Alluvium and minor
15 in the matrix of the fractured volcanic units. And
16 approximately half of these realizations exhibit
17 median transport times of greater than 20,000 years in
18 the saturated zone. And I should point out, this is
19 under present climatic conditions, and that holds true
20 for all of these transport simulation results that I'm
21 showing here.

22 Slide 22 shows similar transport
23 simulation results for Plutonium that is reversibly
24 attached to colloids. Here the variability in the
25 transport times among the realizations extends from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less than 10,000 years to greater than 100,000 years,
2 which is the limit that the simulations was done here.
3 And sorption for Plutonium is strong in the Alluvium
4 and in the matrix of the fractured volcanic units.

5 The reversible colloid-facilitated
6 transport model results here, the model that's used
7 here result in minor enhancement of Plutonium
8 mobility. These simulation results do show the effect
9 of colloid-facilitated transport, but it's not a
10 dramatic effect. That's a function of the sorption
11 coefficients onto the colloids for Plutonium, and the
12 colloid concentrations in the groundwater. More than
13 half of the realizations exhibit median transport
14 times of greater than 100,000 years under present
15 climatic conditions.

16 So on to Slide 23, just to summarize a few
17 of the important points here. The saturated zone flow
18 model developed to evaluate what the flow directions
19 and the float rates through the system. These flow
20 models are constrained by the regional groundwater
21 budget, hydrochemistry, water level observations, and
22 site-specific permeability measurements. The flow
23 model projects flow paths in generally southeasterly
24 direction and then southwesterly direction. The flow
25 model predicts fluxes along the flow path from beneath

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the repository in the range of .7 to 2.4 meters per
2 year.

3 The fraction of the flow path in the
4 Alluvium is a function of the flow path which is
5 itself sensitive to the anisotropy and permeability
6 which is an uncertain parameter, and the flow path
7 length in the Alluvium ranges between 1 and 10
8 kilometers.

9 Slide 24, the rest of the summary and
10 conclusions - matrix diffusion in the tuff and
11 effective poracity in the Alluvium have been
12 determined from tracer tests, so there is a basis for
13 this process in experimental and field results.
14 Effective transport velocities developed from the flow
15 and transport model yield transport times mostly
16 between several hundred and several thousand years for
17 unretarded species. And these transport times are
18 consistent with the Carbon-14 ages within that
19 relatively broad band of uncertainty.

20 Processes of matrix diffusion and sorption
21 have been confirmed in field tests, and uncertainty in
22 groundwater flow and radionuclide transport parameters
23 are evaluated with the model for incorporation in the
24 performance assessment analyses. So that concludes my
25 presentation. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Thank you very much,
2 Bill. Let's go through the questions as we've been
3 doing. Ruth.

4 MEMBER WEINER:: Thank you for a very good
5 presentation.

6 MEMBER HORNBERGER: Mike.

7 ACTING CHAIRMAN RYAN: Bill, just a quick
8 question, and it caught my eye on the case of
9 Plutonium. Why wouldn't you account for decay?
10 Because if you look at a period around 100,000 years,
11 that's four half-lives or 80 percent decay.

12 MR. ARNOLD: I missed part of the
13 question. Can you repeat it?

14 ACTING CHAIRMAN RYAN: I'm sorry. Yes, in
15 the case of Plutonium on Slide 22, you said, as you
16 did with all the slides, that you did not account for
17 radioactive decay. In the time period of up to
18 100,000 years, that's four half-lives or so, and
19 that's not a trivial amount of decay in your period of
20 observation or interest, so could you help me
21 understand why you didn't account for decay?

22 MR. ARNOLD: Yes. That's absolutely true.
23 Yes, thank you for pointing that out. Just for the
24 purposes of presentation of these results, these do
25 not show the effects of radioactive decay. In the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance assessment calculations, radioactive decay
2 is included as a process. We use a numerical method
3 for coupling these results with the performance
4 assessment calculations, and it's a convolution
5 integral method. And radioactive decay is
6 incorporated in that step of the analysis, in the
7 convolution integral.

8 ACTING CHAIRMAN RYAN: I guess you did
9 that for everything even though it might not be a big
10 effect for some longer-lived species.

11 MR. ARNOLD: Yes, that's correct.

12 ACTING CHAIRMAN RYAN: Okay. Thanks.

13 MEMBER HORNBERGER: Allen. Ines.

14 DR. TRIAY: Yes. I would like you to
15 expand a little bit on this third bullet on your
16 summary and conclusions when you say that this
17 transport - excuse me, the fourth bullet - where you
18 say that "processes of matrix diffusion and sorption
19 have been confirmed in field tests." Could you tell
20 me what exactly does that mean, to what extent have
21 they been confirmed? What does that mean from the
22 point of view of the database for diffusion, as well
23 as sorption? Could you fill out that sentence for me
24 a little bit?

25 MR. ARNOLD: Right. Let me just make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're talking about the bullet that says, "Matrix
2 diffusion in the tuff, and effective porosity in
3 Alluvium" --

4 DR. TRIAY: No, no. I'm talking about in
5 the summary and conclusions radionuclide transport,
6 page 24. I'm talking about the fourth bullet, the one
7 that starts with "processes of matrix diffusion and
8 sorption have been confirmed in field tests."

9 MR. ARNOLD: This is referring back to the
10 C-wells testing that Bob Andrews described, and the
11 ability to match the cross-hole tracer testing that
12 was done at the C-wells is taken as confirmation of
13 the process of matrix diffusion. Also, the
14 differences in the breakthrough curves for tracers
15 with different diffusion coefficients. Also, the
16 sorption process with regard to the lithium transport
17 in the tracer tests provides confirmation that the
18 process of sorption is occurring in the system. And
19 in addition, it provides some evidence that the
20 laboratory-based measurements of sorption coefficients
21 are at least applicable at this field scale, and
22 possibly even conservative relative to the field
23 scale.

24 DR. TRIAY: Can we make a statement like
25 this for colloid transport? Do you have the same type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of confirmatory test?

2 MR. ARNOLD: I don't believe that we can
3 make a similar statement for colloid transport at the
4 field scale. There are aspects of our colloid-
5 facilitated transport that have been confirmed at the
6 field scale with the cross-hole testing at the C-
7 wells. And the aspect I'm referring to here is the
8 retardation of colloids in the system, or the
9 reversible chemical filtration of colloids in the
10 system. However, not all aspects of the conceptual
11 model for colloid-facilitated transport have been
12 confirmed at the field scale.

13 MEMBER HORNBERGER: Jim Clarke.

14 DR. CLARKE: Bill, very nice presentation.
15 Just one question, and this may not be something you
16 have readily available, but in your first page of
17 conclusions, page 23, the last bullet, "The fraction
18 of the flow path in the Alluvium ranges between 1 and
19 10 kilometers." And I just wondered for a sorbing
20 radionuclide, what's the impact on the travel time for
21 that distance range? Is that a pretty big difference?
22 Is that something that's being characterized a little
23 better? Are you going to go with that, or what's the
24 impact of that?

25 MR. ARNOLD: There's probably a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant impact to that uncertainty with regard to
2 Neptunium transport, and that's because of the
3 contrast in the sorption in the Alluvium versus the
4 volcanics, for Neptunium in particular. That
5 statement is a little bit incomplete. That range of
6 1 to 10 kilometers is not all due to our uncertainty
7 in flow paths, and uncertainty in the geology of the
8 system. That's partly a function of variability in
9 flow paths depending on the site of origination
10 beneath the repository, so this 1 to 10 kilometers is
11 a combination of uncertainty in the system and
12 variability along flow paths depending on the starting
13 point of the flow path.

14 MEMBER HORNBERGER: Jim Davis.

15 DR. DAVIS: Yes. This information in the
16 analysis of the hydrochemical facies, is that
17 available in one of your technical documents?

18 MR. ARNOLD: Yes, it is. There's an
19 analysis model report that's devoted entirely to this
20 subject. I can provide you with the current draft, or
21 current version of that report if you'd like.

22 DR. DAVIS: Yes, I'd like that. And one
23 other question - in looking at the Carbon-14, you have
24 the velocity estimates range from 5 to 40 meters per
25 year, and then in the particle tracking model you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow rates ranging from .7 to 2.4 meters per year. Is
2 that the agreement in flow velocities that you're
3 referring to in the conclusions?

4 MR. ARNOLD: No, these are two different
5 quantities that are being referred to here. The .7 to
6 2.4 meters per year is specific discharge, and the 5
7 to 40 meters per year is the core velocity. What we
8 are comparing though is the conclusion of several
9 hundred years to several thousand years for unretarded
10 species, that conclusion from the Carbon-14 analysis,
11 and that result from the transport simulations.

12 DR. DAVIS: Thank you.

13 MEMBER HORNBERGER: Dick.

14 DR. PARIZEK: Several questions. One, in
15 terms of the site-scale model, as you know, I guess
16 your regional flow model was used to constrain the
17 input to the site-scale model, and it was the old
18 three layer Valley Regional Flow Model of the survey
19 that was used. If you look at the updated model, the
20 flux boundaries aren't necessarily the same any more,
21 and the quantities you are entering in the site-scale
22 model differ, and also in some cases even direction of
23 flow differs. What difference might that make in the
24 site-scale model forecast that you've summarized
25 today, if you updated it with a multilayer model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's now available?

2 MR. ARNOLD: Well, that is being analyzed.
3 There are some preliminary results with regard to
4 that, and there is an update to the flow model AMR in
5 which the impacts of those -- the new Regional Scale
6 Flow Model are assessed. It may be premature for me
7 to state what those conclusions are at this point,
8 because that's still in draft.

9 DR. PARIZEK: Okay. So it's something
10 that's being worked on, in any event.

11 MR. ARNOLD: Yes.

12 DR. PARIZEK: Is there any permeability
13 contrast for the bedrock that would give you flow
14 directions that would be more southerly than what you
15 show on -- well, the page that gives us the red flow
16 lines, I guess it's page 3. And once again, unlike
17 what Jim Winterle showed us earlier, but is there any
18 way to get the flow to go south that's credible based
19 on permeability contrast within the tuff units?

20 MR. ARNOLD: Well, one thing I should
21 point out is we do consider anisotropy, horizontal
22 anisotropy and permeability in the volcanic units.
23 And the results that are shown here on page 3 are for
24 isotropic conditions. And the full assessment of
25 uncertainty as shown in those breakthrough curves

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually at the end of this report, these flow paths
2 do vary from realization to realization. And when the
3 horizontal anisotropy is high, as it is in some
4 realizations, as high as a factor of 20 in the north-
5 south direction versus the east-west direction, the
6 flow paths are simulated to be in a more north-south
7 direction.

8 And that horizontal anisotropy is kind of
9 a lumped parameter. It sort of implicitly considers
10 the kind of permeability contrast I think you might be
11 referring to here, higher permeability in north-south
12 oriented faults, or lower permeability across barriers
13 that are oriented in the north-south direction that
14 would lead to that anisotropy in a more north-south
15 direction.

16 DR. PARIZEK: That's the one that gives
17 you that 1 kilometer distance of travel in Alluvium,
18 the shortest of the range from 1 to 10 kilometers, if
19 you take that --

20 MR. ARNOLD: That's right. The travel,
21 that distance of only 1 kilometer corresponds to a
22 case in which you have a high anisotropy, and the flow
23 path is more north-south, and the source originates
24 from the southern end of the repository.

25 DR. PARIZEK: And would you expect the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effective porosity and matrix diffusion numbers that
2 you use to vary if you went through a long-term tracer
3 experiment? I guess most of what's happened to the
4 Alluvium has so far been short-term push-pull-type
5 testing. But again, if the long-term experiments are
6 run as originally planned, do you think that would
7 change the effective porosity and/or diffusion
8 properties?

9 MR. ARNOLD: Well, my impression is that
10 the uncertainty distribution we're using for effective
11 porosity in Alluvium now is really a bias towards a
12 high or a low value. I think it's probably a good
13 estimate. It's got a fair amount of uncertainty in
14 it. We would certainly reassess that uncertainty
15 distribution with the results from a large scale
16 cross-hole tracer test in the Alluvium, and I think it
17 would reduce our uncertainty in that parameter, and
18 give us greater confidence in what we're using in the
19 model.

20 DR. PARIZEK: All right. And is there any
21 input to the science testing, the confirmation testing
22 program dealing with saturated zone flow and
23 transport? Are there any studies included in there,
24 or is that maybe a premature comment on a report
25 that's due out later in the year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ARNOLD: I'm not personally very
2 familiar with what's in that report, the confirmation
3 plan anyway. There is some work in the science and
4 technology area.

5 DR. PARIZEK: You have some proposals for
6 the science and technology program. Could you kind of
7 give us some details of what those might include, or
8 hints at what's involved in the science and technology
9 area?

10 MR. ARNOLD: I'll let Drew Coleman make
11 some comments on that.

12 MR. COLEMAN: Yes. This is Drew Coleman,
13 DOE's Saturated Zone Lead. Yes, we have in the
14 confirmation plan to finish the Alluvial Tracer
15 Complex testing, be kind of contingent on the ability
16 to get permit from the state to finish that testing,
17 but that's in the performance confirmation plan. And
18 then they have in the science and technology program,
19 they have a long-term pump test that we're working on
20 the details of right now, sort of planning it with a
21 view towards maybe doing the testing in '05. And then
22 there's also a natural gradient test where you would
23 put tracers in and let them travel under the natural
24 gradient, and try to collect them in some reasonable
25 amount of time at a downstream point. Those are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the saturated zone plans in the next one or two
2 year time frame.

3 DR. PARIZEK: Drew, that '05 long-term
4 test would be for Alluvium, an Alluvial Complex Test,
5 or is that another bedrock test?

6 MR. COLEMAN: I believe that would be up
7 in the volcanics this time. There's also the Nye
8 County Tracer tests that we're going to have going in
9 the Alluvium. It's a little north of the original
10 tracer test and that ought to even be going a little
11 sooner than '05, maybe late '04 here.

12 MEMBER HORNBERGER: Don, do you have
13 questions?

14 DR. SHETTEL: Yes, I have one comment.
15 The biggest problem I see in the saturated zone is the
16 question of colloids. And I don't know how this is
17 going to get resolved, but one thing from the past is
18 the migration of Plutonium from the Benham underground
19 test. Is any of that work being incorporated into
20 saturated zone?

21 MR. ARNOLD: In a conceptual level it is,
22 because we do have this fast fraction of colloids
23 which move through the system that radionuclides
24 irreversibly attach to them. And that fraction is not
25 subject to filtration or retardation of any kind. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is consistent with the observation of Bob.

2 DR. SHETTEL: What proportion is the fast
3 fraction of --

4 MR. ARNOLD: For our analysis in the
5 saturated zone, it's a small fraction. It's less than
6 1 percent, but I don't have the number right here.

7 DR. SHETTEL: Okay. Thank you.

8 MEMBER HORNBERGER: Thanks very much,
9 Bill. Abe Van Luik had an item that he wanted to
10 present. Abe.

11 MR. VAN LUIK: Yes. What I did was I
12 faxed a couple of sheets of paper. I noted listening
13 to Dr. Davis this morning that he's a familiar figure
14 at the Nuclear Energy Agency. He has contributed to
15 several meetings on these types of topics, and I just
16 wanted the group -- I know that most of you are aware
17 of this, some of you may not be, to be aware that
18 there are actually documents that have been created
19 through the Nuclear Energy Agency looking at these
20 topics that we're discussing today. And I noticed in
21 the two examples that I give the front page and the
22 table of contents for in my fax, that actually DOE,
23 Sandia mostly, and in one case MTS, NRC through the
24 Center, and USGS through Davis has participated in
25 producing both of these products. And I think it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting to look at the first page of my fax, which
2 was taken directly from that website that you can
3 access, anyone can access. And it shows that this
4 first document on using thermodynamic sorption models
5 for guiding KD investigations was published in 2001.
6 They completed Phase 1 of the NEA sorption project,
7 and Phase 2 is going into a lot of the stuff that was
8 mentioned in the Q&A on the Davis talk; which is, what
9 about Neptunium, what about some of these other
10 questions?

11 I think Phase 2 is going on without U.S.
12 participation, which is unfortunate but that's just
13 kind of the way it happened, but it will be completed
14 pretty soon, and a document will be available to us.
15 So I just wanted people to be aware that there are
16 resources internationally, especially when it comes to
17 saturated zone transport. Every repository program in
18 the world is looking at saturated zone transport.

19 And in the other document, "Radionuclide
20 Retention in Geologic Media", it has a section on
21 matrix diffusion. To the question does it exist, it
22 says yes. And then it's kind of like Bob Andrews,
23 there's a but after that. And it speaks of colloids.
24 There's been a lot of work done by Dick Eldra,
25 especially, in the European Union on colloids, and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're aware of these things. We try to participate in
2 those, so does the NRC, so does the USGS. And I
3 thought that those of you not familiar with these
4 documents ought to become aware of them. Thank you.

5 MEMBER HORNBERGER: Thank you very much.
6 Abe. So we're finally at the point on our program
7 that says it's 4:15, and we now have time scheduled
8 for public comments. And I think what we'll do is
9 we'll start here in Rockville to see if there are any
10 public comments, and then go to Las Vegas. Okay. Do
11 we have comments from people in Las Vegas?

12 MR. ELZEFTAWY: I have a couple of comments
13 I'd like to make. I'll introduce myself first. Can
14 you hear me?

15 MEMBER HORNBERGER: Yes. Please introduce
16 yourself first.

17 MR. ELZEFTAWY: I will. My name is Atef
18 Elzeftawy, and I'm here for the second review on
19 behalf of the Las Vegas Payute Tribe. And I have a
20 couple of things to say to that extent, and then I
21 have my own personal comment in general. I'd like to
22 pass it to the committee and to keep it for the
23 record.

24 I presented these two questions to the
25 chair of our Las Vegas Payute Tribe here in Las Vegas,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and my answer to that, based on what I know so far
2 about the Yucca Mountain program in general, is that
3 after all those years, we have not really nailed down
4 the so-called expected behavior of radionuclides in
5 the tuff and the valley. In other words, we have not
6 really got enough data for us to say is this the
7 distribution of this behavior, is log-normal or normal
8 distribution, or a gamma function, or whatever that
9 is. We know that we have some data. We know the DOE
10 has provided some information, but what does it mean
11 to the normal person might not be really there.

12 The second question I think that was very
13 good with regard to the conceptual models and the
14 mathematical, implementation of the site data, and
15 the confidence of the site data with regard to the
16 recordation of the radionuclides.

17 We all have our own - that's exactly what
18 I said - we all have our own conception models, now
19 ideas as scientists, and as people. We also have our
20 mathematical implementations. But I think it's going
21 to come down to the site data that would provide
22 enough confidence beyond 50 percent range to say that
23 the geosphere can retard, not may - remember, there's
24 a big difference between can and may - can retard the
25 transport of the radioactive materials in the system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So far, my personal comment now as a
2 public citizen is that in 1983 when I looked at the
3 data of the saturated zone hydrogeology back with the
4 NRC, we made the comment that it looks like surface
5 groundwater moving toward the south, maybe a little
6 bit southwest. After all these models, and after 21
7 years of work, the Department of Energy have not
8 really made any different interpretation, or maybe to
9 bind the groundwater system of the Amargosa Desert
10 area.

11 I have a problem with all the beautiful
12 models we have and all the money we spent. I haven't
13 seen somebody to sort of push the envelope a little
14 bit with regard to the models. The fellow who talks
15 about the recharge, how about trying 5, and 10, and
16 15, 20 millimeters per year recharge and find out how
17 the system is going to react using what you have done.

18 I have one comment to Ruth. I'm not
19 really sure what's her last name, but if you go back
20 to the University of California at Berkeley, there was
21 a paper under Hilgardia published in, I think, 1973-74
22 related to the so-called soil water or porous media
23 parameters that we really deal with with regard to the
24 unsaturated zone. The soil moisture, retention
25 curves, the hydraulic conductivities, the retardation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factors and all that. I think you need to get it and
2 read it, and find out what Don Nielson has published
3 in 1973-74.

4 I published a paper when I was working for
5 my second Ph.D. degree in 1973 in the University of
6 Florida, way back then, and it was dealing about the
7 absorption of the Tritium in just the porous media.
8 You'll find that. I think I have a copy at home, but
9 go and find it and find out what was said about the
10 absorption and desorption of the Tritium. And I'm not
11 talking about radionuclide with big veins.

12 The gentleman by name, Jim Davis, who has
13 a presentation that I didn't see, I think I told Al
14 Freas and John Cherry in 1979 that that figure that
15 you quoted from him is really misleading. Actually,
16 it's scientifically wrong. I'm not sure if Al Freas
17 and John Cherry has corrected that or not, but it's
18 misleading to have this figure. It talks about
19 "Sorbing Solutes and Non-Reactive Tracer". I think
20 you need to switch that back and forth because if we
21 talk about the sorbing solutes breakthrough curve,
22 that tells me that this is only the aero function
23 distribution, and that is not the aero function
24 distribution.

25 There is a non-reactive tracer flat in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curve, and that is not true. Usually, the non-
2 reactive tracer acts as a "piston flow" in the porous
3 media analysis, so I think you need to correct that
4 draft. You quoted it wrong.

5 And one of the things I wanted to mention,
6 way back then when we were working under the 10 CFR
7 60, we were talking about the 1,000 year groundwater
8 travel time. During the public meeting of the Nuclear
9 Transportation Research Board, if they changed the
10 name, whatever the case may be - the Department of
11 Energy made the comment - Russell himself made the
12 comments about the transport of the radionuclide in
13 system, in porous system unsaturated or saturated.
14 And he said they have nothing to do with the existing
15 regulation, 10 CFR 63. So my question to you as a
16 public citizen, why are we sitting here in a sense
17 wasting all that time trying to find out the nitty-
18 gritty of the absorption, desorbition, reversible
19 groundwater travel time and all that, and the
20 Department of Energy and the NRC already made the
21 decision that they are not going to consider that,
22 except in the performance analysis. So how can you
23 relate all the things you do today with regard to the
24 licensing? That's really what the bottom line is.
25 And that probably concludes my comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Thank you very much.
2 Do we have any other comments? All right. Well,
3 we've actually made it to our 5:15 ending point. I
4 turn it back to you, Mr. Chairman.

5 ACTING CHAIRMAN RYAN: If there are no
6 further comments or observations, we will adjourn for
7 the day.

8 DR. CLARKE: And you're going to reconvene
9 at 9 tomorrow morning.

10 ACTING CHAIRMAN RYAN: Yes, I'm sorry. We
11 will reconvene and start at 9 a.m. tomorrow morning.

12 (Whereupon, the proceedings in the above-
13 entitled matter went off the record at 5:16:59 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701