

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
154th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, October 19, 2004

Work Order No.: NRC-069

Pages 1-260

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON NUCLEAR WASTE
(ACNW)
154TH MEETING
+ + + + +
TUESDAY,
OCTOBER 19, 2004
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Advisory Committee met at 8:30 a.m. in the Auditorium of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Dr. Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman
JAMES CLARKE, Consultant
ALLEN G. CROFF, Member
DANA POWERS, ACRS Member
RUTH F. WEINER, Member

ACNW STAFF PRESENT:

JOHN T. LARKINS, Executive Director

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACNW STAFF PRESENT (Continued):

NEIL M. COLEMAN
JOHN FLACK
LATIF HAMDAN
RICHARD K. MAJOR

ALSO PRESENT:

EDGAR D. BAILEY CRCPD
MICHAEL A. BOYD EPA
DON COOL NRC
KEITH ECKERMAN ORNL
E. VINCENT HOLAHAN, Ph.D.
 NRC
RICHARD J. VETTER, Ph.D., CHP
Mayo Clinic

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Introductions, Chairman Michael Ryan 4

Overview of the June 2004 ICRP Recommendations,
 Dr. Don Cool 8

Updated of the ICRP Recommendations Regarding
 Quantities Used in Radiation Protection.
 Dr. Keith Eckerman 37

Public Committee
 Ralph Andersen 71
 Lynne Fairobent 88

Optimization of Protection
 Don Cool 204
 Dana Powers 224

Public Comments 235

Discussion of Items for a Possible
 Letter Report 241

Closing Comments 259

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:36 a.m.)

CHAIRMAN RYAN: It's five minutes past our starting time, and unfortunately two of our panel members must be en route, Mike Boyd from the EPA and Ed Bailey from the Conference of Radiation Control Program Directors. I think we're trying to hunt them down now. So without further ado, I'll go ahead and get started and read our opening statement.

The meeting will come to order. This is the first day of the 154th meeting of the Advisory Committee on Nuclear Waste.

My name is Michael Ryan, Chairman of the ACNW. The other members of the committee present are Ruth Weiner and Allen Croff.

Today the committee will conduct a working group meeting focused on the June 2004 recommendations of the International Council on Radiation Protection. Neil Coleman is the Designated Federal Official for today's initial session.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

We have received no requests for time to make oral statements from members of the public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding today's session. Should anyone wish to
2 address the committee, please make your wishes known
3 to one of the committee staff.

4 It is requested that speakers use one of
5 the microphones, identify themselves and speak with
6 sufficient clarity and volume so that they can be
7 readily heard.

8 Before starting the first session, I would
9 like to cover some brief items of current interest.
10 Dr. Richard Denning, Battelle-Columbus, has been
11 appointed the newest member of the Advisory Committee
12 Reactor Safeguards. Dr. Denning is an internationally
13 recognized expert in the field of risk analysis and
14 severe accident behavior of nuclear reactors. He has
15 been associated with advisory committees on reactor
16 and nonreactor nuclear facility safety, including the
17 Department of Energy's Advisory Committee on Nuclear
18 Facility Safety.

19 A 100 page report on the status of NRC's
20 decommissioning program is available on the Agency's
21 electronic document system, ADAMS. The access number
22 is ML0422500080. We'll make that number available to
23 anybody that needs it. I'll read it again now:
24 ML0422500080.

25 Geophysical Research Letters has accepted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for publication a paper authored by Mr. Neil Coleman
2 and Drs. Bill Hinze and Bruce Marsh, who are all
3 affiliated with the ACMW. The title of the paper is
4 "Testing Claims About Volcanic Disruption at Potential
5 Geologic Repository at Yucca Mountain."

6 MR. COLEMAN: Excuse me. That's Bruce
7 Marsh and Lee Abramson.

8 CHAIRMAN RYAN: Lee Abramson. I guess I
9 read that wrong or it was typed in there. I'm sorry.
10 Lee Abramson. Thank you.

11 The lead author, Neil Coleman. I
12 appreciate the correction.

13 Our opening day today is to again hear
14 commentary and thoughts on the Council on Radiation
15 Protection and Measurement, ICRP, June 2004
16 recommendations. A few weeks ago, back in September
17 both Roger Clark, the current Chairman of ICRP, and
18 Lars-Eric Holm, the Vice Chair and, I guess, Chair-
19 designate or soon to be chair at Roger's retirement,
20 came and gave detailed briefings to staff in a morning
21 session and was open to members of the public session
22 in the afternoon presenting the exact same material.

23 So the ACMW is going to take up that
24 material and hear from the expert panel that is seated
25 across from us, including Don Cool from the NRC staff,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ed Bailey hopefully soon to arrive from the Conference
2 of Radiation Control Program Directors, Michael Boyd
3 from the Environmental Protection Agency, Keith
4 Eckerman from the Oak Ridge National Laboratory fresh
5 off the plane from China and soon to be heading on a
6 plane to Russia so that he'll circle the globe here
7 within a couple of weeks, Rich Vetter from the Mayo
8 Clinic and also a member of the ACMUI Advisory Panel,
9 Vice Holahan from the NRC staff.

10 Welcome, gentlemen, and we appreciate your
11 participation this morning.

12 The purpose of the working group meetings
13 are to develop information necessary to provide a
14 letter to the Commission and, two, to understand the
15 technical bases for the draft June 2004 ICRP
16 recommendation; three, to review these recommendations
17 against current NRC regulations and practice; and
18 four, to identify aspects of the ICRP recommendations
19 that may warrant further study.

20 I might also add as an introduction that
21 Dana Powers from the Advisory Committee on Reactor
22 Safeguards has joined us. Dana is the member of the
23 ACRS who follows the radiation protection and,
24 particularly, the ALARA issues for the ACRS.

25 Dana, welcome, and thank you for your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 participation today as well.

2 Without further ado, I'd like to turn the
3 meeting over to Don Cool, who is going to provide us
4 with an overview of the June 2004 ICRP
5 recommendations.

6 Dr. Cool, welcome. Good morning.

7 DR. COOL: Good morning. Thank you.

8 I feel a little bit like the old, lonely
9 end here. Hello, fellow panel members way down there.
10 Hopefully this will fill in as the morning progresses.

11 It might actually be appropriate to
12 consider time distance shielding, in this case
13 distance being the appropriate variable given the cold
14 that I caught in Beijing as well. So you will pardon
15 my voice if it gives out during the course of this
16 time. We'll try to repair this.

17 What I will attempt to do over the next
18 few minutes is to give you a brief overview of the
19 draft ICR recommendations that were posted on the
20 Website a few months ago.

21 Let's go ahead and go to the next slide.

22 ICRP, the International Commission on
23 Radiological Protection, has been an organization
24 which for more than 50 years has been providing advice
25 and guidance in radiation protection. Their last set

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of recommendations were published in 1990. So it has
2 been approximately 15 years, and they have been going
3 through a much more open public consultation process
4 in the development of this set of draft
5 recommendations.

6 The draft was published on their Web.
7 It's www.icrp.org. If you want to go and get it, it's
8 a PDF file. You can download it.

9 They will be accepting comments to their
10 Website through the end of this year, that is,
11 December 31st, 2004.

12 In addition to this, those of you who have
13 read it probably know that there are a number of
14 places in that draft where there are references to
15 documents not yet available at the time it was
16 published. Those have been nicknamed in ICRP some of
17 the foundation documents.

18 In their meeting in Beijing last week, the
19 ICRP was considering those foundation documents, and
20 I believe that at least four of them have been agreed
21 for publications as drafts on the Web for comment in
22 the coming weeks. I am expecting that it will
23 probably be two, three, or so weeks before they
24 actually get up on the Website. They will be
25 available, I understand for 90 days.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So there will be some measure of overlap
2 in the comment periods when some of those foundation
3 documents are available and when the recommendations
4 are still available. Although I didn't put them on a
5 slide, I wasn't exactly sure what they were at the
6 time of developing these. The foundation documents
7 that I believe have been agreed to be tentatively put
8 on the Web include from Committee 1 a document on low
9 dose extrapolation, also from Committee 1 which is the
10 biological committee a rather compendium document on
11 effective dose epidemiology by standard effects, and
12 a variety of other things that underlie the biological
13 and radiological considerations of the document.

14 A report from Committee 2 related to the
15 dosimetric quantities and weighting factors.
16 Committee 2 is the committee that looks at modeling.
17 Details on that, he's a member of that committee, and
18 a report from Committee 4, the practical applications
19 committee on some of the definitions of the
20 individual.

21 A fifth foundation document related to
22 optimization also from Committee 4 I understand will
23 be getting a bit more drafting and will not be
24 available as soon as the others.

25 We can go ahead to the next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The contents of the draft 2005 report, a
2 variety of things. I will touch briefly on each of
3 these as I go through the next few slides to give you
4 a quick overview. If you compare this list to the
5 agenda you'll see a high degree of similarity across
6 a number of these topics as we look at some of the
7 quantities, biological aspects, the general system of
8 protection, the quantitative recommendations --
9 everyone likes to get into the numbers --
10 optimization, some statements they've made with regard
11 from exclusion, which I think we're going to want to
12 look at, medical exposure, potential exposure and
13 protection of the environment.

14 Go ahead to the next slide.

15 My purpose in walking through these is not
16 to give you a lot of detail because we will be doing
17 that as we proceed, and if you were here a couple of
18 weeks ago and hear Roger Clark's presentation, you'll
19 know that he also provided quite a bit more detail on
20 a number of these topics.

21 But the draft recommendations do contain
22 proposals for new values for the weighting factor,
23 both radiation weighting factors and the tissue
24 weighting factors. The radiation weighting factors,
25 those factors that are applied to the different types

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of radiation, alpha, beta, gamma, protons, and
2 neutrons, to try and allow for the varying effects
3 that those radiations have in tissue, the biological
4 weighting factors which we'll be talking about
5 considerably more, the relationship of the various
6 potentials for induction of specific cancer in a
7 particular tissue to the overall rate of induction in
8 the body.

9 Of particular note, there are a couple of
10 things in the tissue weighting factors that have
11 raised some interest in that the weighting factor has
12 increased for breast, female breast, and it has been
13 decreased for the gonads, which has resulted also in
14 some reduction, actually a fairly considerable
15 reduction in the estimated contribution of hereditary
16 effects to the overall risk of radiation.

17 If we move on to the biological aspects,
18 the report covers a number of topics. The first thing
19 you may notice is that what you used to hear of as
20 deterministic effects are no longer called that.
21 They're now being referred to as tissue reactions.

22 I will tell you a number of little stories
23 as we proceed of things that were discussed at least
24 in the side bars during Beijing. There were a number
25 of us who asked them, well, isn't a tissue reaction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most any reaction of a tissue, including perhaps even
2 cancer induction and otherwise.

3 But that is a term which they have chose
4 to represent the acute effects. These are the things
5 like the burns and the various radiation syndromes
6 that are more specifically related to large doses of
7 radiation.

8 There's also quite a bit of discussion in
9 the report on cancer mechanisms, the epidemiology and
10 updates that support that, genetic susceptibility, the
11 hereditary effects, as I said, some new information on
12 which seems to indicate a decrease in the
13 contribution of heritable effects over the first two
14 generations and some discussions of various non-cancer
15 diseases, bystander effects, and otherwise.

16 I'm in hopes that when the foundation
17 document from Committee 1 is published that a lot of
18 the gaps which are not filled in at the level of
19 detail in the recommendations have already been
20 published will be available and hopefully will
21 stimulate further comment.

22 As everyone is already interested in the
23 numbers, some of the media questions come up. Well,
24 did anything change in terms of the actual nominal
25 risk coefficient for cancer induction, and the answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a little bit.

2 The 1990 column is what was published in
3 ICRP's Publication 60 and 90. The numbers of here in
4 2005 are from the draft. This year you can see a
5 slight reduction in the fatal cancer probability
6 coefficient, and similarly a slight reduction in the
7 detriment numbers.

8 Having said that, ICRP doesn't see that
9 that is a huge difference and that these numbers
10 continue to support the quantitative recommendations
11 and the fact that they have not changed in numerical
12 values for dose limits or the maximum constraints that
13 we'll talk about.

14 Moving on, the general system of
15 protection. This is the three principles as they are
16 now articulated today. You're probably used to
17 hearing about justification, optimization, and
18 limitation. You might immediately notice that these
19 are in slightly different order. Justification,
20 they're quantitative recommendations. You can read
21 limits there, but you also need the word
22 "constraints," and we'll talk about that in a moment.

23 And then optimization. That is a
24 deliberate move on the part of the ICRP to emphasize
25 to a much greater extent than they have previously,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first, the protection of the individual's doses from
2 any particular source, and the establishment of those
3 quantitative recommendations as the boundary for the
4 optimization process rather than sort of the vice
5 versa.

6 Previously a lot of people said first you
7 optimize protection and then you look to make sure
8 that no individual was exceeding the limits. We
9 structured that the way, in fact, most people do it.
10 You make sure that you've complied with the limitation
11 criteria, and then within that you try to achieve the
12 best available protection.

13 If we can move on, topic of justification.
14 Not changed dramatically. That benefit needs to be
15 looked at in the introduction of any particular source
16 or activity. What is new now in these draft
17 recommendations is actually stepping back and
18 recognizing that most decisions to decide to introduce
19 a particular source or do a particular activity and
20 environment are made not only on radiation protection
21 criteria or the doses that might be available, but on
22 lots of other issues which go into deciding whether or
23 not you're going to do something.

24 So the radiological considerations are
25 really only one part of that. ICRP continues to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clearly suggest that things should be introduced only
2 when they are justifiable, but they have acknowledged
3 that this does not have the same sort of ultimate role
4 or sort of make the presumption that a competent
5 authority, a nuclear regulatory commission or similar
6 sorts of agencies to ours actually have in their power
7 in many cases the ultimate decision to decide to do or
8 not do some particular activity.

9 There may be national security interests
10 and otherwise that result in deciding to do particular
11 things with radiation or radioactive material, and the
12 doses that may be achieved are only part of that.

13 The note on the bottom, ICRP also looks at
14 medical Committee 3 of ICRP that has been devoted
15 specifically to medical, and medical is treated a
16 little bit differently. We'll talk about that.
17 Obviously when you're deciding whether or not to
18 expose the patient there are a whole other set of
19 decisions and criteria going into setting what you're
20 going to do and how much of it you're going to do.

21 If we can move on, over the years ICRP has
22 had five or six or more, depending on how you wish to
23 categorize them, different bases for selecting
24 numerical criteria for their various recommendations.
25 The recommendations in 2005 have attempted to try and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unify that not by changing the underlying bases. This
2 is one of the things I would suggest to you is not
3 very clear in the drafting of the recommendations, but
4 rather as a way of being able to benchmark the various
5 bases and uses for the constraints according to a
6 level of concern which is based roughly on the kinds
7 of considerations around what naturally occurs in the
8 environment.

9 The actual background, about one
10 millisievert per year, 100 millirem per year. I will
11 attempt to be bilingual for you. In that process I
12 may mistranslate, and please forgive me if I do so.

13 That's the natural background, nominal
14 average without including radon. So this is the
15 cosmic radiation in normal terrestrial radiation of K-
16 40 in your body and such things.

17 Quantities of radiation are doses smaller
18 than that, generally do not receive as much worry.
19 Doses above that number you generally want to do more
20 until it comes to a point where everyone will always
21 do something, and there's a point on the bottom.
22 You'll notice that there isn't actually a point on
23 that. It just sort of stops, where people rare, if
24 ever, do anything to try and modify the actual doses
25 that would be received.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So those levels of concern roughly then
2 translate into a scale which you can also use to look
3 at the quantitative recommendations that the
4 Commission had laid out.

5 The Commission lays out both dose
6 constraints, which is a topic that has been
7 considerably strengthened and elaborated on, I
8 believe, within this draft, and limits.

9 Now, I think first and fore most it's
10 important to understand what ICRP thinks they mean
11 when they talk about each of those terms. They use
12 the word "limit" in the context of the quantity which
13 would be applied to the protection of a particular
14 individual, say, me from all of the possible sources
15 to which I might be exposed.

16 So if I was in a working situation and
17 there were a variety of places that I was working or
18 sources that I was receiving, the limit should apply
19 to the sum of all of those different source
20 contributions.

21 A constraint is a criterion that is
22 applied in the relationship of a particular source to
23 my exposure. So if this is my source, the constraint
24 is the boundary of what that particular source should
25 contribute to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They make that distinction, in part,
2 recognizing that it is very difficult in most
3 circumstances, certainly in most all circumstances for
4 members of the public to actually exercise any
5 feasible regulatory control over all of the possible
6 sources and know that you've always captured the sum
7 and provided protection.

8 But it's relatively straightforward to
9 know what the relationship is of any particular
10 source.

11 Mr. Ryan?

12 CHAIRMAN RYAN: Just a quick question,
13 Don, and medical is apart from that? That's treated
14 separately?

15 DR. COOL: Medical is treated separately
16 from that. That is correct. They will use the word
17 "constraints," and they will use a variety of other
18 terms, but they do have a different meaning in the
19 medical context.

20 CHAIRMAN RYAN: Okay. I think that's an
21 important point, that you know, we're talking about,
22 I guess, from our perspective regulated sources that
23 are regulated by either the NRC or agreement states,
24 not medical exposure and not radon.

25 DR. COOL: Correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. Having said that,
2 of course, recognize that the ICRP recommendations do
3 talk about radon, and Mike Boyd, who I see has snuck
4 into the back here --

5 (Laughter.)

6 CHAIRMAN RYAN: Got you, Mike.

7 -- can talk a little bit more about how
8 that does or doesn't match up.

9 I perhaps should have noted that ICRP has
10 three general categories of exposure which would be
11 occupational exposure, public exposure, and medical
12 exposure, and they treat medical as a very different
13 box.

14 DR. COOL: Okay. No, I just want to make
15 that clear that that, in fact, is a different box.
16 When you use the dose limit, you say protecting the
17 individual from all sources to which the individuals
18 is exposed. That's not exactly correct. It's all
19 sources except radon in medical.

20 CHAIRMAN RYAN: Yes.

21 DR. COOL: Okay.

22 CHAIRMAN RYAN: Being careful because
23 there is a box in which radon in the work place might
24 also be included if it was above certain action levels
25 and had to be incorporated or if you were working with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials that were naturally outgassing radon and
2 some of our source material folks might do.

3 DR. COOL: Sure. We're recognizing that
4 the radon exposure in that circumstance is a trivial
5 fraction of total radon exposure.

6 CHAIRMAN RYAN: True. If we can move on,
7 the recommendations for constraints. They have
8 grouped them into four categories in an attempt to
9 simplify the scheme of radiation protection. This is
10 another item that the committee may wish to think
11 about a little bit.

12 There are more than 30 different
13 constraint numbers in the various documents of ICRP
14 that have been published since Publication 60 in 1990.
15 One of the things that ICRP was attempting to do was
16 to see if there could be something more simple than
17 all of these individual different constraints.

18 Their methodology for attempting to do
19 that was to look at categories of situation and to
20 suggest a maximum or typical maximum constraint that
21 would apply to that category. One hundred
22 millisievert for emergency situations for workers
23 other than direct life saving or other particular
24 activities, things where public evacuation relocation,
25 some of the very high levels of existing exposures all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would fit into that category; these are situations
2 where there really aren't any either individual or
3 societal net benefits from the individual doses at
4 that level.

5 The second category, 20 millisieverts, two
6 rem. These are, by the way, per year in all cases.
7 The number typically seen for occupational exposure.
8 Keep in mind that with Publication 60, ICRP moved to
9 looking at the 20 millisievert per year as the basic
10 occupational number.

11 Their limits have a bit of flexibility,
12 that is, ten millisieverts over five years, a maximum
13 of five in a year, average of two in a year. They've
14 set the constraint level at two in a year, two rem per
15 year.

16 The one millisievert, 100 millirem public
17 exposure level, and they've suggested that as
18 organizations, operators, or others who may then set
19 more specific constraints within these maximums, that
20 there is no reason to ever set a constraint below .01
21 millisieverts, hence the term that they've used,
22 "minimum constraint."

23 That is one of the things which poses just
24 a little bit of a logical conundrum. How can there be
25 a minimum in a table of maximum values, but the logic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 behind this is that there would be no reason to ever
2 set a constraint number, assuming that always optimize
3 below a constraint, below the .01 millisievert.

4 By the way, that does number happens to be
5 the same number that they suggest for exclusion. It
6 poses another bit of interesting conundrum, whether
7 you would be optimizing in an area which when you get
8 a few pages over is the basis for them setting
9 exclusion and exemption levels.

10 Let's move on to optimization, and we're
11 going to be talking this about a little bit later.
12 Optimization is the third principle providing
13 complementary protection beyond the constraints in
14 order to improve protections for the individuals.
15 ICRP in this document has, as they have put it,
16 broadened the application a bit.

17 The picture is not entirely clear what all
18 "broadening" means. They have drawn some connection
19 to the safety culture organization as being indicative
20 of the similar sort of continually questioning and
21 improving environment that constitutes the qualitative
22 approaches to optimization.

23 They have recognized and, in fact,
24 encouraged the involvement of stakeholders in the
25 decision making process in terms of what the optimum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 solution would be.

2 And there is a bit of discussion around
3 the use of collective dose versus what they have
4 referred to as a dose matrix or the various attributes
5 of the does that are important to the decision. We'll
6 be talking a bit more about that this afternoon and
7 going into some of those details.

8 Go ahead to the next slide.

9 Exclusion from the recommendation.
10 Previous ICRP recommendations have had some discussion
11 around exclusion, particularly for radon and some of
12 the other natural materials. The ICRP in this draft
13 is suggesting that this can be expanded and have
14 suggested that the system of protection not be applied
15 to activity contractions below and they have two sets
16 of numbers: for artificial radionuclides, alphas and
17 beta gammas, and natural radionuclides in the
18 uranium/thorium series and a separate number for
19 Potassium 40.

20 If you're trying to figure out where those
21 numbers came from, I believe you will find they match
22 that which was developed in the rather laborious and
23 difficult process within the Atomic Energy Agency, the
24 AIEA, through their development of a document on
25 exemption exclusion and clearance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 During the development process that was
2 referred to by its number DS161. IAEA published it
3 just a couple of months ago as GSR 1.2. It's a safety
4 series guide of the International Atomic Energy
5 Agency, publicly available on their Website for
6 exemption and exclusion in clearance levels.

7 These numbers match those numbers as
8 values which could be exempted or excluded. They were
9 developed in the context of moderately large
10 quantities of material for clearance or international
11 transport.

12 There is also an alignment now with
13 decisions that have recently been made within the food
14 and agriculture organization and the world health
15 organization or drinking water and for food in the
16 Codex Alimentarius.

17 We can go ahead to the next slide.

18 Speaking of medical just briefly, there
19 are several different types of justification that they
20 would suggest apply, both a generic justification, as
21 is this particular procedure a reasonable procedure to
22 do. General terms, more specifically, is the
23 procedure right for this particular patient? That's
24 what doctors are always supposed to be doing.

25 Optimization, which in this case is very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much different. It doesn't mean trying to just
2 minimize the dose, but trying to make sure that you
3 get the right dose to do the job, whatever that may
4 be, taking the picture or destroying the particular
5 tissue.

6 Constraints in this case not really
7 applying to the patients themselves, other than
8 various benchmarks of good practice for various kinds
9 of activities, but constraints for comforters and
10 caregivers, this is one of the things that is a little
11 bit interesting.

12 If my daughter, for example, were in the
13 hospital and I wanted to be there and attend and help
14 to provide with her care and comfort, as many family
15 members often like to do, patients often like to do
16 that, it's good their well-being. ICRP would suggest
17 that that actually constitutes something that they
18 would consider as medical exposure, and they would
19 apply a constraint which would be roughly equivalent
20 to occupational exposure, not the one millisievert
21 member of the public.

22 Moving on to potential exposure, not a new
23 topic for ICRP. There are several documents that have
24 been published where if they are suggesting that a
25 risk constraint can be used analogous to the dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constraints, the probability of incurring the dose and
2 the lifetime condition or probability of death from
3 the dose giving you risk numbers in a variety of
4 settings. This gives you a mathematical number not
5 unlike what you get in PRAs and various things.

6 And of course, going along with that, all
7 of the dangers associated with very small
8 probabilities and very larger consequences and various
9 and sundry other things which they acknowledge.

10 This has been expanded just a bit with the
11 suggestion in these draft recommendations that this
12 methodology may also be an appropriate way to try and
13 look at some unique circumstances, such as particles,
14 such as trying to deal with surveys of contaminated
15 land, where you may have particular hot spots, and
16 trying to go through some sort of mathematical I'll
17 say "algorithm" rather than "rigmarole" to determine
18 what the chances of an individual in the amount of
19 time an individual might be on that spot versus other
20 areas, to give some measure of quantification around
21 dealing with some of those highly nonuniform
22 exposures.

23 Go ahead to the last slide.

24 Protection of the environment is a new
25 area into which ICRP has been pushing rather

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aggressively over the last few years. There was a
2 report published jut about a year ago this time which
3 laid out some of the initial recommendations the
4 Commission made to itself to move forward.

5 Their aim is to try and develop a policy
6 and framework on environmental radiological protection
7 that would provide a common approach to dealing with
8 doses to humans and doses within the environment.

9 There is currently a task group of the
10 main Commission that is actually trying to develop
11 some reference forma and flora. Yes, that means a
12 reference tree and a reference bunny and a reference
13 frog and a reference few other sorts of critters, as
14 one way of going about and looking and being able to
15 benchmark and quantify the kinds of effects that might
16 or might not be seen within the environment.

17 ICRP has been clear that they do not see
18 that this is actually a problem which requires there
19 to be significant changes to effluents or protection
20 that's currently being afforded for most
21 circumstances, but heretofore there has been no
22 systematic way to try and actually assess and compare
23 the various impacts or to provide a demonstration that
24 more and more often, particularly in the European
25 Union, the OSPAR Convention, otherwise which requires

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a demonstration with regards to what the effects, and
2 so this is to try and move towards a process that
3 would allow there to be some demonstrations of
4 information and some consistency.

5 In the new term of ICRP, the next four
6 years starting in the summer of 2005, there will be a
7 fifth committee on environmental protection. Jan,
8 again, Pentreath from the U.K. will be the chair of
9 that committee and will be pursuing this particular
10 work.

11 Dr. Ryan, with that, that concludes my
12 quick, galloping synopsis through the recommendations,
13 and hopefully sets the stage for our discussions
14 today.

15 CHAIRMAN RYAN: Well done. Thank you,
16 Don.

17 A quick question. You mentioned in
18 passing collective dose. Are we going to get into
19 that a little later on or should I ask that question
20 now?

21 DR. COOL: Well, I've got it as a couple
22 of slides when I talk about optimization this
23 afternoon.

24 CHAIRMAN RYAN: We'll wait until then.
25 Okay. that will be great.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Any other opening questions for Dr. Cool?

2 DR. POWERS: Yeah, I have a couple of
3 questions. You brought up the issue of safety.
4 Safety codes to enforce is a popular concept now.
5 There's a lot of discussion. I guess what I struggle
6 with, it seems like the document has kind of an
7 offhand [inaudible due to NRC audio system failure] on
8 safety culture. It sounded like a good idea. Here;
9 go read this reference, and I have not read that
10 reference.

11 What I want to know is if they have in
12 mind some way to measure safety culture. They see it
13 as something a regulatory authority would address or
14 is it just good advice for an operator. And is there
15 a view that the plain text of their words on safety
16 culture in any sort of an alignment with the concept
17 of safety culture [inaudible due to NRC audio system
18 failure].

19 DR. COOL: Okay. Let me see if I can take
20 those in order. Anything related to measurement? Not
21 that I have seen.

22 Related to the overall development and
23 safety conscious work environment? Yes, I think that
24 they're sort of seeing it in that context. There are
25 not a lot of words to this. This is an area where --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and you made an observation a minute ago -- they have
2 picked it up. They have not said very much about it.
3 It is not entirely clear exactly how they see all of
4 the relationships.

5 The foundation document related to
6 optimization is the one foundation document which I
7 understand the main Commission did not approve for
8 publication on the Web in the next few weeks because
9 it was not yet ready because of some of these issues
10 and needing a bit of further development.

11 Their suggestion, having seen some of the
12 drafts is that this is something which regulators
13 would probably want to be looking at as making
14 requirements. Don't ask me exactly what they would
15 necessarily mean by that, and for the operators to
16 pick up and use.

17 I think at this moment they have taken it
18 just sort in the generalized view that optimization,
19 thought of in its broadest terms, is always looking to
20 see if you can improve protection, which is the exact
21 same mindset as a safety conscious work environment
22 and always questioning and trying to improve your
23 particular situation and involving the individuals.

24 Beyond that, I don't know that there is a
25 great deal of rigor at this point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Safety culture, of course, is
2 a big problem, and it has been my personal observation
3 that we presume everyone has a good safety culture,
4 and then we promptly send in lots of investigators who
5 find out [inaudible due to NRC audio system failure],
6 and so the safety culture gets defined by events.

7 The other concept that emerges in
8 connection with safety culture [inaudible due to NRC
9 audio system failure], and probably as the day goes on
10 I'll have a lot to say about that, but that puts it in
11 another real problem.

12 CHAIRMAN RYAN: Ruth?

13 DR. WEINER: Don, just tell me if my
14 question can be answered later on and I won't dwell on
15 it now, but as you can imagine, I have a great many
16 questions about your last slide. The whole notion of
17 potential environmental damage to species other than
18 people, is there any evidence -- I know that some of
19 the sites like Hanford that I'm very familiar with
20 have been wildlife preserves for quite a long time,
21 and of course, there has been considerable exposure
22 from the French drain system, and so on.

23 Is there any evidence for chronic damage,
24 radiation damage, to non-human species?

25 DR. COOL: Not that I am aware of, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think that ICRP in acknowledging that there is not a
2 driving need is looking to try and take some of that
3 information and, through their references and
4 benchmarks, be able to indicate the kinds of doses and
5 situations which, in fact, do not appear to have led
6 to that, but there's no systematic way of doing that
7 at the moment.

8 That is what I think they would tell you,
9 putting words in Lars-Eric Holm and Jan Pentreath's
10 mouths.

11 DR. WEINER: So they're trying to
12 define -- let me see if I have this right -- they're
13 trying to define a reference system to show that, in
14 fact, the doses that might produce something are so
15 large that doses that we have in the environment,
16 nothing happens. Is that where they're going?

17 I don't understand the impetus for this
18 whole move.

19 DR. COOL: Yeah. Well, it actually is a
20 little bit easier perhaps to answer the second
21 question. Internationally, in particular, there are
22 a variety of treaties, particularly in the European
23 Union, OSPAR and others, which have required
24 increasing degrees of rigor of quantifying
25 environmental effects, drives to reduce all effluents

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to zero, period, end of discussion.

2 This is an effort not necessarily to say
3 that X amount of dose has no effect, but to be able to
4 have a system whereby you can show what your effluents
5 might be, what the doses might be, and then be able to
6 compare them to what is known or not known about
7 effects, to be able to say, "See, I am in a range
8 where there are not effects to provide a
9 demonstration."

10 DR. WEINER: Thanks. That's a very good
11 answer.

12 My other question is completely separate,
13 and it deals with the potential exposure method for
14 hot particles. How would that notion apply to
15 something like the Iowa radon study where you're
16 basically estimating how long people spent in certain
17 environments that might or might not expose them?

18 We have a lot of studies that are similar,
19 but that one comes to mind as being one that the EPA,
20 I know, depends on.

21 How does this notion of potential exposure
22 apply to that study?

23 DR. COOL: That's a very good question,
24 and it is not elaborated on in the recommendations
25 report, nor any of the other draft documents that I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have seen. So I could speculate, but I don't think
2 that would be appropriate.

3 CHAIRMAN RYAN: Jim Clarke.

4 DR. CLARKE: Just to follow up on what
5 Ruth was asking, is it accurate to say then that under
6 protection of the environment the aim is really to
7 develop an initial framework for evaluating potential
8 radiation effects to non-human species?

9 DR. COOL: Yes.

10 CHAIRMAN RYAN: Thanks. I guess we'll
11 press on and I'm sure we'll be back to Don with other
12 questions as we go along.

13 You'll notice on the agenda that we have
14 a section for biological aspects of radiation
15 protection. Unfortunately, with all of the experts
16 being first in China and then in Europe over the
17 course of these two weeks, we were just unable to
18 match our schedule here with travel schedules of the
19 folks we had hoped to invite to participate.

20 I think Dr. Cool has certainly covered the
21 overarching questions, those being that the major
22 issues are that the weighting factor, the tissue
23 weighting factor for breast has changed and that the
24 overall risk factors per sievert, per rem or per
25 millirem of exposure have been modified slightly, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not to the extent where the ICRP needed to change any
2 fundamental recommendation.

3 So leaving those conclusion points on the
4 table, as Dr. Cool so aptly pointed out, I think
5 we'll try and capture what other biological comments
6 we might as the talks progress. We certainly have Dr.
7 Eckerman here, who is well known to us all and to the
8 greater audience, and internal dose calculations, he
9 can speak to some of these issues in more detail than
10 I can.

11 So with that said, I'd like to just go
12 ahead and move to our next presentation, which is
13 updated of the ICRP recommendations regarding
14 quantities used in radiation protection.

15 Dr. Eckerman. Welcome and thanks for
16 fitting this into your world travels.

17 [inaudible due to NRC audio system
18 failure.]

19 CHAIRMAN RYAN: Why don't we just take a
20 five-minute, very quick break, and we'll work out the
21 technology question and we'll come back in five
22 minutes.

23 Thank you.

24 (Whereupon, the foregoing matter went off
25 the record at 9:22 a.m. and went back on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record at 9:29 a.m.)

2 CHAIRMAN RYAN: All right. Thank you very
3 much. Thank you, Theron, for getting us back on
4 track.

5 Dr. Eckerman.

6 DR. ECKERMAN: Thank you.

7 I guess another reason to update the
8 operating systems from Microsoft, but anyway, we are
9 on line.

10 So following Don's excellent presentation,
11 I'm going to say a few words about dosimetric
12 quantities, and the earlier presentation certainly
13 made my job a lot easier here.

14 This slide shows you the two foundation
15 documents that are to go up on the Web that are really
16 important with respect to the quantity you're dealing
17 with. I've got a little different title, I think,
18 than what Don was referring to, but the one that
19 biological and epidemiological information on health
20 risk attributable to ionizing radiation, that's of
21 course the one that we all really get into maybe one's
22 consideration of what the nominal risks are they're
23 carrying forward in their recommendations and define
24 their definition of detriment, and then, of course,
25 end up with respect to the tissue weighting factors,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and you'll see where all of this fits together in
2 later and later slides here.

3 And then, of course, the Committee 2
4 foundation document is the basis for the dosimetric
5 quantity in radiological protection. So those are the
6 two principal foundation documents that are important
7 in this presentation.

8 And as Don mentioned, they will be up on
9 the Website, and actually the Committee 2 did more
10 with that one than the Committee 1 document, but the
11 draft is in pretty good shape, Committee 2's draft.
12 We've got a little editing to do, and it ought to be
13 up in a couple of weeks, if we get past the security
14 clearance area.

15 Next slide., please.

16 CHAIRMAN RYAN: Just a quick question,
17 Keith or Don, because both of you are involved. I'm
18 becoming more and more nervous that the time that
19 folks will have to comment on these foundation
20 documents is a narrow overlap with the comment period
21 for the main recommendations.

22 Has there been any thought or discussion
23 of extending the comment period for the principal
24 recommendations based on the -- I think Professor
25 Clark indicated that they would go up in October, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now it sounds like November for part of them and later
2 for others.

3 Any feedback on that point?

4 DR. COOL: There was no discussion during
5 the meeting last week in Beijing. However, there may
6 have been some discussion amongst the main Commission.
7 Keith and I as members of the committee were finished
8 Thursday evening. The main Commission continued
9 through the weekend.

10 I have not heard anything that says that
11 they're going to extend the comment period. They may
12 not have been asked that question or pushed in the
13 comment very much. That may be another one of the
14 things that the committee, I think the staff may also
15 be looking at that, and others asking for some
16 additional time due to the foundational nature --
17 pardon the pun -- of a number of these.

18 You're right. There is a very minimal
19 overlap as we're turning out on these.

20 CHAIRMAN RYAN: Well, I think as Dana
21 Powers has pointed out, as he's developed a number of
22 questions on ALARA and, you know, optimization and
23 those kinds of concepts and without those foundation
24 documents, we're kind of aligned in terms of really
25 understanding what is in the foundation documents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I guess at this point that's something
2 that I want to say the committee and Commission, and
3 try and get the right ones, the ACNW ought to think
4 carefully about discussing in its letter, but the
5 timing just seems to be under tremendous pressure for
6 getting these things through a process without really,
7 you know, giving people the benefit of the
8 foundational documents.

9 DR. COOL: Yes, that's true. Just one
10 observation. Where we have identified a number of
11 concerns, such as the ones that Dr. Powers has laid
12 out, and given what I believe to be the status of some
13 of the considerations in that area, getting those
14 comments to them at this point, recognizing we don't
15 have the foundation document, may actually have an
16 opportunity to influence the foundation document in
17 this particular case.

18 CHAIRMAN RYAN: Right, and that's the one,
19 if I recall, you said is kind of last in line in terms
20 of being finished.

21 DR. COOL: My understanding is that that
22 was last in line because it was not as well developed
23 and ready to go at the meeting in Beijing. So that's
24 my reason for suggesting that, in fact, if we develop
25 a specific set of things with specific suggestions of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that need to be included or places where there
2 is a clear confusion or difference from what we can
3 see, laying that out for them may provide them an
4 opportunity to help hone their skills as well.

5 CHAIRMAN RYAN: Okay. Thank you.

6 And, Keith, sorry for the interruption,
7 but I thought that was a good point to raise that
8 question.

9 DR. ECKERMAN: Okay. This slide I just
10 put in to remind you that principally ICRP's system is
11 intended for developing of prospective guidance, that
12 is, defining what is good practice that serves as the
13 basis for a regulatory system and focuses principally
14 on the stochastic effects.

15 And as Don mentioned, in the bottom of the
16 slide there are deterministic effects, which we used
17 to call non-stochastic effects, and then we decided to
18 call it deterministic effects, and now there is a new
19 name for that: tissue reaction.

20 So I just threw this slide in.

21 And the next one, the next slide, please.

22 Going back now to the dosimetric
23 quantities, of course, there are the ICRU operational
24 quantities, which are principally used with respect to
25 external radiation fields. They're defined as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measurable quantities that represent or that
2 adequately characterize the ICRP's protection
3 quantities.

4 So things like personnel dose equivalent
5 Hp(10) and the ambient dose equivalent, so there are
6 those operational quantities to deal with, and then
7 the protection quantities themselves, and of course
8 the effective dose that is the principal irradiation
9 protection quantity of ICRP and equivalent dose, of
10 course, in specific tissues.

11 The next slide will go deeper into this.
12 I think between the ICRP 26 system, of course, as Don
13 already mentioned, dealt with these three principles
14 for radiation protection and a set of limits
15 particularly on stochastic effects on the effective
16 dose.

17 Next slide.

18 Those were changed a bit in ICRP 60, the
19 1990. However, the principles still remain the same,
20 those three tenets of radiation protection.

21 Next slide.

22 So getting back now, I mean, what can I
23 say new about the dosimetric quantities? Well,
24 absorbed dose, of course, is the basic quantity, and
25 ICRU would define that as a point, and it is just the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physical quantity that represents the imported energy
2 per unit mass, and a Gray, of course, is one joule per
3 kilogram.

4 The next.

5 Equivalent dose was the terminology
6 adopted in 1990 instead of dose equivalent. They put
7 the adjective out front, and that's the protection
8 quantity, the product of the absorbed dose due to the
9 radiation R in a particular tissue times the radiation
10 rating factor. So this is, of course, the working
11 equation with respect to an equivalent dose.

12 And the next slide says the ICRP has
13 decided to rename that quantity. Instead of
14 equivalent dose, they now refer to that as the
15 radiation weighted dose. This is largely due to ICRU
16 having dose equivalent and equivalent dose and then
17 there's a bit of confusion as to which one you're
18 talking about.

19 And so the ICRP had decided to give up its
20 use of equivalent dose and term it radiation weighted
21 dose, and needless to say, there was discussion about
22 changing the name of a quantity when it it's still the
23 same thing as it was before. Whether this is any
24 degree of simplification or evolution in the
25 protection system, but anyway that's the current

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decision to rename that as the radiation weighted
2 dose.

3 Next slide.

4 Then the prime protection quantity is the
5 effective dose, and this allows one -- of course it
6 was introduced without a name in ICRP 26 to provide a
7 means of adding, if you will, external and internal
8 doses, the external radiation field and the doses, the
9 tissues resulting from the intakes of radionuclides,
10 and it's just the sum over specified tissues of the
11 product of the equivalent dose, and a radiation
12 weighting factor for that tissue.

13 And so that's the working equation, and it
14 represents the same health detriment as if that dose
15 was given uniformly to the body. So this is a way of
16 taking care of the heterogeneous nature of the doses
17 associated with the intakes of radionuclide.

18 So this is the prime protection quantity
19 in the ICRP system, and of course, this relates back
20 to the stochastic effects.

21 The next slide.

22 Well, this just mentions the idea of the
23 committed dose, which is largely a bookkeeping
24 quantity and simply assigns the dose that's expected
25 from the intake of a radionuclide over the time period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it may reside in the body, and the commitment
2 period for the worker is taken to be 50 years, and
3 when you're dealing with members of the public, the
4 committee in an age dependent sense is taken to page
5 70 for children.

6 Many of these intergals (phonetic) emerge
7 before that time period. So there isn't as big a
8 conservatism in here as you might think when you first
9 think about accumulating the doses over those
10 protective time periods.

11 The next slide.

12 So we're going to get now and look at
13 what's kind of starting to look at the changes that
14 are coming along, and this is the current values for
15 the radiation weighting factors that we've been using,
16 and for protons this value has been five, and there
17 was a functional step function representation of the
18 $W_{sub R}$ for neutrons that was applied.

19 Next slide indicates that what's been
20 changed is the protons are going down, too, and of
21 course, neutrons will have to show a corresponding
22 change since protons contribute substantially to the
23 dose.

24 There was a continuous curve that was
25 published in ICRP 92, a recent publication. However,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's still some ongoing look at W sub R for
2 neutrons. So it's still a topic under review, and of
3 course, it will be addressed in the Committee 2
4 foundation document.

5 So there's a group within Committee 1 and
6 Committee 2 still looking at the neutron issue,
7 particularly what's going on at very high energies.

8 Next slide.

9 Now going back and looking at the tissue
10 weighting factor, this was the situation we had in
11 ICRP 26 with the gonads representing, of course,
12 hereditary cancer because at their largest weight,
13 breast, lung and bone marrow and in the thyroid
14 surfaces not showing a high degree of sensitivity, and
15 at that time there was 30 percent of the weight left
16 to unspecified tissues that collectively are referred
17 to as the remainder.

18 And at the treatment of the remainder in
19 Publication in 26 and Publication 30 was to apply
20 that remainder to the dose to the five highest
21 irradiated tissues that weren't specified.

22 The gonad weight, is it corrected on this?

23 If my memory is correct, they hereditary
24 effects at equilibrium over all future generations, if
25 you will, and of course, the breast area is, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course, the sensitivity of the female breast.

2 Next slide goes in 60, published in 1990,
3 the gonads had a -- well, there were additional
4 tissues added to the consideration, and of course,
5 when you specify additional tissues, these have to add
6 up to one. So the difficulty of talking about tissue
7 weighting factors is, of course, the value for any
8 particular tissue, represents the values for all of
9 the other tissues sine they have to add the one.

10 But there were a number of new organs
11 explicitly brought into the colon and stomach cancers;
12 urinary/bladder, liver, esophagus were added. Bone
13 surface and skin was explicitly included at this time,
14 and then the remainder got down to .05 at this set.

15 Now, the gonad weight again here now was
16 back to looking at the hereditary effects in the next
17 two generations. So one was looking at the
18 grandchildren, if you will, of that set.

19 There was a complicated -- at this time
20 the ICRP decided to not have an explicit consideration
21 of the or limit, if you will, on the equivalent dose
22 in a tissue and used the effective dose to control
23 everything, and so there were still some tissues in
24 the remainder that were not being addressed that
25 control even at 20 millisieverts on the worker might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 result in some highly irradiated tissues, for example,
2 like the spleen or the airways, extra thoracic
3 airways. The doses could be rather high.

4 So the remainder had a complicated
5 procedure to try to take care of that in which the
6 weights would be split and applied in a different
7 manner to those highly irradiated tissues, and there
8 was also in the effective dose of ICRP 60 and that
9 weighting system, there was concern about the
10 additivity of the effective dose quantity. So a
11 scheme was introduced to treat the remainder to get
12 away from that selecting of the five highest and to
13 try to make the quantity more additive.

14 That resulted in actually a very
15 complicated procedure for the remainder, and you only
16 had five percent of the weight on the remainder
17 anyway. So within the radiation protection system,
18 the additivity really wasn't a significant issue.

19 The next slide shows where at least where
20 things are proposed right now.. There are some new
21 tissues entering into this that are shown here in
22 italics. The gonads now have dropped all the way down
23 to five percent. As Don has mentioned, there are
24 substantial changes in the considerations in the
25 hereditary effects.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There is a component of ovarian cancer, of
2 course, in such as the ovaries that's imbedded in
3 there, if you will, as well, and so the system is
4 collapsing down to .12, .05, and .01 as it's the
5 numerical values that are applied to a number of these
6 tissues.

7 The remainder now has jumped back up now
8 to ten percent of the weight, and there will be an
9 explicit listing of tissues to be addressed under the
10 remainder.

11 The additional organs that have been added
12 really don't fully grasp with or, say, resolve the
13 issue with respect to some isolated tissues, but the
14 kidney, of course, is going to be important here for
15 a number of radionuclides since that's the route of
16 elimination, urinary excretion of any systemic
17 activity [inaudible due to NRC audio system failure].

18 The information with regard to the gonads
19 and the ready area affects, of course, are largely
20 covered under the UNSCEAR document, which has been
21 published, and we'll get into the basis, I think, for
22 some of these I think in a little later slide. So
23 next slide. Maybe right now.

24 So I've got a few slides that touch on the
25 biological data. So the sources of this information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The main change here is that the starting
2 point is the incident data rather than mortality data
3 that was used earlier. So the nominal cancer risks
4 are based on incident data. The bulk of the
5 considerations that come from the A bomb survivors in
6 the life span study, that's the major input.

7 However, there are -- for example, the
8 bone surface considerations are still based on the
9 Thoratrast experience on bone cancer, and of course,
10 the thyroid studies. The coefficients are based on
11 studies specifically looking at thyroid cancer in
12 other populations.

13 So the three factors or sets or kinds of
14 data that go into computing these nominal risk
15 estimates are the baseline cancer incidence data that
16 exists in the population. Then there are site
17 specific incident risk estimates from various studies
18 that fall into or that are available to consider, and
19 then the five and 20-year cancer survival studies,
20 statistics from those studies come into play here in
21 determining the detriment consideration.

22 Next slide.

23 The Committee 1 foundation document looked
24 at the issue of the linear no threshold consideration,
25 and commented on that the DNA damage information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mechanisms are a bit supportive of linearity down to
2 about tens of milligray. Of course, none of the EPI
3 studies on human populations have sufficient power to
4 so of demonstrate that.

5 As Don mentioned, the bystander effects
6 and the genomic instability considerations, Committee
7 1 looked at those and at this time indicated that they
8 really weren't going to be able to address those with
9 respect to the risk considerations.

10 The dose and dose rate reduction, the
11 effectiveness factor that's used to go from the high
12 exposure cases down to the low, the value of two is
13 still being used.

14 The detriment now, the health detriment is
15 being tasked to consider, of course, the incidence of
16 the cancer, the lethality and some reflection on the
17 quality of life associated with those that do survive
18 the cancer.

19 And the data are really being averaged
20 over an Asian and Euro-American population. so this
21 is the kind of information that's being transported,
22 for example, from the Avon survivors to these
23 populations and the detriment examined within those
24 population groups.

25 The next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And Don has already shown you these. For
2 the whole population, the health detriment is 6.5
3 percent for sievert. I hope my numbers are going to
4 agree here with what Don had showed you earlier. A
5 danger of 7.3 percent was a value that we had in in
6 ICPR 60. If you go to the adult worker, it's four and
7 a half percent for sievert and 5.6 percent for the
8 ICRP 60. These are the detriment numbers.

9 And as Don pointed out are the numerical
10 changes and some shifts you see in the data, but
11 they're not terribly significant in the overall course
12 of setting radiation protection guidance.

13 Next slide.

14 So where do the shifts come from? Well,
15 as already mentioned there are hereditary risk that's
16 been revised substantially. We're now talking about
17 something like 20 cases for your 10,000 per sievert
18 rather than the 100 cases that were considered in ICRP
19 60. So there is a real reduction in the hereditary
20 risk.

21 In addition, there's a recognition that
22 not all of those hereditary effects are really legal,
23 so there's the validity fraction of .8 being thrown
24 into the data.

25 The breast cancer risks are higher by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about a factor of three, and the reason for that is
2 largely those Avon survivors that were exposed as
3 juveniles are now entering into that period and
4 contributing the breast cancer to the data.

5 And there are other studies that would
6 comparably indicate a corresponding risk of breast
7 cancer.

8 Thyroid, their age now is recognized as a
9 stronger factor than what it was earlier, and there
10 are some gender issues that are folded into the
11 consideration of the thyroid risk. So the numbers may
12 not change that much, but they're distributed. Things
13 are distributed a little differently.

14 And so those are the major changes in the
15 fundamental data that's influencing the W sub Ts.

16 The next slide. I guess I'll have to do
17 a bit of Committee 2 advertising to let you know what
18 we're up to, and there are some ramifications. So
19 this is why I'm doing this.

20 We're switching over to a Voxel-based
21 anatomical model. So there will be an adult male and
22 adult female model that's going to replace the old
23 ORNL hermaphrodite model that has been used for years.

24 So if you go gender specific, that's the
25 message there, that we'll be having to deal with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tissue doses in males and females, and of course, the
2 work is first being addressed with respect to the
3 worker.

4 There is also an effort, of course, to
5 replace the nuclear decay data information that was in
6 ICRP Publication 38, and this is a joint ORNL-JAERI
7 effort and actually under the auspices of EPA, and
8 we've processed 1,035 radionuclides.

9 This is going to give about 200 more
10 nuclides with half-lives greater than ten minutes than
11 what we addressed in Publication 30, which is the
12 significance here.

13 And of course, there's an ongoing effort
14 to update the biokinetic and dosimetric models. This,
15 of course, was largely started in those series of
16 publications that began after the Chernobyl accident
17 and has continued with respect to it, the first being
18 driven by age considerations, but it is continuing on,
19 of course, with update nuclides and elements, the
20 models that we hadn't addressed earlier.

21 The next slide.

22 Well, the Voxel phantom, of course, comes
23 with medical images, and of course, it does have an
24 improved anatomical realism in picking the body. From
25 a dosimetric standpoint, if there are external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considerations, the organ doses, you don't expect a
2 major change in the transport percent.

3 Internal, at very low photon energy you
4 can see maybe an order of magnitude difference in the
5 photon component of the dose between two organ, which
6 is largely a function of what the separation may
7 really be in those.

8 There's an effort, of course, when you go
9 to the medical images, you're picking a particular
10 individual data, and there was a tremendous amount of
11 work that has been put into this effort to have these
12 phantoms or the computational phantom represent the
13 reference value. There has been a lot of work to
14 accommodate the kinds of data that were in Publication
15 89 with regard to organ sizes and so forth.

16 The next slide.

17 Well, this shows you the kind of cross-
18 section if you haven't looked at such a thing.

19 The next slide, male, and of course, you
20 can identify all of the tissue in that slide.

21 Next slide.

22 Just a little update to tell you where we
23 are with respect to the nuclear decay data. Actually
24 here we've got to process 1,034 radionuclides. There
25 are about 200 additional ones beyond. Ten minutes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ICRP had used as the criteria on half-life for which
2 it would compute a dose coefficient per intakes of the
3 radionuclides.

4 And so there's about 200 more than what we
5 had addressed in Publication 38 that was done in this
6 update.

7 The next slide.

8 I'll close here by speaking a little bit
9 more about the gender averaging issue which has come
10 up. I think both Committee 1 and Committee 2 are
11 wrestling a bit with this.

12 The tissue weighting factors are gender
13 averaged, and when we have these CT based phantoms, of
14 course, we're going to come out with gender specific
15 organ doses, and so it's a question now of how do you
16 really put the effective dose together because you've
17 got a quantity that's gender specific and then you've
18 got weighting factors that are already averaged. So
19 how best to really compute this effective dose; does
20 it really make a difference in what the detriment
21 considerations are? And of course, this is the topic
22 for ongoing discussion.

23 So the next slide shows actually some very
24 recent -- these are calculations actually I did in
25 Beijing -- where the consideration here is that if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constrain the intake of these radionuclides to 20
2 millisieverts in the average worker; so somehow you'd
3 get a positive of male and female, and then the
4 question is what's the detriment distributed between
5 these two people?

6 And so you go down the list here, and
7 ruthenium is kind of interesting because it's a
8 nuclide in which the detriment is -- this in
9 ingestion. So the detriment largely there is
10 reflecting colon risk, and so there's a slight
11 difference in the colon detriment contribution that
12 males and females get.

13 But the significant one out of here is the
14 Iodine 131. So in this case the females' detriment is
15 about a factor of three higher than what the male
16 value would be.

17 So there is some questions about how we're
18 going to handle that particular issue.

19 CHAIRMAN RYAN: Could you tell us why?

20 DR. ECKERMAN: Well, it's because of all
21 of the differences in the tissue weighting factors,
22 and so much of the -- and there is a -- this is
23 averaged over the population. so there is a higher
24 thyroid risk coefficient in the female for thyroid
25 cancer, particularly, and of course at younger ages.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So these a reflective of all of those
2 considerations

3 CHAIRMAN RYAN: I guess I'm probing
4 because I don't understand. Is it based on the
5 epidemiology of the cancer risk or is it based on the
6 dosimetry?

7 DR. ECKERMAN: No, it's the cancer risk
8 data.

9 CHAIRMAN RYAN: Okay.

10 DR. ECKERMAN: So there is a difference in
11 the detriment for males and females, and that reflects
12 through here with regard to the thyroid and iodine.

13 Next slide.

14 I think that's it. Thank you very much.

15 CHAIRMAN RYAN: Thanks, Dr. Eckerman.

16 Questions? Down on the end, Dana?

17 DR. WEINER: How do we know that dose
18 delivered over time, that the effect is cumulative?

19 DR. ECKERMAN: Well, there have been some
20 studies that have been done to look at whether the
21 dose is cumulative.

22 You know, that there are repair processes
23 going on and so forth, but those repair processes, of
24 course, are completed with regard to the latent health
25 effects, I should say. And so this is a n assumption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's in the system, as has been tested in various
2 other animal species and so forth, but there isn't, of
3 course, a means of really having the statistical power
4 to do this in an epi study on humans.

5 DR. WEINER: The next question is just
6 probably my own ignorance. How do five and 20-year
7 survival rates feed into the effective rate?

8 DR. ECKERMAN: Those enter into the
9 determination of what the detriment is, and so they
10 then enter in both with regard to speaking to the
11 lethality fraction, as well as the consideration of
12 quality of life that's applied to folks who are
13 actually survivals.

14 So there's a subjective consideration that
15 goes into defining the detriment.

16 DR. WEINER: But it's actually you
17 translate this quantitatively?

18 DR. ECKERMAN: Yes.

19 DR. WEINER: The final question is how
20 long do you think it's going to take for this to
21 penetrate to the various places, the environmental
22 impact statements and so on, health considerations,
23 where these numbers are used because we have a number
24 of models that we put in these factors, and it's
25 difficult to update them, and people are always back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 20 years. I mean, there are still some cases here
2 where you're not even up to IPRC 60.

3 So do you have any estimate of how long
4 this is going to take?

5 DR. ECKERMAN: Based on past experiences?

6 (Laughter.)

7 DR. ECKERMAN: We still have things that
8 are still driven by publication, too. So that's been,
9 '59 to.

10 A lot of the dosimetric data that, of
11 course, was available post ICRP 60 is being used, the
12 dose coefficients are being used in a lot of
13 applications now. So that has been sort of
14 accomplished at least with respect to equivalent dose
15 without a real -- well, both NRC and DOE and DPE, of
16 course, have been using the later dosimetric data.

17 But it's a long process to get all of
18 these things imbedded in the regulatory process. It's
19 way too long a process.

20 CHAIRMAN RYAN: Keith, I'm reminded of
21 what you have commented on previously to the ACNW
22 regarding FRG 13, and I think it's true. Correct me
23 if I'm wrong, Don or Vince, but licensees are the ones
24 that want to use the more updated dosimetry in
25 particular analysis or are authorized specifically to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do that.

2 I think that's true in agreement states,
3 Ed, as well.

4 So the information is there, and it's
5 accessible to licensees to use. Did I get that right?

6 DR. COOL: Essentially, yeah.

7 CHAIRMAN RYAN: Okay. A licensee who
8 wants to make it a standing part of their protection
9 program needs to apply to be able to use it because,
10 of course it is different from what's in publication,
11 10 CFR Part 20.

12 We have been granting those. We look a
13 bit skeptical when a licensee following an event or
14 something then tries to backfit their data if they
15 weren't already approved to have their program run it.
16 That we don't look very kindly on.

17 CHAIRMAN RYAN: right. I understand that.
18 Thanks for clarifying that.

19 Ed, do you have any comment from the
20 agreement states with respect to that point?

21 MR. BOYD: I think we might be a little
22 more lenient in using it to evaluate an event that has
23 occurred as opposed to looking at it prospectively.

24 CHAIRMAN RYAN: Right. Okay. Thanks.

25 Allen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROFF: Yeah. You mentioned a couple
2 of changes in the radiation weighting factor. What
3 underlies the change in photons? There's some general
4 uncertainty, I'd say, in the neutrons. Sort of what's
5 going on there?

6 DR. ECKERMAN: Well, the change in the
7 protons largely comes out of joint working group with
8 ICRU and ICRP, and it goes back to initially the
9 relationship between the operational quantities, those
10 calculated in the -- the dose equivalent with the
11 sphere, that really relied on the
12 QLET relationship, where ICRP in setting up the
13 protection quantities backed off to looking at the
14 weighting factor as a function of the incident energy.

15
16 And so there was a calibration scheme that
17 carried on there, and that's largely where a factor of
18 two comes into consideration, and said that the
19 setting the $W_{sub R}$ at five for protons was actually
20 an over estimate.

21 So this is just sort of a redo of the
22 physics and dealing with the QLET relationship in the
23 sphere. And this is discussed in ICRP Publication 92.

24 The neutron, of course, is -- you have to
25 have a correspondence between the quality factor for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neutrons or their weighting factor for neutrons and
2 that for protons because recall the proton being a
3 major part of defining the energy deposition for
4 neutron interactions. So there should be an
5 agreement there.

6 Part of the considerations at the high
7 energy end come into play with regard to space
8 radiation and, of course, there's interest in the air
9 crew problem of dosimetry, and at the high end at
10 least, once you get a very high neutron energies, the
11 neutron weighting factor ought to collapse back again
12 to what the proton data would tell you.

13 That's at least where the physics takes
14 you. You're outside of, of course, again, the realm
15 of really having a lot of experimental data to add
16 onto the weighting factor, but the physics data would
17 suggest that at the very high energy the two ought to
18 correspond to one another.

19 And again, that's issue that's part
20 alluded to in ICRP 92.

21 CHAIRMAN RYAN: Keith, you touched a
22 couple of times on uncertainty type questions with
23 regard to the ratios for a female to male detriment,
24 and I've heard you talk previously about the overall
25 uncertainty and internal dose calculations and models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and kind of the history of how those uncertainties
2 have evolved over time.

3 Could you give us your insights there,
4 please? I wanted to pick your brain for the benefit
5 of the committee and the audience on, you know, how
6 you think that's going and what in these new
7 recommendations, you know, are really the critical
8 things for us to focus on on internal dose estimation
9 or external dose estimation, for that matter, but
10 really the internal side of things.

11 What's the good news and how are
12 uncertainties progressing?

13 DR. ECKERMAN: Well, the uncertainty
14 question is, of course, difficult to deal with, but in
15 the context of a radiation protection system.
16 However, despite that, when one tries to at least
17 acknowledge what the uncertainties are in the data and
18 where they come from.

19 Actually Committee 1 has at least the
20 draft that I saw of their foundation document, does
21 also have a section where they talk about some of the
22 uncertainties and the risk coefficients and the
23 weighting factors not in a real quantitative sense,
24 but at least defining where the sources of the
25 information are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With respect to the internal emitters, the
2 biokinetic information is really the dominant source
3 of the uncertainty. There is, of course, within the
4 lung model, for example -- many of the models that
5 have been now developed, and there will be a new model
6 for the elementary track that will be available in the
7 next go-round for the dosimetry; many of these models
8 that are being developed and in trying to appeal to
9 the physiological basis for the processes and so
10 forth, I wouldn't say that they were all mechanistic,
11 but they're trying to deal with the physiology as well
12 as the element of specific information.

13 But the behavior of aerosols within the
14 lung and the ability to address the different
15 compounds and their solubilities, define what the
16 absorption is to the systemic uptake of blood, if you
17 will, is, of course, very important.

18 And then the processes by which we have
19 between model, the fate of that material as it is
20 distributed amongst the organs and eliminated from the
21 body, that tends to be, I think, the dominant source
22 of the uncertainty.

23 And a lot of this you can characterize by
24 at least looking at the quality of the information
25 that you have to develop those models, and of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it varies considerably across the spectrum of
2 radionuclides I'd be happy to deal with.

3 But one would hope that these dose
4 coefficients would be within a -- you'd like it if we
5 were within about a factor of three, I think would be
6 very good.

7 CHAIRMAN RYAN: But a factor of ten may be
8 reality?

9 DR. ECKERMAN: And a factor of ten or
10 higher may be reality on some radionuclide.

11 CHAIRMAN RYAN: The reason I asked the
12 question is, you know, we do have regulations that
13 allow, for example, in the case of an intake for a
14 specific case by case evaluation and their are
15 protocols and details for how to do that. I can
16 envision in my own mind that tritium is probably a
17 whole lot easier to deal with as a vapor than, say,
18 plutonium or some other inert or insoluble actinide or
19 oxide.

20 So I appreciate and recognize this is a
21 great range in the certainty values, and we also
22 probably think more these days about air samples
23 rather than bioessay samples and characterizing the
24 work place rather than characterizing the worker after
25 the fact, although both are good ways to think about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing internal dosimetry for those few cases where
2 it's important or where exposures have occurred.

3 I guess the \$64,000 question to me is:
4 what do these new ICRP recommendations provide us as
5 moving the ball forward, given that reality that we've
6 just described.

7 DR. ECKERMAN: Well, I think this is a
8 part of a continuing evolution or I hate to use that
9 word right now, but progress in the modeling effort.
10 I think the kinds of dosimetric modeling that was
11 done, say, with respect to the ICRP 30, there's been
12 a substantial improvement and change in philosophy,
13 say, post Chernobyl where ICRP and many others had to
14 become more realistic in the way things are being
15 modeled and so forth.

16 So in some of the earlier work there was
17 a tendency to be conservative in the selection of
18 parameters, and of course, the degree of conservatism
19 would increase rather substantially as you went down
20 each of the models between the lung model, the
21 systemic model and so forth.

22 The newer efforts clearly recognize that
23 these models are going to be used in different
24 manners, and so there really is an effort to become
25 realistic in the dose estimates, and I think with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 respect to the dosimetry, my own little area, that's
2 one of the virtues where data and newer work-up is.
3 It's the realistic treatment of exposures as best we
4 can.

5 CHAIRMAN RYAN: The other thing I heard
6 you talk about which I'd ask you to talk a bit about
7 again is the modeling for an adult, an adolescent, and
8 an infant or a child. I think that's an interesting
9 area where there probably has been some improvement in
10 the representativeness, I guess is the best word, of
11 models for a particular exposed group or individual.

12 DR. ECKERMAN: Well, that development of
13 the age specific dosimetry, of course, provided a lot
14 of new directions in the whole modeling process
15 because prior to that the models were largely really
16 constructed just as curve-fits to observations on
17 workers.

18 And the details with regard, say, to how
19 the material is moving within the body and the length
20 between the excretion routes that are important with
21 respect to bioassay and internal dose was largely --
22 was very tenuous at best.

23 And so as the issue changed to dealing
24 with age, it was necessary, of course, to apply to a
25 larger body of information than what we had with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 respect to just looking at workers, and that brought
2 in the physiological information.

3 And I think that's been imbedding, trying
4 to imbed that work-up. It has been very important
5 with respect to treating long-lived radionuclides like
6 your actinides, which intake is as a child, but it
7 would be with the individual through the course of his
8 life, and how that radionuclide moves within the
9 skeletal system and is eliminated from the body, it's
10 very important to accommodate that in the evaluation
11 doses.

12 So the age consideration provided a
13 considerable stimulus for improving this whole
14 approach to modeling, and with respect to the benefit
15 to the worker population is, of course, that there now
16 is an explicit interaction between routes of excretion
17 and the material within the body that's defining the
18 doses to the various tissues of the body.

19 So that has provided, I think, a
20 considerable benefit to both the occupational
21 consideration as well as --

22 CHAIRMAN RYAN: So we're really talking
23 about both anatomical and physiologic reality in the
24 modeling.

25 DR. ECKERMAN: Yes, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. Thanks.

2 Jim, do you have any questions? Any other
3 questions from ACRS members?

4 I guess at this point what I'd suggest is
5 that we're probably at a point where we could take our
6 scheduled break, which we sort of passed through
7 having missed a speaker. Why don't we return here at
8 11 o'clock rather than 11:15, and we'll have time on
9 the agenda for public comments prior to our lunch
10 break.

11 If there are no other questions from staff
12 or other members, we'll proceed to a break.

13 Thank you. We'll see you all at 11
14 o'clock.

15 (Whereupon, the foregoing matter went off
16 the record at 11:25 a.m. and went back on
17 the record at 11:08 a.m.)

18 CHAIRMAN RYAN: Folks, if we could come
19 back to order, please.

20 I've been asked by our reporter over in
21 the far corner if you speak, please speak directly
22 into the microphone. For the individual presenters,
23 it's probably hard to look at your slides and continue
24 to do that. So there's a lapel mic right there in
25 front of Mike Boyd. If the speaker would use that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 while you're giving your presentation, that would be
2 most helpful, and I'd ask others at the panel tables
3 to speak directly into the microphone and also for
4 those in the audience the same. Unlike the room
5 upstairs, these are pretty localized microphones, and
6 it would surely help the reporter if we accommodate
7 that need.

8 Thank you.

9 That being said, we are at the point on
10 presentations for any public comments, perhaps
11 questions from members of the audience. If anyone has
12 a question or comment that they'd like to make at this
13 point, I'd ask you to find a microphone to identify
14 yourself and your affiliation.

15 MR. ANDERSEN: Yeah, I have a question, I
16 guess, ostensibly for --

17 CHAIRMAN RYAN: Tell us who you are and
18 who you're with.

19 MR. ANDERSEN: Oh, sorry about that.
20 Ralph Andersen, Nuclear Energy Institute.

21 Starting perhaps with you, Don, I wonder
22 if you could elaborate just a little more on this
23 distinction between dose limits and dose constrains.
24 I understand how they're intended to be applied, but
25 I'm trying to rationalize in my own mind the meaning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of a dose limit in terms of protection and safety
2 versus the meaning of a dose constraint in terms of
3 protection and safety.

4 DR. COOL: Okay. ICRP's use of limit as
5 an all source to a single individual and constrained
6 as a single source to an individual, they've drawn a
7 distinction simply based on whether they're dealing
8 with a single source or whether there's all sources.

9 When we move to what we have to do as NRC,
10 what you as one of your operators out of NEI, for the
11 most part you're actually working with what ICRP would
12 term as constraints. You have a particular source or
13 a set of sources, small set of sources, that you're
14 controlling and you're looking at the exposure to each
15 of the individuals trying to provide specific
16 protection.

17 ICRP would suggest that you are dealing
18 with a constraint, assuring that that individual is
19 receiving the acceptable protection and then designing
20 your optimization ALARA dose reduction programs within
21 that constraint to further reduce their exposure.

22 One of the debates going on last week in
23 Beijing, in fact, was as whether or not ICRP has
24 broadened the word "constraint," it actually became
25 limit in the legal reference of the term. That is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distinction that ICRP has not made, but which we will
2 likely have to make because we, NRC, other regulatory
3 agencies, when we use the word Limit, we're using it
4 in a legal sense, a boundary which enforcement action
5 is going to take place.

6 ICRP's use of constraint as a boundary for
7 providing particular protection and where some action
8 is supposed to happen, doesn't differentiate whether
9 that action is a criminal or civil sanction or
10 something like that, or whether the action is you have
11 to go back in and re-review the situation or institute
12 a new particular piece of plan or otherwise.

13 I think they actually would intend that it
14 applied to both of those situations, keeping it
15 generic, that it simply means that you have to take an
16 action, whatever action the operator or the regulator,
17 depending on who set the constraint, set for that
18 particular boundary.

19 I don't know whether that helps you, but
20 ICRPs, in fact, try to stay away from what a regulator
21 might decide to do in terms of setting a hard line for
22 an enforcement action and what a regulatory might want
23 an operator to do in setting softer lines
24 programmatically within different pieces of their
25 program, each of those functions the same way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They are a constraint. They deal with an
2 individual and a source, and it's a boundary below
3 which they're implementing their ALARA optimization
4 program.

5 MR. ANDERSEN: Ralph Andersen, NEI.

6 Yeah, I'll just follow onto that to
7 reinforce that I think you captured my question
8 exactly. In NRC or Atomic Energy Act legal terms, it
9 creates a quandary for me as to what constitutes an
10 adequate level of protection. If you've got a 20
11 millisievert per year constraint and up to a 50
12 millisievert per year limit, I have a hard time
13 reconciling what's the real safe level.

14 DR. COOL: I guess I would simply reflect
15 that's a good question because, in fact, in the draft
16 recommendations ICRP is continuing to endorse the
17 limits from Publication 60, which for occupational
18 exposure is expressed as ten millisieverts over five
19 years with a maximum of five in any year.

20 So one way of interpreting that could
21 certainly be that a maximum of five so long as people
22 are floating along in the vicinity of two or less
23 would meet their definition of limit.

24 There hasn't been a lot of elaboration
25 with regard to how they might play different sources,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether that's all of the plants that the workers
2 might jump to in an outage year, you know, spring
3 outage for two plants, fall outage work, two plants.

4 Of course from our standpoint we still
5 regard that that individual because we're going to
6 track them around is going to have to be within the
7 limit. So, in fact, it's difficult for me to
8 understand why that doesn't, when you get down to the
9 real practical reality, meet their sort of minimum
10 definition.

11 Now, one possible interpretation, the Don
12 Cool interpretation only, is that you could take those
13 sorts of limitation values and separately you could
14 establish operator specific constraints within that
15 two or less for your particular program. Every time
16 you go through an outage, you set up goals and
17 specific goals for each of the individual actions that
18 you take.

19 All of those fit in within a structured
20 system of a limit with constraints underneath it to
21 make sure you don't get to that, and trying to
22 optimize below that, and the system would still be
23 coherent.

24 MR. ANDERSEN: Ralph Andersen, NEI.

25 More of a comment than a question, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just for the benefit of those who aren't aware of
2 that, in the NRC staff's efforts to begin putting
3 together a new licensing framework for new reactors,
4 I just want to point out that potential exposure
5 plays a very dominant role in the framework that
6 they're constructing. You should be aware of that.

7 There was a presentation, a public
8 meeting, last month, I believe, by the research folks
9 that are working on the new licensing framework, and
10 it hinges almost entirely on the concept of potential
11 exposure which is new.

12 The reason I call it to your attention is
13 because in essence, ICRP points out that their
14 discussion of potential exposure actually excludes
15 consideration of the reactors and large facilities
16 because of other factors that need to be considered
17 that they really don't take into account.

18 But I did want to just call that to the
19 committee's attention in terms of formulating a report
20 or comments, that that becomes very important in
21 regulatory space in the future.

22 CHAIRMAN RYAN: If I may just pick up on
23 that and ask some of the panel members [inaudible due
24 to NRC audio system failure]. I'm going to ask John
25 Garrick's "so what" question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What's different about having a dose
2 limit? An ALARA requirement to optimize [inaudible
3 due to NRC audio system failure] versus this what
4 seems to me to be this kind of more complicated scheme
5 of constraints and limits and optimization and then
6 we've got folded onto that these low and high levels
7 of concern based on different dose levels and, you
8 know, putting aside, for example, the worker numbers
9 a little bit different even though we've got the
10 average over five years and all of that.

11 What do we gain or lose in radiation
12 protection practice, I guess is my basic question, and
13 I ask that question in two frameworks. One is for
14 protection of workers in the workplace. Two is for
15 protection of members of the public in the
16 environmental facilities.

17 You know, I struggle in that arena, for
18 example, in the difference between a limit and a
19 constraint, given that not too many folks probably are
20 exposed to more than one significant source if we
21 leave radon and medical exposure aside.

22 So the "so what" question is: are we
23 gaining anything by considering these new
24 recommendations in terms of the fundamental radiation
25 protection practice and safety of workers in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public?

2 That's a \$64,000 question, I think, but --

3 DR. COOL: I think you've under valued the
4 question, and I think the pragmatic answer is not
5 much. There's a clear recognition that radiation
6 protection programs around the world are functioning,
7 do seem to be providing the appropriate protection.

8 They are not, in fact, advertising these
9 as numerically different changes from the
10 recommendations that they made in 1990 in Publication
11 60. Numerically they're exactly the same.

12 They are not advertising that this is a
13 significant increase in protection. They're
14 advertising it as a simplification.

15 Now, you could put up a nice question mark
16 behind that, and that I suppose depends on which side
17 you're viewing it from. They would suggest to you
18 that they've left limits in because so many people
19 like the word "limit."

20 But the reality is that everybody operates
21 with whatever word you want to use in what they call
22 a constrained system. It's a constraint, you've set
23 a boundary. You've given some legal or less than
24 legal implication of that boundary, and you've
25 constructed an optimization process below the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional protection that can be afforded under the
2 circumstances, period, end of discussion.

3 In the occupational realm, they've
4 provided a bit of flexibility because people can bump
5 into several different sources. In the public
6 exposure, the maximum constraint and the public limits
7 are exactly the same because there are a lot of
8 circumstances where you have one dominant source, and
9 that's the end of the discussion.

10 CHAIRMAN RYAN: Dr. Holahan.

11 DR. HOLAHAN: If I might just add briefly
12 to that, this is a question that the Commission is
13 going to be asking of the staff and the various
14 advisory committees once this document has gone final
15 because for us to do rulemaking, and that's
16 implementing either Publication 60 or the
17 recommendations of 2005.

18 For us to change Part 20 is going to
19 require rulemaking, and we're going to have to
20 demonstrate some sort of increased health and safety
21 benefit to justify making that change. Basically it
22 comes into backfit space.

23 And if we can't demonstrate that by
24 adopting the new recommendations or the new
25 methodology that will significantly improve public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 health and safety, we're going to run into some
2 significant problems with implementing any of this.

3 So I would ask that as these
4 recommendations come forward, as new documents come
5 forward, whether they be the BEIR VII report that will
6 be available next year or other documentation, we're
7 going to be looking to not only the staff, but the
8 advisory committees to help us answer that "so what"
9 question.

10 CHAIRMAN RYAN: That's why we're all here,
11 Vince. We're happy to help consider it and evaluate
12 some of these proposals, and think about that
13 question. That's kind of why I asked it. [inaudible
14 due to NRC audio system failure]

15 Any other questions or comments? Yes,
16 Ralph.

17 MR. ANDERSEN: On another topic, I was
18 very interested in Keith's presentation especially on
19 gender specific issues, and just for any or all of
20 you, it occurs to me that this divergence between our
21 current U.S. legal/regulatory framework and our
22 understanding of differences between sexes and
23 radiation protection terms is going to create a
24 problem, but do I have that right?

25 I believe that legally the regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agencies are obligated to be gender neutral, and yet
2 it appears to me that this most recent set of
3 recommendations will highlight increasingly
4 significant differences in terms of effects from
5 radiation between sexes.

6 Is there really an issue there?

7 DR. COOL: I think the shortest answer is
8 there could be. I believe at the moment you still
9 have averaging other coefficients, and there hasn't
10 been identified some other things, but you can see the
11 potentials on the horizon.

12 Of course, as good regulatory agencies we
13 could always default to the most conservative of the
14 two. I was expecting the reaction, the visceral
15 reaction that I just saw there.

16 But in fact, that is one of the questions.
17 If you get to separate dose coefficients in the
18 modeling for males and females, then you start to run
19 into a whole new set of issues that we have not had to
20 identify, and keeping in mind that in the broader
21 scheme of things, while NRC is looking at byproduct
22 materials, that it becomes an enormous issue because
23 when you get like Ed has, the PET and the X-ray and
24 everything else, you've got a work force which is, in
25 fact, more than 50 percent female in its totality and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occupational exposure.

2 DR. POWERS: I mean there has always been
3 a gender differential, and it causes operational
4 difficulties and liability challenges that management
5 just simply has to confront. So, I mean, I guess the
6 answer is that if it came back with a set of
7 regulations that were not gender neutral you would not
8 be adding to the difficulties that already exist.

9 CHAIRMAN RYAN: One caution that I have in
10 this area is that -- and I appreciate, for example
11 [inaudible due to NRC audio system failure] -- I'll
12 accept Thyroid might be different than the others, but
13 I'm looking at other numbers ranging from .74 to 1.4.
14 I'm going to guess they're all the same to within a
15 certain analysis that can provide the questions.

16 The questions general differences I would
17 say you know, have to be, should be evaluated in terms
18 of a very rigorous treatment of uncertainty. Without
19 that you're really maybe guilty of what I call
20 numerical narcosis. You're just kind of convincing
21 yourself the numbers are something when they might not
22 be.

23 Is that a fair summary, Keith?

24 DR. ECKERMAN: Yes, and in fact, you know,
25 I had mentioned that little factor of three kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consideration I had in the back of my mind, and that's
2 what I was looking at in those numbers.

3 The other thing that one has to bear in
4 mind is it's also a question of normalization. For
5 example, if you looked at those numbers and changed it
6 back to air concentration and then brought in the
7 difference in the air intake rate, the breathing rate,
8 some of that would disappear again.

9 And let me make sure also to carefully
10 quantify those numbers that I showed you. Those were
11 based on weighting factors averaged over the
12 population. So if you looked at weighting factors or
13 detriment factors that were only for the working
14 population, things would look a little different in
15 this calculation.

16 So except that ICRP, of course, in the
17 past record has only come out with one set of
18 weighting factors that were averaged over our entire
19 population.

20 If they did some more work with respect to
21 just workers and separated them from the population of
22 all ages, things would look a little different as
23 well.

24 So there's a lot of other issues to dig
25 into those numbers that I showed you to look and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider, and gender has always been one of them.
2 Actually there are differences in the risk and the
3 distribution of the risk across the gender.

4 CHAIRMAN RYAN: I guess the question that
5 I have is when you think about gender differences,
6 think about age differences, health status differences
7 and other things, you could think about all of those
8 as having an impact on one group versus another,
9 whether it's male-female, old-young, sick-not so sick,
10 smokers, nonsmokers, whatever you want to think about.

11 And I guess some of that -- correct me if
12 I'm wrong -- kind of falls out in the epidemiology,
13 and I think looking ahead to BEIR 7, we'll probably
14 see some updates on those kinds of comments.

15 But I'm very cautious to try and interpret
16 any one of these factors as being meaningful enough to
17 require us to do something different in standards
18 until you've really got the details of the uncertainty
19 analysis and the underlying physiologic and
20 epidemiologic issues backing it up.

21 Is my view fair?

22 DR. ECKERMAN: That's fair, and I think
23 this is all part of that transparent process that
24 needs to be looked at and vetted out and said.

25 CHAIRMAN RYAN: Okay. Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Other questions or comments?

2 Going once, going twice?

3 Well, again, we're just about at the end
4 of our short session. Are there any questions or
5 comments on the panel?

6 Dana. Lean into that microphone, sir.

7 DR. POWERS: Yeah.

8 CHAIRMAN RYAN: Thank you.

9 DR. POWERS: The statement was made that
10 modification of the regulations would require
11 rulemaking, and absolutely true, but one option that
12 the Commission has been utilizing a lot lately to get
13 around the question of cost benefit has been to make
14 changes that are voluntary in nature. That is, a
15 licensee can choose to adopt them or not, and in which
16 case they get around the demonstration of benefit for
17 the changes.

18 Has that been given consideration here?

19 DR. COOL: At this moment that answer is,
20 I think, too soon to tell. Formerly with the
21 Commission at this moment, the staff several years ago
22 went up with several options for whether to start
23 proceeding down a line or not.

24 The Commission asked us to formally wait
25 until the ICRP recommendations were in place and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come bring them some proposals. That's the mode that
2 we're in at this moment.

3 I am expecting that the staff will be
4 offering the Commission comments to send to ICRP on
5 these recommendations. Once the recommendations are
6 in place, we'll be offering them some options and
7 recommendations for how to start proceeding.

8 We will have to look at that. From a
9 historical perspective, that was one of the questions
10 at the time that the revision of Part 20 happened in
11 the late 1980s, which also had a bit of difficulty
12 because we were talking about the basic standards for
13 radiation protection. We were talking about something
14 that was of the highest compatibility order in order
15 to have consistent regulations across the country.

16 And while it has been too long for me to
17 remember the details, there were a lot of difficulties
18 in envisioning that different licensees could be using
19 different sets of dose limits and standards and
20 factors that it would be nearly impossible to try and
21 manage a wide diversity.

22 The reality is we've crawled into that
23 just a little bit by granting licensees permission to
24 use more recent metabolic models and dosimetric
25 information on a case-by-case basis. That hasn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gotten too difficult because the only people who
2 really want to use it are the folks who are dealing in
3 uranium and thorium and a few of the radionuclides for
4 where there was a substantial change.

5 A voluntary set of things will have to be
6 looked at very carefully because there are a whole
7 series of factors that will go into it.

8 DR. POWERS: Well, I understand that we
9 certainly are getting a wide range of licensee
10 responses and things like fire protection, perhaps in
11 5046 the basic reactor design basis accident. I mean,
12 this does seem to be a trend, and it's usually based
13 on using risk and rather than hard and fast
14 constraints as your metric.

15 And you may well be moving in that
16 direction here as well. It makes your life difficult.

17 CHAIRMAN RYAN: Yes, Dr. Vetter.

18 DR. VETTER: Rich Vetter from the Mayo
19 Clinic.

20 I just wanted to make a point about
21 adopting these and what the impact would be. Relative
22 to adopting the limit of two U.S. units rems per year
23 versus five, less than one percent of our monitored
24 workers receive more than two rem. Every one of them,
25 every one of those individuals is involved in life

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saving activities every day. They work in cardiac
2 labs, et cetera. They get high doses because that's
3 the nature of their work.

4 It would be very, very complicated to try
5 to do something about that because obviously the risk-
6 benefit there for society is huge on the benefit side
7 even though these workers are getting more than two
8 rem per year. And this is at an academic medical
9 center where we can rotate around a little bit.

10 At a community hospital where you don't
11 have that option, I expect that would be extremely
12 problematic.

13 CHAIRMAN RYAN: Thank you.

14 Other comments?

15 I would advise on two points. One is the
16 Center for Nuclear Waste Research is on the phone.
17 Welcome to San Antonio.

18 And with that said, I'm not going to move
19 any talks forward because I'm trying to stay pretty
20 faithfully to the schedule so that folks who had
21 planned to participate or attend a particular session
22 based on the public agenda will be able to do so.

23 So, yes, more questions or comment?

24 MS. FAIROBENT: Yeah, Lynne Fairobent with
25 the American Association of Physicists in Medicine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I just want to change the focus a little
2 bit differently. We're all talking here today about
3 the draft ICRP recommendations and how those might be
4 implemented into the U.S. regulatory system in the
5 future, but I know that NCRP is holding off on their
6 action until the ICRP drafts, and I know that some of
7 their stuff contained in the draft ICRP
8 recommendations may, in fact, and is inconsistent with
9 some of the NCRP recommendations.

10 And I just wondered if the staff could or
11 some of the NCRP members who are here on the panel
12 could talk to where the NCRP process is and also how
13 the staff might resolve deciding which way to go with
14 an ICRP recommendation over NCRP where they are
15 contradictory.

16 For example, NCRC Commentary 111 versus
17 the caregivers recommendation in the draft ICRP
18 recommendation is an example in the medical end I'm
19 thinking about.

20 CHAIRMAN RYAN: Care to respond?

21 DR. VETTER: Well, to the best of my
22 knowledge, NCRP is waiting for BIER VII before they
23 decide what to do with 116. That's their basic
24 recommendations.

25 And Commentary 11 deals with treatment of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 members of the public as caregivers, and I'll be
2 making a few comments about that during my
3 presentation.

4 CHAIRMAN RYAN: We'll cover that area, I
5 think, a little bit more fully this afternoon.

6 And, again, looking ahead, we'll have
7 Vince Holahan, Mike Boyd, Ed Bailey, and Rich Vetter
8 this afternoon talking about various aspects in the
9 EPA, the medical community, and again, the staff views
10 on some of these other techniques.

11 And of course, Ed with his musical
12 computer over there.

13 (Laughter.)

14 CHAIRMAN RYAN: Having just all kinds of
15 fun. That's all right.

16 And, of course, Ed representing the
17 agreement states' view, certainly the recipients of
18 any changes in NRC regulations across the country.

19 With that being said, we'll adjourn until
20 1:00 p.m., and we'll start promptly at 1:00 p.m.
21 Thank you all for your time and attention this
22 morning.

23 (Whereupon, at 11:37 a.m., the meeting was
24 recessed for lunch, to reconvene at 1:00 p.m., the
25 same day.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: We'll go ahead and get
2 started if we can, please. We're going to consider
3 now individual protection (selection of constraints)
4 and we have several presentations, of course, this
5 afternoon, starting first with NRC Member Vince
6 Holahan.

7 Vince, welcome and thank you for being
8 with us.

9 DR. HOLAHAN: Well, good afternoon. When
10 I was putting the slides together, obviously it was in
11 the vortex of not knowing what everyone else was going
12 to be presenting, so you'll see a number of
13 duplications and if that's not bad enough I was
14 looking at some of the presentations that will be
15 following mine and they seem to be using similar
16 presentation slides. So we'll tend to move through
17 them fairly quickly.

18 One of the things that Neil Coleman asked
19 me to do several weeks ago is to highlight some of the
20 changes, if you will, between Part 20 and where the
21 2005 recommendations are. Although we won't directly
22 address it, we'll kind of nibble around the fringes,
23 if you will, of the so what question.

24 If we had the second slide --

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HOLAHAN: One of the things that the
2 ICRP reports that it wants to do is review science and
3 technology on a periodic basis, looking for changes
4 that might drive new recommendations, keeping in mind
5 that they want to maintain the best safety culture as
6 possible.

7 They also recognize that they want to
8 maintain as best as possible stability in our
9 regulatory system. As you're aware, the adaptation or
10 adoption of the ICRP 60 recommendations by many of the
11 European Community countries was rather traumatic and
12 expensive. Needless to say, they are not looking for
13 major changes and with that said, Roger Clarke has
14 said that the recommendations that we're discussing
15 today are meant to be evolutionary in nature and not
16 revolutionary. That's probably an appropriate
17 statement from the context if you're moving from the
18 ICRP 60 recommendations to the 2005 recommendations,
19 but not necessarily so if we're talking about Part 20.

20 One of the major highlights that is of
21 interest here is the fact that they stated that they
22 are not changing the recommendations on limits in Part
23 60. And for all intents and purposes, that's true.

24 But one of the new things that has been
25 brought in is the concept of constraint. And as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 middled around this morning, really constraint isn't
2 particularly new to the NRC. We have taken many of
3 our dose limits and parsed them, if you will, so that
4 we have source constraints.

5 Dr. Eckerman mentioned very briefly this
6 morning that the radiation weighting factors and the
7 tissue weighting factors have been modified slightly.
8 Unfortunately, we can't get into the nuts and bolts of
9 the tissue weighting factors because quite frankly,
10 that's in one of the foundation documents we haven't
11 seen. Hopefully, that foundation document will be
12 made available as soon as possible because my
13 understand is is that this document is over a thousand
14 pages in length.

15 We've also mentioned that the nominal risk
16 coefficients have been revised slightly. And again,
17 these risk coefficients can be found in the data
18 that's contained in one of the annexes at the end of
19 the document and again, it's based on that foundation
20 information that we don't have a chance to look at.

21 What I find interesting though is when we
22 looked at those nominal risk coefficient numbers, the
23 mortality numbers have decreased. And the reason the
24 mortality numbers have decreased are because of
25 improvements in cancer treatment and improvements in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detection.

2 And the issue that I will be looking at
3 when we get into the foundation documents is what is
4 that really based upon? Is that a number that we can
5 apply globally? Is it a number that's most apropos
6 for the U.S.? Quite frankly, I don't have an answer
7 at this time.

8 (Slide change.)

9 DR. HOLAHAN:

10 So if you were to look at slide 5, it's
11 what we call the exposure limits. And what I've tried
12 to do is capture for you very briefly where we are in
13 ICRP 26 which was published in 1977; the 1990
14 recommendations, as reflected in 60, the current draft
15 recommendations of 2005, and part 20, keeping in mind
16 that most of the numbers under part 20 were adopted in
17 1991. The Federal Register notice was March of that
18 date.

19 As you see for occupational, we're looking
20 at 5 rem in part 26 which is where we are currently
21 today. That 5 rem number was justified originally
22 based on risk, the annual risk of death due to
23 exposure and it was a number that was to be comparable
24 with other heavy industry type jobs, keeping in mind
25 the number that was derived here, also took ALARA into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consideration.

2 During the 1980s, if you will, mortality
3 among the heavy industries actually decreased below
4 10^{-4} per year. And the new numbers that we saw in
5 1990 were reduced accordingly. We've heard that that
6 number was essentially 10 rem or 100 millisieverts for
7 a 5-year period, giving us an average of 20
8 millisieverts or 2 rem per year on average over that
9 5-year period, keeping in mind that in any one year,
10 we can have a 5 rem exposure.

11 Those numbers are also contained in the 2005
12 recommendation.

13 The impact of that number and where we are
14 today I'll go over in just a couple of slides. If we
15 look at the public numbers, ICRP 26 recommended 500
16 millirem or 5 millisievert to members of the public.
17 In 1990, the recommendations in ICRP 60 reduced that
18 to 100 millirem and that was actually a number that
19 the NRC considered when it was revising at the last
20 minute, if you will, part 20. And those were numbers
21 that were, in fact, adopted. So we are, in fact, in
22 compliance there.

23 Fetal numbers have changed. This is
24 particularly important for the occupational worker.
25 Dr. Vetter will actually go into a couple of slides in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 his presentation, but you can see there has been a
2 gradual reduction in the fetal exposure for that
3 occupational worker.

4 In 1990, the recommendation from ICRP was
5 200 millirem to the surface of the abdomen during the
6 remainder of the duration of the pregnancy. The
7 current recommendation has reduced that to 100
8 millirem. Today, NRC with part 20 is at 500. Dr.
9 Vetter, as I say, will talk about the implications of
10 that change.

11 CHAIRMAN RYAN: Just a quick
12 clarification, Vince, just so people recognize what
13 you're talking about. It says exposure limits and
14 that would be term of the pregnancy.

15 DR. HOLAHAN: That would be the term of
16 the pregnancy.

17 CHAIRMAN RYAN: I want to make sure
18 everybody

19 --

20 DR. HOLAHAN: That's correct. Medical
21 caregivers is actually a new category. It wasn't
22 addressed in 1977. It was briefly addressed in
23 paragraph 194 of the 1990 recommendations, but no
24 limit was described. And today, we actually have some
25 quantification as we'll see in my next -- actually,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's on this one right here.

2 CHAIRMAN RYAN: Could you leave that
3 previous slide, Vince?

4 DR. HOLAHAN: No, I haven't left it yet.

5 CHAIRMAN RYAN: I'm sorry.

6 DR. HOLAHAN: I haven't left it yet.

7 CHAIRMAN RYAN: Okay. I was just going to
8 ask you, could you help us understand the last two
9 columns in terms of definition of a medical caregiver?

10 DR. HOLAHAN: Medical caregiver would be
11 that family member that is providing comfort to a
12 patient during their treatment. This is not an
13 occupational exposure per se. As Dr. Cool had alluded
14 to, if my daughter, your spouse, significant other,
15 family member were to receive a procedure and you
16 wanted to be with them during the course of that
17 procedure, you would be allowed to exceed the public
18 dose limit of one millisievert per year.

19 Part 20 is now 500 millirem, 5
20 millisievert. We were aware at the time of the NCRP's
21 commentary. That commentary actually suggested that
22 we consider a 5 rem exposure, essentially making the
23 caregiver the same as an occupational worker,
24 receiving training, receiving monitoring at the time.
25 That was actually in a petition; we were developing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our rulemaking, one of the courses of action we
2 considered. But the Commission selected to 500
3 millirem dose limit as to where we are today.

4 With the 2005 recommendations, it is
5 suggested that the caregivers be allowed to receive in
6 any occasion several hundreds of millirem per
7 treatment with a maximum constraint, if you will, of
8 2 rem per year.

9 CHAIRMAN RYAN: Let me just kind of
10 understand the details here. That, to me, is an
11 interesting difference. Two rem is the annual limit
12 versus an occasional limit of hundreds of millirem
13 itself. At some point, caregiving becomes more of an
14 occupation than anything else if it's multiple years,
15 for example. Where does a holder fit into this? A
16 family member is asked to participate and somebody
17 holding that child, for example, during an x-ray or
18 some other -- I'm just asking, maybe now or later.
19 I'm just trying to probe some of the realities here.

20 DR. VETTER: Well, the last question, a
21 holder?

22 CHAIRMAN RYAN: Yes.

23 DR. VETTER: Their exposure is minimal.
24 It's very, very low because they're given an apron.
25 They're not in the beam. They're simply holding the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 child. The beam is all focused on the child, so they
2 get some scatter. It would be very minimal.

3 CHAIRMAN RYAN: But they'd be in a
4 caregiver category?

5 DR. VETTER: No, they're not. They're not
6 talked about in the recommendations in that regard.

7 CHAIRMAN RYAN: Okay. But some states do
8 talk about holders or others that participate, so I
9 would just offer that as something that that's a
10 distinction we ought to figure out. Don't step on
11 that.

12 DR. VETTER: They're simply not talked
13 about in these recommendations.

14 CHAIRMAN RYAN: Right.

15 DR. VETTER: But it's a common practice in
16 medicine that a parent would hold a child if the
17 child, if that was better than restraining a child in
18 some way.

19 CHAIRMAN RYAN: Right.

20 DR. VETTER: But the parent is given
21 instructions. They're given a lead apron and there
22 have been a number of studies that show their exposure
23 is minimal.

24 CHAIRMAN RYAN: Oh sure. That's not my point.
25 My point is it would be, I think, incorrect to move

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them into the caregiver category where there's now an
2 applied dose limit, for example.

3 DR. VETTER: I follow. Yes, I agree.

4 CHAIRMAN RYAN: Right.

5 DR. HOLAHAN: Next slide, please?

6 (Slide change.)

7 DR. HOLAHAN: We have seen this slide on
8 the maximum constraints already. I'll point out that
9 there are three categories of maximum constraint, not
10 four.

11 Mr. Mike Boyd will be discussing
12 environmental and emergency aspects here in just a few
13 minutes. Again, we see the maximum constraint of the
14 20 millisieverts here, specifically identifying
15 caregivers in this category, again keeping in mind
16 these are for all intents and purposes are same as our
17 occupational exposures where we have direct benefit to
18 the individual.

19 Our normal situations here, we're talking
20 about members of the public. Again, a societal
21 impact, but not necessary any direct benefits to the
22 individual. And really, what's interesting is this
23 last category here, the minimal constraint value.
24 This is a number that has not existed for us in the
25 Agency. We do not have a below regulatory concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number, if you will.

2 What's also interesting in this number is
3 it's also tied into those exemption numbers that we
4 see and that's important from the standpoint that if
5 you're below that particular exemption number, the
6 ICRP does not consider that product or source of
7 material to be radioactive. That's brand new. We've
8 never seen a statement like that.

9 Next slide, please.

10 (Slide change.)

11 DR. HOLAHAN: Continuing with some of the
12 exposure limits, just to be complete. Here are some
13 of the organ and tissue numbers. We can see for both
14 occupational and public, the ICRP numbers are here.
15 For the most part, part 20 tends to mirror those. But
16 in ICRP 60 and the 2005 recommendations, we don't have
17 an organ number any more. The reason for that is is
18 with the weighting factors, the belief is if you can
19 control or stochastic effects, you won't have tissue
20 reactions or in this case deterministic effect.

21 One of the areas that will mostly comment
22 on is this issue the skin dose being averaged over one
23 centimeter, as opposed to what we're looking at 10
24 centimeters and it deals with the hot particle issue.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 DR. HOLAHAN: Well, what are some of the
3 potential implications that we're looking at? Well,
4 as I've indicated previously, the new recommendations
5 are not as evolutionary for us as they are potentially
6 revolutionary.

7 Yes, there's been some new biological
8 material or information that's been considered, but
9 there have been a number of publications that have
10 been published since 1990. If you will, we're dealing
11 with a new respiratory tract model that was in
12 Publication 66. We have new radiation weighting
13 factors. That's in Publication 92. New conversion
14 coefficients for external exposure, Publication 74.
15 We have a new reference man, if you will. We have new
16 anatomical and physiological data, Publication 70. We
17 have age-dependent dose coefficients for ingestion and
18 inhalation. These are in Publications 67, 68, 69, 71,
19 72.

20 As Dr. Eckerman mentioned, the ICRP has
21 out for comment a new human alimentary tract model.
22 So we're talking about some significant changes the
23 way dose is to be assessed and how effective dose is
24 to be calculated.

25 I guess the question would be is what are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we going to do next?

2 CHAIRMAN RYAN: Just before you get there,
3 one clarification on your slide is dose assessment
4 methodology, just to be specific, you mean internal
5 assessment from intakes?

6 DR. HOLAHAN: Yes.

7 CHAIRMAN RYAN: And then second, currently
8 most of those things that I see are really not cast so
9 much in regulation of 10 CFR somewhere as they are in
10 implementation guidance, reg guides and NUREGs, a
11 document to that sort. Is that a fair assessment on
12 my part?

13 DR. HOLAHAN: Right now we have portions
14 of it that are in part 20, radiation weighting factors
15 --

16 CHAIRMAN RYAN: Weighting factors and the
17 neutron quality factor.

18 DR. HOLAHAN: All of that is there and
19 that basically ties us to ICRP 30.

20 CHAIRMAN RYAN: Right.

21 DR. HOLAHAN: And the methodology there.
22 Ideally, one of the courses of action that the
23 Commission might consider is pulling much of that
24 information out of part 20, leaving dose limits there
25 and put the implementation into regulatory guidance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: But the things you've
2 listed here, that's the only piece that's actually in
3 there at the moment.

4 DR. HOLAHAN: Correct.

5 CHAIRMAN RYAN: Okay.

6 DR. HOLAHAN: So the question might be is
7 what is the NRC planning to do? Right now, the staff
8 is going through the recommendations. We'll be going
9 through the foundation documents as they become
10 available. We will be developing a list of comments
11 for the Commission's consideration and we plan on
12 transmitting them to ICRP by the end of the year.
13 Clearly, we're hoping to look at any input that this
14 Committee has, the ACMUI Committee has and the ACRS to
15 make sure we're consistent.

16 We're very much interested right now in
17 the information that you're going to be providing to
18 the Commission, also to know if you plan on just
19 sending that up or coordinating that with the staff.

20 In addition to that, as Mike will be
21 discussing in a few minutes, we have the Federal
22 Guidance Subcommittee where the federal agencies will
23 also be looking at these draft recommendations and the
24 foundation documents to make sure that we're in
25 concert with some of our core recommendations, at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 least the general recommendations.

2 Finally, we have an opportunity through
3 the Nuclear Energy Agency Expert Group, to provide
4 comments to the ICRP next year. In addition to that,
5 we have a number of activities that we'll be looking
6 at. First of all, we know that as far as other
7 information, BEIR VII, should actually be published
8 before these recommendations are finalized.

9 The time line that we're looking at right
10 now with BEIR VII, Biological Effects of Ionizing
11 Radiation is that should be going to report review
12 within the next one to two months and we're hoping
13 that it should be available as a final report no later
14 than June of next year.

15 Dr. Ryan, you had mentioned that there
16 were some difficulties in the basic biology in terms
17 of bystander effects and genomics instability. Well,
18 these are issues that DOE is also looking at. They
19 are funding to the tune of almost \$20 million a year.
20 basic scientists to look at these issues. Both are
21 topics that UNSCEAR will be looking at. Both are
22 topics that we ask the National Academies to look at
23 and quite frankly, there is no resolution on those
24 issues today.

25 Once these documents are in, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations are finalized, the staff will then
2 have to look at the so what issue. What are the
3 regulatory options available to us, what are the costs
4 associated with them? Based on that, the staff will
5 be making recommendations to the Commission as to what
6 they should do, whether they should go forward with
7 rulemaking or not.

8 With this in mind, next slide.

9 (Slide change.)

10 DR. HOLAHAN: Shortly after the 1990
11 recommendations were published, we went through one of
12 these type of drills. We had Brookhaven conduct a
13 study where they looked at the impact of reduced dose
14 limits on NRC licensed activities and asked them to
15 identify major issues on the implementation of both
16 ICRP and NCRP dose limit recommendation and this is an
17 example of some of the bullets that came out of that
18 report and because of the number of individuals
19 involved and licensees involved, I picked the
20 commercial power reactor section.

21 Now in 1995, they predicted that they had
22 to implement a 25 millisievert annual exposure limit.
23 It cost the licensees several million dollars per
24 plant in capital costs, maybe half a million dollars
25 per plant in annual costs. They projected an increase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the collective dose of their work force, anywhere
2 from 2 to 100 percent.

3 They would spread that elective dose among
4 more workers, recognizing that these skilled craft
5 workers were in short supply and that there was an
6 implication that it might actually adversely impact
7 safety at these plants.

8 Next slide, please.

9 (Slide change.)

10 DR. HOLAHAN: So with that in mind what
11 has actually happened? What I'm presenting here is
12 some data that comes from our radiation exposure
13 information reporting system data. We publish data
14 annual for five different classes of workers. Here
15 I've used 1989 as the base year. That would have been
16 pre-ICRP 60 data. I've also included 2003 data. This
17 is data that should be on our public website within
18 the next couple of weeks. This is the newest data
19 that we have available.

20 You can see in the two years there's been
21 about a 10 percent reduction in the number of plants
22 that have been on-line. If we look in the middle
23 here, the number of workers with measurable exposures
24 has decreased by approximately one third. But rather
25 than a 2 to 100 percent increase in collective dose,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we see almost a two-thirds decrease. And if we look
2 at the measurable TEDE or exposed worker, in fact, you
3 see a one third reduction.

4 Currently, with the 5 rem occupational
5 dose limit, if we had an administrative dose limit of
6 let's say four rem, 1989, 11 workers exceeded that
7 limit. The last reporting year, we actually had zero.

8 If we look at the 2 rem 20 millisievert
9 exposure, approximately 1400 workers that exceeded
10 that limit or that exposure in any particular year.
11 These 11 are captured in the 1400. What we find is
12 it's been reduced down to about 37.

13 This again is out of over 100,000 workers.

14 With the administrative limit, let's say
15 it's 80 percent of some 2 rem, you can see
16 approximately 10,000 workers that exceeded one rem,
17 1989 and today, those numbers are reduced tenfold.

18 Now this wasn't accomplished based on any
19 requirements set upon industry by NRC. These were
20 initiatives industry took themselves, looking for
21 better practices, trying to reduce dose wherever
22 possible.

23 Next slide, please.

24 (Slide change.)

25 DR. HOLAHAN: This is more of a comparison

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and contrast type of situation where we're looking at
2 radiographers. Same time periods. We have about a
3 third-thirds reduction in the number of licensees
4 between these two periods, about a 40 percent
5 reduction in the number of individuals with measurable
6 exposure. But as you can see, there's only a small
7 decrease in a total collective dose. In fact, if you
8 look at the measurable TEDE for worker, there's been
9 an increase. This increase has actually been
10 incremental from year to year. So we're finding this
11 is the worse case situation, that is, as the number of
12 workers were decreasing, the load has essentially
13 shifted to the remaining workers.

14 If we look at the same categories, the
15 greater than 4 rem, no change; greater than 2 rem, no
16 change. For all intents and purposes, greater than 1
17 rem, there's been no change. Again, even with a
18 reduction in the number of workers that have
19 measurable exposures, the number of licensees.

20 We'll find that -- again, Dr. Vetter will
21 talk about the medical side. He can go into that.
22 It's most likely that there will be reductions in
23 these numbers, that the effort that's going to have to
24 go in there will be industry-specific. Clearly, the
25 power plants have been on the leading edge and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aggressively been trying to deal with this for at
2 least the last 14 or 15 years, if not longer and we'll
3 have to see if we can accomplish the same type of
4 things with the radiography group because that, in
5 particular, is where we got our greatest problem.

6 With that, why don't I close and I'll take
7 any questions that you might have.

8 DR. POWERS: I think it's worth exploring
9 when you made your point how aggressively plant
10 operators have sought to reduce their man-rem
11 exposures and I wonder if you have any insights on how
12 they have gone about achieving that?

13 DR. HOLAHAN: One example would be, for
14 example, the ISOE. It's an organization, an
15 international organization. We have a North American
16 counterpart, Canada, the U.S. and Mexico, where they
17 literally exchange best practices. For example,
18 replacing a piece of equipment during an outage, how
19 do you do it? How can I do it? How can I do it in
20 such a way that I can keep the collective dose and the
21 individual dose as low as possible?

22 These plants do get together and send
23 representatives once a year. There's a meeting during
24 the winter down in Florida and they literally are
25 exchanging best practices.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: I think that's correct.
2 That's certainly one of the aspects. The other aspect
3 is an aggressive ALARA engineering review of every
4 activity that takes place in the plant that involves
5 possible radiation exposure. The other aspect is that
6 the plant's create themselves or get rated by their
7 ability to keep not only low radiation exposures, but
8 decreasing them, man-rem exposures. It's been
9 aggressively pursued using an ALARA type of approach.

10 DR. WEINER: This is a layperson's
11 question and it's about the medical caregiver exposure
12 doses. If 2 rem per year is okay for a medical
13 caregiver, why not for any adult? And this is a
14 different situation from an occupational situation.
15 A person goes into an occupation and takes a known
16 risk, he or she knows that there will be exposure and
17 says okay, I'm going to do this job anyway. A medical
18 caregiver isn't in that situation and in theory, at
19 least, the 2 rem is protective. You don't expect
20 anything, any adverse effect to the caregiver for
21 allowing 2 rem. So why not the same dose for same
22 limit, suggested limit, constraint, whatever you want
23 to call it, for any adult?

24 DR. HOLAHAN: Well, clearly there is a --
25 using the linear non-threshold model, a theoretical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk. But against that theoretical risk is the
2 perceived benefit to both the patient and the
3 psychological benefit to the individual. And now we
4 have identified specific individuals now as opposed to
5 a large group, ostensibly the population of the U.S.,
6 but we can't quantify or specifically identify who
7 those individuals are and what benefit they might
8 have.

9 So go ahead --

10 DR. WEINER: But you're not really --
11 isn't the prime move for any dose constraint the
12 health and safety of the person to whom the constraint
13 is being applied? I mean you're not really making a
14 cost benefit decision for any individual and so -- and
15 also if you wanted to extend the benefit argument
16 further, you could say well, people get electricity
17 from nuclear power plants and therefore the truck
18 carrying the waste breaks down in front of their
19 house, there's a benefit there too. But that's kind
20 of a specious argument.

21 My point is you're not putting the
22 caregiver at noticeable risk. I suspect that if you
23 were, you wouldn't make that judgment. You're saying,
24 in effect, the risk is very small and yes, there is a
25 benefit. But the risk to the caregiver is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 substantial.

2 That's the driver, isn't it? The driver
3 is really not the putative benefit to the patient or
4 to the caregiver for being able to take care of the
5 patient. The driver is safety, isn't it?

6 DR. HOLAHAN: Well, safety and
7 acceptability of risk. And the question is is what is
8 an acceptable risk, what's not an acceptable risk?

9 As we would probably discuss with Mike
10 here, it's been basically driven by the Courts. Right
11 now, what is acceptable risk, 10^{-4} , 10^{-6} , lifetime
12 risk. And you can crunch the numbers and of course,
13 our public dose limits are significantly greater than
14 that.

15 But it comes down to a matter of
16 acceptability, what I choose to be exposed to, what I
17 choose not to be exposed to. Granted, we're exposed
18 to risk every day. The probably greatest single risk
19 I put myself voluntarily into is coming down
20 Interstate 270 to and from work. I understand the
21 risk. I've made a specific choice there. But that
22 would be analogous to the caregiver because of that
23 benefit.

24 CHAIRMAN RYAN: Ruth, let me maybe focus
25 here on your question by asking a second question of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Vetter.

2 You mentioned studies have been done for
3 such folks like holders and others. I mean I just
4 can't imagine where too many caregivers, first of all,
5 would get anywhere near 2 rem. Second, that the
6 average is probably substantially less than 100 or a
7 couple of 100. Is that a fair judgment on my part?

8 DR. VETTER: Yes, that's a fair
9 assessment. In fact, in this country, we're not
10 allowed -- the rule is basically constructed to allow
11 us to release a patient that would result in a member
12 of the public getting no more than 500 millirem.

13 CHAIRMAN RYAN: Right.

14 DR. VETTER: So we're not really setting
15 a limit on individuals, but no one, no one individual
16 can get more than 100 millirem. So in this country,
17 no one has exceed 500 millirem to my knowledge, with
18 the exception of a few cases where things really broke
19 down. But that's very, very rare.

20 So the practice has been going on now for
21 several years where patients are released from the
22 hospital, radioiodine, principally. They go home and
23 these are patients that previously had to be
24 hospitalized for radiation protection purposes, that
25 is, they would result in more than 100 millirem to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 members of the public. But the new rule allows us to
2 release them into the care, quotes, of a family member
3 and they're all given instructions and in most cases
4 these people drive home. They stay home. They're
5 told not to be around young children. Not hold young
6 children on the lap, that sort of thing. So that's
7 correct. In this country, people are not being
8 exposed to more than 500 millirem.

9 CHAIRMAN RYAN: Sure. Now in the case of
10 the other example that I asked you about earlier,
11 holders and x-ray procedures and so forth, they're not
12 even on this radar screen, I wouldn't --

13 DR. VETTER: No, no. That would be a few
14 millirem to 10s of millirem at most.

15 CHAIRMAN RYAN: Right.

16 DR. VETTER: In those cases. In this
17 case, it's a calculation that suggests a member of the
18 public might get up to 500 millirem and there is some
19 conservatism in that -- I mean it's not extremely
20 robust, but we're pretty sure that no one is going to
21 get over 500 millirem. And in fact, there have been
22 a number of studies in the literature, as you well
23 know, that demonstrate that family members are not
24 getting more than a few hundred millirem in those
25 cases. Family members have been badged.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Right, exactly.

2 DR. VETTER: Time studies done and so
3 forth. So --

4 CHAIRMAN RYAN: Thank you. I guess I just
5 wanted to say that that rem is probably not in realm
6 with this operation and then when you get down to the
7 100 millirem to a couple of hundred, then we're not
8 too far away from what is the generally acceptable
9 standard for exposure to the public at large anyway.

10 DR. WEINER: Thank you. And that is a
11 very good clarification. I guess the -- I'll just end
12 with a comment. The thrust of my comment -- and I'm
13 familiar with all the risk, it's more risky to drive
14 a car and all that sort of thing.

15 I've had students say to me you mean I
16 shouldn't get an x-ray? You know, what is the risk
17 associated with x-ray, dental x-ray exposure, which
18 everyone gets. That kind of thing. Are you running
19 the risk in making this limit as large as it is of
20 saying to the public on the one hand this is a risk
21 and because there's an associated benefit, we know
22 you're going to take the risk, and on the other hand,
23 it isn't so risky because we say it's okay. Are you
24 sending, is ICRP by doing this, sending basically a
25 mixed message, because caregivers are members of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public. This is not an occupational exposure.

2 CHAIRMAN RYAN: Maybe I could ask Vince or
3 Don or both to respond on the basis of ICRP's
4 justification of the practice. If I heard Roger
5 Clarke right a few weeks ago, he said that the
6 practice justified and I think that's the question
7 you're asking, is it justified, once that
8 determination from societal and legislative and other
9 drivers has been determined to be justified. That
10 ends that discussion and then it's on to what's the
11 appropriate constraint, if I have it right.

12 How am I doing?

13 DR. COOL: I think you did pretty well
14 there, Mike.

15 Answering how I think ICRP would answer
16 it, there are a couple of pieces to the equation.
17 First is the degree of information that the individual
18 has in control over what their exposure might be. And
19 in the caregiver model they're assuming that the
20 individual has some information. In fact, the
21 paragraph that talks about this and suggests up to 2
22 rem specifically includes and are informed of the
23 risks, so that they can make some decisions and
24 perhaps take some protective actions or at least do
25 this in a voluntary manner. Otherwise, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendation as Vince has pointed out, was several
2 hundreds of millirem which is not all that much
3 different from what we have already done with patient
4 release and ostensibly, but not terribly different,
5 from the limit that you had placed on members of the
6 public.

7 If for the moment we are assuming that we
8 are still in a model land where any increment of dose
9 equals some increment of risk, the desire would be to
10 improve protection if you could. That doesn't mean
11 that things are of no risk on any point on that curve
12 or of some risk. It depends on what your view point
13 is.

14 Yes, we are schizophrenic. We would
15 desire in a perfect world to reduce the exposure so
16 long as we can still achieve whatever benefit there is
17 to it. There are obviously physical limitations to
18 that. You can't achieve the benefit of figuring out
19 if you've got a cavity or if you've got this or that
20 without incurring some risk. And it doesn't matter
21 whether it was the x-ray or somebody probing you with
22 their finger or some other implement.

23 And so it goes back and forth a little
24 bit. And as a complex mixture of what do we think the
25 mathematical risk is, which no one really understands,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and what do we think the perceived risk is and what's
2 our degree of knowledge that layers all of that and
3 which most likely will drive your perception and
4 decision in any particular circumstances.

5 DR. WEINER: Thank you.

6 CHAIRMAN RYAN: We're running just a bit
7 over time here. Let's move through the questions and
8 get to the next presentation.

9 MR. CROFF: Back to Vince, going through
10 the list of the various impacts on NRC regulations,
11 many of which were in reg guides and this kind of
12 things and changes made in 10 CFR 20, then went on to
13 occupational where I guess there was some historical
14 claims, but didn't really prove out or in another
15 industry may not prove out occupational dose-wise, but
16 I'm not sure about your answer to your own question.
17 I took away that you don't think the impacts of such
18 a change would be terribly significant. Is that a
19 correct impression that I have?

20 DR. HOLAHAN: I think the staff position
21 previously has been implementation of the new
22 requirements will not result in a significant increase
23 of safety. With our current dose limits in ALARA,
24 we're already there, that there might be some minor
25 changes, as you would say, with the radiographers, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for all intents and purposes, if we go through this,
2 it's going to be very difficult to demonstrate an
3 increase in public health and safety.

4 MR. CROFF: But there will be some
5 significant effort attached to a very small --

6 DR. HOLAHAN: Very much so.

7 MR. CROFF: There will be some significant
8 costs here.

9 DR. HOLAHAN: And basically, it's the cost
10 of the implementation, whether it be writing our own
11 regulations, internal policies, with the various
12 licensees, changes just into the dosimetry system, the
13 way you calculate dose. Yes, it's better science, if
14 we could make a justification on just the science,
15 clearly, we ought to be adopting all of the new
16 models. But I guess the question would be, I would
17 maybe pass this over to Dr. Powers is can we get
18 through backfit because really, we're going to have to
19 look at what the impact is on the power plants and
20 will there be enough benefit to justify changing the
21 regulations?

22 DR. POWERS: I certainly have not looked
23 at it in detail, but I'm willing to bet that a
24 reasonable analogy to look at would be fire
25 protection. We went through an enormous effort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 following Appendix R to create a training effort on
2 the part of a licensee, tremendous training effort on
3 the part of the NRC and their inspectors, but not an
4 established technology that be applied by the working
5 engineer and the operational people very intuitively.
6 They understood what they were trying to achieve, to
7 keep one shutdown train alive at all times, even in
8 the face of fire.

9 Along came a group of people at NFPA and
10 said gee, we can do this in a much better fashion. It
11 will save a lot of money and it will probably make the
12 plant maybe a little safer, but it will be a lot more
13 intuitively pleasing, a lot more well based. And the
14 universal reaction was well, it doesn't make the plant
15 safer and it will cost me a huge amount of money and
16 suddenly I can do things in an intuitive basis. I
17 have to have punitive to do it. I don't want to do
18 it. I've already invested heavily. It's not going to
19 improve my plant. It's not going to generate an extra
20 kilowatt for me. It's not going to be any safer.

21 What they did in a regulatory space
22 because there are some people who would like -- and
23 there is some benefit to it. Just make it voluntary
24 because we have this code and standards rule coming
25 through us, international code and standards rule.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There was a willingness to do it, but just make --
2 avoid the cost and still make it available to those
3 licensees that want to do it, but just make it
4 voluntary.

5 I was going to look for an analogy. It
6 will be an imperfect analogy to be sure, but it might
7 give you some guidance on what happens at the
8 operational level when you get these new dictums that
9 require a change in the technology which had spent a
10 lot to develop and especially when it's gotten very
11 effective where people do Appendix R evaluations in
12 their head, because you can. You just know it so
13 well. Similarly, you do a lot of evaluations in your
14 head. You don't really need a computer code to do
15 that.

16 When you go to more complicated systems
17 where you do need those, there's a huge training cost
18 associated with that.

19 CHAIRMAN RYAN: Just to follow up real
20 quick, Dana. I was interested in your comments
21 earlier about -- and recognized certainly commercial
22 nuclear power improvement in ALARA's standpoint in
23 safety conscious work environment, work practices,
24 best practices. It's a tremendous lot of work. And
25 that's in spite of a regulatory change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When you look at a much smaller category,
2 the industrial radiographers, it begs the question to
3 me, well, maybe they'd be better served by thinking
4 about risk-informed practices in the radiographer
5 world than not.

6 Is there some way to use the techniques of
7 analysis and the thinking and work practices from one
8 industry segment to another?

9 DR. POWERS: Well, I think it's clear that
10 that's the job at NMSS wrestles with enormously. Let
11 me see if I can make the translation.

12 Understand that when it comes to
13 quantitating risk analyses, a power plant licensee has
14 an organization that is composed of people very
15 skilled at doing that.

16 CHAIRMAN RYAN: I understand that.

17 DR. POWERS: Whereas an individual
18 radiographer may or may not have that kind of support
19 and generating, developing that kind of support has
20 taken us -- depending on how you measure 25 years in
21 the power industry to develop that technology, whereas
22 -- and we had the advantage since they were about 100
23 institutions working on developing one technology
24 whereas in the individual radiographer you might well
25 have a thousand different technologies that you'd have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to develop and you might have one to a few people
2 working on each one of those technologies, might be
3 certainly challenging.

4 CHAIRMAN RYAN: Of course, the system is
5 much simpler, so maybe they can --

6 DR. POWERS: You've got that other
7 tradeoff. I mean there are a lot of decision making
8 mechanisms, but even at our research reactors, we have
9 a hard time bringing the full power of risk
10 technologies to the fore, just because the support
11 organizations are small relative to nuclear power
12 plants. You just can't amortize the cost over enough
13 people to make it justifiable.

14 CHAIRMAN RYAN: Thank you. Without
15 further ado, let's move to on Mike Boyd from
16 Environmental Protection Agency for his presentation.

17 Mike, welcome.

18 MR. BOYD: It's a pleasure to be here
19 today and talk to you a little bit about the way EPA's
20 standards mesh or don't mesh with those proposed by
21 the ICRP. I'm giving, first of all, first off, I'm
22 giving this to you today and not yesterday, as my
23 slide says the 18th. It's obviously the 19th. But
24 I've also given you an EPA perspective, not the EPA
25 perspective, because we are a large -- next slide --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 MR. BOYD: -- decentralized agency with 10
3 more or less autonomous regional offices and several
4 media-specific program offices.

5 May I have the next slide?

6 (Slide change.)

7 MR. BOYD: At EPA, we were formed in 1970.
8 We were formed along media-specific program areas and
9 at the Headquarters level we have the office that I'm
10 in, the Office of Air and Radiation which is the --
11 where the Office of Radiation and Indoor Air which is
12 the Radiation Technical Office is located. We deal
13 with everything related to the Clean Air Act,
14 obviously, the emission standards for hazardous air
15 pollutants, but we also have all of the AEA authority
16 that was transferred to EPA, that portion of the AEA
17 authority that was transferred to EPA is within my
18 office in OAR.

19 Then you have the Office of Water which
20 sets the drinking water standards and any standard for
21 water quality. And then the Office of Solid Waste
22 Emergency Response which is where the overall
23 emergency response capabilities of the Agency are
24 centered, as well as all of the cleanups and hazardous
25 waste management and solid waste.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So as you'll see in a minute, each of
2 these program area offices working under different
3 statutes sets standards a little bit differently.
4 After that, I'm going to talk about the role of
5 federal guidance in setting individual standards and
6 how that comes into play. And finally, do a quick
7 comparison of how, what we now have on the books
8 compares with what ICRP is proposing. It's a somewhat
9 similar approach to what Vince just gave you.

10 Next.

11 (Slide change.)

12 MR. BOYD: As I said under the Office of
13 Air and Radiation, the Clean Air Act standards set
14 emission standards for radionuclides. It's
15 interesting. If you've read the NESHAP, the National
16 Emission Standards for Hazardous Air Pollutants, I
17 wasn't around, so I don't know if it was purposeful or
18 just inadvertent, but the standards do not cover
19 direct radiation. It's not photons. It's actually
20 particulates. So the particulate emission standard
21 for radionuclides from stacks is set at 10 millirems
22 per year. This is using the ICRP 26 definition of
23 effective dose equivalent.

24 And this really is what we would consider,
25 as many standards you'll see at EPA, we would consider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this pre-optimized. This 10 millirem was determined
2 to meet what the Clean Air Act defined as an ample
3 margin of safety and therefore meeting that standard
4 is sufficient without ALARA consideration.

5 Under the Atomic Energy Act and related
6 statutes which do include Uranium Mill Tailings Act,
7 the WIPP Land Withdrawal Act, the 1992 Energy Policy
8 Act which gave us -- told us to write the standards
9 for Yucca and various others, Nuclear Waste Policy
10 Act, under these, EPA has set standards, generally
11 applicable standards that again do not require ALARA.

12 We typically at the Agency set a number in
13 the Office of Air and Radiation in our regulations.
14 It's a standard that just has to be met. There's no
15 real discussion or has not been a discussion of
16 optimization.

17 Now except for WIPP where we are the
18 regulator, most of our standards get adopted and are
19 then enforced by either the NRC or the agreement
20 states. And under their programs, obviously, through
21 the NRC part 20 regulations and others, ALARA does
22 come into play. So even though we set a standard
23 without an ALARA attached to it, that generally, that
24 optimization step generally gets picked up by NRC and
25 the states.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I would say that in my office, the AEA
2 type and the Clear Air Act standards that we've set
3 don't really fit the ICRP definition of a constraint
4 in that we think that the way we right the rule is all
5 you have to do is meet the number.

6 Now you move over to the Office of Water
7 Standards, next slide.

8 (Slide change.)

9 MR. BOYD: Under the Safe Drinking Water
10 Act, we have set what are called maximum contaminant
11 levels, MCLs, and we've set the -- you're probably all
12 familiar with the man-made beta and photon emitter
13 standard which is 4 millirem a year and this is
14 critical organ dose. This is one of those old ICRP 2
15 standards that's still on the books.

16 We have a gross alpha standard and we have
17 limits now for radium and uranium and I guess you know
18 the radon standard is still being promulgated and will
19 probably be, still being promulgated for many years to
20 come.

21 But the interesting thing about the Safe
22 Drinking Water Act, the MCLs is that there's not a sum
23 of the fractions rule for MCLs. You are just required
24 under the Safe Drinking Water Act's standards or under
25 our radionuclide MCLs or any of the MCLs, again, just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to meet them, but to meet them individually. So not
2 only is the sum of the fractions rule not applied, but
3 again, ALARA is not applied. All you have to do is
4 meet the standard.

5 So under the Office of Water standards,
6 the MCLs, I would say here, MCLs are not constraints
7 as the ICRP would define them.

8 Next.

9 (Slide change.)

10 MR. BOYD: Where we do come a little
11 closer to ICRP's thinking is in the Office of Solid
12 Waste Emergency Response standards which have been
13 promulgated under the CERCLA, the Superfund law. And
14 Superfund specifically included radionuclides as
15 covered by the law governing cleanups and sites. And
16 the regulations that were developed at the Agency
17 under Superfund do include an excess cancer risk range
18 of 10^{-6} risk, one in a million excess cancers as a
19 point of departure, a starting point. And it says
20 that you should not exceed about 10^{-4} excess cancers
21 for all contaminants combined for a specific site.

22 This is the often called bottom-up
23 approach where we do start at 10^{-6} and then we start
24 applying -- it's sort of reverse ALARA, but it's
25 really ALARA, because what you're trying to do is get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to some point at or below 10^{-4} , taking into account a
2 number of factors.

3 The Superfund programs uses the term
4 "balancing criteria, you might hear. But it really is
5 an optimization type approach. So under this scheme,
6 I think the 10^{-4} or about 10^{-4} is probably pretty close
7 to what the ICRP would call a constraint. It's a
8 level that's sort of a ceiling and you really want to
9 stay below it if you can get there and the farther
10 below it, the closer to 10^{-6} the better, although in
11 radionuclide cleanups, you know, you almost never see
12 cleanups that achieve much below 10^{-4} . Background is
13 10^{-4} , background radium is certainly 10^{-4} . And so this
14 is where I think under the EPA standards you'll find
15 something similar to the ICRP's concept there.

16 (Slide change.)

17 MR. BOYD: Moving on then to the next
18 slide, the role of federal guidance, this was a
19 function that belonged in the days of the Atomic
20 Energy Commission to an entity called the Federation
21 Radiation Council which was made up of Secretaries of
22 all of the agencies or their designees, all the
23 agencies that had to do with using atomic energy or
24 radionuclides or whatever. So they were a fairly
25 powerful group and they wrote guidance that applied.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Generally, their function was "to advise the President
2 on radiation matters, directly or indirectly affecting
3 the public, including guidance for all federal
4 agencies in the formulation of standards." So this is
5 a fairly powerful authority. It hasn't been used much
6 at all and when we try to use it it takes a long, long
7 time.

8 Don and I are currently co-chairing the
9 Federal Guidance Subcommittee of ISCOR, so we're now
10 still trying to get out the federal guidance for the
11 general public. But this authority does have the
12 potential for allowing us to bring some consistency
13 across federal agencies in the way radiation
14 protection standards are issued.

15 (Slide change.)

16 MR. BOYD: The old issues, the next slide,
17 the old standards, the old guidance, I'm sorry, the old
18 guidance that's still on the books, and I'm using --
19 I've been trying to use the word standard. I don't
20 know if I've been totally consistent, because I don't
21 think that a lot of what we've done at EPA fits what
22 you would call a limit or a constraint, so I'm just
23 being generic there.

24 But in the federal guidance we have used
25 the term limit. And in the 1960 guidance issued under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 President Eisenhower, we had a public dose limit of
2 500 millirem and this does meet the ICRP's current
3 definition of limit because it was from all sources to
4 an individual, member of the public. And as far back
5 as 1960 we acknowledged in this guidance what the ICRP
6 is now acknowledging that you can't always know where
7 all the sources of exposure are coming from to an
8 individual, and in 1960 they said when all the sources
9 of exposure are not known, then the per capita dose
10 should not exceed 170 millirem and they also advise
11 that individual doses should be as far below this
12 guide as practicable.

13 So I think you're seeing there something
14 like what the ICRP is calling a constraint, even as
15 far back as 1960. But the individual limits should be
16 some fraction of 500 and that what we now call ALARA
17 should be applied to that number. So those -- as you
18 know, the -- most of you I assume know the 1960
19 guidance for the general public is still on the books.
20 It has, in practice, been superseded by all of the
21 major players, the NRC, the DOE and most of the
22 states, adopting the 100 millirem and I'm here using
23 the traditional units just for ease of comparison.

24 So it's in that sense then made somewhat
25 obsolete, but it's still an existing guidance and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is still often referred to and is frequently to the
2 embarrassment of the Agency. So we are trying to
3 revise that.

4 (Slide change.)

5 MR. BOYD: In 1987, next slide, we did
6 revise that part of the 1960 guidance that pertained
7 to workers. In the 1987 guidance we adopted the limit
8 which was actually, I think, to be called a constraint
9 of 5 rem per year committed effective dose equivalent.
10 The guidance also recommended that fetal doses and if
11 you had a worker younger than 18, both of those should
12 be held to 500 millirems. The 18 would be 500
13 millirems in a year. The fetal dose, 500 millirems
14 during gestation.

15 This 1987 guidance specifically required
16 ALARA, but what it did not do is define the way NRC's
17 part 20 does. It did not define a radiation worker.
18 You could read the 1987 guidance and people have read
19 the 1987 guidance and ICRP guidance as well, too, to
20 say that anybody can get up to 5 rem if the source of
21 the exposure occurs while they're earning a salary,
22 regardless of what their employer's responsibility is
23 for the source of that dose.

24 In other words, if you had a flower shop
25 sitting on top of an old TNORM site, you know, maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you could get 5 rems and that would be fine because
2 that would be occupational exposure. That, I think,
3 is being -- to use Vince's term about nibbling at the
4 edges, I caught a few sentences or at least one in the
5 2005 language where the ICRP is actually talking about
6 separating those workers who are not what NRC would
7 call radiation workers, but are employed by, for
8 example, a nuclear utility, and applying the public
9 dose limit to them. Maybe a secretary in an
10 administrative building in a nuclear power plant would
11 not be subject to the 5 rem occupational limit.

12 I have to admit that if you read EPA's
13 current federal guidance, you might draw a different
14 conclusion. So I think there's a place where some
15 clarification is useful and also, OSHA has raised the
16 same issue in relation to the -- sort of the "dirty
17 bomb" discussions, when you can let someone go back to
18 their office after a terrorist event. Can they go
19 back to work when their office is giving them 2 rem a
20 year, 5 rem a year, 500 millirem a year, 100 millirem
21 a year. So there's a lot -- there is a need, not just
22 a perceived need, but a real need, I think, to sort of
23 clarify what doses apply to what people under what
24 circumstances, when it's a radiation worker and when
25 it's just a member of the public.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 (Slide change.)

3 MR. BOYD: We are working, we've been
4 working for 15 years, I'd say on at least revising the
5 federal guidance for the general public. We are at a
6 point now where I think we're very, very close. We
7 have been in discussions with the major agencies, EPA,
8 NRC, DOE and now Homeland Security. And we're -- the
9 current thought is that we would propose federal
10 guidance for the general public with two options. The
11 first option which is -- which was an initial attempt
12 at a compromise that didn't quite work out, but we're
13 going to leave it for the public to comment on, would
14 be an option that doesn't specify any numbers.
15 Instead of ICRP's sort of confusing what a public dose
16 limit and what an individual dose constraint is and
17 coming up with the same number for it, we wouldn't
18 have any number. We would say that it's up to
19 agencies in a specific situation to determine what the
20 appropriate number would be in that situation. So
21 there would be no limit as defined by ICRP and
22 constraints would be pretty much site specific.

23 Not surprisingly, NRC and DOD and the
24 folks at DOE could see it both ways, but there were
25 some real concerns about not having a public dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limit in the federal guidance. So Option 2 is now
2 proposing in the current draft which has not gone to
3 the Federal Register yet, but this is almost certain
4 to stay in when it does, a proposal that would have
5 the public dose limit set at 100 millirems which is
6 consistent both with the 1990 ICRP and 2005
7 recommendations. Both of these options, 1 and 2,
8 stress that optimization is the key to radiation
9 protection, but we don't in either option beyond
10 specifying public dose limit, we are not specifying
11 any values for individual source limits or as the ICRP
12 would say, constraints.

13 So the current thinking on new federal
14 guidance is we would say that you start at 100
15 millirem and you apply optimization to come up with a
16 source specific limit.

17 This is kind of, I guess, skipping a step
18 because it's not setting a constraint and then doing
19 ALARA. It's depending on how you view it. I mean you
20 could view the 100 millirems as a limit below which
21 you need to set a source-specific constraint or you
22 could use the 100 millirem as the source-specific
23 constraint. So there's some fuzziness there, I'd say
24 still.

25 Finally, let's do some comparison of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPA standards with what ICRP is proposing. Looking
2 now at just those four numbers, the ICRP constraint
3 which included the constraint for emergency responders
4 at the high end was 100 millisievert and 10 rem. The
5 10 rem is actually lower than what we currently have
6 in our protective action guides which says that for
7 life saving, you can go up to 25 rem and you can on a
8 voluntary basis, even exceed 25 rem, but this is
9 strictly voluntary.

10 I would say other than the lifesaving
11 number being higher, the 10 rem is otherwise not
12 inconsistent, that's sort of one of those fuzzy ways
13 of saying it. It is mostly consistent, but it depends
14 on how you write all of your background materials
15 supporting it and who your first responders are and
16 who you allow to get these kinds of numbers.

17 So we're a little higher there and I think
18 the important thing to remember about emergency
19 response is that we at EPA, and NRC as well, set
20 limits and standards and constraints and whatever you
21 call them, assuming particularly for workers a sort of
22 on-going lifetime scenario where this limit isn't just
23 something you will get this year, but it's something
24 you will get every year that you're in the work force
25 or might.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In an emergency response situation, you
2 have to really think through whether that guy that
3 gets 25 rem is going to be asked to do that a second
4 time in his life and if this 25 rem is a one-time
5 exposure, then maybe it's not so out of line with the
6 10 rem annual dose for life saving. Just an editorial
7 aside there.

8 The ICRP worker constraint at 2 rem,
9 you've already heard that our -- the federal guidance
10 limit is 5 rem plus ALARA. That's still the number
11 that's on the books at NRC and in the agreement
12 states, I believe.

13 Next.

14 (Slide change.)

15 MR. BOYD: The -- back one, I'm sorry.

16 (Slide change.)

17 MR. BOYD: The ICRP 60 public dose limit
18 which has not been retracted, I would say is
19 consistent with our federal guidance for the general
20 public option 2 which is 100 millirems. This -- if
21 you call the 100 millirems of public dose limit, then
22 we're consistent. But if you call the 100 millirems
23 of source constraint, then we're probably not
24 consistent because EPA tends to set source limits that
25 are typically well below 100 millirems, typically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around 15 millirems down as to heard 4 millirems.
2 Those are numbers that aren't constraints in the sense
3 that you -- all you have to do is meet them.

4 CHAIRMAN RYAN: Mike, it would be helpful
5 if you could maybe give a couple of examples of those
6 individual source constraints.

7 MR. BOYD: Right. Well, I think they're
8 not constraints again because we don't require
9 optimization below those numbers. But source limits,
10 if you would, --

11 CHAIRMAN RYAN: Sure.

12 MR. BOYD: -- would be the drinking water
13 limit at 4 millirem, the high-level waste limits for
14 -- I think WIPP and Yucca have both been at 15
15 millirem, if I recall correctly. So numbers that are
16 generally --

17 CHAIRMAN RYAN: Would NESHAP fall into
18 that category as well?

19 MR. BOYD: Yes, it's in there, exactly.

20 CHAIRMAN RYAN: That is one probably that
21 affects the broader number of licensees or NRC
22 agreement state folk.

23 MR. BOYD: Right. So that is where we
24 have actually set a limit that would be if you view
25 100 millirem as a source constraint a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inconsistent with where EPA would set source
2 constraint. I am a little hesitant to use the word
3 "constraints" again because of the fact that we
4 generally don't require optimization below a standard.

5 Okay. As far as that fourth number, just
6 as has been said, we haven't yet adopted a minimum
7 constraint either. I think there have been a lot of
8 discussions. We are -- is it collaborating agency? --
9 whatever you call it on NRC's clearance rule
10 activities. We are working with the IAEA and others.
11 So we are very familiar with the idea of the one
12 millirem concept, but as yet, there has been no action
13 at the agency to put this into guidance or rulemaking.

14 Finally, there is a table, which I don't
15 really think has been referred to except briefly by
16 Don this morning for those exclusion levels. And
17 these are levels where if you're below, you sort of
18 fall out of the system of radiation protection.

19 This last slide is basically a little
20 exercise I did just in the last few days looking at
21 our own regulations and comparing them to those
22 activity concentrations.

23 What I found was that in most cases, what
24 they're calling exclusion levels are below levels that
25 we have set in our existing regulations. So it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to put us in conflict for the most part in
2 saying you're excluding something that we would
3 otherwise regulate. But it's pretty darn close.

4 The second bullet here, we have a
5 memorandum of understanding between the two agencies
6 that we call "triggers for consultation" when the
7 final cleanup at an NRC decommissioned site if the
8 concentration of a radionuclide there exceeds these
9 numbers that are in our appendix, the table that is
10 appended to that MOU. We agree to talk about it
11 because that means that it is slightly or on the verge
12 of exceeding the EPA's risk range.

13 Well, the artificial beta/gamma exclusion
14 level in that table works out -- it's .1 becquerels
15 per gram. That's 2.7 picocuries per gram. If you
16 look at that appendix, you will see quite a few
17 radionuclides that are 3, 4, 5, 6 picocuries per gram,
18 pretty close, 2.7. I think that niobium-94 actually
19 is a 2. So that is sort of a sore thumb sticking out
20 there.

21 So it's just worth commenting, I think,
22 that they're setting an exclusion level that if
23 applied to broad areas of contamination, infinite
24 plane, infinite depth, could get you pretty close to
25 EPA's risk range. I think the exclusion levels

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typically are applied more to maybe sod materials, not
2 large, infinite quantities of them but just wanted to
3 bring that up.

4 Finally, that K-40 number just has me
5 scratching my head because that is the 10 becquerels
6 per gram. That is 270 picocuries per gram. I don't
7 know where you find K-40 at those concentrations in
8 the environment. If they were there, I don't think I
9 would want to be there, but that is just something to
10 try to do a little more investigation to figure out
11 where that number came from.

12 That's it. If you have any questions,
13 I'll be glad to take them.

14 DR. CLARKE: I do have one question, but
15 it may not be a fair question for you, Mike, --

16 MR. BOYD: Okay.

17 DR. CLARKE: about the EPA's work within
18 the Superfund Program.

19 MR. BOYD: Right.

20 DR. CLARKE: This morning we heard that
21 one of the aims of the ICRP is to look at radiation
22 protection now for non-human species, --

23 MR. BOYD: Right.

24 DR. CLARKE: -- which would require
25 multiple issues and possibly multiple endpoints. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPA has developed guidance for ecological risk
2 assessment, trying to do the same thing for hazardous
3 chemicals, non-radionuclides. I wonder if there is
4 anything that came out of that program to pass on
5 here, lessons learned.

6 MR. BOYD: Well, lessons learned and I can
7 also tell you where we are in regard to responding to
8 the environmental protection issue. I think we have
9 learned, first off, the ecological risk assessments
10 have often, I think, and, again, in a decentralized
11 enforcement scheme. Where you have ten different
12 regions setting different ways that standards are
13 enforced, you can find great variability. But I think
14 in general, you find that ecological risk assessments
15 have often been given short shrift, that in almost all
16 cases, it's the human risk assessment that has driven
17 cleanup decisions.

18 One example where it is sort of the flip
19 side is that oftentimes when the human health risk
20 assessment is marginal, maybe you should clean it up
21 because it's right on the borderline.

22 You could use an ecological risk
23 assessment to defend not cleaning up because if there
24 aren't many people living there and you are going to
25 destroy a sensitive habitat, then the ecological

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 damage from doing site remediation can be far more
2 serious than cleaning it up to achieve a slight
3 reduction or a slight improvement in public health.

4 Remediation is a messy business. You
5 generally end up taking down trees, taking topsoil,
6 and pretty much destroying a habitat. So I think,
7 particularly for radionuclides, that ecological risk
8 assessment more often than not will lead you to
9 declare an area a wildlife preserve and not remediate
10 it because you are hurting the species otherwise.

11 But, having said all of that, -- and
12 that's editorial, too -- we are working very closely
13 with several of the workgroups. We have just recently
14 through the Interagency Steering Committee on
15 Radiation Standards, ISCORS, formed a new
16 environmental subcommittee that is going to be an
17 interagency effort to track what the ICRP's proposing.

18 Before we did that, we had a little
19 informal group, NRC, DOE, and EPA, that was doing
20 somewhat the same thing. We have helped support the
21 development of the RESRAD biota code, which is moving
22 the DOE's biota dose assessment protocol into a RESRAD
23 platform.

24 We think that is a pretty good dose
25 assessment model, certainly very conservative, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be a useful tool. The graded approach that they
2 are proposing and the tool that they have developed
3 will we think prove to be quite useful in determining
4 compliance with wherever the ICRP or IAEA end up on
5 this.

6 We think -- in fact, I think that everyone
7 in the U.S. that I have talked to among the agencies
8 is almost certain that the only place where biota
9 would not be being protected is where you have them
10 exposed and man is not present in the environment,
11 maybe in marine lakes, in ocean bottoms, or maybe in
12 deep geologic disposal if you happen to have biota
13 down there, but I don't think you do, but those
14 situations where you have high doses and critters are
15 getting it, but people aren't around. And so that is
16 a very small subset of the biosphere, where we think
17 we'll end up concentrating our activity.

18 We are not opposing the efforts. We think
19 research is fine. We are interested in what the
20 European Union is doing, what Canada and Sweden are
21 doing, but we don't see ourselves embarking on a big
22 regulatory or even guidance effort here any time in
23 the near future and probably except for those very
24 small subsets probably never. I may have just gone
25 over the edge there, but that is my perception.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CLARKE: Thank you. That's been my
2 experience as well when the ecological risk assessment
3 [Inaudible due to NRC audio system failure.] added
4 through the balancing criteria look at the impact of
5 the mediation [Inaudible due to NRC audio system
6 failure.].

7 CHAIRMAN RYAN: Thanks. Go ahead, Ruth.

8 MEMBER WEINER: Your CERCLA standard is
9 actually risk-based.

10 MR. BOYD: Yes.

11 MEMBER WEINER: Why aren't your other
12 single source standards risk-based?

13 MR. BOYD: Well, I would say that they
14 were all health-based with the exception of radon or
15 they were mostly health-based, but many of them
16 predate CERCLA. The original high-level waste
17 standard, 40 CFR 191, the uranium mill tailings
18 standards, all of those came about before CERCLA and
19 really before the science was there to give us the
20 ability we now have to do incidence and mortality risk
21 assessment.

22 I would say most of those numbers, again,
23 with the exception of radon had their genesis in a
24 health-based consideration.

25 MEMBER WEINER: Ten millirem per year?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What is the health-based, risk-based estimate
2 supposition or theory for ten millirem per year --

3 MR. BOYD: I think it was --

4 MEMBER WEINER: -- or 15? I mean, take
5 any number.

6 MR. BOYD: Right. Well, 15, actually,
7 using some risk numbers for external, low LET, which
8 we had at the time we were trying to do a cleanup
9 rule, that happened to be about where you would come
10 out at 3 times 10^{-4} , which is about as about as we
11 were willing to go in terms of exceeding 10^{-4} .

12 So that is the 15 number. The 10 I think
13 was a separate determination that it was considered.
14 And I don't know the history of it. There are
15 probably others in the room who can correct me, but I
16 know that that was meant to satisfy the court's
17 definition of an ample margin of safety below a
18 health-based action level.

19 MEMBER WEINER: I think you have just
20 given me the answer, which is that those very small
21 numbers are based on at some determination or some
22 estimate of ample margin of safety.

23 MR. BOYD: Right.

24 MEMBER WEINER: That's rather than being
25 specifically risk-based on quantitatively risk-based.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Would that be a correct assumption?

2 MR. BOYD: I would probably go with that,
3 yes. I only hesitate because we do try to tie
4 everything to a risk determination now for [Inaudible
5 due to NRC audio system failure.] scheme of things.
6 But certainly when the ample margin of safety rule
7 came out, I think we were considering that to be
8 safely below sort of the health-based action level.

9 MEMBER WEINER: I am just curious. How do
10 you determine that the constraint or standard of 100
11 millirem per year for a member of the public from all
12 sources has been met?

13 MR. BOYD: I don't know how you can do
14 that except Mike Ryan said earlier that most people
15 aren't likely to be exposed to more than one major
16 source of ionizing radiation. If that is the case,
17 you for most people, probably for 90-95 percent of
18 that population, you can make that determination, but
19 globally, I mean, how do you know that someone didn't
20 -- for example, I like to use the follow the waste
21 truck from a nuclear power plant in New York down to
22 Barnwell, you know, tailgating the whole way.

23 So there are always those exceptions you
24 can dream up, but in general, it's hard. And I think
25 the ICRP has recognized that it is almost impossible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to assure that a public dose limit is being met.
2 Another aspect of that is you are also dealing
3 intentionally with different regulators, different
4 licensees, and how do you apportion who gets what
5 among that public dosing?

6 MEMBER WEINER: Then if your dose limit
7 for the public is 100 millirem per year and you're
8 assuming that most people are only exposed to one
9 major source, shouldn't you rethink your single source
10 limit somewhat? I mean, right now they are right
11 around 10 or 15 percent of that. And if that is all
12 a person is exposed to, you are well below 100.

13 MR. BOYD: I think Vince hit on this
14 earlier. At EPA, under the current regulations that
15 were derived from CERCLA, we have set an upper limit
16 of the risk range. And that pretty much constrains us
17 to the 10-15 millirem.

18 MEMBER WEINER: Thank you. Just very
19 quickly [Inaudible due to NRC audio system failure.]
20 do you consider "very conservative" the same as
21 "pretty good"?

22 MR. BOYD: No.

23 DR. POWERS: You are really going to get
24 in trouble answering that one.

25 MR. BOYD: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Thank you.

2 CHAIRMAN RYAN: I can answer the Barnwell
3 question. The drivers are actually trained to observe
4 and make sure they are not being followed routinely.
5 So that would be reported to the police very soon.

6 Mike, one last question -- and that is, it
7 seems inherent in all that you have said that listed
8 in everything is the linear no threshold theory that
9 any increment of dose, even at the very small levels,
10 like 4 millirem a year or less or whatever, are
11 assumed to be cumulative, additive, and follow that
12 theory. So inherent, as I read it, in the EPA
13 standard-setting activities is this inherent I believe
14 to be a conservatism [Inaudible due to NRC audio
15 system failure.] recognizing that that is an
16 assumption setting these values. Is that a fair
17 summary?

18 MR. BOYD: That is fair. We do apply the
19 dose and dose rate effectiveness factor of two that
20 sort of cuts the slope of the curve in half, I guess.

21 CHAIRMAN RYAN: Right. But still, I mean,
22 there is a conservatism still built in because you do
23 accept --

24 MR. BOYD: Right.

25 CHAIRMAN RYAN: Did you have one last --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CLARKE: A quick question. Again
2 under Superfund, you have developed a process whereby
3 doses can be converted to risk through cancer slope
4 factors of radionuclides. Would there be any impact
5 from these regulations on [Inaudible due to NRC audio
6 system failure.]?

7 MR. BOYD: I think there are several
8 things that are going to impact. Keith has worked
9 very closely with Oak Ridge, Keith and Rich, down
10 there on generating the slope factors.

11 There are several things coming. There is
12 the BEIR VII, which will probably change the
13 underlying risk estimates. There is every time the
14 U.S. health statistics are updated, that changes the
15 risk. And so we now I guess either do or are about to
16 have 2000 numbers, so the life table analysis, the
17 survival functions there.

18 The biokinetics that are used by the ICRP
19 in generating the dose conversion. And, actually, the
20 organ dose, I should say, will definitely be a part of
21 what goes into any new revision of the FGR 13.

22 I think the new Hiroshima dosimetry, the
23 BEIR VII, the 2000 health statistics, and the ICRP
24 biokinetics are all going to factor in [Inaudible due
25 to NRC audio system failure.] risk coefficients will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably -- you know, that takes at least three years,
2 right, Keith? There may be four or five. So we would
3 probably be looking at as early as 2008, more likely
4 2010 or so before we will be updating this
5 coefficient.

6 DR. CLARKE: Thank you.

7 CHAIRMAN RYAN: Without further ado, let's
8 press on to Ed Bailey from CRCPD.

9 MR. BAILEY: Thank you very much.

10 6.3) PRESENTATION BY EDGAR BAILEY (CRCPD)

11 MR. BAILEY: Mike, you really have an easy
12 job at EPA. You only have ten semiautonomous regions
13 to deal with. We've got 51 very autonomous states and
14 the District of Columbia and a couple of territories
15 that we have to try to have a somewhat uniform pattern
16 of regulation. And it's not always possible.

17 I am just rambling now while they get the
18 slides up there.

19 There is one state that on the public dose
20 limit because they were an agreement state adopted 100
21 millirem per year for radioactive materials and
22 because they had a strong medical lobby, I presume,
23 left the public dose limit from X-ray at 500 millirem
24 per year. So there can be some weird things that
25 happen in the states. And that wasn't California.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Dr. Ryan mentioned the Conference
2 of Radiation Control Program Directors. And it's
3 really an organization composed of the radiation
4 control program directors and staff members in the 50
5 states, D.C., and U.S. territories. I put a small
6 fourfold in front of each of you at your place and a
7 card that if you are SI-impaired, like I am, you can
8 use to --

9 DR. POWERS: Bless you, sir.

10 MR. BAILEY: -- translate rapidly and not
11 look quite as uninformed.

12 These 50 state program directors do
13 include, of course, the directors of the 33 agreement
14 states. The states do almost exclusively regulate
15 X-ray usage in approximately 80 percent of all of the
16 radioactive materials licensees in the United States.
17 I don't know the total number of X-ray facilities in
18 the United States, but I know in California, we have
19 over 30,000. So they are a major source of radiation
20 exposure to individuals.

21 Next slide. I would like to speak a
22 little bit -- and my presentation will probably be
23 quite a bit different from other people. I want to
24 talk about terminology. The first bullet there is
25 something that I think is very important when we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to express what is going on in radiation
2 protection. Changing terminology does not necessarily
3 improve the understandability of what we are trying to
4 say.

5 I would challenge any of you to go to one
6 of our public meetings in California and in the 15 or
7 30 minutes we gave you convince or inform the audience
8 of, 100 percent inform, the difference between a
9 constraint and a limit and so on and so on.

10 Changing terminology always involves
11 reeducation of the workers and the regulators. Now,
12 when I said we had 30,000 X-ray facilities, it is
13 going to be a job to get out there to those 30,000 and
14 educate them on what we are trying to do if the
15 terminology and so forth is adopted.

16 The last one is that the terminology may
17 improve the understanding for the developers of the
18 terminology but not necessarily for the users and
19 regulator.

20 I used dose in parentheses because I think
21 we have done ourselves a great disservice. When we go
22 out and talk to most people, we start talking about
23 effective dose and this dose and that dose, they're
24 completely lost.

25 I think we should have settled on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 common phraseology to be dosed and then have all of
2 these other doses as subparts of it so that when you
3 are going out talking to the public, you talk about
4 dose, which is really what is the important thing.

5 When we change acceptable doses, those
6 changes are perceived as radiation being more
7 hazardous than presently thought. On the example
8 we're talking about here, I think it is going from 5
9 to 2 rem.

10 And those changes are widely used to
11 discredit both users and the regulators by the
12 "antis." You didn't know what you were doing five
13 years ago. Why should I believe that you know what
14 you are doing now?

15 And although it probably won't be too
16 significant, the use of incidence of cancer, instead
17 of mortality, will make some differences. Those, too,
18 will be pointed out as another mistake that we have
19 made.

20 Next one. Dose reductions, if they have
21 to come about, will result in increased shielding new
22 designs and a question about existing facilities.
23 When we went from 500 millirem to 100 millirem, we had
24 a major turmoil going on about existing facilities.
25 These were primarily that 30,000 category I'm talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about and not in the total in the United States of
2 10,000 or so radioactive materials used. And,
3 likewise, we will have increased controls on
4 emissions.

5 I remember what we went through when the
6 ten millirem came out. Everybody went into a fury
7 trying to prove that the ten millirem to the maximally
8 exposed off-site individual was not a lower dose than
9 compliance measured at the stack under an NRC
10 regulation. So we need to make sure that we are very
11 careful however we institute these new
12 recommendations.

13 Next, please. I think potentially the
14 biggest problem is in the cost of decommissioning or
15 the impact on decommissioning. When I look at the
16 table, it talks about 100 millirem for the general
17 public, and I already know that we have a variety of
18 sources that are either constrained or limited -- I'm
19 not sure which exactly -- to 25 millirem a year, such
20 as low-level waste site uranium mill, a decommissioned
21 site.

22 We are going to see an argument -- I know
23 I will in my state, at least -- that we should go down
24 to the one millirem level for a decommissioned site
25 because nobody is getting any benefit, either direct

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or indirect, from going to 25 millirem.

2 As we decrease the cleanup standard, in
3 particular, the costs go up dramatically. And we have
4 seen this, at least in California and in some of the
5 other states, where the 25 millirem suggested by NRC
6 -- or not suggested, I guess, adopted in the
7 regulation -- is deemed not to be acceptable because
8 they do compare it to the 10^{-4} , 10^{-6} range. And 25 is
9 considerably above 10^{-4} .

10 Generally we hear the thing touted one in
11 a million, one in a million, one in a million. That
12 is apparently the safe level in a lot of people's
13 minds, which, roughly translated, is about one
14 millirem.

15 When we go to do cleanups and we go below,
16 say, 25 millirem or any other number, we have a lot
17 more costs in characterization, cleanup verification,
18 the sampling, more sampling, more surveys, more lab
19 analysis, all of which are expensive.

20 I will say that since the court threw out
21 our 25 millirem a year cleanup standard and we have
22 sort of been in limbo, we have released for
23 unrestricted use over 300 sites.

24 The vast majority of those because, again,
25 the technical people wanted to be sort of precise have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said it's indistinguishable from background. These
2 may even include sealed source sites because the
3 purists would want to say, "Well, maybe that source
4 didn't leak at the legal leakage rate, but they may
5 have put out a few atoms here and there."

6 But we have had very few sites released
7 that exceeded one millirem per year. So it may beg
8 the question. The ones that have proven to be the
9 most difficult are the agricultural sites,
10 agricultural, experimental stations, where they
11 deliberately used in most cases carbon-14, which has
12 a very long half-life. So it hangs around.

13 And those doses depending upon the model
14 you used -- and we tend to use the farmer scenario
15 because if you're talking about an ag station that's
16 suddenly shutting down into something, it's probably
17 going into agricultural production after that. So
18 those we have seen can cause big problems how you word
19 whatever regulations come out as a result of these
20 recommendations.

21 And, as you are all aware, I believe,
22 hopefully on the Waste Committee, as the level goes
23 down for cleanup, the volumes go up geometrically. So
24 you have got the problem of waste disposal.

25 Certainly at 25 millirem, there is a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less waste than there will be at one millirem or
2 whatever. I think that these are issues that need to
3 be looked at when you implement any of the
4 recommendations, sort of look at some of the fallout
5 of what the recommendations of the implementation is
6 going to be.

7 Next. Flora and fauna. I guess my
8 original reaction is that one really scares me. It
9 can be large problems depending upon how it is decided
10 to implemented by NRC and EPA. It can be possibly
11 small problems.

12 I would find it very difficult for us to
13 resist the argument that doing an EIS, that we had not
14 evaluated the effect of radiation on an endangered
15 species. Never mind that it's not one of a bottle
16 species to be considered.

17 I remember when we were doing the Ward
18 Valley waste site. One of the items of a great deal
19 of concern to everyone there was the desert tortoise.
20 I would bet, although I am not a biologist by any
21 means, that the metabolism of some radioactive
22 materials on a desert tortoise are really different
23 from those in a tortoise you find in the Southeast,
24 down around South Carolina, particularly in the
25 metabolism of water. So that I think that this could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prove to be a very contentious situation if this were
2 not clearly spelled out how it is going to be
3 enforced.

4 And I would hate to bring up the last
5 point, but it is a wonderful opportunity in my humble
6 opinion for a continuation of NRC-EPA disagreement on
7 how you enforce recommendations of a national and
8 international body.

9 Just to sum it up, I think we have to be
10 very careful in adopting new systems that are going to
11 apply to a lot of people. The flora and fauna issue,
12 I was just reminded of another incident. I understand
13 that NRC has a complaint now that there is a
14 radiography firm that is exposing rabbits to extremely
15 high levels of radiation and, therefore, they should
16 be stopped by doing the industrial radiography, I
17 presume, along a pipeline because of the bunnies that
18 are hopping along by the pipeline.

19 There would be a situation most of us
20 wouldn't think of. I praise the ingenuity of the
21 person that came up with this. We could have a lot of
22 these things come up with beginning to look at the
23 impacts of radiation on flora and fauna.

24 I would be willing to bet that 25,000 of
25 the facilities that we have that use X-ray would not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be able to guess what the word "optimization" means
2 other than you get the best picture you can.

3 So with that, I will leave it for
4 questions.

5 CHAIRMAN RYAN: Ed, when I think NRC
6 licenses under the Atomic Energy Act, I think about
7 registrants with medical X-ray equipment, and I think
8 about states' authority to regulate NORM and TNORM.
9 What do you think about particularly the medical area
10 and the NORM and TNORM?

11 I guess I think we all recognize that in
12 terms of exposure to the public, it is radon NORM and
13 TNORM and medical exposure that are driving the bus.

14 What I'm driving at is, could you talk
15 about how agreement states deal with AEA-regulated
16 material versus non-AEA-regulated material and how you
17 would try and make a coherent hole out of new guidance
18 in this area?

19 MR. BAILEY: Okay. I can tell you that
20 the majority, if not all, of the agreement states
21 treat NORM, naturally occurring and
22 accelerator-produced radioactive material, in the
23 licensing and inspection process exactly like they do
24 AEA material.

25 The problem comes in when you are looking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at NORM and TNORM. It's what has to occur to get it
2 into the regulatory scheme. I have a large rare
3 earth-producing facility, which has fairly high levels
4 of naturally occurring radioactive material that we
5 still haven't got a handle on. Certainly radon is the
6 big one that stick out to the side. Very, very few
7 people are regulating radon in any way comparable to
8 the dose the way they regulate other sources that give
9 the same dose.

10 The oil and gas field TNORM waste, which
11 is primarily pipe scale and that sort of thing, is
12 very diversely regulated among the states and, of
13 course, not at all by the federal government.

14 So the short answer is we tend to view --
15 and I'll use a quote from one of my colleagues. "A
16 rem is a rem." We don't care where it comes from.
17 But in practice, it's very difficult to get at some of
18 these diffuse NORM sources that have been in the
19 environment for years and years. You have to figure
20 out how to get into it.

21 In the medical area, there is no
22 consistent uniform system of regulating the X-ray
23 sources other than the suggested state regulations for
24 control of radiation, which CRCPD sort of shepherds
25 and so forth.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Those are purely voluntary upon the part
2 of the state, whether they want to adopt them or not.
3 So many times many states will lag far behind what the
4 current standard is. States will go off on divergent
5 paths.

6 The state I mentioned, where they decided
7 they would leave the public dose from medical X-ray at
8 500 millirems seems totally inconsistent with the
9 general philosophy that it apply equal regulation to
10 equal doses of radiation.

11 So, like I said, EPA has it easy. They
12 only have ten regions.

13 CHAIRMAN RYAN: Let me ask you the now
14 inflated dollar-value question, the \$128,000 question.
15 Do you --

16 MR. BAILEY: Okay. If I answer it
17 correctly, do I get that or --

18 CHAIRMAN RYAN: I'd rather owe it to you
19 than have you not have it owed to you.

20 MR. BAILEY: Okay.

21 CHAIRMAN RYAN: Do you see these new
22 recommendations offering states, agreement states,
23 either on the AEA side or the non-AEA side, an
24 improvement in your radiation protection practice? Do
25 you see any real benefit to what is being offered or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what the new advice is shaping up to be, recognizing
2 we have got consultation papers and so forth coming?
3 Do you see it as a help, a benefit, or ultimately
4 neutral?

5 MR. BAILEY: I think the using of new
6 scientific methodology is certainly a scientific
7 improvement. The others, though, to me are almost a
8 political decision. And, as we often see, the
9 political decision always has at least two sides to
10 it.

11 And so one has to be careful, for
12 instance, going to the two rem. Certainly it would
13 offer more protection to a limited number of our
14 workers. I don't know that that would offset the bad
15 press you get, again, as I mentioned, for, hey, you
16 were wrong again. Why should we believe two rem is
17 "safe"? Why don't you go to 100 millirem per year for
18 occupationally exposed people? It's going to vary
19 from place to place.

20 CHAIRMAN RYAN: You didn't mention costs,
21 but there would be a lot of costs.

22 MR. BAILEY: Generally cost doesn't come
23 up except in a negative way. The only reason you
24 don't want to go to the 100 millirem or to the 2
25 millirem or whatever is because you don't want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spend the money to protect your workers. I mean, that
2 is the way it usually comes out, not the other way, as
3 we think about it.

4 CHAIRMAN RYAN: Any other questions or
5 comments?

6 (No response.)

7 CHAIRMAN RYAN: Thanks, Ed.

8 Let's turn now to our last presentation in
9 this group, Dr. Richard Vetter from the Mayo Clinic.
10 Dr. Vetter, welcome.

11 DR. VETTER: Thank you very much,
12 appreciate the opportunity.

13 6.4) PRESENTATION BY RICHARD VETTER (MAYO CLINIC)

14 DR. VETTER: I will just preface my
15 remarks by saying that what I am about to tell you is
16 based on my own knowledge and experience and input
17 from ACMUI, the Advisory Committee on the Medical Use
18 of Isotopes. It's not a formal position in any way of
19 the Advisory Committee.

20 Next slide, please. My first several
21 slides go over some stuff we have heard before, but I
22 just wanted to underscore a few things. One is that
23 the recommendations talk about sources of exposure.
24 I just wanted to point out that source does not
25 necessarily mean a physical source. It could be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nuclear Medicine Department. It could be the
2 hospital, et cetera. So we are not necessarily
3 talking about a physical radiation source here. And
4 that is important when we start talking about
5 constraints and limits.

6 And relative to judgments, responsibility
7 for justification for most of these recommendations
8 would fall on governments or government agencies
9 except for medical. I want to point out that medical
10 here means the patient. It does not mean the
11 activities within the hospital. It does not mean
12 exposure to the public in the waiting room, et cetera.
13 It means only the patient.

14 Next slide, please. Justification for
15 medical exposure, then; that is, the patient, falls
16 outside of the realm of government. So we perhaps
17 don't need to talk about it very much here.
18 Justification of the practice lies more with the
19 profession.

20 And justification of the procedure; that
21 is, whether or not you had the procedure done on you,
22 falls on the practitioner. So it's a discussion
23 between you and your doctor whether or not you get
24 that CT.

25 I would point out, however, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 government has entered into the quality of these.
2 There are a number of recommendations, especially from
3 FDA, that deal with quality of medical procedures. So
4 while it might be justified and while exposures might
5 be determined pretty much by the procedure, government
6 does enter into it to some degree.

7 Next slide, please. I will just point out
8 that there are classes of exposure. Occupational is
9 obvious. Medical. Again, I mentioned that was for
10 the patient, refers to the patient. There are no
11 constraints relative to the patient exposure.
12 Everything else is public. So all other sources that
13 we are talking about here deal with public exposure.
14 And that does become an important item for medical
15 centers.

16 Next slide, please. I would also like to
17 point out that for classes of exposure, there is
18 individually related exposure and source-related
19 exposure. For individual-related, this has been
20 pointed out by a number of the speakers here today.
21 For example, using the public as an example, an
22 individual may be exposed to several different
23 sources: hospital, emissions from a power plant. You
24 name it. And so the assessment of total exposure must
25 be attempted, medical facilities simply being one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those.

2 Next slide, please. Now getting to the
3 business of the constraints, ICRP defines a
4 restriction on dose as a constraint. ICRP 2005 says
5 that these are obligatory. In other words, they
6 almost say it's a limit. But you are obliged to meet
7 that constraint.

8 They also say that if you fail to meet the
9 constraint, your program has failed. The input I
10 received from a number of people has suggested that
11 that is very strong language and could actually be
12 counterproductive. We don't need to talk about that
13 in detail, but failure is a very, very negative
14 message.

15 We think failure if you're going to use
16 that word in recommendations or in regulations, that
17 should be reserved for a limit, not for a constraint.
18 Perhaps this comes from our background in ALARA, where
19 we set goals and when we fail to meet a goal, we
20 investigate.

21 But failure to meet a goal doesn't shut
22 our program down. We don't get cited by the NRC for
23 having violated regulations because we missed an ALARA
24 goal. They might ask us how well we're doing, if they
25 notice that, and what are we doing to follow up on it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but we don't get cited for it. It's not a failure of
2 the program to miss a goal.

3 But in the 2005 recommendations, it is
4 considered to be a failure, which implies that there
5 is some punitive action there, punitive measure that
6 could occur as a result of that. And we just think
7 that is pretty strong.

8 Next slide, please. Okay. Dose
9 constraints are intended to provide protection to the
10 most exposed individual within a class from a single
11 source. So this would be the most exposed individual
12 who visits a waiting room in a hospital. This is a
13 very small population, a fraction of the population.

14 And, in fact, if you go to a hospital and
15 you look at the people who are visiting that hospital,
16 you will find that -- this is anecdotal. This is just
17 based on observation of this and not based on any kind
18 of formal survey or measurement, but I think you will
19 observe that most of the people there are older
20 people.

21 Now, I know we averaged all of this out
22 into a single risk officiant, but the risk to these
23 most exposed individuals is actually quite small. So
24 I think the feeling that I have gotten -- and, again,
25 this is anecdotal -- from physicists, in particular,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that the constraint in this regard probably should
2 be based on the probability of exposure, rather than
3 the most exposed individual. What is the probability
4 that an individual will receive the 100 millirem, not
5 what is the dose in a particular case to the most
6 exposed individual, which in the hospital's case is
7 going to typically be someone who is considerably
8 older.

9 Also, within the description of these
10 populations, I must confess I don't quite understand
11 how this applies to constraints, but within the
12 description of these populations, ICRP says that we
13 should consider the mean characteristics of these
14 subpopulations.

15 If we do that in a hospital, it's an older
16 population that is being exposed. That is, this is
17 the members of the public are an older subpopulation.

18 Next slide, please. Now, we have seen
19 these numbers also, emergency situations. I'll use
20 U.S. terminology, ten rem. The current U.S. limit is
21 five rem.

22 Now, it's interesting that I think this
23 creates some confusion in the minds of many who read
24 these recommendations. The dose constraint for an
25 emergency situation is ten rem, but the limit is two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rem. So obviously it becomes confusing when a
2 constraint is supposed to be a fraction of the limit.
3 It might be 100 percent of the limit, certainly can't
4 be more than the limit, but in this case, it is. So
5 it's not really constraint. It's exception to the
6 limit. Maybe it's just the way I read it. I get
7 confused when I read this.

8 Apart from that, this does make sense,
9 emergency situations having a higher limit than what
10 you would normally expect for a limit for the
11 occupational worker. For that member of the emergency
12 room who might be involved in dealing with a few
13 hundred patients from a radiological dispersion
14 device, it is reasonable to allow in that particular
15 circumstances higher limits, higher doses for those
16 people who are involved in that emergency.

17 Now, that being said, it is pretty
18 unlikely we will see those kinds of levels in a
19 hospital because presumably these people would have
20 been decontaminated at the scene and they would have
21 at least gone through one decontamination prior to
22 arriving at the hospital unless they're really
23 critical and they're wrapped in a blanket and hauled
24 to a hospital immediately. It's pretty unlikely, we
25 think, that we would see those kinds of doses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nevertheless, philosophically it makes sense that for
2 emergency situations, you allow higher doses.

3 Now, how does that differ from the
4 standpoint that we can't plan these things in advance?
5 We will find out the moment those patients show up.
6 And so we can't do a planned special exposure. So
7 that makes sense to us.

8 The direct or indirect benefit refers to
9 occupational exposure and cares of radionuclide
10 therapy patients, the maximum constraint being two
11 rem. The current U.S. limit -- and I have missed one.
12 I left a line out there. The limit is 50
13 millisieverts or 5 rem for occupational and 5
14 millisieverts or 500 millirem for cares of the
15 radionuclide therapy patients.

16 We have talked about this before. There
17 are measurements that have been published in the
18 literature that demonstrate that hospitals are meeting
19 these limits, that the guidance that is provided by
20 the NRC works, that hospitals are able to meet this
21 limit. Nevertheless, there are situations where
22 patients could result in numbers in doses to members
23 of the public that are higher than this.

24 The example that ICRP uses is a child who
25 is treated with radioiodine therapy or some other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radionuclide therapy who if the parent is involved or
2 family members are involved in caring for the patient,
3 the dose might go higher than 500 millirem.

4 We have those situations here in this
5 country today. The way we handle that is we don't
6 allow the child to go home. The child has to stay in
7 the hospital. The interaction between the child and
8 the parent is observed very carefully. The parent is
9 instructed as to what they can do to help care for the
10 child. And they can't sit right next to the bedside
11 because they would get more than 500 millirem. So in
12 those cases, the child has to be hospitalized.

13 We have seen similar cases where a parent,
14 an older parent, requires some additional care or the
15 family desires to provide some care for that parent.
16 And the parent can't be released because it would
17 result in more than 500 millirem to members of the
18 family.

19 In that case as well, the child or the
20 adult child who is caring for this aged parent has to
21 be instructed on how much time they can spend in the
22 room, what they can do, what they can't do, and so
23 forth.

24 In cases such as that, it makes sense to
25 the medical community that a higher limit be allowed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that the family member can provide more care if
2 that is what they desire. This would have to be done
3 under very carefully constructed conditions and
4 monitored in that case. But it does make sense that
5 in special situations like that, that a limit to that
6 care-giver of more than 500 millirem be allowed.

7 This actually, as mentioned earlier, was
8 recommended by NCRP Commentary 11. They recommended
9 as high as 5 rem or 50 millisieverts. And, again,
10 this would be in very, very carefully selected
11 situations. It wouldn't be normal.

12 Next slide, please. The ICRP 2005 does
13 talk about the exposure of women as not necessarily a
14 special subpopulation but potentially a special
15 subpopulation. They normally would see no reason to
16 distinguish women from men in terms of how you control
17 occupational exposure unless the woman is pregnant.

18 Once the pregnancy is declared --
19 underscore "declared" -- it is the same in this
20 country. The woman must declare. If they don't
21 declare, then we are not knowledgeable of the
22 pregnancy. But if they do declare, then we need to
23 take appropriate precautions to make sure the fetal
24 dose is kept under 500 millirem in this country. ICRP
25 is recommending that that limit be 100 millirem, 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 millisievert, during the remainder of the pregnancy
2 after the pregnancy is declared.

3 We took a look at our exposures at Mayo of
4 the results of monitoring pregnant workers. And five
5 percent exceed one millisievert. So it's not a large
6 number. Most of them are under 100 millirem. It's
7 only a small number that is above 100 millirem. And
8 we do, by the way, rotate those employees out of the
9 higher exposure jobs.

10 For instance, we would move a PET
11 technologist to general nuclear medicine in that case.
12 We would move a nurse from the radionuclide therapy
13 floor to some other area in the hospital.

14 We could do this fairly easily because we
15 are a very large academic medical center. So there
16 are lots of opportunities to move people around. But
17 what do you do in a small community hospital? That
18 becomes very, very difficult for them.

19 In addition, the handwriting is on the
20 wall. Tech is going to increase considerably over the
21 next number of years, general nuclear medicine. That
22 is, the use of technetium-99m is going to decrease.
23 The use of positron emitters is going to increase.
24 Positron emitters 511 keV, about 4 times the energy of
25 technetium-99m, exposure, likewise, goes up. So this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will become increasingly challenging for the medical
2 community, in particular, community hospitals, where
3 it is very difficult to move people around.

4 Some have suggested that this could be
5 counterproductive in that it creates an opportunity to
6 discriminate against hiring a young women; in
7 particular, if she appears to be pregnant. If you
8 have a nuclear medicine technologist who is pregnant
9 and interviewing for a job, there is some worry that
10 there could be some discrimination. There shouldn't
11 be, but there is some worry about that.

12 We also have to be a little bit careful in
13 medicine about what we do about people like that.
14 That is, how much do we move them around? The
15 precedent is the Johnston Controls case, where
16 Johnston prevented women from working in a particular
17 area where the risk from lead was higher. It turns
18 out the salaries were higher in that area as well.
19 And they prevented women from working there. And,
20 therefore, they were discriminating against women.

21 So in medicine, the same deal. If a
22 technologist for some reason were paid more than
23 general medicine technologists and we move that
24 technologist out, we either have to protect the salary
25 and promise they can move back or we can't move them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out or something. We have to be very, very careful
2 not to discriminate against that pregnant employee.

3 Next slide. I took a look at typical
4 radiation doses received by women in medicine. In
5 addition to the data from my own institution, I looked
6 anecdotally at data from other institutions. And in
7 a cardiac lab, typical doses run from a few rem to
8 more than five rem, to the whole body badge.

9 Now, they're not exceeding a limit because
10 they are wearing a lead apron. The apron will stop
11 about 95 percent of the radiation dose. Only about
12 five percent penetrates.

13 In addition, in some cardiac labs, you get
14 pull-down leaded plexiglass shields. There are lots
15 of ways to protect people. Nevertheless, if you are
16 simply wearing an apron, the dose under the apron in
17 these same people is going to be somewhere in the
18 neighborhood of a couple of hundred millirem to more
19 than 500 millirem depending upon how busy and how many
20 cases that cardiologist is working.

21 In PET, the badge readings run from less
22 than one to two rem to the badge, to the whole body
23 badge, per year. Now, you can't provide a lead apron
24 here. We're talking about 511 keV. Lead apron won't
25 do anything to that. So typically we would expect in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that case that the dose to the abdomen is going to be
2 more than 500 millirem.

3 So, consequently, if there is a pregnant
4 technologist who works in PET imaging, we've got to
5 watch that very, very carefully. And in great
6 likelihood, we would probably have to move that person
7 out of that area at some point in time.

8 In general nuclear medicine, the badge
9 doses tend to be considerably lower, generally between
10 105, 100 millirem a year. So that's not such a big
11 problem, although, once again, the dose to the abdomen
12 would be over 100 millirem or 1 millisievert.

13 Next slide, please. So, just in
14 conclusion, about that last slide, once again, I will
15 point out that in a community hospital, they don't
16 have the flexibility to move people around. And that
17 becomes very problematic.

18 Medical exposure. As we mentioned
19 earlier, there is no limitation on dose. ICRP makes
20 it very clear they do not intend to limit this dose to
21 the individual patient because it could reduce the
22 effectiveness of the diagnosis of treatment. So
23 that's totally between the doctor and the patient at
24 that point.

25 Next slide, please. But there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constraints that apply. Within the discussions of
2 medical exposure, there are constraints. But they
3 apply to workers and members of the public.

4 So ICRP says a constraint of a few
5 millisievert is reasonable but should not be used
6 rigidly. And this applies to care-givers for
7 radionuclide patients, radionuclide therapy patients.
8 [Inaudible due to NRC audio system failure.] mentioned
9 this before.

10 Current NRC regulations do allow release
11 of patients. And we in hospitals are able to live
12 within that. One other thing I wanted to mention in
13 this regard is that as our population gets older, the
14 probability that more people will be treated with
15 radioiodine increases, not only for thyroid disease
16 but for other disease conditions; for example, there
17 is a protocol now that has demonstrated very clearly
18 in animals -- and they are moving toward some human
19 studies shortly. They can take the receptors from the
20 thyroid, put them in the prostate, and treat the
21 prostate with radioiodide. You will see all kinds of
22 things like that where they are using new and novel
23 techniques for using radionuclides for therapy.

24 Next slide, please. ICRP says public
25 constraints are not appropriate for individuals who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volunteer for research studies. So, in other words,
2 humans who participate in these studies are basically
3 considered patients. And also all of this falls
4 within the ethics and controls of the institutional
5 review board, where these doses are very highly
6 controlled.

7 ICRP also says discharges to sewers and
8 airborne effluents should be assessed. I would point
9 out that there are a number of publications in the
10 literature that show that both have been done. Both
11 have been assessed. And discharges to the sewer
12 result in minimal exposure to employees in the sewage
13 treatment plant. And hospitals typically use the EPA
14 comply code to demonstrate that their effluents are
15 less than ten millirem. So this is being done on a
16 fairly routine basis.

17 And exposures in the waiting room are --
18 the word they use is adventitious. In other words, we
19 don't need to worry about that except for radioiodine.

20 Next slide, please. Recommended dose
21 limits. So now we will move from constraints to dose
22 limits. Currently in the U.S., the dose limit for
23 occupational is five rem, ICRP two rem. Now, this
24 isn't new. ICRP isn't recommending anything new.
25 This was ICRP 60 as well. I just wanted to point out,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however, that this would be reducing the limit in this
2 country from five rem to two rem would be problematic
3 for hospitals; in particular, small hospitals and, in
4 particular, for very small categories of workers.

5 For example, I know this isn't regulated
6 by the NRC, but if a limit is adopted by EPA-NRC, the
7 feds, the states will be forced to adopt it as well.
8 And they will apply it across the board.

9 The people in the hospitals that get these
10 high doses work in the cardiac lab or in the
11 electrophysiology lab, where the doses, where their
12 badge doses, are high, not everyone, but there are
13 some who are high. We just need to be very cautious
14 about what we do that reducing a dose doesn't become
15 counterproductive.

16 These people are involved in lifesaving
17 activities. Some of these patients go into that lab.
18 They're failing all medical treatment. And they're
19 going to die. They come out of the lab with some
20 cells in the heart ablated that are causing the heart
21 to beat inappropriately. And they live for many years
22 after that.

23 These cardiologists are saving these
24 people's lives. The cardiologists are getting doses
25 higher than two rem per year, but in my opinion and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the opinion of many physicists and others in medicine,
2 this is highly justified. So I think we just have to
3 approach this very, very cautiously.

4 We are not talking about a large number of
5 people either. In terms of the total detriment to the
6 population, it would be a very small impact or it is
7 a small impact. This would be in a larger academic
8 medical center, it is a little easier to move these
9 people around if that becomes a problem. But in a
10 small community hospital, once again, that would be
11 very, very difficult.

12 Relative to public exposures, the
13 constraint of .3 millisieverts per year would be
14 problematic. Let me just reflect briefly on the
15 history of how X-ray shields are designed. It wasn't
16 that many years ago, in my lifetime anyway, 20 years
17 ago, that X-ray shielding was designed with a public
18 dose limit of 500 millirem.

19 In other words, on the outside of the
20 shield, you had to achieve 500 millirem. And so you
21 would calculate. You go through this calculation and
22 determine that you had to have a certain thickness
23 shield in order to achieve 500 millirem.

24 After you designed the room and built it,
25 you would put a badge out there to make sure you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 achieved 500 millirem. In most cases, it was not
2 measurable. And that is because the methodology is
3 very, very conservative.

4 Then what was it, about 1990 or so, the
5 dose limit for members of the public was dropped to
6 100 millirem. The methodology didn't change. It
7 didn't need to. You plugged in one millirem, but you
8 basically calculated the same thickness for the
9 shield. You remeasured. And, again, it was a very,
10 very low number or zero on the other side of that
11 wall.

12 So now they are suggesting a constraint of
13 .3 millisieverts per year in the case of multiple
14 dominant sources. So now should we incorporate .3
15 into our calculation? I guess that suggests that that
16 is what we should do.

17 If, in fact, we are measuring almost
18 nothing outside the shield, what I am struggling with
19 and what we are struggling with is how do you apply
20 the constraint basically?

21 Did you have a question?

22 CHAIRMAN RYAN: Yes. It's on that exact
23 point. I am struggling with considering that exposure
24 outside an X-ray room to a member of the public is
25 going to be routine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, if you are considering a secretary
2 who is at a desk somewhere on adjacent parts of an
3 X-ray department, member of the public, I guess that
4 would be 2,000 hours per year.

5 But I struggle a little bit with, first of
6 all, that whole concept. I think most folks, a large
7 percentage of individuals, that go in and out of an
8 X-ray room are there hopefully never and hopefully as
9 a minimum number of times possible, either as a
10 patient or a care-giver.

11 The patients, those sitting in the waiting
12 room, are dwarfed by what they get once they're
13 examined. So I am not worried about that so much. I
14 am just thinking about this in terms of practical
15 radiation protection practice.

16 And then for individuals that could
17 receive exposure at 100 or up to 300 in a workstation
18 that is not a radiation worker job, I think that is
19 probably something that radiation protection practice
20 probably ought to look at anyway.

21 So multiple sources, I guess I am
22 struggling with who is in this category. I have
23 challenged lots of folks that say, "Give me an
24 individual or a class of folks or a group of workers
25 who are multiple source exposed."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nuclear power in my view is out of that
2 picture because of the constraints that are on that.
3 We know that it is a very small fraction of total
4 background exposure. The nuclear industry workforce
5 relative to [Inaudible due to NRC audio system
6 failure.].

7 So I am trying to find the intersection
8 where multiple source is a meaningful thing for us to
9 figure constraints on that. I haven't come up with
10 it. Have any of you?

11 DR. VETTER: Well, let me just make a
12 comment. And then I think others may wish to chime in
13 here, too. Relative to whether or not this is a
14 routine practice routine, it is a routine practice,
15 but whether or not an individual would be routinely
16 exposure, the answer is no.

17 Now, we do take that into account, at
18 least partially, by using something called an
19 occupancy factor. What is the fraction of a time
20 someone might be there? But what we don't do is take
21 into account the probability that it is the same
22 person.

23 And that's why earlier in my presentation,
24 I suggest that, instead of looking at this in terms of
25 the most exposed individual, we should probably look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at it in terms of the probability of any one person
2 exposed. So I would agree with you in that regard.

3 CHAIRMAN RYAN: That's my point. Ed?

4 MR. BAILEY: The NCRP confused it even
5 more by recommending 25 percent, that you consider
6 that there were 4 sources and not 3 sources,
7 basically, that could impact at the same time. There
8 is a new commentary coming out on whether or not that
9 should apply to X-ray facilities because this was a
10 great concern in redoing the shielding report for
11 NCRP.

12 The question that you raised was about
13 where that could occur. The most common example of
14 where it would occur would be in a place like Oak
15 Ridge. By the way, that one-fourth came out of the
16 commentary on clean air emissions, where you had
17 perhaps four plants pumping stuff out that basically
18 stayed in the environment, as opposed to --

19 CHAIRMAN RYAN: Where are those plants in
20 Oak Ridge, Ed?

21 MR. BAILEY: I don't know. That was just
22 an example that was given.

23 CHAIRMAN RYAN: Ed, that is my point.

24 MR. BAILEY: Right.

25 CHAIRMAN RYAN: People can theorize cities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like Oak Ridge or Hanford or somewhere else, but in
2 reality, I challenge anybody to show me somebody that
3 has three or four significant sources exposing.

4 You know, I am not disagreeing with you or
5 challenging you, but I think this might sound like a
6 nice construct if there is more than one source
7 significant.

8 But, again, radon is a big one. Medical
9 exposure as a patient is the second. And everything
10 else is a distant third, is a collective. So, in
11 practice, we are talking about creating a structure to
12 regulate the distant third group. Yet, we just kind
13 of blow by the two big ones. And radiation protection
14 risk management is, by the way, integral of everything
15 that is regulated and unregulated.

16 So I'm struggling with, is there an
17 example where you can say, yes, this group has three
18 major sources of exposure? I don't know. I wrestle
19 with that. Maybe there isn't an answer here today,
20 but I think that is a challenge we have to think about
21 in trying to figure out, does this sort of a
22 recommendation make sense? If I am wrong, tell me,
23 but I am struggling with that.

24 Sorry for the interruption, Richard.

25 DR. VETTER: No. Fine. I appreciate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interruption because that is exactly the point I was
2 trying to make. From the hospital perspective, we
3 have been designing these shields to meet 100
4 millirem.

5 The methodology is very, very
6 conservative. When we measure out there, we don't get
7 that. And that's fine. We're happy we're not getting
8 that. But the point is if we have to apply this
9 constraint to that methodology, now we have to add
10 shielding. So we will get even lower doses out there.

11 CHAIRMAN RYAN: By calculation?

12 DR. VETTER: By calculation. So it's a
13 little bit confusing at this point as to how this
14 would be applied. Since we're not doing it to
15 ourselves, if this is going to be done, this
16 constraint is going to be applied by the government.

17 And so I just want to leave that with you
18 that that would be -- we're confused about it, number
19 one. It would be problematic, number two. And then,
20 number three, if you are going to apply this, do you
21 apply it to existing facilities? Do we have to go
22 back and re-shield hospitals? A lot of them will go
23 out of business before they did that. So, anyway,
24 it's very problematic and I think requires some
25 discussion if we are going to go forward with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please. So this more or less
2 is the beginning of my concluding remarks here. Dose
3 constraints and limits for pregnant workers in this
4 country if we applied one millisievert as a limit,
5 that would be problematic.

6 I'm not saying it couldn't be done. I'm
7 saying it would be problematic. It would be very
8 difficult for community hospitals. And there are some
9 thoughts that it could lead to some discrimination in
10 order to make it work.

11 Workers, 20 millisievert, problematic for
12 select individuals. Here again, there have been some
13 suggestions that some people would simply stop wearing
14 their badges.

15 Public, one millisievert limit is probably
16 okay. The limit, underscore "limit," is okay. We're
17 living with that now. It's the constraints that are
18 a problem for us. If we had to design our shields to
19 meet .3 millisieverts or, as Ed mentioned, using the
20 NCRP methodology, they don't exactly say 25. They say
21 25 percent. They use a percent, don't they, of the
22 limit? That would be problematic.

23 The cost of applying these constraints
24 would be significant. In particular, if you had to
25 begin to retrofit hospitals, it would be constrained,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very expensive.

2 Next slide, please. Just to mention
3 waiting factors, that has been discussed already. We
4 have very, very few internal updates in hospitals.
5 Even in nuclear medicine, where the dispensing
6 radioiodine, if you do it properly, the technologist
7 is not going to get [Inaudible due to NRC audio system
8 failure.].

9 Where these factors are used is in medical
10 research. So this could affect the final dose that is
11 calculated for a research subject who is getting a
12 particular radiopharmaceutical.

13 So it could affect -- in fact, ICRP has,
14 I think it is, 53, report number 53, that has a whole
15 bunch of radiopharmaceuticals, where they have
16 calculated the dose. If you want to simply use that
17 as a reference, you can use that to help evaluate the
18 dose to research subjects.

19 This would change those numbers. Exactly
20 how it would change it would depend on the biokinetics
21 of the particular radiopharmaceutical. I do not
22 envision that this would be a big deal. We would
23 simply calculate the new dose, inform the patient
24 accordingly, and continue the work.

25 Next slide, please. I just said that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please. So, in summary,
2 constraints for public exposure from facilities, from
3 medical facilities, we think are problematic,
4 especially for X-ray. Now, I know NRC doesn't
5 regulate X-ray or EPA doesn't either, but if you begin
6 to regulate it, it will filter down to X-ray.

7 Limits for occupational exposure of the
8 fetus are problematic for selected personnel, the
9 proposed limit. You know, in the large facility, you
10 can reassign workers in a small when you simply don't
11 have that luxury.

12 Limits for occupational exposure are
13 problematic for the proposed limits. The proposed
14 limits are problematic for select personnel.

15 So, with that, if there are any questions,
16 I would be happy to try to answer.

17 CHAIRMAN RYAN: Let me start with just one
18 quick one on ALARA in the medical setting for workers.
19 You know, you mentioned a few. For example, invasive
20 cardiologists, perhaps a couple of other categories
21 will be at or near that two rem and up to five rem.
22 Occasionally the whole body badge outside of the
23 shielding apron will be even above that.

24 When you get that circumstance where an
25 individual practitioner or perhaps a particular room,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how do you deal with that from an ALARA standpoint?
2 Is that a part of your program? And how does it work?

3 DR. VETTER: Right. Medical facilities,
4 if they are a materials licensee, they have to have an
5 ALARA program and in some states perhaps even to use
6 X-rays. I'm not sure.

7 In the state I am from, use of X-rays
8 doesn't require an ALARA program, but we have a
9 materials license. So we simply apply it across the
10 board. So it would apply to cardiology as well.

11 So we have what we call a derived
12 investigational level. It's a level based on what we
13 think is achievable for the average cardiologist. And
14 anyone who goes above that, we investigate. Usually
15 people who go above it, it is because their patient
16 load is high or they had a complicated case or
17 something of that sort. So there is not much we can
18 do.

19 Now, initially there were things we could
20 do. That was to institute the use of pull-down
21 shields, shields that are mounted from the ceiling,
22 you know, these ergonomic kinds of things where you
23 pull it in front of your face so you can shield your
24 face, in addition to wearing the lead apron.

25 For other personnel on their own, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are portable plexiglass panels that can be moved
2 around, lots of things that can be done. And I think
3 the ALARA program helped us to figure all of those
4 out, and they have reduced doses in those
5 environments.

6 So any time anyone exceeds a derived
7 investigational level, we take a look at what is going
8 on, what's the reason for this. Maybe the machine is
9 going bad in putting out too much dose or something.
10 You know, we want to know what is going on. Usually,
11 as I mentioned, it is caseload.

12 If someone goes over the limit of five rem
13 to the badge, then we use the NCRP methodology. NCRP
14 report number 122 says you can calculate the effective
15 dose under the apron and use that for your effective
16 dose as the assigned dose for that individual.

17 And I am probably fairly safe in saying
18 that most states allow that. Certainly our state
19 does. They simply allow us to do it. They recognize
20 that we're using an approved methodology in accordance
21 with an NCRP standard. And so we assign a dose.

22 If they don't go over five rem, we don't
23 assign a dose. We simply put in their file that their
24 badge dose was whatever it is. And then we don't
25 assign a dose. The reason we don't assign a dose is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because the badge is less than five rem, they're
2 within the limit, we can calculate an assigned dose
3 depending on what the current approved methodology is
4 for doing that.

5 Twenty years ago, it was effective dose
6 equivalent. Today it is effective dose. Tomorrow it
7 is different weighting factors for effective dose. So
8 we don't calculate it on a routine basis.

9 MEMBER WEINER: I just have one comment.
10 I wanted to thank you, Dr. Vetter, for recognizing the
11 problems with applying these doses to pregnant
12 workers. And I think they would also apply not just
13 to medical workers but to students and graduate
14 students under these constraints. I could not have
15 done my graduate work.

16 DR. POWERS: I will simply acknowledge
17 that the pregnant worker or potentially pregnant
18 worker is an intractable problem, even under the
19 current regime, whether or not you can reassign
20 without [Inaudible due to NRC audio system failure.]
21 of benefit, you simply run into the problem they
22 refuse. And then you have a legal liability problem
23 that just is impractical.

24 CHAIRMAN RYAN: Anything else?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. We are at a point
2 [Inaudible due to NRC audio system failure.]
3 discussion for comments from members of the public.
4 Any comments?

5 7) PUBLIC COMMENTS

6 MS. FAIROBENT: Lynne Fairobent with AAPM.
7 Vince, your industrial radiography slide,
8 was that only NRC licensees or did that include all
9 industrial radiography, NRC and agreement states, in
10 your numbers?

11 DR. HOLAHAN: I believe all of the
12 licensees with the agreement states are required to
13 submit annual reports to [Inaudible due to NRC audio
14 system failure.] reports are due annually [Inaudible
15 due to NRC audio system failure.] time frame.

16 MS. FAIROBENT: Okay. And I would just
17 like to follow up a document that Ed and Dr. Vetter
18 made on perhaps the need to increase shielding. The
19 industry did a workshop a couple of years ago -- well,
20 I guess a year and a half ago now -- taking a look at
21 it because NCRP was proposing a reduction in the
22 shielding report, which was the revision 10 CRP 49.
23 That's I believe at the printers now.

24 And we did do an awful lot of cost
25 estimations and impacts on existing facilities, on new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facilities. And it was going to be drastic for
2 industry.

3 NCRP backed off from that in the new
4 report for both the diagnostic X-ray facilities and
5 the therapy facilities from shielding is going to come
6 out at the 100 millirem.

7 If, in fact, now we get into a situation
8 -- and I know this may not directly apply for NRC, but
9 it certainly applies for some of our other regulatory
10 counterparts to NRC -- where if the ICRP
11 recommendation of .3 is adopted, we are back into that
12 same situation. And it's not a trivial impact on the
13 community.

14 And, as Dr. Vetter said, I'm not sure that
15 it really provides any increase of safety to the
16 public or to the worker in this case as it would be
17 applied.

18 So keep that in mind as we look ahead to
19 potential regulatory impacts on adopting these
20 constraint values.

21 CHAIRMAN RYAN: Thank you.

22 Any other comments or questions?

23 MR. ANDERSEN: Ralph Andersen, NEI.

24 I will just start with a question for any
25 of the panel members. Can you tell me in regard to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constraint what a source is in regard to application
2 of a constraint? You have read the ICRP
3 recommendations, as have I. Is it crystal clear to
4 you what a source is?

5 Dick, for instance, you use a lot of
6 different stuff at Mayo, X-ray machine and a nuc med
7 source. Are those two sources or is that one source?

8 DR. VETTER: Those would be two sources.
9 When you say, "What is a source?" it depends. I think
10 you have to identify the population first. And then
11 you identify the source, my impression from reading
12 the recommendation.

13 So if you're talking about a worker, there
14 are two different sources. If you're talking about a
15 member of the public who is visiting that facility, I
16 would interpret that to be one source. That is,
17 whatever exposure the member of the public gets while
18 in that facility, the facility is the source.

19 MR. ANDERSEN: Any other takers?

20 (No response.)

21 MR. ANDERSEN: Okay. That is an area that
22 I suggest we really need a lot of clarification on.

23 MR. BOYD: I think that is true, Ralph.
24 I think the way I read the ICRP, you could certainly
25 consider an entire facility as a source, but the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interpretation is equally valid.

2 MR. ANDERSEN: Also, I just wanted to make
3 a couple of quick comments on the dose at nuclear
4 power plants and ALARA programs. First of all, how
5 did we get there? Vince showed, I believe, 1989 data
6 and 2003 data.

7 A couple of comments that may or may not
8 be shared by other industries. First of all, we have
9 a very robust infrastructure who as part of their
10 design is to accomplish that kind of result, institute
11 a nuclear power operations, does routine evaluations
12 to bring it down. I believe that Dr. Powers had
13 asked, you know, how did we get there?

14 So they evaluate programs on a routine
15 basis and also facilitate that sharing good practices,
16 but we also have a strong arm of technology
17 development through EPRI and technology transfer, the
18 point being that Vince had put up some comments about
19 what is it going to take, what is it going to cost.

20 Those numbers or statements that were
21 generated in 1995 actually were lowballs. We spent
22 more than a couple of million dollars per facility and
23 more than \$500,000 a year in O&M costs to get there.

24 Now, the driver really was to improve
25 productivity. That is really the point. ALARA at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuclear power plants is really integrated into
2 production because it is really an efficiency program,
3 streamlined work processes, shortened job time,
4 shortened stay time in radiation fields, and so forth.
5 So you get dose down.

6 I don't think that would be generally
7 applicable to many other endeavors that use radiation,
8 industrial radiography being an example. So they
9 would lack that economic driver that we have in our
10 industry.

11 Also, because of nuclear safety
12 considerations, primarily we routinely engage in that
13 transfer of information, transfer of good practices,
14 and technology transfer that includes ALARA practices.
15 What we found interacting with other industries is
16 typically and especially where you have competitors
17 interacting with each other, that is not the case. It
18 is very difficult to create that kind of culture of
19 sharing.

20 So I just wanted to respond that for
21 communities like the radiographers, it might be much
22 more difficult than you would first think for them to
23 accomplish similar types of results.

24 CHAIRMAN RYAN: Thanks. We appreciate
25 that insight. It reminds me [Inaudible due to NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 audio system failure.] the comment that Dr. Vetter
2 made that somebody might decide not to wear a badge.
3 I would venture to guess that a worker who decided not
4 to wear his badge at a nuclear power plant wouldn't be
5 there very long based on that culture.

6 MR. ANDERSEN: Ralph Andersen, NEI.

7 Actually, you made me think of one other
8 comment that I totally overlooked. There are really
9 two. One is that in looking at the numbers of workers
10 and doses, keep something in mind. If you tell me
11 that you would really like to see most workers or all
12 workers stay below two rem as a goal, I can do that.

13 If you tell me that if one of those
14 workers gets two rem plus one millirem, that will be
15 a regulatory overexposure. I'm going to keep all
16 workers below about 1 or 1.2 rem. And that is going
17 to be much, much more difficult because then I will
18 have to build in a large margin.

19 For information, the routine
20 administrative dose guideline we use in our industry
21 as sort of an upper bound is about two rem a year.
22 Then we make exceptions to go above that when we have
23 a special skilled worker that is needed for a certain
24 application.

25 That is 40 percent of the existing limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we would actually have to change our culture and
2 accept a much reduced margin if we were suddenly
3 dealing with a two rem a year limit.

4 The other comment I wanted to make goes to
5 the .3 millisievert or 30 millirem a year possibility
6 within constraint. Even though the maximum constraint
7 is recommended as 100 millirem, the fine print -- and
8 you really have to look carefully to see that --
9 suggests that lower constraints are appropriate for
10 many applications.

11 For mining, milling, power operation, --
12 those are ones I'm familiar with -- 30 millirem is
13 virtually impossible to demonstrate. You can somewhat
14 do it by calculation, but the uncertainties are very
15 large.

16 And that is one of the concerns we have
17 always had about something below 100 millirem. That
18 is just about as low as we can go and still
19 demonstrate that on a practical basis.

20 I am not talking about members of the
21 public off site. I am talking about our
22 non-radiological workers that are on site.

23 CHAIRMAN RYAN: Ed?

24 MR. BAILEY: The biggest factor in
25 reducing overexposure to both industrial radiographers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and to radiologists probably was doing away with a
2 1.25 [Inaudible due to NRC audio system failure.]
3 exposure limit and simply going to 5 rem a year
4 because it gave people time to react and move people
5 around or restrict their work.

6 So it is very important how you write the
7 [Inaudible due to NRC audio system failure.]. It's
8 not just the number that makes a difference.

9 CHAIRMAN RYAN: True. One small point on
10 worker exposure, and I guess either Vince or Don can
11 address it. And nobody has touched on it. There is
12 a special case that is allowed in 10 CFR 20 for
13 planned special exposures where an individual can be
14 exposed up to one time the [Inaudible due to NRC audio
15 system failure.] limit on twice during their lifetime.
16 That dose [Inaudible due to NRC audio system failure.]
17 apart from their lifetime occupational record.

18 So, just for the sake of completeness, I
19 wanted to mentioned that even the current 10 CFR 20
20 has a different [Inaudible due to NRC audio system
21 failure.] it's a limit, right? Based on that
22 exception, twice and a worker might [Inaudible due to
23 NRC audio system failure.]. Is that right?

24 DR. COOL: That's true.

25 CHAIRMAN RYAN: I don't know how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times it's been done.

2 DR. COOL: I don't think it has ever been
3 used that I am aware of.

4 CHAIRMAN RYAN: I don't think I am aware
5 of any, but it is still in the code.

6 DR. COOL: Right. And there is no similar
7 thing in the ICRP recommendations at this point.

8 CHAIRMAN RYAN: I just want to be a little
9 bit more precise in comparing [Inaudible due to NRC
10 audio system failure.].

11 With that, we are at a point where we are
12 scheduled for a short break. And we're close to the
13 time. So why don't we come back right at 5 minutes to
14 12:00, which would put us a few minutes behind our
15 agenda schedule. And we'll press on with the
16 discussion of optimization.

17 Thank you all for this very informative
18 session and good discussion.

19 (Whereupon, the foregoing matter went off
20 the record at 3:41 p.m. and went back on
21 the record at 4:00 p.m.)

22 CHAIRMAN RYAN: We have two additional
23 presentations scheduled and time for discussion and
24 question and answers and then a wrap-up discussion and
25 public comment period. So we'll bring all those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things together. I think at the end we're going to
2 ask our panel members to stay around, as the Committee
3 may deliberate for the benefit of the audience and try
4 and arrange some themes and key points that we heard
5 today as part of the entire day's activities. And
6 that's a preparatory activity in thinking about
7 structuring a letter that will offer our views and
8 comments to the Commission.

9 Without further ado, let me turn to Don
10 Cool who's going to lead us off on the discussion of
11 optimization and protection, and he'll be followed by
12 Dana Powers, a member of the Advisory Committee on
13 Reactor Safeguards, is also going to provide us some
14 insights from the ACRS point of view. Don?

15 DR. COOL: Thank you. I don't hear this
16 echoing, so I hope I'm picked up, Madam Recorder.
17 Microphone's gone. Get this up fairly close to my
18 throat in hopes that it can pick up and we can
19 proceed, and you should be able to hear me.

20 I wanted to address quickly the questions
21 of optimization. We've touched on them briefly this
22 morning in our introduction, so what I would like to
23 do is give you a fairly quick overview of the things
24 which are in the ICRP dropped recommendations and then
25 introduce a couple of topics where I think some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion may be warranted.

2 First and foremost, optimization, a
3 fundamental principle of radiation protection that
4 hasn't changed. As envisioned by ICRP in these
5 recommendations, not only is it dose reduction but it
6 would incorporate other things that go into a broad
7 definition of protection, for example, avoiding
8 accidents and potential exposures, minimization of
9 waste. Although the words aren't in the draft, you
10 can read other things, perhaps such as securing
11 facilities and doing other sorts of things like that.

12 In addition, the ICRP suggests that it's
13 consistent with the adoption of a safety culture.
14 We'll talk a little bit more about the relationship of
15 that in a bit. We can go on to the next slide.

16 Characteristics of an optimization
17 process. A forward-looking process, so this is not a
18 retrospective, go back and try and prosecute the
19 innocent type of approach but rather a forward-looking
20 iterative process that's continually looking to try
21 and determine if the best protection is being afforded
22 under the prevailing circumstances.

23 In that respect, it ought to be systematic
24 and structured, go through in a very logical sort of
25 manner. One of the things which is emphasized more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now than in previous ICRP documents is that it has
2 both the qualitative and the quantitative judgments.
3 Those familiar with the ICRP's publications will note
4 that several in the past, ICRP Publication 37, for
5 example.

6 There have been discussions on
7 optimization with very nice mathematical formalization
8 most around collective dose to get some sort of
9 valuation and figure of merit, which would then be
10 used to decide whether or not you had optimized the
11 process. This included alpha and beta factors that
12 allow you to weight collective doses and get a
13 cost/benefit ratio comparing with how much it cost to
14 do something with the benefit that would be derived.

15 In these 2005 draft recommendations, ICRP
16 is both acknowledging and in fact pushing more of the
17 qualitative attributes that have also been part of the
18 day-to-day activities that most operators actually
19 have but which actually haven't had a formal place
20 within the recommendations. In that respect, part of
21 what they're trying to suggest is that it is a frame
22 of mind that I've put out there to continually
23 challenge whether or not there is the best protection
24 being afforded.

25 I will grant you will observe that most of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the chapter in the draft recommendations is written at
2 a very high conceptual level and appears to be written
3 in the context of a very large decision-making process
4 like an environmental remediation or the introduction
5 of a whole new facility.

6 In the discussions which have gone around
7 and around us within ICRP, I think it is envisioned in
8 a more broad context and this is intended to include
9 things like local work groups talking about ways that
10 they can improve activities, the work planning that
11 would go into each specific job in a nuclear power
12 facility, the technicians in a pharmacy suggesting a
13 better way to shield the syringes and all of the other
14 little practical, some might even call it, seat-of-
15 the-pants activities that forms the real heart and
16 core of improving a day-to-day radiation protection.
17 We can go on to the next slide.

18 ICRP has always had this bit of tension
19 between what's optimization and what's ALARA. And
20 what they will tell you, or at least what I have heard
21 Roger Clarke tell you on several occasions, is that
22 optimization and ALARA are not equivalent. In fact,
23 as the process was going through over the last few
24 years, they wanted to eliminate the word, "ALARA," and
25 there was a great pushback from many folks, certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within the industry and otherwise, that ALARA is a
2 very recognizable term and graphically describes
3 exactly what we want to do with doses, okay? Point
4 taken. However, optimization, as viewed by ICRP,
5 includes not only dose reduction, which is what the
6 ALARA means, but also all of the other factors such as
7 the waste disposal, the potential for accidents and
8 all of the balancing factors.

9 So if you will, you are both right, if you
10 are talking to the advocates there, ALARA is
11 equivalent, and ICRP that says ALARA is not equivalent
12 to optimization. ALARA is a part of optimization when
13 you are dealing with the specifics of dose reduction.
14 What ICRP would wish for everyone to remember is that
15 you ought not to simply be fixated on dose reduction
16 if that means that you're doing some other things that
17 are kind of stupid and reducing number of
18 surveillances and other things, which may push up the
19 potential for accidents or other problems which are
20 also involved in overall protection of the source. We
21 can go on to the next slide.

22 They talk in general terms about roles and
23 responsibilities, suggesting that regulatory
24 authorities, competent authorities, government
25 agencies, would generally be looked to to establish a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clear policy and requirement on operators and users of
2 sources for their to be optimization. For the most
3 part, they would assume that the actual responsibility
4 for optimization is with the owners, designers, users
5 of the facility to have gone through and done the
6 analysis. They would have expected that regulatory
7 authorities and others would be looking over their
8 shoulder but not likely doing it themselves. So,
9 again, as Mike Boyd noted a bit earlier, there are
10 some differences with at least some corners of the
11 regulatory world where the regulatory authority, in
12 and of themselves, will assume some measure of the
13 optimization responsibility. That's not how ICRP has
14 normally laid it out.

15 ICRP uses constraints as the boundary for
16 optimization, and we've already had quite a bit of
17 discussion around the constraints. Let's immediately
18 go to the next slide.

19 People are always looking for a way to use
20 a graphic to try and explain what's going on. This
21 happens to be a drawing that got tossed up on the
22 board in Beijing last week. I'm not advocating it as
23 good or bad, but this is a polar representation of the
24 world of dose. That would be the perfect world of
25 zero right there in the center, and everything that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you do to try and reduce exposures are moving from a
2 greater dose outside towards the center and the polar
3 plat.

4 ICRP would represent the relationship of
5 optimization and dose reduction with constraints as
6 being the constraints forming a ring and there might
7 be multiple rings, as we've talked about at various
8 times. In a normal situation for a practice,
9 something that you had under control, you would always
10 assume that your optimization process, the nice little
11 arrows on this chart, start inside the circle and move
12 towards the center.

13 ICRP also recognizes that while a
14 constraint is supposed to be a boundary for
15 optimization, if you're in a preexisting situation or
16 you're dealing with an emergency type of situation,
17 you may have something where the dose starts outside
18 the boundary of where you would like to be. And thus
19 the objective of the dose reduction and optimization
20 is to try and move it in; first, ideally, to get you
21 inside of the constraint and then to further reduce
22 the exposures.

23 One of the conflicts which is not clear
24 within what is written, at least in the present time,
25 is the fact that in the normal definition of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constraint -- I see my laser is dying -- a constraint
2 is supposed to be a boundary to optimization. And one
3 of the difficulties that gets associated with this is
4 how you deal with a constraint in that definition and
5 at the same time acknowledge that there will be
6 situations where you will be outside of the constraint
7 at the starting process. And does that mean you have
8 the wrong constraint or does that mean that the
9 definition of optimization also needs to include
10 situations where the constraint is something other
11 than an external boundary within which you're always
12 optimizing. I point this out as one of the
13 definitional inconsistencies that's there.

14 This also raises something which Dr.
15 Vetter very appropriately noted: They use the word,
16 "failure." And failure is a very nasty term if you
17 come across a preexisting situation which is already
18 out there and you sort of run into the fundamental
19 question of who failed at that point. So there are
20 some issues associated with the definition of a
21 constraint versus the definition of optimization
22 always being bounded.

23 Move on to the next slide and raise
24 another one of the issues that is floating around,
25 which is the role of collective dose. As I mentioned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a bit earlier, previously within the ICRP system,
2 collective dose and a mathematical quantitative
3 approach to optimization, which is what had been
4 discussed. In these recommendations, ICRP is backing
5 away from collective dose in a very significant
6 manner. They are indicating, and there are many who
7 would agree, that the double integral over all space
8 and time is maybe a very nice number but doesn't tell
9 you very much in terms of actually making any
10 decision, because it basically adds up everybody who
11 could ever possibly have gotten a dose and whatever
12 that dose is, down to the microfemto, whatever, very,
13 very extremely bits of dose, and adding them all
14 together for a single figure of merit, pointing out
15 that that really doesn't help you in the decision
16 process. So it's not terribly useful on its own for
17 making decisions.

18 The alternative recommended is something
19 that's gotten nicknamed dose matrix. Matrix, I grant
20 you, also implies a mathematical construct. I'm not
21 sure that that's actually what they mean in all
22 circumstances but rather a way of representing a wide
23 variety of informational needs and attributes that
24 goes into making the decision. We can go ahead and
25 have the next slide, and of course I did that just as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 she moved over.

2 There are a variety of attributes which
3 they would suggest ought to form a matrix that allows
4 you to understand the information that's available.
5 Those might be organized under the classic questions,
6 who, what, where, when, why, how in asking who got the
7 doses, where are they, what are their characteristics,
8 what are their ages, what are their genders, what were
9 the number of people, where were they located, when
10 did they get exposure, was it today, is it spread out
11 over the next 50 years or is it 10,000 or 100,000
12 years from, what other considerations may come into
13 play in this in terms of the types of values that
14 people may place on this, what technical and other
15 economic considerations may be part of this discussion
16 and to use that combination of attributes in
17 presenting the information to the decision makers and
18 other individuals who are involved in the decision
19 process to help make that decision. We can go ahead
20 to the next slide. And in fact I'm going to ask you
21 to go ahead to the next slide after that.

22 Another discussion which comes into the
23 recommendations for the first time in a really
24 significant way is the role of stakeholders. ICRP, if
25 you go back to some of the documents that have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 published recently, has been acknowledging the issue
2 of stakeholders, but this lays out very clearly that
3 ICRP believes that there is a role for stakeholders,
4 there's a recognition that stakeholder processes have
5 wide varieties of kinds of processes and level of
6 involvement. It would be nice if there were some
7 words that sort of implied that the stakeholder
8 process ought to be sort of graded to the level of
9 decision and the level of risk. I don't actually find
10 those words in the current document. Again, that's
11 something which is a point we might wish to note.

12 Certainly, we here at the NRC have a very
13 strong view with regards to stakeholder involvement
14 being important and trying to grade the relationship
15 of what you're trying to do and the risks that are
16 involved and what you're trying to accomplish to both
17 the processes that you use and the individuals that
18 you involve in the process. If you stand back, take
19 the 35,000 foot level view on this, again, this means
20 that you involve the workers in the decision in how
21 they're going to improve their work activities. And
22 if you're dealing with a large environmental construct
23 of how you're going to decommission a facility or
24 remediate the territory, that you ask the people
25 living in the area and get their input in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion of who's involved and what their
2 characteristics may be. All of that would be
3 incorporated within this role of stakeholders. We can
4 go to the last slide.

5 I will raise one other point of very
6 interesting discussion. It doesn't get much text
7 here, but it is a whole new attribute that has been
8 put in. And as I mentioned in my talk at the
9 beginning of the day, that is the mentioning of the
10 best available technology approach within the
11 construct of optimization. Depending upon how you
12 choose to read the words in this draft report, it is
13 not clear whether the ICRP means that the best
14 available technology not entailing excessive costs is
15 something which would be equivalent to optimization or
16 might be part of optimization.

17 Certainly, I think that we would hold a
18 view that they are very different in their underlying
19 basis. Optimization, even as ICRP would have put it,
20 looking at the best available protection. Best
21 available technology, at least as I believe most
22 people understand it, is a technology base -- what's
23 out there and what is possible to do, what can you
24 implement, does it necessarily look at whether a new
25 technology makes a substantial improvement in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 protection or whether it's just a new technology that
2 moves the decimal point over a little bit. Again,
3 this is an area that does not have much within the
4 text. I know because of meetings last week in Beijing
5 that it is a point of discussion to determine how it
6 should be playing with regards to the whole issue of
7 optimization.

8 And with that, I'll complete my quick run
9 through on identification of several issues that we
10 have started to identify within the optimization
11 process. Questions?

12 CHAIRMAN RYAN: I go back to ICRP, I think
13 it's 55, is that right, where there's a little bit
14 more meat on how do you do an optimization considering
15 engineering controls and work practices and level of
16 risk and all those kinds of things. That struck me as
17 being a little bit more focused on exactly what you
18 should do if you're a practitioner thinking about
19 optimizing some practice or activity.

20 I read this and I see some interesting
21 conundrums here. First of all, it's only for control
22 of emissions. I would think that best available
23 technology might be for exposure to workers too. So
24 why they pick on emissions and why they pick up that.
25 And if it's an optimization, how can it always be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 best? That just seems to me to be a conflict in the
2 words chosen. And it leads me to the theme of some of
3 the optimization discussion, which in a lot of ways
4 it's interesting discourse but when I think about,
5 well, how would I apply that as a licensee, I struggle
6 with how I would get there. So in a lot of ways, it
7 seems very detached from what a practitioner could
8 actually put to good use, if you will. Is that a
9 reasonable conclusion on my part?

10 DR. COOL: I think it is a reasonable
11 conclusion based on the material that's currently in
12 the draft. My observation, better than a hunch I
13 think, is that a lot of this in fact is being driven
14 by again a lot of the environmental protection
15 concerns, issues that are being raised particularly in
16 Europe, and I would note that a lot of things -- Mike,
17 you can correct me if I'm wrong -- but a lot of the
18 things in effluence and releases to the environment,
19 not just in radiological concerns but for sulfur
20 oxides and a variety of other things from various
21 plants, have looked at best available technology. In
22 fact, I think our friends at EPA have been known to
23 fight more than a few lawsuits on whether they're
24 using that approach or otherwise.

25 This, in one sense, may be an effort to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 try and draw some nexus between the two. Whether it's
2 a good nexus to be drawing or not and its implications
3 for other things are two very good questions.

4 CHAIRMAN RYAN: Well, and I think you've
5 brought out the real decision of what is the
6 appropriate use of that terminology is really not
7 something that's settled in a recommendation or
8 fundamentally in a regulation. The EPA case is
9 certainly one, but ultimately gets fleshed out in the
10 courts and in the details of court cases that examine
11 it case by case, and then after a while you see the
12 pattern. But I just wonder how this fits in a
13 radiation protection practice, how it improves where
14 we are now in terms of environmental protection.

15 DR. COOL: Unfortunately, what's in the
16 ICRP draft doesn't help us other than to speculate, as
17 we are here.

18 CHAIRMAN RYAN: Okay. Thanks. Jim, any
19 questions? No? Ruth?

20 DR. WEINER: I have a couple. You pointed
21 to this information as forming a decision matrix or
22 that that's what the proposal is; is that right? In
23 any kind of decision making, there is usually an
24 element of prioritization, and in this case it would
25 be the prioritization of these information needs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What does ICRP intend -- who do they intend would do
2 this prioritization? Is it ICRP, is it the emitter,
3 was that discussed, is it the receptors?

4 DR. COOL: They don't say.

5 DR. WEINER: Do they recognize that all of
6 these information needs are not equally important?

7 DR. COOL: Yes. In the text, there is a
8 discussion of weighting, which is in fact a
9 mathematical term for giving priorities and relative
10 weight in the decision-making process to certain of
11 the elements.

12 DR. WEINER: Right.

13 DR. COOL: So that recognition is clearly
14 part of the draft, and I can probably pick up a
15 paragraph here if you give me a minute or two, but I
16 know that is in the draft.

17 DR. WEINER: That is but they don't say
18 how the weighting is done.

19 DR. COOL: They do not give a specific
20 suggestion on how the weighting is done.

21 DR. WEINER: Why is zero risk considered
22 a perfect world?

23 DR. COOL: Well, that's probably also a
24 good question. From a philosophical standpoint, and
25 I probably overstated that particular where we wish we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could go back and delete the transcript, but for a
2 graphic moving towards that direction and being
3 consistent with their underlying philosophy, all
4 kidding aside, that if you assume linearity for the
5 purposes of establishing a dose control framework,
6 then if you can move to a lower dose, that ought to be
7 a good thing.

8 DR. WEINER: Well, this does raise a
9 question, and perhaps, again, it's a question about
10 the linear non-threshold theory or in general it's a
11 question. We know we are not going to move to zero
12 dose. Everybody gets some anyway from background.
13 Why not at least use -- I mean I admit that there may
14 be an optimal dose or a minimum dose or something or
15 a minimum dose over background or something like that.
16 Was there some reason for stating this as zero dose
17 rather than acknowledging that there is some minimum.

18 DR. COOL: I don't think ICRP actually
19 uses the word, "zero."

20 DR. WEINER: Oh, that was your word.

21 DR. COOL: And the other thing that I
22 think is an important clarification, and I'm not sure
23 that it's in the written text in discussions like
24 Roger Cleric a couple weeks ago, Roger is usually
25 pretty careful to talk about this as a dose increment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 above natural background and trying to reduce the
2 increment, acknowledging that there's no such thing as
3 a zero, as you correctly pointed out. So you're
4 talking about dealing with incremental additions or
5 reducing incremental additions.

6 DR. WEINER: Okay. Thank you.

7 CHAIRMAN RYAN: Ruth, let me add on to
8 that and ask you a question or ask you and Don a
9 question. It seems to me that if you think about this
10 fundamentally, and leaving apart the linear non-
11 threshold theory, I think that's a much maligned
12 radiation protection theory for the purpose of
13 standard setting that gets beat up inappropriately
14 when people want to pick on something, but if you
15 think about managing risk, you can manage risk by
16 things and spending money and having activities, and
17 if you keep trying to lower that risk, you end up
18 turning 180 degrees around and ending up with more
19 impacts on a lot of human activities.

20 For example, building a bridge. How many
21 deaths does it take to build a regular bridge versus
22 some new spectacular whiz-bang bridge in terms of
23 bringing materials to the site and truck accidents and
24 all the rest when you think of that bridge as a
25 system?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we think about activities and
2 radioactive material or sources of radiation as a
3 system and really think about it from soup to nuts,
4 beginning to end, design to cradle to grave kinds of
5 thinking, I think you've got to recognize that there
6 is an optimum point where you've squeezed out as much
7 dose reduction or risk management as you can and
8 you've optimized it. Because if you spend more money
9 and do more things, you might actually back up.

10 So that's something that I think doesn't
11 really seem apparent in their optimization discussion
12 that it can turn around on you if you're not careful.
13 Is that a fair comment?

14 DR. COOL: I believe that's a very fair
15 comment and true. You find -- what I think ICRP would
16 probably argue is, yes, we agree with you precisely.
17 That's why you find words about economic and social
18 factors being taken into account. You don't find it
19 perhaps as clearly as you might have wished it to be
20 said, but I believe that they would agree.

21 CHAIRMAN RYAN: Well, that's fair. They
22 didn't say if you don't taken them into account,
23 you'll back up. That's really what I'd like to add to
24 that comment is that you really will back up if you
25 keep trying to overmanage the risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WEINER: You mentioned that they're
2 considering best available technology, which is in
3 fact, as I'm sure Mike Boyd can attest, is a concept
4 that comes from air pollution control, basically. And
5 in air pollution control it almost always does mean
6 less emission. And I guess my question is does ICRP
7 recognize that in radiation protection it does not --
8 the analogy may break down? It may not always mean
9 better protection.

10 DR. COOL: There's nothing in these words
11 that allow me to say yes or not.

12 DR. WEINER: Okay. That's good. Finally,
13 everybody talks about stakeholder involvement. Does
14 ICRP -- does the document mention how stakeholders are
15 identified?

16 DR. COOL: No, it does not. And my
17 understanding of the foundation document, it describes
18 some of the groups or individuals who might be
19 involved, but it in fact does not attempt to get into
20 either specific processes or specific identification
21 approaches, recognizing that those vary almost as much
22 as the kinds of decisions that are made.

23 DR. WEINER: Thank you.

24 CHAIRMAN RYAN: Dr. Powers?

25 DR. POWERS: Do you want me to comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extensively or just interrogate the speaker?

2 (Laughter.)

3 CHAIRMAN RYAN: All of the above, sir, at
4 your pleasure.

5 DR. POWERS: I'll comment. Mr. Cool and
6 I find ourselves of like mind on a lot of these
7 things, so don't really have much of an interrogation
8 for him. I really don't want to talk about the deep
9 philosophical underpinnings of the concept of ALARA.
10 Certainly, I agree with anyone that tells me that
11 optimization and ALARA are not identical.
12 Optimization is clearly distinct. ALARA is a
13 different process.

14 What I would like to focus on are the
15 practical aspects of ALARA engineering. I do so only
16 because Mr. Cool asked me to do so, but episodically
17 I get to audit lots of ALARA engineering reviews.
18 They're fairly routine aspects of operational
19 activities at any nuclear facility. They are
20 qualitative. Very seldom is any computation done. If
21 it is, it's algebraic computation on the back of an
22 envelope. By the time you get to the ALARA review,
23 you're assured of falling below regulatory limits or
24 constraints as you choose your language.

25 Quite frankly, I find these ALARA reviews

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impressive for the number of things that people that
2 operationally have to carry out an activity can
3 identify that people that design an activity never
4 even thought of. I see the ALARA is absolutely
5 crucial for the maintenance of flow worker doses and
6 even falling worker doses. Mr. Holahan certainly
7 showed us some impressive results, and I'm willing to
8 assert that substantial fractions of those came from
9 ALARA and ALARA-like activities. Certainly, INPO, one
10 of our speakers has mentioned, has been enforcing an
11 ALARA culture within licensees. Similar enforcement
12 exists within DOE facilities.

13 ALARA really is possible because of
14 linearity. Engineers function best in linear worlds,
15 and though the world may in fact not be linear, the
16 truth is we can capture a huge amount of technology
17 with linear models. And anything that you do that's
18 going to make ALARA non-linear is going to have a
19 negative effect on its effectiveness. So when you see
20 signs of non-linearity creeping into things like
21 taking into account social and economic factors,
22 anything that makes the problem multi-variable, it is
23 something really that becomes distressing. Quite
24 frankly, as practiced now in a linear concept, ALARA
25 is very well established, it's very well understood

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it's very functional, and you should not be
2 complicating.

3 Now, I suffer the frustrating of nearly
4 all of our speakers here in that the document they've
5 given us is long enough but it lacks enough detail to
6 comment on any one item very authoritatively. And so
7 when you look at the plain text of the words
8 associated with ALARA, first of all, you find there's
9 not a great deal of text associated with it, and they
10 look fine. It says go forth and do ALARA.

11 When you look at the interpretation of
12 those words by others that have had longer to examine
13 this document than I have, you find things that are
14 distressing. Certainly, in some of the NEA analysis,
15 they find this concept of best available technology
16 not intending excessive costs. They associate that
17 with ALARA, even though the plain text associates it
18 with emissions to the environment.

19 Whether one associates it with ALARA or
20 with the emissions to the environment, I think as a
21 regulatory body, NRC has to be very careful of this
22 concept of best available technology. I think some of
23 those points have been made here. It's not the use of
24 best available technology that we want to achieve. We
25 want to achieve an adequate level of protection, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is seldom that we find the best available
2 technology is the only way to achieve an adequate
3 level of protection. I think the history that Ms.
4 Weiner brought up, that of for best available
5 technology shows that to be the case, that anytime a
6 regulatory agency comes in and prescribes how an
7 engineering organization carries out its job it in
8 fact is probably interfering with the execution of
9 that job.

10 It certainly becomes a problem for a
11 regulatory agency that's charged with providing
12 adequate protection of the public health and safety
13 instead of the best available protection of the public
14 health and safety.

15 ICRP does seem to associate this safety
16 culture with optimization. This is an area that the
17 ACRS has been extremely interested in. We find within
18 our group many people with many definitions of safety
19 culture. I think some of our speakers at lunchtime
20 decided that any time you collect six people together,
21 you will have probably 12 definitions of what safety
22 culture is.

23 What we do know is that it's extremely
24 difficult to monitor and measure safety culture, and
25 it becomes a concept that's not regulatable. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ICRP would be far better off if it identified the
2 attributes of safety culture that it wants to be
3 incorporated into its document, including its ALARA
4 practices, rather than calling out safety culture
5 itself.

6 There also seems to be in the document an
7 air or an aura of what I would call continuous
8 improvement. I'm sure that continuous improvement is
9 a laudable characteristic of an owner/operator
10 organization, probably one that should be included.
11 It is a major problem for a regulatory agency charged
12 with providing adequate protection of the public
13 health and safety. And we can see object lessons in
14 comparing things that go on within government-owned
15 facilities and those in commercial facilities to
16 understand what continuous improvement can do for you.

17 Continuous improvement can lead to a focus
18 on the minutia because you can get improvement by
19 looking at things that are familiar and small, whereas
20 things that are big and difficult are tough to improve
21 on. And I think we need to be very careful trying to
22 regulate for continuous improvement rather than
23 regulate on minimization of risk, because we really
24 want people to go after the big things that are big
25 contributors to risk and not go after the minutia.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Well, I think that concludes everything I
2 wanted to say. My comment on ALARA is KISS, keep it
3 simple stupid. It's got to be a linear, single-
4 objective function that's comprehensible and can be
5 carried out routinely. This is especially true when
6 we have a quantitative measure of what reasonably
7 achievable is, as we do. Introducing best available
8 technology into that is a route to assuring we'll stop
9 doing ALARA.

10 Now, Dr. Weiner will promptly ask me why
11 I would want to continue to have organizations
12 knocking themselves out to reduce a dose that's
13 already very small, and I think I would agree with one
14 of our speakers here that a lot of the motivation for
15 ALARA is not just to reduce the dose to the workers,
16 it's to improve the efficiency of operations.

17 Dr. Weiner doesn't let up. If any of you
18 know her, she's very tenacious and she'd say, well,
19 why should I care in radiation protection about
20 whether the work goes very efficiently? Isn't that a
21 management function? Well, quite frankly, what has
22 impressed me most about ALARA activities is the number
23 of times that in the ALARA review the potential for
24 accident has been identified and subsequently avoided
25 because of the ALARA review.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so it is not, Dr. Weiner, because
2 we're trying to reduce the dose alone, that's
3 certainly a motivation, but we'd also like to have
4 further check to make sure that we're not leading
5 ourselves into an accidental dose that of course could
6 be well above the limits. With that, I'll stop.

7 CHAIRMAN RYAN: Thank you, Dana. Jim?
8 Dana, a couple of thoughts that I'd like to pick your
9 brain about. One, I couldn't agree with you more that
10 the ALARA review process, if done right, addresses
11 chemical, electrical work practice, material
12 management, lots of other safety concerns besides
13 radiation safety. So if it's integrated like that,
14 you can sure get a lot more out of it than worrying
15 about a few extra millirem.

16 DR. POWERS: It's becoming such a familiar
17 and easy process that integrating itself is very, very
18 natural.

19 CHAIRMAN RYAN: And that to me is the
20 transition from an ALARA process to a safety culture
21 is when that all wraps together seamlessly within an
22 organization.

23 Don mentioned a step that ICRP is kind of
24 drifting away from collective dose. On the one hand,
25 I think that's great because collective dose as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measure of public risk doesn't mean much, particularly
2 if you're multiplying a pismorem, which is the
3 smallest unit of radiation dose you can talk about yet
4 get paid times a gazillion people. You get a big
5 number and you can calculate lots of cancers but it's
6 meaningless at the end of the day because the
7 structure of it falls apart.

8 I do know, though, that in my own
9 experience in the low-level waste industry, and I'm
10 sure it's true in power plants from what I've seen of
11 activity in power plants, there's a lot of focus on,
12 let me call it, man-rem calculations for lack of a
13 better term, and I guess that's an example where the
14 number isn't so important as an absolute, I guess in
15 my own view, but comparing scenario A man-rem versus
16 scenario B is a metric that helps you in decision
17 making. Could you just a comment a little bit more
18 and expand on that for us?

19 DR. POWERS: Yes. It's an area that's not
20 just in radiation protection but in worker safety all
21 together, that what we call the societal risk, the
22 society of worker risk, arises a lot because it's
23 difficult to predict where individuals will be at the
24 time of events. And so you'd like to use a more
25 collective smeared out measure and it's used exactly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as you describe. It's not so important what the
2 actual number is, though if it gets very big,
3 certainly you'd worry about that. But you'd like to
4 use it as is doing things this way better than doing
5 things this way? And you'd like to work with a
6 number. As I said, engineers are very linear people
7 and like linear models. And so you use a single
8 metric that has some linearity.

9 This has been made a technology, I would
10 guess. A codification of it has come out of Dupont
11 for the safety analysis of chemical processes where
12 they use what amounts to a societal risk to the
13 working population. And it has subsequently been
14 adopted into the Department of Energy and some of its
15 analysis of its facilities. I guess it's now into the
16 regulations on nuclear facilities by the NRC and has
17 a value to it because of uncertainties about small
18 populations of workers in the event of hazardous
19 events. It has a good history within the chemical
20 industry for avoiding worker hazard.

21 There are some who view it as competitive
22 to the quantitative risk assessment. I think from my
23 point of view I look at them as two sides of a similar
24 coin.

25 CHAIRMAN RYAN: I think Don had a comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the first point. Don?

2 DR. COOL: Yes. I think there are a
3 couple of things that are important within this. Yes,
4 a collective dose calculation has been used as a
5 measure of performance metric. One of the things
6 that's immediately important about that is that's not
7 a unbounded collective dose. In most cases, you know
8 who, you know what, you know when. It was for a
9 particular task at a particular facility, and you use
10 that as a measure of performance to see if a similar
11 task at another facility, at least on that metric, was
12 better or worse. And that actually fits within ICRP's
13 definition, because then you've defined some of the
14 who, what, where rather than simply being in double
15 integral over all space and all time.

16 What they would then caution you is that
17 it's probably still not good enough to give you all
18 the information to actually know whether the
19 protection was better in one case or the other because
20 there will always be other factors -- the size of the
21 facility, the layout of the rooms, other things that
22 were going on at the time -- that may mean that even
23 though the collective dose in Case B was a little bit
24 higher than the collective dose in Case A for this
25 other plant, they may have actually done a better job

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over here in Case B because of other things that were
2 going on.

3 CHAIRMAN RYAN: If I heard Dr. Powers
4 correctly, that gets back to ALARA engineering,
5 because the engineering part kind of takes in do I
6 have a big enough room to have shielding, am I height-
7 restricted, all those practical things that have to be
8 considered. Dr. Weiner?

9 DR. WEINER: I was going to make a comment
10 about the collective dose concept. It does have --
11 you use it in calculating transportation -- risks of
12 transporting of radioactive materials. In the
13 absolute, it doesn't mean anything, of course. I mean
14 you are multiplying zillions of people by nano
15 millirems and pismorems. But in comparing the risks
16 along one route with another, it does have a certain
17 utility. You can say this one -- and you can fold a
18 lot of other things into those risks, like accident
19 rates over certain parts of the route and so on.

20 So there is a utility in comparing. It's
21 just that in the absolute it's difficult to keep
22 reiterating that the absolute number of person-rem or
23 man-rem is not a particularly significant figure if
24 that number involves a very small dose.

25 DR. COOL: Yes. That's very, very true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: We are magically on
2 schedule to hear other comments for these last two
3 presentations. We're now at a point where we could
4 entertain other input from members of the audience,
5 folks that might want to make additional comment.
6 Ralph?

7 MR. ANDERSEN: Ralph Andersen, NEI. I
8 just wanted to reinforce what I thought was a very
9 important point, and that's the notion of maintaining
10 the single objective focus and not mucking it up with
11 a whole bunch of other variables. It really goes to
12 comments that Dr. Powers as well as Dr. Cool.

13 Yes, when you make a comparison there are
14 often different factors that you can rationalize to
15 say, well, okay, A was better than B or B was better
16 than A, but as an industry, a lot of our success has
17 been in deciding not to make that rationalization.
18 That is, we challenge ourselves to say, well, the fact
19 that it can be done for this less dose proves that it
20 can be done for this less dose. My job is to go
21 figure out how to take care of these other extraneous
22 factors and get it done. But it says single-minded
23 focus, and so I just really want to reinforce that,
24 because I think that's precisely where it transitions
25 to safety culture.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Well, thanks, appreciate
2 that point. Any other comments, questions? Yes.
3 Tell us who you are.

4 DR. HAMDAN: Latif Hamdan, ACNW staff.
5 This is for Don Cool. You know, there will be
6 scenarios, as has been mentioned, when ALARA may not
7 be compatible with optimization, just like best
8 available technology. And so the question is in the
9 draft, in the ICRP, did they discuss this? They left
10 a lot of adjectives and they have the optimization.
11 Did they address this that they may not be compatible?
12 And in these scenarios when this situation happens,
13 then what prevails?

14 DR. COOL: I think the answer to the first
15 question is, yes, they address what ALARA is and go on
16 to address the broader view, to use their word, that
17 optimization has to include a variety of these other
18 factors. I don't think they give a particular break
19 point for what is or what isn't beyond their
20 recommendation that it be optimization and that unless
21 there is a unique circumstance where dose reduction is
22 the only factor that whoever is conducting the
23 analysis be keeping in mind the potential for
24 accidents, the reduction for waste and the other
25 factors that may be important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As Dr. Powers noted, a lot of what happens
2 in these analyses is you come across things -- this is
3 a real dangerous spot, this or that can happen. That
4 then becomes more than an ALARA review. It becomes
5 closer to what ICRP is talking about in optimization
6 because it's identifying other factors that are
7 important for protection and making sure that the
8 overall protection is the best under the circumstance.

9 CHAIRMAN RYAN: Yes, Ralph?

10 MR. ANDERSEN: Ralph Andersen, NEI. A
11 statement made often in many of the presentations by
12 Roger and others accompanying the new recommendations
13 is the change in philosophy to the idea that if you
14 protect the individual, you have in fact protected the
15 population. If that premise really is underlying the
16 new recommendations, then my view is it's a very short
17 step to imply that collective dose has no relevance in
18 ascertaining the quality of protection provided, that
19 that really continues to come back to a determination
20 of whether you've protected the individuals. Is that
21 notion consistent with the philosophy that underlies
22 the recommendations?

23 DR. COOL: Well, that's a very interesting
24 philosophical question. I'm not sure I could speak
25 authoritatively for ICRP. They are certainly leaning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that direction but have not completely walked away
2 from the fact that the number of individuals exposed
3 and other factors are also important, that it isn't
4 simply the magnitude of each individual dose. What
5 they have taken a significant step back from is that
6 that collective number is not by far the most
7 important factor, that it is the individuals and then
8 how many of them did you get?

9 CHAIRMAN RYAN: Anything else? Yes,
10 please, Mike?

11 MR. BOYD: Is this working? Maybe not.

12 CHAIRMAN RYAN: It's fine.

13 MR. BOYD: Just a couple of thoughts on
14 utility of collective dose, and I think that it's
15 generally thought of as being useful in managing
16 worker doses, worker scenarios. It occurs to me that
17 there are two other important examples. One is it has
18 great utility when you define collective dose in space
19 and time, not when it's truncated, for doing the kinds
20 of regulatory impact analyses that we're require to do
21 when we issue new regulations to help us estimate the
22 actual number of lives, the cancers averted or lives
23 saved or whatever. So it does have some utility
24 there.

25 And it had had -- when the world of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increasing use of nuclear power and nuclear
2 applications seemed to be an ever-expanding universe
3 in those bygone days, we worried about long-term
4 persistent radionuclides accumulating, both in the
5 environment and particularly in the stratosphere, and
6 that's why we back in the '70s, I guess it was, set
7 limits on noble gas emissions, looking at some
8 equation of what we thought would be a continually
9 expanding universe and not wanting to -- even though
10 the doses to individuals would be very small, over
11 time they could be build up. And collective dose is
12 another tool for helping you gauge that. Now,
13 obviously, you can be wrong, as we were at the time,
14 but I just wanted to point out those two uses.

15 CHAIRMAN RYAN: Well, I think I understand
16 the second whereas to metric.

17 MR. BOYD: Yes.

18 CHAIRMAN RYAN: I disagree wholeheartedly
19 with the first. When you multiply those trivially
20 small doses by some risk estimator and say cancers or
21 deaths occur as a result, I think that does not
22 properly account for the conservatism in the model
23 under which that calculation was made.

24 MR. BOYD: There are many conservatisms in
25 the model, but I guess the only counter argument is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in some cases we're required to do that, we have
2 to show --

3 CHAIRMAN RYAN: Even if it's statutorily
4 required, I appreciate your obligation to do that, I
5 think scientifically it's at risk of being just flat
6 out wrong.

7 MR. BOYD: I think it is important that
8 you truncate it in space and time.

9 CHAIRMAN RYAN: Absolutely. And I think
10 also, as Milt Levenson, a former member of this
11 Committee, would point out, if something is four or
12 five or six orders of magnitude conservative or some
13 huge conservatism, it's not conservative, it's wrong.

14 MR. BOYD: Right.

15 CHAIRMAN RYAN: So I just recall that we
16 have to be careful that as a metric, in a lot of
17 circumstances, whether it's the workplace or in a
18 truncated assessment or to meet a legal requirement,
19 there is utility. But I think we've got to be very
20 careful not to allow it to be used in situations where
21 it is going to be interpreted numerically and success
22 or failure would be judged by the numerics when in
23 fact the numerics don't mean anything as an absolute
24 quantity. That's the point. Thanks. Thank you for
25 that clarification. Anything else? Any other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments?

2 Well, that being said, we're at the part
3 of this meeting where we can, I think, work together
4 to draw to a close. What I'd like to ask our members
5 to do, including our consultant and ACRS participant,
6 is summarize for everybody here what points they might
7 think are summary points that would give us the kind
8 of start-up for our letter writing session, which will
9 occur on Thursday morning at about 8:30 we'll start
10 the letter writing session formally. So without
11 further ado, let me start first, Dana, with you.

12 DR. POWERS: Well, I've written out seven
13 areas that I thought you might address in your letter,
14 and many of them I've talked about up to now. One I
15 have not. One is that especially in the numerics and
16 any new recommendation I think it's imperative that
17 eventually there would be a document which allows
18 somebody to trace where the number came from and
19 exactly what data it's based on very specifically. I
20 think that's an essential thing that will have to
21 appear.

22 The other comment that I have not spoken
23 to I think you may want to consider recommending to
24 the Commission that they defer action in this area
25 until they have the advantage of having to BEIR VII

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report available to them to augment what they have
2 here.

3 And another recommendation you might want
4 to consider is that the staff cast as one of the
5 options for the Commission to consider is adopting the
6 more modern ICRP recommendations, not as a mandatory
7 change to the 10 CFR but as a voluntary change to the
8 10 CFR. That seems to be a trend we're adopting when
9 we're having challenges associated with the
10 cost/benefit ratio.

11 CHAIRMAN RYAN: When you say adopt the
12 more modern recommendations, could you be a little bit
13 more specific?

14 DR. POWERS: Oh, ICRP 60 and these 2005
15 recommendations. That's what I meant, more
16 specifically.

17 CHAIRMAN RYAN: Okay. Great.

18 DR. POWERS: Now, they're associated
19 within a lot of documents and whether you endorse
20 those in the 10 CFR as part of the rate guide, I mean
21 that's a judgment somebody else has to make at the
22 appropriate place to do that, not do that. But
23 especially when you're wrestling with dealing with
24 established licensees who clearly are -- what they're
25 doing is safe enough but you want to bring new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technology to them, better sciences, better methods
2 and things like that, this option of doing it
3 voluntarily I think has some attraction to it. I
4 pointed out the example of fire protection where
5 you've done that. We've also done that in revised
6 source terms for accidents. We're looking to do it in
7 revised definitions and design basis accident.
8 There's some attraction to doing that and what not.

9 At any rate, I've written these notes out
10 for you. I'm not going to be able to participate in
11 the Thursday session, but --

12 CHAIRMAN RYAN: We have your input.

13 DR. POWERS: -- for whatever they're
14 worth.

15 CHAIRMAN RYAN: We appreciate your
16 participation, Dana. Thank you very much.

17 DR. POWERS: Let me say that I have
18 thoroughly, thoroughly enjoyed this. The speakers
19 were excellent, the information was excellent.
20 Reading the documents was a very worthwhile effort on
21 my part, and I hope to continue to interact with you
22 as you develop your work in this area and what not.

23 CHAIRMAN RYAN: Wonderful.

24 DR. POWERS: And I'll do my best to try to
25 summarize this for the ACRS as a whole. I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're interested. It's not a regular part of their
2 agenda, but they like to be kept up to date on these
3 things.

4 CHAIRMAN RYAN: Okay. And if we can help
5 you in any way report back to the ACRS, we'd be happy
6 to do that.

7 DR. POWERS: Thank you.

8 CHAIRMAN RYAN: Thank you. Ruth?

9 DR. WEINER: I think I've gotten it all in
10 the questions that I have. I think we should -- I
11 think in our -- a theme that keeps running through
12 this, I have to agree with what Dr. Powers just said,
13 and that is that recommendations could be adopted as
14 a voluntary alternative, because to continually adopt
15 these new recommendations is going to create some
16 hardships. And they're not necessary hardships. And
17 I hope that we keep that in mind what other fallout
18 there is from wholesale adoption of ICRP
19 recommendations when there is no tangible improvement,
20 in some cases, to safety.

21 CHAIRMAN RYAN: Okay. Thank you. Allen?

22 MR. CROFF: First to say something that I
23 think has been implied by both Dr. Weiner and Powers
24 is we can't treat this draft report as a monolith.
25 After listening today, it's very clear that some parts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of it are maybe not too bad and some parts are giving
2 some significant heartburn. My sense is things like
3 tissue and radiation weighting factors swell. If you
4 go to the overall methodology, there may be some
5 impacts there, and, as it has been suggested, there
6 may be some methods to sort of work around that to
7 start to get to the more modern methods without really
8 forcing it on everybody in a crash basis. And then we
9 get to some of the dose limits constraints and some of
10 those seem to be potentially causing some significant
11 difficulties, and those will have to be treated in
12 their way.

13 I'm a little concerned, especially on the
14 limits and constraints, whether at this point we know
15 enough about why the ICRP or its working group did
16 what it did enough to really comment well on whether
17 that makes sense or not, and with these foundation
18 documents seemingly coming out very slowly, the ICRP
19 comment deadline approaching, if not extended, of
20 course, how far we can go in saying what we recommend
21 as being right and wrong or anything in the middle.

22 So I hate to say this, maybe we're going
23 to end up with a couple of letters in time, the first
24 letter commenting on some things we do know and we
25 think we're confident about and then some explanation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of why we can't comment on other things and await the
2 rest of the foundation documents, maybe the BEIR
3 document at the same time as part of the whole
4 package. With that, I don't think I'm going to go
5 into any specifics.

6 CHAIRMAN RYAN: Okay. Great. Mark?

7 DR. CLARKE: A couple of things. One,
8 picking up on one of the questions that Mike Ryan
9 asked, and I'll just pose it as a question: Will the
10 foundation documents speak to the uncertainties so
11 that any recommendations for new standards can be what
12 I guess I'll call uncertainty in form? I think that
13 would be pretty important. We're in the position of
14 having the recommendations but not the foundation
15 documents. It seems to be kind of like a strange
16 juxtaposition.

17 I was very intrigued by one of the
18 comments that Ed Bailey made and that also poses a
19 question: Do dose reductions encourage the perception
20 that risk is more dangerous than we thought? I guess
21 we had hoped new science would take us the other way.
22 With that event, I think the scientific basis for any
23 changes just needs to be very understandable and very
24 transparent.

25 And then, finally, I think the EPA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience with the ecological risk assessments
2 experiment, the issue about non-human targets.

3 CHAIRMAN RYAN: Thanks, Jim. I guess my
4 largest point is that when I asked my \$64,000 or
5 \$128,000 question, I got a pretty uniform answer and
6 I didn't hear any dissent, and that is that adopting
7 these recommendations would be not helpful, they'd be
8 at best neutral and in some cases, as Dr. Vetter
9 pointed out so well, problematic. I see some nods,
10 and nobody's saying, "Oh, that's all goofy." So I
11 think that's a very important major point from our
12 discussions today that should make its way into our
13 letter.

14 I do think on the positive side there are
15 some very important things that are elements that are
16 quite good, and that is that we have made substantive
17 improvements in the underpinning of the science in
18 terms of internal dosimetry. We have, in some cases
19 now, 50 years of modeling activities and study to
20 improve our models of the human body and models of
21 radioactivity movement in it and through it. So
22 that's something that I think needs to be recognized
23 as something to bring forward from the exercise.

24 In addition to the basic radiation
25 biology, I think there are some physical quantity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues -- the improvement in proton and neutron
2 radiation weighting factors and also from the
3 epidemiologic evidence -- and we know that's in
4 progress, as has been pointed out, that we ought to
5 think about this BEIR VII as it's coming along
6 something we should wait for. It sounds like a pretty
7 reasonable thing given the timing, that the
8 epidemiology evidence has resulted in the improvement
9 of organ risk factors and has for all practical
10 purposes confirmed our overall risk estimators which
11 is the underpinning for everybody's radiation
12 protection practice at the end of the day. So there
13 is, I think, three or four very positive things that
14 we need to grasp that are very good.

15 Now, I asked Vince the question of what
16 gets into a regulation and what gets into a guidance
17 document or a NUREG. I think it's something that the
18 staff has a better feel for how to best communicate it
19 to licensees as advice or guidance or requirement.
20 Vince, you mentioned something interesting, for
21 example, that maybe the weighting factors should come
22 out all together and become a guidance document to
23 make them easier to address should that evolve in some
24 way. So that's certainly something I think we should
25 consider as we make recommendations that maybe that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the direction to think about.

2 But I think, in my own view, I kind of
3 agree now with what Roger said, that this is
4 evolutionary rather than revolutionary, and it's
5 incremental, in my view, in terms of where I judge it
6 as how does it improve radiation protection practice?
7 Is it a tremendous step forward in that regard? And
8 I guess I see it as, at best, neutral and perhaps
9 creating some problems with some segments, taking note
10 of the fact, for example, that the power industry has
11 accomplished great things in dose reduction and plant
12 management and across the industry has done a very
13 good job under a static set of basic fundamental
14 requirements. They didn't need the further guidance
15 to do well, and there are examples where things
16 haven't gone in the best direction possible. Though
17 possibly compliant, they could have gotten better
18 perhaps or so on. So I wonder what we would get in
19 trying to adopt it.

20 I'm troubled by the language issues, and
21 I think Ed Bailey pointed out that constraint, limit,
22 requirement, recommendation, I mean all of these are
23 kind of very special words in the regulatory world,
24 and I'm not sure that what the ICRP has in these
25 recommendations matches up with what is our lexicon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here in the U.S. system. It's hard enough to teach
2 students about the Federation Radiation Council and
3 the Atomic Energy Act of '46 and what's not regulated
4 by either one let alone trying to say, "Let me tell
5 you what the word dose has meant over the last 50
6 years and what it means now." So I think that's an
7 aspect of adopting regulations that there is a cost
8 and an implementation hurdle to get over if we saw
9 great merit in these recommendations. So I think
10 that's there.

11 And, again, I'm a little bit troubled by
12 the fact that really there's not much huge difference
13 in what ICRP is recommending as limits versus what we
14 have in the U.S. I think we had several charts and
15 tables that showed that they were more or less fairly
16 well aligned, whether it's the generally applicable
17 public protection standards that the EPA has
18 responsibility for or the workplace or public
19 exposures from licensed activities that the NRC has
20 responsibility for or the agreement states have
21 responsibility for. It's true that there is general
22 agreement. There are a couple of exceptions that I
23 think Dr. Vetter and others noted, but we're not
24 wildly different.

25 And, again, I come back to the idea that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do these offer significant advances in radiation
2 protection practice or incremental advances? And,
3 again, I separate the basic recommendation aspects
4 from the things I mentioned as the positives, like the
5 dosimetry modeling and practices that if adopted might
6 make it more uniform for licensees to calculate
7 internal dose and so on and so forth, or might make it
8 better for future regulatory activity at the NRC to
9 have all of that dosimetry available and so forth.

10 So that's kind of my bullet points.
11 Hopefully, I'll be able to recreate those as I start
12 to tap on my computer to write all this out. But I'd
13 be happy to have any of the panel members' reaction to
14 what you heard as the major points. Did we miss
15 anything? Did we catch it all? What do you think?

16 DR. ECKERMAN: I thought that Vince
17 Holahan made a good point that we need to keep in mind
18 that we're still back at ICRP 26 and when you've gone
19 through the discussions, I mean in the dosimetry we've
20 already gotten into using information in later
21 documents, but in point of fact what's really adopted
22 in our recommendations is all the way back to 1977 and
23 '79, ICRP 30. So there are a number of years that
24 have gone by that we need to keep in mind on that.

25 CHAIRMAN RYAN: And that's why I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned, Keith, that updating the dosimetry might in
2 fact be a step where we could get internal dosimetry
3 assessment methodology. You know, licensees have
4 access to that now if they solicit to do that or
5 request to do that, but maybe formalizing that -- that
6 was my point is to agree with what --

7 DR. ECKERMAN: Right. And that I also
8 think is very important, because just as we had
9 mentioned here that in some of our ALARA activities
10 the important thing is probably the prevention of or
11 staying on top of the accident situation and the
12 potential for. And in the dosimetry, much of what we
13 do in routine dosimetry also has to be brought into
14 bear on dealing with actual heavy exposures that we
15 might be facing and so forth so that there is a need
16 to not lock ourselves down into that earlier dosimetry
17 system that may not serve us well under those
18 situations. And that's what you're alluding to there
19 --

20 CHAIRMAN RYAN: Exactly. And you did a
21 good job of --

22 DR. ECKERMAN: -- as some of our other
23 needs. That ICRP dosimetry system, for better or for
24 worse, it's probably the only game in town for a lot
25 of dosimetric questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Oh, sure. And there are
2 parts of 10 CFR that go back, so bringing that forward
3 is a positive step. Any other reactions, comments,
4 questions? Vince, did we do a good job of
5 summarizing?

6 DR. HOLAHAN: Well, I think you've done a
7 good job of summarizing. The biggest thing we have to
8 make sure we do is we will have a single set of
9 comments going back to ICRP from the staff. Those
10 comments will be sent up to the Commission. We have
11 to make sure whatever is in our comments that this
12 Committee's comments are also recognized, whether they
13 are embedded into our comments or are two parallel
14 documents or however and make sure the Commission
15 recognizes that there has been an iterative process
16 going on.

17 CHAIRMAN RYAN: Well, I think what we will
18 report in our letter is also in fact to call the
19 participants by name and organization and, as we
20 usually do in our letters, describe the activity for
21 the day and then provide our summary of what we heard
22 and what was reported to us and then offer our comment
23 on it. And that goes to the Commission. And, again,
24 we will try and get that letter writing session
25 accomplished Thursday. You're all invited to attend

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that and if there's some particular phrasing that
2 we've done that's not exactly representative of what
3 you wanted to say or what we heard, there's an
4 opportunity to have interchange at that point. So I
5 think we'll accomplish the goal of open communication
6 about it, but our letter will go to the Commission in
7 time for your knowledge of what we've set up and then
8 your comment thereafter. Dr. Vetter?

9 DR. VETTER: I guess I'd just like to
10 support what Dr. Croff said, that's it not a monolith.
11 There are some good things about it, some neutral
12 things, some bad things, and whether you structure
13 your letter in that regard or not, I think we just
14 need to be cognizant that there are some things about
15 these documents that do lead us forward.

16 One of those I'd like to support is the
17 advance in internal dosimetry. Just relative to a
18 medical environment, we have very few -- as I
19 mentioned, very few internal exposures. That's pretty
20 rare, occupational exposures. But it's very common to
21 do dosimetry or human studies. And we basically have
22 to use the latest. We're not necessarily tied to do
23 anything in particular or any method in particular,
24 but we basically have to use the latest that's out
25 there. And so when this dosimetry goes forward, new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 weighting factors and so forth, we will be adopting
2 those.

3 CHAIRMAN RYAN: Thank you. Keith, any
4 additional comments? Mike?

5 MR. BOYD: Just one quick one. Coming in
6 here I think I had seen the recommendations as being
7 not terribly incompatible with the way we do business
8 at EPA. I mean the dose numbers that were there
9 wouldn't really cause us any problems except for
10 potentially the emergency worker PAG issue that I
11 raised. But I've sort of been enlightened, I just
12 wanted to say, by Dr. Vetter's comments about the
13 medical aspect, which I frankly hadn't focused on.
14 And I just wonder if it's a problem for us, which I
15 agree it appears to be, think about those third world
16 countries that are using our old uncollimated x-ray
17 machines and what they're up against. That's it.

18 CHAIRMAN RYAN: Well, that is an aspect
19 that I think Dr. Clarke mentioned is that we sometimes
20 think of them in terms of just the application here
21 and they are making these recommendations to every
22 country. So that's an aspect of it we have to think
23 about. Ed Bailey?

24 MR. BAILEY: I don't think I have anything
25 to add.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Well, thank you for
2 coming. And, finally, Don Cool.

3 DR. COOL: Just stand back and make the
4 observation that I think in one sense we have
5 revalidated that we have, the United States has a
6 well-functioning radiation protection architecture in
7 the regulations and how our licensees use it. And
8 much of what I think we ran into today was the
9 question of terminology and description, either
10 changing terminologies or inconsistent uses of a word
11 or multiple instances of a word meaning different
12 things. And we're struggling with how that helps to
13 actually improve a well-functioning protection system.

14 And part of what we're going to need to do
15 is evaluate that and improve both in context of are we
16 making an improvement to the actual exposures of the
17 individuals, and are we improving our ability to
18 explain it to ourselves, to a user who has to
19 implement it or to someone out on the street who asks
20 why are you doing what you're doing?

21 And as rightly noted here several times,
22 there are some pieces of this which do help us, and
23 there are a number of components of this where it
24 either isn't clear that it helps or it's pretty clear
25 that it does not help us, at least as presently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drafted.

2 CHAIRMAN RYAN: Okay. Thank you. Any
3 other comments from the audience or other participants
4 today? Yes, Ralph?

5 MR. ANDERSEN: Just a couple. To add on
6 to Keith's comment, actually, by regulation, our 50
7 licensees are required to use ICRP 2 to calculate dose
8 numbers of the public. It creates an interesting
9 dilemma when we get a Master's or a Ph.D. student in
10 health physics that comes to our site to start work.
11 The first thing they say is, "What the heck is this?
12 I have never seen this in my life." Not to mention
13 that you can't buy ICRP 2 anywhere. So I really
14 endorse the notion of voluntary compliance concept.

15 I would just note, though, that if --
16 reinforce what Vince said. I think considering
17 putting that type of thing in regulatory guides which
18 creates a lot more flexibility is a smart move, but
19 what you might want to do is consider that if you're
20 going to offer a voluntary option is to make the only
21 option to either use what you're currently using or
22 use the most advanced methodology so you don't have
23 people choosing options in between.

24 The other comment I'd make associated with
25 that, which I've always seen as problematic, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually under accident conditions at a nuclear power
2 plant. In our transition from routine operations to
3 an emergency plan, we actually change from the ICRP 2
4 base ideally to an ICRP 60 base, because actually the
5 PAGs drive us from the point of the offsite
6 recommendations. And you actually contrive some
7 scenarios whereby you would declare yourself into a
8 condition and then run the calculation in a different
9 base and find that you're not there yet, which would
10 be at the least embarrassing in a public communication
11 concept. So there are some very legitimate reasons
12 for bringing us up to date and up to a fairly common
13 basis.

14 Finally, on the environmental radiological
15 protection area, my simple comment would simply be
16 despite the fact of sitting through two years of
17 interactions with the ICRP and reading the most recent
18 recommendations, I still can't find where they made
19 the case for the need for a new stand-alone framework.
20 And most of the other comments I have about that flow
21 from that basic case. I don't understand what the
22 problem is that we're trying to solve.

23 CHAIRMAN RYAN: Ralph, that last comment
24 actually stimulated my memory to talk a little bit
25 about that aspect of it as well. In my own view, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have not seen any evidence or heard anybody say in
2 peer review publications or whatever that there is a
3 case that needs to be solved. Second, I haven't
4 really seen anybody say that the principle that if you
5 protect man, the environment is also protected is
6 invalid either in a given case or across the board.
7 So I'm waiting for that evidence. Third, and most
8 importantly, I think my own view is that what has been
9 offered is at best a logical construct of some sort
10 for a system without any real anchor to it. I don't
11 know how I would calculate dose, for example. I know
12 how I would calculate absorbed dose to a reference of
13 species or a bumble bee or whatever it is, but I would
14 have no idea what that meant in terms of any one of
15 the half a dozen dose-equivalent concepts we've
16 rattled around today. And I don't even know if that
17 kind of number would be even meaningful in that sense.

18 So without -- my own view is that at the
19 end of all of that, until I see some evidence that
20 there is a problem, as you pointed out, and, second,
21 that there's some end point of interest or there's
22 some reason to press forward or a framework to press
23 forward with the science of it, I remain yet to be
24 convinced or yet to see more from whatever the
25 Committee is working on. I think the important point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the Commission's point of view -- I mean the
2 Commission upstairs, not the Commission of ICRP -- is
3 that without further substance to all of that, it just
4 doesn't seem like pushing it forward or saying much of
5 anything about it is meaningful or helpful. I just
6 don't see the meat on the bones of this logical
7 construct. So that's my own view.

8 Anything else? Any other comment,
9 question?

10 Well, with that, I think we can certainly
11 close for the day. I want to thank each panel member
12 for their time and energy and preparation. I want to
13 thank again Dr. Powers from ACRS for being with us
14 today. I look forward to the opportunity to have him
15 participate in the future and maybe join him in an
16 ACRS meeting. So thanks again.

17 DR. POWERS: I can't emphasize how much I
18 appreciated being here and appreciated the speakers.

19 CHAIRMAN RYAN: Well done all around.
20 Thank you all very much, and to our participants from
21 the audience, I also want to say thank you very much.

22 And with that, we're adjourned.

23 (Whereupon, at 5:24 p.m., the ACNW meeting
24 was concluded.)

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

