

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Nuclear Waste  
161st Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, July 20, 2005

Work Order No.: NRC-518

Pages 1-139

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

161<sup>ST</sup> MEETING

+ + + + +

WEDNESDAY,

JULY 20, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 9:30 a.m. in Room T-2B3 of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, Dr. Michael T. Ryan, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 NEIL M. COLEMAN, Designated Federal Official

3 THERON BROWN

4 LATIF HAMDAN

5 MICHELE KELTON

6 MICHAEL LEE

7 RICHARD K. MAJOR

8 SHARON A. STEELE

9 ASHOK THADANI

10

11 ALSO PRESENT:

12 KIRSI ALM-LYTZ, NRR/IPSB

13 RAMIN ASSA, RES

14 TERRY BROCK, NRC/STP

15 STEPHANIE BUSH-GODDARD, RES/DSARE/RPERWMB

16 RALPH CADY, RES/DSARE/RPERWMB

17 DAVID M. DIODATO, USNWTRB

18 ALLEN FETTER, NMSS/HLWRS

19 BOB FINCH, DOE/RW

20 B. JOHN GARRICK, Invited Expert

21 CHRIS GROSSMAN, NMSS/HLWRS

22 NORM HENDERSON, Bechtel SAIC Company

23 VINCE HOLAHAN, RES/DSARE

24 PHILIP JUSTUS, NMS/HLWRS

25 JON KIRKWOOD, BAHOCRUM

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT: (CONT.)  
2 PETE LYONS, OCM  
3 TIN MO, RES  
4 COLEMAN NEALE, Chambersburg Avocado  
5 EDWARD O'DONNELL, RES  
6 BILL OTT/RES/DSARE/RPERWMB  
7 JAKE PHILIP, RES/DSARE/RPERWMB  
8 JOSIE PICCONE, OCM/PBL  
9 PHIL REED, RES/DSARE  
10 JAMES RUBENSTONE, NMSS/HLWRS  
11 JOHN RUSSELL, CNWRA  
12 ADAM SCHWARTZMAN, RES/DSARE/RPERWMB  
13 JOHN STAMATAKOS, CNWRA  
14 NICHOLSON V. THOMAS, Williamsport Hydro  
15 CHERYL TROTTIER, RES/DSARE/RPERWMB  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AGENDA

OPENING REMARKS BY THE ACNW CHAIRMAN . . . . . 4

STAFF BRIEFING ON INTERNATIONAL ATOMIC  
ENERGY AGENCY (IAEA) REQUIREMENTS  
DOCUMENT DS-154; DESIGN AND OPERATION  
OF FACILITIES FOR GEOLOGICAL DISPOSAL  
OF RADIOACTIVE WASTE . . . . . 8

BREAK . . . . . 43

REVIEW OF GENERIC WASTE-RELATED RESEARCH  
IN THE OFFICE OF NUCLEAR REGULATORY  
RESEARCH (RES) . . . . . 44

LUNCH . . . . . 94

RES WHITE PAPER ON COLLECTIVE DOSE . . . . . 95

P-R-O-C-E-E-D-I-N-G-S

(9:34:18 a.m.)

CHAIRMAN RYAN: All right. It is the appointed hour of 9:30. The meeting will come to order. This is the second day of the 161<sup>st</sup> Meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other members of the committee present are Allen Croff, Vice Chair; Ruth Weiner, James Clarke, and William Hinze.

During today's meeting, the committee will hear briefings by and hold discussions with representatives of the Office of Nuclear Material Safety and Safeguards on the IAEA's Requirements Document on Geological Disposal of Radioactive Waste. You will hear a briefing by representatives of the Office of Nuclear Regulatory Research regarding generic waste-related research programs, and we will hold discussion with representatives of the RES Staff regarding development of a White Paper for the use of Collective Dose in making regulatory decisions.

We will continue preparation and review of ACNW letters and reports. Neil Coleman is the Designated Federal Official for today's session. Neil is here. Sharon will be the Designated Federal Official until Neil's return, Sharon Steele.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have received no written comments or  
2 request for time to make oral statements from members  
3 of the public regarding today's session. Should  
4 anyone wish to address the committee, please make your  
5 wishes known to one of the committee staff. It is  
6 requested that the speakers use one of the  
7 microphones, identify themselves, and speak with  
8 sufficient clarity and volume so that they can be  
9 readily heard. It is also requested that if you have  
10 cell phones and pagers, kindly turn them off or place  
11 them on mute. Thank you very much.

12           Before I get into the formal part of  
13 today's agenda, I'd like to ask Cheryl Trottier to  
14 step up. And I want to read a letter into the record.  
15 And this is in recognition of Cheryl's retirement from  
16 the NRC.

17           "Dear Cheryl: Please accept this letter of  
18 congratulations and good wishes from the current  
19 members of the Advisory Committee on Nuclear Waste on  
20 the occasion of your retirement after many years of  
21 federal service. Your service to the commission,  
22 especially in the Office of Nuclear Regulatory  
23 Research has been exemplary and appreciated. The  
24 current ACNW members have worked with you for just a  
25 short time, and during this short time we have all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 come to appreciate your knowledge and contributions.  
2 Your collaborative style, your gracious personality  
3 have made your presentations and the related work of  
4 the committee both productive and pleasurable for us  
5 all.

6 The ACNW wishes you all the happiness that  
7 you have earned and so richly deserve in your  
8 retirement from full-time employment. We have heard  
9 from many past members of the committee, and they  
10 extend their good wishes to you, as well. Sincerely."

11 DR. GARRICK: On behalf of the former  
12 members we say amen.

13 MS. TROTTIER: I won't make a speech, but  
14 I will say thank you. This was a surprise, and very,  
15 very much appreciated. I do want to say one thing.  
16 The ACNW has been a big help to the Office of  
17 Research, both in helping us to define our research  
18 goals and our program, and in giving us a lot of  
19 really valuable feedback, so I really want to thank  
20 you personally, and for the office.

21 CHAIRMAN RYAN: Thank you. And welcome,  
22 again, once past Chairman, Dr. Garrick. Dr. Garrick  
23 is with us for the morning session.

24 We're scheduled now to have a staff  
25 briefing on International Atomic Energy Agency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Requirements Document DS-154 regarding the design and  
2 operation of facilities for geological disposal of  
3 radioactive waste.

4 MR. FLACK: Mr. McCartin is missing in  
5 action.

6 CHAIRMAN RYAN: Soon to be arriving?

7 MR. FLACK: Hope so. We've sent out a  
8 runner. I just came back from the seventh floor. No  
9 one knows where he is.

10 CHAIRMAN RYAN: Perhaps he's on his way,  
11 so we'll just maybe put a pause in the record and let  
12 him arrive in the next few minutes, hopefully. He is  
13 scheduled at 9:45.

14 MR. FLACK: And his aware of his  
15 commitments.

16 CHAIRMAN RYAN: Six minutes, so I finished  
17 a bit early.

18 (Whereupon, the proceedings in the above-  
19 entitled matter went off the record at 9:38:29 a.m.  
20 and went back on the record at 9:44:48 a.m.)

21 CHAIRMAN RYAN: I guess we can go ahead  
22 and get the record started again, please. For  
23 everybody's benefit, this is an information briefing,  
24 and I think we've requested that Tim share with us  
25 information that he learned at a meeting in Vienna at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the IAEA, was it?

2 MR. McCARTIN: Yes. Well, it's a series  
3 of meetings.

4 CHAIRMAN RYAN: A series of meetings, and  
5 it's intended really to help us take advantage of the  
6 fact that Tim is very involved in the issues related  
7 to the IAEA documents and geological disposal issues  
8 that I think will be of interest to the committee, so  
9 this is one of those happy times when there won't be  
10 a letter due. We're hoping to hear what's current and  
11 what the newest thinking is. This is probably best  
12 expressed as our effort to be in the right context  
13 when the EPA issues their draft standard, and  
14 hopefully we'll be hearing things that might be  
15 related to that, or other things you've learned. With  
16 that, I'll turn it over to you. Thanks for coming.

17 MR. McCARTIN: Sure. Thanks. And I  
18 apologize. It was my oversight about making copies  
19 for the meeting. And I know Mike's out there churning  
20 away, and they'll be here shortly.

21 In general, for about the last four years  
22 or so, the NRC has been assisting the IAEA in  
23 development of an International Standard for  
24 Geological Disposal. In terms of where they are,  
25 they're very close to finalizing the standard, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's expected that the Board of Governors at the IAEA  
2 will approve and finalize that somewhere in the  
3 September time frame, and so it's close to being  
4 final. And what I'll do is go through the background,  
5 just very brief background information in terms of the  
6 IAEA, and then really get into the safety fundamentals  
7 that support geological disposal. And then get into  
8 some of the specifics in terms of the requirements for  
9 geological disposal that are in the standard.

10 With that, the IAEA has a radioactive  
11 waste safety program, and in those standards they  
12 specify principles and requirements for safety of  
13 waste programs in general. There's guidelines for  
14 implementation, and the primary purpose for doing this  
15 is that there's these internationally agreed upon  
16 safety standards provide a reference point for  
17 national criteria standards and practices, that they  
18 expect that many countries that are developing  
19 programs, they can adopt the IAEA standards if they so  
20 desire or use them in a way in developing their  
21 radioactive waste safety programs.

22 In terms of the documents that IAEA --  
23 just to put where the discussion -- it's termed DS-154  
24 Draft Standard, 154 is the standard for geological  
25 disposal. There really are three primary categories

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of safety-related documents that the IAEA publishes,  
2 and one is *Safety Fundamentals*. And these provide  
3 objectives, and concepts, and principles for a broader  
4 class. In this context for all waste disposal  
5 activities. The fundamentals would apply to low-level  
6 waste, as well as to high-level waste. And they're  
7 really overarching principles.

8 Below that are safety requirements, and  
9 that's really the safety standard I'll be talking  
10 about today as a Safety Requirements Document. These  
11 are the requirements that need to be met to ensure  
12 safety. And then below that are safety guides, and  
13 these tend to be actions of conditions that are  
14 procedures that you do in meeting the safety  
15 requirements. And not too dissimilar, you can see  
16 almost a pattern at NRC. We have regulations and then  
17 we have guidance documents, and so there's a kind of  
18 a parallel between those two.

19 With respect to the safety fundamentals,  
20 there are principles that the IAEA has put forward  
21 that apply to all radioactive waste management  
22 activities. Some of these objectives of waste  
23 management I've listed here. And as I said, they're  
24 very overarching concepts that protect human health  
25 and the environment now and in the future, not impose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 undue burdens on future generations, so you see  
2 they're very broad principles, and they apply to  
3 really all radioactive waste management activities.

4 With respect to geological disposal, now  
5 I'm getting to what's in DS-154. They have objectives  
6 for meeting the protection of human health and the  
7 environment, and these include quantitative criteria.  
8 I'll give you an idea of some of the quantitative  
9 criteria that are being proposed in the IAEA document.

10 There's a strategy for achieving the  
11 safety. And certainly, with respect to geological  
12 disposal, they're talking about all phases of a  
13 repository program, the development, the operation,  
14 and closure of a geological repository.

15 In terms of the safety objectives for  
16 operations, they have a limit on radiation doses to  
17 workers and the public. For the worker it's 5 rem in  
18 one year, and 2 rem per year averaged over five years.  
19 And then for the public, the average dose in the  
20 relevant critical groups is 100 millirem per year,  
21 with the caveat there is an ALARA principle, as low as  
22 reasonably achievable that is evoked for operations.

23 For post closure, the limits on radiation  
24 dose to the rest of the public are -- there's a  
25 recognition that 100 millirem is an appropriate level

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 per year from all sources, and 30 millirem per year  
2 would be apportioned to a disposal facility, such as  
3 a geological disposal, and they recognize that's a  
4 risk constraint on the order of 10 to the minus 5 per  
5 year. And the standard makes -- you can use either a  
6 dose or a risk limit on that order.

7 They do express there's a caution on  
8 applying the criteria at long time periods in the  
9 future. There is no specific cut-off in terms of  
10 carry the calculations out, but there is a recognition  
11 that as you go out further in time, you have to  
12 consider where uncertainties may make the information,  
13 may not provide reasonable information to decision-  
14 makers. And the large question is what's long. And  
15 in the document they suggest that the long term is on  
16 the order of thousands of years, but there's no  
17 precise number given, but long term is given an  
18 example of on the order of thousands of years.

19 CHAIRMAN RYAN: Tim, just a quick question  
20 on the one above.

21 MR. McCARTIN: Yes.

22 CHAIRMAN RYAN: The risk constraint is  
23 recognized to be on the order of 10 to the minus 5<sup>th</sup>.  
24 That kind of implies to me that that risk level is  
25 kind of what's being recommended as okay. There's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really probably not a lot of difference between 30 and  
2 100 millirem per year, so this idea of all sources and  
3 an individual source kind of gets muddied up a bit, in  
4 my view. Does that make sense to you, or am I off  
5 base?

6 MR. McCARTIN: Well, you're right, on the  
7 order of -- the 30 millirem is on the order of that 10  
8 to the minus 5, and yes, you could say --

9 CHAIRMAN RYAN: And it's on the order of  
10 100 millirem.

11 MR. McCARTIN: Once you use the words "on  
12 the order of", yes, I would agree. But they still --  
13 the standards try to provide - and remember, this will  
14 be used in a variety of countries, and they tend to  
15 provide a framework without really -- there is some  
16 flexibility.

17 CHAIRMAN RYAN: I guess that's the key,  
18 isn't it? The individual country would have to answer  
19 the question I'm raising and interpret it for  
20 themselves.

21 MR. McCARTIN: Yes.

22 CHAIRMAN RYAN: Okay.

23 DR. LARKINS: Yes. I was interested in  
24 the same thing, what do you mean by "on the order of"?  
25 Is that a factor of 10?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: I think they would way no,  
2 not a factor of 10. There is a desire that to provide  
3 flexibility to member states to do a reasonable  
4 approach consistent with the standards.

5 I will say one of the fascinating things,  
6 and probably the most fascinating aspect of going over  
7 to IAEA, in my mind, and working with the people there  
8 on a geological disposal standard is, the difficulty  
9 in picking the right words. It's one thing if you're  
10 in a country where okay, English, is the language to  
11 be used. They tried to adopt words that when  
12 translated into other countries' languages, will have  
13 a similar meaning. And you quickly run into things  
14 that are very -- it's very challenging for them,  
15 because sometimes there'll be a particular statement  
16 that maybe someone from Yugoslavia will say well, we  
17 won't be able to translate. I'll tell you how it's  
18 going to translate in our language, and it's not the  
19 same meaning. And there's always this attention of  
20 what's the -- it may work well in English, but in a  
21 different language, it doesn't. And that actually --  
22 sometimes look at the difficulties we have picking the  
23 right words for our regulations, but at least we only  
24 have to confront the issue of one particular language  
25 being used.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN RYAN: We struggle with the ICRP  
2 documents in the same way, and that's English.

3 MR. McCARTIN: Yes.

4 CHAIRMAN RYAN: I think it's a good point  
5 to spend another second or two on.

6 MR. McCARTIN: Yes.

7 CHAIRMAN RYAN: Have I died and gone to  
8 heaven? What's going on?

9 DR. GARRICK: You don't need to worry  
10 about that.

11 CHAIRMAN RYAN: These documents really are  
12 guidance in that way, that they are designed for a  
13 broad use in countries. And I think sometimes we want  
14 to be very analytical and interpret 30 versus 100 and  
15 what it means. I think the caution you're describing  
16 is a very good one to keep in mind for IAEA documents  
17 of this type, that they're really general in nature,  
18 and not specific. So I think that's a really good bit  
19 of information and insight.

20 MR. McCARTIN: And these are the standards  
21 where they are more general. In the guidance, they  
22 sometimes will get more specific. Here's something  
23 you can do, and that's the approach they have taken.

24 MEMBER HINZE: Before you leave that if  
25 you would, Tim; what's the origin of that caution on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applying the criteria? What's their justification for  
2 that statement?

3 MR. McCARTIN: That quite simply, I think  
4 the debate we've seen in this country, that carrying  
5 calculations out to the indefinite future can be  
6 problematic. And it's just a recognition that as you  
7 go out further and further in time, there's  
8 uncertainties, and issues that - what does it mean?  
9 What does that result mean? And certainly during the  
10 development of this standard, there was recognition  
11 that as, in your letter, you know different countries  
12 have different time periods. There is a spectrum of  
13 time periods, and how far out you go should be an  
14 issue that needs to be addressed by the particular  
15 country. It could be site-specific. As in long-term,  
16 why thousands of years, a recognition that there was  
17 a significant inventory early-on that decayed over the  
18 first few thousands of years. And it's important to  
19 have a quantitative calculation and comparison in that  
20 early time period when you have a very significant  
21 inventory, is why, as I understand it, why thousands  
22 of years were suggested as a long time period. How  
23 far beyond that you go is -- they felt that there  
24 needed to be flexibility for the different countries  
25 in implementing the standard.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER HINZE: Do they see a development  
2 of the safety guidelines regarding that issue? We've  
3 talked about the standards here, but providing  
4 guidelines for this.

5           MR. McCARTIN: Right. And we are working  
6 on the guidance document. We are assisting them in  
7 the guidance documents, also, and there is a guidance  
8 document being worked on currently. Right now I think  
9 in general you'll see a similar theme, but I don't  
10 believe there will be any quantitative statement,  
11 other than the more general one, that as you go out in  
12 time, each country is going to have to decide where  
13 the calculations get to a point where maybe you want  
14 to go to a more qualitative look, or consider other  
15 performance measures. And the IAEA, in this context,  
16 recognizes how difficult it would be to set something  
17 out there, if they said a strict time, and  
18 quantitative up to this precise time.

19           It just would be hard not knowing the  
20 inventories, the characteristics of the waste, the  
21 site conditions, et cetera, that the countries have to  
22 grapple with that on their own. There really is not  
23 an easy way out of that one.

24           MEMBER HINZE: But I think what I'm  
25 getting from you is that the concerns here about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 developing the guidance are based upon solid  
2 scientific technical information regarding the  
3 individual nations, and not necessarily just the  
4 policy of the nation. In other words, it's on the  
5 inventory, it's on the site, and it's on technical  
6 issues.

7 MR. McCARTIN: Yes. And as importantly,  
8 the limitations of science as you go out to longer  
9 time periods, a recognition that when you get to  
10 hundreds of thousands of years, possibly a million  
11 years, you may choose to do things differently for  
12 those same scientific reasons.

13 MEMBER HINZE: Right. Thank you.

14 MR. McCARTIN: In terms of a strategy for  
15 development of geological disposal, there's really  
16 three primary tiers. And one is, there's a  
17 requirements for the legal and organizational  
18 framework, that there needs to be specified very  
19 clearly the responsibilities of the government, the  
20 regulator, the operator. In some respects, one of the  
21 things with the government, where is the funding for  
22 a geological repository coming from, so there's  
23 certain requirements for the government to ensure  
24 funding is there.

25 Regulator has certain requirements, such

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as specifying what criteria need to be applied to the  
2 repository, et cetera. The operator demonstrates --  
3 but that needs to be delineated clearly. In terms of  
4 a safety approach, there is certainly the development  
5 process that once again, recognition that development  
6 of a repository would take place over potentially many  
7 years, decades, and so the development should be done  
8 in a step-by-step fashion. Also, passive safety that  
9 is focused, and I should say the document does talk to  
10 all phases, the operational, as well as post closure.  
11 The emphasis is more on the post closure, but all  
12 phases are talked to. And so passive safety for post  
13 closure is fundamental. How you develop an adequate  
14 understanding and confidence that the safety measures  
15 have been met. And then, of course, safety design  
16 principles for the post closure, multiple safety  
17 functions, multiple barriers very similar to the U.S.  
18 requirements.

19           They speak of containment and isolation.  
20 And here again, what is the distinction between  
21 containment and isolation? Containment is really  
22 achieved by containing the radionuclides in the waste  
23 packages in the repository itself. And once again,  
24 there is some discussion about you expect early-on a  
25 substantial containment, if not near 100 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There might be some small releases, but in that first  
2 thousands of years, that the container, the waste  
3 package would remain in tact. But eventually, the  
4 containment with the waste package would go away, and  
5 then you have isolation. And it's the geological  
6 system that provides for the isolation from the  
7 biosphere, but there's also a recognition that this  
8 isolation, even with releases from the repository,  
9 that in general the reason you're going to a  
10 geological repository, you're going deep underground,  
11 the geology itself isolates the waste from humans.  
12 And so they talk of the two concepts of containment  
13 and isolation.

14 In terms of the framework for geological  
15 disposal, as I said, there's a recognition of the  
16 step-by-step development that indeed information will  
17 continue to come in through the various stages of  
18 repository development. And there needs to be an  
19 approach for doing that, and that gets to the  
20 preparation of the safety case and safety assessments  
21 that you expect that this iterative feedback loop, as  
22 you learn more information, you provide it to the  
23 safety assessment and improve your understanding and  
24 confidence.

25 Now I will say there has been a discussion

1 of safety case versus safety assessment. In our  
2 regulation, we have elected not to try to make a  
3 distinction between the two. But in this particular  
4 document, the safety assessment is the performance  
5 assessment itself. The safety case includes that  
6 safety assessment, as well as all the supporting  
7 information that supports the safety assessment.  
8 Generally, as you know, in our regulation we have not  
9 pointed out something, a safety case versus a safety  
10 assessment. Our performance includes that  
11 calculation, as well as all the supporting information  
12 that gives you confidence that, indeed, the  
13 calculation I performed is technically defensible and  
14 reasonable. But in this case, it is more typical in  
15 the European environment to draw this distinction, but  
16 you don't see it in our regulation. But I would say  
17 there isn't a difference here. It's just we have  
18 combined it into its all, part of what we would call  
19 the safety case or safety assessment.

20 DR. LARKINS: Do they distinguish between  
21 who makes the safety case and the safety assessment?  
22 Is the safety case the collection of data and  
23 information that would be used to support the  
24 assessment?

25 MR. McCARTIN: In both cases, the safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case and safety assessment is made by the developer,  
2 and would be reviewed by the regulator. So it's an  
3 interesting distinction. We prefer not to separate  
4 all the information and scientific knowledge you have  
5 supporting your safety assessment from it as a  
6 separate -- it's one collection.

7 MR. THADANI: But safety case would  
8 include any public hearings and so on, wouldn't it?

9 MR. MCCARTIN: That's a -- yes. I mean,  
10 that's part of the overall information base,  
11 absolutely. And in that sense, maybe you've brought  
12 up possibly a good distinction of why the word "safety  
13 case" exists. Yes. I mean, it's intended to, as this  
14 body of information grows with time, you continue to  
15 document it. It's in place and passed on. Yes.

16 They talk of the scope of the safety case  
17 and the safety assessments. And you're right,  
18 although I'd have to go back and look. I don't know  
19 if they specifically bring out information from  
20 hearings, but there is certainly the concept of  
21 there's information that supports the safety  
22 assessment, which clearly would be information from  
23 hearings that is continued through and improved on  
24 through this iterative process. And certainly, they  
25 talk about the documentation of the safety case and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 safety assessments in a way that they believe it's  
2 important that the documentation of this be available  
3 for outside review. And there's discussion that there  
4 could be documentation that might be more appropriate  
5 to be reviewed by others that aren't as necessarily as  
6 quantitatively and technically involved as the  
7 regulator. There's documentation supporting the  
8 regulatory review by scientists. There could be other  
9 documentation that provides a more general approach,  
10 and that would be more by the developer.

11 In terms of this development, as I  
12 indicated, there are different steps along the way,  
13 and they talk to site characterization, design,  
14 construction, operation, and closure. And so along  
15 the way, you'll see a progression of development of  
16 the safety assessment, safety case. And importantly,  
17 up front they say even at a crude level, a safety  
18 assessment should be done very first step. I mean,  
19 obviously you have to get some information from site  
20 characterization, but even with your information at a  
21 very limited level, you start to develop well, what is  
22 my safety case? What am I relying on? And as you go  
23 through design, as things evolve, and you continue to  
24 iterate through identifying what's important to  
25 safety, what I'm relying on, and that continues all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the way through closure, this constant iteration. But  
2 there's an emphasis that the safety case should be  
3 foremost in the minds of the developer from the very  
4 first stage.

5 MEMBER HINZE: Tim, is there any sharing  
6 of safety assessment software procedures as part of t  
7 his? Does each country develop its own?

8 MR. McCARTIN: Well, in terms of  
9 development of the standards, there is no performance  
10 assessment software, et cetera involved, other than,  
11 obviously, the different people that come to assist  
12 the IAEA have some performance assessment tools, for  
13 lack of a better word, and their access.

14 Now along those lines, though, countries  
15 developing a program, say a geological repository  
16 program, can ask the IAEA for assistance, and they  
17 have different mechanisms for providing software, et  
18 cetera.

19 MEMBER HINZE: Do we, for example, share  
20 our performance assessment software in any parts or  
21 parcels with others?

22 MR. McCARTIN: Other people have used our  
23 software. How exactly, I will say -- how we share it  
24 varies depending on -- I know over the years, and I'm  
25 thinking back to the last 10 years or last 20 years,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depending on the U.S. Government's approach for  
2 software, it does have different nuances in terms of  
3 who we will share our software with for free, and who  
4 will sell it to. I mean, it does vary.

5 MEMBER HINZE: Well, what I'm getting at  
6 is, do we learn anything from other software and  
7 procedures in terms of safety assessments?

8 MR. McCARTIN: Not through this particular  
9 effort.

10 MEMBER HINZE: Setting the standard.

11 MR. McCARTIN: Yes. We certainly,  
12 technically, are you aware of developments in other  
13 performance assessment arenas in different countries  
14 and what they're doing. One of the problems, I'll  
15 say, is that the -- you quickly through these  
16 different steps, you quickly get to a very particular  
17 application. And I'd say our performance assessment,  
18 as well as DOE's and EPRI's, is very much tailored to  
19 Yucca Mountain.

20 MEMBER HINZE: Very specialized.

21 MR. McCARTIN: Yes. However, there are  
22 pieces that are somewhat common to -- I'll say one of  
23 the ones, the Latin Hypercube Sampling, as an example,  
24 that piece of software is used by different countries,  
25 as well as DOE, ourselves, and that sampling procedure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is amenable to just about any probabalistic analysis,  
2 and so it's used. But I'll say, as our development  
3 has progressed, it's gotten very specific to Yucca  
4 Mountain.

5 MR. THADANI: Following up on Bill's  
6 question, do you do international standard problems  
7 for some way to check the analytical tools that you're  
8 utilizing?

9 MR. McCARTIN: Yes. Actually, when I was  
10 in the Office of Research, I think about 10 years ago  
11 now, there was a series of international benchmarking  
12 studies that the Swedish Nuclear Power Inspectorate  
13 somewhat oversaw in terms of trying to benchmark  
14 transport codes, other ones with respect to Rock  
15 Mechanics, and there have been international efforts  
16 to try to get gee, do we think these codes are  
17 generally applicable and getting reasonable answers.  
18 And so yes, that was a very important step.

19 MEMBER HINZE: The Swedes would be ahead  
20 of us in terms of Rock Mechanics, for example. That's  
21 what I'm getting at.

22 MR. McCARTIN: Oh, yes.

23 MEMBER HINZE: How much are we picking up  
24 from all of this, from this interaction?

25 MR. McCARTIN: Well, we've been involved

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in both when the Swedish programs for Intraval,  
2 Hydrocoin, Intracoin. There was a series of ones  
3 primarily for the geosphere flow and transport models.  
4 The Rock Mechanics one, and I draw a blank of what the  
5 acronym for that, but we were involved in that one,  
6 also, and so we have been involved.

7 Now in addition to that, I'll say for both  
8 ourselves and DOE, we convened a group of --  
9 completely separate on our own for our performance  
10 assessment model, we invited some experts from other  
11 countries to look at what we were doing and provide a  
12 peer review. And I think maybe a couple of years ago,  
13 or three years ago we reported to the committee on  
14 some of the peer review activities for our code. I  
15 know DOE asked IAEA to peer review their performance  
16 assessment, and I'll say on the order of three years  
17 ago, if I had to take a guess -- there's a  
18 documentation of that that I can provide you, so  
19 there's that aspect that is making use of other  
20 experts that are working on similar problems to look  
21 at this particular problem.

22 DR. GARRICK: Tim, if you think in terms  
23 of repository risk, you have to, of course, think in  
24 terms of pre-closure and closure. And I know you're  
25 talking about standards for closure, but we're seeing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a growing issue on Yucca Mountain with respect to the  
2 thermomanagement. And the thermomanagement is driven  
3 by a couple of things; one is to meet certain heat  
4 load requirements in the repository, but there's  
5 another issue, and the issue is that if you have to  
6 compromise the worker risk considerably to meet that,  
7 the question is, is it worth it, and what are the  
8 standards people doing to provide some mechanism where  
9 a rational optimization of the tradeoff between pre-  
10 closure and post closure risk; because there are many  
11 people that believe that the real risk of a repository  
12 is pre-closure. And I might be even one of those, and  
13 we're fiddling around here worrying about a few  
14 millirem a million years from now, when the  
15 possibility exists that we're going to exceed those  
16 levels considerably in a short period of time before  
17 the repository is closed.

18 Is there any fundamental regulatory  
19 thinking going on besides the existing standards and  
20 requirements to enhance our ability to better optimize  
21 the total risk of the repository?

22 MR. McCARTIN: Yes. This document, as I  
23 said, does address both the operational risk, as well  
24 as the closure, but the emphasis is more on the post  
25 closure safety. There is no discussion that I can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think of with respect to trying to manage the risk in  
2 a way -- worker risk with respect to post closure  
3 risk. However, I will say, and you may not like this,  
4 but there is discussion in the report that for things  
5 with respect to construction, with respect to  
6 monitoring, with respect to safeguards, that these  
7 kinds of functions should be done so as not to  
8 compromise post closure safety. And that's about the  
9 only -- so you wouldn't want to do something say in a  
10 safeguards manner that now compromises post closure  
11 safety, so there is a look from what we might be doing  
12 today, but the emphasis is more on you don't want to  
13 do it in a way that you're compromising the long-term  
14 safety of the repository. But that is more related to  
15 - and I'll say an easy example is monitoring; that  
16 would you want to put in a bunch of bore holes all  
17 over the place, that oh, we'll be able to see exactly  
18 what's going on.

19 Well, yes, you have, but now you're  
20 created pathways for radionuclides to possibly get  
21 out, and so the fact that you are putting it in in an  
22 in-tact geological unit, you wouldn't want to, for  
23 lack of a better word, swiss cheese the geological  
24 unit to monitor it. And now you've defeated the  
25 isolation aspect of that unit, so it's more with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 respect to that aspect of not compromising a design  
2 aspect. But it's an interesting point.

3 I'm not aware of any discussion that was  
4 trying to look at a spectrum of worker dose in  
5 relationship to what might --

6 DR. GARRICK: The confusion that comes is  
7 that if you spend your time talking about closure,  
8 post closure, you leave the public and everybody to  
9 thinking that that's the total threat of a repository.  
10 And you may be ignoring the most significant threat in  
11 doing that. And if you look at the different  
12 scenarios that are now being bandied about with  
13 respect to thermomanagement, some of them are  
14 frightening in terms of the number of times that the  
15 fuel has to be handled, and the operations that  
16 accompany those scenarios. And it seems that there's  
17 not any vision being provided by either the regulators  
18 or the international community on how to deal with  
19 that problem. I was just curious to what level --

20 MR. McCARTIN: The closest I will say when  
21 Part 63 was out for public comment, I know we got some  
22 comment with respect to safeguards, and in the  
23 traditional sense, safeguards -- there's safeguards  
24 requirements for visually making sure something is  
25 there. And they said there may be some need for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 repository at some point. You would not want someone  
2 to physically go into a drift to make sure a waste  
3 container is there. And as I understand it, and I'd  
4 have to go back and look, but we talked of that, that  
5 certainly in the safeguards requirements, there is a  
6 flexibility that you would not compromise -- get very  
7 large doses. That there would be other ways that  
8 possibly you could ensure that the waste has not left,  
9 has not been diverted from Yucca Mountain without  
10 physical inspection. And there was a recognition  
11 there that there are certain safeguards requirements  
12 that you certainly would take into account what that  
13 requirement means, and the fact that to get a many ton  
14 waste package out of the tunnel, you might be able to  
15 just have a certain requirement for guarding that  
16 tunnel, so that gee, nothing did leave here, rather  
17 than physical inspection down a drift or something  
18 like that. But that's the only area I'm aware of that  
19 we certainly have looked at. But in terms of the fuel  
20 handling, it's an interesting point.

21           Going along with -- I mean, I've sort of  
22 talked to some of these points in terms of, once  
23 again, for assurance of safety and security, there's  
24 things that would be done. Early-on there might be  
25 certain waste acceptance criteria that might be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 developed by the developer. Monitoring requirements,  
2 as I talked about, post closure institutional controls  
3 - there's a recognition that the repository would be  
4 continued to be monitored. But as I said, an  
5 important aspect there, whatever monitoring you're  
6 doing, you don't want to compromise the long-term  
7 safety.

8 In addition, there's the safeguards  
9 requirements that would require continued monitoring.  
10 And certainly, quality assurance is applied to all the  
11 important phases of development of a geological  
12 facility. And that's the way that, in addition to all  
13 the other things, that you get some assurance of  
14 safety.

15 In summary, these requirements - I talked  
16 to all those, and I realize probably the more general  
17 way, it gets to both the planning, designing,  
18 operating and closure of a facility. The strategy is  
19 important to ensure that each step in the development  
20 has an adequate understanding and confidence of  
21 safety. And that's an important aspect, that there is  
22 that recognition that as you move forward in a  
23 geological repository, information will improve as you  
24 get to closure. And with that, I'll be happy to  
25 answer any questions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Is retrievability in there  
2 at all?

3 MR. McCARTIN: It's been a while since  
4 I've looked at the document.

5 MEMBER HINZE: I'm sorry.

6 MR. McCARTIN: Yes, in the context of the  
7 step-by-step approach. While you're developing it,  
8 you would want to be able to potentially retrieve the  
9 waste if you got to some step where you said gee, we  
10 now know it's not safe. And so there is some limited  
11 discussion, as I understand it, about retrieval,  
12 somewhat consistent with the U.S. regulations, but  
13 there's not any particular time frame given. But it's  
14 retrieval during the development of the repository.

15 MEMBER HINZE: It would seem to me that  
16 that would be -- retrievability would go hand-and-hand  
17 with monitoring. If you're going to monitor, you're  
18 either going to do a fix on it, or get rid of it.

19 MR. McCARTIN: Sure.

20 CHAIRMAN RYAN: And that fix may not be  
21 retrieving.

22 MEMBER HINZE: That's right. You may do  
23 a fix --

24 CHAIRMAN RYAN: Or retrievability might be  
25 an option, but not necessarily --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: That's right.

2 CHAIRMAN RYAN: Any other questions, Bill?

3 MEMBER HINZE: No, sir. Thank you.

4 VICE CHAIRMAN CROFF: Early in the  
5 presentation, you had the objectives - protect human  
6 health and the environment. Where is the IAEA coming  
7 from on the environment part of that? We've had a lot  
8 of discussion in the ICRP context. Are they sort of  
9 following the ICRP trend or some other --

10 MR. McCARTIN: Right. Right now there's  
11 just a paragraph in the document that points to the  
12 fact that people are discussing possibility of limits  
13 for other things other than dose to humans. And it's  
14 under discussion, but there's no recommendation. It's  
15 just a recognition that there is discussion. I'd have  
16 to go back that specific enough -- I know at one time  
17 there was a statement that right now it would appear  
18 that protecting humans is appropriate for protecting  
19 the environment. Those dose levels are small, but I  
20 will say I can't guarantee that that sentence is still  
21 there, but there's no separate limit discussed, and  
22 they just acknowledge that it's being discussed in the  
23 international community, and they're following it,  
24 also.

25 VICE CHAIRMAN CROFF: Okay. Thanks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: And, of course, we'd  
2 written on that subject the last time, and recognized  
3 the ICRP also affirmed again that if you protect man,  
4 you protect the environment. That's why the  
5 discussion going forward is recognizing the ICRP, as  
6 well.

7 MEMBER WEINER: I have a couple, Tim.  
8 Early in the Yucca Mountain considerations, I mean,  
9 like 20 years ago, EPA made the decision that the  
10 world in 10,000 years and society was going to be  
11 pretty much the way it is now. In other words,  
12 throwing out the idea that we were all going to lose  
13 all civilization and return to caveperson status.

14 Has the IAEA -- what does the IAEA assume  
15 about society over the very long term, or have they  
16 even discussed that?

17 MR. McCARTIN: In this document, they  
18 don't discuss that. They recognize that, like I said,  
19 the long-term is on the order of thousands of years,  
20 and I would have to go -- boy, it's been a while  
21 since I've read the document, and whether there's  
22 discussion about using reference groups, or reference  
23 biospheres, there could be. That might be something  
24 that's - and I have to be careful. I might be  
25 switching between guidance documents and standards,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because I've been assisting on both, and so I can get  
2 back to you on that. But other than there may be  
3 something, it's useful in performance assessments to  
4 specify some reference biospheres and critical groups.

5 MEMBER WEINER: Well, is there any further  
6 discussion of how you define say a critical group?

7 MR. McCARTIN: No.

8 MEMBER WEINER: My other question is very  
9 general. You said early in your presentation that  
10 there should not be undue burdens on future  
11 generations. What's an undue burden?

12 MR. McCARTIN: Well, once again, those are  
13 general principles that I think there's no definition,  
14 precise definition for what an undue burden is. But  
15 that gets to the concept of if doses are limited to  
16 things we find acceptable today, that it would not be  
17 -- that's sort of how in the standards you're getting  
18 to if you look at doses that are acceptable today,  
19 then that would not be an undue burden.

20 MEMBER WEINER: Thank you.

21 CHAIRMAN RYAN: Jim.

22 MEMBER CLARKE: Tim, early on you  
23 mentioned that there's guidance being developed, as  
24 well. Can you tell us a little more about that? How  
25 is that being approached? The areas that will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addressed, and does it track the different topics, the  
2 way you showed us the requirements coming out?

3 MR. McCARTIN: Oh, it would track with the  
4 requirements. It would be a guidance document. The  
5 guidance document will be with respect to the  
6 standards, the draft safety standards.

7 MEMBER CLARKE: Okay.

8 MR. McCARTIN: And so it would track  
9 reasonably well with that. It's fairly early in the  
10 development, and right now what it does -- and see  
11 here's where something like say with respect to the  
12 reference biosphere and things of that nature, it  
13 might give some additional guidance to use a reference  
14 biosphere. And this is where I think there's some  
15 acknowledgment of it, but it gives a little more idea  
16 of the kinds of things you might consider. It might  
17 talk about some of the uncertainties, and how you  
18 might look at some of the uncertainties with the  
19 calculation, et cetera. And so it gets into a little  
20 more detail, but it would be related very much to the  
21 requirements.

22 There are some other things that I will  
23 say, a couple of the big topics, that are being  
24 thought about now for the guidance document. It's  
25 alluded to in the standards, this tie-in between how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety assessment sort of is the glue that holds  
2 everything together, and the question -- the guidance  
3 document is trying to explain in a more direct way not  
4 only how safety assessments should be used to guide  
5 site characterization, to design, to integrate the  
6 design in the site characterization, and how it might  
7 progress, and what kinds of things you might be  
8 looking to do at the different steps, be it during  
9 construction - here are the things you would be doing.  
10 And so it's trying to give a more -- to me, if there's  
11 one aspect of the guidance document, it's trying to  
12 show how safety assessment is intertwined in all these  
13 activities, and it fits together, more so than the  
14 standard document, and steps that could be done, or  
15 should be done.

16 VICE CHAIRMAN CROFF: Okay. Thanks. Is  
17 there a schedule for the guidance development?

18 MR. McCARTIN: That's a little more  
19 difficult to get to, given we're helping out. I would  
20 say a year to two years. It might end up faster, but  
21 I'd say a year to two is probably not an unreasonable  
22 estimate.

23 VICE CHAIRMAN CROFF: Thank you.

24 CHAIRMAN RYAN: Tim, it seems like - just  
25 to follow on on Jim's question before we go to Bill or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 John's, that they're about a half a yard short of  
2 risk-informed, because if they're using the safety  
3 assessment as the glue to kind of pull all the parts  
4 and pieces together from design, construction, on  
5 through to performance at the end, they're treating it  
6 as a system. And the central point of that system is  
7 the information they derive in their safety  
8 assessment. And the half-yard, of course, is then to  
9 go to risk-informed, and use other information besides  
10 the analytical assessment to make a judgment or a  
11 decision. Is that a fair summary? Am I hitting it  
12 right, or am I over-interpreting what you said?

13 MR. McCARTIN: Well, I'm not sure what the  
14 other information is, why that doesn't make it risk-  
15 informed. I mean, there is a strong sense of you're  
16 using the safety assessment to assist your  
17 identification of what components of the system  
18 matter, and then you would focus in on those.

19 CHAIRMAN RYAN: Okay. So they're using it  
20 to make judgments and decisions, and not just an  
21 analytical dose kind of number.

22 MR. McCARTIN: Oh, absolutely. Yes.

23 CHAIRMAN RYAN: Okay.

24 MR. McCARTIN: I mean, that's the part of  
25 intertwining that, that it should be used. You don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go out and do characterization on a component that is  
2 not important.

3 CHAIRMAN RYAN: Okay. Bill.

4 MEMBER HINZE: Very quickly, I'm  
5 interested - do the separate components of the former  
6 Soviet Union - are they involved in this IAEA  
7 development of standards? We don't see much about  
8 that in terms of where they are with their geological  
9 disposal. Can you give us any insight as to what's  
10 happening there?

11 MR. McCARTIN: Yes. I mean, they are  
12 invited to the meetings. And as I recall, certainly  
13 Russia has sent representatives to meetings over the  
14 last year or two. And I know there's representatives  
15 from Yugoslavia, and I'd have to go back and look, but  
16 they are invited, and there is some participation.

17 MEMBER HINZE: Do you have any sense of  
18 where they are in terms of their geological disposal,  
19 and interest in following on these standards, and  
20 using the guidance and so forth?

21 MR. McCARTIN: No, that I don't know.  
22 These meetings -- well, they attend and they're part  
23 of the discussions. I mean, they engage in the  
24 discussions, and so there's a sense that there's some  
25 agreement with the principles and the requirements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are laid out. But we rarely get into discussions  
2 in terms of what an individual country is doing.  
3 It's more, this is at a level - are these reasonable  
4 standards?

5 MEMBER HINZE: Thank you.

6 DR. GARRICK: Tim, could you say something  
7 about the investigative model that IAEA uses on  
8 addressing issues like this? And to make clear what  
9 I mean, is I'm thinking of the way the National  
10 Academy does things versus the way NRC and EPA does,  
11 and their different models. The National Academy gets  
12 information from its sponsor, and basically does a  
13 critique on it, and makes findings and recommendations  
14 based on that. The equivalent here could be that IAEA  
15 gets input from its member states, and does a similar  
16 exercise on them as the National Academy's does. Or  
17 is it more like the EPA and NRC, where it invokes a  
18 much stronger scientific input to it by interaction  
19 with laboratories and contractors, and what have you?  
20 I'm just curious as to how they approach document or  
21 an issue like this.

22 MR. McCARTIN: Well, for this particular  
23 document, they are getting input primarily from member  
24 states, and they have -- it's done in a couple of  
25 different ways. I mean, typically there'll be at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 least one, if not -- for this there's a couple IAEA  
2 staff members that are in charge of the development of  
3 this document, and they will have really two types of  
4 meetings; one is a consultant's meeting, where they  
5 bring in a limited number of experts in the areas they  
6 are seeking to -- and those consultants generally help  
7 them write the document.

8 Then there's what they have, technical  
9 meetings, where a technical meeting is opened up to  
10 all member states to come and participate, and they're  
11 given the document, and there's possibly a week of  
12 discussion with respect to the document, and comments  
13 are provided, and then the process continues. There  
14 may be another consultant meeting to deal with the  
15 comments that were raised by the countries during the  
16 technical meetings, and there's that process, at the  
17 end of which at some point, there's a review process  
18 within the IAEA, that they have different committees.  
19 Some of the committees, I'll say the NRC sits on some  
20 of those committees. I mean, they're also composed of  
21 member countries all the way up to Marty Virgilio sits  
22 on the higher committee. And then there's debate on  
23 that document there, and so there's --

24 DR. GARRICK: So it sounds much more like  
25 the National Academy --

1 MR. McCARTIN: Yes, very much so.

2 DR. GARRICK: National Laboratory --

3 MR. McCARTIN: Oh, yes, yes, very much so.

4 Yes, the technical expertise is pulled from the  
5 outside. Yes.

6 CHAIRMAN RYAN: Okay. Thank you. Tim,  
7 thanks very much. It's helpful to get these updates.

8 I hope as you participate with the IAEA, we can call  
9 on you for similar briefings to learn what's going on.

10 MR. McCARTIN: Sure.

11 CHAIRMAN RYAN: It's very helpful. Thank  
12 you very much.

13 MR. McCARTIN: Yes.

14 CHAIRMAN RYAN: Okay. We're scheduled for  
15 a short break. We're just a few minutes behind, so  
16 we'll reconvene promptly at five minutes of eleven.

17 (Whereupon, the proceedings in the above-  
18 entitled matter went off the record at 10:40 a.m. and  
19 went back on the record at 10:55 a.m.)

20 CHAIRMAN RYAN: Okay. If we could  
21 reconvene please. Ruth, you're the introducer for  
22 this presentation.

23 MEMBER WEINER: Oh, yes. Let me organize  
24 myself here. This is the Review of Waste-Related  
25 Research for RES and I do not have on my -- This?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: That's it.

2 MEMBER WEINER: Thanks. Just got it.  
3 Welcome, Dr. Bill Ott and we look forward to your  
4 presentation. Now that I have --

5 DR. OTT: Thanks, Ruth. I hope that sets  
6 the tone for the whole talk.

7 MEMBER WEINER: You weren't on the  
8 schedule.

9 DR. OTT: I proposed this briefing because  
10 the last couple of times we've come down with project-  
11 specific briefings. It appeared that because there's  
12 been a large turnover on the Committee it might be  
13 useful for you to see some background as to how we got  
14 to where we are today and what the actual breadth of  
15 our current program is.

16 So there's a lot of history in this  
17 briefing and there's quite a bit of where we are now  
18 and there's a lot of what I would like to do over the  
19 next year in terms of interacting with you. So  
20 hopefully, there's a little bit in here that will  
21 bring us all up to speed and put us on the same page.

22 When this group started years ago, we were  
23 doing high level waste and low level waste research  
24 and of course, there was a time in the late '90s when  
25 that no longer became possible and the Office of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Research stopped doing high level waste research and  
2 the Office of Nuclear Material Safety and Safeguards  
3 stopped asking us to do low level waste research.

4 But there was a consensus in the  
5 Commission that we needed to be active in this area.  
6 because there were other areas with other things that  
7 were problems, decommissioning and environmental  
8 problems with reactors. We needed to know about  
9 radionuclide movement in the environment. So we  
10 developed a generic program that was based on those  
11 elements of the low level waste and high level waste  
12 programs which are not specific to those applications.  
13 What that means is things like high temperature  
14 geochemistry, volcanism we don't do because those are  
15 of use to nobody but Yucca Mountain. So if you have  
16 question about why we don't do certain specific  
17 things, quite often it's tied back to that historical  
18 perspective.

19 We do include general topics such as  
20 infiltration, flow, absorption, uncertainty and most  
21 of these things are just as relevant and of just as  
22 much interest to low level waste and high level waste.  
23 We try and keep NMSS and the Center informed of our  
24 progress and we, in fact, involve them as much as we  
25 can even though we know their basis for doing it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high level waste. It doesn't matter as long as our  
2 basis for doing it is generic.

3 MEMBER WEINER: Could I interrupt you for  
4 a second? You still do research on radionuclide  
5 mobility of chemistry of radionuclides and so on.

6 DR. OTT: Yes. And that will be coming as  
7 we go along because we'll go through each of the  
8 topical areas that we look at. We coordinate with  
9 NMSS staff on decommissioning, fuel cycle and high  
10 level waste and low level waste. We inform them of  
11 progress. We even involve them in activities like MOU  
12 working groups. There's an MOU for research and  
13 development of multi-media environmental models which  
14 we are partnering with nine other agencies and we've  
15 involved the Center in working groups that act under  
16 that MOU.

17 We actually involve the Center in the  
18 sorption project which has a lot of high level waste  
19 interest from other countries as well. They were one  
20 of the modeling teams that model test cases for us in  
21 the sorption project. Our focus is largely on the  
22 near surface. I guess I ought to go through these  
23 slides, shouldn't I?

24 MEMBER WEINER: You're on the fourth one.

25 DR. GARRICK: You're reading from four and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 he only has one.

2 DR. OTT: Okay. Sorry about that.

3 MEMBER WEINER: I think you're on Slide 4.

4 DR. OTT: This is what I'm going to try  
5 and do. I'm going to try and go through background.  
6 I'm going to try and give you a structure for the  
7 program. I'm going to discuss the topical areas that  
8 are described in that structure. That's going to be  
9 most of the briefing. Then we're going to talk about  
10 cooperation with NMSS and other Federal agencies in a  
11 little more detail and then we're going to talk about  
12 these proposed interactions that we want to go through  
13 within the next year.

14 This is the background that I was just  
15 talking to you about. Sorry about that. I wasn't  
16 coordinating between these two. And now we're on to  
17 this one.

18 Our focus is largely on the near surface  
19 supporting realistic assessments of potential exposure  
20 of the public from decommissioning and remediation  
21 actions. The Commission over the last ten years, even  
22 more so over the last five years, has migrated from  
23 the position of relying on conservative assumptions to  
24 becoming more and more realistic. So we're trying to  
25 support that need for tools that are closer and closer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to realistically modeling environmental systems which  
2 is no small task.

3 On sites where relatively simple tools and  
4 techniques can exist address existing conditions where  
5 there's temporal and spatial variability and chemical  
6 or hydrologic conditions, distributive source terms.  
7 These are the things we're worried about, those things  
8 that NMSS quite often refers to as complex sites. For  
9 the simple sites, most of the simple tools work. So  
10 we're really aimed at the difficult problems that face  
11 NMSS.

12 We do primarily cover user-need generated  
13 topics and we try to cover the full range of PA  
14 although there are some areas where what we're doing  
15 is limited at this time. I'll point those out.

16 This is a convenience. It helps us  
17 organize the program and identify the projects that  
18 are in each piece of the program. The colors on there  
19 in terms of red and green don't really apply as much  
20 now as they did in the past because our coordination  
21 with NMSS although always strong has actually  
22 improved. The things in here that are red indicate  
23 that they were initiated by RES staff because we  
24 perceived a problem but we hadn't received the user  
25 need on it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As a matter of fact in our user need  
2 reviews now within NMSS, almost all this work is  
3 supported and they anticipate the results of it. So  
4 this is merely a convenience that when we first  
5 developed the slide showed which was user need and  
6 which was not user need. But all of it in fact is now  
7 supported by NMSS.

8           This just lays out the general structure  
9 of the problem. We know we have to worry about what's  
10 there in terms of source terms. So we're worried  
11 about source characterization.

12           We're worried about barriers because it's  
13 becoming more and more evident that barriers will be  
14 necessary even in a lot of low level waste and  
15 decommissioning situations.

16           The flow model is the basic mechanism by  
17 which we move things around. The reactive transport  
18 models are the things which help us assess what  
19 happens as it's moving. The transport calculation is  
20 just a box that represents the programs that we use to  
21 put all these pieces together, things like RESRAD and  
22 FRAMES, the platform models and the hardwired models  
23 that have all these components within them. Then at  
24 the bottom we use all these inputs to calculate  
25 concentrations and exposure rates and we use that to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assess the doses.

2 Then I have this thing sitting off there  
3 on the side which says "integrated groundwater  
4 monitoring" with arrows pointing every which way and  
5 what it means is that basically monitoring the problem  
6 which pervades the process. It's something that we  
7 need to worry about from the beginning to the end.

8 Now I'm going to go through each one of  
9 these pieces. Let's go slip quickly through these  
10 next two because here I just describe what's embodied  
11 in each one of those pieces and I think you probably  
12 know what's embodied in those pieces. So let's go  
13 into the pieces themselves and start talking about  
14 them.

15 Source characterization. Historically  
16 we've done a lot of work in source characterization  
17 focused primarily on low level waste. Most of that  
18 work ended around 2000. In 2001, 2002, the last of  
19 our products came out of INEL. I guess now it's INL,  
20 Idaho National Laboratory, looking at various  
21 characteristics of low level waste. We've also looked  
22 at slags at both PNNL and Johns Hopkins University.  
23 We had a long-running project here with one of our  
24 staff up there doing analysis slags. That report was  
25 issued last year, a final report on the slags. NMSS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is finding that useful and are calling our staff now  
2 about current slag sites to see how to handle the  
3 contamination they're seeing there.

4 MARSSIM Maintenance, MARSAME development,  
5 these are things that help identify where  
6 radionuclides are in the environment. Bayesian  
7 Subsurface Survey Methods, which is SADA --

8 MEMBER HINZE: Excuse me. What is MARSAME  
9 again, Bill? What does it do?

10 DR. OTT: MARSAME is the -- You got me.

11 MR. HAMDAN: Multi-Agency --

12 DR. OTT: There's MARSAME and MARSSIM and  
13 MARLAP.

14 MEMBER HINZE: But I've heard of --

15 DR. OTT: I can't remember what MARSAME is  
16 right now.

17 MEMBER HINZE: That's okay. What does it  
18 do?

19 DR. OTT: Cheryl's going to address this  
20 one.

21 MEMBER HINZE: Okay.

22 MS. TROTTIER: It's materials and  
23 equipment.

24 DR. OTT: Okay.

25 MS. TROTTIER: Basically it's the same as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MARSSIM but it's materials and equipment.

2 MEMBER HINZE: Okay. Fine.

3 DR. OTT: It's basically the way of  
4 measuring the radioactivity in materials and  
5 equipment.

6 MEMBER HINZE: Okay.

7 DR. OTT: For clearing it. So all this  
8 stuff is aimed at identifying radionuclides and the  
9 amounts present. SADA is basically a tool that's  
10 being used out in the field for determining  
11 distributions of radionuclides and it was focused  
12 first at the surface and now it's going subsurface.

13 The latest version is 4.1. It was  
14 recently issued in March of this year. A user's guide  
15 was issued in April of this year. There was training  
16 provided to the staff in March when the code was  
17 issued. It employs most readily available statistical  
18 methods and gives you ways of assessing how these  
19 methods would impact your choice of selection and of  
20 sampling of schemes for sites and how efficient they  
21 would be.

22 We're just starting a new phase of SADA  
23 Work. The developmental tasks and the follow-on  
24 projects are listed on page nine here. They're trying  
25 to incorporate soft information including uncertainty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 directly into estimation using Markov Bayes II  
2 techniques. They're trying to develop a direct  
3 interface with an incorporation of geotechnical data.  
4 They're going to provide 3D variogram maps in the  
5 newest version.

6 They're looking at a method for optimizing  
7 bore hole location and sampling design. They have  
8 another task in there that's going to help estimate  
9 the likelihood of miss. In other words, if we use  
10 this particular sampling scheme, what is the  
11 likelihood that we will miss a significant contaminant  
12 or an area of significant contamination?

13 And they're trying to provide simplified  
14 implementation guidance which is basically a yes/no  
15 roadmap that allows you to go to each step and say,  
16 "If this is the case, I go here. If it's not the  
17 case, I go there." So they're trying to simplify the  
18 application process for using SADA to design sampling  
19 schemes.

20 The work's being carried out in  
21 cooperation with the Environmental Protection Agency.  
22 They were the original sponsor of FIELDS which was the  
23 predecessor for SADA. ACNW was briefed on this  
24 program in 2003 and I'm not certain how much overlap  
25 there is here on that briefing. We will probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 propose a detailed briefing for this fall and I think  
2 that would be a very interesting interaction.

3 MEMBER HINZE: Are you verifying this at  
4 some site or how is this --

5 DR. OTT: There is no field verification  
6 involved in our part of the program, but it's being  
7 applied at a number of sites and being tested by a  
8 large group of users. That feedback is coming back to  
9 us. So we're not doing a direct field test ourselves.

10 MEMBER HINZE: And these sites are  
11 appropriate to your problems then.

12 DR. OTT: Yes. Barrier performance is the  
13 next one. I think we've gone through this. Our  
14 barrier performance work has been focused at NIST. We  
15 started out a number of years ago. Let me back up a  
16 little bit. During the low level waste period, we did  
17 support work out at Beltsville on five lysimeters out  
18 there where we investigated cover technologies. That  
19 work continued even at a low level being monitored for  
20 almost 13 years and it's one of those cases where you  
21 wish it was still going on because it's the lifetime  
22 of these things beyond 10 and 15 years that's really  
23 becoming an issue now. But after that --

24 Those are primarily soil covers and we had  
25 a vegetative cover and there were five different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 schemes that we looked at there. But parallel to  
2 that, we started to looking at concrete because a lot  
3 of low level waste disposal facilities were coming in  
4 with concrete vaults and concrete barriers, the  
5 concepts that were being advanced for these  
6 facilities. So we haven't built any recently.

7 And it became evident when we produced the  
8 PAWG publication in 2000/2001. Performance Assessment  
9 Working Group put out a fairly landmark publication on  
10 low level waste performance assessment and doing that  
11 it became evident that you really needed to have  
12 barriers to perform for a low level waste site to  
13 work. Otherwise you really couldn't meet the  
14 standards.

15 So it became more and more evident to us  
16 that we really needed to know how concrete behaved in  
17 the long term and we first looked for data and we  
18 couldn't find it. We looked for archaeological data  
19 on concretes and found out we couldn't bound the  
20 calculations because we didn't know the initial  
21 conditions of when they were set down.

22 It basically resulted in our going to NIST  
23 and saying we need to develop a program to assess  
24 long-term performance of concrete. We developed a  
25 model names 4SIGHT which may be familiar to you. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on the NIST web. It's the first of its kind model for  
2 evaluating long-term performance of concrete. We're  
3 continuing to work there to improve 4SIGHT and  
4 consider other possible degradation methods.

5 We're also working in terms of barrier  
6 performance in looking at clay barriers. I think at  
7 least one of you attended the seminar that was  
8 recently held, yes, in which Professor Benson  
9 indicated that he had done some extensive work on clay  
10 barriers and the problem is that they aren't working.  
11 We don't really know why.

12 Part of what we're doing with the Corps of  
13 Engineers is to try and figure out why. They've  
14 advanced a theory. They think one of the problems may  
15 be the practice that has been followed in laying down  
16 clay covers in terms of compacting them to the wet of  
17 optimum. They think that this practice may in the  
18 long term be detrimental when the covers tend to dry  
19 out. That's one of the things that they'll be testing  
20 in the work at the Corps of Engineers.

21 One other thing I should say is I have a  
22 lot of staff here if you have detailed questions. We  
23 may not have time to get to them, but they're here.  
24 Jake Philip is back there. He's the project manager  
25 in both the NIST work and the Corps of Engineers work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other thing that's fortunate about  
2 4SIGHT is that we're now seeing applications which may  
3 include WIR where we're looking at solidification  
4 using cements and concretes and some of the work  
5 that's done there may be applicable to that. We also  
6 did work that was aimed at entombment before that  
7 option was put on the shelf and the research was  
8 designed for an ordinary conclusion. But we were  
9 looking at backfills and infills to include grouts  
10 which is another issues which may be pertinent to WIR.

11           The third application which happened very  
12 recently is that our people have been brought in to  
13 discuss problems leakage at spent fuel pools which to  
14 us looks like problems with microcracks as opposed to  
15 anything else. Microcracks is something that we've  
16 been very worried about for the waste disposal  
17 problems and failure of barriers at waste disposal  
18 sites.

19           MEMBER HINZE: What are they initiated by,  
20 these microcracks?

21           DR. OTT: I don't know what the initiation  
22 is. They just occur. Probably stresses in the  
23 concrete and shrinkage.

24           MEMBER HINZE: Even after a long period of  
25 time presumably, several decades?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. OTT: Yes. I mean we walk through  
2 structures and we see cracks in concrete all the time.  
3 The research concludes the current phase with (Cough.)  
4 based on the old entombment work concludes in mid 2006  
5 and we're preparing to write a research information  
6 letter summing up all of that work in the middle of  
7 next year.

8 This is the Corps of Engineers waterways  
9 experiment station work that I referenced. It's aimed  
10 at long term performance of clay for soil covers. The  
11 Corps of Engineers recently briefed the staff here and  
12 their principal subcontractor, Professor Benson, was  
13 in. That was the meeting I was referring to a little  
14 while ago. That last bullet there is the failure of  
15 clay covers may be a result of dessication after  
16 installation wet of optimum. That's the point I made  
17 a few minutes ago.

18 There's an upcoming activity in the  
19 barrier performance area. It's something we started  
20 almost three years ago. There was a National Academy  
21 study which is looking at engineered barriers. We  
22 made our contribution to it but it was delayed for  
23 almost two years waiting for EPA to make their  
24 contribution. EPA made their contribution and now the  
25 Committee has been identified and the Committee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activities will commence this fall. There's a  
2 workshop planned for actually August 2005.

3 We supported the IDIP and the WIR  
4 workshops that ACNW put on. We sent staff down here  
5 to participate. We would like to probably prepare a  
6 briefing in the spring of 2006 on all the work that  
7 we've been doing in the engineered barriers area, the  
8 results of the concrete work and structures and  
9 infills and backfills. We have a research information  
10 letter as I said planned for March. So after we  
11 finish that research information letter, we would be  
12 in a situation to come in and give you a detailed  
13 briefing of the results of that work.

14 Flow models. You're all familiar with Tom  
15 Nicholson. He's the lead staff person involved with  
16 looking at flow models. We completed extensive work  
17 in earlier years at places like Apache Leap, Las  
18 Cruces Trench. We've involved investigators like Dan  
19 Evans, Shlomo Neuman, Randy Bassett at Arizona. New  
20 Mexico State, Pete Wierenga was there. Now he's at  
21 Arizona. We had Glendon Gee and Phil Meyer at PNNL  
22 and we've worked with Lynn Gelhar and Dennis  
23 McLaughlin at MIT.

24 Those are all historical references.  
25 That's the program as it was up through the middle of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 1990s when essentially our resources were severely  
2 limited and we focused primarily on non high level  
3 waste. There's a lot of work in here that was done on  
4 unsaturated systems and saturated rock systems.

5           Since then, we've been focused on the near  
6 surface as I said in the opening and primarily on  
7 soils. We were still working with Shlomo Neuman  
8 through last year on conceptual model uncertainty.  
9 He's a subcontractor to PNNL and Phil Meyer on the  
10 continued work on uncertainty and flow models.

11           PNNL is currently working on developing an  
12 integrated approach to uncertainty including the  
13 parameter work that they did earlier, the conceptual  
14 model work that was done by Shlomo and an evolution of  
15 it to look at scenarios. So they're trying to  
16 incorporate all this together into one uniform  
17 uncertainty methodology and they're including in this  
18 application to existing field data. I can't tell you  
19 which field data but we are looking at field data but  
20 not doing field work to develop that data. So they're  
21 looking at existing datasets.

22           We're also working with Agricultural  
23 Research Service. They were in here a month or two  
24 ago and briefed you, primarily working on model  
25 abstraction. Other work at ARS is focused on more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 realistic estimation of recharge in its incorporated  
2 hands-on participation by RES staff.

3 We've actually had Tom and Ralph, Katy and  
4 Adam Schwartzman working at NIST on a fairly tenuous  
5 basis, but they've been out there working in the  
6 field, working in the field on acquiring data. A lot  
7 of this work on infiltration actually was examining  
8 new techniques for measuring infiltration so we have  
9 a better handle on what we actually are seeing.

10 We're contracted with the Corps of  
11 Engineers to bring their Groundwater Modeling System  
12 (GMS) on board. This is one of the more robust  
13 packages out there and we brought this in and provided  
14 training for NMSS staff so they can use GMS on the  
15 field sites that they're involved with. GMS is also  
16 being incorporated into FRAMES through another  
17 contract with the Corps and our work with PNNL.

18 We have some tentative follow-on areas  
19 identified, comparison of simple to complex flow  
20 models using the areas of watershed database and  
21 coupling of integrated uncertainty methodology to  
22 monitoring. We've been integrating all these things  
23 and monitoring and measurement seems to be a key issue  
24 in here, how do we confirm what we've measured, how do  
25 we confirm what we've predicted, how do we make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 monitoring now consistent with what we did in terms of  
2 site characterization before. Because if you can't  
3 connect the two of them, it's sometimes quite  
4 difficult to understand what's actually happening.

5 Interactions with ACNW, we had the recent  
6 briefing by ARS in 2005. We had a briefing by PNNL in  
7 2004. That would have been Phil Meyer and Shlomo were  
8 in. We don't have any additional briefings planned at  
9 the present but probably after the end of the 2006  
10 year we'll be probably be in a position to come back  
11 and give you another progress report.

12 Reactive transport models. This is  
13 another area where we've had an extensive amount of  
14 work and work that built on the things that we did  
15 starting with high level waste. We actually did a lot  
16 of work on elevated temperature geochemistry before we  
17 got out of the high level waste program. At the  
18 present time or since we became a generic program,  
19 we've been focused on two contractors, Sandia National  
20 Laboratories (SNL), Randy Cygan, Hank Westrich who was  
21 involved for awhile, Pat Brady and the US Geological  
22 Survey (USGS) with Jim Davis out at Mineral Park.

23 Sandia has been attacking the problem from  
24 a more theoretical perspective. Jim has been looking  
25 at from a more practical perspective. Jim became

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 involved with this first again during that period of  
2 high level waste/low level waste through the Natural  
3 Analog Project in Australia at the Alligator Rivers,  
4 the Koongarra uranium ore deposit in the Koongarra  
5 Rivers area and he's been working with us ever since.

6 It's been fortuitous because the work that  
7 he's done has enabled us to actually make some  
8 practical steps in the last couple of years towards  
9 actually having models that can be incorporated in  
10 performance assessment models which allows us to do  
11 something more than just a simple KD. The model that  
12 Jim is using is what he calls a generalized composite  
13 (GC) model. The approach that's being followed more  
14 at Sandia is what you would call a component  
15 additivity (CA) approach.

16 Incorporation of these models both into a  
17 PA models should be the same. The difference is  
18 really in how you support them with data. Jim's  
19 approach still requires certain amount of site-  
20 specific data. The Sandia approach would also require  
21 site-specific data but it might be a different kind of  
22 data.

23 The field site that Jim did his  
24 demonstration work on in his generalized composite  
25 model was in Naturita, Colorado. He's also done some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work with it at Cape Cod. The fundamental modeling  
2 work has been doing at Sandia.

3 Jim has also been involved with us in  
4 helping to organize and implement the OECD/NEA  
5 Sorption Project. Phase I of that project was a  
6 consensus effort because a lot of countries in the  
7 world have been doing a lot of geochemistry work for  
8 a long time and they weren't seeing any benefits from  
9 it in the PA models. They said, "Should we really  
10 keep following this line of investigation or is this  
11 a case of diminishing returns where no matter how much  
12 money we're going to invest we're never going to get  
13 a result?"

14 So the first phase of the NEA Sorption  
15 Project was a feasibility study and the conclusion at  
16 the end of that study was that there's been a lot of  
17 progress made and we actually may be on the threshold  
18 of being able to do some practical implementation of  
19 more realistic sorption levels.

20 So then we went to Phase II and Phase II  
21 involved a lot of test cases where the 12 countries  
22 that were participating in the NEA Sorption Project  
23 provided modeling teams. This is where the Center for  
24 Nuclear Waste Regulatory Analyses (CNWRA) came to.  
25 They provided one of the modeling teams for our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 participation. The USGS provided another modeling  
2 team. The Joint Technical Committee overseeing the  
3 technical work of the project provided test cases for  
4 these modeling teams to then model.

5 The final report of Phase II is planned.  
6 It should be coming imminently, probably in August.  
7 They're planning a workshop for October and following  
8 the workshop, they're going to have another one-day  
9 workshop to consider whether there should be a phase  
10 III to the project.

11 We also initiated an MOU Working Group on  
12 Reactive Transport. Jim Davis provided the proposal  
13 for that and it was approved by the steering  
14 committee. We last year had an international workshop  
15 at Sandia. It involved almost 100 experts on  
16 geochemistry from around the world. The proceedings  
17 of that are attained at iscmem.org website and there  
18 was an article that came out of it summarizing the  
19 results and the recommendations of the workshop.

20 Ruth had made an observation that we seem  
21 to be doing almost all of our work at humid area sites  
22 and for variety and to show an arid site, this is  
23 Naturita.

24 MEMBER WEINER: It's not humid.

25 DR. OTT: Definitely not humid. At this

1 particular time when I took those pictures, it was  
2 really dry and really hot. This is actually a site of  
3 a former uranium mill that's been remediated and they  
4 actually took off all of the dirt from the site down  
5 to the water table and then they brought in clean fill  
6 dirt and all of this area that you see there in brown  
7 is the area that was filled from the former uranium  
8 tailing site.

9           There is still uranium contamination on  
10 the site. The chemistry is fairly complex. The flow  
11 system is reasonably complex which is why we selected  
12 it. I told Jim we needed to find a site that wasn't  
13 so simple that you could argue that there were other  
14 things pertaining or other ways to solve it. He  
15 studied the site for a number of years because  
16 actually -- Well, I guess you can see it on there.  
17 This was taken during one of their field campaigns and  
18 they have about 40 wells drilled along here and they  
19 were in the process of drilling wells. Those are the  
20 field units they had on the site down there on the  
21 right. I just wanted to break up the presentation  
22 with a bit of color.

23           Current status. USGS feels they have  
24 demonstrated the utility of their generalized  
25 composite approach at Naturita. They're now working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on extending it to other radionuclides and also trying  
2 to use it at a more humid site at Cape Cod.

3 Sandia is encoding the generalized  
4 composite approach and the component additivity  
5 approach is using USGS RATEQ for inclusion in FRAMES.  
6 So we're actually moving now to include this in one of  
7 the major platforms that we're anticipating using in  
8 performance assessments at these complex sites. That  
9 work should be completed by this fall. At least the  
10 first phase of it will be completed by this fall which  
11 is a fairly simple code that allows us to tell whether  
12 we really do get a benefit from doing a more complex  
13 treatment of the geochemistry issue.

14 I've already mentioned this. Participants  
15 in the NEA Sorption Project will meet in October to  
16 consider development of a phase III. I mentioned the  
17 international workshop. Our future focus may be on  
18 the data needed to populate these models if we are  
19 indeed successful in incorporating them into FRAMES.

20 One of the problems that's been observed  
21 by the Licensing Staff here is that they will get a  
22 licensee coming in and wanting to use a surface  
23 complexization model because it benefits them in the  
24 long run. It shows lower concentrations and they  
25 don't have to do as much clean-up. The problem is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that they haven't really implemented the models  
2 correctly. They've tried to populate them using the  
3 wrong data and they need guidance on exactly how to  
4 use the models, when to use the models and what  
5 information to use in them and some cases we need more  
6 information to apply them if we don't have enough  
7 data.

8 ACNW interaction. I actually like to  
9 bring these people in this fall. The Sandia project,  
10 the current phase is ending. The NEA Sorption Project  
11 current phase is ending. We have the results of the  
12 MOU workshop and a lot of the results from Jim Davis's  
13 work and I would propose to bring in all of those  
14 people for probably a half day presentation sometime  
15 this fall if the Committee has the room for it on  
16 their schedule. I think it would be a very  
17 interesting discussion.

18 MEMBER WEINER: I think that would be a  
19 very good idea. We will look at the planning and you  
20 let us know what would be a convenient planning  
21 timeframe.

22 DR. OTT: Yes, I've already talked to  
23 Sandia since their contract is ending. We're going to  
24 give them a no-cost extension to at least make sure  
25 they're available and save a little money so they can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 come in.

2 Transport calculations. The primary  
3 vehicles that we're working on right now are RESRAD.  
4 We're doing this primarily as support for NMSS. We  
5 made the original RESRAD probabilistic. From my  
6 perspective, the biggest problem is that RESRAD is  
7 generally a hard-wired code and they have a different  
8 version of the code for every particular instance.

9 Right now, they're working on a RESRAD-  
10 OFFSITE for offsite contamination. We're supporting  
11 that because it's a very widely used model and the  
12 staff here is very familiar with it. So we're trying  
13 to at least improve the tools that they have to work  
14 on for some of these sites.

15 The other area that we're looking at is  
16 FRAMES. I gave you some history here, didn't I? I'm  
17 actually down at the bottom when I talked about the  
18 current focus on RESRAD-OFFSITE and FRAMES. The beta  
19 version and manual release in October 2004, that's  
20 last year for RESRAD-OFFSITE. FRAMES 2 incorporating  
21 MEPAS, GENII and 2MRA modules from the EPA and a  
22 preliminary linkage to GMS was released in March of  
23 this year. We're currently working on a more robust  
24 connection to GMS. The first implementation was a  
25 rather simple connection of the two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Future products. Again, I mentioned that  
2 we're working on modifying RESRAD-OFFSITE to enable a  
3 wider range of site-specific exposure scenarios.  
4 We're looking at more realistic treatment of reactive  
5 transport and improved linkage to GMS and FRAMES.

6 We have a very small project that one of  
7 our staff members is doing in trying to develop more  
8 realistic values for the fish consumption pathway for  
9 all of these models because there were some really big  
10 questions about the assumptions in the fish  
11 consumption model. We'll revisit that one when we  
12 finish. We're pretty close to having the write-up for  
13 that and we'll send it down to you when we send it to  
14 NMSS.

15 We plan training for both RESRAD-OFFSITE  
16 and FRAMES 2 in FY 2006. We're probably looking at a  
17 briefing on FRAMES 2 in the winter of 2006. So we're  
18 putting that one off a little bit. Winter of 2006, I  
19 have to talk to them about whether it's this winter or  
20 next winter.

21 Dose assessment. This is the work that  
22 was briefed to you about a year ago. I'm not certain  
23 exactly how many of you were present then. This is  
24 the work of PNNL where we've gone in focusing -- This  
25 is focusing on changes or improvements to the dose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 models and this is the Biosphere Pathways Study. It  
2 was initiated at PNNL, examining assumptions,  
3 supporting data in the food chain pathway analysis and  
4 it was supposed to identify areas where new data might  
5 be necessary either because old data was of  
6 questionable value or because we needed it to support  
7 a more probabilistic approach.

8 We've discussed it with ACNW in February  
9 of 2004. You sent us a letter and suggested we change  
10 one of our radionuclides and we did that. Research  
11 being at zero of some function, we also had to delete  
12 one. And we sent you a letter back explaining what we  
13 were doing. We dropped nickel and added americium  
14 which is what you suggested that we do.

15 The current focus is on soil and water  
16 samples from three different areas and soil types for  
17 the study of technetium in crops including onions,  
18 corn, potatoes and alfalfa. There's collaboration  
19 with Oregon State University. One of the staff told  
20 me I needed to make sure, I should write it out, but  
21 at the time, I didn't have room on the slide, for  
22 uptake studies in fruit and nuts, apples pistachios,  
23 apricots, pecan, pomegranates, grapes and carobs.  
24 Don't ask me what the rationale for each of those is  
25 but that's the suite of nuts and fruits that they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at currently in their project.

2 The principal investigator for this  
3 project, Bruce Napier, is participating in the IAEA  
4 program to update plant and animal transfer factors.  
5 That's an update of IAEA TRS-364.

6 Upcoming activities. They intend to  
7 extend the plant studies to include americium and  
8 neptunium. They are considering proposals for animal  
9 studies in Russia. We've gotten proposals both from  
10 Mayak and from Kazakhstan. No decision has been made  
11 on that. Sometimes it's difficult to do cooperative  
12 work with groups in the former Soviet Union.

13 There's a new NUREG/CR report on soil and  
14 water analyses and agricultural data which we expect  
15 this August. So next month, we'll have the first  
16 actual publication out of the project. We don't have  
17 any further briefings planned at this. But again as  
18 the project evolves more and gets to the point where  
19 we think it would be relevant, we would propose  
20 something.

21 The monitoring work is work that was  
22 started under an RFP. It's not generally been  
23 required for decommissioning sites to satisfy the  
24 requirements for unrestricted release. In cases where  
25 unrestricted release is not possible, monitoring to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assure sure compliance may be necessary.

2 The project was initiated through the RFP  
3 process. The contractor is Advanced Environmental  
4 Systems (AES). They're incorporating information from  
5 site characterization, performance assessment and site  
6 design. They include concept to performance  
7 indicators, measurable parameters that can linked to  
8 features or models that may mirror or anticipate site  
9 failure and test performance assessment.

10 This whole approach acknowledges that  
11 early detection is more effective than detecting after  
12 failure. We're trying to find some way of advancing  
13 the point of which we find out that we need to do  
14 something, something to fix the problem because it's  
15 always easier to fix it earlier in the failure  
16 process.

17 They've developed a methodology for the  
18 design of the monitoring program. Their current focus  
19 is on applying that methodology to existing datasets.  
20 Their future activities are focused on coupling  
21 integrated uncertainty methodology to monitoring and  
22 we're planning a briefing of the ACNW in the fall of  
23 2006. So that would be about a year from now we would  
24 plan to come in and brief you on the progress on this  
25 work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That's basically what I intended to do in  
2 terms of going over the pieces of the program. Now I  
3 want to talk a little bit about how we're interacting  
4 with others.

5           As I mentioned earlier, our interaction  
6 with NMSS has always been pretty strong but they've  
7 actually gotten better in the last couple of years.  
8 We've begun establishing technical advisory groups for  
9 some of the work that we're doing. The one on  
10 assessing uncertainty and in groundwater performance  
11 and monitoring, we've established technical advisory  
12 groups for both of those which involve NMSS staff.  
13 They meet periodically to look at what's going on both  
14 in the literature and in the project itself to see  
15 whether there should be changes or adjustments in the  
16 work.

17           We're beginning to see technical  
18 assistance requests from NMSS for our staff supporting  
19 their staff in some of the licensing activities which  
20 we view as good because it brings our people closer to  
21 the actual work that generates the research needs and  
22 specifically, we've been involved in the Integrated  
23 Decommissioning Improvement Program (IDIP) which is  
24 the one that's supposed to come out with new  
25 decommissioning guidance in the fall or a revision of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it. They've asked us for help with WIR, with West  
2 Valley and Shieldalloy. So we're beginning to get our  
3 staff more directly involved with some of these NMSS  
4 projects.

5 At the management level, we have quarterly  
6 meetings with the Environmental Protection and  
7 Performance Assessment Directorate in the Division of  
8 Waste Management and Environmental Protection in which  
9 we go over their user need, we go over the progress of  
10 our research and the products that have come out and  
11 we discuss whether there are additional areas they  
12 would like us to focus. When those are major things,  
13 we ask them to try and document it in a user need that  
14 would come to us directly from either the division  
15 directorate or the office.

16 With regard to other Federal agencies,  
17 about four years ago, we embarked with five other  
18 agencies in this MOU on R&D of Multimedia  
19 Environmental Models. It currently supports working  
20 groups on software, uncertainty, reactive transport.  
21 There's a four one on watershed modeling and a fifth  
22 one was proposed on urban air transport.

23 The fifth one is up in the air right now.  
24 It's up in the air because we tentatively had interest  
25 from the Department of Homeland Security in joining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the MOU and between a laboratory in the headquarters,  
2 a conflict evolved and they decided not to sign the  
3 MOU. There's still some interest in NOAA who is  
4 another participant in the MOU in working on this  
5 urban air transport modeling and that working group  
6 may still get established.

7 The original six members were NRC, DOE,  
8 EPA, Corps of Engineers, U.S. Geological Survey and  
9 the Agricultural Research Service of the Department of  
10 Agriculture and amongst those six, we probably involve  
11 the largest group that are working heavily in  
12 developing the kinds of tools that we need at the NRC.  
13 I can't name off the top of my head the other three  
14 that have joined since then. All I know is HS didn't  
15 work.

16 One of the other things that we've done  
17 with other Federal agencies is cooperative funding of  
18 National Academy projects such as "Assessing the  
19 Performance of Surface and Subsurface Engineered  
20 Barriers." This the project that I mentioned earlier  
21 in the discussion on engineered barriers where it's  
22 taking us almost three years to actually get the  
23 committee started. But EPA has come through and DOE  
24 are both funding this particular project.

25 This just lists the agencies that we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involved with to a significant level. EPA, Corps of  
2 Engineers, USGS, Agricultural Research Service, we're  
3 all heavily involved with those and to a lesser extent  
4 with DOE but of course a lot of our contracts are with  
5 DOE labs. Those actually are the core agencies for  
6 the MOU.

7 International participation. We're  
8 involved with the Integration Group for the Safety  
9 Case which is an OECD/NEA activity, the IAEA-ASAM  
10 project with its application of safety assessment  
11 methodologies, the working group on the "Role of  
12 Conservatism versus Realism." The IAEA-EMRAS project  
13 is being supported through our contract on biotic  
14 pathways, the Phil Reed project and of course,  
15 OECD/NEA Sorption Project which I already mentioned.

16 Here I've summarized what I alluded to as  
17 we went through the briefing. These are the things  
18 that I would propose for us to do. The only thing I  
19 have to clarify is whether the winter of 2006 is the  
20 coming winter or the following winter. This fall I  
21 actually have three or four things we could come to  
22 you with. I think the most exciting would be to look  
23 at the geochemistry work. That's all in this first  
24 bullet.

25 The SADA, I think SADA would be a very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interesting briefing for you too, the winter briefing  
2 on FRAMES, the spring briefing on concrete work and  
3 then the fall briefing in 2006 on the results of the  
4 integrated monitoring project. I realize you have a  
5 busy schedule. I just thought I'd sort of get on the  
6 board as saying I think this is the work that would be  
7 right to bring to you over the course of the next year  
8 or so.

9 MEMBER WEINER: Thank you very much I  
10 thank you especially for giving us a heads-up on the  
11 work you'd like us to see. I know we're a little  
12 behind schedule but I also know the members have  
13 questions. So I'm going to allow some time for  
14 questions. Dr. Garrick.

15 DR. GARRICK: I'm not a member.

16 MEMBER WEINER: Well, former member.

17 DR. GARRICK: Thank you very much.

18 DR. OTT: He's had his chances before now.

19 DR. GARRICK: Yeah. Bill, I have two  
20 questions. I have a lot of them but I'll try to boil  
21 it down to two. This was an excellent overview of the  
22 program. But the thing that occurs to me, this is a  
23 technical advisory committee and I think that there  
24 would be a great deal more interest on the part of the  
25 committee, and I'm saying a little out of order by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 saying that, if they were a little more engaged on the  
2 technical issues associated with the program rather  
3 than just programmatic information.

4 For example, the NUREG-1573 was basically  
5 done during my watch. If I had heard a detailed  
6 presentation on that work, I'm sure the Committee  
7 would have offered a good deal of advice on some very  
8 important issues. As far as I know, we didn't get  
9 that level of involvement. I think that's a missed  
10 opportunity and that's one comment. I just think that  
11 the Committee ought to be much more engaged with  
12 respect to the technical issues behind this work  
13 rather than just the programmatic aspects.

14 Second, I'm wondering how you are getting  
15 value from your research. I'm wondering what  
16 activities are going on that propagates the benefits  
17 through the business. Again, as far as I know and  
18 NUREG-1573 is a very valuable piece of work, but as  
19 far as I know, there have been no takers on it. I  
20 think that's unfortunate. So I guess the second  
21 question is what do you have going on that really  
22 stimulates interest in what you're doing such that the  
23 results of your research becomes involved in  
24 applications.

25 For example, one other example, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 foresight. What have we learned about concrete  
2 performance and lifetime as a result of the  
3 application of foresight? So that's basically my  
4 comment.

5 DR. OTT: Okay. I'm going to punt a  
6 little bit on 1573. 1573 started out as a branch  
7 technical position in NMSS that we were helping  
8 through our participation on the performance  
9 assessment working group and when the Commission  
10 really stopped doing a lot of low level waste work,  
11 they backed out of making that into a branch technical  
12 position because it would have had regulatory  
13 oversight. And the publication has handled through  
14 NMSS. So to a certain extent, we didn't have a choice  
15 on whether that stuff was brought to you guys.

16 I thought at some time we had briefed to  
17 you on or the Committee had. I agree with you. It's  
18 a landmark document.

19 DR. GARRICK: Yes.

20 DR. OTT: And really was the first really  
21 publicized attempt to take all the work that's been  
22 done on high level waste on applying probabilistic  
23 methods and apply it to low level waste and more  
24 mundane or more surface-related analytical problems.

25 I was over in Europe probably in the late

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 90s talking the French and they were adamantly opposed  
2 to the approach that was being proposed in NUREG-1573.  
3 They were able to defend their work with deterministic  
4 models and they didn't want anything to interfere with  
5 their success of doing that. I think our response was  
6 we think this is the way to go and it's going to  
7 happen. I would hope that eventually the techniques  
8 in there will become pretty much standard and I think  
9 a lot of people in this country accept it. I think  
10 it's getting a lot of reference.

11 With regard to us, the other point, that's  
12 one of the reasons why I'm proposing these briefings  
13 for the ACNW to try and activate a more active  
14 dialogue on the technical level. This one was  
15 prompted just because it was clear with a lot of  
16 people that were new to the committee that they didn't  
17 have any sense of the history and that's what I was  
18 trying to give you that sense of the history as well  
19 as the breadth of the current program and then propose  
20 ways that we could come in and give you that detail.  
21 So I guess what I would say is I'm trying to address  
22 the problems you identified.

23 DR. GARRICK: Thank you.

24 MEMBER WEINER: Dr. Clarke?

25 MEMBER CLARKE: Just a comment and a quick

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question following up on what John said. I'm very  
2 interested in all of these topics and I'm particularly  
3 interested in the one where you're looking to identify  
4 precursors. I'll call them precursors to failure, the  
5 AES project. Can you tell us a little bit more about  
6 that and the status of that?

7 DR. OTT: Unfortunately, Tom Nicholson is  
8 the project manager and he isn't here so I can't give  
9 you a whole lot on that. He's been working very  
10 closely with NMSS to try and identify what you'd call  
11 performance indicators. These indicators are things  
12 that can be measured. So we're trying to get away  
13 from the abstract of let's measure water, let's  
14 measure this, let's measure that and then let's do a  
15 model and let's see whether things are performing.

16 Let's figure out what parameters, what  
17 things, we can measure to tell us right away whether  
18 we're working right. I wish I could give you a better  
19 answer but by all means, feel free to contact Tom.  
20 His email is tjn@nrc.gov.

21 MEMBER CLARKE: Thank you.

22 MEMBER WEINER: Dr. Ryan.

23 CHAIRMAN RYAN: Bill, thanks for a really  
24 informative briefing. I agree with the previous  
25 comments. It really is a nice overview and again, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 second John's comment. If I look up at the schedule,  
2 I see a lot of results, results. What I would suggest  
3 is it would be really nice if we could take each  
4 meeting and split it in half and talk about results of  
5 something that's current and then maybe also the  
6 forward-looking view of here's our current view of a  
7 given research topic that's upcoming for maybe the  
8 next meeting so we can give you some more timing input  
9 on things that might help you even steer the research.

10 So a little bit of a mix and match there  
11 would probably be a good way to address it because  
12 clearly you don't want to run each research proposal  
13 through us. But if we can get involved early on, the  
14 americium example you mentioned, that's one where I  
15 think we added just a little bit of value on a key  
16 radionuclide that will be good information. But if we  
17 could see maybe the results of one and the forward  
18 view of the next project, that will keep us current  
19 with your activities as well as give us an opportunity  
20 to weigh in if we see something where we think we can  
21 add value.

22 DR. OTT: I appreciate that. I guess one  
23 remark I would have to make is every committee is  
24 different and some committees are more interested in  
25 getting it one point or another point. On the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 side, we're looking at it from the point of view of is  
2 it ripe yet and sometimes we think it's not quite  
3 ready. It's not ready for public consumption.

4 CHAIRMAN RYAN: Well, and again, I think  
5 the idea is we can offer you technical insights from  
6 our vantage point that can be helpful or further  
7 encourage the work or even offer the idea that maybe  
8 some work should be expanded or enhanced or perhaps  
9 not, whatever it might be, that's the stage where I  
10 think we can offer the best benefit.

11 DR. OTT: I appreciate that.

12 CHAIRMAN RYAN: And that's not to say that  
13 we're not interested in results. But maybe we could  
14 plan the meetings along this rough schedule with a  
15 little bit of both.

16 DR. OTT: Yeah. I should also say that is  
17 what I've done is I've proposed some things to talk to  
18 you about and some schedules here. But I've laid out  
19 the entire program. If you guys see something in  
20 there you'd like to hear about on a different schedule  
21 or earlier, call us and we'll see what we can do.

22 CHAIRMAN RYAN: One example along those  
23 lines that I'll just turn your attention back to 22,  
24 it was something that we talked about yesterday on our  
25 Decommissioning Working Group follow-up. We always

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about monitoring on one page and we talk about  
2 modeling on the other page.

3 In case like this where you're doing  
4 performance demonstration of some kind, there are  
5 always two components. One is there's a compliance  
6 requirement of somehow measuring something and we'll  
7 say, "Yes or no, you've complied." But I always view  
8 the monitoring as a two-pronged value. If I monitor  
9 it right and perhaps don't look at just the  
10 radionuclide concentration in the water for example,  
11 but I measure the water level and further make my  
12 dataset more robust for my groundwater modeling  
13 effort, you can get two things for maybe the price of  
14 one and a half or one and a quarter.

15 So that's an example where I think if  
16 you're talking about you're monitoring a research  
17 project, we could maybe help. It seemed to make some  
18 sense to the Decommissioning folks that we could add  
19 some value by having those kind of discussions that  
20 are maybe conceptual and in advance of your formal  
21 program implementation for a particular project. So  
22 just a thought.

23 DR. OTT: Well, as you can see here, we're  
24 about a year down the way from you. But if you want  
25 to hear from us on this project this fall --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: That might be a good  
2 example to start with as one that's a little bit  
3 forward-looking and we could maybe exercise our  
4 thinking here on that project. That might be good.

5 DR. OTT: And I certainly think the  
6 project is aimed at integrating all these things.

7 CHAIRMAN RYAN: Yeah.

8 DR. OTT: Integrating performance  
9 assessment, integrating site characterization,  
10 integrating monitoring.

11 CHAIRMAN RYAN: Sure.

12 DR. OTT: Developing an internally and  
13 self-consistent set of measurements and analytical  
14 calculations.

15 CHAIRMAN RYAN: And again it treats it all  
16 as a system rather than individual parts.

17 DR. OTT: Exactly.

18 CHAIRMAN RYAN: Which is the key to risk  
19 informing.

20 DR. OTT: That's right.

21 CHAIRMAN RYAN: Yes, that might be a good  
22 one. Thanks.

23 MEMBER WEINER: Allen?

24 VICE CHAIRMAN CROFF: Good presentation  
25 and I'll just offer a comment to reinforce some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 which you've already heard. I would like to hear  
2 about the monitoring thing and the concrete sooner  
3 rather than later if it makes any sense at all.

4 MEMBER HINZE: Well, I will fifth the  
5 comments about the usefulness of this but also I  
6 believe the Committee has previously spoken about how  
7 great you're doing in terms of propagating your rather  
8 meager funds by joining in with others and that's a  
9 very useful thing to the Commission.

10 I want to second and third my colleagues  
11 in terms of monitoring and concrete learning about  
12 those earlier on the game than simply the results.  
13 I'm wondering, Bill, if you have, a couple of things,  
14 an annual report that summarizes. Does your section  
15 provide an annual report on the research work that is  
16 ongoing and the results to-date?

17 DR. OTT: No, actually we don't.

18 MEMBER HINZE: Okay.

19 DR. OTT: But one thing I have that I  
20 provided to Dick Savio, I sent him an email. I told  
21 him that I would try to put together a reference list  
22 for the products that have come out of the section  
23 over the last five years.

24 MEMBER HINZE: Well, that was going to be  
25 my next question. Because if we're going to identify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 areas that we are particularly interested in and we  
2 think would be useful for reporting to the Commission,  
3 it would be very helpful for us to at least know about  
4 interim reports from your contractors and is that  
5 possible for us to receive those? Are you sending  
6 those to the ACNW or does the ACNW know about when --

7 DR. OTT: You mean the monthly status  
8 reports?

9 MEMBER HINZE: Yes, status reports,  
10 interim.

11 DR. OTT: I think you would get snowed  
12 under if you say all the MLSs that came out of the  
13 contract.

14 MEMBER HINZE: I don't think we want to  
15 see all of them but I think that it would be helpful  
16 to know what is out there and to pick and choose on  
17 the basis of our interest and concerns.

18 DR. OTT: We've probably not been in the  
19 common practice of sending you interim. We sometimes  
20 get letter reports that we send to NMSS. But we could  
21 certainly increase the distribution of those which  
22 probably do serve the function of progress reports.  
23 They're informal and they aren't published so they're  
24 not really accessible. We haven't really been sending  
25 them to the ACNW. To a certain extent, since they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preliminary, you couldn't release any of the  
2 information but that's something you know. But I'll  
3 see if we can't do a little bit better in terms of  
4 getting you some of those interim products.

5 MEMBER HINZE: It would be very helpful  
6 for us in terms of identifying things that we would  
7 like to talk to you about or we would like to hear  
8 about.

9 DR. OTT: Sure. We do have you on  
10 distribution for all the NUREGs that come out. I  
11 think we got you enough copies for everybody on the  
12 Committee. So you should each be receiving a copy of  
13 all of our NUREGs and should have gotten three or four  
14 of them just recently.

15 MEMBER HINZE: Well, I'm sure that I have  
16 not received them and I certainly would like to know  
17 what's available.

18 DR. OTT: That's interesting.

19 MEMBER HINZE: This reference list that  
20 you're providing to Richard, will that be an annotated  
21 reference list that will give us more than the title  
22 to guide us as to the degree of our interest in it?

23 DR. OTT: No, it's not annotated. It's  
24 about ten pages long as it is. It is divided up  
25 according to the structure of this briefing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: I see. That's good.

2 DR. OTT: And I've organized it according  
3 to year starting with the most recent year. So the  
4 publications in 2005, 2004, 2003, they're all grouped  
5 together under these headings that I've used to divide  
6 up the briefing so that you could associate the  
7 publications with the work that we've done. That  
8 should probably satisfy a little bit of the annotation  
9 problem.

10 MEMBER HINZE: And we harass Richard then  
11 if we're interested in one or more of those?

12 DR. OTT: I would really love to see that  
13 happen.

14 MEMBER HINZE: Well, one could only  
15 continue to aspire devoutly to be wished. This  
16 listing of the times on page 25. Dr. Ryan has already  
17 alluded to results, results. I assume that these are  
18 based upon when these are reaching some kind of  
19 milestone where you think it's worthwhile or are these  
20 the termination of the project or how was your choice  
21 on these?

22 DR. OTT: My choice for the geochemistry  
23 one which is the first one is based on my view that a  
24 lot of threads are coming together. The current  
25 Sandia work is ending with the productions of some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tools to go into FRAMES. The current stage of the NEA  
2 Sorption Project is ending with consideration of  
3 another phase to it. The MOU Reactive Transport  
4 Working Group had that international meeting about a  
5 year ago which Jim Davis was working on.

6 The USGS project is more in the middle but  
7 we're still at the phase where we think we've made a  
8 demonstration of the utility of the work. So with  
9 those other pieces ending and Jim's piece being in a  
10 stage where he's made some demonstration, I thought  
11 this is something that's really relevant to bring to  
12 you guys and give you a full-blown opportunity to look  
13 at what we've done and what we're still doing and  
14 there is the consideration of with the current phase  
15 of the Sandia work should really continue to do work  
16 in that area. Right now, the budget does not include  
17 resources for continuing the Sandia work in the next  
18 fiscal year. So this is actually a very good time for  
19 us to bring that work to you.

20 The others I went to the project managers  
21 and asked them, "Do you think this stuff is ready to  
22 bring down to ACNW? Do we have enough information to  
23 give them and would it be in a state where we could  
24 get benefit from comments back?" So to a certain  
25 extent, I'm relying a lot on the staff on some these.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The initiative on the geochemistry briefing was mine.  
2 I was the one that decided that I thought it was  
3 really time to bring that to you.

4 MEMBER WEINER: We're a little bit behind  
5 schedule so I'm going to cut the discussion short.

6 DR. LARKINS: Ruth, can I make one  
7 comment?

8 MEMBER WEINER: Dr. Larkin.

9 DR. LARKINS: I was going to say. I'm  
10 sorry I missed a lot of it, but I think it would be  
11 worthwhile for us to make a compilation of all these  
12 activities over the next month or so and put it on one  
13 of the retreat items so we can treat it more  
14 systemically in folding this into the work plan for  
15 the Committee for the coming year.

16 CHAIRMAN RYAN: Absolutely.

17 MEMBER WEINER: That's a very good  
18 suggestion.

19 DR. LARKINS: And do that as part of the  
20 retreat.

21 CHAIRMAN RYAN: I think it would be very  
22 good to get things into our schedule as well which is  
23 very helpful to you I know, having an anticipated  
24 schedule for you and for us as well.

25 DR. OTT: I've tried not to overload you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think I have two for this next quarter and one for  
2 each of the following three quarters.

3 CHAIRMAN RYAN: Well, as you pointed out,  
4 you're pulling a lot of the strings together for  
5 different components of the agency and some of these  
6 projects are crosscutting and important and we're  
7 happy to hear about them.

8 MEMBER WEINER: And when we do plan them,  
9 I hope we can plan enough time so that everybody's  
10 questions can be brought up. Anyway, having said  
11 that, all my questions were already raised. Thank you  
12 very much for an excellent briefing and we'll get back  
13 to you on all of the scheduling of all of these.

14 DR. OTT: Okay.

15 CHAIRMAN RYAN: Thanks, Ruth. We're  
16 scheduled for a lunch break now and we will reconvene  
17 promptly at 1:00 p.m. and we'll be off the record  
18 until then. Thank you.

19 (Whereupon, at 12:03 p.m., the above-  
20 entitled matter recessed to reconvene at 1:09 p.m. the  
21 same day.)

22 CHAIRMAN RYAN: Allen will back in just a  
23 minute and Bill is here. So we'll go ahead and get  
24 started again. I apologize we're a few minutes late.  
25 We had a long lunch meeting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And welcome.       We are here for a  
2 presentation on Collective Dose from RES. And we are  
3 welcoming Terry Brock and also Cheryl. Welcome back  
4 again.

5           MS. TROTTIER: I just thought that since  
6 this was a research briefing that it would be good to  
7 not just so to speak throw Terry to the wolves here.  
8 And tell you a little bit about why we have someone  
9 from the Office of State Programs presenting a paper  
10 that was basically authored by Research.

11           A few years ago, the office developed a  
12 research plan to address radiation protection issues.

13           And within that plan are a number of  
14 topics, this being one. And Terry is a new member to  
15 the NRC staff. And while he was in the Intern Program  
16 -- you are out of the Intern Program now, right? Yes.  
17 While he was in the Intern Program, he came over to  
18 the Office of Research on one of his rotations and  
19 told me he really would like to do this paper that we  
20 had written into the plan on the discussion of the  
21 role of collective dose.

22           So I was pretty excited about that. And  
23 actually having Terry in the office was a total joy.  
24 He is a very good scientist. If there was a way I  
25 could have stolen him away from the Office of State

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and Tribal Programs, I would have done that. But I  
2 was unsuccessful in that bid.

3 But anyway, I did invite him to present  
4 this paper today. And he willingly accepted doing  
5 that.

6 I just want to tell you a little bit  
7 about, you know, what we're really hoping to achieve  
8 with this. This is a very early stage on a discussion  
9 of something that at least in my mind is something  
10 that we have a chance at solving some of our problems  
11 with LNT.

12 I think -- you know, I guess for the sake  
13 of the transcript, that linear non-threshold  
14 hypothesis would be good. For those of you who are  
15 familiar with the BER-7 report coming out recently  
16 that reaffirms that the hypothesis can still be viewed  
17 as valid.

18 In my mind, we're many, many years away  
19 from having strong enough research to permit  
20 regulatory bodies to abandon this hypothesis. But yet  
21 there are other things that could possibly be done.  
22 And currently the way we use collective dose in  
23 regulatory decision making and what has been a  
24 criticism over many years is this issue of microdoses  
25 to megapeople.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And there is a way that that can be  
2 addressed. And so what we're hoping to do with this  
3 paper is really just simply put some ideas on the  
4 table that maybe people can start to think about and  
5 maybe at some point come up with a solution.

6           So with that, I'll turn it over to Terry.

7           DR. BROCK: Thank you, Cheryl.

8           As she said, we're going to try to get the  
9 ball rolling on this issue. We're looking at this  
10 issue from this general purpose that we want to  
11 provide information to the Committee to facilitate  
12 discussion on this issue. And really just get  
13 started.

14           As I go through the presentation, we'll  
15 present the options that we've developed without a  
16 selection of a favorite option because at this point,  
17 I think it's a bit premature to go one way or the  
18 other until this has been vetted more thoroughly  
19 throughout the staff.

20           The background, we use -- at the NRC use  
21 collective dose in decision making in a number of  
22 areas. One of the more prominent areas is in the  
23 value-impact analysis area or cost-benefit analysis  
24 area when we're developing regulations to support the  
25 regulatory analysis process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In some cases, as Cheryl spoke to, the  
2 individual doses that are calculated are very small in  
3 the population. We have a very large population so  
4 you can end up with a collective dose that is quite  
5 large.

6           And then NRC bases our estimates on the  
7 radiation risk on the linear no-threshold dose  
8 response hypothesis or model. And this means that any  
9 potential dose, no matter how small, is taken into  
10 account in the collective dose calculation and any  
11 subsequent risk assessments that are performed. And  
12 ultimately in the cost-benefit analysis.

13           Just for background so we're all on the  
14 same page, collective dose per ICRP and NCRP -- you  
15 have your equation here. Your  $S$  refers to the  
16 collective dose to the population at risk. And  $H_I$  is  
17 the per capita dose of subgroup  $I$ , and  $P_I$  is the  
18 subgroup  $I$  of population  $P$ .

19           Qualitatively, it's the sum of individual  
20 doses received in a given period of time by a  
21 specified population from exposure to a specified  
22 source of radiation.

23           And then corollary to LNT dose response  
24 model when used to calculate health risk.

25           We broke out how collective doses is used

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at NRC into two bins, two domains. One is the  
2 retrospective domain. This is where we're looking  
3 backwards, looking historically backwards at doses  
4 that have already occurred. Usually the data is  
5 provided in dosimeter readings. The population that  
6 you are considering is usually well defined in time  
7 and space.

8 And the examples that we have here is our  
9 REIRS database -- I believe that stands for the  
10 Radiation Exposure Information Retrieval System.  
11 That's where NRC licensees submit their annual dose  
12 data for their employees for tracking.

13 It's also used in looking at job  
14 iterations at nuclear power plants. When you see --  
15 you can calculate collective dose after a job has been  
16 completed. And you can compare that from job to job.  
17 And it's a pretty useful metric for measuring ALARA in  
18 that context if you can keep your populations somewhat  
19 consistent.

20 And the focus of this talk and the  
21 thinking on this presentation is more in the  
22 prospective domain where the events or doses have not  
23 occurred yet. So we're looking forward. The  
24 population at risk, it's not always well defined  
25 spatially or temporally.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Examples would be the Reactor Level 3 PRA  
2           Consequence Analysis planning that we do in safety and  
3           security. And then in reg analysis such as the value  
4           impact or cost-benefit analysis. Again, that's the  
5           focus of this talk. And the following options are  
6           meant to address that domain.

7           The first option that we came up with was  
8           to truncate an individual dose at some nominal value.  
9           Truncation is an A Priority decision that you make  
10          that you are going to exclude certain individuals from  
11          the collective dose calculation based on a dose value.  
12          Or you can do it at some distance from a facility. Or  
13          at some future time.

14          NCRP, at one time, they had recommended  
15          that individual doses at one millirem per year could  
16          be excluded from the collective dose calculations.  
17          But that's been retracted.

18          NCRP, along with ICRP, now explicitly  
19          states there really are no theoretical reasons to  
20          exclude any individual doses, no matter how small,  
21          from the collective dose calculation. But there may  
22          be practical reasons to do. Important practical  
23          reasons.

24          The advantages of this approach, this  
25          would address -- truncating at some nominal dose would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address the concern of large collective doses from the  
2 many small individual doses over very large  
3 populations. That would address that concern.

4 We already spatially truncate in some  
5 applications of collective dose at one, ten, and 50  
6 miles respectively, setting a precedent that  
7 truncation is acceptable in certain contexts.

8 Disadvantage, if you're using the  
9 truncation at a dose value, whatever value you pick,  
10 it may be difficult to justify the value selected  
11 because, again, there is not theoretical reason to  
12 truncate the individual dose from the collective dose  
13 calculation.

14 And depending on what value you select,  
15 I've seen in the literature suggestions anywhere from  
16 one to 25 millirem per year. At the higher levels, if  
17 there is an ALARA component, you would have to address  
18 that.

19 This second option that we found was the  
20 Health Physics Society position on collective dose.  
21 And this is taken out of the Radiation Risk and  
22 Perspective Position Statement that was just  
23 reaffirmed and changed slightly just last year.

24 In this position piece, the Health Physics  
25 Society says that for populations of which almost all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 individuals are estimated to receive a lifetime dose  
2 of less than ten rem lifetime, you really should think  
3 about not using collective dose to estimate risk, the  
4 population health risk. Before it was all  
5 individuals. Just last year it was changed to almost  
6 all individuals.

7 And another excerpt from that position is  
8 that the estimation of health risks that are  
9 associated with radiation doses that are similar  
10 magnitude to the natural sources should be strictly  
11 qualitative and encompass a range of hypothetical  
12 outcomes, including the possibility of no adverse  
13 health effects at such low levels.

14 Advantages that we saw, the health risks  
15 implied by a collective dose calculation would be less  
16 uncertain if almost all of your individuals had doses  
17 that were not less than ten rem lifetime. This would,  
18 again, address the concern of the over-aggregating of  
19 many small, individual doses over very large  
20 populations.

21 Disadvantages, from an NRC perspective, it  
22 would have a challenge in accounting for the medical  
23 exposures that you have to take into account for  
24 determining lifetime exposures. We don't track that  
25 here. It would be difficult.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: It's not tracked.

2 DR. BROCK: And on the second piece, an  
3 approach -- to use the qualitative descriptors of risk  
4 would be difficult to develop and use. And how that  
5 would be used in cost-benefit analysis would need to  
6 be explored.

7 The third option is the individual dose  
8 emphasis. So this emphasizes the protection of  
9 individuals in the critical group of the overall  
10 population, of the exposed population. And there is  
11 an assumption that if the average individual of the  
12 critical group is protected, the entire population is  
13 protected. In this option, there is no collective  
14 dose calculated.

15 I like this graph. I took this from  
16 NUREG-1640. I think it demonstrates what we're  
17 talking about nicely here where you have the entire  
18 population, the cumulative frequency there.

19 And then those individual exposed groups,  
20 those could be separated by demographics or region,  
21 however you want to bin those exposed groups. What  
22 you are looking for is the group that would be at the  
23 high end of the population, the entire population  
24 dose. Also, I've heard it termed in other areas as a  
25 sensitive subpopulation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Advantages, this is consistent with our  
2 License Termination Rule. This approach has the 25  
3 millirem per year dose constraint for ALARA for  
4 unrestricted release. It is consistent with the new  
5 draft ICRP. It was new last year when I wrote this in  
6 2004. The philosophy of focusing radiation protection  
7 on the individual.

8 And then I have to give kudos to the  
9 Committee here for your continued concern and actually  
10 prompting me to look into this issue. Your continued  
11 concerns with collective dose and a number of meetings  
12 I had with the Committee last year, there were  
13 concerns with continuing use of collective dose.

14 And a recommendation came out of one of  
15 those meetings to use this approach.

16 EPA uses a similar approach for managing  
17 carcinogen risk in a number of their areas, usually  
18 unacceptable individual lifetime cancer risk range of  
19 10 to the minus 4 and 10 to the minus 6. And it can  
20 either be morbidity or mortality, depending on what  
21 area of regulatory arena you are looking at over  
22 there.

23 Disadvantage, and this is a big  
24 disadvantage for how we develop rules and in reg  
25 analysis. And using an individual dose emphasis, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be very -- well, it is uncertain at this point  
2 how you would develop a cost-benefit metric. The  
3 2,000 dollar per person rem value that we use right  
4 now is derived from a three million dollar value of a  
5 statistical life construct and that is premised on a  
6 collective risk, a collective dose value.

7 So there would need to be some thinking on  
8 that how you would actually come up with a value, a  
9 dollar value using individual dose emphasis. Again,  
10 I don't have that answer right now.

11 CHAIRMAN RYAN: I know you don't. I just  
12 want to make a quick comment. I wouldn't call it a  
13 disadvantage. I'd call it the challenge. Because it  
14 really isn't a disadvantage. It's just a different  
15 kind of construct.

16 MR. THADANI: But it is a significant  
17 challenge because --

18 CHAIRMAN RYAN: Sure it is.

19 MR. THADANI: -- if you go back to  
20 Genesis, I mean it is all over the map in terms of --

21 CHAIRMAN RYAN: I understand.

22 MR. THADANI: -- what estimates you use.

23 CHAIRMAN RYAN: Absolutely. But it is not  
24 necessarily a disadvantage.

25 DR. BROCK: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: It might be hard work.

2 DR. BROCK: Option 4 is a significant  
3 determination of a collective dose calculation. Now  
4 there are three sub-options to this. There are three  
5 approaches that are proposed in the presentation.

6 So what we do here is we use a Commission-  
7 approved criterion to judge the significance of a  
8 collective dose calculation. So we're still  
9 calculating collective dose but we've calculated  
10 collective dose and now we say so what. What does  
11 this mean? What does this mean?

12 The first one is the one millirem per year  
13 and 100 person rem per year value that is floating  
14 around in international bodies. You're making a  
15 judgment there not based on health risk or any of  
16 those ideas but mostly that it is not cost beneficial  
17 at that low individual and collective dose values,  
18 annual dose values.

19 You see these values talked about  
20 throughout the United Nations IAEA, ICRP, and the EU,  
21 European Union documents. So in your analysis, if a  
22 regulated activity falls below these values, you could  
23 exempt it from regulatory oversight.

24 Advantage, it appears to be gaining some  
25 international traction.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Disadvantage, this is small disadvantage  
2 but it is theoretical. The nominal 100 person rem per  
3 year, you could still exceed that with having some one  
4 millirem per year individual doses if you're looking  
5 at some practice that involves say the whole country  
6 or large, large populations. It's a minor  
7 disadvantage.

8           The second -- or Option 4b for  
9 significance determination is compare the collective  
10 radiation dose to background radiation for the same  
11 population. I think that is an important piece in  
12 using collective dose that you have a well-defined  
13 population to make a reasonable estimate.

14           And so if you have whatever number of  
15 individuals you have in your collective dose  
16 calculation, you use that to calculate the background.  
17 This is comparable to what is being done now in NUREG-  
18 1515.

19           Advantage, this is insensitive to the  
20 issue of the very small individual doses in a large  
21 population resulting in a large collective dose  
22 because every individual in the calculation is going  
23 to have some background radiation dose to bounce off  
24 of whatever dose they get from the regulated activity.

25           Disadvantage, at this point, it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncertain at what fraction or multiple of background  
2 collective dose of a regulated activity should staff  
3 become concerned. What's the trigger point for us to  
4 do further action or no further action?

5           There might be some insight into the new  
6 ICRP recommendations where there are some pieces on  
7 couching things in accordance to background. But from  
8 what I've read, that's still -- I think there's still  
9 some controversy on that from individual doses.

10           Then the safety goal evaluation, this is  
11 the last option. This is expand the use of the  
12 reactor safety goal/quantitative health objective  
13 value for latent cancer fatalities. This is 0.1  
14 percent of the sum of cancer fatality risks resulting  
15 from other causes. And you can apply that to other  
16 applications that use collective dose.

17           Staff would be able to compare collective  
18 dose calculations, convert it to a latent cancer  
19 fatality risk to this value, and make a determination  
20 of not a significant additional risk.

21           Advantage, safety goals are an NRC  
22 constraint albeit this is another path to use them  
23 than to how they're used now. Again, similar to the  
24 background collective dose calculation, it is  
25 insensitive to that issue of very small individual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doses in a large population resulting in a large  
2 collective dose because every individual is going to  
3 have some background cancer risk.

4 A disadvantage -- a big disadvantage is  
5 that you are pegging this value to a background cancer  
6 fatality rate that may fluctuate. Hopefully it goes  
7 down over time but by pegging it to a background like  
8 that, it can move.

9 So those are the four options that we've  
10 come up with the three sub-options.

11 The next step, we need to continue  
12 discussions with staff at NRC and get more feedback.

13 We also think that there -- possibly hold a workshop  
14 to solicit expert elicitation.

15 And I'd like to acknowledge the following  
16 individuals for help on this work, and especially  
17 Cheryl for guiding me through this process. And  
18 congratulations on your retirement.

19 (Laughter.)

20 DR. BROCK: Questions, discussions?

21 (No reply.)

22 DR. BROCK: Thank you.

23 CHAIRMAN RYAN: Thank you, Terry, that was  
24 a very well-prepared presentation and laid out all the  
25 information well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Let me offer you a couple of thoughts.  
2           And I'm glad you are at this early stage of getting  
3           some feedback on all the options without any real  
4           slant for one or the other.

5           When I think about all these options  
6           you've presented, I think about them in two ways. One  
7           is -- to me, collective dose is a relative metric.  
8           That is if I have a set of circumstances that are  
9           fairly similar of one case to the other, using it as  
10          a metric to say good or bad, kind of the ALARA sort of  
11          example you gave, that makes a lot of sense to me  
12          particularly in the worker setting because the doses  
13          are high enough and they are statistically significant  
14          on an individual measurement basis, et cetera, and so  
15          on.

16          So that's a use of it that makes a lot of  
17          sense to me.     Maybe it is even comparing say  
18          fluoroscopic technicians in a hospital setting to  
19          others, even though that is not an NRC-regulated  
20          activity. Or nuclear medicine techs, or whatever it  
21          might be. I can appreciate that.

22          Where I think your challenge is is that at  
23          the, you know, microdoses, megapopulations, or  
24          microdoses and small populations. And you mentioned  
25          all the problems. For example, individual medical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exposure, which is undocumented for the most part on  
2 an individual dose basis. That dwarfs the exposures  
3 that you are trying to track and very often dwarfs  
4 background. So the largest exposure in that person's  
5 history that could result in some endpoint is unknown.

6 And as you were thinking, I said well how  
7 would I attack this problem if I was in Terry's shoes.  
8 And I thought about the idea of how about a  
9 statistical study? What kind of statistical power  
10 would you need to interpret collective dose in any one  
11 of your case? What if the profile of a medical  
12 exposure looked like this? What if the background  
13 exposure looked like this?

14 And then if the regulated exposure that  
15 I'm trying to understand or control looked like this,  
16 would you be able to statistically use or not use  
17 collective dose in some meaningful way according to  
18 one of your options other than the relative measure  
19 where all those things might wash out a bit.

20 Just a thought.

21 DR. BROCK: Yes.

22 CHAIRMAN RYAN: My guess is unless you get  
23 the doses that are in the range of what the Health  
24 Physics Society talked about or others, then you don't  
25 have the statistical power to use any of those options

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in anything other than a relative way.

2 So maybe that's something that we could  
3 think about offering you a little bit more detailed  
4 comment on. And bouncing that off of all the options  
5 is to think about would it be statistically powerful  
6 enough to even make sense. I mean that test ought to  
7 be done up front I think.

8 What do you think of that? Is this idea  
9 making sense? Or am I crazy? Or both?

10 (Laughter.)

11 VICE CHAIRMAN CROFF: Yes.

12 CHAIRMAN RYAN: I just want to thank Dr.  
13 Garrick. What do you think?

14 DR. BROCK: Well, you know, it's -- yes,  
15 I think it is probably a good idea to do, to look at.  
16 It's hard.

17 CHAIRMAN RYAN: But even if it was a kind  
18 of a theoretical study and you assumed distributions  
19 and high doses and average doses and things like that  
20 and numbers of people, you can still do a surrogate  
21 statistical analysis to see if the power is there to  
22 allow you to make hypothesis and conclusions.

23 And here's where I'm going. If you had a  
24 situation A and B and you calculate collective dose 1  
25 and collective dose 2, you might not be able to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 statistically see any difference even though the  
2 number is different. And until you can demonstrate it  
3 is even possible, proposing a metric is a waste of  
4 time.

5 And that's what the constraint of what  
6 happens at ten rem and what happens at background and,  
7 you know, all those kinds of things that you very  
8 carefully outlined as potential challenges or  
9 disadvantages or advantages.

10 So I would suggest that all of those  
11 options ought to be tested for their statistical power  
12 using this kind of approach. And it can be, I think,  
13 done maybe not easily but certainly in a  
14 straightforward way.

15 So I'll just leave you with that thought.  
16 And maybe pass the questions on to others. Let's  
17 start over here. Bill?

18 MEMBER HINZE: Well, I was interested in  
19 why the NCRP retracted the one millirem individual  
20 dose and yet this reoccurs in one of your options.

21 DR. BROCK: The NCRP originally coined it  
22 as a negligible individual risk level. And I think as  
23 -- this is back in the 80s -- they came out with --  
24 the individual risk level came out at the time to one  
25 millirem per year. And it was really a de minimus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 call. But I think as they looked at the collective  
2 risk, they realized if we're using LNT, that there  
3 really is no theoretical reason, scientific  
4 justification to truncate at one millirem per year if  
5 we stick to that model.

6 And I saw that in the literature as I  
7 looked through the research for this paper. And that  
8 really the arguments seem to fall apart when you are  
9 trying to select a value based on a scientific  
10 rationale versus maybe some policy decision making.

11 CHAIRMAN RYAN: I don't think you're right  
12 there. I'll tell you why. And a former chairman of  
13 this Committee is the one who wrote that into that  
14 report, Doctor, Dave Muller. And I know him quite  
15 well. And I know he would still support a negligible  
16 individual dose.

17 I think that the scientific validity or  
18 not of it being negligible has to be tested  
19 statistically. You can't just toss it out or keep it  
20 in on the basis of what you think the right answer  
21 should be. You can say that the LNT suggests that no  
22 dose is without some increment of risk.

23 But the real question is is that very  
24 small dose discernible from any other increment of  
25 dose in a meaningful way from a regulatory setting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So please separate the radiation biology argument from  
2 the regulatory argument. They are two very different  
3 arguments.

4 And you can't use the radiation biology  
5 argument to support a numerical analysis technique for  
6 regulatory decision making. That's the flaw here.  
7 And I think that is a very important one to keep  
8 separate. That you just really can't use that well,  
9 the radiation biology argument is this. Therefore, in  
10 the policy area, we must do Y. It doesn't translate.

11 I think that is a fair criticism of a very  
12 often, you know, rigorous battle on LNT and thresholds  
13 and all the rest. I mean the fact of the matter is at  
14 those very low doses, it is nearly impossible in human  
15 populations to resolve the radiation biology question.  
16 So you make a policy judgement based on that.

17 So what we're talking about here is the  
18 implementation of a policy analysis tool. Not a  
19 radiation biology tool. So criticizing one or two or  
20 five or ten or 25 as the right or the wrong number  
21 should be a policy question, not something tied to the  
22 LNT or the threshold argument. So think I.

23 MEMBER HINZE: Well, I also wanted to ask  
24 what about the measurability of this? You know I get  
25 very concerned about how we measure one millirem per

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 year. Where does that enter into the decision making  
2 on this? It's like the groundwater standard: four  
3 millirem per year. How do we measure that?

4 And if we can't measure it, then how can  
5 we put it into a collective dose?

6 DR. BROCK: Yes, it is difficult to  
7 measure.

8 (Laughter.)

9 MEMBER HINZE: It's a challenge.

10 DR. BROCK: It's a challenge.

11 CHAIRMAN RYAN: So, Terry, are you having  
12 fun so far?

13 (Laughter.)

14 CHAIRMAN RYAN: By the way, we're  
15 sympathetic with the strong challenge you've taken on  
16 here. So don't -- I mean feel like we're debating  
17 with you, not against you.

18 MEMBER HINZE: Amen to that.

19 If I could ask you one more question if I  
20 might. Mike has very aptly discussed one way of  
21 trying to reach a decision on this. If you don't use  
22 that approach, how are you going to reach a decision  
23 on this? Or how do the policymakers reach a decision  
24 on this?

25 DR. BROCK: I'm not sure what you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 asking.

2 MEMBER HINZE: Well, you've given us a  
3 number of options here. You can approach this from  
4 looking at the statistical power of these. And I also  
5 think you've got problems in how you make that  
6 evaluation of the statistical power.

7 But the question is if you don't do that,  
8 what do you use to make a decision? What kind of --  
9 do you come with your own predilections? Your own  
10 prejudices? Your own biases? How does one make a  
11 recommendation to the Commission on this?

12 DR. BROCK: You can see what is done in  
13 other arenas. You know in light of the statistical  
14 test that Dr. Ryan has talked about, you know there is  
15 a large uncertainty there that society still asks us  
16 to do something, make a decision. And yes, we have to  
17 weigh the statistical power. But often that -- you  
18 know, in the light of that uncertainty and ability to  
19 make that conclusive argument, we have to make  
20 decisions.

21 We can look for guidance in what other  
22 agencies do. The Supreme Court has chimed in on stuff  
23 like this. The benzene decision, if you look at that.  
24 You have a --

25 CHAIRMAN RYAN: You mentioned a critical

1 group. And the average member of the critical group.  
2 And things like that. Those are other similar  
3 decision making metrics that I think are in place  
4 within our own arena. So -- you know, and you can  
5 list those in your series of options. So maybe it is  
6 something in that category.

7 DR. BROCK: It is. You know EPA uses that  
8 similar approach for regulating carcinogen risk where,  
9 you know, if you look, kind of look hard to where  
10 their 1E to the minus 6 value comes down from, you  
11 know, I've seen different stories on that genesis from  
12 detection limits to one in a million seems like a low  
13 number to well, to close to the one in the billion  
14 brought up in the benzene decision as not a  
15 significant risk.

16 So you're going to have this trans  
17 science. At some points, you have to push off of what  
18 is socially -- you know there is always a social  
19 component to this when you are trying to decide what  
20 is safe and ultimately making the decision.

21 MEMBER HINZE: So are you suggesting that  
22 you can come up with criteria on which you can make a  
23 decision then? And one of those criteria might be the  
24 social acceptability?

25 DR. BROCK: I think that is the reality of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where we work considering, you know, what we do.

2 MS. TROTTIER: Can I comment on that? I  
3 remind you where EPA got their 10 to the minus 4, 10  
4 to the minus 6 risk range, that's a socially accepted  
5 value. They went out and did a poll on what was  
6 socially acceptable. I mean this is a policy thing.

7 And I think what we're trying to  
8 accomplish here is to explore not only the options  
9 that our cumulative brains put together in this paper  
10 but to see, you know, A, where there are holes, B,  
11 where there might be other options.

12 Even though, unfortunately, I'm the  
13 ultimate short-timer here, I mean my eventual goal is  
14 that we get something in front of the Commission. But  
15 what we get in front of them needs to be the best  
16 possible set of options for them to make a reasoned  
17 decision.

18 So, you know, just having your feedback is  
19 really helpful because, you know, this is like a first  
20 step. We haven't even actually flowed this in front  
21 of offices other than a couple. So, you know, we  
22 really want to get other offices within the agency to  
23 look at it and get some other opinions.

24 CHAIRMAN RYAN: Allen?

25 VICE CHAIRMAN CROFF: Yes, I may be less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of an expert than some of these wizards in this area,  
2 but I wanted to understand your suggestion better. As  
3 I understood what you said, it was -- I would call it  
4 a detectability-based approach. In other words, if  
5 based on all the population of the U.S., you couldn't  
6 see a particular collective dose, then it would be  
7 okay.

8 CHAIRMAN RYAN: Well, not exactly. I  
9 guess the statistical power question is if you could  
10 construct two data sets, one with one exposure and one  
11 with another collective exposure, do you have  
12 statistical power to say they are different? In other  
13 words, my hypothesis is these are different. And you  
14 go through the statistical analysis based on what you  
15 know about your data. And you say yes, I can or no,  
16 I can't at some confidence level. Real basic stuff.

17 My feeling is that is going to be real  
18 difficult in most every case. So the metric falls  
19 down as a metric.

20 On the other hand, if you took the remi  
21 or, you know, some aspect of a subset of a huge  
22 population that was at some higher risk within the  
23 population, as we do now, and kind of focused it up in  
24 that way, that might be a path forward to help  
25 overcome that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now I'm not saying do one or the other.  
2           What I am saying is for the options that you've laid  
3           out, and maybe with a more focused emphasis on the  
4           option for a remi, that you design a thought  
5           experiment that will allow you to do the statistical  
6           power assessment of all these options.

7           Some of them may rise up as the best  
8           options from a statistical power point of view. And  
9           some may fall off the table. But I think that's one  
10          step towards, you know, when you go forward to the  
11          Commission with here are the options for using  
12          collective dose and here's why I think they have  
13          merit, they're going to say well what about this  
14          microdose to megapeople? And say well, here is the  
15          statistical power analysis.

16          It says this one hold up and this one  
17          doesn't. Between this range of dose collectively and  
18          this range of individual highs and lows and zeros and  
19          all of that, given that you understand background and  
20          medical exposure and over the ranges which they range.

21          I mean that's what I would try and do  
22          first just to see whether these constructs that you've  
23          created hold up or hold water. Because at the end of  
24          the day, if it is not used in this relative way that  
25          we've talked about, for example ALARA Option 1 and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ALARA Option 2 and the lower dose wins, you know, in  
2 a worker setting, it's a very good metric for those  
3 purposes, clearly and now it's used routinely, but for  
4 the bigger, you know smaller doses to larger groups,  
5 it needs to be tested. So that's what I was trying to  
6 get at.

7 The other problem of measuring the dose  
8 and knowing that in a given population your dose is  
9 1.2 and mine is 1.3, that's a whole different  
10 measurement issue. And needs to also be factored into  
11 the precision with which an individual's dose is  
12 known, which is probably more like 25 percent at best  
13 at those levels.

14 The other issue we haven't touched on is  
15 protracting the dose. In many of these accident  
16 scenarios, it is internal exposure as well as some  
17 external component.

18 So you not only have dose delivered over  
19 some event, you have a big fraction of the dose  
20 potentially delivered over decades. So what does that  
21 mean now when we've got, you know, a changing risk as  
22 a function of A? So it can be challenging.

23 Yes?

24 MR. THADANI: But, Mike, there is another  
25 element which might be equally important and that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you use some analytical tools to calculate these  
2 things. And particularly if you are in the reactor  
3 world, you're talking about accidents and you are  
4 trying to calculate what happens at some distance.

5 To what extent tools such as MAX -- and  
6 perhaps Cheryl can address this issue -- have been  
7 validated? There might be some significant  
8 uncertainties over there that somehow have to be  
9 accounted for because this is one element of the  
10 bigger picture.

11 CHAIRMAN RYAN: So you are saying it makes  
12 it worse rather than better?

13 MR. THADANI: No, I'm not saying it's  
14 worse. No. I'm saying that you need to look at --  
15 take an integrated look at the pieces.

16 CHAIRMAN RYAN: Absolutely.

17 MR. THADANI: And not just pick one.

18 CHAIRMAN RYAN: All the pieces in a given  
19 scenario have to be evaluated.

20 MR. THADANI: With these options, for each  
21 of the options, you do have to step back and say what  
22 else do we need to fulfill that specific option?

23 CHAIRMAN RYAN: Absolutely.

24 MR. THADANI: And how well can we really  
25 do that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: And, again, my A and B  
2 scenarios are just simple-minded starters to just do  
3 the statistics. But then you do have to fault any  
4 uncertainties of all the other aspects.

5 MR. THADANI: I agree.

6 VICE CHAIRMAN CROFF: I think I understand  
7 what you were talking about now, which wasn't quite  
8 what I was thinking so thanks for that.

9 CHAIRMAN RYAN: Okay.

10 VICE CHAIRMAN CROFF: I think my  
11 observation is I'm not right now seeing a way to get  
12 at this issue without just having to make a policy  
13 decision. Basically as the NCRP said, as a practical  
14 matter for regulatory purposes, we're going to go with  
15 something here. And that bullet is going to have to  
16 be bit, if you will.

17 CHAIRMAN RYAN: And given that, that's  
18 where I get to the suggestion about doing a  
19 statistical power analysis to help rank them in a way  
20 where decision making can be best informed.

21 Ruth?

22 MEMBER WEINER: Thanks.

23 First of all, I wanted to thank you for  
24 having the slides available beforehand because I had  
25 a chance to go through this. And that was wonderful.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I am clearly not an expert in this area.  
2 But I do use the concept of collective dose in a  
3 manner that was blessed by NRC more than 30 years ago  
4 in NUREG-0170. And I've always wondered about its  
5 validity, by the way.

6 I'd like to focus on Option 4, which  
7 strikes me as being important in communicating any of  
8 these concepts. What is the significance of the dose?

9 And I have a couple of questions I'd like  
10 to ask you. Option 4b, which is a very attractive  
11 option, compares background collective radiation dose.  
12 And you say as a disadvantage or in the current words,  
13 a challenge, it is uncertain at what fraction or  
14 multiple background of collective dose should staff  
15 become concerned.

16 Don't you have to make that decision all  
17 the time anyway? I mean is this -- is deciding at  
18 what number you start to take some action, isn't that  
19 something that NRC does anyway in all kinds of  
20 contexts?

21 DR. BROCK: From my review -- maybe if  
22 there is someone else in the audience that's more of  
23 an expert on where this came from -- NUREG-1515 --  
24 what I read was there was just a comparison to what  
25 the expected background radiation dose. It wasn't --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there was an implicit judgment in there that that was  
2 okay.

3 So what I'm saying here is what is the  
4 explicit A Priority decision-making tool beforehand?  
5 What are we saying beforehand is of concern to staff?  
6 What would trigger staff when they saw that whatever  
7 emissions were coming out of a facility or whatever  
8 this regulated activity was contributing, what kind of  
9 dose they were contributing in comparison to this  
10 background, that's really the essence of that option.

11 MEMBER WEINER: Well, that's really --  
12 you've touched on the essence of my question. And I  
13 think stated it better than I can. As a regulator,  
14 NRC is always making decisions about what is a  
15 significant impact. And in comparison to something  
16 else. Not in this particular case you haven't made  
17 the decision. But --

18 CHAIRMAN RYAN: Well, Ruth, I don't know.  
19 I challenge you on that because every standard that I  
20 know of excludes backgrounds. Five rems per year to  
21 workers doesn't say anything about background.

22 MEMBER WEINER: No --

23 CHAIRMAN RYAN: -- millirem --

24 MEMBER WEINER: -- I understand.

25 CHAIRMAN RYAN: -- to the individual and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 no relationship to background.

2 MEMBER WEINER: No, I understand that.

3 CHAIRMAN RYAN: This is a metric and a  
4 standard review point. That's much different than a  
5 dose estimate -- I mean a dose standard.

6 MEMBER WEINER: Yes, that's really the  
7 essence of my question. Since you make decisions  
8 about standards, okay, any kind of standard, I don't  
9 see that a mechanism for making this kind of decision  
10 is out of the question. That's all I was trying to  
11 say. It's not that big a disadvantage because you  
12 surely --

13 CHAIRMAN RYAN: So comparison to a  
14 background dose in Denver versus the Jersey shore  
15 results in two different decisions maybe.

16 MEMBER WEINER: Besides, implicitly we  
17 make these decisions anyway.

18 CHAIRMAN RYAN: Just a thought.

19 MEMBER WEINER: My other question has to  
20 do with the safety goal evaluation which it is really  
21 a comment, which again, I think is an interesting --  
22 it is a very interesting concept.

23 And clearly, you know, you have pegged  
24 something that the background cancer fatality rate  
25 fluctuates not only time but over space, over all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 kinds of things. Would years of life lost to cancer  
2 be a better metric? Is it one you have considered?

3 DR. BROCK: Well, there are plenty of  
4 metrics you could use. You know economists do that  
5 all the time. There is quality-adjusted life years,  
6 years of lost life. Quite frankly, I was looking for  
7 something that the Commission had spoken to in 1E to  
8 the minus 4 and the E minus 6 --

9 MEMBER WEINER: Range.

10 DR. BROCK: -- world.

11 MEMBER WEINER: Yes.

12 DR. BROCK: And this caught my eye. The  
13 Commission had made, you know, a statement like this  
14 that we could work off of. So yes, you could use  
15 other outcomes. You know you could use morbidity.  
16 You could use total detriment.

17 MEMBER WEINER: Yes.

18 DR. BROCK: In fact, I believe the 2,000  
19 dollars per person rem is based on the total detriment  
20 risk coefficient, not just mortality. So, yes, yes  
21 you could.

22 MEMBER WEINER: My final question is we  
23 use, in transportation, risk assessments. We use  
24 collective dose, of course. And for routine  
25 transportation, you say you integrate over the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 population in a half mile band on either side of the  
2 highway.

3 DR. BROCK: Right. A half way around the  
4 --

5 MEMBER WEINER: A half mile around  
6 whatever. To get away from this microdoses -- or at  
7 least to modify the microdose to megapeople concept,  
8 what would be your reaction if we simply used, as a  
9 comparison metric, the dose to the -- the largest dose  
10 of that band, the dose to the people nearest to the  
11 source rather than integrating over a megapopulation?

12 DR. BROCK: Oh, boy. I don't know if I  
13 have an answer to you.

14 MEMBER WEINER: This is not a trick  
15 question.

16 DR. BROCK: I'd have to look at that for  
17 a while.

18 MEMBER WEINER: Let me know what you think  
19 of it.

20 DR. BROCK: Sure.

21 MEMBER WEINER: I don't need an answer  
22 right away.

23 DR. BROCK: I can get back to you. I'd  
24 have to look at that and think about that for a while.  
25 There are a couple of factors going through my head

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right now about where exactly you would -- well,  
2 population is going to be very important and where, if  
3 you postulate an accident, where exactly that accident  
4 occurs. So that would have to play into it.

5 So I'm going to punt on that one right  
6 now, if you don't mind.

7 MEMBER WEINER: No, that's fine. Just let  
8 me know any thoughts you have.

9 DR. BROCK: Okay.

10 CHAIRMAN RYAN: Jim?

11 MEMBER WEINER: That's it.

12 MEMBER CLARKE: I think both of you have  
13 touched upon an area that I was going to ask a few  
14 questions about. And that's non-radionuclides,  
15 chemicals that cause cancer or are believed to cause  
16 cancer where we use a linear no-threshold model as  
17 well.

18 You spoke to the EPA range. They like 10  
19 to the minus 6 a lot and 10 to the minus 4 less. And  
20 kind of negotiate in that range if we looked at an  
21 example. I think they try to set drinking water  
22 standards towards the low end. But sometimes you  
23 can't do that and arsenic is a good example where you  
24 just can't reliably measure it at the 10 to the minus  
25 6 level. It is closer to the 10 to the minus 4.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Does the EPA have anything analogous to  
2 collective dose if you had a large population that has  
3 low levels of a chemical carcinogen?

4 DR. BROCK: I can speak to this.

5 MEMBER CLARKE: Is that an area -- it  
6 sounds like you are pursuing it. I just wanted to --

7 DR. BROCK: You don't -- you know EPA has  
8 a number of areas they regulate with different  
9 statutes that drive how they regulate areas. The Safe  
10 Drinking Water Act, I believe there's even a cost-  
11 benefit provision in Safe Drinking Water.

12 MEMBER CLARKE: There is.

13 DR. BROCK: In the Federal Insecticide,  
14 Fungicide, and Rodenticide Act, when they regulate  
15 pesticides, there is an explicit no cost-benefit  
16 analysis. It's health-based only.

17 As far as collective risk, if we focus in  
18 on clean up of say the Super Fund world, they've  
19 really moved away from that. I think the last time I  
20 saw anything of collective risk was late '80s, early  
21 '90s.

22 MEMBER CLARKE: It's individual risk.

23 DR. BROCK: Yes, it's individual. The  
24 reason we maximum expose an individual where they'll  
25 pick the 95th percentile of a distribution up until --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and pesticides when they do an A Priority risk  
2 management decision, they can go up to 99.9 percentile  
3 of the distribution. Then again you're talking about  
4 food that we all eat. So it's, you know, of 300  
5 million people, you know the 99.9 percentile of the  
6 population is what they are regulating at.

7 So no, you don't see collective risk used.  
8 They can. I mean they could. But they've decided not  
9 to use that risk management approach.

10 MEMBER CLARKE: My overly simplistic  
11 initial reaction, not working in this area, was you  
12 know what questions couldn't you answer if you didn't  
13 have anything like a collective dose. And so now I  
14 have to ask what questions can't the EPA answer if  
15 they don't go this way.

16 DR. BROCK: I would say there would be --

17 MEMBER CLARKE: You know I see the utility  
18 as ranking.

19 DR. BROCK: Well, we're dealing with  
20 different paradigms. We deal in the radiation  
21 protection paradigm with limits and justification and  
22 optimization that collective dose lends itself pretty  
23 well to in doing cost-benefit analysis.

24 In EPA space, you're talking about the  
25 health risk paradigm where there is not necessarily a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cost-benefit consideration. And they don't have to do  
2 -- not in all cases where they don't have to do the  
3 collective type --

4 MEMBER CLARKE: It would seem like there  
5 would be a cost benefit --

6 DR. BROCK: In some cases, there are, and  
7 in some cases, there aren't.

8 MEMBER CLARKE: -- population exposed to  
9 a low level of a carcinogen.

10 DR. BROCK: Again, I go back to the  
11 pesticide world. There is an explicit piece in that  
12 that it is health based. It's not, you know, it's  
13 Congress that made the decision. Society made the  
14 decision that they're not going to do a cost-benefit  
15 analysis on that.

16 But going back to your original question,  
17 the collective risk value is -- I haven't seen it used  
18 in a long time.

19 CHAIRMAN RYAN: Jim, I think on the EPA  
20 side, to me it's always interesting. When the EPA  
21 gets done with whatever assessment they're going to do  
22 to decide on the right answer for an environmental  
23 hazard or a food hazard or whatever it might be, they  
24 end up with a concentration. It can't be any more  
25 than this. And that can be easily measured with high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 precision.

2 So all the policy and technical decision  
3 making is wrapped up into that one statute whereas --  
4 and I think this is the difference in the two  
5 paradigms. Terry, tell me if you agree, where we have  
6 an individual dose for workers. We have an individual  
7 dose for members of the public.

8 And we're constantly revisiting the dose,  
9 the calculation of dose, the measurement of dose, and  
10 making a policy decision based on that, folding in  
11 that we have ALARA, which says let's be lower than the  
12 dose as possible.

13 So we have kind of a more dynamic judgment  
14 of success against the dose standards than perhaps you  
15 might on the EPA side. I mean the chemical side, my  
16 concentration is one-tenth of the limit. I'm done.

17 Well, that may or may not be the answer on  
18 the radiological side given that you've got ALARA and  
19 other concerns and issues.

20 So it is a different circumstance. I  
21 agree with Terry's comment. But for more of that kind  
22 of thinking.

23 MEMBER CLARKE: Yes, it still strikes me  
24 that there are some striking similarities.

25 CHAIRMAN RYAN: Oh, there are as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes, there are as well. But I think the fact that we  
2 are regulating, you know, the result of the use of a  
3 concentration in material and EPA just stops with  
4 regulating the concentration is a big difference  
5 ultimately.

6 DR. GARRICK: Yes. What I hope happens,  
7 and I don't know where this thing is going, is that it  
8 doesn't preclude common sense from being a part of the  
9 process. For the most part, I think that collective  
10 dose is a bad metric for most risk work. Particularly  
11 if you are trying to nail down individual risk, I  
12 think it is a very bad metric.

13 But I can see a lot of applications even  
14 that we're engaged in now where it can be very  
15 valuable. For example, one of the big debates in the  
16 Yucca Mountain project is the worker risk with respect  
17 to the surface facilities. And I can see collective  
18 dose as being a very useful tool to do comparative  
19 studies.

20 But I think the Committee is already on  
21 record of not being very supportive of using  
22 collective dose as a risk metric in general. So  
23 common sense, I hope, is allowed to enter into the  
24 process.

25 Part of the problem with a lot of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 regulations is that it puts a constraint on that. And  
2 I just hope that that doesn't happen this time. Thank  
3 you.

4 CHAIRMAN RYAN: Any questions or comments?  
5 Latif?

6 MR. HAMDAN: Terry, I think this question  
7 would be enhanced if you had a fifth option here, the  
8 option of doing nothing. You touch -- in the  
9 background, you talk about why you are doing this.  
10 But I think it is a question of advantages and  
11 disadvantages. Doing nothing would be the case either  
12 way.

13 CHAIRMAN RYAN: Thanks, Latif.

14 MR. THADANI: Just a small suggestion for  
15 you to think about. In your paper, you have an  
16 example, smoke detectors, I think, example. I thought  
17 that was done very well.

18 But under the option of using Commission  
19 safety goals, I mean there is a lot of background  
20 there but nevertheless, you allocated the whole goal  
21 of the smoke detectors in your estimates that you had.

22 You might want to think about as, you  
23 know,  
24 you were talking about pros and cons, one con  
25 certainly would be how do you suballocate the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Commission's goal. If you choose that option, how  
2 would you suballocate to different contributors that  
3 impact public health?

4 CHAIRMAN RYAN: Okay. Thanks, Ashok.

5 Again, Terry, you have taken on an  
6 interesting and challenging problem. And we  
7 appreciate your thoughtful comments and suggestions.  
8 And whenever we get this kind of dialogue going, I  
9 always feel like we've got a good step towards maybe  
10 offering some advice in a letter that would be helpful  
11 and gives you things to think about.

12 I think we'll probably end up trying to  
13 write down some of these suggestions and options in a  
14 letter to you to give you some food for thought.

15 And I'm particularly interested on maybe  
16 the statistical approach to help rank options as a way  
17 to sort them out a bit and see where we might go from  
18 there.

19 And then also emphasize this idea that in  
20 certain circumstances as a relative measure, it has  
21 obvious use and merit today. But as an absolute  
22 measure, there are some challenges ahead.

23 And, again, I think the difference between  
24 a biological argument and a policy argument really  
25 need to be clarified because we can't let that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slippage between the two occur because it is often  
2 part of the ongoing battle on rad say, for example,  
3 that just doesn't help anybody to come to better  
4 thinking about it.

5 But, again, thank you both for being with  
6 us. And once again, Cheryl, congratulations --

7 MS. TROTTIER: Thank you.

8 CHAIRMAN RYAN: -- on your retirement.  
9 Actually, I'll look forward to seeing you. Come back  
10 and visit anytime.

11 MS. TROTTIER: I'll sit in the audience  
12 next time.

13 (Laughter.)

14 MS. TROTTIER: No, I want to thank you  
15 because this has been very helpful for me. I assume  
16 for Terry as well. Our goal is to get more feedback  
17 as we move forward with this paper. So it was very,  
18 very beneficial. Thank you.

19 CHAIRMAN RYAN: One other thing we didn't  
20 touch on but I think the idea of an expert elicitation  
21 is a good one.

22 And we'll probably suggest that because I  
23 think more of these kind of working debates -- and we  
24 might even expand your list a bit and talk about  
25 epidemiologists and statisticians and others that can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 help you evaluate some of these questions and maybe  
2 come up with evaluation protocols and help in that  
3 area. So we might expand upon that a bit, too.

4 DR. BROCK: Okay. Thank you.

5 CHAIRMAN RYAN: All right. Great. Thanks  
6 for being with us.

7 Okay, we're scheduled for letter writing.  
8 Why don't we just take a quick ten-minute break and  
9 start right at 2:15. Thank you.

10 That will conclude our record for the day.  
11 I think we're done with presentations. And the rest  
12 on the letter writing, we won't need a transcript. So  
13 thank you very much. We'll conclude the record.

14 (Whereupon, the above-entitled meeting was  
15 concluded at 2:06 p.m.)

16

17

18

19

20

21

22

23

24

25