

**Official Transcript of Proceedings**

**NUCLEAR REGULATORY  
COMMISSION**

Title: Advisory Committee on Nuclear Waste  
166th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, December 14, 2005

Work Order No.: NRC-783

Pages 1-116

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

166<sup>ST</sup> MEETING

+ + + + +

WEDNESDAY,

DECEMBER 14, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 8:30 a.m. in Room T-2B3 of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, Dr. Michael T. Ryan, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACNW STAFF PRESENT:

- NEIL M. COLEMAN
- JOHN FLACK
- LATIF HAMDAN
- RICHARD K. MAJOR

ALSO PRESENT:

- BOB ABU-EID
- LARRY CAMPER
- JAMES DAVIS
- TOM ESSIG
- MARGARET FEDERLINE
- BILL OTT
- BILL REAMER
- JACK STROSNIDER
- BILL VON TILL

I-N-D-E-X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Page

Opening Remarks by the ACNW Chairman	4
Combined NMSS Office and Division Directors	8
Briefing	
Generalized Composite Modeling	68

P-R-O-C-E-E-D-I-N-G-S

8:39 a.m.

CHAIRMAN RYAN: On the record. This is the second day of the 166th Meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other members of the Committee present are Vice Chair Allen Croff, Ruth Weiner, James Clarke and William Hinze.

During today's meeting, the Committee will be briefed by the NMSS Office and Division Directors on recent activities of interest within their respective programs. We'll hear presentations by and hold discussions with representatives of the United States Geological Survey and the Office of Nuclear Regulatory Research regarding demonstrations of the generalized composite approach to modeling of reactor transport phenomenon and we will discuss Committee letters and reports.

Richard Savio is the Designated Federal Official for today's session. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. Should anyone wish to address the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee please make your wishes known to one of the  
2 Committee's staff.

3 It is requested that speakers use one of  
4 the microphones, identify themselves and speak with  
5 sufficient clarity and volume so they can be readily  
6 heard. It's also requested that if you have cell  
7 phones or pagers kindly turn them off during the  
8 meeting. Thank you very much.

9 I might also add that as a scheduling item  
10 based on prediction of incoming weather the Committee  
11 worked late last night. We did review our Commission  
12 slides and as a result, we will not meet tomorrow.  
13 There will be no continuation of the meeting for a  
14 third day. We hope to conclude business this  
15 afternoon in time for folks to make their travel  
16 provisions for today and more importantly, so that if  
17 it is icy in the morning, the Staff can make a good  
18 decision on whether or not to come in based on road  
19 conditions and icing and so forth. So our business  
20 will conclude this afternoon.

21 With that, I think we're waiting for a  
22 couple of our first participants. Bill Reamer is here  
23 and perhaps some others and I think we're just a few  
24 minutes ahead of schedule. So why don't we suspend  
25 the record until our other speakers come and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll resume the record when our other guests arrive  
2 on the scheduled hour of 8:45 a.m. Thank you. Off  
3 the record.

4 (Whereupon, the foregoing matter went off  
5 the record at 8:38 a.m. and went back on the record at  
6 8:40 a.m.)

7 CHAIRMAN RYAN: On the record. We can  
8 resume the record please. Gentlemen, good morning.  
9 This is a briefing to the Committee from the U.S.  
10 Nuclear Regulatory Commission's -- I'm sorry. I'm  
11 reading the wrong agenda. Other than that, thank you,  
12 Bill.

13 MR. CAMPER: Let us know what we're  
14 supposed to talk about.

15 CHAIRMAN RYAN: Yes, exactly. My mistake.  
16 There we are. Sorry. This is our Combined NMSS  
17 Office and Division Directors Briefing. The cold  
18 winter and the late night working on letters has me a  
19 little goofy. It's my pleasure to introduce Jack  
20 Strosnider in a minute and he'll lead off the  
21 discussion with his colleagues, Bill Reamer and Larry  
22 Camper.

23 I would like to recognize on behalf of the  
24 Committee Jack and the other gentlemen that we really  
25 appreciate the collaborative effort that your staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and our staff have put in to framing an effective  
2 calendar for the ACNW. We just had our planning and  
3 procedures meeting and in short order, we now have a  
4 calendar that looks very full of lots of very  
5 important and timely activities over the next year.

6 Things change and things shift. But I  
7 think we have our arms around that and it is truly an  
8 effective way for us to conduct our work and I think  
9 to minimize our impact on your staff because we can  
10 now coordinate things in a better way, the prime  
11 example of which I again appreciate the opportunity to  
12 sit with you at your Commission briefing with  
13 certainly our D&D effort where we participated, all  
14 five of us, at your public stakeholder workshops which  
15 prepared us in a timely way to be ready to offer  
16 comment and hopefully constructive comment input to  
17 the Commission and in discussion with you. This kind  
18 of approach we find to be just fabulous. We really  
19 appreciate your work and the work of all the staff to  
20 get it done.

21 I particularly want to thank Sam Jones  
22 who's our coordinator with you and he does a very good  
23 job of coordinating. We really appreciate his work.  
24 With that, I'll turn it over to you. Thank you very  
25 much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. STROSNIDER: Thank you, Mike.  
2 Appreciate those comments. Actually I wanted to talk  
3 about that myself a little bit as an introduction here  
4 and specifically I wanted to talk about the value of  
5 our interactions.

6 Within the Office of Nuclear Material  
7 Safety and Safeguards, we have a commitment to  
8 continually look for ways to improve our programs, to  
9 make sure that we're focused on the right topics so  
10 that we're ensuring safety and protection of the  
11 environment, to look for ways to make our programs  
12 more efficient, effective and to make sure that we  
13 have the level of openness that we should have in our  
14 programs. A key part of that commitment to the  
15 continuous improvement, if you will, is getting input  
16 from a spectrum of independent stakeholders and of  
17 course, the Committee plays a key role there.

18 We get a lot of good input which really  
19 helps us in terms of, as I said, making sure that we  
20 have the best programs that we can have. I think  
21 there are several examples that I just wanted to  
22 highlight briefly in some of our recent interaction:

23 The preparation in the Decommissioning  
24 workshop by the Committee. This sort of workshop is  
25 exactly what I'm talking about where we're looking for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stakeholder input on how our program is working, where  
2 can we find areas for improvement and we appreciated  
3 the Committee's participation in that;

4 The hosting of the WIR workshop in the  
5 summer, the workshop on Waste Incidental Reprocessing  
6 and that facilitated scoping of the staff's standard  
7 review plan that we'll be using in those reviews;

8 The trip to Savannah which I think was a  
9 very successful trip in the summer to tour the high-  
10 level waste tanks. Wish I could have been there.  
11 Unfortunately, I missed it but the feedback I got was  
12 that that was a very useful visit;

13 Hosting the West Valley Performance  
14 Assessment workshop in the fall which was another good  
15 activity in another key place where we get input from  
16 the Committee and other stakeholders; and

17 The close coordination that we've been  
18 having and will continue to have, I believe, on the  
19 white paper on low-level waste which I think will  
20 provided a really good platform for moving forward  
21 with engaging other stakeholders and assessing the  
22 program to see what areas for improvement might exist  
23 there.

24 There are a number of related to high-  
25 level waste. We appreciated the comments on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensee application review plan. This planning is  
2 extremely important for us in making sure that our  
3 reviews are effective and that we do it efficiently,  
4 we hit all the right topics, and again the expertise  
5 here and the independent look at it and the comments  
6 is very helpful to us. The same thing with comments  
7 on the preclosure review plan.

8 Finally, I would just mention the  
9 comments, the review, we got from the Center, the  
10 CNWRA program which is very helpful to us. So those  
11 are all things that we had great input from the  
12 Committee on. It's really helpful to us and again in  
13 this spirit of continually looking for ways to improve  
14 our programs, we appreciate that input.

15 So we have, recognizing that and trying to  
16 put better planning into this process to help both of  
17 us. We've done a comprehensive review of our  
18 programs. We've put together an update of the 12-  
19 months calendar and there's a substantial increase in  
20 the number of interactions identified. We're looking  
21 in the next 12 months now as the calendar stands to  
22 have 35 different subjects that we'll be bringing to  
23 the Committee. That's a large increase over what  
24 we've had before. I want to warn you a little bit on  
25 that too. But I think by maintaining this calendar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and doing this sort of planning hopefully we can help  
2 each other to manage the activities that we're  
3 identifying and again get the sort of input we're  
4 looking for.

5 To help do that, it is a rolling-12 month  
6 calendar. So we'll be looking at updating that  
7 monthly. We plan to continue and we're scheduling now  
8 the quarterly meetings with NMSS management, what we  
9 call our Executive Team, the Leadership Team, with the  
10 ACNW Executive Directors and we'll be scheduling  
11 weekly meetings I think in our staffs. So we'll have  
12 a regularly scheduled meeting and they've been  
13 interacting as needed to support these activities.

14 The bottomline is we appreciate the  
15 support, the input, the independent perspective that  
16 you've provided us on these programs that I've  
17 mentioned and we look forward to getting that same  
18 sort of input as we move forward through the next 12  
19 months and beyond. But there will be a lot on the  
20 calendar, a lot of work. So we'll have to make sure  
21 we continue to communicate and plan that as  
22 effectively as we can. I appreciate that. Unless  
23 there are any questions or comments on that, who is  
24 going to go first?

25 MR. REAMER: I think I was.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STROSNIDER: I'll turn it over to Bill  
2 Reamer.

3 CHAIRMAN RYAN: Thanks very much. I  
4 appreciate the opening comments.

5 MR. REAMER: Thank you, Jack. We know  
6 there's a license application delay which will  
7 obviously expand the period of preapplication  
8 activities and will mean a continued interaction with  
9 the Committee and we look forward to that. I know you  
10 have questions about the specifics of that and  
11 hopefully we'll be able to respond to your questions  
12 today on what we see in the near term in the  
13 preapplication area.

14 I do want to say at the outset that  
15 there's always uncertainty but there's particular  
16 uncertainty with respect to the climate we're in on  
17 the Yucca Mountain program. We don't have a license  
18 application date from the Department. We really don't  
19 even have a date as to when they expect to be able to  
20 come forward with a specific schedule. The  
21 Department's concern is that they have objectives with  
22 respect to the quality and the technical content of  
23 the program and they want to focus on that. They are  
24 concerned that dates will become a distraction. So  
25 that's where they are.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also there is uncertainty with respect to  
2 resources and budget and there's always a budget  
3 that's in the process of being made and there are  
4 budgets that are in the process right now of being put  
5 together that will impact the level of resources that  
6 the Department has for the program and that we have  
7 for the program. That clearly creates uncertainty  
8 with respect to how much we'll be able to do and the  
9 interaction we have with the Committee.

10           If I could start by summarizing where we  
11 think things are on the program generally, we know  
12 that DOE has announced a plan to move towards a  
13 simpler, cleaner approach to handling fuel. This will  
14 involve use of the container that's known as the  
15 transport aging and disposal container or the TAD  
16 container. A container that is not yet designed will  
17 need to be designed and will also potentially involve  
18 significant changes to the surface facility because it  
19 would envision a change in the nature of the handling  
20 activities that would happen at the surface facility,  
21 at the repository.

22           Spent fuel would be sent to the site in  
23 the TAD canister by both truck and rail. It would  
24 potentially require less handling at the repository,  
25 certainly a cutback on what some viewed as repetitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 handling. Conceptually it would involve a cutback on  
2 repetitive handling at the repository. Some assembly  
3 handling obviously would still be required where the  
4 fuel was not suitable to be handled entirely in a TAD  
5 canister. And we know that that will conceptually  
6 involve changes to the facility design as I've  
7 mentioned.

8 The Department is in the process of what  
9 they have called their Critical Decision Level 1  
10 process or the CD 1 which is the way in which they  
11 will make the decision with respect to these changes.  
12 They've told us that they are serious about moving  
13 forward on the projects, serious about moving on the  
14 license application, serious about moving forward on  
15 the CD-1 process which they've given us to indicate  
16 could be in a position for decisions to be made in the  
17 spring 2006 time frame.

18 As I've said, the Department told us they  
19 are not in position to be able to estimate a license  
20 application date. They're also not in a position to  
21 be able at this point to estimate a licensing support  
22 network certification date. That latter date would  
23 potentially be a precursor to a license application  
24 because our regulations require that the Department  
25 certifies the document six months prior to the license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application and the Department has said that the LSN  
2 certification date depends upon a couple of things:  
3 (1) the resolution of a adjudicatory matter pending  
4 before the Commission with respect to an earlier draft  
5 license application and whether it would be part of  
6 the system and become public and (2) also finalization  
7 of the CD-1 process that I talked about which is key  
8 to the Department getting its hands around the  
9 schedule issue.

10 We also know that the Department is  
11 replacing, they've told us they're replacing, the  
12 moisture infiltration model which is a link to the  
13 USGS email issue and will require in addition to  
14 replacing the model technical analysis work to support  
15 it. We're also informed by the Department that a  
16 technical report and an extent of condition report  
17 will be forthcoming with respect to the USGS email  
18 issue. But we don't have those reports and we don't  
19 have a specific date about when we will get them. But  
20 we expect that once we get them and complete our  
21 review, there will be interactions with the Department  
22 and actually the Committee will be interested in being  
23 informed about the technical report and the extent of  
24 condition report.

25 The Department has told us that they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 completing their modeling and technical analyses  
2 needed to support a compliance with a revised EPA  
3 standard which would carry compliance out beyond  
4 10,000 years to the period of geologic stability or  
5 one million years. We know that the EPA has received  
6 comments on their proposed regulation. The comment  
7 period has closed. The ball is EPA's court to  
8 evaluate those comments to prepare a final rule in  
9 response to comments and to publish that such that it  
10 can become an effective regulation.

11 To my knowledge, there's not a formal  
12 schedule that EPA has issued. I've heard in public  
13 settings that has talked about potentially the summer  
14 of next year. But I wouldn't say that's an official  
15 date. I think there is no official EPA date. So, in  
16 general, that's the status of things. Of course, we  
17 have our own proposed regulation out as well and  
18 comments we've received on that and would intend to  
19 finalize that once EPA has finalized their regulation.

20 In this context, we as a staff want to  
21 continue to implement our prelicensing program,  
22 continue to identify potential technical issues that  
23 are licensing issues, maintain the staff capability to  
24 perform the license application review in accordance  
25 with the project plan when the application is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 submitted and look at our program as basically made up  
2 of our regulatory aspects, meaning the rule and  
3 guidance and I'll give you a little detail on this,  
4 our activities on issue resolution, our activities  
5 with respect to maintaining our own capability and  
6 also the LSM.

7 First, looking at the regulatory program  
8 and enhancements, I'm talking here about Part 63, our  
9 regulation, and the EPA proposed Part 197. Those two  
10 rules as I've said will need to be completed in the  
11 next year.

12 We also are looking to bring our own total  
13 system performance assessment code or TPA code up to  
14 a code that can analyze and handle a one million year  
15 compliance period consistent with a revised Part 63.

16 We are working in completing potential  
17 changes to our guidance document of the Yucca Mountain  
18 Review Plan that would be consistent with the revised  
19 compliance period. We'll issue those through a  
20 process that involves public comment, those changes to  
21 guidance, and we'll call them Interim Staff Guidance  
22 and we'll look to interact with the Committee on  
23 those.

24 We'll need to be developing a regulatory  
25 framework to handle the TAD canister and the proposal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when the Department develops its path forward on how  
2 it intends to interact with us with respect to the TAD  
3 canister design and its approval for purposes of  
4 storage and transportation.

5 Also we will be looking for the Department  
6 as well as our own indication of how the TAD canister  
7 approach will impact our own regulatory program and  
8 review plans and also to the extent that the rail  
9 corridor environmental impact statement process  
10 continues to move forward as the Department works out  
11 its own plans for '06, that will be part of our '06  
12 activities as well.

13 With respect to issue resolution, let me  
14 just go through the numbers again which the Committee  
15 has hear that they haven't really changed, the 293  
16 technical issue agreements. We have completed our  
17 review with respect to 258 of those. An addition 29,  
18 we have completed our review on and indicated to the  
19 Department that we believe there's a need for  
20 additional information and when the Department is  
21 ready to interact. If they want to interact on those  
22 29 agreements, we will be ready to do so. There are  
23 eight agreements that remain on hold because they are  
24 potentially impacted by the USGS email issue.

25 We're also going to look at the need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 update our risk insights baseline in light of the  
2 changes to the Department's program and the one  
3 million year compliance period change as well. That's  
4 part of our plans for the forthcoming preapplication  
5 period.

6 We have also the potential need to update  
7 the integrated issue resolution status report where we  
8 report on the technical basis for our issue  
9 resolution. So that potentially is something that  
10 we'll be developing in the preapplication timeframe.

11 Let me just comment on one area here and  
12 that is a potential Department decision to move to a  
13 coal repository and at this point, our understanding  
14 is that while that is potentially under evaluation by  
15 the Department, it's not part of the changes that they  
16 are now proposing. Changes that they are now  
17 proposing relate more to what I think they would call  
18 clean, the clean and simpler, the changes to the  
19 repository design and the handling that would involve  
20 a clean and simpler process. They're not at this  
21 point proposing any changes that would move them  
22 toward a coal repository, but that potentially may be  
23 something that they look at. So we'll have a need to  
24 be ready to interact with them in the event that they  
25 do dedicate resources and activities in the area of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at a coal repository.

2 In the preclosure area, the Committee is  
3 aware that we have developed our prelicensing,  
4 preclosure issue report and we have identified issues  
5 to the Department and have interactions with them in  
6 the area of seismic and aircraft hazards and have  
7 offered to have future interactions on preclosure  
8 issues including the PCSA. So the Department has  
9 indicated that they're interested in that but we don't  
10 have specific dates yet which those interactions would  
11 occur. We are continuing our activities to understand  
12 the Department's model, the PSPA and any potential  
13 changes that they're making and any impact that would  
14 have on issue resolution that might cause us to go  
15 back and look at key technical issues.

16 In parallel, we're spending time and  
17 effort to update and revamp the TPA code, TPA 5.1, to  
18 help us to represent and independently evaluate the  
19 significance of the changes that the Department has  
20 proposed and may propose in the future. As I  
21 mentioned, we'll be updating our risk insights  
22 baseline, at least, informally looking at the need to  
23 update based on the TPA code and the changes that we  
24 understand are forthcoming from the Department. We  
25 want to also continue to gain experience and use the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PCSA tool and to look for opportunities to apply it to  
2 evaluate specific issues and to provide the focus for  
3 us in the preclosure area that the TPA has provided  
4 for us in the post-closure area. We will also as part  
5 of our independent activities maintain our presence at  
6 the sight through our onsite representatives.

7 In the quality area, the path forward  
8 really is linked very heavily to the Department's own  
9 processing of the USGS email issue which I've already  
10 touched on. We will also continue our monitoring of  
11 the DOE QA audit activities. Recently they conducted  
12 an audit of the high-level waste-related activities at  
13 Savannah River and we do want to continue to do our  
14 observations. It helps us maintain a knowledge of the  
15 QA program and how it's being applied and does provide  
16 opportunities for us to suggest issues and  
17 improvements.

18 We proposed at the recent management  
19 meeting as well that we have a separate meeting with  
20 the Department with regard to their corrective action  
21 program, in other words, the efficacy of their process  
22 to identify issues, to resolve those issues and to  
23 resolve them in a way that keeps them resolved,  
24 doesn't lead to repetition in terms of issues. So we  
25 don't have a specific date from the Department but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have indicated they would be willing to have an  
2 interaction with regard to their corrective action  
3 program and also as I mentioned a potential technical  
4 meeting with them on the USGS email issue in the near  
5 future once they've issued their technical reports and  
6 extent of condition reports.

7 Also part of our preapplication activities  
8 will continue to be our public communication/public  
9 outreach to be available to the effected units of the  
10 local government to provide information to them and  
11 the State of Nevada and to perform our role to present  
12 ourselves, to present what our role is and to be ready  
13 to provide information in response to their questions.  
14 Also our preapplication activities will continue to  
15 maintain the licensing support network at least in the  
16 near term and also any related preapplication  
17 presiding officer activities.

18 So that's the general overview of what's  
19 forthcoming in the preapplication period. At the  
20 appropriate time, I know you have questions and I'll  
21 try to do my best to respond.

22 CHAIRMAN RYAN: And it's up to you if you  
23 want. Maybe we should take a few questions for Bill  
24 now and we'll shift gears to other topics in a minute.  
25 Bill, that's an excellent summary of your activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We appreciate hearing it. Just as an opening comment,  
2 I think we've been in much the same mode of thinking  
3 of prelicensing now that it's clear the LA's been  
4 deferred a bit. So we've been getting back in touch  
5 with DOE and with the Staff of course, both, and we're  
6 adding to our rolling calendar, of course, your  
7 contributions as well as we've heard from DOE and  
8 things they're willing to come and talk about in some  
9 order that probably fits their work plan. John, you  
10 may have an additional comment there.

11 DR. LARKINS: I was going to say I was  
12 looking at the list from Bill. Also we had a list of  
13 topics from DOE that they were willing to come in and  
14 talk about it and sometime I think we need to sit down  
15 and coordinate these so that similar topics get  
16 discussed on a similar schedule if possible. A lot of  
17 these are overlapping.

18 MR. REAMER: We'd be happy to do that.

19 MR. FLACK: But there are some differences  
20 that probably we should reconcile and your list of  
21 topics is quite extensive. We'll have to figure out  
22 how to work some of these out.

23 MR. REAMER: Sure. If there's time in  
24 your current meeting or if we need to arrange a  
25 telephone call or video conference.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   CHAIRMAN RYAN: Yes. I think following  
2 the rolling calendar process that would be a great  
3 place to start and begin that coordination because  
4 some of the things we have are preliminary by topic  
5 and we really haven't gotten to the details of  
6 calendar. There's a few things that we'll work on but  
7 we're on much the same page of getting back into a  
8 prelicensing mode where we're trying to look at  
9 technical issues of risk-significant items and issues  
10 as well.

11                   We're aligned on the goal. We just have  
12 a lot of moving parts to get meshed in to have it be  
13 effective for everybody. That's a positive thing.  
14 And just for your information, we've turned our  
15 attention a little bit to the technical issues related  
16 to the revised Yucca Mountain standard and really not  
17 so much what the EPA is doing although we're mindful  
18 of what their process is but how the NRC would  
19 implement what the EPA puts forth. So we're trying to  
20 understand some of the issues of the technical and the  
21 technical area from the 10,000 to the million year  
22 time frame and we'll be offering letters of comment on  
23 that. Of course, your staff is participating in that.

24                   MR. REAMER: Yes.

25                   CHAIRMAN RYAN: So I think in general I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see that we're focused on the same shifts and goals  
2 and we look forward to continued coordination. Any  
3 other comments or observations for Bill or questions?  
4 Let me start with Jim.

5 MEMBER CLARKE: Thank you for the update  
6 on where the license application is. It was very  
7 helpful. As I understand, the DOE is focused now on  
8 changes that would address the cleaner, simpler fuel  
9 handling approach and the decision of whether or not  
10 they would move to a coal repository is the future.  
11 Is there any indication when that will be made?

12 MR. REAMER: I don't have any information  
13 on that in terms of timing. But I think the way you  
14 characterized it is exactly our understanding.

15 MEMBER CLARKE: Thank you.

16 CHAIRMAN RYAN: Ruth.

17 MEMBER WEINER: First of all, I wanted to  
18 thank all of you for the support that NMSS has given  
19 the Committee when we make our annual visits down to  
20 the Center for Nuclear Waste Regulatory Analyses.  
21 It's been extremely helpful and my question is in the  
22 light of the delay in the license application do you  
23 foresee any major changes in that program that would  
24 impact our oversight of it or just generally, do you  
25 see any major changes?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. REAMER: I think I would want to first  
2 go back to my very opening statement which is that we  
3 are in an environment of great uncertainty,  
4 uncertainty that's related both to the DOE plans with  
5 respect to the license application and the design and  
6 also uncertainty with respect to how this program will  
7 be funded in the future. But at this point, I think  
8 we see the Center's role being fundamentally the same,  
9 the place in which we develop our own independent  
10 understanding including that understanding that  
11 related to a revised EPA standard, an understanding  
12 that relates to potential impacts of changes as DOE  
13 makes to its program. The key for the NRC to be able  
14 to do the review is to have its own understanding of  
15 how things work and that's what the Center has  
16 historically been able to support us on and at least  
17 in my view though, that fundamental role will continue  
18 to be there.

19                   MEMBER WEINER: I'm just concerned that  
20 our oversight is a help to you and assists you in  
21 developing the staff capability. If there are any  
22 disconnects there, just tell us.

23                   MR. REAMER: Peer review is a basic part  
24 of the process and I don't know whether it's fair to  
25 call the Committee's role with respect to oversight of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Center as peer review. That may be the wrong  
2 characterization of it but I think it has some of the  
3 same benefits. So we look to the Committee to  
4 continue that role. I know the Committee has broader  
5 responsibilities with respect to assessing the NRC's  
6 research capability and we know there's an umbrella  
7 there that part of some aspect of the Center may fit  
8 under. But the role that the Committee has played  
9 historically on issues with respect to the Center, I  
10 think, is good.

11 MR. STROSNIDER: I'd just like to make an  
12 observation on this, too, that I think everyone here  
13 is aware of this but I think some people react when  
14 they hear about a delay in an application that while  
15 there's nothing to do which certainly isn't the case  
16 at all. In fact, talking about changes in design and  
17 that sort of thing just actually creates more work and  
18 it might be going in some directions.

19 It's been some twists and turns in the  
20 road, but there certainly will continue to be, I  
21 believe, a high level of activity and understanding  
22 where the Department is headed in trying to position  
23 ourselves for when an application does come that we're  
24 prepared for it. I see the same role in terms of  
25 making sure that we have the right sort of program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 headed in the right direction.

2 CHAIRMAN RYAN: And in fact just yesterday  
3 we had a briefing from Tim McCartin on the first steps  
4 of updating the TPA code with respect to the six year  
5 horizon and so forth. I'm sure that dialogue on that  
6 and other topics related will continue. So I agree  
7 there's a lot more work than there might be. Bill, I  
8 think you characterized our role well. It's peer  
9 review in part but it is the other issues. I think  
10 you captured it very well. Allen?

11 VICE CHAIRMAN CROFF: No questions.

12 CHAIRMAN RYAN: Okay. Professor Hinze.

13 MEMBER HINZE: Briefly, Bill, the  
14 replacing the moisture infiltration model as a result  
15 of the current work that the DOE is doing, is that a  
16 reanalysis of existing data or does that include the  
17 acquisition of new data either in the field or the  
18 laboratory and, if so, are you and your staff  
19 monitoring this and how are you interacting with it?

20 MR. REAMER: The answer is we are  
21 monitoring, actively monitoring, and I think the story  
22 has not entirely told. So I really can't answer that  
23 first question to the extent to which its reanalysis  
24 of existing data versus potentially the need to  
25 provide additional data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Do you envision the new  
2 model of this new data impacting the TSPA of the NRC?

3 MR. REAMER: I think what will be  
4 important for us is to understand the impacts of it.  
5 So really we'll need to do the analysis first. So I  
6 would guardedly say potentially yes.

7 MEMBER HINZE: Yes. Regarding the TAD,  
8 what kind of details do you have on the TAD at this  
9 point and when are you going to get additional  
10 details? Do you know and is the size going to be the  
11 same as the presently planned waste canisters in the  
12 repository? Can you give a little broader feel of  
13 what's going to happen?

14 MR. REAMER: My knowledge is that the  
15 Department has really begun the process with us to  
16 begin to describe the TAD and that the TAD is not at  
17 this point designed. So answers to the questions you  
18 are raising really depend upon the Department making  
19 more progress in developing its own plans to obtain  
20 the design and interact with the industry and the  
21 vendors along the way.

22 MEMBER HINZE: So we have a waiting  
23 process again. Thank you.

24 CHAIRMAN RYAN: Let me turn it back to you  
25 and Larry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Good morning. Let me echo  
2 first, Dr. Ryan and other members of the Committee,  
3 some of Jack's points and sentiments that I've heard  
4 expressed this morning from the Committee. Over the  
5 last several months since I assumed the directorship  
6 of this division this January, I have personally  
7 enjoyed very much interactions with the Committee and  
8 the Committee members.

9 I thought that our visit to the Savannah  
10 River site looking at the waste incidental  
11 reprocessing determinations were extremely useful and  
12 fruitful. From my vantage point hearing the questions  
13 of the Committee directly to the DOE staff and the  
14 contractors was a great utility as we work our way  
15 through the determinations.

16 Our work together on the decommissioning  
17 workshop, having you there, participating in that was  
18 extremely useful. The input that you have given us in  
19 terms of the issues that we're dealing with on the D&D  
20 front has been very useful. I've also very much  
21 enjoyed the interactions that we've had with Dr.  
22 Larkins and other members of the Committees in terms  
23 of addressing how we might interact better together  
24 and more effectively and efficiently. So it's been  
25 very fruitful. It's a pleasure to be here with you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 today to continue that type of interaction.

2           You wanted to hear about several things.  
3 There were five of them in total. So I'll try to  
4 cover the waterfront and it's interesting on the first  
5 one in terms of emerging issues and the management of  
6 low-level radioactive waste with a five year horizon  
7 in mind. That's a challenge. It's a very interesting  
8 environment.

9           On one hand if I look at Part 61 and how  
10 long it's been around and if I look at where we are in  
11 terms of new site coming into existence or not coming  
12 into existence, if I look at how industry has dealt  
13 with managing the low-level waste problem, on one hand  
14 you ask yourself what do we need to be prepared for.  
15 What is really going to happen? How much of a pent-up  
16 need is there for more sites being developed and what  
17 have you?

18           On the other hand, you look at Part 61 and  
19 while it's worked very well, you ask yourself is it as  
20 risk informed as it could be, some of the challenges  
21 that Dr. Ryan and the Committee raises in your paper.  
22 So we try to look at all this and say in all these  
23 various things, what are the ones we really need to be  
24 looking at and yesterday Scott Flanders gave you a  
25 good overview in terms of our observations on your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 paper, shared with you some of the things that we're  
2 trying to deal with. So I think I'll use Scott's talk  
3 yesterday as a point to go from.

4 If we look out there at external factors  
5 first, what's going on that we try to keep our eyes  
6 on? Obviously first and foremost is this question of  
7 Barnwell closure in `08 and what does that mean?  
8 Specifically what does that mean in terms of the need  
9 to do something to update our guidance on long-term  
10 storage of low-level waste.

11 We owe the Commission a paper in the first  
12 quarter of next year. We have to go back. This grew  
13 out of the interest some time ago in long-term  
14 isolated storage, a short isolated storage and the  
15 need to do further guidance development, we will go  
16 back with a SECY in the first quarter of next year and  
17 make a recommendation to the Commission on that.

18 Our view as a staff is we look at the  
19 guidance that's out there today on low-level storage.  
20 There's a lot of it. In some cases, it's very old.  
21 The last activities really occurred in the early `90s  
22 in an organized fashion and there probably is a need  
23 to do something in current terms. We must proceed  
24 under the assumption that Barnwell will close and  
25 therefore there will be a need for additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance. So that's one thing that's on our plate.

2 Of course we watch closely and interact  
3 with the State of Texas and with WCS regarding its  
4 license application for the WCS site in Andrews,  
5 Texas. We in fact are meeting later this morning with  
6 the Department of Energy. They have received a letter  
7 from WCS regarding DOE's interest or level of interest  
8 or lack of interest or what have you in ownership of  
9 the federal component of that site. The DOE wants to  
10 get some of perspectives on that.

11 GAO as you know is examining programs in  
12 other countries to see if there are approaches that we  
13 might adopt to improve management of low-level waste.  
14 Obviously we'll keep a very close eye on that  
15 particular study. In particular, they are looking at  
16 centralized storage of low-level waste, financial  
17 assurance and tracking of the generation of the waste.  
18 Of course, there is the National Academy of Science  
19 study on low activity waste. We're looking very  
20 closely at that.

21 Continuing potential Congressional  
22 interest and actions at least after the GAO report is  
23 produced next year. So we'll be looking to see. We  
24 all understand some of Senator Domenici's comments in  
25 the past about the question of low-level waste. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll have to see what the GAO report generates in  
2 terms of interest in Congress. We don't know what  
3 that will be but we will obviously monitor it very  
4 closely.

5 DOE will continue to make progress on the  
6 GTCC fund. They expect to issue their notice of  
7 intent in early 2006 regarding their environmental  
8 impact statement. We have a responsibility to license  
9 such a facility if one does come to be. If DOE  
10 proposes other than a geological disposal facility,  
11 NRC will have to develop a licensing criteria to  
12 address that licensing process. Security concerns are  
13 regarding sealed sources. GTCC in particular may be  
14 a catalyst for action on this front.

15 I noticed that you also had an interest in  
16 hearing about our role on the GTCC EIS. Now the slide  
17 indicates this being a cooperating agency. Actually  
18 we are a commenting agency. The staff prepared a SECY  
19 at the request of the Commission and provided some  
20 options of pros and cons as to whether or not we ought  
21 to be commenting agency or a cooperating agency.

22 The staff suggested that we be a  
23 cooperating agency. This was in keeping with the type  
24 of role that we have for the West Valley site. In the  
25 final analysis, we thought that that was a more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 efficient and effective way to interface with DOE as  
2 a cooperating agency. It could help us down the line  
3 in terms of whether or not we have to develop our own  
4 supporting environmental impact statement.

5 But in the final analysis, the Commission  
6 saw it differently than the staff. They were driven  
7 primarily by their concern that at some point we would  
8 have to step out of our cooperating agency role on the  
9 EIS and function as a regulator licensing the action  
10 and they wanted to make sure we kept an arm's length  
11 from that process. So the staff has made DOE aware  
12 that we would work as a commenting agency and we look  
13 forward to doing that as the EIS process proceeds.

14 There continues to be a lot of interest in  
15 alternate disposal under the 20.2002 process by  
16 industry disposal of low activity waste in RICRA  
17 hazardous waste facilities or even solid waste  
18 landfills. Category 2 landfills, in some cases, is  
19 attractive and can be safe and we expect that this  
20 will expand.

21 Historically as you know if you go back  
22 and look at 20.2002 disposals or even going back to  
23 20.304, those were onsite disposals but that with the  
24 advent of the license termination rule in '97 ceased.  
25 No one is disposing onsite anymore because ultimately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have to consider that waste in their dose  
2 determination to determine if the site meets the  
3 standard in the rule. So the requests since '97 and  
4 certainly in current terms are for offsite disposal  
5 typically in RICRA facilities or even landfills as was  
6 the case with Big Rock Point.

7 So organizations continue to look for  
8 better ways to manage their low activity waste or  
9 their low-level waste in general and we expect this  
10 will continue into the future. It will be very  
11 interesting from our standpoint to see how the  
12 Committee proceeds with the white paper and then in  
13 turns how the Commission reacts to that.

14 Dr. Ryan and I and other members of the  
15 ACNW staff have talked a lot about how that could play  
16 out and I think what's very important as I look at all  
17 of the low-level waste issues is it is interesting  
18 because as Scott pointed out yesterday and John  
19 Greves, my predecessor point out, the low-level waste  
20 program is a very low budget program, about three FTE.  
21 So whatever we do on the low-level waste front we must  
22 look at in a strategic sense. The staff has certain  
23 activities going on, the 20.2002 process, interfacing  
24 with the Committee on your white paper, monitoring the  
25 kinds of activities that I pointed out that are going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on out there nationally.

2 But whatever we do, we must do in a  
3 strategic sense. The analysis that Scott pointed out  
4 yesterday for example you can readily see how you can  
5 use a lot of resources just to do the analysis  
6 depending on how extensive it was, how it took and so  
7 forth. So it's very important that we look at all  
8 this in that context.

9 In terms of internal issues that impact  
10 the low-level waste front, we continue to provide  
11 technical assistance to the states at their request.  
12 We conduct IMPEP reviews of states that have low-level  
13 waste facilities.

14 There's a lot of international work. For  
15 example, I participate as a member of the Waste Safety  
16 Advisory Committee with the IAEA and the IAEA, for  
17 example, amongst the things that that Committee is  
18 looking at is waste classification. So we must  
19 monitor those international activities and participate  
20 actively.

21 We, of course, are preparing for  
22 interactions with DOE on the GTCC front and we're  
23 having discussions with DOE about the licensing, what  
24 to do depending on about how their EIS comes out and  
25 which approach they decide to use for licensing. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are having some pre discussions with them so they will  
2 understand the kinds of information that we would  
3 expect to receive from them to license such a  
4 facility.

5 We, of course, respond to the National  
6 Academy of Science when asked on low-level waste  
7 issues and we confer with GAO. We provide support to  
8 other NRC offices dealing with inspections and  
9 licensing. The LES case is an example that for fuel  
10 cycle folks. We provide assistance to external  
11 stakeholders such as CRCPD, the Organization of  
12 Agreement States, DOE, EPA and, of course, this  
13 Committee and we are involved in the import/export  
14 licensing reviews.

15 The Commission has asked us to provide  
16 information to them which we will be doing at the end  
17 of the year in terms of how we might make the 20.2002  
18 process more visible particularly to those that are  
19 impacted, meaning stakeholders at sites near these  
20 facilities where this waste ends up.

21 We have a lot of interest as does the  
22 Committee in the degree to which Part 61 is risk-  
23 informed. Part 61 has been around a long time but has  
24 worked well. It's not a perfect regulation but it is  
25 a very good regulation. It has served the country

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well. But like most regulations, it has its flaws and  
2 it could be better. So the question is how do we make  
3 the process better.

4 In your white paper, for example, there's  
5 a lot of emphasis upon a four-tiered approach. There  
6 will be in your commendations we know, but a  
7 particular lot of interest in what might be done in  
8 the licensing space, in the guidance space, without  
9 having to actually get into the rule itself. So we'll  
10 continue to monitor that.

11 There's a lot going on as you can see on  
12 the low-level waste side both externally and  
13 internally and I would reiterate that whatever we do  
14 on this front we have to do within a strategic  
15 approach given the limited resources that we have.

16 On the resource front, we are right now  
17 working with an OMB pass back for FY `07 year that  
18 portends further reductions for the program. So we'll  
19 have to take a look at what that might mean to the  
20 low-level waste component of the program, but more to  
21 follow as we work our way through that.

22 Another item that you wanted to hear about  
23 is the question of quantities of depleted uranium.  
24 The Commission recently directed the staff in order to  
25 consider whether the quantities of depleted uranium at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issue in the waste stream from uranium enriched  
2 facilities warrants amending Section 61.55(a)(6) of  
3 Part 61 Waste Classification Tables of 61.55(a).

4 Specifically in a memo and order  
5 identified as CLI-05-20 related to the Louisiana  
6 Energy Services license application, the Commission  
7 directed the staff that outside of the adjudicatory  
8 process to consider whether the quantities of depleted  
9 uranium at issue warrant amending Section 61.55(a)(6)  
10 or the Waste Classification Tables in 61.55. The  
11 Hearing Board is further considering the disposition  
12 of the depleted uranium issue for the LES case because  
13 as the Commission noted a formal waste classification  
14 finding is not necessary to resolve the disposal  
15 impacts contention.

16 As the Commission noted in its memo and  
17 order, NRC considered only specific kinds of depleted  
18 uranium waste streams when Part 61 was developed, the  
19 types of uranium-bearing waste being typically  
20 disposed by NRC licensees at that time not the  
21 quantities of material that are envisioned for  
22 disposal under the waste being generated by LES. The  
23 staff concluded at that time that no separation  
24 concentration limit for DU was needed in the  
25 classification tables.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Currently we are considering as a staff  
2           how to respond to the Commission order. We would like  
3           to do it again as part of the overall strategic look  
4           at the low-level waste arena that we're conducting  
5           between now and probably mid year of `06. There is  
6           not a timeline assigned in the sense that there's not  
7           a tracking of that order for completion by the  
8           Commission. So we do have the opportunity to  
9           determine how to best respond in a timely way. We  
10          would like to do this as part of our overall strategic  
11          assessment.

12                 As Scott pointed out yesterday, Part 61  
13          revisions need to be considered in a broader context.  
14          Of all of our work, I have reiterated that this  
15          morning and the bottomline with regards to the  
16          depleted uranium is that we are going to conduct an  
17          analysis as directed by the Commission. We're going  
18          to look at the quantity of waste that will be deposited,  
19          for example, at the LES site and make some  
20          determination as to whether or not there is a need to  
21          consider opening up our 61 waste classification as it  
22          related to depleted uranium.

23                 On the waste determination front for waste  
24          incidental to reprocessing, the work that we're doing  
25          with the Department of Energy under the NDAA which is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was passed last year, the Committee has a lot of  
2 familiarity with that of course. We provided a road  
3 map on the first of December in a memo from myself to  
4 Dr. Larkins laying out all of the various steps in the  
5 process of looking at the waste determinations and its  
6 relationship to Committee activities. You clearly  
7 have a very important role in that process.

8 We are currently developing the standard  
9 review plan that we will publish in March of next  
10 year. We had a public meeting recently to solicit  
11 comments on the scope of that standard review plan.  
12 As we continue to develop that, we intend to interact  
13 with the Committee and to further get input from you  
14 about its construction.

15 We did work with the Committee in August  
16 in a working group on waste incidental to reprocessing  
17 which addressed a number of technical issues. We  
18 provided some comments to the Committee on its draft  
19 letter regarding the standard review plan and we  
20 certainly look forward to receiving the letter and  
21 taking your recommendations into consideration.

22 The scoping meeting I mentioned. Latif  
23 Hamdan was there. Dr. Croff was there. We  
24 participated in that public meeting. The public  
25 meeting on November 10th was interesting. We had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attendees there from the Department of Energy, from  
2 EPA, from NRDC and from the Savannah River Site  
3 Citizens Advisory Board.

4 The feedback though was of minimal value.  
5 In other words, it was a scoping meeting and the  
6 question that we were asking everyone was had we  
7 identified all the various technical subjects that  
8 need to be addressed in the standard review plan and  
9 we didn't really hear that we had missed anything.  
10 The scope of the document as defined by the staff  
11 seemed to be adequate.

12 There were some discussions about things  
13 we should pay attention to. One of the things that I  
14 try to do very hard in that scoping meeting was to  
15 make it clear that we're not there to debate the  
16 history behind the determinations, whether we should  
17 or should not be doing them or some of the other  
18 issues that have come up on this topic but really are  
19 we on the mark with the scope of the standard review  
20 plan. And we came away with the feeling that we are.

21 So we'll continue to develop the SRP and  
22 work with the Committee as we proceed to do that. We  
23 provided a draft annotated outline on the SRP on the  
24 Committee on the 7th of December. We'll continue  
25 those interactions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The salt review itself DOE as you know  
2 submitted its first waste determination in February  
3 2005. We transmitted our request for additional  
4 information in May of 2005 and the request for  
5 information covered a variety of areas including  
6 assumptions that were used in the modeling,  
7 sensitivity analyses and erosion control. We met with  
8 DOE in two open meetings in June and July to discuss  
9 the RAI and then DOE submitted its response to the RAI  
10 in two parts, one in June and one in July.

11           Then following the RAI submittal, we met  
12 with DOE in two open meetings in July and August to  
13 discuss their responses. During those meetings, we  
14 requested some additional information in support of  
15 certain of their responses. Then finally on September  
16 15th and September 30th, DOE did provide that  
17 additional information.

18           We are currently drafting the technical  
19 evaluation report and we have that starting through  
20 management concurrence and our objective is to issue  
21 that report before the end of this year. We did brief  
22 the Commissioners of the findings in the PER on  
23 November 15th.

24           Concentration averaging guidance, this  
25 question of DOE being able to make a determination

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 within its determination as to whether or not the  
2 waste of these sites, at the Idaho National Laboratory  
3 site, at Savannah River site in the tanks, is greater-  
4 than-Class-C or whether it's Class C waste. It's come  
5 up in several meetings over the past few months. In  
6 those meetings, DOE indicated that it did not have  
7 enough guidance from NRC on how to apply concentration  
8 averaging to the type of situation being evaluated in  
9 the waste determinations.

10 We met with DOE in July. We provided  
11 verbal guidance to DOE at that time which was based  
12 upon the 1995 branch technical position of  
13 concentration averaging in the encapsulation. In  
14 recent waste determination submittals for underground  
15 high-level waste tanks at the Savannah River site and  
16 the Idaho National Laboratory site, DOE did not  
17 specify whether the residual waste within was Class C  
18 limits or greater-than-Class-C limits as required by  
19 the NDAA. DOE cited the lack of clear NRC guidance on  
20 applying concentration averaging as one reason for  
21 that omission.

22 We felt this was a very important issue  
23 that they had raised and we felt that it was incumbent  
24 upon us to ensure that there was adequate guidance for  
25 DOE to make such a determination. What they had done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was to default to the assumption that there was  
2 greater-than-Class-C and they would meet the  
3 performance objectives accordingly without actually  
4 making the call whether there was greater-than-Class-C  
5 or Class C waste based upon concentration.

6 On December 5th, we sent a letter to the  
7 Department of Energy and we also released a *Federal*  
8 *Register* notice that provided draft interim guidance  
9 on the application of concentration averaging  
10 principles to the types of situations typically  
11 encountered within the DOE waste determinations. In  
12 that letter, we indicated to the Department of Energy  
13 that with this guidance they should have an adequate  
14 amount of information to make a call as to whether the  
15 waste being evaluated in their determinations is in  
16 fact greater-than-Class-C waste or not.

17 CHAIRMAN RYAN: Just a quick point to  
18 clarify. That guidance was based on the '95 guidance  
19 that already existed.

20 MR. CAMPER: Yes, it was.

21 CHAIRMAN RYAN: Okay. I just wanted to  
22 make sure.

23 MR. CAMPER: Based upon and built  
24 therefrom and we also coordinated it with the Center  
25 and tried to make it so that it would fit, built upon,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the '95 guidance but to cover the types of situations  
2 they're evaluating.

3 In the *Federal Register* notice, we pointed  
4 out that this guidance would be part of the standard  
5 review plan. We're going to collect comments on the  
6 guidance until the 31st of January and we'll address  
7 any comments that we get as we look at the comments we  
8 receive on the SRP in an integrated fashion. We also,  
9 of course, provided that draft interim guidance to the  
10 Committee last week.

11 The Savannah River site tanks 18 and 19  
12 review has commenced. The DOE submitted its draft  
13 waste determination for in-place closure of tanks 18  
14 and 19 at the Savannah River site on September 30th.  
15 We have already met with DOE on that submission. The  
16 purpose of the first meeting was for them to explain  
17 some of the approaches that they used in that  
18 determination. We agreed in that meeting that both  
19 DOE and our staff would identify technical topics that  
20 warrant specific discussion and we would move into  
21 meetings in January to address those topical issues.  
22 That meeting took place on the 30th of November. Our  
23 plan is to issue our first RAI on tanks 18 and 19  
24 submission in early March following the meetings that  
25 we'll have in January.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Regarding the Idaho tank farm review, DOE  
2 did submit its draft waste determination for the  
3 closure of the INELL tank farm on September 7th. We  
4 met with DOE on October 4th in an open meeting so that  
5 the DOE staff could provide an overview of their  
6 submittal and we expect to issue an RAI on that  
7 submittal in early January.

8           Regarding Hanford which is not covered  
9 under the NDAA, the Nuclear Defense Authorization Act,  
10 but we are doing a consultancy work with DOE for the  
11 Hanford tank closures as well. They submitted a  
12 portion of their performance assessment for single-  
13 shelled tanks at Hanford and the remaining portion of  
14 the performance assessment as well as a revision of  
15 the first portion is expected to be received by our  
16 staff early in `06.

17           The other thing that I would point out on  
18 the waste incidental determinations is that we have  
19 held a conference call with the executives at the  
20 Department of Energy regarding the process that's been  
21 doing on during the first determination review. Jack  
22 and I are speaking this week with the State of South  
23 Carolina on some of the issues or concerns they raised  
24 during the review. Their concerns focus primarily  
25 upon the amount of time that it takes for the reviews

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to be done and we're going to try to talk with them  
2 and address some of their concerns. We have all  
3 agreed, the DOE, the NRC and the state, to have a  
4 lessons learned meeting in January to figure out what  
5 we can do to make the process even more efficient and  
6 effective and get it done faster and so forth.

7 On the decommissioning front, we've had a  
8 number of activities this year. I would point out  
9 again that the Committee's involvement in helping us  
10 to develop the guidance on decommissioning as we try  
11 to update the process has been of a great utility to  
12 us. The workshop I thought was extremely successful.  
13 We had a two day workshop back in April. It was sort  
14 of a roll-your-sleeves-up-and-tell-us-how-we-can-do-  
15 this-better workshop and there was a lot of good  
16 input.

17 We're going to be developing our final  
18 guidance as a result of our license determination rule  
19 analysis in September of '06 and there's going to be  
20 a follow-up to the June '05 Committee working group  
21 meeting and your letter on the draft guidance and  
22 public comment period on the draft guidance ends at  
23 the end of December. We're starting coordination with  
24 the Committee staff to set up ACNW meetings to  
25 summarize public comments and start draft responses

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and obtain feedback from the Committee.

2 After further follow-up to the June `05  
3 status briefing, we plan to interact with the  
4 Committee and keep it aware on the status of and  
5 seeking feedback on a number of things including our  
6 work on preventing future Legacy sites. The staff  
7 will be doing a proposed rulemaking and draft guidance  
8 by September of `06 and the idea generally behind this  
9 approach is to try to take a look at what has happened  
10 out there at the sites when they've had operational  
11 failures that resulted in groundwater contamination,  
12 subsurface soil contamination, that resulted in an  
13 increased cost to decommission these sites and what  
14 can be done to prevent that in the future.

15 Groundwater monitoring, we are preparing  
16 a draft guidance on this which will be done by  
17 September of `06 as well. We are formatting plans on  
18 the draft guidance for integration with the Office of  
19 Research and we plan to present the draft guidance to  
20 the ACNW and to seek feedback.

21 With regards to lessons learned which has  
22 been getting a lot of attention, the Commission has a  
23 lot of interest in it, we've had an initial meeting  
24 with EPRI, NEI, OAS to plan our consolidated path  
25 forward to collect and memorialize decommissioning

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lessons learned and we will continue to update the  
2 ACNW on the status of staff activities. We had a  
3 meeting with NEI EPRI back about six weeks ago. Those  
4 organizations are also very interested in capturing  
5 lessons learned.

6 At some point in the near future  
7 particularly on the reactor side, we're going to go  
8 into a hiatus in decommissioning. Now we can see the  
9 next bough wave of decommissioning on the reactor side  
10 out there in 2025, 2030, around that timeframe.  
11 What's terribly important is that we capture all the  
12 lessons learned that we and industry have gained as  
13 we've been decommissioning power reactors and continue  
14 to decommission them so that those who follow us can  
15 benefit.

16 West Valley, there's a lot of work going  
17 on West Valley. There is a draft of our environmental  
18 impact statement being prepared. `06 is a benchmark  
19 year for the development of that environmental impact  
20 statement. Similarly in `06, we are to receive a  
21 decommissioning plan for the site prepared by  
22 Department of Energy. I think you're aware that  
23 Nyserda in conjunction with the Citizens Task Force at  
24 West Valley proposed some legislation which one of the  
25 Congressman from New York is working toward

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 introducing as legislation in Congress. That's going  
2 through the preliminary pre-committee work that goes  
3 on in Congress on that particular legislation and  
4 we'll continue to monitor that very closely.

5 The legislation as proposed certainly  
6 could have some impacts upon our interactions at West  
7 Valley because some of the things proposed in that  
8 legislation if it ever become legislation would be  
9 remarkably different than what is currently contained  
10 in the decommissioning policy statement for West  
11 Valley. So we'll continue to interact with the  
12 Committee regarding the contents of that environmental  
13 impact statement and keep you posted on the staff's  
14 work there.

15 I've covered a lot of topics. I've said  
16 a lot. So I would invite any questions you might  
17 have.

18 CHAIRMAN RYAN: I guess there's a lot of  
19 work to do.

20 MR. CAMPER: Yes, there is.

21 CHAIRMAN RYAN: Sounds great. A couple of  
22 things just at the top level of the excellent detail  
23 you provided to us, Larry. One is I think our focus  
24 and I'll start at the low-level waste white paper is  
25 that some of the things you touched on throughout your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk, one is to document the rich history that's out  
2 there because soon we'll be handing off that to a next  
3 generation of folks that will go what were they  
4 thinking and two is to focus on the risk-informed  
5 opportunities that we see from a technical standpoint  
6 as well as a risk-informed standpoint.

7 MR. CAMPER: Right.

8 CHAIRMAN RYAN: We're also very mindful of  
9 the fact that with the rich agenda that you have in  
10 front of you and probably not unlimited resources to  
11 manage it, that they will be a prioritization from  
12 your perspective and we're certainly sensitive to that  
13 and are not trying to and in fact are explicitly  
14 avoiding trying to identify things with any type of  
15 priority or urgency.

16 One thing I think we will clearly point  
17 out in our letter as we transmit this to the  
18 Commission is that we believe that the current  
19 regulations are protective of the public health and  
20 protective of worker health and safety. From that  
21 standpoint, there's a basis of success in meeting that  
22 fundamental requirement. What we see are  
23 opportunities that are along the lines that you've  
24 mentioned of making it more perhaps user friendly,  
25 more transparent, more easily understandable and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interpretable and things that help applicants and  
2 stakeholders understand the process a little bit  
3 better and perhaps make it more risk-informed so it's  
4 in tune with what we've done in other areas of nuclear  
5 regulation. I think that's an important thing for us  
6 to hold as our principles of how we're going forward  
7 and again interacting with you on the many issues that  
8 you identified.

9 Let me start with Bill Hinze. Any  
10 questions for any of the three?

11 MEMBER HINZE: I'll pass.

12 CHAIRMAN RYAN: You're okay. Allen.

13 VICE CHAIRMAN CROFF: I'll try one or two.  
14 Larry, when you were talking about greater-than-Class-  
15 C if I understood what you said, if DOE were to  
16 propose disposing of it not in a geologic repository  
17 you would have to develop rules to do that. But that  
18 wouldn't be needed if they proposed geologic disposal.  
19 Can I infer from that if they go geologic disposal  
20 you'd propose to use the existing Part 63 framework?  
21 Or what would be used for that?

22 MR. CAMPER: Possibly. We would have to  
23 wait and see. They have several options they can  
24 consider and it's really going to depend upon which  
25 one they would go with. But either use that or use it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as a good baseline framework from which to make any  
2 changes that may be necessary. But now if they  
3 proposed something other than that, then we would have  
4 to develop a licensing criteria and process.

5 VICE CHAIRMAN CROFF: So you're saying the  
6 existing rules for geologic repositories would be a  
7 starting point.

8 MR. CAMPER: Absolutely.

9 VICE CHAIRMAN CROFF: Not the end point  
10 necessarily.

11 MR. CAMPER: Correct. That's right.

12 VICE CHAIRMAN CROFF: Second then, and  
13 I'll address this at you. I don't know if it's your  
14 area. But the Department of Energy is developing a  
15 new generation of advanced reactors and fuel cycles to  
16 go along with them and in legislation, I think it was  
17 last year, Congress directed the NRC, and this would  
18 probably be NRR, to initiate a dialogue between the  
19 two concerning how those would be licensed in the  
20 future, the reactors. Is there any similar dialogue  
21 ongoing concerning the fuel cycles or the waste that  
22 might come from these in the future?

23 MR. CAMPER: I can't comment on that.

24 Jack, do you have anything?

25 MR. STROSNIDER: I don't know that we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 anybody here.

2 MR. CAMPER: I have not been directly  
3 involved in such dialogue, but we don't have anybody  
4 here from fuel cycle I don't think.

5 MR. VON TILL: I'm representing.

6 CHAIRMAN RYAN: Could you just use the  
7 microphone and tell us who you are please? Thank you.

8 MR. VON TILL: Bill Von Till. I'm the  
9 Chief of the Uranium Processing section representing  
10 fuel cycle. I would probably have to get with Bob  
11 Pierceson to see if there's been any dialogue from  
12 that standpoint. Can I get back with you on that?

13 CHAIRMAN RYAN: Sure. That would be  
14 great. I think it's one of those advanced thinking  
15 questions where when we hear about the new generation  
16 of reactors, of course, our obligation is to think  
17 about the waste and I always think about a reactor as  
18 a system that includes the waste on the front end and  
19 the whole cycle. So we're just getting our feet wet  
20 on those questions. That would be helpful.

21 MR. VON TILL: Sure.

22 CHAIRMAN RYAN: Great. Thank you.

23 MR. CAMPER: We agree and that's one of  
24 the reasons every time we get a chance when we're  
25 talking about decommissioning if there's going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 new generations of reactors we should think about  
2 decommissioning on the front end.

3 CHAIRMAN RYAN: Design them like you're  
4 going to take them apart.

5 MR. CAMPER: Sure.

6 CHAIRMAN RYAN: There are lots of  
7 opportunities across that spectrum of issues.

8 MR. CAMPER: So we owe you an answer on  
9 that one, Allen.

10 VICE CHAIRMAN CROFF: Okay. Thanks.

11 CHAIRMAN RYAN: Ruth.

12 MEMBER WEINER: Thank you for a very  
13 thorough presentation.

14 MR. CAMPER: You're quite welcome.

15 MEMBER WEINER: I have some questions  
16 about the whole DU question, depleted uranium  
17 question. We have had depleted uranium from natural  
18 uranium enrichment. We've had the DU tails around for  
19 decades. We use DU in a variety of applications. We  
20 store it. We transport it. Is this concern that DU  
21 is waste or how to handle it as waste being driven  
22 entirely by LES?

23 MR. CAMPER: Principally, yes.  
24 Principally. To answer you, there are two categories  
25 of things to think about. If you look at it, what are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the central questions that we'll have to look at, for  
2 example, in this analysis? We'll need to determine  
3 whether the depleted uranium from the Richmond  
4 facilities is low-level waste of greater-than-Class-C  
5 category. Is it? The determination of the proper  
6 low-level waste class, A, B or C, assuming that it is  
7 low-level waste, the issue is is that it wasn't  
8 analyzed for the volumes that are envisioned for the  
9 LES disposal at the time the Part 61 was created and  
10 that's what part of the contention is about. Then  
11 there's this question of the Tables 1 and 2 in 61.55.  
12 They did not include uranium isotope concentration  
13 limits to classify low-level waste containing uranium.  
14 We need to look at that.

15 Now what can you make of the contentions  
16 that were filed? There is this question of whether or  
17 not it is GTCC in the view of some rather than low-  
18 level waste. There's the question of near surface  
19 disposal of depleted uranium and noncompliance with  
20 performance objectives under 61.40 or .41 or .42.  
21 There's a contention regarding DU classification Class  
22 A waste using the transuranic concentration in Table  
23 1 and demonstrations and analogies between transuranic  
24 radionuclides and DU isotopes. The contention  
25 regarding disposal of DU in deep mine cavities. Of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, the State of Utah, if you use DU as low-level  
2 waste as we know. But the point is is that all of  
3 those kinds of questions and technical issues need to  
4 be looked at in some orderly analysis which wasn't  
5 done years ago.

6 Now Dr. Abu-eid, Bobbie, as we know him is  
7 our Senior Level Scientists and Bobbie's going to be  
8 the central figure in this analysis. Bobbie, do you  
9 want to add anything to the points I made.

10 DR. ABU-EID: Yes. Good morning. Thanks  
11 for these good questions. I'm really enjoying your  
12 feedback and we look forward for more. I believe the  
13 disposal of DU is a contentious issue and has been  
14 there for some time and the reason is because the 10  
15 CFR Part 61.55 indicates that if certain radionuclides  
16 are not listed in Table 1 and 2 this means the waste  
17 of the class is supposed to be considered as Class A.  
18 That's number one and uranium was not listed in Tables  
19 1 and 2. So it is an issue that the staff may  
20 consider this based on the current regulation as Class  
21 A waste.

22 Also there was earlier contention even  
23 whether it is a low-level waste or GTCC and I believe  
24 the Commission decided on that and they recommended or  
25 they ordered that this waste to be considered as low-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level waste. So this is the result and the question  
2 is whether it is Class A waste or not Class A waste  
3 and that is for disposal in a mine cavity that there  
4 are some issues regarding the study and the analysis  
5 because of the DU issues that were submitted that  
6 relied on this analysis. This is another contentious  
7 area that it may be not advisable to talk about it  
8 now.

9 So those are the major issues and other  
10 issues, chemical issues, solubility of uranium, about  
11 the source term and the performance assessment  
12 methodology. It is unfortunately that our previous  
13 performance assessment methodology was actually more  
14 of deterministic in nature, not probabilistic in  
15 nature. The scenarios that were used previously they  
16 were not also probabilistic in nature, deterministic  
17 not probabilistic. So all of those issues I believe  
18 the staff needs to deal with when we tackle the issue  
19 of the DU disposal.

20 CHAIRMAN RYAN: Just as an early example  
21 if I may, Ruth, I think this is an interesting one  
22 because in our own thinking which we'll hopefully  
23 finish up the letter in this meeting, that kind of  
24 risk-informing scenarios that are the foundation of  
25 the concentration tables and the classification tables

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might be a great starting place and this might be an  
2 interesting case to start with. Sheets of DU metal  
3 are probably a little bit different than you would  
4 think from enrichment waste or perhaps other chemical  
5 forms of waste as Bobbie points out or fuel  
6 fabrication waste for that matter. So it's an  
7 interesting array of materials. Thank you, Ruth.

8 MEMBER WEINER: Thank you. I was also  
9 interested since we ship a good bit of tails from  
10 enrichment all around the world. But you are aware  
11 that any NRC decision or classification decision will  
12 have some international implications.

13 MR. CAMPER: Absolutely and the first step  
14 is this analysis to determine if there is a need to  
15 make any adjustments to Part 61 and you're right. Any  
16 changes would have far-reaching implications.

17 MEMBER WEINER: And I presume you're going  
18 to bring this to ACNW in due course.

19 MR. CAMPER: Oh, we are. The answer to  
20 that is yes.

21 MEMBER WEINER: Thank you.

22 CHAIRMAN RYAN: Jim.

23 MEMBER CLARKE: Just a comment. I would  
24 like to echo some of the statements that have already  
25 been made and tell you that personally it's been a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 real pleasure working with you and your staff.

2 MR. CAMPER: Thank you.

3 MEMBER CLARKE: We think the early  
4 involvement in the decommissioning in West Valley has  
5 been very beneficial to our deliberations and we look  
6 forward to continued interactions with you.

7 MR. CAMPER: Thank you. Thank you very  
8 much.

9 CHAIRMAN RYAN: Thanks, Jim. Any other  
10 questions or comments? I'm sorry. Yes. Sure, John.

11 MR. FLACK: John Flack, ACNW staff. I  
12 just wanted to follow up a little on Allen's question  
13 because we are on the reactor side of things in the  
14 wake of the Energy Policy Act of 2005 looking at all  
15 the needed expertise over the out years now as we  
16 begin to deal with that. The question is on the  
17 nonreactor side do you see anything there in the wake  
18 of the Energy Policy Act of 2005 that would require an  
19 improvement in the infrastructure or expertise or work  
20 load above the baseline that you see now.

21 MR. CAMPER: Yeah. Possibly. We're  
22 working through, the agency is working through, this  
23 question of what to do about the materials that are  
24 impacted under the Act that we heretofore have not had  
25 legislative or regulatory authority for. So depending

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 upon what regulations we develop to address that  
2 question, we may have some additional work to do.  
3 Yes.

4 MR. FLACK: It's just not clear at the  
5 moment though what specifically.

6 MR. CAMPER: NARM, NORM. The question of  
7 NARM and NORM. There will probably be a need to  
8 develop some infrastructure to deal with that.

9 MR. STROSNIDER: I think part of what's  
10 happening in the activities now, the rulemaking, etc.,  
11 is to define the scope and the definition of scope and  
12 that will drive what additional areas we need to get  
13 into, resources, etc.

14 MR. CAMPER: And then as we work our way  
15 through that rulemaking obviously the questions we'll  
16 be asking ourselves is what is the infrastructure,  
17 what does it mean in terms of implementing the  
18 guidance, the rule and what is needed to do that. But  
19 I think the simplistic answer now is probably yes.

20 DR. LARKINS: Let me just follow up. Will  
21 there be an opportunity for the Committee to hear  
22 about what type of regulatory role you might take with  
23 NORM and NARM?

24 MR. STROSNIDER: Yes. We can work that  
25 into the calendar. We have a task force that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 working on this and you might be very interested in  
2 the activities they have and where that's headed.

3 CHAIRMAN RYAN: One question that struck  
4 me as you were making your earlier comment on it and  
5 it's on John's point is it depends on how you define  
6 discreet source and include what NORM or NARM. I mean  
7 that's a balloon that gets real big or gets smaller  
8 based on how those fundamental things happen. We may  
9 be able to offer some insights that might be helpful  
10 at least on what those boundaries or shapes might look  
11 like. So we'd be happy to interact with you on that.

12 MR. CAMPER: I think just to echo Jack's  
13 point. Given that we have a group right now working  
14 on the rulemaking to enact the responsibilities under  
15 the Energy Act, I think as that group works its way  
16 through the process, Dr. Larkins, getting back to your  
17 question it would be good for the Committee to hear  
18 from the working group.

19 DR. LARKINS: That would be great.

20 CHAIRMAN RYAN: Other questions or  
21 comments? John?

22 DR. LARKINS: Yes, just a comment.  
23 Following your comment about thinking strategically  
24 about what needs to be done in the low-level waste  
25 area. I agree with that. I think what we need to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is to somehow assess what the interests are in the  
2 low-level waste arena out there and then decide on a  
3 strategy and priority and then provide some options  
4 for the Commission in order to decide later of what  
5 type of regulatory agenda they might want to establish  
6 in that area.

7 MR. CAMPER: I would whole-heartedly agree  
8 with you. In the near term as we develop a strategic  
9 assessment to the low-level waste area, one of the  
10 important components of that assessment development  
11 will be interacting with some stakeholders and we  
12 would like to do that early in calendar year '06 to  
13 get some input.

14 Now I know, for example, that NEI EPRI is  
15 taking a long look at the current waste classification  
16 scheme of 61.55. They've indicated to us for example  
17 they would like to do a pilot where they would focus  
18 upon one or two or three radionuclides with the  
19 objective in mind of ultimately determining if in fact  
20 the waste classification scheme should be examined.  
21 They might do that depending upon the outcome of their  
22 pilot in a proposed rulemaking, a petition for  
23 rulemaking.

24 Now that is a factor that we have to keep  
25 in mind. To what extent can we as a staff given

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limited resources leverage the work of this committee  
2 or the work of NEI EPRI or others as we determine the  
3 need for additional guidance in low-level waste  
4 storage? So whatever we do on the low-level waste  
5 front has to be done in a strategic sense because as  
6 Dr. Ryan pointed out, we just don't have a plethora of  
7 resources. So it has to be strategic. It has to be  
8 well thought through. I has to get stakeholder input.  
9 It has to be appropriately prioritized and make sure  
10 we're getting the maximum return on investment.  
11 Margaret, did you want to add a comment?

12 MS. FEDERLINE: No, Tom might.

13 MR. ESSIG: Yes, Tom Essig. I'm Chief of  
14 the Materials Safety branch in NMSS. Getting back to  
15 the comment earlier, I meant to jump in when we were  
16 talking about possible involvement by the Committee in  
17 the NARM/NORM rulemaking that we're working on.  
18 Unfortunately, that's on such a tight schedule which  
19 is driven by the Energy Policy Act that I'm not sure  
20 to what extent we can accommodate a cycle through the  
21 Advisory Committee and secondly, a lot of the issues  
22 that we're facing with regard to accelerator-produced  
23 materials are in the medical arena and we have engaged  
24 our advisory committee on the medical uses of isotopes  
25 already. So we're getting input from them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. FEDERLINE: But we're very sensitive  
2 to your needs. So let us look for when we could find  
3 an opportunity to go to the waste interface.

4 CHAIRMAN RYAN: Well, it's not just the  
5 waste. It's the material aspects as well and I think  
6 there are many other radionuclides that are produced  
7 that are not medical and one thing we've done and we  
8 might think about this option is on our working group,  
9 for example, on health physics questions, the ICRP  
10 documents, we had a working group where we very  
11 specifically included members of -- for just exactly  
12 that reason. It was the solo-lapse (PH).

13 So there may be opportunities to actually  
14 put us both in the same place and I think that joint  
15 interaction actually enriches your information base by  
16 hearing the different points of view on the same.  
17 Cobalt-60 is cobalt-60 independent of who is using it.  
18 That might be an opportunity to collaborate with them  
19 a little bit more closely. Thanks.

20 MR. STROSNIDER: Thank you.

21 CHAIRMAN RYAN: Any other questions or  
22 comments? Thank you. Again, we appreciate the  
23 briefing and I conclude there is lots of good work to  
24 do and not enough time to get it all done and anybody  
25 that wants to help is welcome. We're happy to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the briefing and look forward to our continued good  
2 work together. Thank you all very much for coming.

3 MR. STROSNIDER: Thank you for your time  
4 today and everyone have a good holiday season. We  
5 look forward to working with you in 2006.

6 CHAIRMAN RYAN: Same to all of you. With  
7 that in mind, I think I would like to just -- Let's  
8 see. We're scheduled for a 10:30 a.m. start. Let's  
9 take our break 10:00 a.m. to 10:15 a.m. and then we'll  
10 come back and get our schedule for letter writing  
11 organized at 10:15 a.m. Thank you. We'll take a  
12 break for 15 minutes. Off the record.

13 (Whereupon, the foregoing matter went off  
14 the record at 10:01 a.m. and went back on the record  
15 at 10:21 a.m.)

16 CHAIRMAN RYAN: On the record. Thank you  
17 very much. I want to turn this portion of the meeting  
18 over to Dr. Weiner for a discussion on Generalized  
19 Composite Modeling. Ruth.

20 MEMBER WEINER: Thank you very much. We  
21 are going to hear today from Dr. James Davis from USGS  
22 who is going to talk about the field work which  
23 basically supports the modeling on new views of  
24 sorption and desorption and radionuclide mobility and,  
25 Bill Ott, do you want to say a few words for openers?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OTT: Okay. You recall in the  
2 November meeting we had a very broad program planned  
3 in which we were trying to present all of our  
4 geochemistry research to you and Jim was a key part of  
5 that and couldn't attend. So we shortened the meeting  
6 and I filled in for him a little bit and Randy Cygan  
7 filled in for a little bit. Jim is not just the PI  
8 for the Naturita work for the Commission. He was also  
9 the Chair of the Technical Direction Team for the NEA  
10 Sorption Project and he was the Chair of the Working  
11 Group 3 for the MOU on Research and Development on  
12 Multi-Media Environmental Models, both of which we  
13 reported to you on at the November meeting. So since  
14 we have enough time, if you have questions on those  
15 matters as well those are fair game to hit Jim with.

16 I say that only because I was pitch-  
17 hitting for him and I know he's far better at  
18 answering those questions than I was. Jim is very  
19 distinguished and a highly respected member of the  
20 field and is quite sought after for his expertise in  
21 this area. He's going to focus on the Naturita work,  
22 the field demonstration project that we had that we  
23 had put together to demonstrate that we are at a state  
24 in the science where we can start applying this work  
25 in a regulatory framework and that's the important

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing for us because the regulatory framework up until  
2 now has been dependant on extremely simplistic  
3 analyses and analyses that you couldn't actually say  
4 were conservative or nonconservative. So we're  
5 pushing toward more realistic analyses that we can  
6 actually have some credibility in the licensing arena.  
7 Jim.

8 DR. DAVIS: Thank you, Bill, for that very  
9 complimentary introduction. In talking with Ruth  
10 Weiner in preparation for this presentation, we  
11 decided that I should summarize some of the previous  
12 work. I did speak before the Committee in June of  
13 2004 and at that time, I summarized the Naturita  
14 project and the conceptual model that we had developed  
15 for sorption and how that was coupled with transport.  
16 So I'm not going to really focus on the details of  
17 that today but I will summarize some of that previous  
18 work and that sets the context to describe our current  
19 research. So the bulk of the talk today will actually  
20 be about the work that we've been doing now and a  
21 little discussion of where the project is headed.

22 Of course, there are many aspects of  
23 performance assessment and the part that we deal with  
24 is the modeling of the chemical aspects of  
25 radionuclide transport or the geochemical aspects and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so from the context of waste disposal that means  
2 thinking about transport of radionuclides via  
3 groundwater pathway is the main target of our  
4 research. For decommissioning, it also is an  
5 important aspect because it's important to understand  
6 whether an radionuclide is moving away from a site or  
7 whether it is in fact going to be staying present at  
8 a site.

9 In current practice, of course, we all  
10 understand that the conceptual model for sorption  
11 processes is to use a constant Kd value to describe  
12 retardation and we believe our research which is  
13 described in detail in NUREG CR-6820 which is the  
14 summary of the Naturita site research that we did in  
15 the previous sorption project that we demonstrated the  
16 utility of a more robust conceptual model to describe  
17 sorption. We believe this more robust approach  
18 decreases the uncertainty in PA in the geochemical  
19 aspect or the retardation aspect of performance  
20 assessment calculations and because of that, it  
21 increases the scientific credibility of that part of  
22 the PA modeling and in some cases in the standpoint of  
23 decommissioning, it might be useful for a deduction of  
24 cost for licensees.

25 With that as an introduction, we'll move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 onto the next slide and just a demonstration about why  
2 we should care about this and this is not a field  
3 system but it demonstrates the point that over here we  
4 have log Kd values for uranium sorption on a pure  
5 mineral phase ferrihydrite across a very wide pH  
6 range. But if we look at the pH range that we're most  
7 interested in, around 7 to 8 for groundwater systems,  
8 you can see that you have two sets of data here, Kd  
9 values determined in a system equilibrated with air or  
10 Kd values in a system equilibrated with a 1% partial  
11 pressure carbon dioxide.

12 This is a very typical value for  
13 groundwater 1% CO<sub>2</sub>. And you can see that say at pH  
14 7.5, this decreases the Kd for uranium by several  
15 orders of magnitude, three orders of magnitude. So in  
16 other words, it's important to understand this  
17 interaction in the environment because this means that  
18 the uranium be 1,000 times more mobile, 1,000 times  
19 less retardation, just with this simplified approach  
20 here. This is important because most of the Kd values  
21 available in the literature are determined in systems  
22 equilibrated with air.

23 This just shows the reason for it which  
24 you probably already know which is the reason that the  
25 Kd value goes down so much at these higher pH values

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is that it forms uranium carbonate, dissolved uranium  
2 carbonate complexes. This is just showing you it  
3 equilibrated with air and at higher partial pressures  
4 of CO<sub>2</sub> these species move over to even lower pH  
5 values. So that's the reason for the decrease in the  
6 Kd value and this is important for other actinides too  
7 including Neptunium-5.

8 And an important thing to think about in  
9 terms of conceptual models of sorption is that this is  
10 derived from the NEA thermodynamic database. The NRC  
11 and many other agencies from other countries have  
12 invested in the development of this database. It's  
13 used in the PA process to determine solubilities that  
14 would come out of a waste package and therefore the  
15 highest concentrations it might move away from a waste  
16 package. But we can also use this database and we do  
17 use it in our more robust model for adsorption where  
18 we couple together this aqueous speciation data and  
19 the thermodynamic data that it is derived from to  
20 describe the dependence of Kd values on chemistry.

21 So here is simple representation of  
22 different conceptual models for describing sorption  
23 and over here is the common practice of using the  
24 constant Kd value and this is strictly valid for  
25 systems with constant chemistry in both space and time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and linear adsorption. Nonlinear adsorption can occur  
2 but things are made even more nonlinear when you  
3 consider the actinides or any radio-elements that  
4 undergo big speciation changes as chemistry changes in  
5 either space or time in groundwater and for these, we  
6 get a more accurate description adsorption and  
7 retardation if we use thermodynamic sorption models.

8 A thermodynamic sorption model is simply  
9 what I was describing in the last slide. It's a  
10 coupling together of the aqueous speciation data  
11 together with some reactions to describe adsorption.  
12 This gives us  $K_d$  as a function of chemistry.

13 Now how important the choice of the  
14 conceptual model really depends on how much chemistry  
15 is going to vary in a PA scenario. If we have a PA  
16 scenario where chemistry is constant in space and in  
17 time, then we don't need this more robust model. When  
18 we need this more robust model is when we think  
19 chemistry is going to change in space or time. So  
20 this gets into thinking about are we going to have  
21 climate change in long-term models for waste disposal  
22 that might affect the carbonate chemistry and for  
23 decommissioning, we often find that in the field  
24 because it's a waste event. If there's a plume, then  
25 we have chemical gradients in the system in space in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which case we could need a more robust model to  
2 describe sorption.

3 I was asked to provide a little history of  
4 the USGS/NRC interaction and our first project was  
5 work on, it's described in this NUREG report. This  
6 was a study of a natural material from near Koongarr  
7 uranium deposit in Australia. So there was a focus on  
8 that natural material. But really the focus of this  
9 project was about developing thermodynamic sorption  
10 models for single mineral phases that were present in  
11 that natural material near the Koongarr deposit and  
12 specifically ferrihydrite, quartz and kaolinite where  
13 the minerals that were studied.

14 The idea was -- Now in the previous slide,  
15 I talked about thermodynamic sorption models on the  
16 right. But in fact there's a range of ways to develop  
17 a thermodynamic sorption model and this was one thing  
18 that was part of the Naturita project. One is to  
19 think about a forward modeling approach which is a  
20 more deterministic approach and I call that science  
21 here because that really is the approaching this  
22 problem of describing sorption on a natural mineral  
23 assemblage by breaking it down into its parts and  
24 trying to understand how much radionuclide sorption  
25 occurs on individual mineral phases and using this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach one can have the idea of developing a  
2 database. How does uranium adsorb on quartz? How  
3 does neptunium adsorb on ferrihydrite and so forth and  
4 build up a predictive model? The model itself may be  
5 site specific in that each site has different amounts  
6 of mineral phases but the idea is that we're drawing  
7 from a database just like we draw from a thermodynamic  
8 database for aqueous speciation.

9           What we did on the Naturita project though  
10 was to demonstrate a different approach which can be  
11 thought of as a more practical or engineering approach  
12 where instead of trying to develop a predictive model  
13 we use the aqueous speciation thermodynamic data and  
14 we couple it together with an inverse modeling  
15 approach similar to what's used to develop flow models  
16 in hydrology where you collect adsorption data for a  
17 site-specific material and you study adsorption of the  
18 radionuclides of interest for the field conditions  
19 that are relevant. So from a PA scenario point of  
20 view you want to look at what chemical variables are  
21 going to change in time and space for your scenario  
22 and you want to know how adsorption is going to vary  
23 across that parameter space.

24           This approach, we call this a semi-  
25 mechanistic adsorption model. It is a site-specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model. We still have to do more work to see whether  
2 it has transfer value but we believe this simplifies  
3 the complex parameter estimation that's necessary in  
4 using a forward modeling approach.

5 This now talks about the forward modeling  
6 approach just demonstrated what I've already said is  
7 for particular sediments you want to look at what  
8 minerals are present and you want to try to quantify  
9 how much, in this case, we were interested in uranium  
10 at Naturita. So we would like to know from a database  
11 how much uranium is going to adsorb on each of these  
12 things and then the total sorption for the sediment is  
13 going to be simply a matter of summation. And there  
14 are some databases already in the literature for  
15 individual mineral phases.

16 However there are problems and we've  
17 demonstrated in the Naturita project. It's not really  
18 written up in the NUREG but it's written up in the  
19 follow-up article in *GeoChemica* that there are  
20 problems. You don't really get a good -- Well, you  
21 can get within 1 to 1.5 orders of magnitude across  
22 chemical space using this modeling approach and the  
23 problems are that these more scientifically-based  
24 models have electrical double layers and we have the  
25 problems that we don't understand very well in natural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 systems of overlapping double layers among mineral  
2 phases and difficulty in characterizing the relative  
3 surface areas of each of these minerals. You can't  
4 use x-ray defraction or some mass-based approach to  
5 say there's 65 percent quartz in the sediment. So  
6 therefore 65 percent of the uranium is adsorbing on  
7 quartz. That doesn't work.

8 You have to understand the relevant  
9 surface area of each of these mineral phases and  
10 that's difficult to characterize at present time. So  
11 that's the reason this additive approach which is a  
12 more deterministic approach doesn't exactly produce  
13 what we would like from a practical point of view at  
14 this point in time.

15 As a result, we had this demonstration  
16 project to illustrate the utility of the inverse  
17 modeling approach and in this project, we also  
18 demonstrated through collaboration with NRC staff the  
19 incorporation of this into PA calculations and dose  
20 assessment was actually done and there's a section in  
21 this NUREG report where that is done and demonstrated.  
22 So whereas our previous project we'd worked on, this  
23 database development for individual mineral phases,  
24 here we took a natural system and we used this more  
25 engineering approach to describe sorption as a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 function of chemistry and we showed I think quite  
2 convincing that this approach can be applied.

3 I'm just going to show a brief summary of  
4 that work. These are chemical concentration contour  
5 plots for the Naturita site in 1999. Here you see  
6 dissolved uranium concentrations in the aquifer that  
7 this reach of aquifer here is about 2 kilometers in  
8 space and here you see the area of contamination in  
9 1950, where the original contamination, the source,  
10 was to the aquifer.

11 Ph is relatively constant in the aquifer  
12 and alkalinity however has a distribution similar to  
13 uranium and that's because there was a source of  
14 alkalinity as they put either acid-leached or base-  
15 leached tailings onto the land surface and because of  
16 the calcite in the subsurface material, this produced  
17 alkalinity in the groundwater and has a distribution  
18 somewhat similar to the uranium contamination. If you  
19 put together these pH values and these alkalinity  
20 values, you get partial pressures of CO<sub>2</sub> of 1 to 10  
21 percent. Remember I referred to earlier about the  
22 importance of high partial pressures of CO<sub>2</sub> in  
23 increasing the uranium mobility and the calcium it  
24 also turns out is an important aspect of it and it's  
25 controlled by the solubility of calcite.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So now variable alkalinity is the  
2 parameter that drives the need for a better model  
3 adsorption than constant Kd at the site. So we  
4 collected Naturita sediments, subsurface sediments,  
5 and studied the absorption of uranium over relevant  
6 groundwater conditions, not over a large chemical  
7 space, but just over the range over which the  
8 important variables changed. And from that, we  
9 calibrated a uranium sorption model, this inverse  
10 model, and I'm not going to describe that in detail  
11 because I did that in June and it's in this NUREG  
12 report that I've been assured that all of you have  
13 read in the last week.

14           The cost for this model was not that great  
15 which I think is an important point to make. The cost  
16 of the research project was significant but you have  
17 to remember we were doing the entire thing, the field  
18 characterization, the hydrology, the flow modeling,  
19 everything. The development of this sorption model,  
20 the cost was not a significant part of the project.

21           So then after developing a flow model, we  
22 used this to simulate uranium transport at the site  
23 from the original area of contamination. So this is  
24 now going from -- This is a simulation. I'm not sure  
25 why the left side of the slide is being cut off for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some reason. But with the simulation, it runs from,  
2 this is a 62 year simulation from the beginning of the  
3 deposition of tailings on the land surface and up here  
4 we have the observed uranium concentrations and down  
5 here we have the simulated uranium concentrations and  
6 this is not doing any fitting here. We have taken the  
7 flow model and we have applied the surface  
8 complexation model that we derived in the laboratory.  
9 So we are not trying to fit these observations.

10 Now the one thing that we did have to  
11 estimate though is the source term. We did not have  
12 accurate source terms. So we made our best  
13 estimations of those source terms and that does  
14 influence the simulated values. One thing that you  
15 can see is we don't simulate the alkalinity perfectly  
16 and that would affect our uranium simulations.

17 But an important thing to notice is over  
18 here that we have a distribution of Kd values  
19 predicted in the model. This is the distribution of  
20 the Kd values after 62 years of transport and so  
21 there's a spatial variation in the Kd values. The  
22 reason for that is that the spatial variation is  
23 chemistry. It's not due as I'll show in a minute to  
24 some variation in the sediment properties.

25 In fact, the model we've developed is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 based on a large composite sample of uncontaminated  
2 sediment that we did the adsorption experiments with.

3 So we assumed in this model that all the sediments in  
4 this aquifer are the same and we get this variation in  
5 Kd by about an order of magnitude which is because of  
6 the spatial variation in chemistry in the aquifer and  
7 this thing changes over time. This is just a picture  
8 at 62 years of transport.

9 So this is important is that some  
10 approaches to variation in Kd that I've seen being  
11 considered for nuclear waste disposal talk about using  
12 a bell curve or a normal distribution of Kd values.  
13 But that loses if there are in fact chemical  
14 gradients. That's not really an appropriate way to  
15 sample that distribution with Monte Carlo (PH)  
16 techniques and assume that it's anywhere on this bell  
17 curve. This has spatial character and we have lower  
18 Kds where we have high alkalinity. At the Yucca  
19 Mountain site for example, there is spatial changes in  
20 alkalinity as you move down gradient in that aquifer.

21 So that's a summary of the previous work  
22 and now I'm going to move onto talking about the  
23 current project and mostly what I'm going to talk  
24 about today is that the couple geochemistry and flow  
25 modeling approaches that were used at the Naturita

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 site have been written up in detail in this NUREG  
2 report that was published this year and then we are  
3 also working on development of field-based Kd  
4 validation techniques at the Naturita site in follow-  
5 up research and this NUREG, a draft of this, will be  
6 produced by February of next year.

7 I've made a few changes in my  
8 presentation. So the next few graphs are going to  
9 appear at the end instead of where it is in your  
10 handout. What we have in the NUREG 6871 is a  
11 documentation in detail of the reactive transport  
12 code, RATEQ, which was used for the Naturita modeling  
13 and was also used by NRC staff to do the performance  
14 assessment calculations that are in that NUREG report.

15 So the documentation of the NUREG is quite  
16 dense. It's all about the parameters and the computer  
17 code itself. But the part that's probably more  
18 interesting is it has simulation setup in the  
19 operational procedures. It has some benchmark test  
20 problems and simulation results for a wide variety of  
21 transport scenarios. So I think the NUREG will be of  
22 interest to those that are in the reactive transport  
23 field.

24 I'm just going to show a few simulations  
25 to give you the feel of what it can do. Some of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 material is not in the NUREG. I showed you before  
2 simulations for the period from 1930 to 2002 and in  
3 those simulations we didn't know the source term. But  
4 here we're starting from present day conditions and  
5 predicting forward using the flow model and our  
6 inverse model for uranium sorption at the site.

7           So here we know the existing conditions.  
8 We at least have that part right and the source has  
9 been removed by the Department of Energy during 1996  
10 to 1998. So the source has been removed. As time  
11 goes by, we can find out whether our simulations did  
12 well or now. We'll all be dead by 100 years from now  
13 of course but maybe in 20 years someone will go back  
14 and look at this.

15           The interesting thing here is that you see  
16 that the dissolved uranium, the high concentrations,  
17 the peak concentrations, move out of the aquifer  
18 relatively quickly and that's because of the high  
19 alkalinity associated with that peak and you see that  
20 the alkalinity also moves out fairly quickly. But  
21 what's retained as the alkalinity moves out, there's  
22 a tail to the dissolved uranium and that leaves a fair  
23 amount of uranium in the aquifer for a long period of  
24 time well above the drinking water standard. This  
25 would not be predicted by a constant Kd model which I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will show you in a second. Well, it could be  
2 predicted but in a way that does not then describe the  
3 arrival of the peak concentration.

4 The important part of the surface  
5 complexation model compared to constant  $K_d$  which I'll  
6 show in a second is that they differ in describing the  
7 arrival of the peak and they differ in the fact that  
8 there's a long tail that's simulated with our modeling  
9 approach.

10 Here is a plot of the distribution of  $K_d$   
11 values in the field. One is based on taking  
12 measurements across the field site, the dissolved  
13 measurements, and then using our thermodynamic  
14 sorption model (TSM) to predict how much should  $K_d$   
15 vary and this is a cobble (PH) corrected  $K_d$ , how much  
16 should  $K_d$  vary as this chemistry varies and we get  
17 this distribution and then we also have contaminated  
18 sediments that remove from the aquifer and we measure  
19 actual  $K_d$  values for that material using the uranium  
20 isotopic exchange and for that we get a variation in  
21  $K_d$ .

22 Here we're looking at a groundwater  
23 variation. Here we're looking at both a sediment and  
24 groundwater variation. So they produce different  
25 distributions but the 50 percent probability is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 value of about 0.26 for the Kd. I'm going to show  
2 some simulations of constant Kd using this 0.26 Kd  
3 value.

4 Here you can see the difference in uranium  
5 distribution that's produced by the thermodynamic  
6 conceptual model for sorption and the constant Kd  
7 conceptual model for sorption using this average Kd  
8 value. And it does what I was attempting to describe  
9 earlier that the thermodynamic sorption model has a  
10 tail on the uranium movement out of the aquifer and  
11 the reason is that as the alkalinity moves out,  
12 sorption becomes stronger and at lower uranium  
13 concentrations, sorption becomes stronger and the Kd  
14 rises.

15 Also because of the alkalinity, in fact,  
16 this peak uranium concentration moves out faster in  
17 the sorption model than it does in the constant Kd  
18 model. This just shows that in fact these model  
19 produce different results whether we believe this is  
20 going to be a more accurate representation than what's  
21 actually going to happen. We don't think the cost of  
22 getting there was much higher than one we'd get from  
23 determining a reasonable distribution of Kd values.  
24 So we feel that this representation of sorption and  
25 retardation in this way is a better modeling approach

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for performance assessment.

2 I'm going to skip this slide but basically  
3 this shows for this particular observation point, I  
4 guess I'm not going to skip it because I'm going to  
5 talk about it now, that how long it takes to get to  
6 the drinking water standard which about  $10^{-1}$  uranium  
7 concentration and our model says that at this point  
8 because of the tailing it's going to take 100 years to  
9 get down to the drinking water standard. You have to  
10 have very high Kd values, way above the average, to  
11 get that value using a constant Kd and if you had  
12 these high Kd values, then you would have a very bad  
13 description of the movement of the peak the bulk of  
14 the uranium out of the aquifer.

15 So now I'm going to talk a little bit  
16 about some of the independent tests we've done of the  
17 model and this is going to get into some of our  
18 current research. A little bit of this has been  
19 described in the Naturita NUREG report. I'm going to  
20 talk about testing the model by putting uncontaminated  
21 and/or contaminated sediments in contact with  
22 groundwater of variable composition from the Naturita  
23 site and we're going to talk about taking contaminated  
24 sediments from the subsurface at Naturita, bringing  
25 them to the lab and putting them under constant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 chemical conditions.

2 We have done this work by suspending both  
3 Naturita sediments and as I'll show you in a minute  
4 single mineral phases into wells in the Naturita  
5 aquifer which they have variable chemistry as I've  
6 shown previously. The orange dots here show which  
7 wells we were using. We have put the sediments into  
8 the wells for periods.

9 Initially we used three to 15 months but  
10 we found no time dependence whatsoever during this  
11 time frame in the measurement of Kd values and now we  
12 in fact use one month to equilibrate and we use  
13 dialysis bags. Here we were using a very small mesh  
14 bag that was able to contain the Naturita sediments.  
15 But now we're using fairly small sized mineral phase  
16 particles and we're using dialysis bags. So in this  
17 case, we're using this large composite of  
18 uncontaminated sediments and therefore we had the same  
19 sediment put into the wells and the only variable is  
20 the groundwater chemistry. So the sediment is the  
21 same.

22 And then we also have another technique  
23 where we take contaminated sediments from the field  
24 and we measure as I've already mentioned Kd values by  
25 using the uranium isotopic exchange. These are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same wells and now we have both the variation of  
2 sediment and the variation of groundwater. So we can  
3 compare the relative importance of those two  
4 variations in Kd values.

5 This is a busy slide to look at so let me  
6 just walk you through it. First of all, we have Kd  
7 plotted on a geometric scale over here. NABS refers  
8 to the uncontaminated composite sediment. So here we  
9 had the same sediment in all the wells. Over here,  
10 we're using the actual sediment from the surface. So  
11 first just looking at this part of the graph here, we  
12 see that Kd varies.

13 This shows the Kd variation across the  
14 site. It varies by a factor of 22 to 25 from the  
15 lowest Kd values up to the highest Kd values and if  
16 you look you have the measured Kd value from putting  
17 the sediment in the well and we have the model  
18 predicted Kd value from our semi-mechanistic sorption  
19 model. We were testing the model here and we see we  
20 got within a factor of two to three, about 2.5, was  
21 the worst in predicting these Kd values. So we're  
22 comfortable with that degree of error.

23 MEMBER HINZE: What's the source of that  
24 error?

25 DR. DAVIS: The model is -- That's a good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question. I'm not sure I can answer it but even in  
2 the lab in calibrating the model to the lab data, we  
3 don't accurately predict every data point. The model  
4 is a simplification. We tried to minimize the number  
5 of variables in it. So we have -- I deliberately am  
6 not showing the model because I showed it last June.  
7 But what we have there is we have about 100 datapoints  
8 and in our model, we have four variables where we try  
9 to simulate all 100 datapoints.

10 The model does not simulate every  
11 datapoint perfectly. So it represents the accuracy  
12 of the model is one approach. You could say even in  
13 the lab, but then you have consider maybe there are  
14 other processes going on in the field and we want to  
15 check whether our model does a good job of describing  
16 uranium sorption on the sediments in the field not  
17 just in a lab setting. There are bacteria in the  
18 field. There's a possibility of precipitation  
19 processes. There's aging. These are three to 15  
20 months.

21 MEMBER HINZE: Is temperature a concern?

22 DR. DAVIS: I don't believe it is. The  
23 temperature is different in the lab than it is in the  
24 field and the model is calibrated on lab data. I  
25 haven't looked at that but temperature could be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 small part here. I know one thing you notice is that  
2 the model is more often under predicting than over  
3 predicting. So there is some systematic aspect to the  
4 error and maybe temperature is part of that and we  
5 haven't looked at that.

6 MEMBER CLARKE: Can I ask a question just  
7 to see if I understand this slide? What is NABS  
8 again?

9 DR. DAVIS: NABS, I'm sorry, that stands  
10 for Naturita Aquifer Background Sediment.

11 MEMBER CLARKE: Okay.

12 DR. DAVIS: That's our large composite of  
13 uncontaminated sediment.

14 MEMBER CLARKE: So is it fair to conclude  
15 that for those samples you're putting contamination on  
16 to the sediment.

17 DR. DAVIS: Yes.

18 MEMBER CLARKE: For the other samples,  
19 you're taking it off.

20 DR. DAVIS: The other samples, no. What  
21 we're doing is for the measured Kd we're going in the  
22 lab and we're doing isotopic exchange to determine.  
23 We're using that as an estimate of how much absorbed  
24 uranium is on the sediment. Whereas here we took the  
25 uncontaminated sediment and it didn't have any uranium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on it to begin with and so we let uranium adsorb on it  
2 and then we extracted off with carbonate to determine  
3 how much uranium adsorbed unto the sample.

4 MEMBER CLARKE: Okay. I was wondering if  
5 these data would enable you to look at adsorption  
6 versus desorption but in both cases you were looking  
7 at adsorption apparently.

8 DR. DAVIS: Well, in effect isotopic  
9 exchange you could say that you are incorporating  
10 desorption into it because to get the isotopic  
11 exchange you have to have desorption occur.

12 MEMBER CLARKE: Yes and where I was going  
13 is are you seeing any difference based on the age of  
14 the sediments to see contamination time if you will.

15 DR. DAVIS: Well, the overall effect here  
16 is that from three to 15 months here we didn't see any  
17 effect and this of course has been in contact for  
18 decades. Now the errors are greater over on this side  
19 but part of that, let me go on. Over here, we see  
20 larger errors than we do on this side and one of the  
21 reasons is for these Moppin (PH) 2, 3 and 4 wells we  
22 know now which we didn't know when we wrote the NUREG  
23 report that uranium reduction is occurring at those  
24 locations.

25 We've measured bacteria populations that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are involved in reduction of uranium. There is  
2 ferrous iron present in the wells. So down here which  
3 is at the downgrading end of the aquifer, there are  
4 sub-oxic reducing conditions and we think that the  
5 difference here is due to uranium-4 precipitation.  
6 That occurs out in the sediments and not in the well  
7 because if you look over here we have the same wells  
8 where we put the uncontaminated sediment and we don't  
9 see uranium reduction.

10 We got good agreement for these wells and  
11 these conditions when we just suspended uncontaminated  
12 sediment in them. But if you dig up the sediments you  
13 find that there's more uranium there than you expect  
14 from the ground just measuring uranium adsorption. I  
15 need to move on.

16 MEMBER WEINER: Yes. Please.

17 DR. DAVIS: When do I need to be finished  
18 by?

19 MEMBER WEINER: In order to allow time for  
20 questions and because I've been asked to keep on  
21 schedule, if you could finish up by about 11:15 a.m.,  
22 11:20 a.m.

23 DR. DAVIS: Okay.

24 MEMBER WEINER: That would be great.

25 DR. DAVIS: All right. One interesting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion here is we can draw from looking at the two  
2 different types of variation in this work. One is we  
3 took that NAB sample, the uncontaminated composite  
4 sample and we put it into 17 wells and Kd varied by a  
5 factor of 22. Then we took the contaminated sediments  
6 and then we --

7 MEMBER WEINER: Excuse me. That's a  
8 variation over the site.

9 DR. DAVIS: That's a variation over the  
10 site. Yes.

11 MEMBER WEINER: That's an aerial.

12 DR. DAVIS: Yes. And then we took the  
13 subsurface sediments from 14 locations in the aquifer  
14 and we put them in one water in the laboratory and  
15 measured Kd again by isotopic exchange and we only get  
16 a factor of 2.5 variation in Kd.

17 So what that means is that as far as the  
18 variation of Kd across the site, we have spatially  
19 variable groundwater chemistry at this site is more  
20 important than variable sediment composition in  
21 determining the Kd values. And actually, sir, that  
22 points out another thing I forget in answering your  
23 question is that our model assumes that the sediment  
24 is the same throughout the aquifer and when we take  
25 sediments from different locations and expose them to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the same water, we do get some variation in Kd value.  
2 So the sediments are not the same obviously throughout  
3 the aquifer. That's another.

4 MEMBER CLARKE: Are you disturbing the  
5 sediments much when you take the samples? Is this a  
6 factor that came into this at all?

7 DR. DAVIS: I don't think so. We used air  
8 drilling. These were just pulled off the auger  
9 flight. As they came out, there was no -- We didn't  
10 add anything to them as we sampled them. So I don't  
11 think so. Well, I will say that -- I don't want to  
12 get off on that tangent. I'll be running out of time.

13 Now here in the current project, it calls  
14 for us to test the database for single mineral phases  
15 by exposing single mineral phases in these same wells  
16 and looking at their experimental Kd values and there  
17 are published thermodynamic sorption models for these  
18 phases. So we want to see how well those models do at  
19 predicting Kd values and we're doing this in the  
20 project with kaolinite, quartz, hematite and  
21 clinoptilite which is misspelled over here.  
22 Clinoptilite is a zeolite mineral that's important in  
23 fracture filling mineral assemblage at the Yucca  
24 Mountain site. So this now is going back to thinking  
25 about the database approach where we might use some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the existing models to predict Kd values. So this is  
2 a way of testing them in the field.

3 Now here we have the results for  
4 kaolinite. This shouldn't say sandbags. This should  
5 be dialysis bags and we see that in the lab we have  
6 found since this was done that it required four days  
7 to reach constant uranium concentrations when we put  
8 kaolinite in a dialysis bag in a uranium-bearing  
9 solution. And in the field, we only measured two days  
10 and 30 days and it's obvious that two days wasn't long  
11 enough to reach a steady adsorbed uranium  
12 concentration on kaolinite.

13 Looking at the 30 day data, we have over  
14 here model predicted Kd values. The model was  
15 published by Tim Payne, et. al., in 2004. It goes  
16 back to the Alligator River project when kaolinite was  
17 studied as one of the minerals phases in the Koongarr  
18 deposit. And what you see is actually a not-very-good  
19 agreement between the model-predicted Kd values and  
20 the measured Kd values. The model-predicted Kd values  
21 are generally in the order of magnitude or 1.5 orders  
22 of magnitude too high.

23 And I think in looking at the result the  
24 reason is that Tim Payne only studies uranium  
25 adsorption on the kaolinite and systems equilibrated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with air. So he had no real variation of carbonate in  
2 the system. Here we're going out and putting that  
3 kaolinite into groundwater that has partial pressures  
4 of one to ten percent.

5 I think the model which does has a uranium  
6 carbonate complex on the surface, it's just not a well  
7 calibrated model because there were not enough  
8 experimental data collected as a function of carbonate  
9 concentration for uranium adsorption. So that shows  
10 a problem I believe with that model. I believe our  
11 measured Kd values are actually closer to what should  
12 be correct and the model needs more work.

13 This summarizes our work, where we stand  
14 on our work with these other phases. We have finished  
15 the analysis of quartz and we found that the field Kds  
16 is too small to measure and our model predicts that  
17 Kds should be less than 0.1 in all the wells. So in  
18 fact we have experimental error here. We have to  
19 separate the quartz from the groundwater and there's  
20 always a little bit of entrained water. So we're not  
21 going to be able to measure very small Kd values by  
22 this method.

23 I'll show in a minute why this happens.  
24 Because we did not expect this, we probably would not  
25 have put quartz in the field if we were expecting this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low a Kd value. But we didn't at the time. We put it  
2 in the field. It's also valuable because it shows  
3 that uranium precipitation or some other uranium  
4 accumulation process is not occurring. We're able to  
5 put quartz powder in these wells and not get much  
6 uranium adsorption on them as predicted. So that's  
7 good.

8 Hematite, we have finished the field  
9 measures but we don't have a lab model yet to compare  
10 these measurements but we do get significant uranium  
11 adsorption on the hematite. And the clinoptilite, the  
12 field samples were just retrieved last week.

13 These next two slides are inserted. They  
14 are not in your handout. I wanted to describe why the  
15 uranium adsorption is not occurring on the quartz  
16 because I think this is an interesting result. The  
17 reason is that calcium decreases uranium adsorption on  
18 quartz. We've measured that and this is our model for  
19 adsorption on quartz in the absence of calcium and  
20 it's our model. The interesting thing was when we  
21 started this work we would have predicted with this  
22 model that calcium had no effect on uranium  
23 adsorption. So in the interest of time, I'm going to  
24 have to go quickly here.

25 Just to point out that the reason that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reason that calcium does decrease the uranium  
2 adsorption and the reason it didn't adsorb on quartz  
3 in the Naturita aquifer is that we now understand that  
4 the major aqueous species under these conditions is  
5 this species here and this species is not in the NEA  
6 database and it's just not been as an accepted value  
7 yet.

8 But the existence of the species has now  
9 been proven with EXAFS spectroscopy and if you could  
10 go back one slide. If we put that species in the NEA  
11 database, here are our predictions of uranium  
12 adsorption as a function of calcium. They go right to  
13 the data. So this is further proof that that species  
14 probably exists and needs to be added to the NEA  
15 database.

16 This is important because this species  
17 which are fairly certain exists is the most important  
18 aqueous species at the Naturita site at essentially  
19 all the Untra (PH) sites and at Yucca Mountain. So  
20 this is an important species to be thinking about  
21 because it's not yet in the NEA database and it makes  
22 uranium more mobile.

23 The other method of study field base Kd  
24 validation we've been doing is our tracer tests at the  
25 Naturita site. At one location, we put in a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scale tracer test study site. This arrow was one  
2 meter per scale. So we've been able to study  
3 transport over a few meters and we've done two types  
4 of tests, push-pull tests and uranium migration tests.

5 In the push-pull test, what we do is we  
6 first pump up groundwater and we change the chemistry  
7 in some way and we change the chemistry in some way  
8 and we add bromide as a tracer. We pump it back down  
9 in the aquifer and then we wait for a period of time  
10 and then we pull the groundwater back out and looked  
11 at what has happened.

12 This shows a table of some of the push-  
13 pull tests that we've done. For some of these tests,  
14 you see here although we're in a contaminated part of  
15 the aquifer where the ambient uranium concentration is  
16 4 micro-molar in the groundwater. We've done several  
17 tests where we add water with very little uranium. The  
18 ambient alkalinity here is about 8 and we've done  
19 tests where we've put in less or more alkalinity and  
20 we've varied the time before we do the pull part of  
21 the test.

22 Here you see a result where we injected  
23 low uranium concentrations but the alkalinity was the  
24 same as ambient and here is the bromide coming back in  
25 the pull. So this gives you, from this, you get an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 estimate of the mixing curve of ambient groundwater  
2 with the tracer test groundwater. Over time, you're  
3 going towards ambient. At zero time, we just pull up  
4 what we injected into the ground.

5 Now we injected water into the ground with  
6 zero uranium. If you use this mixing curve, you can  
7 see here that from just mixing this is the dissolved  
8 uranium concentration we would expect. But in fact,  
9 we see fairly constant uranium concentration and this  
10 is an indication. This is 14 hours allowed between  
11 push and pull.

12 So what we see is the adsorbed uranium is  
13 able to bring this right back up to the ambient  
14 concentration within that 14 hour period. Uranium  
15 desorption occurs to bring it back to the ambient  
16 concentration. This is consistent with what we expect  
17 from sorption to do. It's a fast reaction. We expect  
18 it and there's enough adsorbed uranium in the area of  
19 the aquifer that we expect it to bounce back up to the  
20 ambient concentration and it does.

21 We do see though that there is a time  
22 dependence to it. If you only allow a half hour  
23 before you start to pull, you don't get the ambient  
24 concentration back. So the results I showed on the  
25 previous slide were these for the 14 hours allowed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between push and pull. With only a half hour, you  
2 have a lot of desorption that has occurred but not  
3 enough to bring it back up to the ambient  
4 concentration. Desorption is not instantaneous but  
5 it's fast.

6 Here we show results of varying  
7 alkalinity. In this test, we had the ambient  
8 alkalinity and the 14 hours of drift that I've already  
9 showed you before. Over here, we had higher  
10 alkalinity in the 14 hours of drift and you see that  
11 if you put higher alkalinity into the water you get  
12 much higher uranium concentrations in ambient and  
13 again this is because of desorption. Adding  
14 alkalinity to the groundwater, it desorbs uranium from  
15 the sediments because you have a higher carbonate  
16 concentration in the water. This is what we expect  
17 from our sorption model.

18 Here we come to our intention of doing  
19 these types of experiments which is to test our  
20 sorption model against the results. Here is our  
21 predictions of what would happen in the systems  
22 compared to the experimental data.

23 And what we have found is we don't get a  
24 perfect description and one of the reasons is that we  
25 feel one of the problems is, and I don't want to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into all of these numbers because I don't have time,  
2 what we're doing is pushing water in at about 100  
3 meters per day type velocity and during that time, we  
4 push this water in, and during that time, we don't  
5 really have local equilibrium.

6 So this is our problem with modeling is  
7 that we assume equilibrium. The fact that we don't  
8 get exact results, we think the lack of agreement  
9 between these results and the experimental data has to  
10 do with the disturbance to equilibrium that occurs  
11 during the push part of the tracer test itself and we  
12 haven't figured out how to model that yet. Push/pull  
13 tests are probably better for modeling desorption  
14 kinetics under field conditions than just modeling  
15 only the equilibrium, looking only at the equilibrium  
16 model.

17 Just a couple more minutes here. Go  
18 forward two slide please. The other type of tests  
19 that we've been doing are natural gradient types of  
20 tests where we put again amended groundwater into the  
21 system with a bromide tracer and then we look at its  
22 breakthrough at 1.5 meters down gradient and there are  
23 the results I'm going to show. These are done by  
24 taking observations for a period of three weeks. It  
25 takes about five days for the nonreactive tracer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 bromide to travel the 1.5 meters.

2 This shows results for three tracer tests.  
3 The first one where we put in very low radium water  
4 and but this also has lower alkalinity than ambient.  
5 But what you see here in the blue is the bromide  
6 breaking through. It takes about six days to reach  
7 its peak concentration and the uranium that's shown in  
8 these black squares is dropping down. But it should  
9 drop down to zero because this goes up to the full  
10 bromide concentration injected and there was no  
11 uranium in the injected water. It doesn't drop down  
12 to zero and the reason is that uranium is desorbing as  
13 it travels that 1.5 meters to get to the observation  
14 well.

15 Down here we have a second type of  
16 injection where we put in water with an ambient  
17 uranium concentration but very low alkalinity and here  
18 we get a dip in uranium concentration also. But  
19 unlike this one where we're looking at uranium  
20 desorption, here we're looking at uranium adsorption,  
21 depleting the water as it passes through here because  
22 it have a very low alkalinity. In the third  
23 injection, we've increased alkalinity and we see a  
24 rise in uranium concentrations as it passes the  
25 observation well due to uranium desorption.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Again we're going to look at the ability  
2 of our model to predict these change in the field.  
3 Basically we use bromide the calibrate the transport  
4 framers.

5           The next series of three slides just shows  
6 the agreement between our model and the experimental  
7 observations. One thing we're not assimilating for  
8 some reason is the arrival of the alkalinity is  
9 slightly delayed behind -- I mean the observations  
10 show it's slightly delayed behind the model and in the  
11 model we have alkalinity. We expect it to be  
12 essentially a conservative species. We are going to  
13 have to look at the kinetics of calcite precipitation  
14 to get this slide retardation into the model and we  
15 haven't done that yet.

16           Because the alkalinity arrives a little  
17 late, we see that the uranium also arrives a little  
18 late and it should arrive at the same place as the  
19 high peak in alkalinity and it does. So there's a  
20 small part of this which we don't feel has to do with  
21 our adsorption model. It has to do with calcite  
22 precipitation and dissolution kinetics.

23           Here we see the case where we injected low  
24 alkalinity and we have uranium adsorption occurring  
25 and here we do a pretty good description of the change

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in uranium concentration, a drop due to adsorption and  
2 even the little peak here at the end which is due to  
3 desorption as the high alkalinity water comes back.

4 This one we don't do as well describing.  
5 We're not quite sure why yet. It seems to have  
6 something again to do with a strange breakthrough in  
7 alkalinity compared to our modeling approach. So this  
8 tracer test we've repeated but we don't yet have the  
9 results for that.

10 So finally, just to give you an idea of  
11 what else we are working on and where we're going in  
12 the remainder of our project. We are well along in  
13 this task here. We are developing and are going to  
14 demonstrate an inverse sorption model for uranium on  
15 using subsurface sediment on the 40-Mile Wash aquifer  
16 in Nevada. This is the downgrading from the Yucca  
17 Mountain site.

18 We are also developing and demonstrating  
19 inverse sorption models from neptunium-5 adsorption  
20 onto Naturita sediments and nickel adsorption onto  
21 sediments. In a very different investigation, we are  
22 going to be studying what conditions can result in the  
23 oxidation of iodide by either manganese oxides or  
24 nitrate and we are going to be studying iodide  
25 transports trying to find the reactivities of iodide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in an aquifer in Cape Cod.

2 This is a broad conclusion. It's not just  
3 about our current research and results but includes  
4 what we've learned from the Naturita site that we  
5 think the current reactive transport models could  
6 easily accommodate the surface complexation concept  
7 and that using the inverse model it's not too  
8 expensive to calibrate such a model for a field site.  
9 Therefore, at least from a computational point of view  
10 and expense point of view, we don't think the constant  
11 Kd concept is really required to describe retardation  
12 of radionuclides.

13 We think that this inverse modeling  
14 approach can reduce uncertainty. We've also concluded  
15 at the Naturita site at least that spatial variability  
16 of groundwater chemical conditions is more than the  
17 variability of the geochemical properties of the  
18 sediments on the colorimeter scale and we've also seen  
19 this at the Cape Cod site and other studies and when  
20 you talk about variability of sediment properties, of  
21 course you have to be sensitive to whether you move  
22 from one geologic formation to another. Obviously  
23 that's going to be very different. But within  
24 aquifers at the colorimeter scale, things actually  
25 probably don't produce Kd variations larger than about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a factor to 2 to 3.

2 Finally as I talked about earlier,  
3 predictions based on a range of constant Kd values do  
4 not always bracket simulations results that came with  
5 this inverse surface complexation modeling approach  
6 and random sampling of a Kd distribution may overlook  
7 spatial character of that distribution that is  
8 important in transport simulations. So thank you very  
9 much and I'll take questions.

10 MEMBER WEINER: Thank you very much for a  
11 very illuminating discussion. We have a few minutes  
12 for questions. Dr. Hinze.

13 MEMBER HINZE: Few. He covered a lot of  
14 territory for some of us that are not really chemists.  
15 Let me ask you a broad question. Climate change. How  
16 much should we be concerned about change of Kds with  
17 climate change that might be associated with the range  
18 from the last glacial maximum to today? See. I got  
19 back at you.

20 DR. DAVIS: Yes, you did. Well, of  
21 course, it's going to vary with individual  
22 radionuclides and where they are. I wish I could know  
23 what partial pressure of carbon dioxide change that  
24 you're talking about.

25 MEMBER HINZE: I'm not sure that we know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 DR. DAVIS: Yes. But we might try to put  
3 some bounds on it and then I could answer your  
4 question. If I could get back to you.

5 MEMBER HINZE: Yes.

6 DR. DAVIS: But it's probably going to  
7 affect uranium more and neptunium more than anything  
8 else of relevance to high-level nuclear waste  
9 disposal.

10 MEMBER HINZE: Dr. Davis, this is really  
11 a very important question as we see the revision of  
12 Part 63 and 197. Let me just ask one more quick  
13 question. And if you could get back to us, that  
14 really would be great. You can give some kind of  
15 boundary conditions insight. The uncertainties that  
16 we hear about in Kds, do I assume from what we've  
17 heard here today that this is not an uncertainty in  
18 Kds but this is just different chemistry?

19 DR. DAVIS: Can you elaborate on the  
20 uncertainty in Kds that you've heard about?

21 MEMBER HINZE: Well, like neptunium is a  
22 classic which has uncertainties in the Kds as I  
23 understand it. Is that just because one has not  
24 considered the chemistry, the alkalinity, in these  
25 measurements?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. DAVIS: I think that some of the work  
2 that I've seen by the Department of Energy they are  
3 considering the alkalinity. So historically I would  
4 say alkalinity has been a big problem in understanding  
5 Kd values. I think as I understand what the DOE does  
6 now they are considering higher alkalinity values in  
7 developing their Kd values. But what I think I object  
8 to a little bit in there is that the way they then use  
9 the variation. They sample randomly rather than  
10 considering spatially where are the high alkalinity  
11 values in the aquifer.

12 MEMBER HINZE: So they handle it  
13 probabilistically rather than deterministically.

14 DR. DAVIS: The alkalinity variation, yes.

15 MEMBER HINZE: Right. Thank you.

16 MEMBER WEINER: Allen? Jim?

17 MEMBER CLARKE: Just a quick one. I  
18 agree. That was a very interesting presentation.  
19 Thank you for that and I'm essentially interested in  
20 your work on sorption versus desorption. One of the  
21 things I wanted to mention and I know you're well  
22 aware of this is that another process that gives you  
23 long tails especially if you have contamination that's  
24 existed for some time is diffusion where the material  
25 actually penetrates, a low permeability under the rock

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 matrix or organic matter or whatever it is. And we  
2 see in pump-and-treat systems often the concentration  
3 going down fairly rapidly and then tailing off and  
4 then when you shut off the pumps it rebounds which is  
5 another indication that there's a mass transport  
6 limited process going on. I wonder if you think  
7 that's a factor in some of this or it needs to be  
8 addressed at some point.

9 DR. DAVIS: It is certainly a factor at a  
10 lot of field sites and it's been well demonstrated  
11 that it's a factor. We have been lucky at this site,  
12 the Naturita site and also the Cape Cod site that  
13 we've studied a lot that it's not a factor and that  
14 may be partly -- Well, it's due to two things, the  
15 relative ease with which uranium and zinc desorb and  
16 the fact that we don't really have, we're not really  
17 studying aquifers where diffusion is an important  
18 process from a physical point of view in terms of the  
19 physical characteristics of the sediments. But there  
20 are a lot of systems where diffusion is important and  
21 certainly in the presentations I've seen about Yucca  
22 Mountain in the part that's above the groundwater  
23 table diffusion is important.

24 MEMBER CLARKE: Thank you.

25 MEMBER WEINER: I'm going to ask another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 very general question. Knowing how Kd is introduced  
2 into performance assessment, how would you introduce  
3 this model into a performance assessment calculation,  
4 into the TPA, for example?

5 DR. DAVIS: How would you introduce it?

6 MEMBER WEINER: What would you do to  
7 change the way that Kd are used in performance  
8 assessment now? Would you sample at various sites?  
9 How would you do it to take into account things like  
10 the spatial variability, things like the dependence on  
11 other factors? The fact that Kd is clearly not a  
12 constant?

13 DR. DAVIS: I think you have to simplify  
14 things. You have to break the physical system down  
15 into blocks that have different properties and within  
16 a particular block, physical block, you're going to  
17 then have to probably assume a particular alkalinity  
18 value. So you can through using this type of model  
19 use this as a Kd predictor for those blocks which runs  
20 as a separate sub-routine. The issue is how many  
21 blocks can you handle in a performance assessment  
22 before it simply becomes unwieldy and do you have  
23 enough data from your field system to populate the  
24 parameters? So I don't think is incorporating the  
25 sorption model. The difficulty is more about field

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 characterization than anything else.

2 MEMBER WEINER: I just have one more. How  
3 well does your work apply to the other actinides  
4 particularly neptunium, plutonium?

5 DR. DAVIS: This work is very relevant to  
6 neptunium.

7 MEMBER WEINER: In other words, you could  
8 make the same kind, do the same sort of experimental  
9 work with neptunium in the laboratory. You could get  
10 similar variations dependence on the Kds for  
11 neptunium.

12 DR. DAVIS: Yes.

13 MEMBER WEINER: Are you contemplating  
14 doing that, Bill? Is that under consideration?

15 MR. OTT: Jim can tell you what's in the  
16 project right now. I can't. I'm not the project  
17 manager. I look at it in a broader view.

18 DR. DAVIS: We are doing work with  
19 neptunium as I mentioned for the Naturita sediments  
20 and also at the Southwest Research Institute the NRC  
21 is supporting doing work. Well, they're doing  
22 neptunium adsorption measurements on 40-Mile Wash  
23 sediments, the same one we are doing uranium. But I'm  
24 not sure what modeling approach they're going to use.

25 MEMBER WEINER: Does anyone on the staff?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes. But you'd better be quick because I'm under pain  
2 of death.

3 MR. HAMDAN: Just one quick question.

4 MEMBER CLARKE: Yes, you are.

5 MR. HAMDAN: Jim, your first conclusion,  
6 use of the concept of the constant Kd concept is no  
7 longer required. Because as you mentioned chemistry  
8 has a major impact on the adsorption, the question  
9 really is constant Kd is -

10 DR. DAVIS: Is it what?

11 MR. HAMDAN: To predict what's going to  
12 happen especially when you're talking about long time  
13 periods.

14 DR. DAVIS: I'm still not sure I  
15 understand the question.

16 MR. HAMDAN: The question is you talk  
17 about whether the Kd concept is required or not  
18 required.

19 DR. DAVIS: Yes.

20 MR. HAMDAN: The more important question  
21 to us is whether a constant Kd is adequate to predict  
22 the future especially since over time chemistry is  
23 going to change and with the changing chemistry.

24 DR. DAVIS: Okay. What you can use this  
25 modeling approach to do is if we can make estimates

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for how much chemistry is going to change over time,  
2 that's the critical part. But that's the answer to  
3 your question is that if you define how much chemistry  
4 or give your best guess of how much chemistry will  
5 change or use experts to tell you how much the  
6 chemistry will change, then you can make predictions  
7 of how much the Kd is going to change over time and  
8 then you can decide I'm only with the constant Kd  
9 because it's not going to change that much.

10 MR. HAMDAN: That's fine but the point I'm  
11 trying to make is part of your conclusion should be  
12 that other question.

13 DR. DAVIS: Yes.

14 MR. HAMDAN: As how ultimately we want  
15 adequate procedures or concepts or methods to get us  
16 where we want to go and that's the question that needs  
17 to be addressed. To me, it's not the question  
18 whether the constant Kd is required or not. That's  
19 for the --

20 DR. DAVIS: The other way to look at it is  
21 that you can isolate which radionuclides we need to  
22 focus on and for Yucca Mountain, neptunium is  
23 obviously a very important radionuclide. So maybe we  
24 need to focus on not using a constant Kd for neptunium  
25 as opposed to all the other radionuclides if that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the most important one.

2 MEMBER WEINER: Thank you, Jim, and thank  
3 you for rushing through and staying within the time  
4 scale. I'm going to cut this off now because the Vice  
5 Chairman is looking daggers at me saying we have to  
6 quit. So thanks very much and I'm sure you'd be happy  
7 to answer questions if people come back to you with  
8 them.

9 DR. DAVIS: Yes.

10 MEMBER WEINER: Thanks again.

11 VICE CHAIRMAN CROFF: Thank you very much  
12 for an interesting presentation. With that, we're  
13 going to adjourn into lunch. We're going to be back  
14 here at 12:30 p.m.

15 (Whereupon, at 11:38 a.m., the above-  
16 entitled matter recessed to reconvene at 1:00 p.m. the  
17 same day.)

18

19

20

21

22

23

24

25