

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
139th Meeting

Docket Number: (not provided)

Location: Rockville, Maryland

Date: Tuesday, December 17, 2002

Work Order No.: NRC-703

Pages 1-71

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

139th MEETING

(ACNW)

+ + + + +

TUESDAY,

DECEMBER 17, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee on Nuclear Waste met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 10:36 a.m., Dr. George Hornberger, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- DR. GEORGE W. HORNBERGER, Chairman
- DR. RAYMOND G. WYMER, Vice Chairman
- DR. B. JOHN GARRICK, Member
- DR. MILTON N. LEVENSON, Member
- DR. MICHAEL T. RYAN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS Executive Director, ACRS/ACNW

3 SHER BADAHUR Associate Director, ACRS/ACNW

4 HOWARD J. LARSON Special Assistant, ACRS.ACNW

5 ANDREW CAMPBELL ACNW Staff

6 RICHARD CODELL ACNW Staff

7 NEIL COLEMAN ACNW Staff

8 TIMOTHY KOBETZ ACRS Staff

9 MICHAEL LEE ACRS Staff

10 RICHARD K. MAJOR ACNW Staff

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

Introduction 4

Staff Analyses for Understanding 6

Repository Performance

M. Levenson

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 (10:43 a.m.)

3 CHAIRMAN HORNBERGER: The meeting will
4 come to order. This is the first day of the 139th
5 meeting of the Advisory Committee on Nuclear Waste.
6 My name is George Hornberger, Chairman of the ACNW.

7 The other members of the committee present
8 are Raymond Wymer, who is the Vice Chairman, John
9 Garrick, Milt Levenson, and Michael Ryan.

10 During today's meeting the committee will,
11 one, meet with and discuss the staff's analyses for
12 understanding repository performance. Two, prepare
13 ACNW reports; and three, prepare for tomorrow's
14 meeting with the Commission.

15 John Larkins is the Designated Federal
16 Official for today's initial session. This meeting is
17 being conducted in accordance with the provisions of
18 the Federal Advisory Committee Act.

19 We have received no requests for time to
20 make oral statements from members of the public
21 regarding today's session. Should anyone wish to
22 address the committee, please make your wishes known
23 to one of the committee staff.

24 It is requested that speakers use one of
25 the microphones, identify themselves, and speak with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sufficient clarify and volume so that they can be
2 readily heard.

3 Before proceeding, I would like to cover
4 some brief items of interest. One, the NRC Chairman,
5 Richard Meserve, announced on December 12th that he
6 was leaving the agency at the end of March to take
7 over as President of the non-profit Carnegie
8 Institution of Washington.

9 He has been a member of Carnegie's Board
10 of Trustees since 1992. His replacement has not yet
11 been named. He took office in October of 1999, and
12 will leave the agency 15 months before the expiration
13 of his 5 year term.

14 He will be missed by all for his most
15 capable and effective leadership, and that all
16 certainly includes the ACNW, who holds Chairman
17 Reserve in high regard.

18 Other items of interest. On December 6th,
19 2002, the ACRS, and that is our junior other
20 committee, advisory committee, elected the following
21 officers for 2003. We will correct the transcript.

22 (Laughter.)

23 CHAIRMAN HORNBERGER: Chairman Dr. Mario
24 Bonaca, Vice Chairman Dr. Graham Wallis, and Member at
25 Large Mr. Steven Rosen. Another item of interest is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Paul Boehnert, ACRS senior staff engineer, has
2 announced his retirement on January 31st, 2003, from
3 the NRC after some 30 years of service to the ACRS.
4 His presence will be missed by all.

5 At today's meeting, we are going to have
6 -- the item as I had announced was staff analyses for
7 understanding repository performance, and John Garrick
8 is the cognizant member, and I will turn the meeting
9 over to John.

10 MEMBER GARRICK: Thanks, George. This
11 committee has had a long interest in trying to
12 understand the implications from the performance
13 assessment of the performance of individual systems
14 and the importance contributors to the performance
15 major that will be in the final analysis the basis for
16 licensing the repository.

17 The NRC has been conducting several
18 studies to add to that insight, particularly with
19 regard to the role of individual barriers and the
20 transporting and mobilization of particular
21 radionuclides.

22 So I think we are going to hear some more
23 about that today, and I think that Tim McCartin is
24 going to lead that discussion. tim.

25 MR. MCCARTIN: Thank you, Dr. Garrick.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes, and first of all I will say that you will notice
2 a few of the slides look remarkably similar to what I
3 presented in September.

4 I won't spend a lot of time on those, but
5 as we mentioned in September at your meeting, we are
6 in the process of trying to ensure that we have the
7 necessary tools in place, and a strategy for what
8 kinds of analyses we will do.

9 And as of September, we are giving you
10 real time work that we are doing on the strategy.
11 Also, in terms of some of the calculations, we are
12 doing to see how valuable that strategy is.

13 In September, you wrote a short letter
14 based on that meeting. I will say that today you will
15 see some calculations where some of the suggestions
16 that you made in that letter we actually have tried to
17 implement in a very ordinary fashion.

18 And I think it is going to provide some
19 significant insights. These will continue along those
20 same lines, and I think there is a great example of a
21 sort of just continuing dialogue, and whether it
22 results in a letter or not, I obviously will leave it
23 up to you.

24 I think once again that as we proceed down
25 this path things are evolving quite a bit, and there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a work going on. I think it makes sense that we
2 will stay in touch with the staff maybe at the next
3 meeting, or two meetings hence.

4 It might make sense to provide some more
5 information as it continues, and I will say one thing
6 that I personally find a little disturbing, is that
7 sometimes people are referring this as my strategy.

8 Please be aware that there are at least
9 five potential strategies at the NRC, all involved in
10 work. I have got the biggest mouth, and so they put
11 me up here. But it really is a joint effort.

12 And all of the accolades and things that
13 look good to that group here and at the center, and
14 complaints, and I will take all the blame for the
15 things that didn't look well, or didn't go well.

16 CHAIRMAN HORNBERGER: Tim, just a response
17 to your initial comments here, and I would point out
18 that in March that we are planning to have a workshop
19 on TSPA and TPA, and so I think that there may be a
20 natural follow-on to this kind of thing.

21 MR. MCCARTIN: Yes, definitely. With
22 that, like you said, I will probably go through a few
23 of the slides that are actually just a mere repeat of
24 what we had in September, but it provides a little of
25 the context for the entire strategy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I left them in a package for that
2 reason, but I won't dwell on them. I will go through
3 sort of a background of why we are doing this
4 strategy, and the framework, and example calculation,
5 and summarize things at the end.

6 When I put these out for comment by
7 others, everyone told me that I had a typo in terms of
8 the example in caps. That was intentional. It was
9 not a typo. I just want to stress that these are
10 preliminary calculations being done as an example.

11 We expect to improve upon them, but this
12 is really being done in the context of are there
13 elements of a strategy that seem to be working, and
14 other elements may not until we have done some simple
15 preliminary calculations.

16 And that's why example is in caps. We
17 aren't trying to suggest that we have been as thorough
18 as we have, say, in some of the TPA calculations,
19 where we do a sensitivity analysis every couple of
20 years.

21 And this is in a much smaller scale.

22 But it is quickly going to get into a much
23 more systematic and comprehensive evaluation like this
24 TPA calculation, and sensitivity analysis results that
25 you have seen in previous meetings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With that as the background, and as was
2 said, the staff -- we are intending to conduct a
3 number of analyses. We think it is a benefit to have
4 a framework for doing these analyses for a lot of
5 reasons.

6 One would be that we want to make sure if
7 there are any holes in our strategy, and that, gee, we
8 are not prepared to review the license application in
9 this area. We want to make sure and shore up those
10 holes.

11 It also -- I will have to say in terms of
12 risk communication/risk prioritization, I will say
13 that being in PA for the last 20 years, I will take
14 the blame for this. We have not done a good job in
15 being able to communicate risk and communicate how we
16 are prioritizing things.

17 And I know that the committee for years
18 has been pushing at us. We don't quite see how you
19 are prioritizing work based on risk. And the
20 information is there, but somehow we aren't squeezing
21 out the results, the information that allows people to
22 see where the risks are, and the prioritization of
23 different aspects of the program relate to the risks,
24 et cetera.

25 And I think that part of this framework is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to get at how can we best explain the risks,
2 display the information, and display the
3 understanding, which then allows you to prioritize
4 according to risk.

5 And hopefully -- and I think there is some
6 information that we will be presenting that I think we
7 can finally get to that path where there is a clearer
8 explanation of that.

9 In terms of the analysis types, and I am
10 on Slide 5, that we presented in September, the
11 analysis types have not changed. We are looking at
12 four broad categories of analyses.

13 One with respect to the overall repository
14 system. Next, the capabilities of the engineer and
15 natural barriers which I focused on primarily in
16 September.

17 The effects of uncertainty in parameters,
18 and the effects of potential limitations of the
19 technical basis. And those four -- in September, I
20 merely went over the capabilities of the engineer and
21 natural barriers.

22 Today, I will go over all four, although
23 I will be a little shorter on the barriers because of
24 what I did in September. So going to the first
25 calculational area, the overall performance of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 repository.

2 In terms of the regulatory context,
3 clearly there is the quantitative performance
4 objectives for human intrusion, ground water
5 protection, and individual dose.

6 Why are we doing those? Well, in our
7 review of the DOE license application, this provides
8 an independent assessment of the DOE performance
9 assessment, and it also allows us to identify some of
10 the risks, important parameters, models, assumptions.
11 We are doing that through a sensitivity analysis.

12 We would put the sensitivity analyses we
13 do with respect to the overall quantitative goals,
14 limits, in this category of the overall system
15 performance.

16 The next slide shows the analyses, and
17 clearly we are looking at the calculation of the
18 expected dose, and then also a calculation of the
19 concentration and ground water, and doing sensitivity
20 analyses.

21 So those are the simplest ones to
22 understand, and obviously there is a quantitative
23 limit. The next category of analyses is the
24 capability of the barriers, natural and engineered.

25 The context for the regulation as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed a little it in September was clearly the
2 repository is to be compromised of both engineered and
3 natural barriers.

4 The rule requires the Department to
5 describe each of the barriers' capability, and I guess
6 in terms of capability that a barrier is defined as
7 something that -- and I include the definition here,
8 that substantially reduces the flow of water or
9 radionuclides, or the release rate from the waste.

10 And so the barrier -- some people have
11 implied at times that a barrier could be anything, and
12 I think the definition of a barrier ties in that. It
13 does have to be something. It is not any travel time,
14 or any delay would not be sufficient to be categorized
15 as a barrier.

16 In terms of the rationale for the
17 analyses, once again it provides an independent
18 evaluation of DOE's description of a barrier's
19 capabilities. It helps our interpretation of the
20 performance assessment.

21 And I think this really is one of the
22 biggest aspects of barrier capability. When I look at
23 a performance assessment result, for example, and
24 let's say an RPA, and I think that our dose at 10,000
25 years is .02 milligrams.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That is a low number. There is almost --
2 I have no basis for saying why should I believe that
3 number. It is small, and below the limit. I think
4 the capabilities of the barriers, a good description
5 there, you can look at those capabilities, and then
6 begin to understand whether that particular dose that
7 is being estimated by the PA code, the code makes
8 sense relative to the capabilities of the different
9 barriers.

10 And in my example, I think you will see
11 that I will go into a lot more detail when we get to
12 that part of the slides. And certainly it allows to
13 -- when you look at the capabilities of the barriers,
14 you also identify what are the more significant
15 barriers, and from the standpoint of Part 63, we are
16 expecting the technical basis would be commensurate
17 with the importance of the capabilities of particular
18 barriers.

19 And barriers that do a lot, we would
20 expect to see substantial technical basis supporting
21 that barrier. In terms of the analyses that we might
22 do, and here is where it is hard not standing up and
23 pointing, but I guess I will have to a little bit
24 here.

25 Here is where I would like to get into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation of September and the letter. You will
2 see or I will point to the tracing or following of
3 radionuclides through the system, and what the
4 committee suggested.

5 We aren't as quick as the letter would
6 indicate. Obviously the letter I think was sent out
7 on December 6th. We were here when the committee
8 wrote the letter and heard the discussion, and that
9 particular aspect about tracing radionuclides through
10 the system got us to thinking.

11 And you will see some calculations that we
12 had done to try to in a rudimentary way implement that
13 idea. I think that is very useful. In terms of the
14 kinds of analyses we would do, you are looking at
15 performance indicators with respect to a particular
16 system or component, a subsystem or component.

17 That actually should be subsystem rather
18 than system. And you are looking at hold up time for
19 specific radionuclides, and you could have release
20 rates and water contact.

21 Also, pinch points. The committee also
22 has suggested that there might be particular parts of
23 the calculation where you could go in and look at
24 possibly the release of radionuclides at that
25 particular point, be it be, let's say, at the bottom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the unsaturated zone, et cetera.

2 All those kinds of things are analyses
3 that we would do all in the context of understanding
4 what the barriers are doing, but also understanding
5 the repository system.

6 Next is the uncertainty in parameters and
7 models, and the regulations specifically requires the
8 department to account for uncertainty and variability
9 in parameters.

10 It also requires the Department of Energy
11 to look at alternative models that are consistent with
12 the data, uncertainty in the models. There is also
13 with respect to FEPS, features, events, and processes,
14 the DOE is required to look at and consider the FEPS
15 effect in both the timing and the magnitude of the
16 dose.

17 And that is important, and I think that
18 everyone sort of focuses on the magnitude of the dose,
19 but it also talks to the timing of the dose, and you
20 will see that in some of the suggested analyses that
21 we will do associated with that timing of the dose.

22 With a 10,000 year cut-off, it is
23 important to consider uncertainty in estimating the
24 timing near and around that 10,000 year compliance
25 point. In terms of the rationale for our analyses, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly want to understand the effect of uncertainty
2 on the results.

3 And also this isn't just with respect to
4 the dose estimate. It also has to do with respect to
5 the capabilities of the barriers. That is included in
6 the uncertainty analysis.

7 We want to evaluate DOE's treatment of
8 uncertainty, and it helps us review the license
9 application. Also, as we have noted, often times
10 conservatism is used as an approach to deal with
11 uncertainty.

12 These calculations that we might do, we
13 need to understand the uncertainty as it relates to
14 DOE's use of conservatism. And certainly we want to
15 understand where the important uncertainties are, one
16 again, with respect to the technical bases.

17 It is hard to separate the technical bases
18 from the uncertainty. In terms of the analyses one
19 might do, you are familiar with certainly some of the
20 uncertainty analyses that we presented in previous
21 meetings for TPA exercises.

22 There is also looking at alternative
23 conceptual models, and also going as we have presented
24 to the committee, analyses beyond 10,000 years.

25 We are not trying to push the compliance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 period beyond there, but you want to be sensitive to
2 uncertainties in estimating the arrival times of
3 certain radionuclides, and how important are some of
4 those assumptions, models, with respect to the timing
5 of the dose, and that is an important aspect.

6 And finally the fourth area is potential
7 limitations in the technical basis, and clearly the
8 regulation requires DOE to provide a technical basis
9 for the performance assessment, and we have even
10 talked to the comparisons with detailed models,
11 empirical observations, including natural analogs.

12 That is one aspect. The other aspect is
13 in the regulation one of the reasons that there is a
14 multiple barrier requirement is that it enhances the
15 resiliency of the repository.

16 You aren't relying on strictly one
17 barrier. You have multiple barriers. And part of
18 looking at the limitations in the technical basis is
19 that it is tied to that multiple barrier requirement.

20 As you will see the rationale for doing
21 this is that it is a way for us to examine the
22 resilience of the repository to unanticipated
23 conditions or events.

24 We want to understand the degree of
25 conservatism, and there is a certain safety margin if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you will that is applied, and the fact that we have
2 multiple barriers.

3 We want to examine the significance of
4 potential misinterpretation of the current
5 information, and that here is our -- it is getting at
6 the limitations of the technical basis.

7 We have a technical basis and the
8 Department will put forward a technical basis in our
9 review, and what are some potential limitations there
10 where we might be wrong.

11 This is really sort of the what if
12 question, and certainly understand the relationship
13 between barriers. There is a masking effect that I
14 will also get into quantitatively in some of my slides
15 later on.

16 But there is a problem with looking at the
17 repository system in the context of the single dose
18 value, because by the time that you get there, you may
19 have 4 or 5 different barriers, and depending on the
20 effectiveness of the different barriers, it is hard to
21 understand the contribution for what effect the
22 different barriers downstream are.

23 Clearly the waste package, my own personal
24 opinion, it shows up the most important, because until
25 it leaks, nothing gets out. It has to leak before you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see anything, and so that first barrier always tends
2 to -- has the potential to cloud the thinking of the
3 other barriers.

4 And that masking effect is getting at
5 trying to understand limitations actually in our
6 analyses, depending on how it is done. And we are
7 hoping to do -- you will see additional calculations
8 that I think help give us a clearer view of what is
9 going on.

10 The analyses that we might do in this
11 context is certainly looking at performance beyond
12 10,000 years. The reason that I give an example of
13 the waste package here, is if I do the current version
14 of the TPA code, and if I run it, no waste packages
15 fail in 10,000 years.

16 Well, that is an interesting result. It
17 certainly is a value to run it longer, and to go
18 beyond 10,000 years and see the nature of the
19 failures, be they corrosion failures, and how it
20 fails, and to what extent, et cetera.

21 And so in looking at the waste package,
22 you want to go beyond.

23 MEMBER GARRICK: In the spirit of
24 probabilistic thinking, do you really mean to say that
25 there is no failures here. That the probability is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extremely small?

2 MR. MCCARTIN: Well, we certainly have the
3 initial defectives, but I am saying that with the
4 current TPA code, the estimate is that there are no
5 failures in our code prior to 10,000 years.

6 CHAIRMAN HORNBERGER: How about if you did
7 2 billion realizations?

8 MR. MCCARTIN: I would say that we still
9 would get with the current version no failures, but
10 you are right. There could be additional chemistries
11 that could be considered. Additional rock falls that
12 could affect, and that if added in, and that is part
13 of what in looking at the results that you have to
14 look at, is what is included in the calculation and
15 what is not included.

16 And I would agree that if you included
17 more things that at a very low probability that you
18 would get additional failures.

19 MEMBER GARRICK: Yes, because even in a
20 probabilistic analysis, there is a number of parameters
21 that are assumed to be constant, and therefore, at the
22 micro level, if you violated the strategy of a
23 probabilistic approach, but it is what has to be done
24 in most cases to make the model realistic.

25 MR. MCCARTIN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Or to come up with a
2 model that is manageable. But, for example,
3 solubility. If you assume that solubility is
4 constant, certainly that is going to be a different
5 result probablistically speaking than if you assume
6 the solubility has a probability distribution.

7 MR. MCCARTIN: Yes.

8 MEMBER GARRICK: And so if you are really
9 rigorous and really systematic, the answer is that it
10 is probablistic rather than yes or no, or zero or one.

11 MR. MCCARTIN: Yes, absolutely, and there
12 is no question that the corrosion rate that we have in
13 our code, and DOE has in theirs, is very related to
14 temperatures in the range of chemistries that one
15 assumes in the code.

16 And a lot of the work that we do for
17 corrosion, we do off-line to see do we have the right
18 mix of corrosion chemistries in our code, and which
19 would absolutely change the potential for some
20 corrosions.

21 And that is one of the actual upgrades
22 that we are doing to our particular TPA code
23 currently.

24 MEMBER GARRICK: Yes.

25 MR. MCCARTIN: In terms of evaluating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 barrier effectiveness, we have seen DOE use, and we
2 have done some of this also in the 5th and 95th
3 percentile distributions to see how the effectiveness
4 of the -- of what the barrier does relative to the
5 uncertainty in some of the parameters for that, and
6 the graded barrier analysis where you may in the
7 spirit of a what if calculation, you might degrade the
8 barrier somewhat to see its effect on performance.

9 And you can see that there is a range of
10 different analyses we are suggesting. We are in the
11 process of trying to estimate or get together with
12 which ones of these do we want to start on now, and
13 how to order them, prioritize them.

14 And you are going to see I think in each
15 one of the bins different analyses that we are going
16 to propose. We can't do them all at once, but we are
17 digging a little deeper to see are these the right
18 kinds of analyses, and are there other things that we
19 should be doing.

20 And this is where, and obviously not
21 necessarily today, but if the committee can look at
22 the kinds of analyses, and the different bins, and
23 provide suggestions, that would be helpful.

24 And we hope to provide quantitative
25 analyses of all of these. All of this is being done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the context of reviewing DOE's TSPA. and I think
2 what we also want to do is that we initially want to
3 look at our results in our TSPA code. We just know it
4 a little better than the DOE's.

5 However, that has to change or is going to
6 change over the next few years. You are going to
7 start to see, okay, here is what the information, and
8 the understanding we have from our code, and how do we
9 understand DOE's code.

10 There are differences, and there are
11 similarities, and start to relate them to the DOE
12 results. And I think that does line up very nicely
13 with what Dr. Hornberger suggested, in terms of the
14 March meeting.

15 And also today we are using primarily our
16 own results, we are looking at the DOE results and h
17 ow they relate, because it is really what DOE is
18 relying on and what their technical basis is.

19 And with that, I will go to the numerical
20 part of the presentation if you will, and I have to
21 stand up for this still, although this is pretty low.
22 And as a first cut, one of the problems that I had in
23 a broad sense with risk informing, although I am a
24 strong advocate for risk informing, one of the
25 problems is that when we do our dose calculation, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see doses due to iodine and technetium almost
2 exclusively.

3 And we aren't getting information about
4 all of the other radionuclides, and in trying to get
5 a sense of should I be concerned about that or not.
6 And what I have attempted to do is try to put some
7 perspective on the inventory in the repository,
8 looking at a sweep of a few radionuclides.

9 I did this a little bit at the last
10 meeting, how I upgraded it is. You can look at the
11 percent of the curie amount for the repository, and I
12 decided to calculate a percent of the hazard of the
13 repository that each of those nuclides represents.

14 And I calculated the hazard by multiplying
15 the inventory by the dose conversion factor. Not
16 surprisingly --

17 VICE CHAIRMAN WYMER: How did you get your
18 inventory? I mean, there is a whole spectrum of spent
19 fuels in there with various --

20 MR. MCCARTIN: It has been published. I
21 mean, it's not -- I am just using the published amounts
22 for spent fuel that have been around for quite a
23 while.

24 VICE CHAIRMAN WYMER: And that is pretty
25 complicated to do it accurately, and maybe that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good enough.

2 MR. MCCARTIN: Well, you might see some
3 small changes. I don't think in terms of when you are
4 looking at, let's say, 63,000 metric tons, you are
5 pretty close in the ball park.

6 VICE CHAIRMAN WYMER: A lot of different
7 burn-ups and so on, but okay.

8 MR. MCCARTIN: Yes. Not surprisingly, the
9 Americium 241, which is the largest inventory,
10 actually has a fairly high dose conversion factor, and
11 represents 56 percent of the hazard, and plutonium
12 240, 25 percent.

13 Interestingly, iodine and technetium
14 combined represent less than one-thousandth of one
15 percent of the hazard of the inventory in the
16 repository, which I didn't think was going to be quite
17 this low.

18 But it is something to keep in mind, that
19 when we are looking at the iodine and technetium
20 doses, we are looking at a very -- for the repository,
21 a minuscule amount of the hazard.

22 The question is what are we doing about
23 the large portion of the hazard. We are not seeing
24 doses from that, and I think that is an important
25 aspect. I mean, these are five radionuclides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I get it for nine altogether, and
2 plutonium 239 is 18 percent, and I decided to include
3 selenium and nickel just to test what will I learn by
4 including sort of a range of radionuclides from the
5 inventory.

6 And you can see that it is a very, very
7 small amount of the hazard, but the question is, and
8 as someone on the committee suggested, let's trace
9 some radionuclides, and I want to trace both the ones
10 that are causing the dose, and the ones that have the
11 highest hazard, and maybe some other radionuclides
12 just to see what does it tell me.

13 And with that as a perspective on the
14 inventory, in tracing the radionuclides through the
15 system, I wanted to try to get a number that was
16 comparable between the different -- between different
17 points.

18 And so I came up with a way to calculate
19 years for each of these. Clearly at the top, waste
20 package lifetime is relatively simply and needs no
21 explanation.

22 In terms of solubility limit, I elected to
23 pass a hundred liters per year through a waste package
24 and see how long would it take to reach out to the
25 inventory in a waste package based on a hundred liters

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 per year, and that it was all available to go in the
2 solution.

3 And how do they get a hundred liters per
4 year you might ask. I took a depeculation rate of 10
5 millimeters per year, a cross-section of the waste
6 package of 10 meters, and if all that peculation went
7 straight down through the waste package, that is a
8 hundred liters per year.

9 And once again, just to get an idea of
10 different ways or different points in the system to
11 calculate a delay time, and see what it is telling you
12 for a release rate.

13 The fuel isn't released instantaneously,
14 and for this I just assumed a 10 to the minus 3 per
15 year release rate, which would be the fuel that is
16 completely released in a thousand years.

17 Then using some of the calculations for
18 that, some of which I had in September, in terms of
19 transport time in the Calico Hills non-welded, vitric
20 unit, which -- and the reason for a non-welded vitric
21 unit, it is a very high conductivity porous unit, and
22 so the flow is primarily porous, and not fracture
23 flow.

24 And then for the saturated zone, the
25 transport time in the saturated fractured rock would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be primarily fractures and matrix diffusion, and
2 transport time in the saturated alluvium.

3 In using these calculations, first in
4 terms of the number, the radionuclides that we see
5 primarily in the dose calculations, and I included
6 path life, and hazard index as I called it for these
7 different radionuclides.

8 This is somewhat what I presented in
9 September, and you can see that the release rates was
10 assumed to be a thousand years, and the waste package
11 lifetime on average, the TPA code does estimate
12 approximately a 50,000 year lifetime.

13 You can see for solubility limits that
14 iodine and technetium obviously are very soluble. But
15 for neptunium, it takes 8,000 years at a hundred
16 liters per year, which is a fairly high flow rate
17 through the waste package.

18 If it was less than that, this would
19 increase, and you can see the travel times through the
20 unsaturated zone and the saturated zone add up to
21 approximately about a thousand -- once again, iodine
22 and technetium are unretarded.

23 Neptunium is retarded in the porous
24 unsaturated zone for that particular unit. I will
25 point out that is one important difference between our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation and DOE's at present.

2 We have approximately -- this unit being
3 below, about 50 percent of the footprint, and DOE has
4 this unit throughout below the footprint. And then
5 the saturated zone in the alluvium of 20,000.

6 However, when one goes to the next set of
7 radionuclides, three radionuclides that in terms of
8 hazard make up around -- I should be able to do that
9 but I didn't, but I think it is around 97 percent of
10 the hazard, and it is a fairly high percentage of the
11 hazard.

12 Once again you have 50,000 years for the
13 waste package lifetime, and in terms of solubilities,
14 you can see for these three radionuclides that if they
15 are limited by solubility, you are getting on the
16 order of a hundred-thousand years upwards of a few
17 million years to release the contents of a single
18 waste package at a hundred meters per year.

19 The release rate, once again, is assuming
20 a 10 to the minus 3, and so it is a thousand years.
21 And in the porous unsaturated zone, over a hundred-
22 thousand years.

23 And in the alluvium, over a hundred-
24 thousand years; and 5,000 years less for the
25 plutonium. Part of what this will allow us to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though is you can see that interestingly enough, or
2 not surprisingly, we never see any of those
3 radionuclides.

4 We can't run the code long enough to see
5 anything for these radionuclides. And so when you --
6 and this is a part of the risk informing, that yes,
7 iodine and technetium are producing a dose, but the
8 flip side of that is that I look at these three
9 radionuclides that account for a tremendous amount of
10 the hazard of the high level waste inventory are
11 completely screened out of the analyses.

12 Why? Well, there is a number of reasons
13 why. I mean, you can see halfway here, in 430 years,
14 a very long waste package is gone. However, the
15 solubility limits is gone also before much can get
16 out.

17 You have got other -- be it the
18 unsaturated zone, or the saturated zone, you have
19 tremendous delay times there, and that it is never
20 going to get out.

21 MEMBER GARRICK: Tim, if you were to
22 become more rigorous with respect to a couple of
23 processes, would you think that would have any effect
24 on this, on these numbers?

25 MR. MCCARTIN: Coupled in what sense?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Well, in the mobilization
2 process given all the chemistry that is going on, and
3 it is not as if it is a single radionuclide with a
4 specific solubility seeing just water. It is seeing
5 a lot of other things as well.

6 MR. MCCARTIN: Oh, sure. Well, to be
7 continued, I guess.

8 MEMBER GARRICK: Okay. I was just curious
9 if you had done anything to maybe account for that, or
10 --

11 MR. MCCARTIN: Well, that is the point of
12 this slide in terms of risk-informing and risk-
13 prioritization. I think part of the previous slide
14 you saw for iodine technetium, really pretty much the
15 release rate, and how we are handling the release
16 rate, is the primary way we could affect what
17 eventually gets to people.

18 That with no retardation, it moves rather
19 quick, and it is a small spiking release, because
20 there isn't a lot of inventory, but that is the one
21 area to look there.

22 When I look at these radionuclides, I
23 think there is a story here that in the calculations
24 there is capabilities in many different spots that
25 significantly delay americium. Now the thing is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we need to go in and look at it, and say, boy, that is
2 a tremendous delay, and what is the uncertainty.

3 What other kinds of things could affect
4 this, and I am not a geochemist, and so I am not going
5 to say that. But I think from a PA perspective, we
6 would like to go back and challenge, okay, this would
7 appear to be a lot of capability. What are the things
8 that could affect it.

9 Likewise for these. Also, I think from
10 risk-informed barriers, I look at this, and it isn't
11 just that this hazard is 56 percent, but I have got a
12 waste package solubility.

13 I have got a number of places where I have
14 potential to affect that release significantly. And
15 I think it is worth looking -- we need to consider the
16 uncertainties, and like you say possible coupling
17 effects, et cetera, because the chemistry could be
18 very important there.

19 And it is a way to try to prioritize.
20 Maybe there is very little uncertainty here, and a lot
21 more here, and there is going to be trade-offs. And
22 I don't right now, as a first step, first, it is
23 displaying what kind of behavior are we seeing. How
24 is the repository working, and where --

25 MEMBER GARRICK: Where this is very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valuable, among other places, is that it draws a clear
2 distinction between hazard and risk, you know, and
3 that is something that is often very confusing to the
4 public.

5 And I think if you adopt the hazard
6 definition of the dictionary that says that it is a
7 source of danger, then that is a very different
8 concept than risk, and I think this explains it very
9 well, and portrays that very well.

10 VICE CHAIRMAN WYMER: Tim, two of the
11 principal contributors to dose are technetium and
12 neptunium. Is that not right?

13 MR. MCCARTIN: And iodine.

14 VICE CHAIRMAN WYMER: And iodine.

15 MR. MCCARTIN: Well, you know, neptunium
16 --

17 MEMBER GARRICK: It depends on the kind,
18 and for a very, very long time, it was pretty much
19 neptunium.

20 VICE CHAIRMAN WYMER: Now, all three of
21 those elements are very subject to adopting different
22 valance rates. If there were mechanisms available for
23 changing the valance of these, that have you
24 considered at all the effect of that in some of these
25 calculations, and that they may be a different species

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than you are assuming?

2 MEMBER GARRICK: That is what I was
3 getting at with a couple of processes.

4 MR. MCCARTIN: To date, no. But I think
5 it is something -- and I don't know if these are the
6 right categories, the solubility and release, but it
7 is a way to try to understand in my mind where are you
8 getting some performance.

9 VICE CHAIRMAN WYMER: I understand that,
10 yes, but it's just that there are other things that I
11 personally think should be considered.

12 MEMBER RYAN: Tim, there is another couple
13 of lines that you could add on the bottom. For
14 example, you could take it through the alluvium, and
15 if you then think about withdrawal scenarios and then
16 the actual calculation of dose, I would suggest that
17 there are two more lines.

18 There is a lot of variability. Well, let
19 me just say it this way. That the withdrawal and
20 exposure scenarios are very stylized. So there is I
21 think a lot of fruitful thought that can go into
22 whether are those conservative and by how much.

23 I think that, for example, the withdrawal
24 of water then becomes the only source of water for
25 everything, including growing food, recreation, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everything else. So that is something to consider
2 there.

3 The last one that is very often ignored
4 the dose conversion factors. We are all using FRC 19
5 or ICRP 30, or something, and those dose conversion
6 factors are intentionally conservative for the purpose
7 of protecting workers.

8 Those are not environmental dose
9 conversion factors that take into account
10 environmental chemistry and other processes. So years
11 ago, I took a look, for example, at plutonium.

12 And the GI tract uptake fraction, which is
13 critical to actually calculating a dose, was somewhere
14 up in the 90th something percentile of the range of F-
15 1 values that were out there in the literature.

16 And so the inherent nature dose conversion
17 factors are very conservative. And I am going to
18 offer that only to say why don't you add those two
19 lines and see what that gives us.

20 And another thing, for example, with
21 iodine being on top of the list, particularly iodine
22 129,
23 I have never really seen a satisfactory treatment of
24 iodine 129 dilution in the iodine pool.

25 If you have Iodine 129 and it is competing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the iodine pool, you will find out that you will
2 load the thyroid very quickly before you can have a
3 limiting dose from I-129.

4 Because if there is normal iodine going
5 in, and all those Loci are taken up, you can't have
6 it. So there is some other -- and maybe that is the
7 next level down.

8 But I think there are some other things
9 that would be very helpful once, you know, Iodine is
10 at the top. Okay. Well, let's pour in the details.
11 So there is just some other areas on the actual
12 exposure scenario and dose calculation part that I
13 would proffer as being good extensions of this
14 analysis.

15 And I applaud, and it is very systematic
16 and clear how things get ranked pretty quickly. So it
17 is real helpful.

18 MEMBER LEVENSON: I think, Tim, on the
19 solubility issue that somewhere along the line you
20 really need to define what species you are using for
21 your base case, because if you are using the most,
22 very most soluble form, then you don't have to worry
23 about all of the chemistry that might occur, because
24 they all will be reducing the solubility.

25 So you need to have some feel for whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your base case solubility is most soluble, least
2 soluble, little, or a lot.

3 MR. MCCARTIN: Right. It is a fairly
4 important issue. And I think for all of these,
5 although I have reduced things to a single number,
6 which is always dangerous, there are many things that
7 I think -- and consistent with your December 6th
8 letter that can we point to each of these and what the
9 evidence is, and what the uncertainties are, et
10 cetera, to give a sense of -- to put that number in
11 context.

12 And I would like to think that ultimately
13 we could look at our agreements and prioritize
14 according to how the system is behaving. Likewise,
15 something that I didn't talk about.

16 I mean, these are very low
17 solubilities, and certainly the Department of Energy
18 has colloids for plutonium that certainly defeat this
19 long time. So I don't want to imply that -- and
20 that's why I used the example in capital letters.

21 I was encouraged that in terms of trying
22 to understand the system, and get a grasp of the
23 system, where should I be looking. Should I be
24 looking over there or over there. This is a way to
25 start to begin to understand where I should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking.

2 But clearly there is a lot of work in each
3 of these to understand better what this number
4 actually represents, the uncertainties and technical
5 information supporting it. Did you have something,
6 Andy, you wanted to say?

7 MR. CAMPBELL: Yes. This is Andy Campbell
8 from the NRC staff. I just wanted to add to the issue
9 of a couple of processes. A lot of these
10 radionuclides, the information that Tim is drawing
11 from, involves both experimental data, as well as
12 geochemical calculations that the Department has done
13 over the years, and that the NRC and the Center have
14 done over the years.

15 And to the extent that that work has
16 addressed this issue of how chemistry changes as it
17 transports through the various layers and systems,
18 there may a need for more work on couple processes,
19 but this is kind of a first order look at that to see
20 where you focus those efforts, because that can be
21 quite involved.

22 MEMBER GARRICK: So what you are saying is
23 that it is sort of partially embedded in the database?

24 MR. CAMPBELL: That's correct.

25 MEMBER GARRICK: The effect of couple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processes?

2 MR. CAMPBELL: That's correct, yes.

3 CHAIRMAN HORNBERGER: Andy, are you saying
4 that this is not all based on congruent dissolution?

5 MR. CAMPBELL: Well, a lot of what Tim is
6 showing you from the various units have to do with
7 retardation factors.

8 CHAIRMAN HORNBERGER: Well, I know that,
9 but I am talking about solubility.

10 MR. CAMPBELL: Well, it depends. I mean,
11 technetium and iodine, the solubility is assumed to be
12 one. It is assumed to dissolve.

13 CHAIRMAN HORNBERGER: I thought that you
14 were hinting somehow the experiments have been done to
15 incorporate at least to a certain extent couple
16 processes. I always thought that we were assuming
17 congruent dissolution of the fuel. I mean, has anyone
18 done anything in congruent dissolution?

19 MR. CAMPBELL: That I don't know right off
20 the top of my head, but that is a source term issue as
21 opposed to some of the KD values that Tim is
22 incorporating for each of these different units.

23 MR. MCCARTIN: Yes, for this calculation,
24 I am merely using the solubility limits, and assuming
25 that it already is available.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Going to the last three nuclides, you can
2 see once again not surprisingly uranium has a very low
3 solubility and so there is some significant delays
4 there.

5 The reason that I was -- and I can tell
6 you that I picked selenium and nickel just by chance.
7 I don't know what made me, and maybe something drew me
8 to them. I don't know.

9 But oddly enough, when I did the
10 calculations with the TPA code, I said I must have
11 done something wrong, because if I look at the
12 saturated zone I can see that I have a delay time in
13 the saturated fractured rock that is greater than the
14 delay time in the alluvium.

15 And I said that there is no way. It just
16 can't be. The alluvium always -- I mean, it is porous
17 flow, and when I looked further actually it was
18 correct. Whether our parameters are justified, that
19 is a different issue.

20 But the reason that this occurred is for
21 the alluvium, we are sampling the retardation factor,
22 and it samples over a fairly broad range. And I will
23 say for alluvium that the retardation factor is
24 sampled between 1 and 8,000.

25 So you can see that because of the one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we are going to see that when this was done over
2 -- it was a probablistic calculation and we tend to --
3 and I am using the average result, we are pushed to
4 the lower end there.

5 For the fractured rock, we have matrix
6 diffusion. And however the retardation factor for the
7 matrix is not sampled, and we are using a value of
8 approximately 2,000.

9 And here you can see that we were sampling
10 between 1 and 8,000 and a value of 2,000, well, the
11 fact that it wasn't sampled, we are getting a greater
12 delay in that part of the system.

13 Once again, for me I am not disturbed by
14 that. I think the reason that you are doing these
15 kinds of calculations is to understand your system.
16 Now, it certainly is worth going back and looking at,
17 gee, we are sampling the KD here in the alluvium, and
18 we tend to pick a single value that tends to be on the
19 higher end here.

20 What is our basis for that, and that is
21 the whole reason for learning what is going on and
22 why. I mean, we may end up revising that, but I think
23 that is the reason that I would not have guessed that
24 was occurring.

25 Selenium and nickel are some of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuclides that we don't really look at because they are
2 never causing a dose, but I think for all of the
3 calculations that we want to have a technical basis
4 for why you are doing something.

5 You want to be consistent, and you want to
6 be able to explain all of the results. And conversely
7 when I look at, say, neptunium, we have a similar kind
8 of flip flop of this.

9 The reason for that is for neptunium that
10 single value tends to be on the low end, and maybe we
11 did that -- it was done because we want to be
12 conservative for neptunium, because it could be a
13 large dose contributor.

14 Here we didn't look as closely at what was
15 done there because it never shows up, but I think it
16 points to ways to double-check your logic, your
17 thinking, what you are putting into the code.

18 And ultimately I point back to what we
19 need to do is to have a good understanding of what is
20 going on with our results, and then we can start to
21 move to the risk prioritization, risk informing things
22 based upon a knowledge of what we are doing.

23 MEMBER RYAN: Tim, I guess that to me that
24 that last part, where you are comparing those 3,600
25 versus the 2,000 kind, that sort of says that even if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are variations or changes like the ones that you
2 have described, it doesn't move selenium or nickel out
3 of the low hazard index group, or as dose
4 contributors.

5 I mean, I think that is real helpful to
6 help confirm that nothing is moving from one of low
7 risk up to an intermediate or even a higher risk. So
8 I think that is real helpful from that standpoint.

9 I guess it doesn't suggest to me that you
10 would want to somehow further study that or
11 investigate it. It is just a confirmatory sort of
12 activity?

13 MR. MCCARTIN: Yes. That's a very good
14 point, because yes, if you look at the hazard index,
15 these are very low hazard things. It is not to say,
16 oh, boy, we really need to understand this. It is
17 getting -- what is our rationale here in understanding
18 that.

19 MEMBER RYAN: Great.

20 MR. MCCARTIN: And I think that is an
21 important part of keeping the hazards in mind there.
22 You want to -- the risk informed process is one of
23 that you want to spend the effort on the things that
24 can make -- relative to their contribution to risk.

25 MEMBER RYAN: And again the hazard index

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is really the dose conversion factor. So I would
2 suggest to you that those aren't fixed points either.
3 Those are also subject to - and in some cases - fairly
4 substantial potential variations based on the GI tract
5 uptake fractions and other parameters in the modeling
6 for dose.

7 MR. MCCARTIN: Yes.

8 MEMBER RYAN: Some radionuclides, for
9 example, are based on plutonium chemistry, and many of
10 the other actinides are not based on any particular
11 understanding of curium metabolism.

12 But it is assumed to be like plutonium.
13 So there are things like that which I think have the
14 potential to maybe make some shifts in the hazard
15 index, but that is a variable that I would put not in
16 the header, but down on the line to think about.

17 MR. MCCARTIN: Yes. And it is still dose
18 conversion factor times inventory, because that is the
19 part that I think is very important, because if I just
20 had dose conversion factors, there would not be such
21 a spread in hazard.

22 But the fact that i.e., technetium or a
23 small portion of the inventory -- selenium and nickel
24 -- are also a relatively small portion of the
25 inventory. And I guess as we move forward trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prioritize and look at the agreements that we have, do
2 we have the right agreements in place.

3 I think they are, and once again I think
4 here is where the committee could help us out. There
5 is a lot of information here, and as I said, clearly
6 there is stuff behind all of these numbers that need
7 to be understood.

8 But between the hazard index, and what is
9 going on at different points of the system, and how
10 many of the different points are providing how much
11 delay, there is a lot to consider in terms of what we
12 should be doing.

13 MEMBER LEVENSON: Tim, from the standpoint
14 of a couple of processes, I am having a little trouble
15 with the idea of assuming the solubilities. When you
16 look at the uranium number, it is going to be a long,
17 long time before any of that stuff is really available
18 for dissolution.

19 It doesn't come flowing out of the middle
20 of the crystals and matrix of the material, and the
21 largest group from many of the things that you have
22 got there, the very largest delay in retention is
23 likely to not be in the UZ or the SZ, or anywhere
24 else, but just even with water dripping through the
25 dam containment, the stuff is locked up inside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uranium.

2 And until the uranium dissolves, it is not
3 available for solubility.

4 MR. MCCARTIN: Yes. Now, I will say
5 though that the calculations to date, the release
6 rates in the DOE code, and in ours, too, are
7 relatively fast. Now, there may be that there is some
8 uncertainties there that we are not considering, but
9 --

10 MEMBER LEVENSON: But what are they in the
11 physical world, and not what are they in the model.

12 MR. MCCARTIN: Right. Well, both the
13 values for the solubilities, and some of the release
14 rate is based on experimental information, and some
15 measurements. It is limited -- and I know that Dick
16 Codell, who has worked a lot on source term issues,
17 may be able to add something.

18 MEMBER LEVENSON: It is not so much the
19 solubility as the release rate.

20 MR. MCCARTIN: The release rates tend to
21 be fairly and surprisingly higher than are estimated
22 in the model, and vary temperature dependent, but
23 Dick, do you have something there?

24 MR. CODELL: Yes, I would like to clarify.
25 This is Dick Codell. Both our model and DOE's model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- and we are using the same data, of course, show the
2 release rates quite a bit higher than just the
3 solubility release of uranium.

4 The rates for most things are more tied to
5 the rate that the uranium degrades, and this isn't
6 dissolutionment. It is oxidation of the uranium, UO₂
7 to higher oxides, and other higher valance states.

8 So there are some instances that are
9 important, like neptunium being tied back up into
10 secondary uranium minerals like schoepite, and then
11 may be retained and released at a lower rate as the
12 schoepite dissolves.

13 But the rates are very much higher than
14 you would expect just from dissolution of the uranium.

15 CHAIRMAN HORNBERGER: But, Dick, I guess
16 another question is are these then based -- and I
17 assume they are, on empirical observations done in hot
18 cells dissolving fuel?

19 MR. CODELL: Yes, indeed. There is quite
20 a bit of that going on or went on at Batelle,
21 Northwest, and also at Argonne.

22 VICE CHAIRMAN WYMER: Is that based on
23 fairly long term dissolution or is it short term? Is
24 it a question of whether it is sufficial release, or
25 whether it is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CODELL: Well, it is both. If you are
2 looking at release rates for things like iodine, there
3 are fast release pads from the iodine and the cesium
4 being so volatile that they migrate to the surface or
5 to the gap between cladding and the fuel, and they can
6 be released. A small fraction of that can be released
7 rather quickly.

8 And we take that into account in our PA
9 model, but there are long term experiments that go on
10 for a period of a few years, and at grains or small
11 fragments of the actual spent fuel.

12 VICE CHAIRMAN WYMER: Well, if we are
13 dealing with discussing the inventory of these things
14 in the fuel, then you really have to be talking about
15 fairly complete dissolving of the entire uranium body.

16 MR. CODELL: No, it will take a very long
17 time to dissolve it all, but it is really tied to the
18 surface area of the fuel which is large, because it is
19 all fractured up, and there is a lot of area.

20 VICE CHAIRMAN WYMER: I don't see that
21 that makes any difference.

22 MR. CODELL: Yes, it does. If the
23 diffusion rate of water and the diffusion of the
24 dissolved species in and out of the uranium are tied
25 to the area of the fuel, because the rates for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diffusion through the cracks are much faster than --
2 well, they are not limiting.

3 So there is a lot of area where you get
4 faster release.

5 VICE CHAIRMAN WYMER: Well, for the two
6 that you discussed, I can understand it. Like the
7 cesium and iodine, because they do tend to move on to
8 the fuel rod, but some of these others, they are
9 inside --

10 MR. CODELL: Right, but the fuel particles
11 don't take that long to dissolve, and the ones deep
12 inside the fuel rods don't take that much longer than
13 the ones close to the surface of the fuel rods.

14 VICE CHAIRMAN WYMER: So is the solubility
15 number in a sense, wrong? It doesn't include
16 everything it should.

17 MR. CODELL: Well, that is just talking
18 about uranium there.

19 VICE CHAIRMAN WYMER: Yes, and so am I.

20 MR. CODELL: Well, I think uranium takes
21 a long time, and it would take a long time to
22 dissolve.

23 MEMBER LEVENSON: For those things that
24 aren't mobile and are inside the uranium -- for those
25 things that are not mobile, and inside the uranium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 grade, it is hard to see how they can be seven orders
2 of magnitude faster than the dissolution of the grain.

3 MR. CODELL: Well, like I said, they are
4 not being released at the rate that the uranium
5 dissolves. They are being released at the rate that
6 the uranium is degrading or oxidizing. It is
7 experimental data. I am not making this up.

8 MEMBER LEVENSON: Well, the question
9 always is that with experimental data it is always
10 what was the measurement and how relevant is it to
11 this issue.

12 MR. LEFZIG: If I could make a point.
13 This is Brett Lefzig from the NRC staff. I think this
14 is an example where analog information tells us that
15 Dick has said he has not made up, and isn't really
16 made up.

17 For instance, Pina Blanca, which we now
18 knows still has close to 80 tons of uranium, there is
19 a radium 226 deficiency of 50 percent. And radium has
20 a half-life of 1,600 years, which is saying that the
21 system is open enough that you can lose 50 percent of
22 the radium all the time.

23 Yet, the uranium stays behind. What it
24 says is that the uranium may not dissolve and
25 reprecipitate very rapidly. So that the entire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inventory of Radium 226, which should be in
2 equilibrium if it is a closed system, isn't.

3 So it is entirely consistent with this.
4 You have a fast release rate, but the solubility is
5 limited, and therefore it reprecipitates, and it can't
6 be transported out of the system.

7 MEMBER GARRICK: I think that these are
8 interesting geochemical and chemistry discussions, but
9 the point is that if you have some assumed solubility
10 that is 7 orders of magnitude greater than it might be
11 if there is a grain sequestering kind of phenomenon,
12 and it doesn't contribute to dose, all the arguments
13 that I have heard you put forth would make it less
14 soluble.

15 And if solubility is one, and it still
16 doesn't contribute, then we just cross it off the list
17 and we are done? I think it is important to separate
18 these important technical point discussions from the
19 overall goal of why they are used here. And this is
20 to rank and to identify things that are of importance
21 in influencing decision making, rather than to answer
22 the science questions.

23 MEMBER LEVENSON: We are not limited to
24 these three, with the generic one, including those
25 things that do contribute to the dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MCCARTIN: I think it is important to
2 consider everything that is behind these numbers.
3 Like I said, when I do these calculations, assuming
4 that everything is available, and when you go back and
5 look at this in more depth, maybe there is some other
6 arguments, some uncertainties, and things that will
7 make these things higher, lower, and that is the next
8 step.

9 But the issue was where do we begin, and
10 the biggest problem or I think the biggest hurdle that
11 we had was that there was an unhealthy preoccupation
12 with iodine and technetium, and while they certainly
13 are the first ones to get out, it is not the only
14 issue that we need to understand with respect to the
15 repository. There are other nuclides that have
16 significant hazard.

17 And we want -- and those are being
18 completely screened out, and it may be absolutely
19 justified, but that is part of our review, is to look
20 at what is the basis of why we are never seeing these
21 other nuclides, and this is a way to at least try to
22 at a broad level look at what is going on.

23 But as we look at these deeper, will these
24 numbers change? I would be surprised if they didn't,
25 and as we bring in uncertainties, and the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis, but it is a way to start that process of
2 prioritizing and being able to point back to something
3 and how it would affect or have the potential to
4 affect the risk.

5 And that I think is the strength of this,
6 starting with some common understanding among the
7 staff -- here is what I believe, and we see with our
8 PA code.

9 Now, let's poke a little harder and look
10 at the uncertainties, and look at the technical basis,
11 and do we believe these numbers. And that in part I
12 would submit is part of our DOE license application,
13 we would want to understand different points like
14 this, and do we believe what is there.

15 And then when you can fill out, be it a
16 table like this or some other kind of approach or
17 understanding, you can then see - do I have confidence
18 that the dose requirement is met, do I have confidence
19 that there are multiple barriers.

20 MEMBER GARRICK: Tim, I would like to
21 clarify my comments. I will make it very clear that
22 I am not criticizing at all what has been done. I
23 think this is a very good approach, and I would like
24 to see it continued, and I think the questions are
25 just to help identify what sort of additional thinking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to be looked at.

2 MR. MCCARTIN: Yes, I took it as a helpful
3 comment and not criticism. I have a very thick hide.

4 MEMBER GARRICK: I think we better let you
5 proceed. We have other commitments.

6 MR. MCCARTIN: Well, actually, that was my
7 last one. I have a summary slide, and it is all the
8 same one in September. There is just a lot of words
9 here, and let me paraphrase that we really are in
10 evolving the calculations that we do, and I am not
11 sure that we can review the DOE license application in
12 the areas that really make the most difference.

13 But as you can see, I think there is a lot
14 of things to weigh. Risk inform is not just an iodine
15 and technetium dose. It goes far deeper than that.
16 And I think we are beginning to, as the analogy is
17 often used, peel away the onion and to get a better
18 appreciation of what is going on where, and why, as we
19 continue to work with some of these calculations.
20 Obviously there are terms, conceptual models,
21 uncertainties that all need to be considered.

22 And we would like to come back and
23 continue to discuss the results, and just as
24 important, how they are being presented. I would say,
25 what we are trying to do? And the bottom line is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 present an understanding of the system in an unbiased
2 fashion. How is this thing working, and that is just
3 the simplest answer, and I think that is what this
4 strategy is trying to get at to make sure we are ready
5 to review the license application.

6 MEMBER GARRICK: And I think the idea of
7 having these other radionuclides, particularly with
8 respect to questions of coupling processes and
9 interactions, chemical interactions, and valance
10 changes and so forth is extremely important. In fact,
11 there is one radionuclide that I still consider a kind
12 of mystery one, that I'm not sure received enough
13 attention, and that is protactinium, as to what really
14 happens there.

15 There was a nit question that I wanted to
16 ask you. Back on slide 8 you have a definition of a
17 barrier, and you say a barrier defined is material
18 structure or feature that substantially reduces flow
19 of water radionuclides are release rate. I am sure
20 that it doesn't - a barrier isn't just defined in
21 terms of the release rate. Otherwise, the waste
22 package would not be a barrier at least internal --

23 MR. MCCARTIN: No, it delays the release
24 for perhaps years. That's actually pretty close to the
25 paraphrasing from 63.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: That's what I'm getting
2 at. And certainly the drip shield is a barrier, but if
3 it is defined in the context of only being a barrier
4 with respect to release, then it wouldn't be a
5 barrier. But that is not what it means. You see,
6 this definition sends our release rate from the waste.

7 It says barrier defined as material,
8 structure, or feature that substantially reduces flow
9 or release rate, you could say flow from the waste, or
10 release rate from the waste. It is just a
11 technicality.

12 CHAIRMAN HORNBERGER: Well, I mean, the
13 whole thing says reduces flow of water or
14 radionuclides, or release rate.

15 MR. MCCARTIN: While it is intact.

16 MEMBER GARRICK: But what is throwing me
17 off is the ambiguity of "from the waste." You know,
18 as opposed to to the waste, as opposed to --

19 CHAIRMAN HORNBERGER: isn't that the first
20 part, reduces flow of water?

21 MEMBER GARRICK: Right, but you could say
22 reduces flow of water from the waste. I know that it
23 is a nit. I started out by saying that.

24 CHAIRMAN HORNBERGER: Oh, you think that
25 the "from the waste" goes with everything?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Right. Right. And it is
2 a suggestion that the drip shield is not a barrier,
3 and it certainly is.

4 MR. MCCARTIN: Yes.

5 MEMBER GARRICK: Okay.

6 MR. MCCARTIN: That was not intended. It
7 wasn't all from the waste, no.

8 MEMBER GARRICK: Yes, I think that these
9 analyses are really what is needed to begin to put a
10 perspective on the issues, and even though -- and it
11 also opens up the whole science issue associated with
12 the analysis, and we have lots of questions about
13 that.

14 It doesn't mean that as far as trying to
15 better understand how the material gets to people,
16 then we are really very interested in how you are
17 approaching it. Any other -- Milt, do you have some
18 questions? If not, George?

19 MEMBER GARRICK: Tim, on your four
20 analysis types, when you said that you were going to
21 touch on them all in your presentation, and I can
22 certainly see how you touched on the first three, and
23 perhaps I am being just particularly obtuse this
24 morning, but could you give me at least a quick
25 indication of how you have touched on the effect of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potential limitations and the technical basis.

2 MR. MCCARTIN: Well, not in the
3 calculations. I mean, this was a -- I wasn't trying
4 to imply that I did all four of the areas.

5 CHAIRMAN HORNBERGER: I'm sorry, but I
6 misunderstood that.

7 VICE CHAIRMAN WYMER: I think your
8 questions were hitting around that fourth one quite a
9 bit.

10 MR. MCCARTIN: But we didn't really do
11 anything that -- other than the fact that I will say
12 that in terms of the resilience of the repository for
13 some of the -- well, where you see that you get delay
14 time in multiple areas. That would certainly point to
15 the resilience in that, and for that americium 241, it
16 is zero whether I have a waste package or not.

17 That is pretty resident for the largest
18 single contributor to hazard in the repository. So,
19 I mean, in that sense. But I apologize. I wasn't
20 trying to hit on all of the four areas.

21 CHAIRMAN HORNBERGER: No, that's fine. I
22 just misunderstood. and you have clarified. But I
23 want to -- well, on slide 14, I had another confusion
24 when you talked about the -- and again this is under
25 the potential limitations in the technical basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then in the next bullet, you talk
2 about comparisons with outputs of detailed process
3 models, and/or empirical observations. Now, here is
4 my -- the problem that I have had for a long time, and
5 if I were a performance assessment person, I believe
6 that I would be using as I developed my performance
7 assessment model comparisons with outputs of detailed
8 process models, and I would be using empirical
9 observations, such as Dick Codell just indicated with
10 solubility, as I built my performance assessment.

11 So my question is -- and I have not
12 understood, for example, when people have talked
13 about, well, we have to use multiple lines of
14 evidence. Why aren't the multiple lines of evidence
15 already in your PA? So, could you enlighten me?

16 MR. MCCARTIN: Well, I think they already
17 are. And I guess I wasn't trying to imply that this
18 was not in the PA, but in terms of when I look at the
19 technical basis, DOE needs to provide a technical
20 basis, and you right, that as they build their PA,
21 there should be I would think -- and in many cases
22 there are, multiple lines of evidence supporting why
23 they chose a particular model, parameter, assumptions,
24 et cetera.

25 This was just getting at as they do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what are the limitations in that technical basis. It
2 is just the context for looking at the -- in terms of
3 why are we probing into the limitations in the
4 technical basis.

5 It is required and we want to understand
6 this particular aspect of the technical basis, and
7 part of it is its relationship to the -- how important
8 is it to performance assessment that where are the
9 assumptions, parameters, models.

10 Where is there significant uncertainty
11 here relative to the importance to the performance.

12 CHAIRMAN HORNBERGER: Again, Raymond just
13 suggested to me that, yes the technical basis is in,
14 but it may be lousy. Is that --

15 MR. MCCARTIN: Well, that is what this is
16 trying to look at. I mean, the --

17 MEMBER LEVENSON: Well, you may have also
18 lost it in an abstraction.

19 CHAIRMAN HORNBERGER: Okay. I mean, I
20 grant you that an analyst could make a mistake, and
21 if you are talking about trying to find blunders in
22 the construction of a performance assessment model, I
23 understand it.

24 But again I suppose -- well, how are you
25 going to determine from an analysis of the PA code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether the technical basis is lousy or not?

2 MR. MCCARTIN: Well, it is not -- it is
3 looking at the -- in this sense, the limitation of the
4 technical basis is that whatever it is that DOE
5 provides the technical basis for a particular model.

6 Using the performance assessment to
7 understand, well, what if we are a little bit wrong,
8 what if the degraded analysis in the 5th and 95th
9 percentile, does it make a big difference? And
10 certainly our review in our critique of that technical
11 basis should be relative to how much it matters if we
12 are wrong, and that is what I was trying to get at
13 with this.

14 CHAIRMAN HORNBERGER: So it is not
15 independent of your third analysis type, which is
16 effect of uncertainty in parameters and models?

17 MR. MCCARTIN: Correct, but this is
18 getting a little bit beyond, and our uncertainty is --
19 and this is a subtlety that I couldn't make clearer.
20 The uncertainty analysis is looking at more the range
21 of the uncertainties that I have included in my
22 representation of the repository.

23 This is more at the what if, and what if
24 -- say I look at -- and I am not as smart as I thought
25 I was. And for whatever reason, the corrosion rates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are different, and the solubility ones are different,
2 and it is looking in the context of -- the uncertainty
3 stuff is that I know my uncertainties, and then I step
4 over here and what many would call the epistemic
5 uncertainty.

6 Now, I am not as smart as I really think
7 I am, and I have misread the information, how worried
8 should I be for some of these things, and this is
9 trying to look at that I think qualitatively, you
10 would look at how much evidence do I have for this
11 piece, and that is where you go to the graded barrier.

12 And if I am wrong -- I mean, the easiest
13 would be what if a small percentage of waste packages
14 failed and the dose rose dramatically. Well, the fact
15 that I am assuming I have a calculation that is
16 assuming very few, if any.

17 And you might look at that technical basis
18 with even more scrutiny to make sure that you aren't
19 wrong.

20 CHAIRMAN HORNBERGER: All right. I
21 understand that. The words on your slide just
22 confused me. But just for the record, I wanted to note
23 that I heard Michael Ryan say that the discussion of
24 geochemistry is very interesting, and so I want to
25 keep that in mind for the future. And with that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mike.

2 MEMBER RYAN: I would concur that this
3 analysis is very helpful and instructive, and so keep
4 going. But I think I would extend it to not only the
5 natural system and the failure mode surrounding
6 packages and wastes, and so on, but I would push it
7 out to that last step of the dose calculation, because
8 we always say what is the impact on dose.

9 I think we need to examine the extraction
10 and exposure scenarios, and dose conversion factors
11 with the same kind of eye, because I think some of
12 those I think we take as a hard fact, and in fact
13 there is in the main conservatism, but certainly
14 variability, if those were dose conversion factors
15 originally and almost exclusively designed for workers
16 in the work place.

17 So the tendency was to assume soluble
18 forms, and assume conditions of exposure that would
19 make those conservative. So I think a precedence in
20 that arena would be a good addition.

21 MEMBER GARRICK: Yes, I have to add to
22 that, too. I think this is really helpful in
23 developing a physical feel for what is happening. I
24 don't know where it is going, but let me tell you
25 where I would like to see it go, because just based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience, in the late '70s and in the '80s, we
2 started presenting the risk results of reactors in a
3 form that embedded the whole issue of sensitivity into
4 the uncertainty.

5 And one way of doing that was if your
6 performance measure is something like dose or
7 something like in the case of a reactor core melt, and
8 you do a risk assessment, and you end up with a
9 probability function of the core melt, and the
10 frequency of core melt, then the way that you can
11 really manifest what is driving that core damage
12 frequency are the dose in the case of a repository.

13 And there is a similar probability density
14 function of the contributors put on that same draft.
15 And so now you have a very impressive graphic of not
16 only the uncertainty, but a physical picture of the
17 sensitivity, if you wish, of the bottom line to that
18 contributor.

19 So I can imagine a series of PDFs that
20 would be on the same graphic as a PDF representing the
21 risk of, say, meeting the 15 milligram per year dose
22 standard. Those are the kind of graphics that really
23 begin to decompose the issue of reactor risk into its
24 fundamental components and where it was coming from.

25 How much of it was coming from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment system, and how much of it was coming from
2 the high pressure injection system. How much of it
3 was coming from the diesel generators and what would
4 it look like if we added another one.

5 This is my opinion was a major
6 breakthrough in our understanding of the importance
7 and the relative contribution to performance of
8 specific systems. So it would really be nice if we
9 could eventually get to that point in this kind of
10 work, but I think it is this type of digging that is
11 going to be required for us to have some chance of
12 doing that.

13 So keep up the good work. Any other
14 comments from the staff? Yes, Mike.

15 MR. LEE: Just one, and it is just a kid
16 of clarification, and if we could go back to slide 20
17 on page 10. I guess my comment is kind of a follow-
18 on to what Drs. Garrick and Hornberger were talking
19 about, in terms of digging into the technical basis.

20 Just going back to the Calico Hills non-
21 welded vitric, and you pointed out that both the NRC
22 and DOE rely on different assumptions regarding the
23 geologic occurrence.

24 MR. MCCARTIN: Yes.

25 MR. LEE: Now, is this an area that -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean, as an example, presumably we are all looking at
2 the same data, but we are coming to different
3 conclusions.

4 MR. MCCARTIN: It is one that we are
5 looking at why, yes. It is one that we are looking
6 at.

7 MR. LEE: The only reason that I point to
8 it is --

9 MR. MCCARTIN: it is a big factor, and the
10 geologists are looking at the information that we have
11 used to estimate what the stratigraphy is below Yucca
12 Mountain, and DOE has a slightly different approach,
13 yes.

14 MR. LEE: So going back to your
15 presentation, and throughout your presentation, that
16 this is an example of an area where we might look at
17 why we come up with differences in results, and try to
18 reconcile the basis for the differences, and
19 understand where the truth might actually lie?

20 MR. MCCARTIN: Right. Yes. And be aware
21 that part of it is there are some areas where the
22 Calico Hills non-welded vitric tends to pinch out or
23 get very thin in some areas.

24 From an efficiency standpoint for the
25 code, if you get a very thin layer, it becomes very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult and time consuming to calculate it, and to
2 transport through a very thin layer.

3 Because of iodine and technetium, and this
4 is sort of where we sort of get caught, are
5 unretarded, and they are the ones that eventually get
6 out. A very thin layer does very little for iodine
7 and technetium, regardless of whether it is matrix.

8 As you see, whether it is cracked or a
9 matrix or just for CPU purposes, we in some areas have
10 elected not to simulate very thin layers. But for
11 certain nuclides that are post-10,000 year, it
12 actually does provide even -- even thin layers can
13 provide quite a bit when the retardation is higher.

14 And witness neptunium versus iodine. Now,
15 neptunium isn't that retarded, but it clearly makes a
16 big difference. So I will say that we don't
17 necessarily disagree, or there might not be as much
18 disagreement as I indicated, and that DOE may have
19 very thin layers, and we just elected not to include
20 that very thin layer.

21 MR. LEE: I guess more globally if I
22 understand what you are saying, is that there is a
23 desire certainly by the time we get the license
24 application in that there is an understanding for the
25 basis for the differences that is in each one of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 squares to the extent that differences exist?

2 MR. MCCARTIN: Certainly, although I would
3 put it in a slightly different way, and that is that
4 I would say in the last six months to a year we are
5 spending more and more time look in at DOE's TSPA and
6 less time looking at our TPA.

7 We will continue to work and improve
8 it, but our goal is to -- and I think I said it once
9 before this committee, and it still is my goal, and it
10 may be a foolish one, but we want to understand DOE's
11 TSPA better than they do. And that is the goal.

12 And so in comparison to my help, yes, but
13 the goal is that we are trying to move more and more
14 towards this is what DOE has, and here is their
15 technical basis, and here is how it is represented,
16 and do we believe that DOE is saying or not.

17 And if comparisons are helpful, yes, but
18 the emphasis is really more that we need to understand
19 the TSPA. And as the committee knows, we have goals
20 set in-house, and we are using it, and we are looking
21 at it, and that really is the desire, is to understand
22 how they are representing Yucca Mountain and the
23 technical basis for it.

24 MEMBER GARRICK: Okay. Any other
25 questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. LARKINS: Just a quick question, and
2 I know that it is getting late.

3 MEMBER GARRICK: I hope it's quick, yes.

4 DR. LARKINS: Very quick. On page 15,
5 view graph 15, you said that part of the rationale for
6 the analysis is understanding the degree of
7 conservatism, or safety margin.

8 Obviously you are going to have to roll
9 the uncertainties and other things into your analysis
10 in order to get an idea of the degree of conservatisms
11 or safety margins, particularly when you start
12 comparing with DOE's codes.

13 MR. MCCARTIN: Yes.

14 DR. LARKINS: Basically the question boils
15 down to understanding the degree of conservatism that
16 you are really going to need to go back and roll your
17 uncertainties into your analysis, and you can't use
18 point values and things like that.

19 MR. MCCARTIN: Absolutely. Oh, absolutely
20 yes. I mean, it is easy to represent it as a single
21 number, but it doesn't tell the whole story, although
22 some of those -- the single numbers that I presented,
23 many of them are the result of a Monte Carlo analysis
24 in taking the average results, but you are right.

25 And that's why I stress that behind each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those numbers is a wealth of information, in terms
2 of what the uncertainty variability means in the
3 context of the behavior.

4 MEMBER GARRICK: Okay. If there are no
5 further questions, I will turn it back to the
6 Chairman.

7 CHAIRMAN HORNBERGER: Thank you. We are
8 momentarily going to break for lunch. My look at the
9 agenda for this afternoon suggests that we do not need
10 to be on the record; is that correct? So we won't need
11 the reporter after lunch.

12 We will reconvene at 1:30, when we will
13 have a discussion of ACNW reports. We are now
14 adjourned.

15 (Whereupon, the meeting was concluded at
16 12:13 p.m.)

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701