

DEPARTMENT OF HEALTH AND HUMAN SERVICES  
FOOD AND DRUG ADMINISTRATION  
CENTER FOR DRUG EVALUATION AND RESEARCH

PROCESS ANALYTICAL TECHNOLOGIES SUBCOMMITTEE  
OF THE  
ADVISORY COMMITTEE FOR PHARMACEUTICAL SCIENCE

Tuesday, February 26, 2002

8:00 a.m.

Holiday Inn Gaithersburg  
Two Montgomery Village Avenue  
Gaithersburg, Maryland

PARTICIPANTS

Thomas Layloff, Ph.D., Acting Chairperson  
Kathleen Reedy, Executive Secretary

MEMBERS

Gloria L. Anderson, Ph.D.  
Joseph Bloom, Ph.D.  
Judy P. Boehlert, Ph.D.  
Arthur H. Kibbe, Ph.D.

SGE CONSULTANT

Melvin V. Koch, Ph.D.

GOVERNMENT PARTICIPANT

William F. Koch, Ph.D.

OTHER GUESTS/SPEAKERS PARTICIPANTS

Thomas J. Hale  
Leon Lachman, Ph.D.  
Kenneth R. Morris, Ph.D.  
G.K. Raju, Ph.D.  
Eva M. Sevick-Muraca, Ph.D.

INDUSTRY GUESTS/PARTICIPANTS

Robert S. Chisholm  
Rick E. Cooley  
Doug Dean, Ph.D.  
Steve Hammond  
John C. James, Ph.D.  
Ronald W. Miller, Ph.D.  
David Richard Rudd, Ph.D.  
John G. Shabushnig, Ph.D.  
Leon Shargel, Ph.D., R.Ph.  
Efraim Shek, Ph.D.  
Jozef H.M.T. Timmermans, Ph.D.  
Judy Wong, M.S.  
Jerome (Jerry) Workman, Jr.

FDA

Yuan-yuan Chiu, Ph.D. (Sessions I, II, IV)  
Douglas I. Ellsworth (Sessions I, III)  
Joseph Famulare (Sessions II, III)  
Ajaz S. Hussain, Ph.D. (Sessions I, II, IV)  
Moheb M. Nasr, Ph.D. (Session III)  
Michael C. Olson (Session IV)

## C O N T E N T S

	PAGE No.
Call to Order, Thomas Layloff, Ph.D.	4
Conflict of Interest, Kathleen Reedy	4
Charge to the Working Groups, Thomas Layloff, Ph.D.	7
Introduction, Overview and Objectives of the Subcommittee, Ajaz Hussain, Ph.D.	9
Working Group Summaries:	
PAT Applications and Benefits, Arthur Kibbe, Ph.D., Acting Working Group Chair	14
Subcommittee Questions and Answers	24
Product and Process Development, Judy P. Boehlert, Ph.D., Acting Working Group Chair	32
Subcommittee Questions and Answers	44
Process and Analytical Validation, Leon Lachman, Ph.D. Acting Working Group Chair	52
Subcommittee Questions and Answers	58
Chemometrics, Melvin Koch, Ph.D., Acting Working Group Chair	62
Subcommittee Questions and Answers	72
Summary, Ajaz Hussain, Ph.D.	97

1 P R O C E E D I N G S

2 Call to Order

3 DR. LAYLOFF: I would like to call the  
4 meeting to order, and we will start with Kathleen.

5 Conflict of Interest Statement

6 MS. REEDY: Acknowledgment related to  
7 general matters waivers for the Process Analytical  
8 Technologies Subcommittee of the Advisory Committee  
9 for Pharmaceutical Science, February 26, 2002: The  
10 Food and Drug Administration has prepared general  
11 matters waivers for the following special  
12 government employees, Drs. Judy Boehlert, Gloria  
13 Anderson, Joseph Bloom, Thomas Layloff, Robert  
14 Lodder, Melvin Koch, and Arthur Kibbe which permit  
15 their participation in today's meeting of the  
16 Process Analytical Technologies Subcommittee of the  
17 Advisory Committee for Pharmaceutical Science. The  
18 subcommittee will discuss strategies to explore  
19 issues in the following four focus areas: a)  
20 product and process development; b) process and  
21 analytical validation; c) chemometrics; and d)  
22 process analytical technology, application and  
23 benefits, being held by the Center for Drug  
24 Evaluation and Research.

25 Unlike issues before a committee in which

1 a particular product is discussed, issues of  
2 broader applicability, such as the topic of today's  
3 meeting, involve many industrial sponsors and  
4 academic institutions.

5 The committee members have been screened for their  
6 financial interests as they may apply to the  
7 general topic at hand. Because general topics  
8 impact on so many institutions, it is not prudent  
9 to recite all potential conflicts of interest as  
10 they apply to each member. FDA acknowledges that  
11 there may be potential conflicts of interest, but  
12 because of the general nature of the discussion  
13 before the committee these potential conflicts are  
14 mitigated.

15 We would also like to note for the record  
16 that Leon Shargel, of Eon Labs Manufacturing, and  
17 Efraim Sheik, of Abbott Laboratories, are  
18 participating in this meeting as industry  
19 representatives, acting on behalf of regulated  
20 industry. As such, they have not been screened for  
21 any conflicts of interest.

22 With respect to FDA's invited guests,  
23 there are reported interests which we believe  
24 should be made public to allow the participants to  
25 objectively evaluate their comments. We would like

1 to disclose that Dr. Leon Lachman is the president  
2 of Lachman Consultants Services, Inc., a firm which  
3 provides consulting services to pharmaceutical and  
4 allied industries. Dr. Kenneth Morris would like  
5 to disclose that his department receives funding  
6 from pharmaceutical companies directly or in  
7 consortia programs. Dr. Gokaraju Raju would like  
8 to disclose that he has contracts and grants from  
9 Pfizer and the Consortium for the Advancement of  
10 Manufacturing of Pharmaceuticals. Dr. Raju also  
11 serves as a consultant and speaker for these firms.  
12 In addition, Dr. Raju is employed by and has a  
13 fiduciary relationship with Light Pharma Inc.  
14 Finally, Dr. Raju has affiliations with MIT and  
15 Purdue University.

16 In the event that the discussions involve  
17 any other products or firms not already on the  
18 agenda for which FDA participants have a financial  
19 interest, the participants are aware of the need to  
20 exclude themselves from such involvement and their  
21 exclusion will be noted for the record. With  
22 respect to all other participants, we ask in the  
23 interest of fairness that they address any current  
24 or previous financial involvement with any firm  
25 whose product they may wish to comment upon.

1 Charge to the Working Groups

2 DR. LAYLOFF: Thank you.

3 I have a few remarks I want to make.

4 First of all, Ajaz has pulled together the most  
5 knowledgeable people he could find to work on these  
6 topics. For all of us it is a great opportunity  
7 and a great responsibility for us to advance the  
8 application of good science to process control and  
9 the application of good science to regulation,  
10 which we frequently hear.

11 [Slide]

12 Our focus has always been on the active  
13 pharmaceutical ingredients, from alpha to omega.  
14 Alpha is the incoming active pharmaceutical  
15 ingredient and the technology change that came with  
16 chromatography brought a revelation to us about  
17 impurities. In the other technologies we also  
18 focus on the active pharmaceutical ingredient.  
19 Omega is the bioresponse or bioavailability. That  
20 became known to us primarily through the RIA  
21 studies on digoxin in the '70's where the drug was  
22 probably killing several thousand people a year.

23 [Slide]

24 So we focused on the alpha and the omega,  
25 and that big middle part is where the process is.

1 Some people may disagree with me, but we have  
2 treated the API as the process surrogate marker.  
3 It is a univariate handle on a polyvariate process.  
4 That focus has had little regard for excipients and  
5 the process itself in the past. We have shown in  
6 many instances that it is actually a poor surrogate  
7 for many components in the process through failures  
8 at the omega stage.

9 [Slide]

10 The tools -- the assessment tools and  
11 technologies are available; the data support  
12 systems are available to improve product  
13 consistency, reduce bad products and reduce  
14 recalls.

15 [Slide]

16 Our job, should we agree to accept it, is  
17 to help guide the guidance development to bring it  
18 together. The FDA is waiting for our help and  
19 assistance. Will we be able to answer the call?

20 [Slide]

21 Keep it general. Leave for another venue  
22 and time assessment technology details on  
23 calibration, repeatability, reproducibility and so  
24 forth. Focus on the questions posed in the  
25 handout. Raju has his pen poised ready to draft.



1 Chris is ready to manage the process. The ball is  
2 in our court. Now I would like to call on Ajaz.

3 Introduction, Overview and Objectives  
4 of the Subcommittee

5 DR. HUSSAIN: Thanks, Tom. Some thoughts  
6 before you break out into the four working groups.  
7 As Yuan Yuan yesterday mentioned, I want to  
8 reiterate that the guidance that we are planning is  
9 not a how-to guidance; it is a general regulatory  
10 process guidance. For that, the information we  
11 seek is to be in terms of what are the acceptance  
12 criteria for a new technology to come in; not how  
13 you would develop that technology or how you would  
14 bring that process through. The focus is on a  
15 regulatory process rather than how do you calibrate  
16 or things of that sort. So, keep that in your mind  
17 as you sort of break out.

18 If you could focus attention on the  
19 questions that we have asked and help us, at least  
20 at the end of this meeting, to identify the key  
21 topics that need to be in the guidance, essentially  
22 create an outline for the guidance that we are  
23 planning to develop. I have provided you an  
24 outline that we have right now. When we come back  
25 to meet with you for the second meeting, we hope to

1 have at least a draft in our minds of what the  
2 issues to be addressed in the guidance will be and  
3 how we plan to address that. So the next meeting  
4 will be very much focused on very specific  
5 questions that we will bring to you at that time.  
6 So, for today keep the focus on the general  
7 principles, as well as what needs to be covered.  
8 That is about it. Thanks.

9 DR. LAYLOFF: Thank you. We will be  
10 breaking into our working groups shortly. The  
11 target for each work group is a fifteen-minute  
12 presentation this afternoon, which will be timed,  
13 followed by a fifteen-minute timed discussion.

14 For those of you who are agenda watchers,  
15 we had no one ask for a public hearing or statement  
16 at a public hearing. So, we will take that time  
17 and fold it into our program time. Our morning  
18 sessions will run from 8:30 to 12:30. We will  
19 reconvene at 1:30 for presentations and, hopefully,  
20 pick up half an hour on the agenda. Again, a  
21 fifteen-minute presentation is the target, and I  
22 will turn it over now to Kathleen.

23 MS. REEDY: A couple of details, the name  
24 of the working group and the list of people who are  
25 attending that group are on the door of each of

1 these rooms, and the questions are on the table,  
2 once you are in there. The questions are also in  
3 your folder.

4 In this room, which is the Walker-Whetson  
5 room, is the process and analytical validation  
6 working group. Leon Lachman is the facilitator,  
7 acting chair, Thomas Hale, Jozef Timmermans, Robert  
8 Chisholm, Kennedy Chibwe, Carl Anderson, John  
9 James, Sonja Sekulic and the FDA liaison and  
10 support are Doug Ellsworth, Moheb Nasr, David  
11 Morley and Lucinda Buhse.

12 In the very next room, the Goshen room --  
13 you need to go out and back in the next door, is  
14 the process analytical technologies, applications  
15 and benefits working group, chaired, facilitated by  
16 Arthur Kibbe, William Koch, Eva Sevick-Muraca, G.K.  
17 Raju, Steve Hammond, Kenneth Leiper, David Reed,  
18 Doug Dean, Claudia Okeke, Russell Madsen, Silvano  
19 Lonardi, and the FDA liaisons, Tom Layloff, Chris  
20 Cole and Peggy Cunningham.

21 Chemometrics group, Potomac room. As you  
22 leave this room, go down to your left, right where  
23 the restrooms are, to the next corridor and to the  
24 left. The Potomac room is also the second door on  
25 the left. Melvin Koch, acting chair, Robert

1 Lodder, Rick Cooley, Jerry Workman, Brian Curtiss,  
2 Dwight Walker, Andrew Lange, Edgar Neil Lewis,  
3 Svante Wold, and the FDA liaison, Ajaz Hussain,  
4 Marilyn Welshenbach, Jonathon Cook, Jack Spenser  
5 and Everett Jefferson.

6 Washington room, also past the restrooms,  
7 to the left but the second door on the right,  
8 product and process development working group,  
9 chaired by Judy Boehlert, Kenneth Morris, Ronald  
10 Miller, Dave Rudd, Judy Wong, John Shabushnig,  
11 Walter Dziki, Thomas Cambron, Gopi Vudathala,  
12 Richard Remmele, Anserd Fraser, and the FDA, Yuan  
13 Yuan Chiu, Frank Holcomb, Kathy Taylor, Ron Lyon,  
14 Lawrence Yu.

15 DR. LAYLOFF: Thanks very much, Kathleen.  
16 We will adjourn now to our working groups. Break  
17 your session at 12:30. Have your presentation  
18 completed before you break. At 1:30 we reconvene  
19 in here for reports from the working groups. Thank  
20 you.

21 DR. HUSSAIN: Just to clarify, all our  
22 open meetings so people from the audience can  
23 attend those meetings.

24 DR. LAYLOFF: Yes, this is an entirely  
25 open meeting so feel free to attend whichever

1 session you wish.

2 [Whereupon, the proceedings were recessed

3 at 8:15 a.m., to convene in working group

4 discussions, to be resumed at 1:30 p.m.]

5 - - -

1           A F T E R N O O N   P R O C E E D I N G S

2           DR. LAYLOFF: Thank you. Our first  
3 presentation will be by Dr. Kibbe, on applications  
4 and benefits.

5                   PAT Applications and Benefits

6           DR. KIBBE: Greetings. First, I want to  
7 thank the committee for their efforts, the working  
8 group. I have always aspired to be in a meeting  
9 populated by brilliant people working towards a  
10 common goal without rancor and disagreement, and I  
11 have had the privilege today and I really  
12 appreciated that.

13           One of the difficulties of being  
14 vertically challenged is you have to move the  
15 microphone. I always tell people I am not  
16 overweight, I am under-height. If I was the height  
17 I wanted to be, I would be the ideal weight.

18           What we did during the morning is we  
19 examined the issues that were given to us. We have  
20 a few slides which I hope I will be able to get  
21 started here.

22                   [Slide]

23           We started out as we first looked at the  
24 definition of PAT, and our discussion revolved  
25 around some of the word-smithing, and we have made

1 a small change in the definition that was  
2 originally presented to us. One of the concerns we  
3 had is that people not think narrowly of the word  
4 "analytical," that analysis and analytical applies  
5 to more than just what we normally deal with in  
6 terms of chemical analysis.

7 [Slide]

8 So even though we left the word "analysis"  
9 in there, we did a little bit of word-smithing with  
10 it. First, we took out the term "continuous" and  
11 we added the word "critical" because we were  
12 concerned, in some parlance, that there would be a  
13 lot of information gathered and not all of it be  
14 critical and, therefore, even though we are  
15 gathering tons and tone of information we wanted  
16 the process, as it is defined within guidances, to  
17 reflect more the critical parameters than every  
18 single parameter we could pick up.

19 We then looked at the list of questions  
20 and we used them as a stimulus for discussion. We  
21 didn't specifically respond to each question,  
22 although we discussed each question. We used them  
23 as a way of carrying on a discussion of PAT and the  
24 applications of it to the industry and the benefits  
25 to the industry. We generally agreed that PAT

1 could be applied to any process and that it would  
2 have a benefit if applied correctly. And, it would  
3 have a benefit if we did not limit it to any  
4 specific tool but expected that multiple tools  
5 would be used and new tools would be invented. At  
6 the rate of the evolution of technology nowadays,  
7 new tools come to us at a moment's notice.

8           Barriers, we thought, really revolved  
9 around cost and money. If there was a perceived  
10 loss of revenue because the process slowed the  
11 introduction of a drug to the marketplace, then the  
12 companies would not be as prone to go along with  
13 developing PAT. If there was a perceived negative  
14 impact of regulatory oversight, then they wouldn't  
15 go along with it. Both of these really broke down  
16 to how much would it cost a company to do it; what  
17 it would cost a company in potential risk in terms  
18 of dollars, and so on.

19           [Slide]

20           Then we got to the real meat of the  
21 matter, as you will, and we discussed question  
22 eight, which is what has to be in the guidance to  
23 give it the kinds of impacts that we want? What we  
24 were hoping for is a guidance that really  
25 established an environment in which industry was



1 not only allowed to come forward with PATs, but was  
2 actively encouraged to bring them forward in a  
3 non-punitive environment where the development of  
4 these process control systems would not have a  
5 large negative downside.

6           First we said that the guidance must allow  
7 the development of a PAT whose endpoint is a  
8 signature of the quality of the process and the  
9 process is well understand. We didn't want to use  
10 models because models have certain kinds of  
11 implications to them as a terminology. We didn't  
12 want to use fingerprints because we have used  
13 fingerprints in other kinds of analytical tools.  
14 So, we used signature. We are not married to that  
15 term but we certainly don't want to put a term up  
16 there that isn't specific for this process and  
17 would make people think in very specific terms  
18 about other processes that they might be involved  
19 with.

20           The guidance implies that PATs would be  
21 used in an environment of continuous improvement  
22 without regulatory burdens that would inhibit that.  
23 We are concerned that we see PAT as a way of  
24 constantly improving the quality of everything we  
25 make and do, and if the regulatory environment is

1 such that it would cause the company to put  
2 together a particular process and then have to live  
3 it for 15 or 20 years we wouldn't be getting there.  
4 So, somehow the guidance has to stimulate the  
5 industry to go ahead and use PATs and constantly  
6 improve on them, and use that information to  
7 improve on their process and, therefore, improve on  
8 their product without concern for an extra burden  
9 to be added to the process because of it.

10 [Slide]

11 All products have critical quality  
12 attributes. We agree that that was true. We say  
13 that process variables exist that can be controlled  
14 to maintain the critical quality attributes within  
15 acceptable limits. We agree then that PATs are  
16 applied to achieve both understanding and control  
17 of process variables and that our causally linked  
18 to product critical quality attributes. We think  
19 this is an extremely important set of concepts that  
20 need to be incorporated in the guidance so that  
21 people know where we are trying to go.

22 [Slide]

23 There are new and developing measurement  
24 tools and guidances should not limit the selection  
25 of a tool for a PAT. The guidance should be very

1 clear that it is not a guidance for a specific tool  
2 or a specific process. We argued -- not argued, we  
3 discussed because we were brilliant people  
4 discussing brilliant ideas the possibility of  
5 including examples in the guidance of successful  
6 applications of PAT, and we reasoned that to  
7 include them would be to bias people in the  
8 direction of that tool or application and not leave  
9 it open. We would prefer the guidance set rules  
10 for general acceptability of those things without  
11 undue pressure by giving an example which was  
12 acceptable. We know that in the regulatory  
13 environment companies often will exactly mimic  
14 somebody else's successful application just for the  
15 purposes of making sure they will make it.

16 We want to encourage companies to move  
17 away from the current univariant prescriptive  
18 testing to multivariant focused measurements. We  
19 use measurements specifically to get away from the  
20 implications of analysis.

21 [Slide]

22 "Encourage" is underlined on purpose. We  
23 feel, or felt, or agreed that to allow companies to  
24 do it really isn't getting to the spirit of where  
25 we want to go. PATs seem to us to be a beneficial

1 methodology. That beneficial methodology not only  
2 benefits the company and, therefore, should be  
3 viewed by them as an economic incentive to put in  
4 place, but it benefits society in general and the  
5 quality of the products that we have.

6           With that in mind, we should recognize  
7 that as companies go in this direction, it becomes  
8 the norm. It will automatically become part of  
9 CGMP and, hence, the agency will eventually get to  
10 the point where it is requiring it or looking for  
11 it. This brought us to a very interesting  
12 discussion, something that we need to include in  
13 the discussion and planning for the guidance but  
14 not necessarily in the guidance, and that is that  
15 if the field people and the review people both  
16 don't agree on what is going on, and what a PAT it  
17 is, and how to review it, and how to evaluate it,  
18 and how to look at it this whole thing will fall  
19 apart before it gets off the ground.

20           So, part of what has to happen from the  
21 FDA perspective and from industry's perspective is  
22 that field and in-house reviewers have to all be on  
23 the same page. If the guidance is going to work  
24 and if we are going to feel encouraged enough to  
25 submit processes that we have developed through the

1 agency, the agency has to be prepared to accept  
2 those at both the review level in the Parklawn  
3 Building and out in the field in the middle of  
4 Denver, or wherever they are going to.

5 [Slide]

6 We think that PAT can apply to all six of  
7 the manufacturing sub-processes which includes  
8 inbound logistics, active ingredient manufacture,  
9 bulk formulations, fill and finish, packaging and  
10 outbound logistics. One of the areas that we  
11 talked a lot about was the quality excipients,  
12 variability among excipients, how that variability  
13 is translated into variability and quality, whether  
14 that variability is an acceptable level or an  
15 unacceptable level, and what-have-you.

16 Stability testing should be considered as  
17 part of this process, or at least an additional  
18 sub-process. So, we didn't think that PATs should  
19 be limited to any one aspect of what is going on.  
20 If someone has PAT they can put in place that will  
21 take care of inbound logistics, we should encourage  
22 them to do so.

23 [Slide]

24 The guidance should recognize that new  
25 insight into the process, which does not affect the

1 quality of the product for its intended use, should  
2 not require mandated changes in the process. One  
3 of the fears I think that we all have is if we go  
4 looking real hard at new ways of looking at what we  
5 do, we will find problems that we didn't know exist  
6 and what level of change will be mandated from  
7 that? One of the things that we want the guidance  
8 to be able to say is that if the variable that you  
9 discovered, because you have been able to  
10 characterize your process much more clearly than  
11 you had in the past, is something that will help  
12 you in terms of your in-process procedures and save  
13 the company money, fine; go ahead and do it. But  
14 as long as it isn't adversely affecting the product  
15 outcome, the usability of the product you make, the  
16 health benefits of the product you make to the  
17 consumer, then we, as an agency, will not mandate.  
18 I think it is important that that be in there to  
19 give the companies a little flexibility in how they  
20 respond to what will be an ocean of new  
21 information.

22 We would like the agency to recognize that  
23 PATs have a potential for replacing a lot of  
24 classical or current methodology in terms of  
25 quality control routine testing methodologies, and

1 the guidance should recognize that PATs will, in  
2 large measure, replace current validation  
3 requirements for process validation. Because PAT  
4 goes to the issue of on-line constant validation  
5 every time you run the process, why have another  
6 set of validations that don't really get to the  
7 issue when this might very well solve that issue  
8 for you?

9           The guidance has to define what records  
10 have to be kept and for how long. A sea of data  
11 will be generated. Thousands and thousands of data  
12 points on a very simple in-process measurement tool  
13 could be generated. How long do you have to keep  
14 it? How much of it do you have to keep? Is it  
15 going to be an electronic storage nightmare? I  
16 think the agency has to look seriously at how long  
17 does in-process data, generated from a system which  
18 is intended for both measurement and control of the  
19 process, need to be kept, and which pieces of data,  
20 which critical pieces?

21           Then, how do you involve FDA in the PAT  
22 development and implementation? One of the things  
23 that we talked about and we encourage is the agency  
24 establishing a contact place for companies to go to  
25 begin the development and implementation of a PAT

1 process at their site. Now, we recognize that  
2 companies will be playing with this stuff, getting  
3 it on-line and feeling comfortable with it before  
4 they go to the agency because they are not going to  
5 go there with something that will never work. But,  
6 at the same time, how do they go there efficiently?  
7 Is there some office, some ombudsman who is going  
8 to be favorably disposed to help them to make the  
9 transition from classic measurements and classic  
10 quality control/quality assurance measurements to a  
11 PAT that will supplant some of those things?

12 That is pretty much where we got to. I  
13 guess we are in line for questions. I encourage  
14 the brilliant members of my committee to respond to  
15 questions since I clearly was there just to make  
16 sure that we all had enough coffee and orange  
17 juice, and the rest of you did all the heavy  
18 thinking. Tom?

19 Subcommittee Questions and Answers

20 DR. LAYLOFF: It is open for discussion.  
21 Any questions for Dr. Kibbe?

22 MR. COOLEY: One question I have, I was  
23 wondering why your committee chose to include  
24 control as part of process analytical technology.

25 DR. RAJU: We actually talked about PAT



1 and said that maybe PAT should stand for process  
2 assessment technology in some ways, and just  
3 measurement wouldn't be enough and we had to find a  
4 way to connect the loop back to process  
5 understanding. Along with that, we began to define  
6 what is analytical. Does that simply mean a  
7 chemical measurement or is it a process of thinking  
8 and analysis? So, we would like to find a way to  
9 put the next steps into the thought process in  
10 terms of capturing the benefits, without being  
11 limited primarily to the measurement, although we  
12 know the measurement is the way to get there.

13           So, we tried to be a little bit inclusive  
14 in that sense. And, there is no clear yes or no in  
15 there. In a couple of places we tried not to give  
16 examples because we didn't want to limit the  
17 thinking. If you notice, in a couple of places we  
18 said the risk has to be managed. Number seven is  
19 probably one of the important points in terms of  
20 managing the risk of what we see. You can choose  
21 whether to include control or not, and this was our  
22 thought process around it.

23           MR. COOLEY: Just another comment, the  
24 automation community has obviously progressed way  
25 ahead of the measurement community as far as at

1 least on-line measurements. I am just wondering  
2 what the benefit would be in trying to encroach on  
3 what is already an established standard, more or  
4 less. In most cases the analytical measurement is  
5 going to be a totally independent system that  
6 provides an output to a DCS or a control system.  
7 There may be some cases where that is not the case  
8 but probably 99 percent of them will be ones where  
9 we are just providing an output.

10 DR. RAJU: I think our focus was on  
11 controlling in the abstract sense in terms of the  
12 processes. We did focus mostly on the measurements  
13 but since the connection back to process  
14 understanding had kind of the abstract level of  
15 product and process control, I think that was not  
16 our thought process.

17 DR. KIBBE: I think it is difficult to put  
18 in place a system that measures how well something  
19 is going on without it somehow feeding back into  
20 continual quality improvement on that system. In  
21 that sense, you have analysis and control linked.  
22 It is not that we thought this would be necessarily  
23 a replacement of your quality control lab --  
24 necessarily.

25 DR. SEVICK-MURACA: May I make a comment?

1 I was on the committee and I guess I didn't think  
2 of Rick's point. He makes a very good point in  
3 that if you do classical control, the statement  
4 "control" means that you are leaving the control of  
5 the process up to that measurement itself and that  
6 requires change in the process. So, I don't think  
7 that was the intention that we had. I think, if I  
8 am correct, that is where you are coming from. We  
9 might want to consider getting rid of that  
10 "control" because if someone at the FDA or somebody  
11 else is looking at it from the classical standpoint  
12 of that word, Rick is entirely correct in his  
13 assessment.

14 DR. MILLER: Could you explain the  
15 rationale behind the underlining of the word  
16 "encourage" and the other comments that you were  
17 saying?

18 DR. KIBBE: We accept the premise that the  
19 application of PAT is a benefit and it could be,  
20 depending on the methodology and the tools,  
21 applicable to every dosage form. If that is the  
22 case, then why simply allow, why not encourage? I  
23 think if the companies come to the realization that  
24 there is a benefit gradually the number of  
25 companies that have these processes in place will

1 go up, and that will become the standard in the  
2 industry, which is CGMP, and will eventually become  
3 encouraged because it is naturally the standard for  
4 quality in the industry. So, why not recognize now  
5 that we are really talking about encouraging the  
6 industry to move forward with a system that we, at  
7 least as an advisory committee, think is going to  
8 be valuable for the industry and the public?

9 DR. RAJU: The other thing was to consider  
10 the possibility that FDA not only be a policing  
11 agent, but I think to help in the education across  
12 because we both win together. It is kind of a new  
13 role. Simply saying it is allowed, I think is  
14 already in place but just allowing doesn't seem to  
15 be working and maybe we have to have a framework in  
16 which we can find a way to both win. So, we are  
17 encouraging so we can both be encouraged together.  
18 I don't know if this will be enough but I think it  
19 is one step.

20 MR. COOLEY: One comment on the retention  
21 of records, would not this kind of data fall under  
22 CFR 21, Part 11 already, which is already a  
23 guidance for electronic record retention? Is it  
24 really necessary to produce a separate guide that  
25 actually may end up conflicting with one another?

1 DR. KIBBE: True.

2 DR. RAJU: I think the recording was also  
3 an issue of what information should we gather; how  
4 long we should keep it; what are we accountable  
5 for. So, the CFR Part 11 and the signature and the  
6 consistency is, I think, in place for a long time  
7 but the other aspects --

8 MR. FAMULARE: I am sorry, not only the  
9 Part 11 but the GMPs themselves, you know, have  
10 time frames for record retention at which time, for  
11 example, two years after or one year after the  
12 expiration date there is no need to keep the  
13 records anymore. So, I think that there aren't  
14 limitations that exist in the current framework so  
15 unless an argument is made that the system will  
16 outstrip what is already in current regulations, I  
17 don't think we need to go there in this guidance.

18 DR. MORRIS: But maybe it is enough just  
19 to say that the criteria will be the same as  
20 covered in the current guidances, just so it is  
21 clear in this guidance that it is not a different  
22 thing.

23 DR. LAYLOFF: One example that was given  
24 to us was a videotape of a mixing process that they  
25 were running over and over again. So, each time

1 they ran a mixing they ran a videotape. The  
2 question is, is the videotape and electronic record  
3 that you have to keep? Each time you run the  
4 storing action you run a videotape. Does that  
5 become a permanent record then that you keep under  
6 Part 11? Or, is it something that you dump when  
7 you get done and you release the product?

8 DR. KIBBE: I think there is sufficient  
9 opportunity for unknowns that it is worthwhile at  
10 least for the agency to recognize in the guidance  
11 that there might be a concern for the quantity and  
12 quality of the information that is retained.

13 DR. LAYLOFF: I think the amount of  
14 information that could be generated by this is  
15 actually astounding. I think retention for one  
16 year or two years after expiration is not  
17 unreasonable for the release issue, but if you are  
18 talking about end-process controls where you are  
19 generating maybe sensors at 20 different sites  
20 continuously there is a huge amount of data. There  
21 might be something that should be considered at  
22 some point by the agency as having an alternate  
23 procedure to deal with it, set some specification.  
24 Otherwise, under 21, 11 you are going to need huge  
25 amount of storage and it is not useful.

1           MR. FAMULARE: I think these issues have  
2 already arisen in terms of Part 11, and I don't  
3 think we want to take on Part 11 as part of this  
4 guidance in those issues. Those issues preexisted  
5 the advent or the encouragement of this technology  
6 and the agency already recognizes that there are  
7 issues surrounding Part 11, and there is a whole  
8 working group working on that. Maybe the best  
9 thing to do would be to feed this as a factor in  
10 that working group, led by ORS's office in  
11 enforcement.

12           DR. LAYLOFF: It is just an issue that  
13 should be brought to their attention.

14           DR. RUDD: This might sound quite  
15 patronizing but I just wanted to congratulate the  
16 group on the output. I am very nervous about the  
17 output from these four groups because it is very  
18 critical, but from the GSK perspective you have  
19 captured the concepts and the principles  
20 beautifully. I am delighted to see what you have  
21 come up with. It is also as if I could have been  
22 there myself. Thanks very much.

23           DR. LAYLOFF: Are there any questions from  
24 the rest of the working groups? If not, we will  
25 now move to Judy Boehlert, product and process

1 develop.

2                   Product and Process Development

3           DR. BOEHLERT: All I can say to Art Kibbe

4 is that I am as tall as I want to be, so I don't

5 know what my excuse is.

6           I would also like to thank my group. I

7 think we had a very productive working session.

8 Everybody contributed and that was very good. We

9 had some lively discussion and, in fact, we were

10 able to get done a little bit ahead of schedule so

11 we addressed an added topic and if I have time, I

12 will go over that as well.

13           [Slide]

14           We did go down through the questions but

15 some of them turned out to be redundant. In fact,

16 when we looked at the list we decided that question

17 number one we would hold till last. So, when you

18 see our answers to question number one, they are

19 fairly brief because we addressed everything in

20 question one by looking at the others that were

21 there.

22           This one has to do with what

23 considerations during product development might you

24 consider. This is brief because we are going to

25 address the basic issues in later statements.



1 Everybody agreed that the benefits of PAT are  
2 under-realized, under-utilized. People don't know  
3 they are available. Some companies have tried it  
4 and perhaps haven't see the benefits they have  
5 expected, and that has led also to sort of  
6 reticence to do more. Until you know that there is  
7 a real benefit you don'[t want to expend the  
8 energies.

9 [Slide]

10 There is still some selling that needs to  
11 be done. Clearly, everybody is not on this  
12 bandwagon yet. And, 6 sigma as a target is really  
13 too high. What was suggested by the members of our  
14 group was maybe somewhere in the range of 3-4 as a  
15 more reasonable target.

16 [Slide]

17 We talked about what areas you might want  
18 to apply PAT technologies to, and it is applicable  
19 to most areas of the manufacturing process but  
20 there are different levels of maturity for the  
21 analytical technologies that are used. It is  
22 probably most mature when you talk about the raw  
23 material; less mature when you talk about blend  
24 samples; and perhaps even less mature when you  
25 start talking about final product. So, yes, it can

1 be used in all of those areas but the degree of  
2 maturity for the techniques is not the same. The  
3 nature of the ingredient is also a factor. It may  
4 not work in all cases. Where it works, it may work  
5 very well. In some cases it doesn't.

6 [Slide]

7 The most important thing about PAT  
8 technologies is that it allows incorporation of  
9 feedback controls, such that you can adjust the  
10 batches you are processing and you may not need to  
11 lose a whole batch. During development is when you  
12 are going to start taking a look at PAT. The goal  
13 there is to understand the process and develop one  
14 that is very robust.

15 Also during development, and this is a key  
16 point we wanted to make, is that you may look at a  
17 lot of different parameters using PAT techniques,  
18 but what you don't want to do is look at all of  
19 those parameters once you go to market. The goal  
20 during development is to identify those that are  
21 important and those that are needed, and then  
22 select those that you wish to monitor during  
23 product that most critically control your process.  
24 It is sort of like doing stability studies and  
25 identifying impurities and degradants. You find a

1 lot of things during development. You do stress  
2 testing. But during actual product what you test  
3 is limited. Evaluation from other technologies  
4 from other industries may also be helpful for  
5 people deciding what it is they want to do, and how  
6 they want to do it.

7 [Slide]

8 Unit technologies where you have a history  
9 and possible technologies that may be used can  
10 occur in the guideline but they shouldn't preclude  
11 the use of alternative technologies and  
12 methodologies. We never want to limit the ability  
13 of somebody to use something new. You know, there  
14 are some well defined examples out there now, but  
15 technology keeps advancing and changing.

16 This one had to do with how you anticipate  
17 application will change the process for identifying  
18 critical process variables -- definitely a  
19 development function, a structured approach,  
20 getting to know your process early, optimizing it,  
21 identifying critical parameters and developing the  
22 metrics. How you control it is going to be up to  
23 you. You are going to decide that. On-line  
24 sensors give you additional information certainly  
25 to control critical endpoints.

1 [Slide]

2 As was mentioned by the previous speaker,  
3 certainly moving from univariant to multivariant  
4 approach in strategies may be identifying  
5 parameters that are important to the process that  
6 we didn't look at in the past. We need to be able  
7 to correlate PAT with specifications where that is  
8 relevant, and there is a lot of work left to do in  
9 this area. Looking at the quality of the raw  
10 material, of course, is basic to everything we do.  
11 You need to control the inputs to the process at  
12 the very beginning.

13 [Slide]

14 We talked about what are some of the  
15 issues that arise during scale-up. Do PATs help in  
16 the scale-up situations? The answer is yes, of  
17 course, they do. If you know more about your  
18 process, it is always going to be a help. You need  
19 to know what endpoints you are working towards.  
20 You need to know what the process should look like  
21 when it is working well.

22 We also talked about a process signature.  
23 It was a term that came up in our discussion. When  
24 it is working well and you get to know what that  
25 is. When you scale-up, of course, it may change.

1 Scale-ups sometimes don't do what you think they  
2 are going to do but by doing the PATs early in  
3 development you know what things are important to  
4 monitor, and then you can identify those changes.

5 [Slide]

6 All of these were questions. Do they  
7 cause problems? Yes. I mean, we could make very  
8 simple answers to everything. One of the  
9 limitations we saw is that some of the off-line  
10 testing methods we use as gold standards may not,  
11 indeed, be as good as we think they are in showing  
12 us product quality, and the example we used was  
13 dissolution.

14 There are engineering issues that need to  
15 be looked at -- critical implantation issues,  
16 applying design of experiments, business issues and  
17 this came up in the other meeting. Addition of a  
18 PAT to a process must be value added. For new  
19 product sensor applications up-front equipment is  
20 easier to put in place and employ. Most people  
21 felt that the easiest place to use PAT is with new  
22 products. Yes, they can be retrofitted to old  
23 products but it is not quite as straightforward.

24 PAT measurements may not match your  
25 submission parameters even though your product may

1 still meet your submission requirements. This is  
2 an issue that came up yesterday, and one that needs  
3 to be made clear.

4 [Slide]

5 Moving from parameter controls, which is  
6 what we are talking about, endpoint control is a  
7 desirable outcome. However, we did discuss that  
8 even with parameter control you might need to set  
9 boundaries, either upper or lower limits; it is not  
10 anything goes. Low dose drugs, of course, and low  
11 potency may be exceptions and PAT technologies may  
12 not be as applicable. Do they make scale-up  
13 transitions easier and, if so, why? Yes, of  
14 course, because you better understand your process.

15 [Slide]

16 In some situations PATs may be used only  
17 for certain specific operations within the overall  
18 scheme of dosage form manufacturing. And, this was  
19 either what are advantage or disadvantages to  
20 applying PAT to only a specific unit operation. We  
21 didn't see any technical downside to doing that.  
22 It is a business decision. Whenever you are  
23 applying PAT, it should be value added. Accurately  
24 reflecting what is going on in a process can't  
25 really be a disadvantage.

1           The overall weakness comes when you do  
2 that. For example, if you have blend homogeneity  
3 and you are looking at the blend, downstream you  
4 could have problems and if you are not looking at  
5 anything downstream perhaps you wouldn't identify  
6 it. So, you need to be careful. If you are only  
7 applying it to one unit operation you need to make  
8 sure you understand the rest of your process.

9           [Slide]

10           When you to for new technologies, of  
11 course, you have to pay for the technologies and  
12 that is where the business aspect comes in. There  
13 are time considerations. There are human resource  
14 considerations. They all have to be taken into  
15 account. One advantage we saw for applying PAT to  
16 unit operations is if you were to develop it, for  
17 example, for a dryer for one product. Then, the  
18 applicability to other problems that are dried in  
19 that same dryer should be there; should have to do  
20 a lot less work to bring it into place for those  
21 other products.

22           [Slide]

23           Can PATs be used to prevent out of  
24 specification incidents? Well, certainly,  
25 implementing PAT on a poor process is not going to

1 change the number of OOS results. But if you are  
2 allowed to go to an endpoint in your process, you  
3 may be able to control the process in such a way  
4 that you do, indeed, eliminate those OOS events.  
5 It will decrease these incidents and make the  
6 process more rugged. Also, if you have PATs  
7 incorporated into your process you will have a much  
8 better chance of doing a much more rigorous  
9 scientific investigation when things go wrong.

10 [Slide]

11 Can PATs be tools for predicting  
12 performance of a drug product, for example,  
13 dissolution? The answer was it is certainly  
14 possible. What we need to do is develop the  
15 correlations that are necessary to do that. They  
16 are not all there right now. It is an exercise, as  
17 always, in benefit-risk assessment and much more  
18 work needs to be done. We heard the other day  
19 about the use of the acoustic technologies. These  
20 are things that can be used. They are just not  
21 mature technologies at this point. Also, it is  
22 probably going to be on a case by case basis.

23 [Slide]

24 Can they be used for predicting the  
25 stability of a drug product? If yes, what are the



1 factors? Well, what we said is that the use of  
2 PATs in a process will not replace stability  
3 testing. It may be used as a predictor however,  
4 particular for things like physical instabilities.  
5 If, indeed, you have more knowledge of your  
6 process, then you have more confidence that your  
7 product is going to remain the same throughout its  
8 shelf life. It may reduce your risk, for sure, and  
9 may be able to predict better what your stability  
10 will look like.

11 [Slide]

12 One benefit for batch release will be  
13 higher quality. Product failing during shelf life  
14 will be less likely, and that is fewer recalls.  
15 More consistent product is always a better option.

16 [Slide]

17 Finally, we looked at what factors the  
18 industry and the agency should consider while  
19 implementing use of new PATs for already approved  
20 drug products. We need to look at the benefits of  
21 that. In a new product it is easy. You can build  
22 the quality in. It is not the same on an old  
23 product. Consistent monitoring of an ongoing  
24 process is always a good idea because you yield  
25 better information on your product and

1 considerably, as we said before, much more  
2 opportunities for new products.

3 [Slide]

4 It could have applications to validation  
5 and SUPAC guidelines in the future, and we think  
6 this is definitely something that should be  
7 considered. If there are no problems with your  
8 current process, we did not see a sound reason to  
9 make changes. Unit operations validated for one  
10 product, and we said this earlier, may be used for  
11 other products and we would like to see those  
12 incorporated through SUPAC.

13 [Slide]

14 The view from industry in general is if  
15 it's not broken let's not fix it. There needs to  
16 be a persuasive reason to make changes. If you  
17 make changes, like a vendor change or a site  
18 change, it may be a very good opportunity to look  
19 at your process and look at the need to incorporate  
20 PAT. the goal of having team inspections we see as  
21 a positive kind of benefit because our concern is  
22 the same as the previous group's. You have the  
23 review chemist and you have the investigator and  
24 they may not be looking at these technologies in  
25 the same manner.

1 [Slide]

2 That was sort of the agenda that was laid  
3 out for us and the issues that we needed to look  
4 at. We took a look at the table of contents to see  
5 if what was anticipated to be included in that  
6 table of contents correlated with what we had in  
7 mind. I won't go through some of them because, you  
8 know, you can combine this section with others.

9 We did ask that the FDA consider use of  
10 PATs in product development and some description of  
11 what that entails, enabling technologies including  
12 chemometrics -- some discussion of that. The  
13 relationship of PATs to finished products  
14 specification. We felt that it would be important  
15 to have worked examples of different dosage forms,  
16 if not in the guidance then by reference.

17 [Slide]

18 Guidance also should address the roles and  
19 responsibilities of different groups.  
20 Manufacturing, product development are obvious, but  
21 also the quality unit, engineering, process  
22 technology as well as others, as well as the skill  
23 mixes that we might need in the future because the  
24 skills that you are going to need from your  
25 employees are going to change as we move into these

1 new technologies.

2 With that, thank you for your attention.

3 I will ask my committee members also to chime in if

4 they have any comments and we would be happy to

5 address your questions.

6 Subcommittee Questions and Answers

7 DR. LAYLOFF: Any questions for Judy?

8 MR. COOLEY: Judy, could you comment -- if

9 I wrote it down correctly, you said that a

10 technique validated for one product and unit would

11 be okay to use for another product?

12 DR. BOEHLERT: The operative word I think

13 is "may be." You know, we are looking at things

14 like drying where the principle behind that

15 technique is pretty consistent product to product

16 and what you are measuring is pretty consistent

17 product to product. You may be able to do that

18 database generated for one product to perhaps not

19 do so much work on a second product; that you use

20 that same piece of equipment and technology for it.

21 Do I make myself clear?

22 MR. COOLEY: I think so. I just want to

23 clarify that you are not saying that you do one

24 validation package for a NIR-IR in a dryer, for

25 example, for product A and then, when you bring in

1 product B, you don't need to repeat your  
2 validation.

3 DR. BOEHLERT: Absolutely not. We were  
4 looking at techniques such as drying where, you  
5 know, you might not have to do as much work on the  
6 second product as you did on the first.

7 DR. RAJU: Judy, how did you conclude that  
8 we couldn't reach 6 sigma and we could only do 3 to  
9 4?

10 DR. BOEHLERT: We had a statistician in  
11 our mix.

12 [Laughter]

13 DR. LAYLOFF: Members of the working group  
14 can ask questions also, if you like.

15 DR. BOEHLERT: Or make comments.

16 DR. HUSSAIN: I think one of the  
17 challenges, the reason we wanted to have some  
18 discussion on this is that at some point my though  
19 process was that you really have to do it at the  
20 development stage to get the full benefit. To do  
21 that, you have to think of setting specifications  
22 differently than you are used to, going from time  
23 to a performance-based specification. So, that  
24 needs to occur early. Then, the scale-up has to be  
25 built around that. So, we are shifting the

1 paradigm in terms of how we are setting  
2 specifications. I didn't get much on that part of  
3 the discussion, if somebody could add to that.

4 DR. MILLER: Ajaz, we didn't touch on the  
5 specifications. That wasn't one of the charter  
6 questions. We felt the chemometric group was going  
7 to provide some insight.

8 [Laughter]

9 DR. HUSSAIN: That was one of the first  
10 questions we posed to you. Chemometrics will not  
11 answer the specification question, it is more on  
12 the modeling and what sort of criteria we judge  
13 those models by. Specifications will have to be  
14 product oriented.

15 DR. MILLER: Well, we did speak to what we  
16 needed to focus in on the critical aspects and  
17 that, on first blush, may be a wide number but we  
18 made it very clear that we needed to narrow it down  
19 to the specific aspects, specific critical points  
20 that control the process and that is what we wanted  
21 to go after. Now, to the degree of certainty, we  
22 didn't quite get into that aspect.

23 DR. HUSSAIN: But if I phrase it this way,  
24 that your group would be in agreement with the  
25 concept of going to performance-based

1 specifications?

2 DR. MILLER: Totally.

3 DR. LAYLOFF: I think that is a universal  
4 sense around the table, that process validation  
5 like timing and things like that are not  
6 appropriate when you can have sensors to move to  
7 performance basis.

8 DR. MILLER: And, therefore, there wasn't  
9 so much debate about that. We were taking other  
10 tracks.

11 DR. SHABUSHNIG: I think also it is a  
12 little bit of a chicken and the egg situation in  
13 the sense that right now we are developing the  
14 measurement technology and learning what those  
15 measurements tell us. Based on that, you can then  
16 set good specifications. I don't think we are at  
17 the point today where we can determine those  
18 specifications a prior and then work our way back.  
19 So, I agree. I think we are all certainly in  
20 support of that concept as you are describing it  
21 but in terms of where we are, from a technological  
22 standpoint, I think we are moving to that by  
23 getting the measurement technology in place and  
24 deciding what new information we can glean from the  
25 new measurement technology, and then use that in

1 the specification setting process.

2 DR. LAYLOFF: If you said something like  
3 blend to consistency, what does it mean? No change  
4 over ten seconds or thirty seconds? What does the  
5 specification mean?

6 DR. HUSSAIN: This is more for Steve  
7 Hammond, if I recall correctly, yesterday he  
8 mentioned that one of his new assignments is  
9 setting up PAT stability testing. My personal  
10 sense is that I don't think this technology will  
11 give you more information on stability. If you can  
12 share some thoughts on that?

13 MR. HAMMOND: Well, there are technologies  
14 out there that are super sensitive particularly to  
15 the degradation of APIs. I would guess the way we  
16 are thinking is focused on the API, although that  
17 may not necessarily be correct. But you can use  
18 various techniques to look at the surface of  
19 tablets or even, indeed, to look at the blend  
20 binding stability, techniques like fluorescence and  
21 some of the mass spec methods that are there.  
22 There are technologies that are very, very  
23 sensitive. In fact, some of the indications we  
24 have had are that they are actually more sensitive  
25 than the traditional methods, which could be a real



1 issue.

2 DR. LAYLOFF: I think also that focusing  
3 on the API probably is not a very good thing to do  
4 in the long run because of things like the physical  
5 relaxation of the solid dosage forms that might  
6 change the dissolution characteristics also.  
7 Polymorphic transitions could occur.

8 MR. HAMMOND: The thing about focusing on  
9 PAT measurements, usually one of the main focuses  
10 is that you can keep doing it to the same tablet.  
11 You don't destroy it as you do this and that will  
12 give you different sorts of information than we are  
13 used to seeing as well. But I take your point. I  
14 will repeat one of the comments I made yesterday,  
15 if people decide what they want to measure then  
16 nowadays there is usually a way to do it.

17 DR. HUSSAIN: I think I share the  
18 enthusiasm. We actually have a project in our labs  
19 looking at stability using some of these things  
20 too.

21 DR. WOLD: Svante Wold from the  
22 chemometrics subgroup. We had a discussion about  
23 the specifications in our group and I had a  
24 different opinion than the others. I want to  
25 iterate that here. That is, if during development,

1 for instance with the blender, you find that this  
2 product with these raw materials, crystal size and  
3 all these things, mixes well in 15 minutes, of  
4 course, you use PAT to follow and decide on these  
5 15 minutes, plus or minus three minutes or so.  
6 Then, if later, one day it takes 30 minutes, that  
7 is an indication that there has been a change. So,  
8 you can still use the ordinary specification and  
9 statistical intervals, helped by PAT. But seeing  
10 the process as a soft sensor, when the process  
11 changes substantially, that indicates that  
12 something has happened upstream. If you go to the  
13 polymerization industry, or whatever, they use this  
14 in exactly the same way. And, I think it would be  
15 very dangerous to say we won't have any limits and  
16 just wait to see if it is mixed. So, you have to  
17 use ordinary limits but you are helped a lot by  
18 PAT.

19 DR. LAYLOFF: You mean you would use PAT  
20 to accumulate data on acceptable performance and  
21 you set some acceptance criteria around that, and  
22 if it is exceeded by a lower bound you would have  
23 some difference occur upstream.

24 DR. WOLD: Yes.

25 DR. LAYLOFF: And that difference should

1 be investigated.

2 DR. WOLD: Right.

3 DR. RUDD: If it helps, we did discuss  
4 that point in our group. You know, there is  
5 flexibility needed, and I think probably Judy  
6 brought this out, but we need some kind of  
7 predetermined window, exactly as Svante described.  
8 You know, you can't have infinite flexibility.  
9 When do you stop? So, it is about operating in a  
10 window and recognizing that if you have to deviate  
11 from that window you have a problem, but not  
12 working to a fixed point.

13 DR. HALE: I think there is another piece  
14 of this pie beyond just the sensor, testing and  
15 specifications, and that is the process itself. By  
16 implementing these technologies we have the  
17 potential to not only measure our current processes  
18 better but bring on line better and more  
19 appropriate processes for what we are trying to do.  
20 In the end, that may be the biggest advantage of  
21 doing this, that we could, at the design stage,  
22 implement appropriate technologies that aren't  
23 constrained by our current momentum; that we can  
24 reconsider how we fundamentally design and  
25 manufacture processes. To me, that falls under the

1 encouragement category, that this technology  
2 sensing by itself gets us only so far but if we can  
3 implement a better way of doing things that can a  
4 dramatic leap and, to me, that should be encouraged  
5 and incorporated in the sensing and analysis  
6 section.

7 DR. LAYLOFF: Rule of the chair, we are  
8 going to skip the break and move on to Leon.

9 Process and Analytical Validation

10 DR. LACHMAN: In our working group we had  
11 a very interactive session and we had good  
12 representation from the regulatory group, both from  
13 the compliance point of view and also from the  
14 submissions group. So, we had a good dialogue and  
15 we have come up with some recommendations as to the  
16 purpose of the guidance as well as issues that  
17 should be included in the guidance.

18 [Slide]

19 The purpose of the guidance, from a  
20 validation point of view, is to expand the use of  
21 current and future process analytical technology  
22 for controlling of both batch and continuous  
23 production of existing and new products. That is  
24 the purpose of the guidance from validation's  
25 consideration.

1 [Slide]

2 Then we had various general guidance  
3 validation issues that were brought forth that the  
4 body of the guidance should consider. One is  
5 dealing with requirements for accepting PAT for  
6 conventional testing. What correlation is needed  
7 to replace current conventional testing?  
8 Utilization of PAT in current processes. How do we  
9 accomplish that? PAT as an "alert" in the use of  
10 old technology, out of trend versus OOS. We have  
11 certain limits now for dissolution or for content  
12 uniformity, for blend uniformity and those have  
13 been accepted for the product and are producing  
14 acceptable product with adequate quality and  
15 bioavailability, and now we have this PAT and it is  
16 going to provide us a narrower window than we are  
17 now using in the approved application. The concern  
18 is that the agency should not use that narrow  
19 window and forget about the approved  
20 specifications. We would suggest that this narrow  
21 window, as we develop this new technology, be used  
22 as an "alert" and the current window be used as the  
23 acceptance criteria.

24 [Slide]

25 PAT on-line to replace conventional

1 testing, identifying filing requirements if we  
2 change over to on-line controls versus the  
3 conventional testing controls. PAT as an endpoint  
4 can replace traditional endpoints such as time. We  
5 are not going to be using time as a controlling  
6 factor anymore because it goes away since this will  
7 be continuous data acquisition.

8           If sensors indicate improved process  
9 control, existing technology is accepted to meet  
10 current quality for release. What we are saying  
11 here, as we said previously, is that the currently  
12 accepted, approved specifications for product  
13 quality attributes will be the governing factor.  
14 The improvements, until they are finally worked out  
15 completely -- then there will be some changes made  
16 to show improved process controls and what will be  
17 submitted to the agency, and how we submit this  
18 will be subsequent interaction between agency and  
19 the people that are doing this new technology.

20           We were assured by the agency  
21 representatives that there is a group that has been  
22 formed, both from members of the compliance group  
23 as well as from the reviewing group that are  
24 actively pursuing this area, and they understand  
25 there will be education required for reviewing

1 people as well as for the field people to  
2 understand that as this technology is developed it  
3 should not be considered that we are having tighter  
4 specs and these should be replacing the approved  
5 specifications.

6 [Slide]

7 How to allow for improvement? The  
8 question is how do we go about this with regards to  
9 reviewing the improvements, self-assessing? Do we  
10 need approval or can we submit this as part of GMP  
11 that requires pretty much current good  
12 manufacturing practices; this can be considered GMP  
13 without a reviewing requirement.

14 New technology cannot delay time to  
15 market. We had considerable discussion regarding  
16 developing this new technology and we regards to  
17 filing, because here we are talking about economics  
18 and it is customary right now to have approval of  
19 your applications before the validation. The  
20 validation is subsequent to approval and it is part  
21 of the marketing requirement. So for the most  
22 part, the group felt that we should continue with  
23 the three batch initial filings because that is  
24 what is expected from us right now, and as the new  
25 technology develops this shouldn't delay the

1 marketing and we can always put that in the SUPAC  
2 as the product is on the market.

3 [Slide]

4 Dual development, we spoke about dual  
5 development, fast to the market with conventional  
6 testing and how this would switch over when the  
7 database is ready. Do we file both performance  
8 testing versus the current testing at filing? Do  
9 we file both or do we go ahead and finesse the  
10 performance testing and come in with a SUPAC filing  
11 once the product is already marketed based on the  
12 conventional three batch validation?

13 GMPs allow for process improvement, and  
14 the agency indicated that we are going to encourage  
15 ease of submissions of these PAT improvements as  
16 they become well developed.

17 [Slide]

18 Update of method/algorithm model more  
19 frequent than conventional, this may take place as  
20 we learn more of the performance evaluation. The  
21 methods should reference the validation guidelines  
22 including ICH. This was a suggestion by one of the  
23 members since this is currently being looked at by  
24 the reviewing group task force, and by referencing  
25 these guidelines, this indicates that this



1 particular guidance has already considered these  
2 and it is not intended to redo those guidances.

3 [Slide]

4 Here we talked about the validation of the  
5 continuous process and definition of batch size and  
6 impact of OOS. Here we discussed that the current  
7 approved specifications for a product for content  
8 uniformity or blend uniformity, the ranges that are  
9 approved in the application apply, and that the  
10 continuous process is intended to provide an alert  
11 currently until that has gone through a  
12 considerable amount of work and is finalized. So,  
13 the current process of reject or approval will be  
14 the current quality attributes that have been  
15 approved in the application.

16 Integration of unit operations into larger  
17 steps, it was felt that by using performance  
18 qualifications we could eliminate the individual  
19 unit operation testing. They can flow one into  
20 another and reduce the number of testing that we  
21 have to do even in performance assessments.

22 How process set points are treated in  
23 feedback loops, and this is something that we are  
24 going to be listening to the next speaker about  
25 when we talk about the use of statistics, math and

1 computer into the feedback mechanism for  
2 controlling a process.

3 [Slide]

4 The validation of the appropriate  
5 parameters will have to be defined as part of the  
6 modeling and development of the performance  
7 testing, and chemometrics is one approach and there  
8 are probably other approaches to data treatment  
9 that use different computer or statistical  
10 programs.

11 Those were essentially the issues that we  
12 came up with for consideration as part of the  
13 guidance document for the FDA group when they start  
14 drafting it from a validation consideration. Thank  
15 you.

16 Subcommittee Questions and Answers

17 DR. LAYLOFF: Any questions for Leon?

18 DR. BOEHLERT: Leon, I have a question for  
19 you regarding reference to ICH for validation of  
20 these technologies. Did your group feel that that  
21 would be adequate? Because ICH addresses the  
22 validation of small quantities of material, like  
23 milligrams of an active ingredient or small  
24 quantities of dosage form, and here we are talking  
25 about validation of technologies that are used in

1 very big containers or on-line, and I think there  
2 are different issues that are going to be involved.

3 DR. LACHMAN: I think what the suggestion  
4 was is to list the current guidelines that are  
5 available, ICH or FDA guidelines, so that we don't  
6 address those as part of the details that we will  
7 get into later on with this guidance. There is no  
8 doubt that the performance testing is going to be  
9 quite different than the individual testing.

10 DR. BOEHLERT: But even looking at  
11 accuracy, precision and some of these other  
12 measurements when you are talking about testing in  
13 kilograms in a blender may be different than they  
14 are when you are talking about testing small  
15 quantities of material, and I am just wondering if  
16 some guidance might not be necessary to avoid many,  
17 many different interpretations of how to accomplish  
18 this.

19 DR. LACHMAN: Well, I think what can come  
20 out of the details here could be a separate  
21 guidance, but I think the main purpose of  
22 referencing the present guidances was that these  
23 are available and what do we have to do to make the  
24 guidance either fit or change the current  
25 guidances. I think it is just a reference to what

1 is available. We don't have to redo those if they  
2 apply. If they don't apply, then we develop an  
3 appropriate guidance.

4 MR. HAMMOND: On the basis that a lot of  
5 the results that come out of this technology will  
6 be signatures rather than conventional  
7 concentration values, I don't see how the ICH  
8 guidelines can possibly fit.

9 DR. LACHMAN: It is not really to fit, it  
10 is just to list those guidances that are currently  
11 available, that have been used in the past for the  
12 conventional procedures. Really that is all it is.

13 DR. RUDD: We addressed this in a meeting  
14 in London, in October of last year, and we  
15 concluded that for process measurement the existing  
16 ICH documentation -- and you are quite right that  
17 we shouldn't reinvent the wheel; we should go with  
18 what is out there already -- but ICH documentation  
19 does not in any way address some of the peculiar  
20 issues of process measurement, and there really is  
21 a gap to fill. We sort of half attempted that from  
22 the meeting we had. We had sort of an arrogant  
23 idea of publishing something that could be a  
24 supplement to ICH. I think the key point is that  
25 the philosophy of ICH does apply, the general

1 concepts behind what I see ICH wrote I think are  
2 universally applicable. But there are clearly  
3 aspects to process measurement that are quite  
4 different. We don't want to reinvent the wheel but  
5 I think we should recognize here and now that there  
6 is a vacuum to fill and we would be well advised to  
7 fill it.

8 DR. LAYLOFF: I was just nodding in  
9 agreement with that. When you are looking at  
10 process assessments, the ICH is I think pretty much  
11 locked to the API univariant assessment of quality,  
12 and this is more looking at signatures, sometimes  
13 undefined signatures.

14 DR. LACHMAN: Well, it is an inference to  
15 the quality but it is undefined at some times too.

16 DR. RAJU: I notice that you have  
17 chemometrics there and that is going to be  
18 discussed in the next section, but chemometrics is  
19 there as data treatment and, since we are thinking  
20 of PAT in kind of a broad guideline which includes  
21 different kinds of physical and mathematical  
22 measures of measurement and chemometrics is  
23 positioned as an analysis that happens later, if  
24 you formulated in that sentence, say, independent  
25 of the different chemistry and physics of the

1 instrument, chemometrics is just another sensor,  
2 which is a mathematical instrument, and then the  
3 analysis fits into that framework and, just like  
4 physical and chemical, you now have mathematical  
5 sensors, what would be the problem of incorporating  
6 that in this framework in terms of validation?

7 DR. LACHMAN: Well, that was just one of  
8 the approaches. The other approach was to design  
9 the particular statistics and computer requirements  
10 for the feedback mechanism for the controlling of  
11 the process. Chemometrics was mentioned because  
12 that could be one component, one approach. That is  
13 all that is. It uses math; it uses some  
14 statistics.

15 DR. RAJU: But what if the math isn't a  
16 sensor?

17 DR. LACHMAN: Well, then we have a  
18 different approach. We don't use that approach.

19 DR. RAJU: You need a different approach  
20 then.

21 DR. LACHMAN: Yes, no question.

22 DR. LAYLOFF: We will move on to Mel who  
23 is going to give us the final answer, chemometrics.

24 Chemometrics

25 DR. M. KOCH: Thank you for that

1 introduction.

2 [Slide]

3 Let me just make a comment that was what I  
4 feel behind the introduction. It is perceived that  
5 I understand a lot about chemometrics because the  
6 center that I represent was one of those that  
7 started in the field. I work very closely with  
8 people who take chemometrics and have an impact on  
9 it. As a result, when we get into the details of  
10 what I am actually talking about, I have selected  
11 people in the audience who are going to stand up  
12 quickly and defend the positions and explain the  
13 reasoning. However, it is not hard at all to talk  
14 about this field, and it was mentioned that, okay,  
15 this comes now at the end of what you just heard.

16 In our working group we had a very  
17 difficult time finishing on time. We had no  
18 alternate subjects to get into. This is an  
19 emerging field, proven in other parts of industry  
20 at a minimum. It has gone far beyond curiosity in  
21 terms of mathematical techniques and is, indeed,  
22 showing results. I believe in some of the, say,  
23 reluctance by the statistician to look towards 6  
24 sigma, tools like this take one along the road in  
25 designing for 6 sigma. So, we will move along on

1 some of this.

2 [Slide]

3 This is a little bit of a busy slide but  
4 it introduces some of the rationale for excitement  
5 in this particular field. The first parallelogram  
6 you see up there is a cycle. I call it  
7 developmental cycle and you can jump in at any  
8 point that you want, but to start with the reactor,  
9 the reactor pretty much represents, let's take, a  
10 process optimization as what we are now developing.  
11 The experiments that are being run, be it  
12 mini-reactors or other high throughput devices, it  
13 is generating samples. Those samples have to be  
14 analyzed, the data from those analyses evaluated,  
15 and then you get into your design of the next  
16 experiments and then continue on.

17 The DOE part of that, the experimental  
18 design is represented below in terms of some of our  
19 calorimetric terminology in that the DOE does require  
20 a number of pre-processing calibration diagnostic  
21 tools for eventual continuation of the process  
22 prediction and validation. A quick example of why  
23 all this will be important comes in -- let's just  
24 do process optimization again and we can borrow  
25 from industries that are well advanced in this



1 field and take the chemical industry, which is now  
2 using these cycles for catalyst evaluation, monomer  
3 preparation, a number of process parameter steps.  
4 In the operations within these labs, historically  
5 they have been running using process chemists,  
6 running several experiments a day and relying on  
7 well-equipped analytical labs to analyze the  
8 samples.

9           With the need to speed up development,  
10 time to market, improvements, etc., and reduction  
11 of cost, particularly capital costs as they are  
12 being translated to running pilot and development  
13 scale activities, we are running more and more  
14 reactors. We are now easily up to the hundred per  
15 day using high throughput approaches, which takes  
16 down the need for analysis. You need to do  
17 analysis every ten minutes. As this continues to  
18 grow, you no longer have time to send things to a  
19 lab. You have to make fast decisions. You have to  
20 extract things from your analytical profiles. You  
21 probably don't have time to do full spectrum or  
22 chromatographic separations but you have to quickly  
23 pull from pieces of that analytical data, which is  
24 use of chemometric technology. So, it is not as if  
25 one is trying to think of where we can apply it; it

1 is going to be forced very quickly and let's just  
2 assume it is going to be a part of everybody's  
3 program.

4 [Slide]

5 The role of chemometrics in the  
6 application of the PAT as we are seeing it is the  
7 application of sound mathematical and statistical  
8 tools requiring chemical knowledge. This is kind  
9 of a distillation of a number of definitions that  
10 Jerry gave yesterday, but we are trying to  
11 emphasize that the chemist is in a position to  
12 understand the statistics rather than to have a  
13 statistician come in and try to understand the  
14 chemistry that has just been applied here.

15 [Slide]

16 How do we see the role of chemometrics  
17 more broadly? This is a little bit out of order  
18 but it really comes down to monitoring modeling and  
19 control, the key aspects. In the monitoring phase  
20 we are trying to support the process through the  
21 use of the analyzers and sensors and effective  
22 calibration, and building models as a result that  
23 are deterministic and help us in identifying and  
24 deriving the state of the process, and then on to  
25 control to actively manipulate the process to

1 maintain a desired condition.

2           Very important in all of this is the fact  
3 that diagnostics are needed in each one of these  
4 steps. Some of you have probably interacted with  
5 production people, and any time there is something  
6 close to an upset, the sensor is pulled out first  
7 and somebody is accused of not getting the right  
8 measurement, and long down the list is perhaps that  
9 the process has gone bad. So, diagnostics are  
10 really to show the status of the instrument and how  
11 close it is to defining that which it was intended  
12 to do, together with the use of chemometrics to  
13 evaluate then the process and to have mechanisms  
14 for the feed forward of the results.

15           [Slide]

16           Now we are progressing along. If you  
17 would refer to the questions that we were given as  
18 a working group, I think we have defined now the  
19 role of the chemometrics and we get into what are  
20 some of the tools that are going to be needed.  
21 This is certainly not an all-inclusive list, but if  
22 one has a full grasp of this list you are probably  
23 in good shape to start seeing the results, things  
24 like the pre-processing; regression tools; the  
25 classification discrimination; outlier detection

1 and that comes back later in terms of how do you  
2 effectively gather outliers when you are trying to  
3 run a process in compliance; the homogeneity  
4 checking; the design of the next experimentation;  
5 and the data visualization; and although it is at  
6 the bottom of the list, very, very important is to  
7 make sure that there is some kind of uniform  
8 understanding of the terminology. This is an  
9 interdisciplinary concern. It even goes beyond the  
10 PAT that we are talking about, but we are  
11 dangerously close to having production folks,  
12 developing folks and discovery people all trying to  
13 use similar approaches and at times you can have  
14 similar approaches used by different disciplines  
15 and mixing in terms of what it is you are really  
16 trying to do. I am seeing a lot of that just in  
17 the process analyzer world where what an engineer  
18 thinks you said isn't quite what the measurement  
19 scientist said or meant. So, terminology is  
20 important.

21 [Slide]

22 What is needed for successful PAT using  
23 chemometrics? Certainly adequate measurements with  
24 the knowledge and experiments that go along with  
25 that; representative samples, again knowledge and

1 design that is associated with it; adequate  
2 analysis with getting the proper clarity, the  
3 reproducibility and, hopefully, the transfer of the  
4 data and implications; adequate data management at  
5 pilot through production stages; and then the other  
6 points of validation, the standard reference  
7 samples, emphasizing again some of this  
8 auto-diagnostic capability.

9 [Slide]

10 What is needed to develop, validate and  
11 maintain a chemometric-based PAT? Overwhelmingly,  
12 it is quality data. If you want to get into this  
13 scenario we referred to yesterday of waiting three  
14 generations for the next time you have a chance to  
15 do something, you have to make sure you have  
16 quality data, and the instrumentation is well  
17 understood, the data sets are well presented, and  
18 then you begin to apply these techniques. You need  
19 it at the reference sample stage. You need it  
20 continually from the routine product. Then, the  
21 difficult one is you need this data from outliers,  
22 or something, to effectively use the tools and that  
23 presents some challenges within the industry.

24 [Slide]

25 Currently accepted tools in industry --

1 this is not all-encompassing but just referring  
2 back to some of what Jerry talked about yesterday,  
3 there are things unfolding in industry in general  
4 with the use of parametrics, some of the EMEA, etc.  
5 and the PASG, and then there are a few others that  
6 were in Jerry's presentation I believe, slides 22,  
7 23 where you can get more data. Then, one of the  
8 other ongoing initiatives is something we talked  
9 about briefly yesterday, within CPAC we have  
10 started to pull together an approach to try to  
11 define minimal requirements for ruggedness and  
12 other things that one needs to address when taking  
13 chemometrics into a production environment.

14 [Slide]

15 One of the things that we see that is  
16 needed in validation is to make sure that we have  
17 both initial and ongoing validation approaches to  
18 assure that the DOE does lead to representative  
19 data, that measurements are adequate, process  
20 sampling and algorithms are okay; the same with  
21 model validation and then be in a mode where  
22 everything we are doing could be structured to be  
23 predictive in final product properties, process and  
24 control, and other things that relate to validation  
25 considerations.

1 [Slide]

2 One of the big topics that we found is  
3 once we identified what chemometrics was and its  
4 role in PAT, very quickly you can come to how are  
5 we going to effectively train people in  
6 understanding and applying this? There is  
7 certainly not an excess of folks who understand it,  
8 who can train in it and participate. So, we are  
9 encouraging the ongoing participation in these  
10 conferences, symposia and workshops in the field.  
11 More particularly, I think FDA needs to have  
12 in-house short courses for people who are available  
13 and, as much as possible, to make these case-study  
14 related so one sees a real result and a real  
15 problem addressed. Direct involvement with  
16 consortium, and we have at least three that jump up  
17 in CPAC and the MCEC at the University of Tennessee  
18 and the CPACT in the U.K. Those provide certainly  
19 a forum for discussion. Then you get to the next  
20 part. At least within CPAC we have a calometrics  
21 focus group which is multi-industry and has a lot  
22 of cross-talk and discussions and the source of  
23 initiatives like I mentioned earlier, in fact, this  
24 COLI or calometrics on-line initiative.

25 Industry perspective is needed within the

1 agency to better understand the background and  
2 training for people doing this, and it is always  
3 difficult but I think what has worked as quickly as  
4 possible being part of the training is important.

5 [Slide]

6 Recommendations -- and I don't know that I  
7 would say that this is all that we would recommend  
8 but coming up early are a look for general  
9 exemptions from reporting, the PAT data for batch  
10 records collected for the purpose of investigating  
11 new technologies, recommendation that the guidance  
12 evolve from very simple examples models towards  
13 those complex ones, and that chemometrics is a tool  
14 for the reviewer that could be explained as to its  
15 role in the guidance. I am not sure if that is a  
16 clear point but we will work on clarifying that.  
17 Then, make it an audit function versus a review  
18 function.

19 That is it, and I would encourage any  
20 questions, etc. I notice that people who are able  
21 to answer them are still in the room.

22 Subcommittee Questions and Answers

23 DR. LAYLOFF: Any questions or comments?

24 DR. HUSSAIN: I have a couple of comments.

25 One is with respect to the design of the



1 experiments. For the sake of argument, if I use  
2 NIR-infrared as an example, what you learn from  
3 your development experiments, which should be  
4 design experiments, translating that to a larger  
5 scale creates problems. So, I think in terms of  
6 design of experiments you are actually limited in  
7 terms of developing this on a real large scale.  
8 There are limitations to that. How would one  
9 address that?

10 DR. WORKMAN: One of the issues we were  
11 discussing there is to make sure that you are  
12 following good science, not necessarily relating  
13 that to the practice of how you would follow the  
14 good science, but good science is that if you are  
15 calibrating a system, for example, you are  
16 interpolating within the concentration space, the  
17 multivariate space, and that you have that space  
18 well represented; it is homogeneous. Good  
19 experimental design requires that. Now, how you  
20 implement that is another issue but these kinds of  
21 things can be clearly specified.

22 Then, on the validation end also how you  
23 select validation tools that represent the extremes  
24 of the space and how you test your system to make  
25 sure that it is predicting well within the

1 interpolated space. So, that is more of a good  
2 science issue and how you would describe that.

3 DR. MORRIS: If I could interject, I  
4 agree. We sort of discussed this in the group too,  
5 but if your model isn't working, whether it is a  
6 chemometric model or a simpler model, then that  
7 tells you that you are not looking at the right  
8 things. That is what you want to know. That is  
9 exactly you want at that stage so that when you get  
10 to full scale, even if the coefficients change, you  
11 know you have the right eye ball, you are looking  
12 at the right part of the process in your  
13 development and in your manufacturing. I think it  
14 all comes back to that. So, it should work  
15 assuming that you don't have some innate problem  
16 otherwise.

17 DR. WORKMAN: Another piece of that is  
18 that also as you look at any unknown sample, you  
19 know where that sample is representative to your  
20 space. Is it outside the space or is it in a well  
21 represented space. So, the good science is there  
22 and it is describable.

23 DR. HUSSAIN: Just sort of an interesting  
24 number that I have in my mind is the extent of use  
25 of DOE in pharmaceutical development. Do you know

1 the number? Three percent of companies use DOE  
2 today. This was from a survey Prof. Shangraw had  
3 done sometime ago but I think the numbers are still  
4 accurate. So, design of experiments is something  
5 novel, although it is not novel outside the  
6 pharmaceutical field, so that is the challenge you  
7 are looking at.

8 DR. LAYLOFF: And you think you are going  
9 to ramp up into PAT?

10 [Laughter]

11 DR. HUSSAIN: No, I think the point I want  
12 to make here is in the sense of for application for  
13 PAT in terms of a number of things, at least when I  
14 was there with the chemometrics working group, we  
15 discussed this. For many applications you really  
16 don't need any modeling at all. So, you have a  
17 whole range of issues to deal with, and in some  
18 more complex ones is where you need modeling. I  
19 was talking to Doug Ellsworth and I think it was  
20 discussed in the validation group that for some of  
21 the more complex attributes where you are looking  
22 at the multivariate correlation, those will emerge  
23 over time when you have real-life data from your  
24 sensors being accumulated. I think that would sort  
25 of summarize what he just told me in terms of how

1 one could validate that using production  
2 information. I think that would be helpful.

3 MR. ELLSWORTH: Ajaz may have given me a  
4 bigger charge than I realized. No, I was  
5 reflecting to Ajaz the discussion that we had when  
6 we discussed do you really have to take things to  
7 failure to really understand what that PAT  
8 technology is showing you, and the point was that,  
9 no, you don't but oftentimes you are in a much  
10 narrower range than the regulatory range would be.  
11 We said that was okay, you could validate PAT  
12 within that narrower range, and if you saw trends  
13 or information -- I think that was captured on the  
14 slide -- things that were outside that PAT range  
15 are not really considered failures; they are  
16 considered alerts. That would trigger the use of  
17 conventional testing methodologies to determine if  
18 a product meets regulatory specifications, and  
19 would trigger -- I don't want to use the term  
20 investigation, but I think an assessment of the  
21 manufacturing process to see what has changed and  
22 what can be done to improve that process or get  
23 further control of it.

24 DR. HUSSAIN: Or, you are still within the  
25 specifications, you can update your model. That

1 expands the range of the model.

2           MR. FAMULARE: I think further than that,  
3 a discussion that came out of the validation group,  
4 and that was somewhat captured on the slide too by  
5 Leon, is that GMP allows for continuous improvement  
6 so that as these things are found you can react to  
7 them, do what is necessary or put in what is  
8 necessary under GMP and just move on. So, we want  
9 to make the path for doing that as smooth as  
10 possible. That was a good bit of the discussion  
11 that we had in our GMP group, and we wanted to be  
12 able to have the flexibility to make those process  
13 improvements without filing under GMP so long as it  
14 didn't involve a change in specification or a  
15 change in the basic principle of what the product  
16 was going to be versus the submission batch or the  
17 pivotal batch. But continuous process improvement  
18 should be a smoother process, we hope, under this  
19 than maybe the current paradigm and this,  
20 hopefully, will be part of the encouragement aspect  
21 of it.

22           DR. MORRIS: Referring to something you  
23 had said earlier, Ajaz, whether you are using  
24 chemometrics or not, you are always using a model.  
25 It may be a linear relationship or something, but

1 you have to have some model unless you are just,  
2 you know, saying is it there. That is the only  
3 thing you don't need a model for in the statistical  
4 sense. But there is also the physical model, which  
5 is the physics or physical chemistry-based model,  
6 and the knowledge of that will always help design  
7 the other model that you are looking at if you know  
8 that there is a physical basis. So, just a  
9 clarification.

10 DR. HUSSAIN: The point I was making is  
11 that even the simplest design of an experiment,  
12 with the number of factors we deal with, I think it  
13 is impractical in the sense of pharmaceutical  
14 products. So, I don't want to put that as sort of  
15 a requirement that the design of an experiment is  
16 the only way out of this.

17 DR. MORRIS: Yes, and it is certainly not  
18 a way to identify variables that you haven't  
19 identified already. You can't design an experiment  
20 to come up with that. I don't know, maybe you  
21 should comment on that.

22 MR. LEIPER: I think the point that Ajaz  
23 makes is a very interesting one, and that is one of  
24 the reasons that one might ultimately want to go to  
25 continuous processing because, obviously, a time

1 slice is representative of that process and we can  
2 get the dimensionality into a time slice that we  
3 can't get in scaling-up processes. Of course, the  
4 scaling-up that we do in processes now is a gross  
5 risk because we don't know what the critical  
6 parameters are anyway. So, there are probably an  
7 awful lot of good ways around this if we care to  
8 take the time to think it through. DR. WOLD: To  
9 continue the discussion on experimental design, I  
10 think there is a general misconception that design  
11 of experiments applies when you have three, four or  
12 five factors, or so on, that they should be  
13 temperature, and pressure, and pH. But there has  
14 been an enormous development within chemometrics  
15 but also in statistics on the experimental design,  
16 and there is a large number of different approaches  
17 to deal with as complex issues as you want.

18           But to go back to the practical issues, in  
19 this discussion group we did not mean that you  
20 should take the results of a design, let's say, in  
21 lab scale and start to apply that in production  
22 scale. What we meant is that whenever you do  
23 experimentation, for instance, at least in Sweden  
24 when you put the process in use, before that you  
25 have to do robustness studies and some kind of

1 validation. It pays a lot to do both of those in a  
2 designed way. You save experiments; you get much  
3 more information and the factors you change are  
4 those that you know from development, knowledge and  
5 so forth that they influence the process. But  
6 robustness means that you ensure that when you  
7 change them within your controlled region not much  
8 happens to the results. Now, if you do that in a  
9 designed way you have a very, very nice basis for  
10 calibrating your chemometrics models because you  
11 have expanded the space that you are interested in.  
12 Of course, there will be a lot of additional  
13 factors downstream that result in what you do  
14 upstream, and those you can't control but you can  
15 still include them in the modeling.

16 DR. HUSSAIN: Just to clarify my point in  
17 the sense that if you look at my publications  
18 before I came to FDA, the are all statistical  
19 design of experiments because that is what I was  
20 pushing for at that time, and I am still pushing  
21 for it but I am being pragmatic and I just want to  
22 keep on the table the extreme range of options that  
23 we have to bring this technology successfully in.  
24 I just don't want to have the impression that this  
25 is the only one way of doing that. That is the



1 point I was trying to make. I am a proponent for  
2 design of experiments, especially in pharmaceutical  
3 development, because I use the phrase "I know it  
4 when I see it" and I think the way we set  
5 specifications, we have very little information  
6 really to set those specifications currently. If  
7 we have the design of experiments, we can not only  
8 have wider specifications which are relevant and,  
9 at the same time, you already have the concept of  
10 making your own SUPAC. You know you have a value  
11 or you have a range of values that your  
12 specifications are final and related back to your  
13 process or formulation variable. That is the  
14 advantage, but the reality is that the use of sound  
15 experimental designs is not prevalent in this  
16 industry.

17 DR. WORKMAN: If it would be helpful, we  
18 could call it a cookbook approach, but I think one  
19 of the issues is that without the design of an  
20 experiment you can't treat the PAT as a black box  
21 at all. You really have to describe everything you  
22 are doing.

23 DR. HUSSAIN: I think Tom raised the  
24 consistency. I think how you use the tool for,  
25 what purpose you use the tool for has to be kept in

1 mind.

2 DR. RAJU: Tom, one of the recommendations  
3 of the chemometrics subcommittee, the first  
4 recommendation was a general exemption from  
5 reporting PAT data to the batch records collected  
6 for the purposes of investigating new technologies.  
7 Does that fit already into the CGMPs guidelines and  
8 it doesn't need to be pursued further?

9 MR. FAMULARE: In terms of collecting  
10 additional data in the CGMP guidelines, I think we  
11 discussed some of that in our validation group, if  
12 that data is there it is part of the record.  
13 Whether it is in with the batch record or as a  
14 separate set of records, the physical location of  
15 the records is not that important. If the  
16 investigator sees it, I think the important thing  
17 is to look at is if it is part of the process  
18 improvement. That is going to be a key part of our  
19 training as we work with compliance and field  
20 people. Again, I have probably said this three  
21 times, as Ajaz started out in his slides, we are  
22 taking what we have now as adequate for intended  
23 use. So, as we learn more and we record more and  
24 it shows a variable we will allow for flexibility  
25 to deal with those variables. Over time, the hope

1 of this whole thing is that the company will  
2 improve their process and eliminate the chance for  
3 out of specification results, recalls, etc. because  
4 this will be plowed into good use, this data, and  
5 be able to better control the process. But a  
6 process that is already established under the  
7 existing paradigm as acceptable will stay that way.

8 MR. COOLEY: I think the concern with what  
9 we discussed and why we put that point in is  
10 because there have been some behaviors out in the  
11 field that would indicate that is not the case.  
12 You know, there is a concern I think in industry in  
13 general that that data will be used against us  
14 somehow rather than be looked on as positive, that  
15 you are trying to improve your process. The reason  
16 it was put in there the way it was is that if it  
17 could be exempted from examination, then that may  
18 make the industry a lot more open to experimenting  
19 with these technologies, particularly on existing  
20 processes.

21 MR. FAMULARE: The data that is generated  
22 in a company in terms of exempting that data or  
23 putting it somewhere an investigator can't see it  
24 is a hard thing to parse out in a guidance. I can  
25 only think of one example where, in a compliance

1 policy guide, we asked that internal self-audits  
2 not be reviewed by FDA even though they have the  
3 regulatory ability to do so. In this case, to take  
4 data relevant to a batch and to somehow deny it to  
5 an investigator -- I don't think there is going to  
6 be a proactive approach or will bring the  
7 investigator up to where we want the investigator  
8 to be in accepting and learning about this data and  
9 working with it. That approach would, to me,  
10 indicate that, well, we will just deny the  
11 investigator access to that information and I don't  
12 think that is going to be proactive in the long  
13 run, or positive.

14           The key is that as we write this guidance  
15 we also have to give this guidance to the field,  
16 and Doug has already taken on that responsibility  
17 with Mike Olson, to make sure that they understand  
18 that this is part of process improvement. We are  
19 not taking away the processes as they exist now. I  
20 understand the concern. It is going to have to be  
21 a strong element of the training. Doug may want to  
22 add to that.

23           MR. ELLSWORTH: Yes, I think I have to  
24 echo what Joe is saying. Would we never, ever look  
25 at that data and conclude that there is a problem

1 with the manufacturing process? I can't say no,  
2 but I think that if there is a conclusion that  
3 these data show that there is a problem, what we  
4 have to do is make sure that is not an independent  
5 judgment made by an investigator. That has to be a  
6 collaborative judgment made between CDER, the field  
7 and the firm that is involved. But I think for a  
8 general purpose we are going to want to see process  
9 improvement and try not to inhibit that.

10 MR. COOLEY: To clarify what we are trying  
11 to say, if you put an analyzer on-line there is  
12 some period of time that you are going to go  
13 through, particularly with the chemometric model  
14 where you are developing that model and you have  
15 not validated that analyzer. So, the data may not  
16 be an accurate reflection of what is going on in  
17 the process. That was the concern. Could that  
18 ultimately be used against a company?

19 MR. ELLSWORTH: The answer should be no,  
20 and I think we will have to make sure that that is  
21 part of the training, not just training but put it  
22 into our documents and directives that are issued  
23 so that it is memorialized in some policy  
24 statement.

25 DR. SHEK: I am not sure whether it is

1 chemometrics or validation, but as I was listening  
2 to the discussion here and talking about the  
3 scalability, I mean, that is basically the trick in  
4 the industry. We would like to do it in a five,  
5 ten liter granulator and be able to know that in  
6 1200 it will work the same way. The issue in  
7 looking at PAT and whether the technologies is  
8 already there, can we, for example, if we position  
9 the sensors in a 5 or 10 liters or 75, do we know  
10 where to position them in 1200? Which means do the  
11 data that we collect on a small scale correlate on  
12 a large scale? I don't know if people would like  
13 to comment whether the technology is there so that  
14 at least we can compare data.

15 DR. RUDD: I can offer a comment.  
16 Positioning sensors is actually one of the things  
17 we addressed in the validation meeting that I  
18 referred to earlier. I think it is a  
19 characteristic of PAT measurement technologies that  
20 is different to laboratory based technologies. It  
21 is one of the things you have to go through during  
22 the validation of the methodology. Clearly, in  
23 order to validate the methodology you need to know  
24 the endpoint you are working to, and it is back to  
25 the process signature. That, to me, is the crux of

1 the whole thing, knowing what it is you ar trying  
2 to achieve so that when you transfer scale one of  
3 the things you do to validate your methodology of  
4 that new scale is to look at the influence of, for  
5 example, sensor position in order to recreate the  
6 signature you are talking about.

7 DR. SHEK: And that might change from one  
8 product to another?

9 DR. RUDD: Yes, yes.

10 DR. SHEK: And change from a small mixer  
11 to a larger one?

12 DR. RUDD: Exactly, yes.

13 DR. MORRIS: But, Dave, a point you made  
14 actually during our committee meeting is that to  
15 the degree that you can use the information you got  
16 during one process. I mean, typically you will  
17 keep the same equipment, so the next time you go  
18 through it, even though there may be minor  
19 adjustments, if you have established from one  
20 product and you go from a given piece of equipment  
21 to a larger piece of equipment, at least you have  
22 some starting point for your product. I think that  
23 was the point you made during our meeting.

24 DR. RUDD: Yes. Could I just ask perhaps  
25 a question to the experts in the working group

1 about availability about chemometric tools,  
2 developing this idea of process signature perhaps  
3 will allow us to arrive at that broadly based on a  
4 combination of fairly diverse measurements, for  
5 example, you are going to develop the signature  
6 from a spectroscopic measurement, maybe an acoustic  
7 measurement, maybe some imaging data, maybe some  
8 traditional classical measurements, pH and so on,  
9 and so on. I just wonder if the chemometric tools  
10 are out there to allow this sort of combination of  
11 diverse measurement techniques to get an overall  
12 picture of the process signature, as we are calling  
13 it, or whether that is an area of research that we  
14 need to recognize before those tools become  
15 available. I don't know if anyone wants to pick up  
16 on that.

17 DR. LAYLOFF: The only way I have ever  
18 seen it is treating one homogeneous set at a time.  
19 I have never seen, you know, linking together  
20 diverse databases, except on bounds --

21 DR. RUDD: And I guess that is the major  
22 difference that we are talking about, combining  
23 diverse data sets here, apples and oranges and how  
24 it balances out.

25 DR. LAYLOFF: I think you are going to be



1 stuck with doing acceptance bounds on each segment  
2 of the signature.

3 DR. RUDD: My question is are we, or are  
4 there more sophisticated tools that are out there  
5 that we need to be more aware of?

6 DR. HUSSAIN: David, I don't think that is  
7 a limitation of the chemometrics, it is simply  
8 availability of data. I mean, all you are looking  
9 at are dependent and independent variables so you  
10 have to treat it that way.

11 DR. WORKMAN: Can I address that? I am  
12 sure Svante wants to say something but there are  
13 data augmentation methods and standard classical  
14 approaches are applied to two-dimensional image  
15 data. So, it is a basic chemometric problem, but  
16 data augmentation allows you just to string these  
17 things and deal with them, and to normalize the  
18 data so it has similar scales, and then to deal  
19 with it as a large segment.

20 DR. RUDD: I don't want to get stuck on a  
21 technical detail but I think we shouldn't  
22 underestimate the complexity of what we are trying  
23 to do. We are talking about, for example,  
24 spectroscopic data. We are talking about  
25 univariate measurements like pH and temperature.

1 We are talking about acoustic data where, you know,  
2 I showed some wavy lines yesterday and, you know,  
3 it is about feature detection from traces like  
4 that. It isn't as simple as looking at tables of  
5 Excel numbers.

6 DR. LAYLOFF: Svante has the answer up  
7 there.

8 DR. WOLD: Well, I am not sure about that.  
9 What we can say is that in about 1985 or so the  
10 problem arose. We started to have too many  
11 variable to put into one block. There is a variety  
12 of so-called hierarchical multivariate models where  
13 you put your different types of data into blocks,  
14 and then on a lower level you make some modeling of  
15 each block and then you take the resulting scores  
16 and carry them up to the higher level. There is  
17 nothing that prevents the blocks from overlapping  
18 and in that way see the information sifting in a  
19 more clear way. It solves this problem that, for  
20 instance, two or three univariate measurements will  
21 otherwise be masked by 300 NIR-infrared light  
22 results.

23 It has another advantage too, and that is  
24 if you have a model and you have 4000 FID  
25 measurements, you don't turn everything upside

1 down. You just add another block and it is a very  
2 mild operation.

3 DR. RUDD: All right. Forgive my  
4 ignorance. Thanks.

5 DR. LAYLOFF: That is why we came here.

6 DR. M. KOCH: I was just going to add that  
7 we are probably further towards being able to do  
8 all of that than we are in the limiting regard that  
9 you mentioned in terms of just the separateness.  
10 One of the other initiatives that we have  
11 undertaken at CPAC in conjunction with a food  
12 industry initiative is to try to develop algorithms  
13 on raw material quality and its effect, or the  
14 variations in raw material quality and its effect  
15 on final product properties. That is going to be  
16 adopting a lot of different technologies. That,  
17 coupled with some of the things that are going on  
18 with multi-dimensional chromatographies and other  
19 array approaches I think will put us further along  
20 that road than would initially be thought.

21 MR. CHISHOLM: I think, at the risk of  
22 people having to be here all afternoon and all  
23 evening, it leads me to reopen something. It is  
24 not just about not having enough data. One of the  
25 discussions that we had, and in fact one of the

1 things on the overhead which I thought would  
2 provoke questions from the whole team was that a)  
3 we mustn't threaten time to market under any  
4 circumstances and, b) this means that we may have  
5 to go back and still submit three validation  
6 batches. I thought that would bring gasps of  
7 concern because, obviously, if you do that you are  
8 sticking with the old methodology before you move  
9 to the new.

10 So, in terms of such predictive  
11 technologies and lack of data, when we try to make  
12 a submission how do we get around not having enough  
13 statistical data to actually persuade the agency  
14 that we can, in fact, go ahead and do it the new  
15 way because we will not have enough statistical  
16 data? I think in terms of validation, that is  
17 probably one of the most significant questions  
18 because time to market will be a big driver in  
19 stopping us from going ahead if we don't manage to  
20 get into some of these areas.

21 DR. HUSSAIN: To respond to that, in that  
22 case PAT becomes a post-approval activity.

23 MR. CHISHOLM: We may have to face up to  
24 that. I am trying to be realistic. I don't know  
25 the answer to it, but I just wonder if in anyone

1 has any ideas about it because we didn't come up  
2 with an answer in the validation group, and one of  
3 the things you asked us to do, Ajaz, was to come up  
4 with stoppers. Well, that is a pretty big one if  
5 we don't solve it.

6 DR. LAYLOFF: Deathly silence!

7 DR. HUSSAIN: I think the solution has to  
8 come from you, not from us.

9 MR. CHISHOLM: I am just an engineer!

10 MR. FAMULARE: We had the discussion,  
11 Ajaz. This was a good point brought up by Bob, and  
12 Bob felt that the regulators would want to see PAT  
13 development from beginning to end in the process  
14 and in scale-up and validation. The one thing that  
15 I tried to emphasize is that validation in and of  
16 itself is a post-approval activity. So, we  
17 wouldn't want to hold up approval based on  
18 validation. Then, all right, the product is  
19 approved and if time to market is longer using PAT  
20 versus doing three batches under the conventional  
21 methods, well, that will be a discouraging factor  
22 to companies. Until such time as data can be  
23 developed for PAT, it may be a dual approach. They  
24 may use their three batches to get to market, but  
25 then move ahead with PAT, and PAT at some point may

1   overtake what was the conventional validation.  But  
2   not all of this is beyond the filing realm and the  
3   flexibility should be there for companies to do so.

4           DR. DEAN:  I would like to come to your  
5   point, Bob.  I don't think this is an answer to it  
6   but perhaps another perspective.  I think the way  
7   we currently do these things, there is a functional  
8   separation between the people that are trying to  
9   get a product to market and the people that are  
10  trying to produce it at commercial scale  
11  afterwards.  As long as that separation is there,  
12  that is a problem to sacrifice time to market for  
13  potential benefits that are further downstream.  We  
14  have seen some cases of organizations taking an  
15  interesting step to give life cycle responsibility  
16  for cost structures in an operational environment  
17  that really cut across some of these  
18  organizational, functionally oriented structures  
19  that currently exist.  When you do that, you  
20  actually have the possibility to look at the  
21  trade-off between time and getting it better.  You  
22  know, it is not always clear what the right thing  
23  to do is, but at least then you have some degree of  
24  accountability and someone who is tasked with  
25  making that evaluation.  Right now it really

1 doesn't happen and you have the situation that you  
2 are talking about where time to market is never  
3 compromised, and there may be cases where it would  
4 be good to do so.

5 DR. KIBBE: In fact, the dollars push  
6 towards avoiding anything that slows you on an  
7 innovative scale, but we can look at different  
8 segments of industry and imagine different segments  
9 being interested in PAT at different stages in the  
10 development. A company that has a lot of mature  
11 products on the marketplace might see a real  
12 benefit for going forward in terms of cost  
13 containment. In a competitive arena generic  
14 companies would gain a strong advantage in terms of  
15 cost containment as a way of fighting out in the  
16 commodity market and, yet, the innovators might  
17 still view the risk adversely in terms of first to  
18 market. I don't know whether we can change that  
19 with a regulation.

20 I think that is the single biggest barrier  
21 that we talked about in our group to fully  
22 implementing PAT as drugs are going through method  
23 development or development stages for a new drug  
24 entity. What we also see internationally is that  
25 companies go to market first some place else. If

1 that is the case, and that environment allows them  
2 to go to market with PAT already fully developed,  
3 our willingness on this side of the world, the  
4 United States, to accept PAT as part of the  
5 submission will just make it that much easier for  
6 them in the long run.

7           So, all of those factors are in place and  
8 we can't control all of them, and there is no use  
9 us addressing all of them but we certainly can make  
10 the environment here friendly and encouraging for  
11 people to go to PAT.

12           I think the other thing is that as long as  
13 the spirit of the regulation and guidelines are to  
14 encourage, as problems come up with individual  
15 submissions or individual companies with individual  
16 products, if they find an encouraging and open  
17 environment within the agency it is going to  
18 promote them taking a little bit more risk in terms  
19 of first to market or first on the shelf.

20           DR. LAYLOFF: Svante says he has one small  
21 comment, and this is the last point on the  
22 discussions.

23           DR. WOLD: I would just point out that you  
24 have now renamed yourself to post-approval  
25 technology committee. PAT has a new meaning.



1 DR. LAYLOFF: Okay, Ajaz? While Ajaz is  
2 getting ready, is it possible for each of the  
3 working groups to get copies of each other's  
4 slides?

5 MS. REEDY: They will be on the web site  
6 by Friday.

7 DR. LAYLOFF: Thank you.

8 Summary

9 DR. HUSSAIN: Well, two days have passed  
10 and I think the discussion would have continued. I  
11 am pretty excited to give the closing remarks.  
12 Trying to reflect back, I went to my office to try  
13 and put some of this together and I was a bit  
14 apprehensive about what will come out of these  
15 working groups. That was a bit scary to me but I  
16 am pleased with how things have turned out.

17 [Slide]

18 The question was why are we here, I think  
19 from my perspective, to find a better way to sell  
20 to our customers. I think industry and FDA have  
21 one common customer and that is the U.S. patients.  
22 We wanted to do this by improving our manufacturing  
23 and also associated regulatory processes. In some  
24 way, we did a gap analysis, at least in some parts  
25 of the meeting early on.

1           We wanted to build some consensus on  
2 better understanding the potential role PAT can  
3 play, and also to come on the same page to some  
4 degree. I was talking to Ken Leiper and he said,  
5 come on the same page? We will be happy if we come  
6 in the same book. But based on the summaries that  
7 we have seen, I think we do have consensus on the  
8 benefits. We did achieve a lot at this meeting.  
9 We wanted to identify real and perceived regulatory  
10 hurdles and initiate the process of finding  
11 solutions.

12           [Slide]

13           We didn't come here to do this. I don't  
14 know if you can read this, "unable to determine the  
15 structure of this byproduct by spectroscopic method  
16 -- you are worthless; you will never amount to  
17 anything!" So, we are not here to do this. This  
18 comes from the chemical innovation journal. I  
19 thought that was interesting but we didn't do this.  
20 I was very pleased to see that.

21           [Slide]

22           Expectations and challenge at the end of  
23 this meeting, in my opening remarks I said we  
24 expect to have topics covered in the guidance, some  
25 sort of an outline; lay out general principles for

1 setting specifications, validation and  
2 chemometrics; and consensus on benefits,  
3 definitions and terminology. That is work we  
4 wanted to achieve. Listening to the discussion and  
5 the summary presentations, I think we did that.  
6 You can correct me if I am wrong in my assessment  
7 of that.

8           The challenge I have seen was that we come  
9 from different perspectives, expertise and  
10 affiliations and I was worried about this issue,  
11 can we come to the same page at the end of this  
12 meeting. Again, you will correct me if I am wrong  
13 but I think we did. I think we are on the same  
14 page; not in the same book, on the same page.

15           [Slide]

16           So, I think we have accomplished what we  
17 started to do, and that leads to my sense of PAT.  
18 After listening to the discussion, I was not  
19 expecting you to change the definition or the name  
20 but I thought I would let you make the proposal so  
21 this is not exactly what one of the groups made the  
22 presentation on.

23           In listening to the discussions, I felt  
24 that in my mind PAT are tools and systems that  
25 utilize real-time measurements, or rapid

1 measurements using processing of evolving quality  
2 and performance attributes of in-process materials  
3 to provide information to ensure optima processing  
4 to produce final product that consistently conforms  
5 to established quality and performance. It is a  
6 bit wordy but I think that is my sort of take-home  
7 of how PAT is starting from the definition I gave  
8 you at the beginning of the meeting. It is not  
9 perfect; it needs polishing but I will look at the  
10 definition you have prepared and see whether we can  
11 merge the two.

12 [Slide]

13 I still think options for introducing PAT,  
14 the three I mentioned earlier, are still valid and  
15 I think we need to have a guidance that covers  
16 existing products in sort of a post-approval  
17 activity to new products, and I think we need to  
18 have a broad guidance that allows for these options  
19 to be utilized by the industry.

20 The one which I labeled (b) where you have  
21 current manufacturing problems is an opportunity to  
22 improve, and to improve not only by trying to  
23 understand your process better, not just tweaking  
24 the process and hoping the auto-specification rate  
25 goes down. So, I think in the current situation

1 with the high level of manufacturing difficulties  
2 that companies are having, option (b) is really an  
3 option. But I believe all three options should be  
4 considered and are useful for the guidance.

5 [Slide]

6 Next steps, we have to report back to the  
7 parent committee so we will have a report on our  
8 activities here at the next advisory committee for  
9 pharmaceutical science. The meeting dates are May  
10 7 and 8. I think Tom will make that presentation,  
11 but we have Art and a number of people from that  
12 subcommittee already here so the group will make  
13 the presentation to the parent committee.

14 We plan to have a subcommittee meeting in  
15 June. I don't have a date yet. I was hoping to  
16 give you a date but I don't have a date, but we are  
17 aiming for June, maybe the June-July time frame.  
18 We hope to have a more focused discussion because  
19 we intend to go back, reflect on this meeting, get  
20 the transcripts and study those transcripts very  
21 carefully, and come up with more focused questions  
22 for you. In fact, my hope is that we actually will  
23 have an internal draft before we come to you so  
24 that we know exactly what questions to ask and get  
25 you to give us some information that is useful for

1 us.

2 One thought in my mind was if we can have  
3 a real-life example, if we can sort of go through  
4 one example of a PAT application, that might be  
5 helpful. There is a question mark there because I  
6 don't know whether that is feasible or not.

7 As you leave, I would like you to think  
8 about what we need to do to prepare for the second  
9 meeting. One aspect which I would ask you to do is  
10 to seek input from your other colleagues within the  
11 company so that you start bringing them in and  
12 start bringing their questions to the meeting also.  
13 I think this was a very good start, not only for  
14 the information we received but I saw the  
15 participation of our FDA colleagues and you saw it  
16 too. I think we are working together as a team  
17 internally and with you, on the external side, and  
18 so the possibilities and opportunities are great  
19 and we have to move forward beyond this. But give  
20 some thought to what you think you could do to  
21 prepare for the second meeting. Please feel free  
22 to share your thoughts with us on how we can  
23 improve the second meeting agenda. you have my  
24 email, or you can send email to PAT@CDER.FDA.Gov.  
25 So you have a simple email address for PAT and we

1 will prepare for that.

2 [Slide]

3 I will end my presentation with what I  
4 think is a win-win solution and what each of us has  
5 to do to create that win-win. From an FDA  
6 perspective, we are not going to bring the  
7 technology. All we will be doing is provide an  
8 unambiguous regulatory process for PAT. That is  
9 what we can do. We can't do more than that. So,  
10 the general guidance for industry will articulate  
11 the regulatory position on PAT, our expectations  
12 and the regulatory process. That is what the  
13 guidance will do.

14 In doing so, we are collaborating with  
15 industry and academia at this meeting and in other  
16 arenas too. I have also talked about the second  
17 track. We want to work with companies which have  
18 done this so that we can bring information, train  
19 our trainers internally and work with companies to  
20 do that.

21 Industry has to do several things for this  
22 win-win. It has to have the willingness to improve  
23 and change. There are many challenges. I think  
24 manufacturing is generally on the radar screen of  
25 the higher CEOs and so forth. I think

1 manufacturing needs to be recognized as an  
2 important function. Some companies do and some  
3 companies will not. Manufacturing is a side that  
4 could be contracted out. So, I think you will see  
5 different perspectives on that but I think  
6 companies that do recognize manufacturing as an  
7 important activity really are the ones which will,  
8 I believe, bring PAT into existence. I think you  
9 have the technology know-how and I think good  
10 science is what you need to develop and apply in  
11 your submissions and, again, collaborate with us on  
12 how to move this forward.

13           Academia plays a very important role. We  
14 do need knowledge, especially in the public domain,  
15 so that not only we understand things better but we  
16 make sure the field grows as it is supposed to, and  
17 also future experts and leaders will come from  
18 students who are probably just entering chemistry  
19 programs.

20           With that, I really wish to thank you all  
21 for your contribution. This has been a great  
22 experience and I actually was apprehensive about  
23 how this would come out. My feeling is that I  
24 think it came out extremely well and useful for us.  
25 I hope you will agree with that. Thank you very



1 much.

2 DR. LAYLOFF: I also would like to thank  
3 the presenters, Art, Judy, Leon and Mel for making  
4 the presentations, organizing their presentations  
5 and sessions. I would like to thank my former FDA  
6 colleagues for their openness, attendance and  
7 participation. I found it quite exciting. Of  
8 course, maybe something is wrong with me. Anyhow,  
9 the meeting is adjourned. Thank you very much.  
10 Don't forget, send your comments to  
11 PAT@CDER.FDA.gov. Thank you.

12 [Whereupon, at 3:45 p.m. the proceedings  
13 were adjourned.]

14 - - -