

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
ENVIRONMENTAL PROTECTION AGENCY

- - -
1717 Arch Street, 50th Floor
Philadelphia, Pennsylvania
Tuesday, November 2, 1999
10:00 a.m.

- - -

CONTROL OF EMISSIONS OF AIR :
POLLUTION FROM 2004 AND LATER:
MODEL YEAR HEAVY-DUTY HIGHWAY:
ENGINES AND VEHICLES; :
REVISION OF LIGHT-DUTY TRUCK :
DEFINITION : NO. A-93-32

- - -

PRESENT: MARGO OGE
CHET FRANCE
JUDY KATZ
MICHAEL HOROWITZ
ROB FRENCH

REPORTED BY: BERNADETTE BLACK, RMR, Notary Public
LISA C. BRADLEY, RPR, Notary Public

- - -

VINCENT VARALLO ASSOCIATES, INC.
Registered Professional Reporters
Eleven Penn Center
1835 Market Street, Suite 600
Philadelphia, PA 19103
(215) 561-2220

1

2 INDEX PAGE

3 Opening Statements..... 4

4 Jed Mandel, Engine Manufacturers Association.. 15

5 William Becker, STAPPA/ALAPCO..... 22

6 Walter Tsou, M.D., Citizen..... 34

7 Joseph Otis Minott..... 37

8 Richard Kassel, Natural Resources Defense
 Council..... 41

9 Richard Breeze, Citizen..... 60

10 Beth Osteunski, Citizen..... 64

11 Blake Early, American Lung Association..... 66

12 Greg Dana, The Alliance of Automobile
 13 Manufacturers..... 75

14 Sam Boykin, Citizen..... 85

15 Maria Bechis, Bucks County Sierra Club..... 87

16 Meggy Bechis, Citizen..... 91

17 Beth McConnell, PennPIRG..... 93

18 Kathleen Kerdei, Citizen..... 104

19 Kitty Campbell, Citizen..... 107

20 Carmen Lopez, Citizen..... 109

21 Patrick Charbonneau, NAVISTAR Transportation
 Corp..... 112

22 Bruce Bertelsen, MECA..... 118

23 Mike Carter, California Air Resources Board... 124

24 Coralie Cooper, NESCAUM..... 133

25 - - -

1

2 INDEX (Cont'd)

3 Julie Becker, Women's Health and Environmental
Network..... 147

4 Gina Porreco, Clean Air Network..... 149

5 Angie Farleigh, U.S. PIRG..... 156

6 Kevin Stewart, PA American Lung Association... 160

7 Emily Bertram, Nat'l Environmental Trust-DE... 167

8 John Duerr, Detroit Diesel Corp..... 172

9 Alan Schaeffer, American Trucking
10 Association..... 179

11 Bob Jorgensen, Cummins Engines..... 198

12 Jonathon Sinkler, Nat'l Environmental Trust
Pennsylvania..... 202

13 Britta Ipri, Clear the Air Campaign..... 206

14 Nancy Brockman, Wyncote Audubon Society..... 209

15 Valerie Sowell, Citizen..... 221

16 Jeff Harden, Citizen..... 223

17 Jason Rash, PA Clean Cities Program..... 225

18 Natasha Ernst, Low-income housing activist.... 227

19 Ami Doshie, NJ PIRG..... 230

20 Ajahi Harris, Citizen..... 234

21 Dennis Winters, De Valley Transit Users
22 Group..... 236

23 Abram Haupt, Citizen..... 238

24

25

1

2

P R O C E E D I N G S

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MS. OGE: Good morning. On behalf of

Environmental Protection Agency, I want to thank you
for coming and welcome all of you to this hearing.

Before I give you some brief remarks, I
would like to introduce Judy Katz, who is sitting on
my left. She is with our office here in
Philadelphia, and she will formally welcome us into
this area.

Judy.

MS. KATZ: Good morning. I would like
to take this opportunity to welcome everybody to
Philadelphia. This is an appropriate place for a
public hearing on a rule that will reduce emissions
from heavy-duty trucks and large sport-utility
vehicles and produce cleaner diesel fuel because
this rule is going to result in significant
reductions in emission of nitrogen oxide and
particulates.

As you probably know, nitrogen oxide is
an ozone precursor. And ozone is a pollutant which
causes smog, which creates respiratory problems,
asthma attacks in people.

Philadelphia has not yet attained the

1

2 one-hour ozone standard, which has been in effect
3 for many years and which has been attained in much
4 of the rest of the country. In fact, Philadelphia
5 is currently classified as a severe non-attainment
6 area for the one-hour ozone standard.

7

8 The on-highway, heavy-duty category of
9 vehicles accounts for about 15 percent of the
10 national nitrogen oxide emissions in this country.
11 Today's proposal will dramatically cut the amount of
12 pollution from this source.

12

13 As you also probably know, EPA issued a
14 new ozone standard, the eight-hour standard, in
15 1997. That is now going through some court
16 challenges, but we have reason to believe that when
17 EPA resolves the legal issues and moves on to the
18 implementation of the eight-hour standard, which is
19 more protective of human health, the scope of the
20 non-attainment problem in the Philadelphia area will
21 be even greater than it is now.

21

22 Particulate matter from heavy-duty
23 diesels are also a major human health concern.
24 Exposure to this kind of pollution causes cancer
25 risks and causes premature deaths. And particulates
are important matters of concern, particularly in

1

2 cities like Philadelphia.

3

4 So there is no doubt that we in
5 Philadelphia, as in many places in this country,
6 need this rule.

7

8 The rule will be the first step of a
9 two-step process to reduce emissions from on-road,
10 heavy-duty motor vehicles.

11

12 The rule piggybacks on EPA's recent Tier
13 2 strategy, which proposes tougher tailpipe controls
14 for passenger cars and smaller trucks and sport-
15 utility vehicles to start in the year 2004.

16

17 Today's proposal serves to level the
18 playing field with respect to the largest trucks and
19 super-large SUVs that are just now being introduced
20 into the marketplace. The rule will close the
21 loophole that excludes those largest vehicles from
22 the controls outlined in the Tier 2 proposal.

23

24 Today's proposal would require cutting
25 emissions from heavy-duty trucks and the very
26 largest sport-utility vehicles, those over 8500
27 pounds, beginning in the Model Year 2004.

28

29 In the second phase of our strategy, EPA
30 plans to propose later this year or early next year
31 an even more stringent standard for heavy-duty

1

2 trucks, which could take effect as early as 2007.

3

4 The second phase will also include a
5 proposal to reduce the sulfur content in diesel fuel
6 to enable new emission control technologies on
7 heavy-duty trucks. These will mirror the proposed
8 sulfur reduction in gasoline under the Tier 2
9 proposal.

9

10 So with this, I would like to thank you
11 for coming to offer testimony today on this
12 proposal. And we are anxious to hear what you have
13 to say on the new rules.

13

MS. OGE: Okay, Judy. Thank you.

14

15 My name is Margo Oge. I am director of
16 the Office of Mobile Sources for EPA, and I will be
17 serving as the presiding officer for today's
18 hearing.

18

19 I am glad to be back in Philadelphia.
20 We were here a few months ago to have our first
21 public hearing on the Tier 2 proposal.

21

22 Today we will hear testimony on the
23 proposal for cleaner heavy-duty vehicles, both
24 gasoline and diesel. We believe that the proposal
25 that we are going to be hearing comments on today is
a very significant step towards helping us in

1

2 obtaining cleaner air for this country.

3

4 The proposal in today's hearing was
5 signed by the administrator Kevin Browner and
6 announced by the president October 6th. EPA's
7 intention to hold this hearing was filed in the
8 "Federal Registrar" on Friday, October 22nd, and
9 the proposal was published in the "Federal
10 Registrar" on October 29th.

11

12 Heavy-duty vehicles, both gasoline and
13 diesel, with a gross vehicle rate greater than 8,500
14 is the subject of today's hearing. This category is
15 very diverse and includes large commercial trucks, a
16 large version of full-size pick-up trucks, passenger
17 vans and the largest sport-utility vehicles.

18

19 Vehicles weighing up to 8500 pounds will
20 be covered under the emission standards that EPA
21 propose in May. And we had our first hearing here.
22 We call those standards Tier 2 standards, and the
23 Administration is planning to finalize those
24 standards by the end of the year.

25

26 Heavy-duty trucks contribute to the
27 annual NOx emission inventory by about 50 percent
28 across the country. These vehicles contribute
29 significantly higher across the country, essentially

1

2 in the urban area.

3

As Judy mentioned, we are proposing a
4 two-phased approach to the heavy-duty diesel engine
5 standards.

6

The first phase, EPA is proposing new
7 engine standards beginning in 2004 for all trucks
8 and SUVs over 8500 pounds. The new standards will
9 require gasoline trucks to be 78 percent cleaner
10 than today's heavy-duty gasoline trucks, and diesel
11 trucks to be 40 percent cleaner than today's most
12 models [sic].

13

In the second phase of this we plan to
14 propose later this year or earlier next year, we're
15 planning to propose more stringent standards to,
16 again, significantly reduce pollution, both NOx,
17 nitrogen oxides and particulates, from heavy-duty
18 trucks, both gasoline and diesel, and to also
19 control at the same time sulfur in diesel fuel.

20

That proposal, when it is finalized,
21 would take effect not later than 2007, and it would
22 reduce emissions by 75 percent and 90 percent from
23 NOx and particulates beyond the proposal that we're
24 making today that we're going to obtain in 2004 time
25 frame.

1

2 Very briefly, let me outline the key
3 components of the proposal that we are discussing
4 here today:

5 First, the proposal reaffirms the
6 technological feasibility of the nitrogen oxide
7 standards for heavy-duty diesel engines that was
8 finalized in 1997. When EPA finalized those
9 standards in 1997, we committed to assess the
10 technological feasibility of the standards, and we
11 have done that. We believe those standards are
12 feasible to take place in 2004. These are nitrogen
13 oxide and hydrocarbon standards.

14 Second, we are proposing NOx standards
15 for gasoline-fueled engines that will be 78 percent
16 cleaner than today's gasoline heavy-duty engines.

17 These requirements will harmonize with
18 California when they become effective in 2004 time
19 frame.

20 Third, we propose to advise the
21 of regulatory finish of light-duty trucks in order
22 to form the subset of heavy-duty vehicles that are
23 designed primarily for transportation. We're
24 proposing to bring those vehicles under our Tier 2
25 proposal.

1

2 Fourth, we're proposing test
3 requirements for heavy-duty diesel engines. These
4 requirements have their origin in the consent
5 decrees entered into last November by seven of the
6 largest heavy-duty diesel engine manufacturers.

7 We are proposing to codify some of the
8 provisions of the consent decrees to provide
9 assurance that diesel engines will meet the
10 standards under a broad range of driving conditions;

11 Fifth, we're proposing to require
12 onboard diagnostic requirements for diesel and
13 gasoline heavy-duty vehicles from 8,500 to 14,000
14 pounds.

15 This element of the proposal would help
16 identify any possible failure of components of the
17 emission control systems, and it would harmonize
18 federal OBD, onboard diagnostic, requirements with
19 those already in place in California.

20 And, finally, the proposal discusses the
21 possibilities for the next phase of heavy-duty
22 emission standards for diesel and gasoline engines,
23 both for NOx, nitrogen oxides, and particulates,
24 including the fact we need that to address fuel
25 quantity, diesel fuel quantity.

1

2 We are granting specific comments on
3 diesel spenders and on all of the diesel-fuel
4 quality in meeting these Tier 2 standards that will
5 go into affect much later than 2007 time frame.

6 Now, here, we've already introduced Judy
7 Katz here from Philadelphia.

8 On my left is Robert French. He is with
9 our Engines and Compliance Division. He is one of
10 the authors of this very important regulatory
11 problem.

12 On my right, Chet French; he is also
13 with Office of Mobile Sources, and he is in charge
14 of all of the regulatory problems. And next to him
15 is Mike Horowitz; he is with the Office of General
16 Counsel.

17 I am glad to see you here today here.

18 His wife is expecting a baby. So if you
19 see him walking out today, you know what is going
20 on.

21 We are conducting this hearing in
22 accordance with Section 307-B5 of the Clean Air Act,
23 which requires EPA to provide interested persons
24 with an opportunity for oral presentation of data in
25 views related to the proposal.

1

2 The official record for this hearing
3 will be kept open for 30 days; it is provided
4 according to the Act. That means that written
5 comments will be accepted through Thursday, December
6 2nd, 1999.

7 The hearing will be conducted
8 informally, and formal rules of evidence will not
9 apply.

10 The presiding officer, however, is
11 authorized to strike from the record statements
12 which are deemed irrelevant or needlessly
13 repetitious in order to enforce reasonable limits on
14 the duration of the statement of any witness.

15 Now, Bill Charmling (ph), will you stand
16 up, please?

17 He is an important person; he is going
18 to keep the time for each one of you, to officiate.
19 So to the people the testify, try to keep your
20 comments not more than ten minutes, because we do
21 have a number of individuals that have expressed an
22 interest to testify.

23 I would ask that the witnesses be
24 requested to state their names and affiliation prior
25 to making their statements. When a witness is

1

2 finished his or her presentation, members of the
3 panel may ask that person questions concerning the
4 testimony.

5 To the panel members on the panel today,
6 I will ask each witness to make a statement; I would
7 ask the EPA panel to hold their questions, and at
8 the end of everybody's presentations, we may have
9 questions from the panel.

10 The witnesses are reminded that any
11 false statements or false responses to questions may
12 be a violation of law.

13 If there are any members of the audience
14 that wish to testify and have not already signed up,
15 I would ask you to please submit your names at the
16 reception table, and we will make every possible
17 effort to accommodate all of those who wish to
18 testify.

19 We would like all activists to sign the
20 registrar whether or not they testify.

21 Finally, I would like to ask the
22 witnesses to please speak up close to the
23 microphone. It would be great if you can give your
24 statement to the court reporter. I think that will
25 facilitate her job.

1 Jed Mandel - EMA

2 And if you would like to have a
3 transcript of the proceedings, you should make
4 arrangements directly with the court reporter during
5 one of the breaks.

6 The transcript will be available in the
7 docket on our web site within two weeks.

8 This concludes my statement. And if you
9 don't have any questions, I would like to start with
10 our first panel of witnesses.

11 Any questions?

12 I would like to call Mr. Jack Mandel,
13 Mr. William Beckel, Mr. Richard Kassel, Mr. Joe
14 Minott, and Dr. Walter Tsou. Would you please take
15 your seat?

16 You should have a piece of paper in
17 front of you. I would like you to please state your
18 name.

19 We will ask Mr. Mandel to start.

20 MR. MANDEL: Good morning. My name is
21 Jed Mandel, and I am here today on behalf of the
22 Engine Manufacturers Association.

23 EMA's membership includes major
24 manufacturers of the engines used in heavy-duty,
25 on-highway vehicles, the subject of today's hearing.

1 Jed Mandel - EMA
2 standards, massive changes to the existing
3 regulatory program, significant new test procedures,
4 and the fundamental recharacterization of heavy-duty
5 engines and vehicles. Those proposed changes
6 significantly increase the stringency of the 2004
7 standards, propose new standards not part of the
8 2004 Final Rule, and erode the certainty, stability
9 and lead time that were so fundamental in the
10 original adoption of the 2004 standards.

11 Just a few examples may be
12 illustrative: EPA is proposing multiple new
13 supplemental test procedures and emission standards
14 that significantly increase the stringency of the
15 2004 standards. Yet neither EPA nor the regulated
16 industry have adequate data to determine the
17 feasibility and cost-effectiveness of these new test
18 procedures. In fact, it is unclear how these
19 procedures are to be run, or even if they can be
20 run.

21 Further, EPA has proposed to make the
22 engine manufacturer responsible for the emission
23 performance of its products at essentially any
24 possible combination of extreme operating
25 parameters. The net result is that manufacturers

1 Jed Mandel - EMA
2 must design their engines to meet emission standards
3 at conditions that may rarely, if ever, be seen in
4 operation.

5 But EPA has not established the
6 feasibility or cost-effectiveness of requiring that
7 standards be met in such outlier conditions.

8 EPA also has proposed very stringent new
9 emission standards for heavy-duty gasoline engines
10 in vehicles without proper consideration of the
11 design margins necessary to ensure compliance. And
12 EPA has proposed to recategorize a whole segment of
13 the heavy-duty category, flying in the face of 30
14 years of Congressional mandate and regulatory
15 policy.

16 Not only has EPA proposed so many new,
17 complex changes, but EPA has proposed those changes
18 at the very end of the intended window of
19 opportunity for conducting the 1999 review. The
20 1999 review was contemplated to be undertaken and
21 finished well before the end of 1999.

22 Instead, EPA did not publish its
23 intended action until just this past Friday, October
24 29, did not hold a hearing until today, the 2nd of
25 November, and has set December 2nd for the close of

1 Jed Mandel - EMA

2 comment period.

3 That leaves the interested parties an
4 unbelievably short period of time to review, digest
5 and comment on the proposed rule, and leaves EPA and
6 OMB with only a scant 29 days, including Christmas,
7 if the rule is to be finalized before year end.

8 The critical need for a timely 1999
9 review, acknowledged explicitly in the SOP, was to
10 ensure that manufacturers were provided no less than
11 four full model years of lead time, as is
12 statutorily required.

13 EPA's failure to conduct the 1999 review
14 in a timely fashion and EPA's subsequent decision to
15 propose at the last minute a host of new
16 requirements for finalization yet this year does not
17 provide the interested and affected parties adequate
18 opportunity to comment, does not provide EPA
19 adequate time to assess comments and prepare a final
20 rule, and generally, shortchanges one of the
21 Agency's most important rules in such a profound way
22 that fundamental principles of due process are now
23 threatened.

24 Some of the issues being proposed today
25 have not been discussed with the affected parties,

1 Jed Mandel - EMA

2 nor have they been elucidated, as they should have
3 been, in public workshops that never were held.

4 Some of the issues have been discussed
5 at some length with a handful of manufacturers but
6 hardly at all with others.

7 In fact, EPA characterizes some of the
8 issues as mere regulatory adoption of items
9 addressed in certain consent decrees; however, the
10 consent decrees were separate processes with
11 separated criteria for acceptance and separate
12 criteria for review.

13 EPA must recognize that in a rulemaking,
14 it must meet the requirements of the Clean Air Act.
15 In any event, the reality is that EPA's proposal
16 goes beyond any of the existing consent decrees.

17 The heavy-duty engine industry has made
18 significant strides in reducing emissions from its
19 product, and the industry is committed to doing even
20 more.

21 As EPA is aware, engine manufacturers
22 and others are investing multi millions of dollars
23 in developing emission-reduction technologies that
24 have the potential to reduce emissions from the
25 conventional-fueled engines to levels so low as to

1 Jed Mandel - EMA

2 have been unthinkable in the years past.

3 But as EPA also knows, those
4 technologies require the removal of sulfur from both
5 diesel and gasoline. And while EPA has proposed to
6 reduce sulfur from gasoline, it has yet to propose
7 any reduction in diesel fuel sulfur.

8 The standards and regulatory program
9 being proposed today require substantially reduced
10 fuel sulfur levels.

11 Engine manufacturers are ready to do
12 their part. But the refining industry must also do
13 theirs. And EPA must recognize that future
14 emissions reductions can only be cost-effectively
15 achieved through a systems approach requiring a
16 coordinated improvement in engine technologies and
17 fuels.

18 EPA simply should not proceed with rules
19 requiring changes in technology until it adopts
20 rules requiring changes in fuel quality.

21 So where do we go from here? We
22 recommend that EPA announce immediately that it is
23 extending the comment period an extra 60 days. We
24 recommend that discussions be held between EPA and
25 affected parties concerning the important issues

1 Jed Mandel - EMA
2 associated with the lead time and stability
3 requirements of the Clean Air Act.

4 Finally, we recommend that EPA publish
5 now a proposal to reduce the level in sulfur and
6 diesel fuel so that commentors can assess all of the
7 relevant factors impacting the feasibility and
8 cost-effectiveness of EPA's proposal.

9 EMA is reviewing EPA's proposal and
10 plans to prepare and submit written comments that
11 are as complete and detailed as possible given the
12 constraints of the late publication of the rule and
13 the limited comment period.

14 In the meantime, and I understand at the
15 end of the panel's presentation, I would be glad to
16 answer any questions you might have.

17 MS. OGE: Thank you.

18 Mr. Becker, good morning.

19 MR. BECKER: Good morning.

20 My name is Bill Becker, and I am the
21 executive director of STAPPA, the State and
22 Territorial Air Pollution Program Administrators,
23 and ALAPCO, the Association of Local Air Pollution
24 Control Officials, which are the two national
25 associations of air quality officials in 55 states

1 William Becker - STAPPA/ALAPCO
2 and territories and more than 165 major metropolitan
3 areas across the country.

4 I am pleased to be here this morning to
5 provide our associations' testimony on EPA's recent
6 proposal for controlling heavy-duty engines.

7 The regulation of heavy-duty engines on
8 fuels is a critical issue for State and local air
9 officials, and I commend EPA for issuing a proposal
10 that not only looks beyond the near-term, but also
11 takes a comprehensive systems approach to
12 controlling the on-road segment of this very
13 significant source of air pollution.

14 While our forthcoming written comments
15 will provide our perspectives on your complete
16 proposal for on-road, heavy-duty engines, including
17 aspects related to the regulated heavy-duty gasoline
18 engines, today I would like to focus my comments on
19 the few fundamental issues related to heavy-duty
20 diesels and fuel.

21 There is probably no more visible or
22 offensive kind of air pollution than the thick,
23 noxious, suffocating exhaust from big diesel trucks
24 and buses. Moreover, the adverse health impacts of
25 diesel pollution are dire, posing a serious threat

1 William Becker - STAPPA/ALAPCO
2 to public health nationwide, and especially in urban
3 areas.

4 The hazardous mixture that comprises
5 diesel exhaust contains hundreds of different
6 chemical compounds. From a health perspective,
7 three of the most significant pollutants in diesel
8 exhaust are nitrogen oxide, particulate matter and
9 toxic compounds.

10 Mobile sources are responsible for
11 almost one half of all NOx emissions nationwide.
12 EPA's own projections show that by 2010, NOx from
13 mobile sources will near 8 million tons, with more
14 than half of this, over 4 million tons, coming from
15 diesel engines.

16 Further, one-third of the diesel
17 contribution of NOx is attributed to on-road,
18 heavy-duty diesel vehicles and two-third to
19 off-road.

20 These NOx emissions are primary
21 precursors to the formation of ground-level ozone.
22 And with close to 100 million people nationwide
23 living in areas that continue to violate the
24 one-hour standard for ozone. We must taking
25 aggressive steps to address emissions from

1 William Becker - STAPPA/ALAPCO

2 heavy-duty engines and their fuels.

3 Mobile sources also generate primary
4 emissions of particulate matter, accounting for 20
5 percent of direct PM emissions nationally. This is
6 in addition to the secondarily formed particulate
7 that occurs when NOx emitted into the atmosphere is
8 transformed into dangerous fine particulate matter.

9 EPA projects that by 2010, direct PM
10 emissions from mobile sources will exceed 600,000
11 tons, with diesel engines contributing to nearly 70
12 percent. Of this diesel contribution to PM 10,
13 on-road diesels account for 9 percent and off-road
14 heavy-duty diesels for 60 percent.

15 And particulate emissions pose an also
16 tremendous health problem. The World Health
17 Organization has concluded that globally particulate
18 matter causes 460,000 premature deaths each year.
19 The most hazardous particulate is that which is very
20 small.

21 It is these especially fine particles
22 that are able to evade our respiratory defense
23 mechanisms, lodge deep within our lungs, and cause
24 or contribute a variety of health problems,
25 including asthma, chronic bronchitis, pneumonia,

1 William Becker - STAPPA/ALAPCO

2 heart disease and even premature death. Up to 95
3 percent of the fine particulate from diesels is
4 smaller than 1 micron in diameter.

5 And, finally, there is a very serious
6 health threat posed by the toxic emissions from
7 diesels. Diesel exhaust contains over 40 chemicals
8 that are listed by EPA and California as toxic air
9 contaminants known as human carcinogens, probable
10 human carcinogens, reproductive toxicants or
11 endocrine disrupters.

12 In 1998 California declared particulate
13 emission from diesel-fueled engines a toxic air
14 contaminate based on data that supported links
15 between diesel exposure and human cancer.

16 There is an array of other significant,
17 adverse environmental impacts that I won't get into,
18 but these include, among others, regional haze, acid
19 rain, global warming. So based on a substantial
20 contribution of heavy-duty diesels' emissions to air
21 pollution and the very serious public health and
22 environmental problems, we believe we have no
23 alternative but to impose greater controls on
24 heavy-duty diesels and their fuels, and to do so in
25 a truly meaningful way.

1 William Becker - STAPPA/ALAPCO

2 And, further, because many of these
3 vehicles constantly travel back and forth across the
4 country, their emissions are ubiquitous. And we
5 must not only regulate these emissions, we must do
6 so on a national basis.

7 STAPPA and ALAPCO applaud EPA for its
8 proposal on the Tier 2 vehicle standards and low-
9 sulfur gasoline, which demonstrates tremendous
10 leadership. The programs proposed by EPA and
11 announced by President Clinton himself in May, and
12 the time frames on which they're based, are
13 absolutely critical to state and local efforts to
14 achieve and sustain clean, healthful air
15 nationwide.

16 We urge EPA to exercise similar
17 leadership in comprehensively addressing heavy-duty
18 engines and their fuels. The regulatory program we
19 envision is a comprehensive one that takes a systems
20 approach that includes three fundamental prongs:
21 stringent emission standards, tight controls on
22 sulfur in diesel fuel, and rigorous and effective
23 programs to ensure continued compliance with
24 standards when the vehicles are in use.

25 STAPPA and ALAPCO are extremely pleased

1 William Becker - STAPPA/ALAPCO

2 that EPA is pursuing such a three-prong systems
3 approach. Let me first address emission standards.

4 While we believe that more stringent
5 emission standards for on-road, heavy-duty diesels
6 would have been appropriate for 2004, we understand
7 that EPA instead plans to move forward with the
8 implementation of the standards as promulgated in
9 1997 with the intent of pursuing more stringent
10 standards in the next phase of regulations that take
11 effect in 2007.

12 Notwithstanding our disappointment in
13 the timing, we commend the direction this agency
14 appears to be moving, regarding more stringent
15 standards, and strongly urge that at least three
16 fundamental principles underlie EPA's efforts:

17 First, 2007 must be a firm date;
18 substantially more stringent emissions standards
19 must be in place for all on-road, heavy-duty
20 emissions standards nationwide by no later than
21 2007.

22 Second, these more stringent emissions
23 standards must be based on the most advanced
24 technology's possible.

25 And, third, because compliance with more

1 William Becker - STAPPA/ALAPCO
2 stringent future standards, based on advanced
3 technologies is dependant on the availability of
4 low-sulfur diesel fuel. Such fuel must be provided
5 nationally far enough in advance to ensure
6 successful implementation of emissions standards,
7 which brings me to the second-prong of the
8 comprehensive strategy, control of diesel fuel
9 quality.

10 Earlier this year STAPPA and ALAPCO
11 adopted recommendations for low-sulfur diesel fuel
12 to take effect early the next decade. Our
13 associations have called upon EPA to cap sulfur and
14 diesel fuel at no higher than 30 parts per million
15 by 2004.

16 In addition, we have recommended that
17 based on additional studies, EPA further lower
18 national standards on sulfur in diesel fuel and set
19 appropriate standards for other characteristics
20 affecting diesel fuel quality and/or emissions, to
21 take effect in 2007. We've attached a copy of the
22 resolution of sulfur and diesel fuel to my written
23 statement.

24 I would like the draw your attention to
25 the fact that STAPPA and ALAPCO's recommendations to

1 William Becker - STAPPA/ALAPCO

2 low sulfur in diesel fuel, apply not only to on-road
3 diesel fuel, but to off-road diesel fuel as well,
4 and further include a preliminary step to cap sulfur
5 in off-road diesel fuel at 500 parts per million as
6 soon as possible but before 2004 so that this fuel
7 is subject to the same sulfur standards as currently
8 applied to on-road diesel fuel before sulfur levels
9 for both on-road and off-road diesel are cut even
10 further.

11 We view the control of off-road diesels,
12 such as construction equipment and agricultural
13 equipment, to be as critical as the control of
14 on-road diesels. Further, we believe that the
15 technological advances that occur in order to meet
16 future, more stringent, on-road, heavy-duty
17 standards will carry over to off-road equipment, but
18 only if the low-sulfur diesel fuel is available for
19 this sector as well.

20 We're extremely concerned, however, that
21 EPA may not be proceeding as quickly or aggressively
22 as necessary to develop off-road diesel engine fuel
23 programs that are commiserate with the enormous
24 contribution off-road engines make to air pollution.

25 More must be done.

1 William Becker - STAPPA/ALAPCO

2 To this end we urge EPA to intergrate
3 more closely the program development strategies for
4 on-road and off-road diesel engines and fuels so we
5 can more effectively reduce a huge hair quality
6 proposed by these sources.

7 I want to turn quickly to the third
8 prong of the strategy, in-use compliance.

9 It is absolutely essential that we
10 ensure that heavy-duty engines operate in use the
11 way they are expected to operate.

12 We remain very concerned with the loss
13 of a significant level of anticipated and much-
14 needed NOx emissions reductions that resulted from
15 the consent decrees settling complaints against
16 seven heavy-duty diesel engine manufacturers who
17 equipped their engines with defeat devices,
18 adversely affecting the NOx emission control systems
19 in use.

20 Our concern is only heightened by the
21 fact that the Agency has chosen to remove in-use
22 testing and onboard diagnostics provisions from this
23 proposal and, instead, based on industry's
24 objections to the scope of the proposal in a short
25 time frame, merely include vague, noncommittal

1 William Becker - STAPPA/ALAPCO

2 language to defer action to a subsequent
3 rulemaking.

4 Both EPA and engine manufacturers have
5 been aware for quite some time that significant
6 in-use compliance problems exist, and these problems
7 must be addressed in a timely matter.

8 For engine manufacturers to argue that
9 more time is now needed to address this issue is
10 somewhat disingenuous. We strongly urge that at a
11 minimum EPA explicitly commit in this rule not only
12 to the implementation of a strong and effective
13 in-use compliance program that will ensure against
14 future transgressions, such as those that
15 necessitated the recent consent decrees, but also a
16 firm starting date of no later than 2004.

17 Before I conclude, I would like to make
18 two points: First, I would like to say a word about
19 EPA's proposal regarding light-duty trucks weighing
20 over 8500. STAPPA and ALAPCO strongly support
21 subjecting especially large passenger vans and
22 sport-utility vehicles weighing over 8500 to the
23 Tier 2 motor vehicles standards proposed by the
24 Agency in May.

25 Given the continuing growing trend

1 William Becker - STAPPA/ALAPCO
2 toward use of heavier light-duty trucks for personal
3 transportation, it is entirely appropriate to
4 subject these vehicles to the same standards as
5 apply to other passenger vans and SUVs.

6 In fact, in our associations' April 1998
7 resolution on Tier 2, we urged EPA to consider
8 applying those standards to vehicles such as SUVs,
9 full-size vans and pick-up trucks weighing over
10 8500.

11 And, finally, I haven't addressed the
12 gasoline vehicle issue here. We're going to address
13 that in our written comments, but I will take the
14 hook that was offered by Jed about the lead time
15 issue.

16 And I have to tell you that the States'
17 and local agencies are extremely concerned about any
18 delays, not only for heavy-duty engines but for
19 gasoline -- not only for diesel engines but for
20 gasoline engines. And we believe it would be
21 absolutely unacceptable for the Agency to delay this
22 role beyond the no-later-than-2004 date.

23 We expect the lead time issue not to be
24 an issue, that you meet that standard, and we think
25 that harmonizing with California is an excellent way

1 Walter Tsou, M.D. - Citizen

2 to proceed.

3 So I want to make sure that the Agency
4 understands how critical this issue is to us.

5 So in conclusion, let me thank you for
6 this opportunity to testify. You've done a nice job
7 with this proposal. We hope you will include our
8 suggestions for strengthening and improving it the
9 comprehensive way we've mentioned.

10 Thank you.

11 MS. OGE: Thank you.

12 Dr. Tsou, good morning.

13 MR. TSOU: Good morning. I will be
14 extremely brief and speak for five minutes.

15 Good morning. I am Dr. Walter Tsou,
16 medical director with the Montgomery County Health
17 Department.

18 Today I would like to add my voice to
19 others for stricter standards for clean air and
20 reduction in particulate matter.

21 The dramatic effect of clean air
22 standards can be seen here in Pennsylvania. Most
23 dramatically, Pittsburgh is no longer the soot city
24 so well known half a century ago.

25 California has the toughest clean air

1 Walter Tsou, M.D. - Citizen

2 standards of automobile emissions, and it works.

3 Recently because of these tough automobile

4 standards, it was reported by Los Angeles it is no

5 longer, quote, the smog city of the United States.

6 But our lesson should be that the time

7 to act is before asthma worsens and respiratory

8 deaths occur in the Delaware Valley. SUVs should be

9 held to the same standards for air pollution as

10 other cars. Failure to enforce these standards,

11 given the popularity of SUVs, would reverse decades

12 of air quality and result in hundreds of thousands

13 of cases of preventable respiratory illnesses and

14 death.

15 Based on the most recent 1998, '99

16 Philadelphia Health Management Survey of Health in

17 Southeastern Pennsylvania, there are 197,000, or 7

18 percent of the adults, and more significantly and

19 disproportionately, 79,000, or 9 percent of the

20 children, under the age of 18 with asthma. This is

21 a combined total of 276,000 in the Delaware Valley,

22 in the Southeastern Pennsylvania, Five-County area.

23 Over 46,000 children under the age 18

24 are reported to have frequent upper respiratory

25 illnesses, and almost 185,000 children under age 18,

1 Walter Tsou, M.D. - Citizen

2 or 21 percent of the children, have allergies.

3 Heart disease and allergies can be
4 exacerbated by air pollution. Already 229,000
5 adults say they have, quote, a heart condition, and
6 780,000 or 28 percent of the adults say they have
7 allergies.

8 In short, we already have hundreds of
9 thousands of residents in Southeastern Pennsylvania
10 across all ages who are already beginning each day
11 with significant and potentially life-threatening
12 illnesses. For their families and those who love
13 them, delays in enforcing the air pollution
14 standards can only add to the misery of trying to
15 live each day to the fullest or trying to do the
16 simplest and most natural thing we do in life;
17 namely, breathing.

18 Others will speak more eloquently about
19 closing the SUV loophole, tightening the particulate
20 matter standards, cleaning up diesel fuel, and
21 strict enforcement of diagnostic testing of cars and
22 diesel fuel trucks.

23 I will simply add my voice to their
24 wishes and say Amen.

25 Thank you.

1 Joseph Otis Minott - Citizen

2 MS. OGE: Thank you.

3 Is it Mr. --

4 MR. MINOTT: Minott.

5 MS. OGE: Minott. Good morning.

6 MR. MINOTT: Good morning.

7 MS. OGE: If all of you could please
8 state your name and organization that you represent
9 with the court reporter today.

10 MR. MINOTT: My name is Joe Minott, and
11 I am here as a concerned parent.

12 First, I would like to thank the EPA for
13 holding this hearing, and in a gentle, parental way
14 maybe, chide them for holding it on Election Day. A
15 lot of the people that I work with tend to be
16 interested in politics and are out working the
17 polls, and we had a hard time bringing them in.

18 Nevertheless, my name, as I said, is Joe
19 Minott. I am an attorney, an environmentalist, a
20 soccer coach and a community activist. But by far
21 my most important role is that of father.

22 My son, Christopher, is an active 9-year
23 old. He loves to play soccer and basketball. He is
24 also an asthmatic.

25 I do not know how many of you in this

1 Joseph Otis Minott - Citizen

2 room have had to deal with a child when that child
3 has to be rushed to the hospital because he cannot
4 breathe, or even a child that needs to skip a soccer
5 game because the air pollution is making him
6 wheeze. If you have an asthmatic member of your
7 family, you will understand the passion of my
8 testimony.

9 The Clean Air Act mandates that the EPA
10 set National Ambient Air Quality Standards that will
11 protect Christopher's health. There is no doubt
12 that the air in this region is not protective of his
13 health. It is certainly not protective of the
14 health of all people with respiratory disease.

15 Asthma rates among children are up 75
16 percent since 1980 with 4.6 million children
17 suffering from asthma nationwide.

18 In 1998 Pennsylvania had 616 readings
19 where the eight-hour National Ambient Air Quality
20 Standard for ozone was exceeded.

21 Most Pennsylvanians are still regularly
22 exposed to unhealthful levels of ozone. In
23 Montgomery County where Christopher lives, the
24 eight-hour standard was exceeded 19 times in 1998.
25 In Philadelphia County, it is estimated that 50 to

1 Joseph Otis Minott - Citizen

2 60 percent of the fine particle pollution can be
3 attributed to diesel exhaust. The major health
4 impact of fine particle pollution has been well
5 documented.

6 Much of the environmental community is
7 going to applaud the EPA's action today. I would
8 rather ask of EPA: What took you so long?

9 The environmental health community has
10 been urging EPA to act on diesel pollution for
11 years. Automobile owners that are required to have
12 their emissions checked each year resent the free
13 ride of diesel trucks, yet only now is EPA proposing
14 to act.

15 Despite the fact that EPA designed its
16 proposals in close consultation with the engine
17 manufacturers and auto industries, and despite the
18 fact that EPA has been unduly generous in allowing
19 extra time for both industries to meet their
20 expected standards, you will hear today much and
21 during the comment period much complaining from the
22 engine manufacturers and oil producers.

23 These industries, in my opinion, refuse
24 to honestly look at the impact their products are
25 having on asthmatics and other respiratorily

1 Joseph Otis Minott - Citizen

2 impaired Americans.

3 My question to them is: What about the
4 cost to asthmatics of not moving forward
5 expeditiously with tightening the heavy-duty
6 particulate standard and the lower sulfur in fuel
7 standards?

8 We have already heard today from these
9 industries those industries how they will resort to
10 time-honored and historically proven wrong each and
11 every time protestations about how unreasonable
12 these regulations are, how costly they will be for
13 consumers, how it will ruin the engine manufacturing
14 industry, how it will put small refiners out of
15 business, and finally, how the regulations are not
16 technologically feasible.

17 What you will not hear from the fuel
18 industry is how their fuel throughout America is so
19 dirty it is ruining the pollution control systems of
20 America's trucks and buses.

21 My plea to this panel is that I hope you
22 truly listen to the health experts and the worried
23 parents such as myself, and conclude that these
24 regulations will go a long way to starting to
25 address the financial and emotional costs associated

1 Richard Kassel - NRDC
2 with the dramatic rise in asthma cases in America's
3 children.

4 It is time for the federal government to
5 understand this growing epidemic and deal with it.
6 What EPA is proposing today is the belated first
7 step.

8 Thank you.

9 MS. OGE: Mr. Minott, thank you for
10 taking your time and coming to share your
11 comments and also on Election Day. We did
12 realize that, although too late. And my
13 apologies.

14 Mr. Kassel. Good morning.

15 MR. KASSEL: Good morning. My name
16 is Richard Kassel. I am a senior attorney with
17 the National Resources Defense Council. NRDS is
18 a national nonprofit environmental advocacy
19 organization with over 400,000 members
20 nationwide.

21 At NRDC, I run our Dump Dirty Diesels
22 Campaign. Thank you for the opportunity to
23 comment and for holding the hearing today, even
24 on Election Day.

25 My remarks will provide an outline to

1 Richard Kassel - NRDC
2 NRDC's comments on the proposed rule. Given the
3 time constraints, it may not be possible to
4 provide sufficient detail on every provision of
5 the rule. We will be supplementing our statement
6 today and our written statement today with
7 further supplemental comments before the close of
8 comment period.

9 But at the outset, we are one of
10 those organizations that is applauding EPA for
11 taking the step. Yes, it has taken a long time
12 to get here, but in NRDC's view, this proposal
13 begins to close some of the loopholes that have
14 historically stood between millions of Americans
15 and their right to clean, healthy air.

16 Further, we believe that this
17 proposal sends a strong message and a strong
18 signal to the nation's diesel engine
19 manufacturers, gasoline engine manufacturers,
20 auto makers and others that it's time to dump
21 dirt diesels and that it is time to ensure that
22 all of America's sport-utility vehicles, no
23 matter how big and heavy, meet the same stringent
24 standards as the nation's family cars.

25 I hope that the industries that are

1 Richard Kassel - NRDC
2 interested in this proposal hear that signal and
3 hear that message and choose to ride what we
4 think is a public wave towards cleaner vehicles,
5 diesel and gasoline, rather than fighting it.

6 EPA is taking important steps, and
7 we'll be working hard to ensure that the goals
8 are met. And we have heard already quite a bit
9 about the health impacts of diesel exhaust. I
10 won't add very much to it because time is
11 limited.

12 Very simply, our reasons for our
13 longstanding concerns are quite clear: Diesel
14 vehicles emit huge quantities of particulate
15 matter, nitrogen oxides, or NOx, and toxic
16 compounds.

17 The emissions from diesels,
18 particulates, are associated with increased
19 asthma attacks and emergencies, numerous
20 cardiopulmonary elements, and premature death.
21 Nitrogen oxides contribute to ground-level ozone,
22 acid rain, but also here in Philadelphia to
23 nutrient pollution in the Chesapeake and other
24 large water bodies around the nation.

25 Diesel exhaust and the particulate

1 Richard Kassel - NRDC

2 exhaust has been termed a toxic air contaminate,
3 a probable carcinogen, a reasonably anticipated
4 human carcinogen and other similar phrases by
5 many bodies, the National Institute for
6 Occupation Safety and Health, The International
7 Agency for Research and Cancer, the California
8 Air Resources Board, and EPA's Draft Health Risk
9 Assessment, who last year reached a similar
10 conclusion.

11 Diesel isn't just toxic, the
12 emissions aren't just plentiful; they add up. In
13 the South Coast Air Basin in California, 38
14 percent of the NOx emissions come from diesels.
15 In the Northeast, NESCAUM estimates that roughly
16 one-third of the NOx comes from diesel. In New
17 York City, over half of the particulates that
18 people breathe on Madison Avenue come from
19 diesels.

20 So let's move on to the major
21 components of the rule: First, reaffirmation of
22 the existing 2004 NMHC plus NOx standards for
23 heavy-duty diesel engines.

24 We strongly support the reaffirmation
25 of this standard. EPA'S reaffirmation of this

1 Richard Kassel - NRDC
2 standard as a necessary predicate to cleaning up
3 the nation's dirty diesels and moving on to the
4 equally, and perhaps more important, second step
5 we will be talking about today.

6 We agree with EPA that no changes in
7 diesel fuel quality are necessary to meet the
8 2004 diesel standard.

9 The Manufacturers of Emission
10 Controls Association and others have eloquently
11 provided ample evidence that shows that currently
12 available control technologies already exist to
13 meet the 2004 standard without fuel changes. I
14 believe they will be testifying later to that.

15 We also strongly support the
16 confrontation of certain critical consent decrees
17 requirements to ensure in-use compliance with
18 these standards.

19 Let's be clear. The consent decrees
20 resulted from an unconscionable, nearly
21 industry-wide practice that flourished for
22 years. One of the most significant aspects of
23 the consent decrees was the adoption of
24 supplemental standards and test cycles, including
25 without limitation the adoption of the EURO III

1 Richard Kassel - NRDC

2 test cycle and the not-to-exceed, or NTE, cycle.

3 We support the codification of these provisions.

4 We think it is outrageous that

5 companies that sign consent decrees that

6 committed to play under the rules of the consent

7 decrees from October 2002 to October 2004 would

8 stand here today or put comments into the record

9 before the comment period closes to say that in

10 October 2004 the NTE standard procedure should go

11 away.

12 These companies will be meeting the

13 consent decree provisions for two years starting

14 in October 2002. They should continue to meet

15 them in the future.

16 On a related matter, NRDC urges EPA

17 to go further though to ensure in-use

18 compliance. We need a strong in-use testing

19 program for all heavy-duty vehicles and engines,

20 and we need a program that requires onboard

21 diagnostics, OBD, for all heavy-duty vehicles.

22 I will move on to the Otto-cycle of

23 gasoline engine provisions.

24 We support the 1 gram of combined

25 NMHC plus NOx standards for auto engines cycles

1 Richard Kassel - NRDC
2 through 14,000 pounds. Like on the diesel side,
3 we think an in-use testing program in OBD makes a
4 lot of sense as do to the NTE and other consent
5 decrees provisions.

6 As with diesels, we don't think that
7 there is a lead time issue here. We urge EPA to
8 finish the rule promptly, and we don't think
9 there will be a four-year lead time issue,
10 particularly given the fact that what EPA is
11 proposing to do has already been done in
12 California.

13 Next, closing the SUV loophole. I
14 will only take a moment.

15 We strongly support what the EPA is
16 proposing. We strongly support Tier 2. It will
17 finally require auto makers to produce many SUVs,
18 minivans and light trucks that will match the
19 emission performance of the nation's family car.

20 Of course, we have been concerned
21 about the loophole that exists for the heaviest
22 of the SUVs, so we are glad that EPA is closing
23 the loophole. We would urge you to expedite the
24 timetable so that all of the requirements kick in
25 no later than 2007.

1 Richard Kassel - NRDC

2 In the time I have left, I would like
3 to talk about the next steps, coming to the next
4 phase of EPA's efforts to dump dirty diesels.

5 As I noted at the outset, diesel
6 pollution remains unconscionably high in many
7 urban areas of the nation. That's why we
8 consider diesel exhaust to be the number one air
9 pollution threat in many cities.

10 Thus, we hope that the Agency will
11 follow-up with a strong proposal to cut sulfur
12 levels to near-zero levels by 2007, to reduce
13 particulate levels to .01 grams-per-brake-
14 horsepower hour by 2007 and to reduce nitrogen
15 oxides to .2 grams-per-brake-horsepower hour by
16 2007.

17 We urge the Agency though to take
18 interim steps to move to a sulfur cap of 30 parts
19 per million in 2004; to move to a .05 gram
20 particulate standard in 2004.

21 We don't think that these are
22 standards that should get caught up in the lead
23 time debate over today's NMHC plus NOx proposal.
24 It is a separate set of provisions. And we don't
25 think that there should be a lead-time problem,

1

2 if the EPA acts fast enough.

3 In any event, we hope EPA will
4 consider a phased approach, because millions of
5 American's health are at risk, and Americans
6 shouldn't have to wait until 2007 for lower
7 sulfur diesel and for lower particulate-emitting
8 buses and trucks.

9 I know that I am about to be told
10 that I am out of time, so I will stop talking.

11 I have considerably more detail about
12 each of these provisions in my written
13 statement. Thank you.

14 MS. OGE: Thank you.

15 Mr. Mandel, I have a question for
16 you.

17 Last year, seven of the largest
18 diesel engine manufacturers, Environmental
19 Protection Agency, the Justice Department and the
20 California Air Resource Board entered into what
21 we call consent decrees, agreements under which
22 this country will produce cleaner diesel engines
23 prior to 2004, as early as 2002 actually. And
24 also these companies have agreed to produce these
25 engines to be clean, for the most part, of the

1

2 driving conditions, which we call the
3 certification procedures, that are known to
4 exceed technical issues that you raise.

5 In your statement you raise the issue
6 of lead time. Under the law as you suggested,
7 EPA has to give four years to companies,
8 heavy-duty companies, to implement new
9 standards.

10 What if EPA doesn't finish this
11 standard, this rule, by end of the year? Are you
12 suggesting that the companies that entered under
13 this agreement, under the consent decree, that
14 they will not follow this agreement after the
15 2004 time frame, that they will be producing
16 engines that do not meet the standards under
17 driving conditions? Is that what you are
18 suggesting? I would just like to clarify the
19 record. So please go ahead.

20 MR. MANDEL: I am certainly not
21 suggesting that. The consent decrees state what
22 the consent decrees state. The companies and the
23 agencies, both EPA and ARB, that signed on to
24 those, manufacturers have every right to expect
25 manufacturers to live up to what those consent

1

2 decrees say.

3

And I am certain that those
4 manufacturers will live up to those obligations,
5 several of whom I think you will hear from on the
6 record today with respect to that.

7

But let me make a couple of other
8 comments. I think will you also hear from some
9 of the other companies that did sign consent
10 decrees an interest in seeing a level playing
11 field. There are different perspectives on that
12 from engine manufacturers who signed consent
13 decrees and those who did not.

14

So one of the concerns that I hope
15 the Agency takes away from this is there are
16 companies who produce product effected by today's
17 proposal who are not signatories to these consent
18 decrees.

19

I also want to point out that not all
20 signatories signed the same consent decree. And
21 there are companies who signed consent decrees
22 who have provisions very different from others
23 who have signed and from today's proposal.

24

And, lastly, I think there is a
25 misimpression -- perhaps two misimpressions: one

1

2 is that today's proposal simply takes the consent
3 decrees and puts them in the regulatory
4 language. And as I indicated in my statement, I
5 certainly will provide detailed comments on, we
6 don't believe that is the case. We believe that
7 the regulatory proposal is beyond the consent
8 decrees.

9 The second misimpression is that the
10 consent decrees are static and sort of a done
11 deal. In fact, my understanding is that the
12 consent decrees are yet a dynamic process for
13 which there is dialog between the signing
14 companies and the agencies as to how those
15 decrees and the obligations under them are to be
16 implemented.

17 So I don't think we should give the
18 impression that it is sort of a complete status
19 quo static situation.

20 MS. OGE: So just to make certain
21 that I understand what you are saying, assuming
22 that we don't complete this regulation by the end
23 of the year, the consent decrees do go away over
24 2004 time frame. What you are saying here, what
25 you are stating here is that the consent decree

1

2 companies will continue meeting the requirements
3 of the consent decree regardless of what the
4 Agency is going to do as far as completing this
5 role. So they are not going to go back and start
6 producing engines that they know meets standard
7 because the consent decree has gone away because
8 they don't have the four years leeway? Is that
9 what you are saying.

10 MR. MANDEL: What I said is the
11 consent decree obligations don't meet the consent
12 decrees. I think we have to be careful to make
13 sure that this hearing isn't about consent
14 decrees but is about the regulatory proposal,
15 which is differently obviously.

16 We as engine manufacturers are quite
17 interested in seeing EPA reaffirm the 1997-2004
18 standards. The concerns that we have is how --
19 not whether, but how the Agency implements
20 additional requirements and what those
21 requirements are.

22 And I think that's the nub of it.

23 And if that is done in a proper time
24 frame and with proper consideration of all of the
25 effected interests, certainly not just those of

1
2 engine manufacturers, but there are fuel
3 producers who will be affected by this and
4 obviously the public has great interest and great
5 concerns over what is done, when all of those
6 interests regress, I think our expectations is
7 that there will be rules in place that all can
8 live by that will more than meet the needs of the
9 Agency, the breathing public, to see the cleanest
10 diesel products, the gasoline products, the
11 cleanest alternative fuel product in the
12 marketplace doing the work that is necessary by
13 trucks.

14 MS. OGE: Does anybody have any
15 questions? Anybody?

16 MR. FRANCE: Yes.

17 MS. OGE: I still have one question.

18 MR. FRANCE: Just one brief question,
19 Jed. This gets at the non-consent decree
20 companies. I just want to get a little bit of a
21 clarification.

22 Let's assume for a second that we can
23 address the concerns with the supplemental
24 tests. I don't want to get into details, but
25 assume we can.

1

2 Do you see in the context of your
3 lead time arguments, do you see a way -- or do
4 you see a way that those companies can support
5 the supplemental test limitation by 2004?

6 MR. MANDEL: Companies that do not
7 sign the consent decree?

8 MR. FRANCE: Right.

9 MR. MANDEL: What I have always felt,
10 and I will tell you my personal view, having
11 spent a long time working with both the Agency
12 and individual engine manufacturers, is that if
13 there are reasonable programs in place that can
14 cost-effectively get emissions reductions, engine
15 manufacturers will step to the plate to agree to
16 those kinds of programs.

17 And, of course, sometimes in some
18 cases, they have actually gotten ahead of others
19 in promoting those kinds of programs as we did
20 with low-sulfur fuel in the first go-around.

21 So I guess my answer is, yes, there
22 is a path to do that. Obviously there are
23 significant details that I am not sure you even
24 have in mind yet that would need to be addressed.

25 But I think from a conceptual

1

2 perspective, I've never seen it where engine
3 manufacturers have been willing to do their part
4 and beyond to get emissions reductions.

5 MR. FRANCE: And just to summarize
6 and make sure I am not misinterpreting what I am
7 hearing, the issue is not a philosophical
8 disagreement with the supplemental test and their
9 intent of robust calibrations, but it was in
10 technical details of their implementation.

11 MR. MANDEL: I think that is right.
12 As I've been quoted on more than once, the devil
13 is in the details. I don't think that the
14 manufacturers object to the goal of having
15 procedures that reflect real world operations.

16 I think that's an applaudable goal
17 that we've supported from Day 1. The question
18 is: What are those details; how do they get
19 implemented; how do they work; can they be
20 reasonably implemented; et cetera. And those are
21 the issues we need to be working on together to
22 solve that issue.

23 MR. BECKER: May I comment?

24 MS. OGE: Yes, I am coming to you.

25 I have a question, and then probably

1

2 you can make a statement in response to what Mr.
3 Mandel is saying.

4 Bill, you suggested that these
5 standards that we are proposing, both phases, the
6 first phase in 2004 and the second phase in 2007,
7 is critical for the State agencies across the
8 country, especially areas that have ozone
9 problems and particulate issues.

10 Could you give us your views of how
11 the States are going to proceed in identifying
12 cost-effective control status to meet the
13 one-hour standard and the PM concerns that they
14 have if the Agency is being successful in
15 implementing the standards by 2004 time frame,
16 into 2007.

17 MR. BECKER: It is a fair question.
18 And it will obviously vary from state to state.
19 But as everyone knows, state implementation
20 planning is a zero-sum game.

21 And to the extent that we don't
22 achieve the anticipated emissions reductions from
23 cleaner standards and cleaner fuels and cleaner
24 in-use requirements, then states and localities
25 will be required under law to make up for the

1

2 difference elsewhere.

3 And some will go after utilities even
4 in a more stringent way than they have in the
5 past. And some who have already tapped their
6 utilities to the maximum will have to address the
7 small businesses. And some will probably
8 continue to exceed on the health base standards.

9 And this witness, Chuck's [sic]
10 Christopher, and others will continue to be
11 affected by these excessive pollution levels.

12 And I want to get back to the point
13 here. I want to make two points:

14 First, we have examined the costs and
15 cost effectiveness of reducing emissions from
16 mobile sources and examined reducing diesel
17 exhaust. And compared to many of the other
18 strategies that we are examining now, these are,
19 indeed, very cost-effective ways at reducing,
20 especially longer-term emission productions.

21 And the piece of this that seems to
22 be missing a lot is this in-use piece. And I
23 won't -- I can't speak as passionately as some
24 other witnesses, but I will tell you that there
25 is a tremendous amount of frustration, of

1

2 disappointment, of feeling betrayed at the defeat
3 device problem that occurred over the past few
4 years. And there are more emissions -- and at
5 the Justice Department's resolution of that, of
6 the consent decree. We've gone on record
7 strongly criticizing the consent decree.

8 And one of many reasons is that there
9 are more emissions reductions that were left on
10 the table unaddressed than what is being required
11 in the NOx SIP call that is extraordinarily
12 controversial in the Eastern part of the country.

13 And with that as sort of the
14 predicate, imagine how we feel about discussions
15 that -- some, I don't know if you -- I couldn't
16 understand your answer, not through your fault,
17 through my fault probably.

18 I still don't know whether the engine
19 manufacturers are still looking to meet these
20 requirements post 2004 after the consent decree
21 is finished. And whether you are or aren't, it
22 is incumbent upon EPA to strengthen the in-use
23 requirements to ensure that they are expected to
24 meet something even more stringent than you
25 have.

1 Timothy Breeze - Citizen

2 So I hope that you work this out,
3 Chet. But I hope you strengthen it. And we are
4 going to be watching the Agency, because what
5 we've learned is that we need a very
6 comprehensive and a very extensive and a very
7 stringent in-use compliance program.

8 MS. OGE: Any more questions?

9 Thank you.

10 We have three members of the public
11 that have expressed an interest in testifying. I
12 would like you to come up. Mr. Timothy Breeze,
13 Ms. Susan Osteunski -- I hope I pronounced that
14 right -- and Mr. Andrew Marks.

15 Good morning.

16 MR. BREEZE: Good morning. My name
17 is Tim Breeze. I am living in New Brunswick, New
18 Jersey right now. And I want to thank you for
19 giving me the time to speak.

20 I am living in -- New Jersey is one
21 of these -- I want to say it has the worst air
22 pollution of any place in the entire United
23 States.

24 Every day as I am going to work or at
25 work, you know, you see the millions of -- you

1 Timothy Breeze - Citizen

2 know, tons and tons of cars on the roads. And in
3 addition to that, when going on the Turnpike, you
4 just see these trucks. And every day you're
5 stuck behind the trucks and you can't stand the
6 smell, the pollution that you are feeling.

7 It is something that, you know,
8 affects us every day. Every day you're stuck in
9 traffic, and millions of people in our state have
10 to go through the same thing.

11 In this country, you know, there is
12 150,000 people who have to go to the emergency
13 room every year because of asthma attacks that
14 are triggered by this kind of air pollution. And
15 New Jersey is one of the big places where this is
16 a huge problem.

17 This summer it was like one out of
18 every three days was a smog alert day.

19 And in the town that I am living in
20 now, which is New Brunswick, we had the highest
21 of all of the eight-hour smog standards. That
22 was the highest level of any day reported over
23 the course of the summer.

24 You know, this is due to a lot of
25 things. Obviously there is a lot of traffic

1 Timothy Breeze - Citizen
2 going through that town with the Turnpike and the
3 Parkway both being right nearby. So it's not
4 just automobiles and sport-utility vehicles,
5 which a number of people have mentioned.

6 You need to make sure that those
7 standards are met early, by 2007. But also a lot
8 of these heavy-duty vehicles, these trucks which
9 the pollution from them is just causing some huge
10 problems.

11 Yeah, so definitely I applaud the
12 EPA, you know, for this program that you guys
13 have put forth to clean up heavy-duty vehicles
14 and reduce these standards, reduce emissions that
15 are coming, this particulate matter especially.

16 I know a lot of people that I am
17 friends with who are asthmatic and who just can't
18 even go outside and can't do the things that they
19 are supposed to do for their job or the things
20 that they need to do to live a -- just a healthy
21 life. They can't even be outside and do any of
22 these things especially in the summer.

23 But I don't see why we have to be
24 waiting ten years to be cleaning this up.
25 Especially with the sport-utility vehicle

1 Timothy Breeze - Citizen

2 loophole, you know, giving until 2009 to auto
3 makers to be cleaning up the dirtiest SUVs, it
4 just doesn't make sense.

5 We're seeing extreme health effects
6 right now. And auto makers have the technology
7 to clean up their vehicles. There is no reason
8 that we can't have this by, you know, 2007 for
9 the rest of the sport-utility vehicle. I would
10 love it to be even earlier.

11 Also, I want to make sure that we can
12 tighten the standards on the heavy-duties, to
13 make sure that is definitely is done by 2004.
14 You have heard a lot from these engine
15 manufacturers and others who want to have -- they
16 may be thinking, you know, we can't do this or
17 whatever. And this doesn't -- it needs to be
18 done, and there has to be something done about
19 this.

20 So you've got to adopt these strong
21 standards in cleaning up the diesel fuel and
22 cleaning up the emissions.

23 And that's all I have. But thanks
24 for letting me speak about this.

25 MS. OGE: Thank you.

1 Suzanne Osteunski - Citizen

2 I can't even pronounce your name.

3 MS. OSTEUNSKI: Good morning.

4 My name is Susan, and I live in New
5 Brunswick, New Jersey. And I just wanted to
6 state thank you for having the conference and
7 putting out this issue and bringing up the
8 proposal.

9 But I definitely think we should make
10 it a sooner issue, especially because every day I
11 drive into new Brunswick on Route 1, and I am
12 constantly sitting in traffic behind all of these
13 trucks, all of this smog is blowing in my face.
14 My friend can't outside to hang out because she
15 has horrible asthma.

16 I don't see why -- obviously these
17 companies can do something about this. Obviously
18 it is not going to take them ten years. I don't
19 understand why we have to give them ten years.

20 There is obviously a problem. We
21 obviously should do something of it; we should do
22 it now. Time is of the essence. What better
23 time than the present to do something about
24 this?

25 There are some high rates of cancer

1 Suzanne Osteunski - Citizen

2 right now, and obviously this is one of the
3 direct problems of it is air pollution. You can
4 see the air pollution outside. If you go outside
5 of the city on the top of the hill, you can see
6 the smog and the garbage hanging over the city.

7 It is obviously a problem; it is in
8 our face; we see the statistics. We can do
9 something about it, and we should do something
10 now before the problem is even bigger.

11 And basically I would like you to
12 take a stand on it and make it a sooner issue.

13 MS. OGE: Thank you. Thanks to both
14 of you taking the time to show your
15 reasonableness.

16 Thank you very much.

17 I ask the next panel to please come
18 up. Mr. Blake Early, Mr. Greg Dana, Mr. Sam
19 Boykin and Ms. Maria Bechis, and Beth McConnell.

20 Can you please print your names on
21 the paper in front of you, and then we can start
22 with Mr. Blake Early.

23 MRS. BECHIS: We were scheduled for
24 11:15 here.

25 MS. OGE: What is your name?

1 Suzanne Osteunski - Citizen

2 MRS. BECHIS: We are with the Sierra
3 Club.

4 MS. OGE: We do have an available
5 seat. Please take a seat.

6 MR. EARLY: Good morning. I am Blake
7 Early. I am an environmental consultant for The
8 American Lung Association. The American Lung
9 Association is the nation's oldest volunteer
10 organization dedicated to lung health.

11 The American Lung Association
12 strongly supports the EPA's efforts to reduce
13 emission from large diesel and gasoline trucks
14 and buses and the application of uniform
15 emissions standards to the full-size pick-up
16 trucks, passenger vans and sport-utility
17 vehicle. We also strongly support reducing
18 sulfur in diesel fuel.

19 Clearly with these emissions
20 reductions from the initiatives proposed, more
21 will be needed in the effort to provide healthy
22 air across the nation. For this reason we urge
23 EPA to revise its proposal to retain more
24 reductions and obtain them sooner.

25 The American public has long opposed

1 Blake Early

2 the unequal level of effort in emissions
3 reduction that has been imposed upon passenger
4 vehicles and their owners in comparison to trucks
5 and buses.

6 For too long trucks and truck owners
7 have shared the road but not shared the cleanup
8 effort to curtailing air pollution from mobile
9 resources. It is a simple matter of equitable
10 treatment.

11 EPA's proposal is an important first
12 step in equalizing the cleanup effort; however,
13 even if EPA were to adopt the ALA recommendation,
14 which I will outline in a moment, the Phase 2
15 heavy-duty diesel engines, the level of reduction
16 would substantially lag that required for
17 passenger vehicles.

18 NOx and fine particle reductions are
19 clearly needed across the nation, and reducing
20 NOx from diesels will help reduce ozone.

21 EPA estimates that nationwide NOx
22 emissions will return to their current levels in
23 2020, assuming the standards proposed today are
24 adopted and implement and the projected PM
25 emissions from mobile sources will begin the

1 Blake Early

2 trend upward beginning next year, precisely at a
3 time when we need to reduce PM, especially the
4 fine particulate portion of PM.

5 These estimates are likely to be low
6 given the historical difficulty in estimating
7 vehicle miles traveled, growth, and consumer
8 vehicle choices as exemplified by the current
9 rage of purchasing SUVs that is dominating
10 vehicle sales today.

11 NOx reductions are needed to lower
12 unhealthy levels of smog and prevails in many
13 areas prevailing over eight-hour periods.

14 The fact, that the United States
15 Court of Appeals has remanded EPA's eight-hour
16 ozone NAAQS standard, does not mean that adverse
17 health effects from exposure to low levels of
18 ozone are not occurring.

19 Indeed, for the past two summers, the
20 number of areas that have been experiencing
21 unhealthy levels of smog has been in record
22 numbers. In 1998 over 5,000 exceedences of the
23 eight-hour ozone NAAQS were monitored in over 40
24 states.

25 For two summers in a row, Salt Lake

1 Blake Early

2 City, which has never had ozone exceedences, has
3 experienced over a week's worth of exceedences of
4 the eight-hour standard.

5 EPA has both the right and the
6 obligation to use the authorities not stayed by
7 the Court of Appeals to protect people from the
8 unhealthy levels of ozone. The court itself did
9 not take issue with EPA's scientific analysis
10 supporting the need for an eight-hour ozone
11 standard.

12 As a number of areas experiencing the
13 eight-hour period of unhealthy smog grows, so,
14 too, do the number of people vulnerable to the
15 effects of smog.

16 Between 1982 and 1994, asthma
17 prevalence among adults grew 61 percent. It rose
18 72 percent among children.

19 While we do not know why more people
20 are becoming asthma sufferers, we do know that
21 many people with asthma are more vulnerable to
22 the effects of ozone, experiencing asthma attacks
23 and sometimes even needing hospitalization; some
24 people even die from severe asthma attacks.

25 Since diesel exhaust from on-road and

1 Blake Early

2 off-road sources contributes up to 26 percent of
3 the total NOx emissions, this proposal is clearly
4 moving in the right direction.

5 Reducing diesel particulates will
6 also lower toxic and nontoxic particulate threats
7 to health. Particles from diesel exhaust may
8 contribute more than 50 percent to Manhattan's
9 particulate emissions, and is also a large
10 contributor -- or contributes a large percentage
11 of the particulates in many urban areas.

12 This situation may actually.

13 Worsen if oil manufacturers introduce
14 a new generation of diesel engines in passenger
15 vehicles, which would add to the particulate
16 emissions inventory.

17 Studies suggest that these vehicles
18 would generate less large particulate pollution
19 but 30 to 60 times more fine particles, which are
20 the most dangerous to human health.

21 Many studies link airborne fine
22 particles with increased hospitalizations in
23 respiratory disease, chronic obstructive heart
24 disease, lung disease and premature mortality.

25 Again, while the U.S. Court of

1 Blake Early

2 Appeals remanded EPA's particle standard for
3 further explanation, this does not mean that the
4 health threat from fine particles is any less
5 real. EPA must continue its effort to reduce
6 both PM 10 and PM 2.5.

7 Diesel particulate concerns: Not
8 only does it contribute to additional forms of
9 morbidity and mortality, but for many workers
10 exposed to the diesel exhaust link, such an
11 exposure has a 20- to 40-percent increase in lung
12 cancer.

13 A number of international, national
14 and state agencies have identified diesel
15 particulates as a probable carcinogen.

16 While experts disagree as to whether
17 diesel particulate is a carcinogen and if so how
18 potent, the fact still remains that millions of
19 Americans are exposed to this pollutant every
20 day.

21 Prudence dictates that EPA lower
22 diesel particulate emissions as a practical means
23 as a precautionary measure. But EPA should
24 require more reduction sooner than it has in its
25 proposal thus far. Given the importance of

1 Blake Early

2 obtaining the reductions in emissions that
3 contribute to ambient ozone and particulate
4 pollution, we make the following
5 recommendations:

6 A recent study by the Manufacturers
7 of Emissions Control Association demonstrated
8 that current technology of heavy-duty engines
9 needs .05 grams-per-brake-horsepower hour of
10 particulate standards even using conventional
11 fuel with high levels of sulfur. EPA should
12 tighten the HDPE particulate standard to .05 by
13 the year 2004.

14 With a four-year leave time,
15 manufactures should be able to fully adopt this
16 currently available technology to their needs.

17 In the second phase, EPA should
18 require another big reduction in particulates and
19 a strict NOx standard.

20 The same need to study demonstrated
21 that for a current-technology engine to achieve a
22 NOx emission rate below 2 grams per-brake-
23 horsepower-hour while achieving a particulate
24 emission at .01 grams per-brake-horsepower hour,
25 using conventional high sulfur fuel in exchange

1 Blake Early
2 for sulfur-in-fuel reductions, which we advocate
3 below, which EPA is considering, EPA should
4 mandate emissions at least this low or lower for
5 the second phase of its program.

6 EPA should harmonize non-passenger,
7 gasoline and diesel vehicles weighing 8500 to
8 15,000 pounds with California's LEV II program.
9 If manufacturers can produce cleaner vehicles for
10 California, they should do so for the benefit of
11 breathers across the nation.

12 EPA should also assure all heavy-duty
13 vehicles are subject to an in-use test program to
14 ensure the vehicle's performance in the real
15 world is the same as they perform during
16 certification testing.

17 EPA should also set sulfur standards
18 to foster new control technologies.

19 Lower sulfur in diesel fuel is
20 important for two reasons: It will facilitate
21 the use of advanced emissions control on
22 heavy-duty trucks and will enable the most
23 effective use of currently available emission
24 reduction technologies to retrofit heavy trucks
25 on the road today.

1 Blake Early

2 EPA should immediately initiate the
3 program of requiring a phased retrofit of
4 existing heavy-duty diesel trucks. Unlike
5 passenger vehicles, which have a useful life of
6 approximately 100,000 miles, diesel trucks are
7 driven vastly more miles, sometimes over a
8 million miles in their lifetime, often undergoing
9 multiple rebuilds.

10 While the nation's automobile fleet
11 will convert in approximately 12 years from
12 old-technology vehicles to new-technology
13 vehicles, trucks will be on -- today's trucks
14 that are driven on the road today will last and
15 not turn over for many, many more years.

16 The only solution is to retrofit
17 those vehicles at the time their engine is being
18 built and the useful life is being extended.

19 EPA has imposed new source
20 performance standards for any heavy-duty truck
21 that is rebuilt, just as the Clean Air Act
22 required. New source performance standards apply
23 to major rebuilds of power plants.

24 There is little question that
25 low-sulfur diesel fuel is a critical part of any

1 Gregory Dana - The Alliance
2 effort to reduce emissions from existing and new
3 technology heavy-duty diesel trucks.

4 EPA should also require low-sulfur
5 fuel for use in off-road diesel engines.
6 Off-road engines contribute as much as 40 percent
7 of total diesel particulate emissions.
8 Low-sulfur fuel for these engines allows
9 emissions to be reduced and also eliminates major
10 problems associated with segregating high-sulfur
11 and low-sulfur fuels and enforcing low-sulfur
12 requirements.

13 It is a very broad agenda but a very
14 needed agenda. We urge the Agency to move as
15 rapidly as it can.

16 Thank you very.

17 MS. OGE: Thank you.

18 Mr. Dana, good morning.

19 MR. DANA: Good morning. I see you
20 have an overhead projector; I thought I would use
21 it.

22 My name is Gregory Dana. I am vice
23 president of Environmental Affairs for The
24 Alliance of Automobile Manufacturers. I am here
25 today to speak on EPA's proposed 2004 heavy-duty

1 Gregory Dana - The Alliance
2 emissions rule and modifications to the light-
3 duty truck definition.

4 I do need to do my public service
5 announcement first, however. The Alliance is a
6 fairly new organization, less than a year old,
7 and this is a list of all of the members of all
8 Alliance representing about 90 percent of the
9 sales of vehicles in the country.

10 The Alliance member companies support
11 the pursuit of cleaner air, and we are committed
12 to developing new advanced technology to minimize
13 any potential impact our vehicles may have on the
14 environment. Our commitment is shown by the
15 proposal we put forth in response to EPA's Tier 2
16 proposal; a proposal that achieves greater
17 emissions reductions than proposed by EPA.

18 Reducing the emissions from the
19 heavy-duty vehicle population will help in
20 achieving the nation's clean air goals, and we
21 struggle to do our part.

22 My comments today will focus of three
23 key issues in the NPRM which concern Alliance
24 members. These are: lead time, light-duty truck
25 definition and fuel quality.

1 Gregory Dana - The Alliance

2 EPA has described the heavy-duty
3 rulemaking schedule, which is unrealistic and so
4 compressed that the opportunity for detailed
5 commerce by affected parties and a complete
6 review and analysis of such comments by the
7 Agency prior to promulgating the final rule is
8 highly doubtful.

9 Due to the hurried and unrealistic
10 time frame, the Agency's proposal would create
11 implementation and administrative dilemmas.
12 There are many contradictions within and between
13 the heavy-duty Tier 2 rulemakings, which must be
14 addressed.

15 We are more than happy to do our part
16 to clean the air, but we require clear and
17 concise regulations.

18 EPA should extend the comment period
19 and allow additional time in the review period
20 for this important regulation so it will come to
21 a complete debate that can be held on all of the
22 issues.

23 Lead time and stability of emissions
24 standards are the key issues laid out by Congress
25 in the Clean Air Act. The act requires

1 Gregory Dana - The Alliance
2 heavy-duty vehicles and engine manufacturers be
3 given four years' notice of changes to standards
4 as well as a separate three years of stability of
5 these same standards.

6 A three-year stability of the
7 standard in the four-year lead time granted by
8 the act effectively removes the 2004 model year
9 from discussion at this time as manufactures are
10 currently producing 2000 model-year products.

11 Furthermore, as diesel heavy-duty
12 standards are promulgated in 1997, which are
13 effected in the 2004 model year, no relation to
14 the diesel heavy-duty standard is permitted prior
15 to the 2007 year.

16 Manufacturers require this stability
17 and lead time for all cost-effective emission
18 control standards to ensure the new products meet
19 the needs of the heavy-duty vehicle customer
20 while simultaneously achieving air quality
21 standards.

22 There is sound, fundamental rationale
23 for this lead time, and EPA cannot explicitly or
24 implicitly attempt to rescind this position
25 provided by the Act.

1 Gregory Dana - The Alliance

2 For the second time in the 1999
3 calendar year, EPA is proposing to modify the
4 definition of light-duty truck. Even before the
5 Tier 2 rule is final, EPA is again proposing to
6 modify the definition to include the new nebulous
7 category of vehicles between 8500 pounds and
8 10,000 pounds gross vehicle weight that are
9 designed for personal transportation and have a
10 capacity up to 12 persons.

11 The attempt to pull these vehicles
12 into the Tier 2 rule via the heavy-duty notice is
13 not consistent with the proper notice and
14 opportunity for comment which is afforded in the
15 regulatory process.

16 Manufacturers have not had the
17 opportunity to comment on the provisions, and EPA
18 has offered no analysis of the benefits of this
19 suggestion in context of the Tier 2 rules.

20 The Alliance is proposing an
21 extremely comprehensive and aggressive emissions
22 reduction program in the Tier 2 rulemaking
23 covering light-duty vehicles and light-duty
24 trucks, and we have been working with EPA to
25 resolve the issues.

1 Gregory Dana - The Alliance

2 A top priority issue identified in
3 the Tier 2 rulemaking has been the engineering
4 workload during the phase-in. This
5 reclassification of the heavy-duty vehicles adds
6 to an already uncontrollable workload problem for
7 manufacturers over and above that caused by the
8 Tier 2 rule.

9 The Alliance continues to stress that
10 heavy and light trucks are unique from passenger
11 cars. The utility of trucks comes with the
12 additional design considerations, such as engine
13 size and structural integrity that challenges the
14 emissions performance when the full range of
15 vehicle use is recognized.

16 This vehicle segment has admittedly
17 found success in the marketplace because of the
18 expanded utility. This should not create a
19 platform for EPA to restrict its choice by
20 setting standards that exceed the emission
21 feasibility of these vehicles.

22 EPA has failed to consider that
23 trucks are for peak use. Therefore, a
24 sport-utility vehicle or a large van may be
25 purchased to tow the boat or camper only a few

1 Gregory Dana - The Alliance
2 times a year, but the consumer values these
3 attributes to the point of accepting the stiffer
4 ride or accepting the other non-car-like
5 characteristics to accomplish this goal.

6 The proposed definition of a truck
7 designed for personal transportation appears to
8 leave much room for Agency subjective
9 interpretation. For example, a common airport
10 shuttle vehicle is a large passenger van that
11 accommodates eight, 12 or 15 people, depending on
12 whether there is luggage. Although this vehicle
13 is obviously a truck in rigorous, commercial use,
14 this vehicle would likely be subjected to the
15 definition of light-duty truck requiring
16 compliance with the very stringent Tier 2
17 gasoline and diesel standards.

18 There are many implications related
19 to the inclusion of heavier vehicles into the
20 Tier 2 requirements. An impossible workload is
21 now further compounded by their addition.

22 Also, chassis test facilities for the
23 heavier gasoline and diesel vehicles including
24 the capability to measure emissions from the SFTP
25 cycles are limited in the entire industry. This

1 Gregory Dana - The Alliance

2 further demonstrates the necessity of granting
3 sufficient lead time for manufacturers.

4 Another key issue for The Alliance is
5 that necessary improvements to diesel fuel
6 quality are lacking in the heavy-duty proposal.

7 EPA has stated that a change in fuel
8 quality is not necessary to achieve the proposed
9 heavy-duty emissions standards in 2004. This
10 fails to consider the needs of the light-duty
11 diesel vehicle regardless of definition. A 5 ppm
12 maximum sulfur level in diesel fuel is required
13 for these vehicles to achieves the significant
14 emissions reductions required in Tier 2. A delay
15 in considering diesel fuel quality is a lost
16 opportunity for air quality and fleet fuel
17 economy improvements.

18 By failing to act, EPA must recognize
19 the severity of the Tier 2 standards without
20 proper fuel, may preclude the continued use of
21 diesel engines in these vehicles resulting in a
22 loss in fuel economy in this market segment.

23 Reduced sulfur levels provide
24 benefits for emission hardware longevity and for
25 ultimate emissions performance. Advanced diesel

1 Gregory Dana - The Alliance
2 technology will require complex exhaust after
3 treatment which will only be viable with very
4 low-sulfur diesel fuel. Cleaner air requires
5 cleaner fuel sooner rather than later.

6 Delays in implementation of diesel
7 fuel quality improvements represent lost
8 emissions and fuel economy opportunities.

9 I would be remiss if I also didn't
10 mention the need for low-sulfur fuels for
11 gasoline-fueled vehicles as well. While 30 ppm
12 is the first right step, lower levels will be
13 needed to allow the use of the advanced
14 technology vehicles.

15 Sulfur-free fuel has enormous air
16 quality benefits and will ensure that emission
17 control systems work to their fullest. We also
18 hope that EPA will respond to our petition on the
19 distillation index. Controlling the distillation
20 index will also help us in designing cleaner
21 vehicles.

22 In conclusion, The Alliance is
23 focused on three main topics today: We believe
24 that these heavier vehicles can meet more
25 stringent standards given adequate lead time and

1 Gregory Dana - The Alliance
2 clarification of the definition of this class of
3 vehicles;

4 We believe the stability and lead
5 time provision of the act will only allow the
6 promulgation of gasoline emissions standards of
7 2005 model year heavy-duty vehicles and 2007
8 model year diesel vehicles at the earliest;

9 The Alliance believes that attempts
10 to modify the light-duty truck and personal
11 transportation definition circumvent the
12 regulatory process of notice, comment and review.

13 The potential subjective
14 interpretation of the new light-duty truck
15 definition may be very troubling, and a systems
16 approach to vehicles and fuels needs to be
17 applied to the diesel technologies. A 5 ppm
18 sulfur maximum is required to enable diesel
19 after-treatment devices to improve air quality.

20 The Alliance appreciates this
21 opportunity to provide testimony and welcomes the
22 opportunity to work with the EPA staff on this
23 important issue.

24 MS. OGE: Thank you.

25 Mr. Sam Boykin. Good morning.

1 Sam Boykin - Citizen

2 MR. BOYKIN: Good morning. It's
3 Boykin.

4 My name is Sam Boykin. I am a
5 concerned citizen who lives here in Philadelphia,
6 Pennsylvania. Although I have had the chance to
7 live in many different cities across the East
8 Coast, I notice the same air pollution problems
9 there that we have right here in Philadelphia.

10 I think the first thing I would like
11 to say is I would definitely just urge EPA to put
12 the concerns of the health of the roughly 40,000
13 Americans that die prematurely each year from
14 pollution ahead of the concerns of the largest
15 automobile corporations in the world.

16 Just myself, luckily, I am a somewhat
17 healthy person, and so I don't need to worry
18 about running to the hospital every time there is
19 a bad ozone day or some big diesel bus drives by
20 me. But even on those days, I am affected in
21 terms of being able to go outside and enjoy
22 myself and do things that I normally like to do,
23 whether it is ride my bike or go running.

24 And so I would definitely applaud the
25 EPA for these forward-looking programs to clean

1 Sam Boykin - Citizen

2 up pollution from some of the nation's largest
3 and dirtiest vehicles.

4 I am extremely concerned that the
5 proposal is phased in over a very long period of
6 time resulting in delayed health benefits that
7 these standards could bring.

8 Specifically, I would like to urge
9 the EPA to consider the following changes to
10 strengthen the heavy-duty program:

11 Number one would be to accelerate the
12 time line for choosing the SUV loophole. There
13 seems to be no technological reason to give auto
14 makers an additional ten years to clean up the
15 largest and dirtiest SUVs. It seems like all
16 passenger vehicles should meet clean car
17 standards by at least the year 2007.

18 Secondly, I would like to urge you to
19 tighten the heavy-duty particulate standards by
20 50 percent by 2004. The technology is already
21 available to cut particulate pollution from
22 heavy-duty trucks by half using existing
23 technologies and catalysts.

24 Third, I urge you to adopt strong
25 standards for 2007 pollution from heavy-duty

1 Maria Bechis, Bucks Co., Sierra Club
2 vehicles. That is an urgent problem that needs
3 to be addressed as soon as possible. The EPA
4 must forge ahead additionally for a 90-percent
5 reduction in particulate matter no later than
6 2007.

7 Fourth, clean up the diesel fuel in
8 order to ensure that diesel pollution equipment
9 is effective. All diesel fuel sulfur levels in
10 both -- in both on-road and off-road diesel
11 vehicles pollution should be capped at 10 parts
12 per million sulfur by 2006.

13 And, fifth, ensure that trucks stay
14 clean once they are on the road. In order to
15 ensure that clean trucks stay in, in-use testing
16 and onboard diagnostic equipment should be
17 required for all heavy-duty trucks both for
18 gasoline and diesel.

19 I would like to thank you for letting
20 me speak today. That's all I have to say.

21 Ms. Meggy Bechis will testify with
22 her mom, Maria Bechis. Good morning.

23 MRS. BECHIS: Good morning. My name
24 is Maria Bechis, and sitting next to me is my
25 daughter, Meggy Bechis, who is an asthma

1 Maria Bechis, Bucks Co., Sierra Club
2 sufferer.

3 I am vice chair and volunteer
4 advocate at the Bucks County Group of the Sierra
5 Club. I am here not only as an environmental
6 advocacy organization, but because I have
7 witnessed firsthand the debilitating impacts of
8 asthma on children and adults.

9 My 10-year-old daughter and 48-year-
10 old husband has asthma. My daughter and husband
11 have difficulty breathing and wheeze painfully on
12 bad ozone days in the summer. My daughter could
13 not undergo a necessary surgery in 1997 because
14 of wheezing.

15 In the summer, I am a timer for
16 children's swim meets. I have watched children
17 come out of the pool at the end of the swim meet
18 panicked because they cannot catch their breath
19 and are in desperate need for their inhalers.

20 Exhaust from heavy buses and trucks
21 of heavy-duty fuels makes it difficult for
22 children or anyone with asthma to breathe.
23 Studies have also shown that this exhaust is
24 potentially carcinogenic.

25 Death rates from asthmatic children,

1 Maria Bechis, Bucks Co., Sierra Club
2 rising 6 percent a year, have doubled between
3 1980 and 1993. Nearly 5 million children, or one
4 in ten children under Age 18, have asthma.

5 The medical treatment for these
6 children cost \$6.2 billion a year. These
7 children suffer miserably. They cannot play
8 outdoors in the summer and are dependant on
9 medications and inhalers. To parents in hospital
10 emergency rooms, no cost is too high to protect
11 the health and lives of their children.

12 The Sierra Club and I applaud the
13 EPA's proposal to close the loopholes that allow
14 SUVs to emit up to five times more pollution than
15 cars; set cleaner standards for trucks and diesel
16 fuels; and require strict tests to ensure
17 compliance in standards.

18 The EPA is doing the right thing in
19 cleaning up these big polluters. But just as
20 with the big SUVs, they are giving them too much
21 time. The technology exists today to reduce
22 particulate matter and to make a real difference
23 in the public's health. Giving them until 2007
24 to clean up is just too long.

25 Bucks County, where my family

1 Maria Bechis, Bucks Co., Sierra Club
2 resides, does not meet air quality standards on
3 many days. We need cleaner air to breathe. We
4 urge the EPA not to heed the diesel fuel and
5 truck manufacturers to extend the time line for
6 implementation of standards.

7 I brought with me a postcard that the
8 Sierra Club circulates to the public, and the
9 public then sends this postcard to their
10 policy-makers and legislatures. It is a picture
11 of a real child. This little boy lives in
12 Texas. And they have the worst air in the United
13 States. It is the worst air.

14 Many of their cities exceed air
15 pollution levels that were once found in Los
16 Angeles. This child goes out with a gas mask,
17 and it has become a standard code of dress for
18 these children in some of the cities in Texas.

19 This is not what I want for my child
20 or anyone's child. And if we don't do something
21 about bringing these pollution levels down
22 quickly, I am afraid that we will be witnessing
23 something of this sort in more cities in the
24 United States.

25 Now, Meggy wanted to say a few words,

1 Meggy Bechis - Citizen
2 and she wrote something that she would like to
3 read here, if that's all right.

4 MS. OGE: Yes. Go ahead.

5 MISS BECHIS: My name is Meggy
6 Bechis. I am 10 years old and I have asthma.

7 We first found that out when I was
8 about 8 years old. I have come here because I
9 want the EPA to make large trucks and buses stop
10 putting bad things into the air that makes me, my
11 dad and other kids sick.

12 It's very hard for me to breathe in
13 the summer because it is very hot and humid,
14 especially when the air is full of pollution.
15 Sometimes I can't go outside when it is very
16 hot.

17 Last summer I had to swim two laps of
18 the pool for placement in swim team. When I was
19 finished, I couldn't breathe. My chest felt very
20 tight; I was very scared.

21 Other kids who swim at the meet come
22 out of the pool coughing. They sound like
23 barking seals and need their inhalers.

24 In the beginning I used my inhaler
25 two times a day. Now I use it only when I need

1 Meggy Bechis - Citizen

2 it.

3 Please help the kids who have asthma
4 by making the air cleaner, by making the air
5 cleaner.

6 This picture is of a boy that has
7 asthma and is using an inhaler. The magazine is
8 "Time for Kids."

9 MRS. BECHIS: It is "Time Magazine
10 for Kids," and they have an article here on what
11 a health menace it is for children, asthma is.
12 Thank you.

13 MS. OGE: Thank you, Meggy.

14 Thank you for --

15 (Interruption.)

16 MS. OGE: Meggy, this doesn't happen
17 all the time.

18 I do want to thank you for taking
19 time. I would suspect if you are probably
20 missing class this morning --

21 MRS. BECHIS: No. No. Election
22 Day.

23 MS. OGE: Election Day, okay.

24 But your testimony is going to be
25 entered into the public docket. Your comment is

1 Beth McConnell - PennPIRG
2 very important to us as we deliberate on this
3 very important topic.

4 Thank you.

5 And Ms. Beth McConnell, good morning.

6 MS. McCONNELL: Good morning. It's a
7 little hard to follow that.

8 My name is Beth McConnell. I am a
9 clean-air advocate for PenPIRG, the Pennsylvania
10 Public Interest Research Group. Thank you very
11 much for giving me an opportunity to voice my
12 concerns about the need to reduce air pollution
13 from trucks and SUVs.

14 As those of us that live here in
15 Philadelphia are painfully aware of, air
16 pollution is causing a public health crisis not
17 only here but across the state and nation.

18 According to recent reports,
19 Philadelphia has the fourth worst air quality in
20 the nation, contributing to the premature death
21 of an estimated 2,000 Philadelphians each year.
22 And in the 1999 summer smog season, the State
23 recorded more than 460 violations of the 8-hour
24 ozone standard.

25 While this problem notably affects

1 Beth McConnell - PennPIRG
2 urban centers, such as Philadelphia and
3 Pittsburgh, it also does reach to suburban and
4 rural areas. For example, air pollution monitors
5 in rural counties in Pennsylvania, such as
6 Franklin and Mercer, has reported many unhealthy
7 days as monitors in the Philadelphia area.

8 For more than 650,000
9 Pennsylvanians like Meggy that suffer respiratory
10 ailments like asthma, this pollution can become
11 more than just an inconvenience. It also becomes
12 the reason that kids miss school, parents miss
13 work. And, in fact, it triggers an estimated
14 370,000 asthma attacks each year. 1997 alone,
15 there was more than 370,000 in Pennsylvania.

16 Now big trucks and buses including
17 diesel- and gasoline-powered vehicles over 8500
18 pounds are among the biggest causes of our
19 pollution problems. And manufacturers have done
20 very little to curve their pollution.

21 These big vehicles are a bigger
22 problem today than they were 30 years ago when
23 the Clean Air Act was originally passed.

24 In fact, in urban areas, as much as
25 50 percent of the deadly particulate pollution

1 Beth McConnell - PennPIRG
2 that we breathe comes from diesel vehicles.
3 Making matters worse, this diesel pollution has
4 been found to contain hundreds of toxic
5 substances, and more than 30 health studies link
6 diesel pollution to lung cancer.

7 It is high time for manufacturers of
8 diesel engines and big trucks to use widely
9 available technologies to reduce their
10 pollution. Yet we know from experience that we
11 cannot count upon them to do this voluntarily,
12 nor can we rely on the manufacturers to obey the
13 rules without strict monitoring and enforcement.

14 Just last year these same diesel
15 engine manufacturers were discovered to be
16 cheating on emissions tests resulting in an
17 increase of smog-forming pollution of over 1
18 million tons each year.

19 PennPIRG applauds the EPA for
20 proposing a forward-looking program to close the
21 SUV loophole that allows SUVs to emit up to five
22 times more pollution than cars, also setting
23 tougher standards on trucks and the fuels that
24 power them, and for requiring strict tests that
25 ensure compliance with the standards.

1 Beth McConnell - PennPIRG

2 However, we are extremely concerned
3 that the proposal is phased in over an
4 unnecessarily long period of time resulting in
5 delayed health benefits for the public and that
6 the proposal may not adequately ensure that
7 heavy-duty trucks comply with the standards
8 throughout the time that they are actually on the
9 road.

10 Specifically we would urge the EPA to
11 consider the following changes to strengthen the
12 heavy-duty program:

13 Number one, we would really like to
14 see the time line for closing the SUV loophole
15 accelerated. Under the Tier 2 auto pollution
16 program, all cars and the smaller SUVs will be
17 required to meet clean car standards by 2007.
18 There is no technological reason to give auto
19 makers another two years to clean up the largest
20 and dirtiest SUVs of all. All passenger vehicles
21 should meet clean car standards by 2007.

22 We also would like to see the
23 heavy-duty particulate standard tightened by
24 2004.

25 According to the manufacturers of the

1 Beth McConnell - PennPIRG
2 Emissions Control Association, the technology is
3 already available to cut particulate pollution
4 from heavy-duty trucks by half using existing
5 catalysts, yet the current proposal would have
6 the public wait until 2007 before any reductions
7 in particulate pollution from heavy-duty trucks
8 would occur.

9 This delay will contribute to the
10 premature deaths of thousands of Americans.

11 Third, we would like to see strong
12 standards adopted in 2007. Pollution from
13 heavy-duty vehicles is an urgent problem that
14 must be addressed as soon as possible. The EPA
15 must forge ahead with an additional 90 percent
16 reduction of particulate matter and nitrogen
17 oxide no later than 2007.

18 Fourth, we would like to see diesel
19 fuel cleaned up. Pollution control systems can
20 be truly effective only when they are coupled
21 only with low-sulfur fuels.

22 In fact, the current sulfur levels in
23 diesel fuels are so high, they actually prevent
24 the use of the most advanced pollution control
25 technology.

1 Beth McConnell - PennPIRG

2 So in order to ensure that diesel
3 pollution equipment is effective, all diesel fuel
4 sulfur levels, both on- and off-road diesel fuel,
5 should be capped at 10 parts per million sulfur
6 fuel by 2006.

7 Finally, I would like to ensure that
8 the trucks stay clean once they are actually on
9 the road.

10 Unfortunately lab tests quite often
11 do not reflect the true on-road emissions and
12 often faulty pollution control equipment goes
13 unnoticed by the truck owner. Moreover, in the
14 past, engine manufacturers and users have
15 seriously undermined emissions standards by using
16 cheating devices during testing procedures.

17 In order to ensure that clean trucks
18 stay clean, in-use testing and onboard diagnostic
19 equipment should be required for all heavy-duty
20 trucks, both gasoline and diesel.

21 Once again, I want to thank you very
22 much for allowing me to speak on this issue.

23 MS. OGE: Thank you. Any questions
24 of the witness?

25 MR. FRANCE: Mr. Dana, you made some

1

2 strong statements on lead time. But as a
3 practical matter, I want to ask the question
4 related to the 85 light-duty vehicle gasoline
5 category.

6 And in that program -- we've had
7 extensive discussions with the principal
8 manufacturers. And, in fact, the program
9 proposed is harmonizing with a California LEV I
10 program, which based on my recollection, 2001 is
11 already phased in in California.

12 And in large part, what our program
13 does is facilitate carrying over California
14 vehicles nationwide. There are some models that
15 aren't produced in California.

16 As a practical matter I am trying to
17 understand, if you could help clarify, why 2004
18 is not possible for that class of vehicles.

19 MR. DANA: What we were saying was
20 that the lead time and stability of the act
21 allows the standards -- (unintelligible.)

22 MR. FRANCE: I understand that. But
23 as a practical matter, setting aside the lead
24 time points, what is presenting the limitation?

25 MR. DANA: If you look at some

1

2 aspects of that class of vehicles that you're
3 trying to control, the ones you named in the
4 proposal, at least some of the manufacturers
5 build those vehicles with diesel engines.

6 MR. FRANCE: I said gasoline.

7 MR. DANA: Gasoline only?

8 MR. FRANCE: Yes.

9 MR. DANA: It is a matter of catalyst
10 loading; it's a matter of working. It should be
11 pointed out that under the Tier 2 rule alone,
12 some manufacturers have to redesign almost 100
13 parts in one year, and then do it again three
14 years later. It simply becomes an unworkable
15 problem in trying to get everything redesigned
16 immediately when you add in the additional layer --

17 MR. FRANCE: Maybe we're missing each
18 other.

19 My only question was very simple:
20 For those models that are already being produced
21 in California, all you have to do is carry them
22 over federally, you know, the rest of the 49
23 states.

24 MR. DANA: Right.

25 MR. FRANCE: What is preventing you

1

2 manufacturers from doing that in 2004? That's my
3 question.

4 MR. DANA: I don't think there is a
5 feasibility from that standpoint.

6 MR. FRANCE: It is mainly legal.

7 MR. DANA: It is not just necessarily
8 it is legal. It's, again, a work issue as well.
9 Again, I understand what you are saying.

10 MR. FRANCE: And do you see any --
11 just one follow-up question on that:

12 Do you see any way around the legal
13 concerns that would allow the Agency to implement
14 that program in 2004 for gasoline?

15 MR. DANA: Ask the guy on your
16 right. We just put up there what the act says.
17 It seems fairly clear in its reading. I don't
18 know how to decide how to deal with it.

19 MR. FRANCE: Are manufacturers
20 willing to give the special circumstances to
21 waive the four-year lead time for this class of
22 vehicles?

23 MR. DANA: I am not sure I can say
24 that at this point.

25 MS. OGE: Anymore questions?

1

2

Mike?

3

MR. HOROWITZ: Do you want to go

4 first?

5

MS. OGE: Go ahead.

6

MR. HOROWITZ: I have two questions

7 for Mr. Dana. On the issue of the new definition

8 for light-duty trucks, you made some comments

9 about the subjective nature of them.

10

The definition that we are proposing

11 isn't -- is similar in some respects to the

12 difference that we now have between light-duty

13 vehicles and light-duty trucks. And I think it

14 sounds like you are saying there is a subjective

15 nature to that, too.

16

But we haven't really heard anything

17 from manufacturers that they don't like that

18 definition, that distinction.

19

Why is the distinction now a problem

20 in this proposal when it hasn't been for the last

21 several years?

22

MR. DANA: I think what we are trying

23 to point out when we look at the class of

24 vehicles that are regulated, 8500 to 10,000

25 pounds, you have some SUVs, you have pick-ups and

1

2 other specialty vehicles.

3

4 The definition is broad enough as you
5 thought by the proposed rule, that, in fact, it
6 covers pick-up trucks as well as SUVs and any
7 other vehicle that carries up to 12 people.

8

9 An example I pointed out in my
10 testimony was something that is called a super
11 shuttle. I am sure those of you who travel a lot
12 have seen them. They carry eight to 12 people.
13 They would fall under the definition as we see it
14 as being covered under the Tier 2 rule. That is
15 clearly a commercial vehicle.

16

17 What I am trying to point out is
18 under the definition as proposed, you can log in
19 a lot more vehicles than just the ones you've
20 named by model name. And that is just a
21 difficult issue we need to figure out between us
22 and the agency, how to control what we want to
23 control and not lump in everything else.

24

25 MR. HOROWITZ: The second question
26 was, you have a statement about fuel economy with
27 regard to diesels. Is The Alliance in favor of
28 increasing the corporate average fuel economy
29 standards so that we can take advantage of that?

1 Kathleen Kerdei - Citizen

2 MR. DANA: We haven't taken a
3 position on that. But I would point out if, in
4 fact, the Government decides to do anything with
5 regards to fuel economy, we need to move either
6 the diesel engines or lean-burn gasoline engines,
7 both of which require almost virtually sulfur
8 fuel.

9 So if that is the Government's
10 intention, then we're going to have to talk to
11 the agencies some more about further sulfur to
12 allow diesel engines to use devices and allow
13 diesel engines to exist.

14 MR. HOROWITZ: Okay.

15 MS. OGE: Anymore questions?

16 Thank you very much.

17 We have three additional individuals
18 that have expressed an interest in giving us
19 comments: Kathleen Kerdei, Kitty Campbell,
20 Carmen Lopez.

21 MS. KERDEI: My name is Kathleen
22 Kerdei, and I live in the city in Philadelphia.
23 And I thank you for the opportunity to come here
24 today and tell you how the poor air quality
25 affects some of the older residents of this

1 Kathleen Kerdei - Citizen

2 city.

3 30 years ago our family moved from
4 the Oak Lane neighborhood of Philadelphia to
5 Montgomery County where my husband's engineering
6 firm had just built a new facility. The choice
7 was made in order to prevent the risk and waste
8 of time of spending two to three hours a day on
9 the Expressway.

10 Four years ago, after the kids were
11 gone and on their own, the decision was made to
12 move back to the city; sort of a payback after
13 decades of taking advantage of Philadelphia's
14 many education, medical, cultural and employment
15 opportunities.

16 We joined the ranks of several
17 friends and neighbors who had already begun
18 adding to the life and vitality of the city as
19 well as its tax base which sort of reverses the
20 sprawl situations.

21 For the most part, it has been a very
22 enjoyable experience except for the ever
23 declining air quality.

24 The number of days one has to cancel
25 plans to garden, or bicycle, take a walk to the

1 Kathleen Kerdei - Citizen
2 market, doctor's, movies, increases yearly as
3 does the degree of respiratory distress expressed
4 by the residents. Because of this, several
5 friends and neighbors have already moved back to
6 the suburbs or planned to move before the coming
7 summer.

8 And it isn't just the over-50 crowd.
9 A young woman in the neighborhood explained to me
10 that she was leaving her studies at the
11 University of the Arts to go home to New England
12 because in her first semester she spent more time
13 in Jefferson Hospital Emergency Room than she had
14 in class.

15 The decreasing quality of life,
16 indeed, the risk to health and life itself, will
17 continue to drive people from this city. The
18 fortunate people, those who have come to become
19 mobile.

20 The result is a major disappointment
21 for the citizens who wanted to help the city live
22 and grow and a real death toll for the city
23 itself, who is in desperate need of Government
24 policy of common sense and mercy.

25 Thank you.

1 Kitty Campbell - Citizen

2 MS. OGE: Thank you.

3 MS. CAMPBELL: Good morning. My name
4 is Kitty Campbell. I am a Philadelphia resident
5 for about a year now, having lived out west for
6 the last 20 years. And I have to say, I am
7 thinking of moving back out there.

8 I don't have asthma and I don't have
9 respiratory problems, but I am losing my sense of
10 smell and I do have some trouble going outside on
11 the bad air days. So I think we have to do
12 something about it.

13 And I can attest to the fact that
14 tighter regulations regarding smog testing on
15 cars in California have made a huge difference in
16 smog levels out there. I was out there for about
17 20 years, and it honestly made a huge, huge,
18 difference. And we can do the same thing here.

19 There is no reason we can't pick up
20 those standards. I have an older car, and it
21 only cost maybe \$75 to improve it. It is not
22 real, real expensive. So I come here as a
23 private citizen who just wants to be able to
24 breathe better.

25 I urge that more stringent standards

1 Kitty Campbell - Citizen
2 recommended by the EPA for SUVs be adopted not by
3 2009 but by not later than 2007, the same for
4 cars.

5 Given that, as I have read, the
6 Japanese have already produced a SUV that does
7 not pollute 3 to 5 times more than cars, why
8 can't we Americans get on it pronto? And if we
9 have to steal their technology or something,
10 let's do it. Or let's cooperate with them.

11 I also urge the tighter control in
12 both trucks and bus emissions be enacted as
13 proposed besides by the EPA as quickly as
14 possible for both diesel and gasoline fuel. They
15 are working in California with alternative fuel
16 vehicles in -- regarding the bus.

17 I believe it's gas-powered buses or
18 something, and it is helping somewhat.

19 We all want to breath free, and I
20 know I speak for millions when I say this. So
21 please adopt EPA standards and even tighten them
22 up more, if you can.

23 Thank you for letting me speak.

24 MS. OGE: Thank you.

25 Ms. Lopez, good morning.

1 Carmen Lopez - Citizen

2 MS. LOPEZ: Good morning, my name is
3 Carmen Lopez, and I live in Alexandria, Virginia.
4 First I just want to thank you for giving me an
5 opportunity to voice my concerns about the need
6 to reduce air pollution from trucks and SUVs.

7 Nationwide, air pollution sends more
8 than 150,000 Americans to the emergency rooms
9 each year and causes more than 6 million asthma
10 attacks, according to a recent study.

11 Even worse, particulate is
12 responsible for cutting short the lives of
13 thousands of Americans each year. And I would
14 also like to add that this problem
15 proportionately affects Latinos, African
16 Americans, and those of us who live in the city.

17 In Virginia, air pollution is taking
18 an enormous toll on public health. There were
19 124 smog violations during the first half of the
20 summer. There were 23 days when ozone standards
21 deemed the air unhealthy for people who were
22 living, walking and working on the streets to
23 breathe.

24 I just learned that there were
25 220,000 people in Virginia and 27,000 in Richmond

1 Carmen Lopez - Citizen

2 who had asthma attacks due to air pollution.

3 This is extremely disturbing to me.

4 My family and my friends and I are avid rock
5 climbers, campers and hikers. And like many
6 people in the Washington, D.C. area, we like to
7 head out to the Shenandoah National Park to enjoy
8 outdoor recreational activities on the weekends.

9 I've recently learned that Shenandoah
10 National Valley is one of the most polluted
11 national parks in the nation and there are days
12 when it is as unsafe to breathe at this national
13 park as it is in Washington D.C. I think that is
14 disgusting.

15 Big trucks and buses, most of which
16 are diesel vehicles, are among the biggest
17 sources of air pollution and problems, and
18 manufacturers have done very little to curb this
19 pollution.

20 In urban areas, as much as 50 percent
21 of the deadly particulate pollution that we
22 breath comes from diesel vehicles.

23 Making matters worse, this diesel
24 pollution has been found to contain hundreds of
25 toxic substances and has been linked to lung

1 Carmen Lopez - Citizen
2 cancer in more than 30 health studies. It is
3 time for the manufacturers of diesel engines and
4 big trucks to use widely available technologies
5 to reduce their pollution.

6 I thank the EPA for taking measures
7 to clean up pollution from the nation's largest
8 and dirtiest vehicles. However, I am extremely
9 concerned that the proposal has such a long
10 phase-in time, the result of which is delayed
11 health benefits for the public, and that the
12 proposal may not adequately ensure that
13 heavy-duty trucks comply with standards
14 throughout the time that they are on the roads.

15 Specifically, I would urge EPA to
16 consider the following changes to strengthen the
17 heavy-duty program: Accelerate the time line for
18 closing the SUV loophole and do that by 2007;

19 Tighten the heavy-duty particulate
20 standards at least 50 percent by 2004;

21 Adopt strong smog standards for 2007;

22 Clean up diesel fuel;

23 And ensure that the trucks stay clean
24 once they are on the road by using in-use testing
25 and onboard diagnostic equipment.

1 Patrick Charbonneau - NAVISTAR

2 Thank you for letting me speak on
3 this issue.

4 MS. OGE: Thank you.

5 Any questions?

6 Thank you very much.

7 We will take an hour break for lunch,
8 and we will return at 1:15. Thank you.

9 (Luncheon recess taken from 12:15
10 p.m. to 1:20 p.m.)

11 MS. OGE: If you could take your
12 seat. I would like to call Mr. Andrew Altman,
13 Mr. Patrick Charbonneau, Mr. Mike Carter, Mr.
14 Bruce Bertelsen, and Coralie Cooper.

15 Pat, we'll start with you.

16 MR. CHARBONNEAU: I would like to
17 preference my comments by saying that NAVISTAR
18 demonstrated here in Philadelphia the Tier 2
19 hearings this summer that over all, for a
20 500-pound school bus, there was a 90 percent
21 reduction in particulates, no measurable
22 hydrocarbons and emissions lower than CNG engines
23 with ultra low-sulfur fuel. This can be done
24 with clean fuel.

25 My name is Patrick Charbonneau. I am

1 Patrick Charbonneau - NAVISTAR
2 vice-president of Engineering for the Engine and
3 Foundry Division of NAVISTAR. We are a major
4 North American manufacturer of medium and
5 heavy-duty trucks and buses marketed under the
6 international tradename. NAVISTAR is also the
7 world's largest manufacturer of mid-range diesel
8 engines.

9 To understand our views on EPA's
10 proposed 2004 model year standards, it is useful
11 to understand the commitments made by EPA, CARB
12 and industry under the 1995 Statement of
13 Principals for SOP.

14 The signatories developed the SOP to
15 achieve historic emissions reductions from
16 heavy-duty diesel engines but in a manner that is
17 realistic to the industry. And, in fact, the
18 focus was a 50 percent reduction in NOx for these
19 engines.

20 For NAVISTAR, a key principle of the
21 SOP was that it would provide increased certainty
22 and stability for our business planning. As the
23 SOP states, "Without such certainty and
24 stability, industry could not commit to the
25 enormous investment that the standards will

1 Patrick Charbonneau - NAVISTAR
2 require. And with such certainty and stability,
3 those investments might never be recouped. EPA
4 and California recognize the huge investment that
5 will be required of the industry."

6 The SOP provides such stability by,
7 among other things, confirming the Model Year
8 2004 standards would be premised on current
9 federal test procedures, and that EPA thus would
10 not alter such standards in this rulemaking.

11 Moreover, the SOP expressly applies
12 to all heavy-duty engines, including heavy-duty
13 SUVs and passenger vans weighing between 8500 and
14 10,000 pound gross vehicle weight.

15 NAVISTAR is committed to achieving
16 the principles that were expressed in the SOP,
17 and has committed tens of millions of dollars to
18 meeting the 2004 emissions targets on all of our
19 heavy-duty product lines. We were disappointed,
20 however, to find that the EPA's complex proposal
21 includes features which are inconsistent with the
22 SOP and raise some serious questions regarding
23 overall feasibility.

24 For instance, EPA's proposed
25 not-to-exceed limits and maximum achievable

1 Patrick Charbonneau - NAVISTAR
2 emissions limits testing requirements have the
3 effect of dramatically increasing the stringency
4 of the 2004 model year standards that the EPA and
5 industry agreed upon under the SOP. We know of
6 no data suggesting that the Model Year 2004
7 heavy-duty standards can feasibly be met with the
8 NTE requirements in place.

9 Moreover, on top of the NTE and MAEL
10 proposals, EPA has proposed to require testing
11 compliance over a wider and unprecedented range
12 of ambient conditions, which further compromises
13 the feasibility of the 2004 standards.

14 Also the EPA's proposal to expand the
15 Tier 2 program for light-duty vehicles to include
16 heavy-duty SUVs and passenger vans is
17 inconsistent with the EPA's commitment under the
18 SOP to establish technologically feasible
19 standards for all heavy-duty vehicles.

20 To our knowledge, there is no
21 technology that will enable heavy-duty SUVs in
22 2004 to meet the EPA's proposed interim and full
23 Tier 2 standards for light-duty vehicles. If the
24 EPA is aware of contrary information, we would
25 like to review that so we can comment.

1 Patrick Charbonneau - NAVISTAR

2 Finally, notwithstanding the many
3 complex issues that need to be worked out, EPA's
4 timetable calls for the Agency to complete this
5 rulemaking by December 31st. Not only does this
6 proposed timetable deprive the public of adequate
7 time to assess and comment on the rulemaking
8 package, it leaves the EPA with a challenge of
9 only 29 days to finalize the rule after the
10 December 2nd.

11 This timetable is unworkable,
12 particularly given that the EPA's proposal would
13 number one, dramatically change the term of the
14 SOP; number two, increase the stringency of the
15 Model Year 2004 standards; number three, result
16 in new standards and test procedures that were
17 not part of the SOP; and four, effectively
18 preclude heavy-duty SUVs and vans from the
19 marketplace.

20 NAVISTAR respectfully submits that
21 the SOP provides the right blueprint for
22 achieving dramatic yet feasible reductions in
23 emissions from heavy-duty vehicles. The SOP,
24 along with actual EURO III testing without EPA
25 modifications ensures tremendous emissions

1 Patrick Charbonneau - NAVISTAR
2 reductions benefits. The EPA's proposal,
3 however, departs from the SOP in ways that fail
4 to appreciably advance environmental objectives,
5 but which call into question the overall
6 feasibility of the proposal.

7 Therefore, we recommend that EPA and
8 industry move forward with the SOP for Model Year
9 2004 heavy-duty engines, work to establish a
10 dialog on potential new emissions testing
11 protocols for post-2004 model years. We also
12 look forward to continuing discussions with EPA
13 on fuel issues.

14 As we stated in our comments on the
15 Tier 2 rulemaking, clean diesel fuel, 5 parts per
16 million maximum sulfur, is absolutely necessary
17 for emissions controls technologies we are
18 developing for the post-2004 period, and,
19 therefore, must be addressed in connection with
20 any post-2004 heavy-duty emissions standards.

21 I hope the NAVISTAR's comments have
22 been helpful to the Agency. I would be happy to
23 answer any questions that you may have regarding
24 my testimony.

25 MS. OGE: Thank you.

1 Bruce Bertelsen - MECA

2 Mr. Bertelsen, please.

3 Good afternoon.

4 MR. BERTELSEN: Good afternoon.

5 Good afternoon. For the record, my
6 name is Bruce Bertelsen. I am executive director
7 of the Manufacturers of Emissions Controls
8 Association. MECA is pleased to present
9 testimony in support of EPA's proposal.

10 For those not familiar with MECA, we
11 are a non-profit association made up of the
12 world's leading manufacturers of emission control
13 technology for motor vehicles.

14 EPA's proposed regulatory initiative,
15 we believe, marks an important first step in
16 moving towards the objective of substantially
17 reducing exhaust emissions from highway,
18 heavy-duty engines and vehicles.

19 The Agency's proposal constitutes a
20 carefully crafted and balanced program that, if
21 finalized, will result in substantial
22 cost-effective emissions reductions over the next
23 several decades.

24 Completing the task will also require
25 EPA to implement the appropriate limits on the

1 Bruce Bertelsen - MECA
2 allowable sulfur levels in both gasoline and
3 diesel fuel and to move forward with
4 consideration of tighter NOx and PM standards for
5 heavy-duty engines and vehicles in the post-2004
6 time frame.

7 Today I'll briefly summarize MECA's
8 position on EPA's proposed initiative. We do
9 plan to submit more detailed written comments.

10 MECA concurs with EPA's assessment
11 that the heavy-duty diesel engine for 2004 and
12 later model year standards are technologically
13 feasible. We also agree with EPA that engine
14 manufacturers are likely to meet these standards
15 for heavy-duty trucks without it using exhaust
16 control technologies such as diesel oxidation
17 catalysts or diesel particulate filters.

18 We believe that the utilization of
19 these types of PM exhaust control technologies
20 would enable engine manufacturers to meet a PM
21 standard of 0.05 grams-per-brake-horsepower and
22 also achieve significant reductions in toxic
23 hydrocarbon emissions.

24 Consequently, we feel the EPA's
25 program for the 2004 standard could be

1 Bruce Bertelsen - MECA
2 strengthened by tightening the PM standard when
3 it finalizes this proposal later this year.

4 Turning to the post-2004 highway
5 heavy-duty diesel engine standards:

6 In its proposal, EPA invites comments
7 on the feasibility of imposing more stringent NOx
8 and PM standards in the 2007 time frame.

9 We believe that by employing a
10 systems approach, which combines advanced engine
11 designs, advanced integrated exhaust emission
12 controls and very low diesel sulfur fuel,
13 significant additional reductions in NOx, PM and
14 toxic emissions are possible beyond the levels
15 that will be achieved in meeting the 2004
16 standards.

17 With such a systems approach, we
18 believe levels in the range of .5 NOx .01 PM and
19 over an 80 percent reduction in toxic emissions
20 can be achievable.

21 We commend EPA for initiating the
22 consideration and the dialog on the next tier of
23 heavy-duty diesel engine standards. To achieve
24 the very low-emission targets in the 2007 time
25 frame, it is critical for EPA to establish as

1 Bruce Bertelsen - MECA
2 soon as is practical the significant
3 emission-reduction limits that will be required
4 as well as the limits on the allowable levels of
5 sulfur and diesel fuel.

6 Once the standards and the fuel
7 quality requirements are known, engine
8 manufactures, emission control technology
9 manufactures and fuel producers can all commit
10 the necessary financial and human resources to
11 meet those targets.

12 To offer a few comments on the
13 proposed new standards for Otto-cycle heavy-duty
14 engines, while EPA's proposal certainly presents
15 significant engineering challenges, again, we
16 concur with EPA's assessment that with the lead
17 time available and the regulatory flexibility
18 provided, these standards should be achievable.

19 As EPA discussed in its feasibility
20 analysis, the likely technology solution will be
21 to combine the applications of the types of
22 advanced engine and catalyst technologies that
23 are or will be employed on gasoline-powered
24 passenger cars and light-duty trucks.

25 With regard to the proposal to extend

1 Bruce Bertelsen - MECA
2 the Tier 2 standards to vehicles up to 10,000
3 pounds in response to EPA's proposed Tier 2
4 standards, we discussed in considerable detail
5 our views on the technological approaches that
6 likely will be employed to meet those proposed
7 limits, and, consequently, I will not repeat that
8 discussion here other than to say that we believe
9 that the same type of strategies that will be
10 used for passenger cars and light trucks up to
11 8500 pounds can and will be applied to passenger
12 transport vehicles up to 10,000 pounds to help
13 them meet the proposed Tier 2 standards.

14 Even though designing systems for
15 transport vehicles in the 85 to 10,000 pound
16 weight class may pose additional engineering
17 challenges, we're optimistic that these
18 challenges can be met.

19 Again, we stress, however, that a
20 systems approach will be critical in meeting
21 these standards, including the availability of
22 low-sulfur gasoline and very low diesel -- very
23 low-sulfur diesel fuel.

24 With regard to the proposal as it
25 relates to OBD systems, we support EPA's

1 Bruce Bertelsen - MECA
2 proposal. OBD systems in light-duty vehicle
3 applications have proved to be an effective
4 method for maintaining effective emissions
5 control performance, and we expect that
6 similar-type benefits will be realized by
7 extending OBD requirements for all vehicles less
8 than 14,000 pounds.

9 With regard to the new certification
10 test procedures, we support the concept that EPA
11 has proposed of new certification test
12 procedures. While implementation of new
13 certification procedures and the associated
14 standards adds to the challenge of designing the
15 emission control systems, we also believe that
16 it's vitally important from an air quality
17 perspective that any certification test procedure
18 reflect real world operating conditions to the
19 maximum extent possible.

20 And we may have some specific
21 comments relating the details of the proposal
22 which we would provide in our written comments.

23 In closing, we commend EPA for its
24 continuing efforts to reduce emissions from
25 highway heavy-duty vehicles and engines. We are

1 Mike Carter - ARB
2 extremely optimistic that significant further
3 progress can be made to reduce emissions from
4 this category of motor vehicles.

5 As EPA moves forward to address the
6 issue of highway, heavy-duty-vehicle and engine
7 emissions and heavy-duty diesel fuel quality, we
8 look forward to working with EPA, the engine and
9 vehicle manufacturers, fuel producers and other
10 interested parties to find effective solutions to
11 address this air quality challenge.

12 Thank you very much.

13 MS. OGE: Thank you.

14 Mr. Carter. Good afternoon.

15 MR. CARTER: Good afternoon.

16 Good afternoon. My name is Mike
17 Carter with the California Air Resources Board.

18 Let me apologize for my voice. I
19 caught a cold two days ago, so I am battling with
20 that.

21 Having said that, it is still a
22 pleasure to be here and to provide comments on
23 behalf of CARB.

24 First, I would like to begin by
25 giving a brief overview of the California Air

1 Mike Carter - ARB
2 quality and recent activities. Then I will
3 provide comments on the specific elements of the
4 U.S. EPA proposal. And finally, I will summarize
5 the ARB's recommendations.

6 I should also note that we will also
7 be submitting formal written comments to the
8 docket that will provide a more detailed
9 description of our comments.

10 California is a state that enjoys
11 mild weather compared to the rest of the nation.
12 However, it is also plagued with some of the
13 worst air quality in the nation. Virtually all
14 of the major metropolitan areas in California are
15 still in non-compliance with national and state
16 air quality standards. In fact, over 90 percent
17 of Californians breathe unhealthy air.

18 Due to our clean air program,
19 significant strides have been made to improve the
20 air quality. For example, on a state-wide basis,
21 peak ozone levels have decreased on average by 49
22 percent from 1980 to 1997.

23 This decrease has occurred despite a
24 39 percent increase in vehicle population and a
25 70 percent decrease in vehicle miles traveled.

1 Mike Carter - ARB

2 This significant decline in ozone levels
3 demonstrates the overall success of our control
4 programs.

5 Despite these strides, however,
6 exceedences of air quality standards still
7 commonly occur. For example in 1998, 60 days
8 were recorded to give above the one-hour federal
9 ozone air quality standard in the South Coast Air
10 Basin. Additional emissions reductions are
11 needed in order to achieve attainment in both
12 national and state air quality standards.

13 Over 50 percent of emissions emitted
14 from man-made sources are from mobile sources.

15 These pie charts illustrate the
16 projected percentage of mobile source emissions
17 to each category of sources in the South Cost Air
18 Basin by 2010. As shown, the active organic
19 gasses and oxides of nitrogen emissions from
20 heavy-duty vehicles will be responsible for 6 and
21 43 percent, respectively, of the total mobile
22 resource inventory. In addition, heavy-duty
23 vehicles will contribute almost 70 percent of
24 on-road particulate matter emissions.

25 It is clear that in California,

1 Mike Carter - ARB

2 heavy-duty emissions are a major part of the
3 emissions inventory and additional reductions are
4 needed.

5 To highlight the additional need for
6 diesel emissions reductions, this chart shows the
7 diesel particulate matter in comparison to all
8 other toxins combined. While the risk in general
9 has decreased from both diesel and other toxics,
10 it is still significant with diesel accounting
11 for over 60 percent of the total risk.

12 These last two slides were also shown
13 at the Air Basin Technology Symposium Conference
14 in early October of last month. And at that
15 conference it was made very clear that ARB's
16 number one priority right now is to reduce diesel
17 exhaust emissions.

18 This slide shows some of the board's
19 recently adopted regulations of ongoing
20 activities to reduce emissions from mobile
21 sources.

22 In several of these projects, ARB has
23 worked closely with U.S. EPA staff to develop and
24 harmonize the requirements. To highlight some of
25 the key activities currently underway, ARB is

1 Mike Carter - ARB
2 implementing the call aware program to reduce
3 diesel emissions and for developing a proposal
4 for urban bus standards, and diesel particulate
5 matter risk management, and lower heavy-duty
6 diesel standards beyond the levels called for in
7 the statement's principles.

8 I would like to limit my comments
9 today on the NPRM to four specific items: the
10 heavy-duty Otto-cycle standards, the heavy-duty
11 diesel standards test procedures, the inclusion
12 of investigations over 8500 pounds gross vehicle
13 weight into the Tier 2 program, and the
14 implementation issues associated with these
15 issues.

16 First, ARB supports the proposed
17 standard of 1 gram per-brake-horsepower hour to
18 be implemented in 2004 for the heavy-duty Otto
19 cycle. It should be known that ARB's
20 consideration of reducing these standards is part
21 of a settlement agreement of a State
22 implementation plan lawsuit.

23 To comply with the proposed standard,
24 the advanced emission control technology and
25 light- and medium-duty Otto-cycle vehicles could

1 Mike Carter - ARB

2 be transferred into heavy-duty vehicles. We
3 expect the reductions from this transfer of
4 technology should be significant, since the
5 light-and medium-duty standards are more
6 stringent than the proposed heavy-duty standards.

7 As noted earlier, heavy-duty diesel
8 vehicles contributed a substantial portion of
9 oxides of nitrogen or particulate matter
10 emissions. ARB staff has worked closely with
11 U.S. EPA to develop and promulgate the 2004
12 heavy-duty diesel standards as well as the
13 off-cycle consent decree. Thus, these heavy-duty
14 diesel requirements for California are similar to
15 the federal ones.

16 The NPRM proposes to reaffirm the
17 heavy-release standard of 2-and-a-half grams
18 per-brake-horsepower hour of hydrocarbons plus
19 oxides of nitrogen for the 2004 model year.

20 This standard is feasible with the
21 availability of emission control technologies
22 that can reduce hydrocarbons and oxides of
23 nitrogen down to the compliance levels. This is
24 especially evident given the consent decree
25 requirements that this be implemented 15 months

1 Mike Carter - ARB

2 earlier in October of 2002.

3 Other elements proposed in the NPRM
4 also for heavy-duty diesel vehicles include the
5 addition of supplemental standards and test
6 procedures. And in addition, three elements are
7 are being considered for SIP for next year. And
8 my next two slides will comment on these items.

9 First, the additional standards and
10 test procedures will allow better control of
11 emissions for driving in the real world resulting
12 in realization of expected emissions reductions.
13 The current certification test has limitations,
14 and that does not fully represent the broad range
15 of driving emissions.

16 The addition of the state bureau free
17 test of certification would require control
18 emissions over a broader range of driving
19 conditions. Other proposed heavy-duty elements,
20 including the not-to-exceed limits are important
21 to ensure durability and no excess emissions.

22 These additional test requirements
23 proposed in the NPRM are the same as those in the
24 consent decree in the Agency and accepted by the
25 largest heavy-duty vehicle manufactures. Thus,

1

Mike Carter - ARB

2 California's Low-Emission Vehicle II rulemaking
3 but was not finalized. It would be appropriate
4 for these heavy-duty vehicles to be included in
5 the Tier 2 program because they are used
6 primarily as a personal transportation vehicle
7 and would discourage manufactures from
8 redesigning a light-duty truck to a heavy-duty
9 vehicle just so that it can be certified by a
10 significantly higher heavy-duty vehicle emissions
11 standard.

12 Thus, ARB supports this provision and
13 we pursue the adoption of the civil requirement
14 after a U.S. EPA final ruling.

15 We believe that the 2004 model year
16 for the implementation of the NPRM elements is a
17 technologically feasible date. We anticipate
18 that after the final rule, a similar California
19 rulemaking would be inconsistent in referencing
20 the CFR wherever possible will occur.

21 But I have to emphasize, however,
22 that the ARB is not constrained by the four-year
23 lead time to the promulgation and implementation
24 of the rulemaking. Thus, regardless of whether
25 there is a delay in the EPA rule, ARB does intend

1 Coralie Cooper - NESCAUM
2 to move forward and propose a 2004 implementation
3 date.

4 Again, more detailed comments of the
5 proposed elements will be submitted to the docket
6 at a later date. But in summary, ARB supports
7 the heavy-duty Otto-cycle standards in the 2004
8 model year, the heavy-duty diesel elements, and
9 the inclusion of the personal transportation
10 vehicles over the 8500 pounds gross vehicle
11 weight into the Tier 2 program.

12 While these proposed elements would
13 provide emissions reductions from heavy-duty
14 vehicles, additional strategies to reduce
15 heavy-duty diesel emissions should continue to be
16 considered.

17 In particular, we are currently
18 pursuing along with the U.S. EPA a lower
19 emissions standards beyond the 2004 standard
20 levels from an engine/fuel perspective.

21 Thank you for this opportunity to
22 comment.

23 MS. OGE: Thank you.

24 Ms. Coralie Cooper, good afternoon.

25 MS. COOPER: Good afternoon. My name

1 Coralie Cooper - NESCAUM
2 is Coralie Cooper, and I am a mobile source
3 candidate for the Northeast States Coordinated
4 Air Use Management, or NESCAUM.

5 NESCAUM is a multi-state organization
6 with eight member states -- six member states,
7 New York and New Jersey. NESCAUM provides
8 technical advice and policy guidance to its
9 members.

10 NESCAUM appreciates the opportunity
11 to provide testimony on EPA's proposal relating
12 to 2004 model year vehicles and engines and
13 proposed provisions of the light-duty truck
14 definition.

15 Reducing heavy-duty engine emissions
16 is a primary concern in Northeast states. These
17 engines are significant contributors to elevated
18 levels of ozone and fine particulate matter.
19 Together highway and on-road heavy-duty engines
20 are responsible for roughly 33 percent of all
21 nitrogen oxide or NOx emissions, and 75 percent
22 of motor-vehicle-related PM emissions in the
23 Northeast corridor.

24 The relative importance of a
25 heavy-duty engine sector is expected to increase

1 Coralie Cooper - NESCAUM
2 as the region implements further controls on
3 other sources of NOx emissions and as the
4 regulatory community refines its use in
5 heavy-duty emissions.

6 In the United States and in Europe,
7 development and active treatment of exhaust in
8 the use of low-sulfur diesel fuel have been shown
9 to enable emissions reductions by more than 90
10 percent in NOx PM and toxins in heavy-duty
11 engines.

12 EPA's proposal for regulating
13 heavy-duty engine vehicle emissions for the 2004
14 time frame is an important step to reduce a
15 heavy-duty engine emissions. When combined with
16 further standards in the 2007 time frame, end
17 reductions in diesel fuel and sulfur, the
18 proposal will substantially reduce heavy-duty
19 vehicle emissions.

20 Now, I would like to summarize the
21 NESCAUM comments, and NESCAUM will also submit
22 more detailed comments in writing later.

23 In terms of reaffirming the
24 technological feasibility of the 2004 or later
25 model year for heavy-duty diesel engines, again

1 Coralie Cooper - NESCAUM

2 it's NOx and PM, NESCAUM states support the
3 proposed NOx standard for heavy-duty diesel
4 engines.

5 This standard is technically and
6 economically feasible in the 2004 time frame
7 using currently available technology.

8 In terms of particulate emissions,
9 NESCAUM states that heavy-duty diesel engines can
10 either be illustrated by .5 gram-per-brake-
11 horsepower hour standard than that proposed,
12 which is the .1 gram-per-brake-horsepower hour
13 standard.

14 And we believe that the further
15 reductions could be achieved in a cost-effective
16 manner. I believe Bruce mentioned urban buses
17 are currently held to 2.5 grams-per-brake-
18 horsepower hour standard and others as well.
19 This is being met with the use of oxidation
20 catalysts.

21 Heavy-duty trucks and interstate
22 buses can also meet the same .05 standard with
23 the use of oxidation catalysts. Heavy-duty truck
24 PM standard has not changed since 1994, and over
25 13 years will pass between the last PM emissions

1 Coralie Cooper - NESCAUM

2 reduction and the next proposed reduction in
3 2007.

4 While the NESCAUM states believe that
5 more stringent PM standards are technologically
6 and economically feasible for 2004, we expect the
7 EPA proposal is leaving the .1 PM standard as is
8 for 2004 given that significant reduction down to
9 the .01 level are may be proposed in the 2007
10 range and will be implemented after 2007.

11 This will require development of
12 rulemaking on both diesel fuel sulfur and new
13 engine standards within the next year, we hope.

14 The NESCAUM states urge EPA to move
15 forward aggressively with this rulemaking and NOx
16 PM for the 2007 standards. Scientific
17 experiments or direct exposure to diesel PM is
18 met by deep public concern and frustration over
19 which diesel buses, trucks and heavy equipment,
20 as has been expressed, I think, today by a number
21 of people.

22 This coalescence of expert and public
23 opinion provides added impetus for timely efforts
24 to reduce PM and NOx pollution from heavy-duty
25 engines.

1 Coralie Cooper - NESCAUM

2 In terms of the heavy-duty gasoline
3 emissions standards, in it's proposal EPA invited
4 comments on the feasibility of proposed
5 heavy-duty gasoline engine standards. The
6 NESCAUM states concur with EPA that proposed
7 heavy-duty gasoline standards are appropriate for
8 several reasons: First, technical advances and
9 three-way catalyts now allow for durable and
10 effective emissions control at the high
11 temperatures which can occur when heavy-duty
12 gasoline engines are under full load.

13 Second, heavy-duty gasoline trucks
14 provide ample space for placement of catalyts,
15 thus reducing or eliminating installation issues
16 which can be associated with the installation of
17 three-way catalyts in the light-duty sector.

18 Third, the experienced gained with
19 the installation of millions three-way catalyts
20 over 25 years in light-duty vehicles would
21 facilitate a transfer of this technology from
22 light-duty to heavy-duty vehicles.

23 NESCAUM states strongly support EPA's
24 proposal to extend the proposed Tier 2 gasoline
25 standards to vehicles up to 10,000 pounds. More

1 Coralie Cooper - NESCAUM

2 and more heavy vehicles are sold each year as
3 passenger vehicles. These vehicles must be held
4 to proposed Tier 2 standards in order to keep
5 pace with increased submissions from these heavy
6 vehicles.

7 While technical challenges do exist,
8 the phase-in schedule that is allowed under the
9 proposal, the advances in three-way catalyst that
10 have been made and the larger space available in
11 these heavier truck wills facilitate a control of
12 emissions in trucks up to 10,000 pounds up to the
13 Tier 2 proposed standards.

14 The NESCAUM states strongly support
15 other aspects of EPA's proposal on heavy-duty
16 gasoline vehicles including the establishment of
17 heavy-duty chassis testing, onboard diagnostics
18 and new engine standards. These are important
19 steps which EPA should be commended on.

20 There are three specific elements of
21 the heavy-duty engine vehicle proposal which
22 happens to have been approved, which I would like
23 to mention. And these apply to both diesel and
24 gasoline vehicles.

25 The first is that there was a

1 Coralie Cooper - NESCAUM
2 manufacture-based used in-testing program which
3 has been removed for the time being; and the
4 second is an onboard diagnostic's program for
5 vehicles over 14,000; the third is an in-use
6 compliance for gasoline engines.

7 The NESCAUM states it strongly urges
8 EPA to develop rulemaking to address these issues
9 so that they will be implemented in the 2004
10 time frame as well as the new standards.

11 The in-use testing program, the
12 in-use compliance requirements and onboard
13 diagnostics will help ensure that emissions
14 reductions result in new engine and emissions
15 standards will be realized in use.

16 In summary, NESCAUM states support
17 EPA's proposal to reduce heavy-duty engine
18 vehicle emissions, which will span the next
19 decades. The current proposal provides NOx
20 reductions after 2004 for heavy-duty engines and
21 begins to lay the ground work for substantial PM
22 and future NOx reduction after 2007.

23 The completion of this effort will
24 depend on the establishment of lower diesel
25 sulfur fuel and in the year 2007 engine

1

2 standards.

3

4 We strongly urge the Agency to move
5 forward with these two initiatives in the time
6 frame laid out in this proposal, and we look
7 forward to working together with you in the
8 development of these rules.

8

9 MS. OGE: Thank you. Any questions
10 for the panel?

10

Chet?

11

12 MR. FRANCE: Just a few questions for
13 Mr. Charbonneau.

13

14 Pat, is my recollection is that
15 NAVISTAR did not have to comply with the
16 supplemental test.

16

17 MR. CHARBONNEAU: We provided to the
18 Agency that we did not believe that the
19 supplemental testing was possible under these
20 standards and provided information, although they
21 are not covered under that policy.

21

22 MR. FRANCE: I will follow that
23 question in a second.

23

24 How do you see -- what would you
25 recommend to the Agency on how can we attain the
26 not-to-exceed concept and implement it by 2004?

1

2 How do you see past that?

3 MR. CHARBONNEAU: To tell you the
4 truth, Chet, I don't know what the proper path of
5 that would be unless I think if there's 1.25 was
6 not-to-exceed, if it was something in the range
7 of 1.5 that would probably be reasonable.

8 But what I put in my comments, the
9 EURO III testing, using really the EURO III
10 procedures on top of the 2004 emissions standards
11 and using our transient tests provides a
12 tremendous amount of coverage on ensuring that we
13 are, in fact, truly going to have engines that
14 around 2 grams of NOx as we move into 2004.

15 MR. FRANCE: I understand.

16 Let me ask the question: You are
17 suggesting, and I don't want to put you on the
18 spot here but I would be interested in your
19 reaction. You are implying that those provisions
20 are unfeasible. What does that say to the
21 consent decree companies that are complying?

22 MR. CHARBONNEAU: Chet, all I can
23 tell you is we provided you input that says for
24 these types of standards, this was not feasible
25 to do. And provided the Agency information, I

1

2 really can't speak to what other the engine
3 manufacturers have or have not told you. But you
4 had a consistent message on that, and we provided
5 information for you.

6 MR. FRANCE: Okay. Thanks.

7 MS. OGE: Can I follow-up on this?

8 To the extent that the consent decree
9 companies will comply with the not-to-exceed
10 requirements in the 2004 time frame, would then
11 NAVISTAR, do you think, their position on the not
12 to exceed as far as the technological --

13 MR. CHARBONNEAU: Just to be very --

14 MS. OGE: Because what would be
15 happening at the point is that those companies
16 that have agreed to meet the not-to-exceed, would
17 produce very clean engines, cleaner than your
18 statistics of the 2004 standards.

19 My question is: Would then NAVISTAR
20 consider the technical feasibility?

21 MR. CHARBONNEAU: There is really --
22 there is two aspects to this: The aspect of the
23 2004 standard, my comments are that when you
24 apply the not-to-exceed limits to the 2004
25 standards, you make the standard more stringent.

1

2 And that is the clear fact you are attending to.

3

4 The things that are not clear are
5 with not-to-exceed limits, especially at the 25
6 percent level, the impact on things like
7 performance, the ability of the vehicle to do the
8 work it needs to do in conjunction with other
9 aspects of transient responses are questionable
10 in light of the 2004 -- basically the 2 gram NOx
11 standard.

12

13 So just to be perfectly clear, one is
14 the not-to-exceed does reduce the 2004 standard
15 lower than we had agreed to before, and the
16 not-to-exceed limits both have impact on the
17 things that have to do with low transient
18 response and economy, et cetera.

19

20 MS. OGE: Again, my question is: I
21 thought you talked about -- are talking about
22 visibility.

23

24 MR. CHARBONNEAU: Yes.

25

26 MS. OGE: And you did provide
27 comments to the Agency on this issue. We do have
28 a number of companies resulting in -- that have
29 agreed to proceed with those not-to-exceed
30 requirements. And they will be producing those

1

2 engines in 2002 time frame.

3 My question is: Would NAVISTAR at
4 that point --

5 MR. CHARBONNEAU: Margo, yeah, my
6 answer would be this --

7 MS. OGE: Consider the position,
8 technical visibility, that's all I'm asking.

9 MR. CHARBONNEAU: All of the
10 technologies are being utilized exactly the
11 same. It is technologically feasible to
12 accomplish it, and obviously NAVISTAR would
13 accomplish it using the same technologies.

14 MS. OGE: Thank you.

15 Chet, any other questions?

16 MR. FRANCE: One other question.

17 Pat, I am assuming -- this just dawned on me --
18 that the concept, maybe a way out of this is just
19 making sure that we have have a robust NCP
20 available for companies perhaps like NAVISTAR.

21 If there are other companies that are
22 not going to meet those requirements, then that
23 is what NCP's are supposed to accomplish. I
24 presume that would be another alternative?

25 MR. CHARBONNEAU: That's possible. I

1

2 will get back -- once again, I'll get back to the
3 responses.

4 Based on what we have done through
5 our testing, the standard is going to get much
6 tougher, and we believe that for 2004, it would
7 now become a technical challenge. What I am not
8 saying is that post-2004 is not the right thing
9 to do.

10 MS. OGE: I have a question for Mr.
11 Carter. Is ARB considering to address diesel
12 fuel?

13 MR. CARTER: That's a loaded
14 question.

15 MS. OGE: Okay.

16 MR. CARTER: Well, certainly for 2004
17 standards. We don't think that you need to do
18 anything necessarily with the fuel, but certainly
19 post 2004 we do. And certainly it would be
20 advantageous to California if the fuel sulfur
21 level was reduced on a national basis primarily
22 because of the traffic, interstate traffic.

23 But as far as whether we in
24 California would do something alone, I am not
25 prepared to respond to that right now. I'm not

1 Julie Becker - Citizen

2 sure, to tell you the truth.

3 MS. OGE: Thank you.

4 Anymore questions?

5 Thank you very much.

6 (Bernadette M. Black, RMR, was
7 excused from this proceeding and was relieved by
8 Lisa C. Bradley, RPR, at 2:15 p.m.)

9 MS. OGE: I would ask two individuals
10 that I guess -- one has been scheduled to testify
11 at 3:15 and the other one just expressed an
12 interest to testify. We would ask if both of
13 them would please step forward, Ms. Julie Becker
14 and Ms. Gina Porreco.

15 MS. OGE: Ms. Becker, good afternoon.

16 MS. BECKER: Good afternoon.

17 MS. OGE: Speak to the close to the
18 microphone, please.

19 MS. BECKER: Good afternoon. My name is
20 Julie Becker. I'm a public health professional who
21 works with community groups throughout the Delaware
22 Valley. We are a coalition of organizations
23 dedicated to increasing awareness and directing
24 action that reduce toxic risks to women and
25 children's health from environmental contaminants.

1 Julie Becker - WHEN

2 I appreciate the opportunity to testify at this
3 hearing on behalf of our coalition members and
4 community groups.

5 I'd like to focus attention today upon
6 the relationship between smog and health issues,
7 specifically, asthma. The number of asthma
8 sufferers has more than doubled since 1980 to more
9 than 15 million individuals. Currently, almost 10
10 percent of America's children under the age of 18 is
11 sickened with this common and costly disease. It
12 takes a disproportionate toll upon African-Americans
13 and Hispanics, primarily in urban areas. It is
14 estimated that asthma accounts for more than half a
15 million hospitalizations per year, the cost of more
16 than \$15 billion. Smog may account for nearly 6
17 billion asthma attacks per year that require
18 approximately 150,000 emergency room visits at a
19 cost of \$4.5 billion.

20 One of the greatest contributors to smog
21 comes from cars and trucks, an increase in sales of
22 the largest SUVs, coupled with an increased
23 emissions from these vehicles which are
24 approximately three to five times more polluting
25 than a regular car suggests that these vehicles are

1 Jina Porreco - Clean Air Network

2 contributing more than their fair share to the smog
3 problem.

4 In order to begin to mitigate the health
5 risks to women and their families, WHEN would like
6 to encourage EPA to adopt the following: Reduce car
7 emissions and particulate matters from diesel
8 engines by 90 percent by 2007, reduce the sulfur
9 levels in diesel fuels, and to require in-use and
10 on-board diagnostic equipment in all heavy-duty
11 trucks by 2004.

12 Potential costs for asthma-related
13 illnesses will only increase unless we begin to
14 adopt preventative measures. The most vulnerable of
15 our population are the children who continue to
16 confront the chronic disease head-on unless we put
17 into place stronger standards.

18 The most stringent standards are another
19 way to begin this process and must be adopted in
20 order to lessen the health effects of smog on
21 Americans. Thank you.

22 MS. OGE: Thank you.

23 Ms. Jina Porreco. Good afternoon.

24 MS. PORRECO: Good afternoon. My name
25 is Jina Porreco with the Clean Air Network. I'm

1 Jina Porreco - Clean Air Network
2 here on behalf of 51 citizens, environmental and
3 public health groups from across the country that
4 couldn't be here today. Thank you for providing us
5 an opportunity to voice our concerns about the need
6 to reduce air pollution from trucks, buses, and
7 support utility vehicles.

8 Air pollution is a major threat to
9 public health in the US. One in three Americans
10 live in areas that do not meet EPA's public health
11 standards for air quality. Millions more live in
12 areas that exceed acceptable toxic risks. Those
13 more sensitive to the harmful effects of air
14 pollution make up a large portion of the general
15 population, children, the elderly, people with heart
16 and lung disease and the poor. Nationwide, air
17 pollutions sends more than 150,000 Americans to
18 emergency rooms each year and causes more than
19 6 million asthma attacks. Even worse, particulate
20 air pollution is responsible for cutting short lives
21 of more than 40,000 Americans each year. In at
22 least a handful of cities, up to 60 percent of fine
23 particle pollution continue to be diesel exhaust.
24 In addition to causing respiratory harm, it is also
25 a significant source of air toxics that can cause

1 Jina Porreco - Clean Air Network

2 cancer. EPA has found emission from cars trucks and
3 buses account for the bulk of cancer-causing
4 pollution.

5 Despite the widespread health threats
6 associated with chronic exposure to diesel
7 pollution, we still encounter diesel buses,
8 18-wheelers, and trucks belching thick black smoke.
9 The fact that such visible sources of air pollution
10 are still uncontrolled illustrates EPA's great
11 failures for the past three decades. In fact, our
12 current diesel truck standards are lower than car
13 standards of the mid-1970s.

14 As we enter the 21st century, we need a
15 infrastructure that is clean, efficient, and doesn't
16 pose a health threat. Technologies are available
17 today that can significantly curb diesel emissions
18 from trucks and buses. It is time that the
19 manufactures are required to improve the diesel
20 engines, much like car manufacturers had to do over
21 the past three decades.

22 And while shining up the new fleet of
23 diesel engines are clean, EPA must equally commit to
24 cleaning up the existing fleet of diesel trucks and
25 buses.

1 Jina Porreco - Clean Air Network

2 We are very pleased that EPA has finally
3 taken steps to reduce air pollution from trucks,
4 buses, and SUVs. We're particularly pleased with
5 EPA's decision to close the loophole in Tier 2 that
6 allows SUVs to emit up to five times more pollution
7 than a car. We are also encouraged with EPA's
8 proposal to set tough standards on trucks, buses,
9 and diesel fuel.

10 However, we're concerned the time we are
11 facing a stricter engine emissions standards and
12 clean diesel fuel is unnecessarily long, thereby
13 delaying any health benefits for nearly a decade.

14 Furthermore, we are concerned that EPA's
15 Phase 2 may not adequately ensure that trucks comply
16 with the standards over their lifetimes.

17 Specifically, we urge EPA to consider
18 the following five points to strengthen the
19 heavy-duty program:

20 Point 1, accelerate the time line for
21 posing gas and diesel fuel. Under the Tier 2 auto
22 pollution program, all cars and smaller SUVs will be
23 required to meet clean car standards by 2007.
24 There's no technological need to give automakers
25 another two years to clean up the largest and

1 Jina Porreco - Clean Air Network

2 dirtiest SUVs. All passenger vehicles should meet
3 clean car standards 2007.

4 Number 2, tighten the heavy-duty
5 particulate standards by 2004. Emission catalysts
6 are available today that can reduce the particulate
7 pollution by 50 percent. Urban buses are already
8 required to meet the tougher particulate standard.
9 For these reason, in the interim, all buses and
10 trucks should be healthier standards of .5 grams per
11 brake horsepower hour by 2004. Current particulate
12 reduction should then be phased in by 2007. That
13 would result in an additional 90 percent reduction
14 by the 2004 standards.

15 Number 3, clean up diesel fuel for on-
16 and off-road engines, as we feel the Tier 2 proposal
17 significant added emission reduction benefits can be
18 achieved if gasoline cars are brought into
19 low-sulfur fuel. The same is true for the diesel
20 engine. Rather than waiting until 2007 to clean up
21 diesel fuel, EPA should favor lower sulfur diesel
22 fuel between 2004 and 2007 and cap diesel sulfur at
23 no more than 10 parts per million by 2007.
24 Low-sulfur diesel is the only strategy for curbing
25 diesel exhaust in existing trucks and buses. By not

1 Jina Porreco - Clean Air Network

2 putting in low-sulfur diesel before 2007, the
3 existing fleet will remain largely uncontrolled for
4 nearly another decade. Low-sulfur diesel fuel
5 should be also be required for off-road diesel
6 fleet. According to EPA's own estimates, off-road
7 diesel vehicles, like construction equipment,
8 account for 23 percent of all NOx pollution and 15
9 percent of VOC pollution nationwide. The off-road
10 fleet is nearly 15 times more polluting than on-road
11 engines, which account for 10 percent of NOx
12 emissions and 1 percent of VOC emissions. We are
13 alarmed to learn that EPA tends to exclude engines
14 from the clean sulfur requirement. This would be a
15 serious and negligent shortcoming of the diesel
16 strategy.

17 Point number 4, adopt strong standards
18 for 2007. EPA should set two-thirds standard at
19 least as strict as .01 grams per brake horsepower
20 hour and NOx standard of .2 grams per brake
21 horsepower hour by 2007. These low emission levels
22 could be enough with low-sulfur diesel fuel.

23 And finally, point 5, ensure that trucks
24 stay clean once they are on the road. Diesel
25 engines travel hundreds of thousands of miles over

1 Jina Porreco - Clean Air Network
2 their lifetimes. Tests performed on an engine
3 before it leaves the plant often do not reflect
4 on-road emissions caused by engines. For this
5 reason, a car owners in cities throughout the
6 country were required for over a decade to have
7 their emissions checked to ensure they are meeting
8 allowable pollution levels. And new cars are
9 equipped with on-board diagnostic equipment. The
10 same safeguards should be in place for large trucks.
11 In order to ensure that clean trucks stay clean,
12 in-use testing and on- board diagnostic equipment
13 should be required for all heavy-duty trucks, both
14 gasoline and diesels.

15 Thank you again for providing us an
16 opportunity to voice our support and concerns about
17 your proposed heavy-duty engine program. While we
18 feel this is an important first step, we urge you to
19 consider our recommendations for improving the
20 effectiveness of your program.

21 Finally, we can't stress enough the
22 importance of your finalizing the heavy-duty program
23 before the end of 2000. Thank you.

24 MS. OGE: Thank you. Any questions?

25 (No response.)

1 Angie Farleigh - US PIRG

2 MS. OGE: Thank you very much.

3 I'd like to call the next panel. Ms.
4 Angie Farleigh, Ms. Emily Bertram, Mr. John Duerr,
5 Mr. Kevin Stewart, and Mr. Alan Schaeffer. Please
6 print your names on the cards in front of you.

7 Ms. Farleigh, we will start with you.
8 Good afternoon.

9 MS. FARLEIGH: Good afternoon. My name
10 is Angie Farleigh, and I'm a clean air activist for
11 the U.S. Public Interest Research Group. US PIRG is
12 the national lobby often for the state PIRGs,
13 consumer and environmental group representing
14 citizens in over 40 states across the country.

15 I greatly appreciate the opportunity to
16 talk about the need to reduce air pollution from
17 heavy-duty vehicles, especially the large passenger
18 SUVs.

19 Across the country, air pollution is
20 taking an enormous toll on public health.
21 Nationwide air pollution sends more than a 150,000
22 Americans to emergency rooms each year and causes
23 more than 6 million asthma attacks. During the
24 summer smog season air pollution causes an asthma
25 attack once every three seconds. Even worse,

1 Angie Farleigh - US PIRG

2 last summer in support of tougher emission standards
3 for passenger vehicles and to close the SUV loophole
4 that allowed SUVs to emit three to five times more
5 pollution than a passenger car. We are, therefore,
6 pleased with EPA's proposal to hold the largest
7 passenger SUVs to the same tough Tier 2 standards as
8 other passenger vehicles. We also agree with your
9 goal to set tough standards on heavy-duty vehicles
10 and fuels that power them, as well as to require
11 strict tests to ensure compliance with the standard.

12 However, we are extremely concerned that
13 the proposal is phased in over an unnecessarily long
14 period of time resulting in delayed health benefits
15 and that the proposal may not adequately ensure that
16 the heavy-duty trucks comply with the standards
17 throughout their useful life. Specifically, I will
18 highlight five changes that should be made to
19 strengthen the heavy-duty program.

20 First, the heavy-duty particulate
21 standard must be tightened by 2004. And as Mr.
22 Bertelsen testified earlier, MECA has shown that the
23 technology is already available to cut particulate
24 pollution from heavy-duty trucks to .05 grams per
25 horsepower hour by using existing oxidation

1 Angie Farleigh - US PIRG

2 catalysts. Yet the current proposal will have the
3 public wait until at least 2007 before any
4 reductions in PM from heavy-duty trucks would occur.
5 This delay will contribute to the premature deaths
6 of thousands of Americans.

7 Secondly, the time line for closing the
8 SUV loophole must be accelerated. Under the Tier 2
9 program, all cars and small SUVs would be required
10 to fully meet new car standards by 2007. The
11 largest and dirtiest vehicles should not have an
12 extra two years before they must fully comply with
13 EPA standards. All passenger vehicles, regardless
14 of size, should meet clean car standards by 2007.

15 Third, EPA must adopt strong standards
16 by 2007. Pollution from heavy-duty vehicles is an
17 urgent problem and must be addressed as soon as
18 possible. There are several public studies that
19 show that by using various combinations of existing
20 technologies, manufacturers can reduction NOx
21 emissions to below the standards without an increase
22 in particulate matter. The EPA must forge ahead as
23 the agency announced in its second phase strategy
24 and adopt additional standards in 2007 that would
25 require a 90 percent reduction beyond the 2004

1 Kevin Stewart - ALAPA
2 standards of both PM and nitrogen oxides.

3 Also, in order to achieve necessary
4 pollution reductions, the EPA must clean up diesel
5 fuel. Pollution control systems can be truly
6 effective only when they are coupled with low-sulfur
7 fuels. In fact, current sulfur levels in diesel are
8 so high, they actually prevent the use of most of
9 the advanced pollution control technologies we have.

10 In order to ensure that diesel pollution
11 equipment is effective, all diesel fuel sulfur
12 levels for both on- and off-road diesel fuels should
13 be capped at 10 parts per million sulfur by 2006 or
14 before the 2000 standards go into effect.

15 Finally, the EPA must ensure that the
16 trucks stay clean once they're on the road by
17 requiring in-use testing and on-board diagnostics
18 equipment from all heavy-duty trucks, both gasoline
19 and diesels.

20 Once again, I thank you for allowing me
21 to speak on this.

22 MS. OGE: Thank you.

23 Mr. Stewart, good afternoon.

24 MR. STEWART: Good afternoon. The
25 American Lung Association of Pennsylvania, ALAPA,

1 Kevin Stewart - ALAPA
2 appreciates the opportunity to present comments to
3 the EPA concerning the proposed rule. My name is
4 Kevin Stewart. I hold a Bachelor of Science Degree
5 in chemical engineering from Princeton University,
6 and as part of my duties I serve ALAPA as
7 environmental specialist.

8 I'm here today not only to represent the
9 Lung Association, but the interest of everyone who
10 breathes outdoor air. In fact, I'm here primarily
11 to help represent the interest of more than 30
12 million Americans who struggle with chronic lung
13 disease, and of the one-and-a-third million or some
14 Pennsylvanians who do. These are people most at
15 risk for health problems precipitated by air
16 pollution. Indeed, many of them are people who
17 simply cannot depend on outdoor air quality without
18 risking an unplanned trip to the hospital because of
19 the effects of air pollution.

20 ALAPA was founded 107 years ago to
21 combat tuberculosis, and we are now dedicated to the
22 prevention of lung disease and the promotion of lung
23 health. ALAPA commends EPA for issuing a good
24 proposal; nonetheless, it can be strengthened in
25 several ways. Ozone smog continues to be frequently

1 Kevin Stewart - ALAPA

2 recorded at levels that are hazardous to health.
3 Not only are more stringent vehicle and fuel
4 standards a necessary part of the solution
5 preventing thousands of cases of death and disease,
6 but cost-effective technology soon will be
7 available, and in some cases, already is available,
8 to meet such standards. It is on this basis that
9 ALAPA calls for the adoption and expeditious
10 implementation of strong national standards for
11 emissions from heavy-duty vehicles and for the fuel
12 that is used to operate them. We also call on EPA
13 to make sure that these vehicles comply with those
14 emission standards for as long as the vehicles
15 remain in use.

16 While I've deferred today to other
17 representatives of American Lung Association who
18 have submitted to the docket more detailed comments
19 on the proposed rule, I will make several brief
20 comments on the rule itself. But before that, I
21 will strive to show you what the presence of these
22 pollutants in the air we breathe means to the people
23 of Pennsylvania.

24 Despite what progress we've made over
25 the last 30 years, air pollution continues to be a

1 Kevin Stewart - ALAPA

2 very real and very serious problem. Pennsylvania
3 experiences dozens of days every year during which
4 unhealthful ozone levels are record. My hometown
5 of Lancaster, for example, experienced 25 days of
6 unhealthful ozone this year and is now in violation
7 of even the rather weak one-hour standard. Motor
8 vehicles, along with the entire network that
9 supports their use, are significant sources of air
10 pollution ranging from ozone precursors to
11 particulate matter to air toxics. And lest we lose
12 sight of the fact, air pollution constitutes a real
13 problem. It causes real suffering and even death to
14 real people. Four groups are at special risk:
15 infants and pre-adolescence children, the elderly,
16 persons with asthma, and those with COPD, chronic
17 obstructive pulmonary disease, chronic bronchitis,
18 and emphysema.

19 In Pennsylvania, the populations of
20 those at risk from ozone and particulate air
21 pollution include two million children at or below
22 the age of 13 and 1.7 million people aged 65 or
23 above. Furthermore, ALAPA reiterates today that
24 about 11 percent, 1 in 9, of the Commonwealth's
25 citizens suffer from 1 or more major chronic lung

1 Kevin Stewart - ALAPA

2 diseases and are particularly at risk from air
3 pollution. Among them are the more than 700,000
4 individuals who suffer from COPD. And in addition,
5 recent estimates show that some 800,000 citizens of
6 this state has asthma. About 30 percent of these
7 people are under 18, for whom asthma is the
8 number-one for hospitalization due to chronic
9 illness. It is also the number-one cause of school
10 absences attributed to chronic conditions, leading
11 to an average of a week and a half of school missed
12 annually by each student who has asthma. Even more
13 alarming, deaths from asthma have been climbing
14 steeply, increasing by 117 percent nationwide, from
15 2,598 in 1979 to 5,637 in 1995, with the increase
16 focusing among children and the elderly.

17 In Pennsylvania alone, studies show,
18 ambient air pollution is responsible for hundreds of
19 thousands of days with acute respiratory symptoms
20 and/or restricted activity for tens of thousands of
21 asthma symptoms days, for thousands of emergency
22 room visits for respiratory problems and thousands
23 of excess hospital admissions for respiratory
24 diagnoses such as asthma, pneumonia, and COPD. And
25 finally, air pollution from vehicles alone is also

1 Kevin Stewart - ALAPA
2 responsible for hundreds of premature deaths in the
3 Commonwealth every year.

4 As for my comments on the proposed rule
5 itself, we at ALAPA have several concerns and think
6 that the proposals can be strengthened in the
7 following ways:

8 One, given the fact that the technology
9 necessary for the largest support utility vehicles
10 to meet the proposed standards is already available,
11 within EPA's estimated cost range, and with the
12 added benefit of significant reductions in emissions
13 of air toxics, it is ALAPA's opinion that there is
14 no reasons to delay implementation of the standards
15 relative to those already set out for lighter SUVs
16 in the Tier 2 proposal. Eight years, by 2007, is
17 more than enough time to implement the new
18 standards.

19 The heavy-duty fine particulate emission
20 standard should be tightened at least 50 percent by
21 2004 rather than having the public wait until at
22 least 2007 for any reductions with the concomitant
23 illness and mortality.

24 Number 3, furthermore, under its
25 proposed anticipated Phase 2 strategy, EPA should

1 Kevin Stewart - ALAPA

2 set a nitrogen dioxide emission standard stricter
3 than 0.2 grams per brake horsepower hour and a
4 particulate matter emission stand stricter than 0.01
5 grams per brake horsepower hour, and should proceed
6 to adopt these standards under an accelerated
7 schedule, preferably by 2004, with the paired
8 requirements that the best available control
9 technology be used, and that low-sulfur diesel fuel,
10 removing at least 90 percent of sulfur, preferably
11 more, be put into place.

12 Number 4, there should be no sense to
13 continue to allow sulfur levels in fuel to be as
14 high as 500 parts per million when we know that such
15 fuel wastes much of the investment spent on the
16 cleaner burning technologies. We must work harder
17 to get the highest sulfur fuels out of the market
18 sooner.

19 Five, finally, EPA must take steps to
20 ensure that in-use emissions from all heavy-duty
21 vehicles, both gasoline and diesel, both highway and
22 non-highway, actually meet the standards. The past
23 behavior of some engine manufacturers
24 notwithstanding, this is not a game. In-use testing
25 and on-board diagnostics should also be required.

1 Emily Bertram - NET

2 In conclusion, we know that ozone and
3 particulate air pollution in Pennsylvania, much of
4 it from vehicle emissions, adversely affects the
5 health of substantial numbers, indeed millions of
6 our citizens. And we know that those adverse health
7 effects are substantial, resulting in thousands of
8 hospital admissions, emergency room visits, and even
9 deaths, with further costs of hundreds of thousands
10 of disrupted lives and hundreds of millions, perhaps
11 billions, of dollars. It is now clearly our
12 national task to attain and maintain helpful air
13 quality. The only way we can begin to do that is to
14 recognize the full reality of air pollution problems
15 and to face them unflinchingly.

16 There's one thought I'd like to leave
17 you with, one to remind of. It's that air pollution
18 not simply an inconvenience. Being unable to catch
19 your breath is not an inconvenience. Trips to the
20 emergency room, hospitalization, and deaths are not
21 inconveniences. Remember, it's a health issue.

22 MS. OGE: Thank you.

23 Ms. Emily Bertram, good afternoon.

24 MS. BERTRAM: Good afternoon. My name
25 is Emily Bertram, and I am the Delaware field

1 Emily Bertram - NET
2 organizer for National Environmental Trust.
3 National Environmental Trust is non-profit,
4 non-partisan organization dedicated to educating the
5 American public on contemporary environmental
6 issues. Since it was founded in 1995, National
7 Environmental Trust has worked to promote strong
8 health, safety, and environmental protections on
9 issues including food, air, drinking water safety,
10 global climate change, and public right-to-know
11 policies.

12 As the Delaware field organizer, I spend
13 a great deal of time interacting with different
14 communities throughout the state, particularly the
15 cities of Wilmington and Newark. I have particular
16 concern for the well-being of Delawareans and the
17 preservation of the surrounding natural environment.
18 Thank you for giving me the opportunity to voice my
19 concerns about the need to reduce air pollution from
20 heavy-duty vehicles.

21 In the state of Delaware, air pollution
22 has taken an enormous toll on human health. In a
23 mid-season report released in August 1999, ozone
24 monitors in Delaware reported 54 exceedences of the
25 eight-hour ozone health standard and a total of 12

1 Emily Bertram - NET
2 days of unhealthy air. For example, the peak ozone
3 level at Lums Pond, a recreational area in New
4 Castle County, Delaware, was 119 parts per billion,
5 a full 33 percent higher than the health standard.
6 Peak ozone levels in the beach communities this
7 summer were recorded at 104 parts per billion, while
8 ozone levels in Wilmington, Delaware's largest city,
9 were recorded at 98 parts per billion.

10 Heavy-duty diesel trucks and buses, as
11 well as large SUVs, are among the biggest
12 contributors to smog in Delaware. Delaware serves
13 as a thruway for traffic traveling between the New
14 York-Philadelphia and Baltimore-Washington
15 metropolitan areas. Unfortunately, pollution from
16 all the trucks, buses, and large SUVs on such
17 highways as I-95 tends to be transported through the
18 atmosphere and accumulates over the State of
19 Delaware. Beach traffic in the southern part of the
20 state also contributes to an overall increase in
21 pollution levels in the summer months.

22 High pollution levels pose a serious
23 health threat to Delawareans. Children, the
24 elderly, and the asthmatics are particularly
25 vulnerable to smog. According to a recent study,

1 Emily Bertram - NET
2 smog sends 210 Delawareans to the hospital and
3 causes 25,000 asthma attacks in Delaware each
4 summer. Nationwide, asthma rates among children are
5 up 75 percent since 1980, with 4.6 million children
6 suffering from asthma. Smog is responsible for up
7 to 10 percent of all hospital admissions during the
8 summer months.

9 The Delaware field office of National
10 Environmental Trust applauds EPA for their proposal
11 to clean up the nation's largest and dirtiest
12 vehicles. However, we would encourage EPA to
13 consider the following changes in order to
14 strengthen the heavy-duty program:

15 First, accelerate the time line for
16 closing the SUV loophole. Under the Tier 2 auto
17 pollution program, all cars and smaller SUVs will be
18 required to meet clean car standards by 2007.

19 However, under the heavy-duty vehicle proposal,
20 automakers would have until 2009 to clean up larger
21 SUVs. All passenger vehicles, no matter what their
22 size, should meet clean car standards by 2007.

23 Second, tighten the heavy-duty
24 particulate standard at least 50 percent by 2004.
25 The current proposal would have the public wait

1 Emily Bertram - NET
2 until at least 2007 before any reductions in
3 particulate pollution from heavy-duty trucks would
4 occur. This delay will contribute to the premature
5 deaths of thousands of Americans.

6 Third, adopt stronger standards for
7 2007. Pollution from heavy-duty vehicles is an
8 urgent problem that must be addressed as soon as
9 possible. By 2007, smog-forming pollution and
10 particulate pollution from heavy-duty vehicles
11 should be lowered by 90 percent beyond 2004
12 standards.

13 Fourth, clean up diesel fuel. Pollution
14 control systems can be truly effective only when
15 they are coupled with low-sulfur fuels. To ensure
16 that diesel pollution equipment is effective, all
17 diesel fuel sulfur levels in both on-road and
18 off-road diesel fuels should be capped at 10 parts
19 per million sulfur by 2008.

20 Finally, ensure that the trucks stay
21 clean once they are on the road. Lab tests rarely
22 reflect the true on-road emissions. To ensure that
23 clean trucks stay clean, in-use testing and on-board
24 diagnostic equipment should be required for all
25 heavy-duty trucks, both gasoline and diesel.

1 John Duerr - Detroit Diesel
2 for public review on October 7th when it was posted
3 on the EPA web site. Since then, we have been
4 trying to review and digest nearly 600 pages of
5 regulatory documents. This has not been an easy
6 task. The proposed rule contains a number of very
7 complex and interrelated provisions that greatly
8 modify the existing regulatory program for
9 heavy-duty engines. A number of the changes were
10 incorporated in the proposed rule at the last minute
11 and were not previously discussed with industry.
12 The impacts of these changes are potentially
13 far-reaching and difficult to evaluate. Further
14 complicating our assessment of the proposed rule is
15 the fact that the rule contains drafting errors,
16 inconsistencies, and entire sections that lacks
17 clarity.

18 DDC has three primary concerns with the
19 current state of the rulemaking. First of all, the
20 lack of adequate time for review and the
21 inconsistencies in the rule leave us unclear about
22 several of the provisions and the requirements we
23 will need to meet under the proposed rule.

24 Secondly, certain requirements, as we
25 understand them, may in fact lead to a greater level

1 John Duerr - Detroit Diesel

2 of stringency than we had previously understood.

3 Furthermore, certain test requirements,
4 while not necessarily adding stringency, add
5 substantial cost with little or no emission benefit.

6 Finally, EPA has not provided any data
7 or analysis that addresses the question of whether
8 the 2004 standards are feasible with current levels
9 of fuel sulfur while also meeting the extended
10 useful life and supplemental test requirements. The
11 lack of information on this critical issue puts us
12 in an environment of making important decisions
13 regarding feasibility without adequate information.

14 To help in clarifying the point about
15 the lack of clarity in the proposed rule, let me
16 provide a couple of examples which may seem small
17 and detailed, but are actually critical to our
18 understanding the requirements of this rule.

19 Consider the equation in Paragraph
20 (e)(5) of Section 86.1360-2004 as shown here. This
21 equation is to be used to compute the weighted
22 average emissions for each regulated gaseous
23 emissions over the proposed supplemental
24 steady-state emission test. Leaving aside the fact
25 that this equation will always return a value of

1 John Duerr - Detroit Diesel
2 infinity, and thus is obviously incorrect, we note
3 that the factor $A(wm)$ used in this equation is
4 identified as weighted mass emission level as
5 defined in existing Section 86.1342. $A(wm)$ as it is
6 defined in 86.1342 is the weighted brake specific
7 mass emissions from the cold/hot transient federal
8 test cycle. Clearly, this is not an appropriate
9 value for inclusion in computing emissions from the
10 steady-state test. We also note that even though a
11 particulate standard is proposed for the
12 supplemental steady-state test, this section fails
13 to describe how the weighted particulate emissions
14 are to be computed.

15 A second example concerns Section
16 86.1008-90 which states that engines chosen for
17 Selective Enforcement Audit testing are to be tested
18 on the Federal Test Procedure described in Subpart
19 N. The proposed rule adds several new supplementary
20 test procedures to Subpart N. It is not clear if
21 EPA intends to require that these new supplementary
22 tests be run as part of any Selective Enforcement
23 Audit. And if these supplementary tests are
24 required to be run, EPA has not specified the
25 ambient conditions and other test protocols to be

1 John Duerr - Detroit Diesel
2 used when these supplemental tests are run as part
3 of an audit. Further, there is no definition of how
4 compliance with the newly proposed not-to-exceed and
5 maximum allowable emission limits will be determined
6 and how overall audit pass/fail decisions will be
7 made. Without a clear understanding of how
8 Selective Enforcement Audits will be conducted and
9 judged, DDC cannot provide constructive comments nor
10 can we as a company determine the impact of our
11 products, and the feasibility of meeting the
12 agency's expectations.

13 While these examples may seem to address
14 fine technical points of the regulation, they are,
15 in fact, important issues that may have substantial
16 impact on our products and the stringency,
17 feasibility, and cost-effectiveness of the rule.
18 Furthermore, these examples are not isolated, but
19 are representative of a great many cases where the
20 proposed rules are incomplete or unclear. Because
21 of the lack of clarity in the proposed regulations,
22 we are having difficulty in understanding the
23 agency's intent and thus are unable to comment
24 meaningfully and constructively on the proposal.
25 Indeed, unless steps are taken to redraft the

1 John Duerr - Detroit Diesel
2 proposal so that the agency's intent is made
3 sufficiently clear to allow interested parties to
4 understand the proposal and provide meaningful
5 comments, we believe the fundamental principles of
6 due process will have been shortchanged. We know
7 that EPA and the industry share a common interest in
8 ensuring that the regulations that are finally
9 promulgated are clear, correct, and unambiguous. To
10 ensure that the public process is not shortchanged
11 and that the final rule is free of uncertainty and
12 inconsistency, we believe EPA must extend the
13 comment period by at least 60 days and work closely
14 with the various stakeholders during this period.
15 These regulations will be in effect for several
16 years. Surely, there is no reason not to take the
17 time to make certain this rule is the best we can
18 make.

19 While many of the details of the
20 proposed rule are unclear, it is clear that EPA
21 intends to impose several new testing requirements
22 and associated emission limits. These include a
23 supplementary steady-state emission test, maximum
24 allowable emission limits, not-to-exceed emission
25 limits, and load response testing. These additional

1 John Duerr - Detroit Diesel

2 requirements will add considerably to the cost of
3 engine development and certification and will extend
4 the time needed to bring new low emission technology
5 to market. Collectively, they constitute a belt and
6 suspenders example of regulatory overkill. To
7 reduce redundancy and improve the overall
8 cost-effectiveness of the proposed rule, we believe
9 that, at a minimum, the maximum allowable emission
10 limit and load response test requirements should be
11 eliminated and that the not-to-exceed provisions
12 should be greatly simplified.

13 In conclusion, DDC requests additional
14 time to provide constructive and complete input
15 based on a clear understanding of the proposed
16 requirements. We request that the agency carefully
17 review the necessity of all the proposed additional
18 testing requirements in light of the marginal
19 emission benefits of these provisions.

20 Finally, we believe additional data
21 gathering and information development is needed
22 before it can be determined that the 2004 emission
23 standards remain feasible when combined with
24 extended useful life and supplemental test
25 requirements and without any improvements in diesel

1 Alan Schaeffer - American Trucking Association
2 fuel quality.

3 Detroit Diesel is continuing to review
4 and study the proposal. We anticipate providing
5 comments on as many of the critical issues as
6 possible within the allowed comment period. If DDC
7 concludes that the proposed rule increases
8 stringency beyond the level that we have agreed to
9 meet in October 2002 as result of our agreement,
10 then DDC will object to this rule.

11 Thank you.

12 MS. OGE: Thank you.

13 Mr. Alan Schaeffer. Good afternoon.

14 MR. SCHAEFFER: Thank you. Good
15 afternoon. My name is Alan Schaeffer and I'm vice
16 president of highway environmental policies for the
17 American Trucking Association located in Alexander,
18 Virginia. Thanks for the opportunity to appear here
19 today on the important issue of diesel engine
20 emission standards. Just as a matter of record, ATA
21 is a national trade association representing
22 America's trucking industry. We represent over
23 3,000 members directly of all types and sizes of
24 trucking companies throughout America. Within our
25 federation of state affiliates, collectively that

1 Alan Schaeffer - American Trucking Association
2 numbers jumps to 35,000 trucking companies
3 nationwide.

4 I'm here today on behalf of the users of
5 heavy-duty diesel trucks. Most of our members
6 operate vehicles over 8500 pounds, and most of those
7 are over 26,000 pounds in weight.

8 The trucking industry does the work that
9 all of us in the economy demand, and everything you
10 see here today and brought with you today, that you
11 ate today, that you're wearing today, was brought to
12 you by a truck. And because of that, our industry
13 demands the most cost effective, fuel efficient, and
14 lowest polluting technology available, and we
15 believe that the engine manufacturers are delivering
16 that technology.

17 Also, as matter of record, the trucking
18 industry has a long record of responsibility
19 supporting clean air standards. Let me highlight a
20 few of those. We supported the change to lower
21 sulfur diesel fuel back in 1993. We support limits
22 on discretionary items. We support vehicle smoke
23 emissions inspection programs at the state level.
24 And we are here today to offer our support for the
25 2004 lower engine standards. We have been involved

1 Alan Schaeffer - American Trucking Association
2 in the 1996 standard proposal and joined EPA at the
3 press conference in Chicago, along with the engine
4 manufacturers, to endorse more stringent lower
5 emission standards in 2004, knowing full well that
6 may increase the cost of the trucking industry.
7 However, we felt that that was the responsible thing
8 to do for the environment to help reduce pollution.

9 Our commitment has been heightened in
10 the last six months. In June our executive
11 committee adopted more aggressive policy urging
12 states to begin enforcement against smoke emissions,
13 and just on Sunday of this week we adopted a
14 resolution supporting a national diesel fuel
15 standard with details to follow.

16 And the commitment by the trucking
17 industry has paid off. Today's new truck engines
18 emits one-eighth of pollution of engines built just
19 10 years ago. That's a significant record.

20 Highway diesel truck emissions have
21 played an important role in dramatically improving
22 air quality overall in recent years. A lot of what
23 we have heard today is the negative, that is, how
24 bad things are; but consider the positive about air
25 quality. In the period of 1970 to 1997, the first

1 Alan Schaeffer - American Trucking Association
2 domestic product of the United States grew by 114
3 percent constant dollars. Our population grew by 31
4 percent. At same time our total criteria for
5 pollutant emissions declined by 34 percent.
6 Significant improvements have been made in air
7 pollution, and the trucking industry is proud to
8 contribute its fair share.

9 I'd like to address a couple aspects of
10 the notice today. First of all, on the concept of
11 feasibility, it was our view initially having
12 assessed this proposed rule in the limited time
13 we've had to do it, that in fact this is technically
14 feasible milestone in 2004. However, I must admit
15 to the agency that I'm becoming concerned that what
16 appears to have been agreed on in 1997 in fact
17 become a final rule, that the landscape has been
18 dramatically altered since that time. And that
19 landscape has been altered without public input from
20 users, environmental groups, and others in the form
21 of a decent decree process. And I guess we are
22 concerned that the fact that we're hearing more and
23 more from manufacturers about the new limits that
24 the agency is imposing has, in fact, the effect of
25 lowering the standard that is in federal rules

1 Alan Schaeffer - American Trucking Association
2 today. That gives us great cause for concern. We
3 don't manufacture or certify engines, we're only the
4 ones that buy and use the engines. We have to rely
5 on that kind of information. So we're concerned
6 that there may be, not only a more stringent
7 standard that will have impacts on fuel economy,
8 durability, and et cetera, but we're also concerned
9 about the process by which that standard appears to
10 be altered. Because if in fact the agency is
11 promoting a rule that is a lower standard than the
12 standard that is published, as you know, the
13 American Trucking Association has great concern
14 about some of the processes with how the clean air
15 standards are, in fact, established. And we share
16 those concerns now on this specific rule.

17 We do agree with the agency's assessment
18 at this point that no changes in diesel fuel
19 specifications are required to meet 2004 standards.
20 We, as I mentioned, have taken a position about
21 future national fuel policy, we believe it should be
22 a national standard that affects all diesel users,
23 both on-road and off-road engines. So we support
24 the agency assessment in that area.

25 With regard to the durability

1 Alan Schaeffer - American Trucking Association
2 requirements, back in 1997, users of heavy-duty
3 vehicles are very concerned about reliability,
4 maintainability, and durability of those engines.
5 And it has been pointed out earlier today, the
6 engines are lasting longer than ever before, they're
7 operating more efficiently, and emitting less
8 pollution.

9 In going forward, it is our
10 understanding that some new technologies will be
11 employed that we have not seen before, exhaust gas
12 recirculation being one of the primary ones of
13 those. We argued very successfully back in that
14 proposed and final rulemaking period to extend the
15 useful life and durability requirements from 290,000
16 to 435,000 miles for the largest on-highway diesel
17 engines. That was important to users then and it is
18 important to users today that we retain that
19 durability requirement.

20 As indicated in the notice, the agency
21 anticipates the use of EGR will play a primary role,
22 allowing manufactures to meet those 2004 standards.
23 We very much like the idea of 435,000 mile
24 requirement staying in place to make sure that these
25 new and as-of-yet unproven systems are robust in

1 Alan Schaeffer - American Trucking Association
2 their design and performance throughout the lifetime
3 operation of the engine. We don't want to see any
4 backsliding of that number.

5 However, I have to go back to the point
6 that that assessment was made under the circumstance
7 without the settlement and under the certification
8 and test procedure that we understood would be in
9 place in '96 to '97 when the rule was enacted. And
10 to the extent that it becomes more complicated as a
11 result of the settlement, we don't believe that the
12 agency can properly adjust what they have in federal
13 rules right now with regards to durability based on
14 something in the consent decree that, in fact, was
15 not subject to public input, comment, and due
16 process.

17 We're very concerned because the EGR
18 systems, if they are not robust in their performance
19 and durability, they have a potential to break down,
20 become a maintenance headache and to reduce fuel
21 economy, and that's a user issue. We don't want to
22 be on the receiving end of that.

23 With regard to the agency's proposals
24 for on-board diagnostic sensors for heavy-duty
25 engines, we generally support that, providing the

1 Alan Schaeffer - American Trucking Association
2 proper SA standards are utilize that are consistent
3 heavy-duty vehicle maintenance standards now. I'll
4 give you some specific comments on that.

5 With regard to economic impact
6 assessment, as I mentioned at the outset, the
7 industry fully supported the 1997 final rule and
8 lower standards, knowing full well that the increase
9 of cost to folks that bought new heavy-duty diesel
10 engines. It appears as though that the EPA just
11 rerun the numbers and the numbers are higher to the
12 tune of 74 percent increase in the case of lifetime
13 operating cost and also increase in terms of the
14 initial purchase price on these engines. So that
15 raises some concern for us as well about how we got
16 to those new numbers because it appears that the
17 same technologies, i.e., EGR and turbo charge
18 geometry were contemplated then and, in fact, are
19 contemplated today. The only thing I can conclude
20 is that the higher cost have come from additional
21 certification testing requirements that were, in
22 fact, imposed by consent decrees, which again raises
23 the question about whether or not the users and
24 other stakeholders had an opportunity to comment on
25 issues that affect economic impact of this rule in

1 Alan Schaeffer - American Trucking Association
2 the proper setting.

3 Finally, with regard to future diesel
4 engine emission standards, we are exploring within
5 out membership right now that very question. In
6 fact, we're just having our convention right now in
7 Orlando and it is the topic of hot debate. We are
8 not prepared at this point to render some kind of
9 view of what the rate for any future standard should
10 be. One thing that resonates very loud and clear
11 with the nation's top trucking executives, and that
12 is that we have done our fair share of cleaning up
13 the air. We will do more, but we expect the agency
14 to hold other sectors accountable. When you look at
15 the charts within the proposed rule regarding the
16 contribution of NOx and VOC emissions for heavy-duty
17 diesel vehicles, we're talking 11 percent, 10
18 percent of NOx, 1 percent of VOC in 2000; and
19 non-road engines, 23 percent NOx and 15 percent VOCs
20 in 2000.

21 I drove up here today in a 1999 Honda
22 Accord, which is a ULEV card certified vehicle. The
23 majority of the trucks that I passed on Interstate
24 95 were late model, 1994, later model year trucks,
25 best I could tell. And we have a hard time

1 Alan Schaeffer - American Trucking Association
2 wondering about the equity with doing more to clean
3 up the air while the non-road sector is doing,
4 apparently, less and less. The agency is also
5 failing to hold the non-road sect the same
6 improvements in diesel fuel quality that they held
7 the trucking industry to, and we think the time for
8 that has come to an end, specifically, with railroad
9 emissions. The trucking industry has been regulated
10 since 1970 for emissions for new engines. Only last
11 year, a full eight years after the enactment of the
12 1990 amendments, did EPA issue standards for
13 locomotive engines and unfortunately did not see it
14 fit locomotives would have to use the same level of
15 diesel fuel that we're using today. So as I look
16 out the window here, I see the trains going by the
17 switching yard knowing that they're using diesel
18 fuel that has significantly higher levels of sulfur
19 and some of those are competing directly with
20 trucks. We're not too happy about that.

21 So in conclusion, we appreciate the
22 opportunity to appear here today to talk about the
23 future diesel engine standards. We urge the agency
24 to retain the numbers as you have them today. We'd
25 like to hear some more dialog and understand more

1 Alan Schaeffer - American Trucking Association
2 about the impact of the consent decree certification
3 testing issues on the effective levels of standard.
4 It appears to be that the standard might be in
5 effect been lowered by the consent decree, and that
6 can be a problem. We also want the agency to retain
7 the 435,000 mile durability requirement. We don't
8 want to see any negotiations with regards to useful
9 life and diesel fuel modifications, and we think
10 very much that the agency should focus more
11 resources on controlling the bigger unregulated
12 pieces of the pie, which is the non-road sources.

13 And just a final comment to address a
14 large number of folks that testified this morning
15 with regards to in-use emissions. EPA has been our
16 primary motivator to get some help in this area, but
17 I think it should be made clear that the issue about
18 in-use enforcement is not the agency's prerogative;
19 this is a state issue. And all I can say to that,
20 to Bill Becker and the state folks is, where are
21 you? The trucking industry is ready to work with
22 you to have state emissions control programs.
23 About 13 states have inspection maintenance programs
24 right now. We think that criticism toward EPA
25 should be directed toward the state. So if you want

1 Alan Schaeffer - American Trucking Association
2 to talk about that, our industry and ATA which
3 represents responsible trucking companies, we agree
4 with you, but get the gross emitters off the road
5 and let's not indict the entire industry for the
6 emissions of just a few. Thank you very much.

7 MS. OGE: Thank you. I will let Bill
8 Becker know.

9 Mr. Duerr, thanks for your statements.
10 I have a couple of questions for you. When did you
11 first see the proposal? When did you have access to
12 the proposal.

13 MR. DUERR: October 7th.

14 MS. OGE: October 7th, so you had almost
15 30 days?

16 MR. DUERR: Yes.

17 MS. OGE: How many times have your
18 company and our staff got together for this past
19 year to discuss this proposal, I mean, details,
20 exhaustive details? Do you remember?

21 MR. DUERR: I don't remember.

22 MS. OGE: I would say many times.

23 MR. DUERR: I don't believe our company
24 ever directly interacted, but we did participate in
25 the manufacturers meetings.

1 Alan Schaeffer - American Trucking Association

2 MS. OGE: Let me say this. One of the
3 reasons that we are late with this rule, Mr. Duerr,
4 is because we have been meeting with your company
5 and many other companies and we have many times for
6 the past year to make sure that indeed the industry,
7 your industry, was comfortable with the technical
8 issues. To the extent that we had the package
9 completely ready and we pulled out substantially
10 around this in-use testing because we agreed with
11 your industry that we need to spend a little bit
12 more time. So I'm somewhat disappointed through
13 this public hearing when I hear that you didn't have
14 enough time to discuss issues, technical issues.
15 And I would like speak about it outside of this
16 public hearing. But for the record, one of the
17 reasons that we are late is because of the
18 substantial efforts this office has made, put
19 forward, working with your industry.

20 Any questions?

21 MR. FRANCE: Mr. Duerr, in the context
22 of concerns with lead time that's been expressed by
23 a variety of individuals today, including EMA, I'd
24 like a little bit of clarification from Diesel's
25 perspective. Assume for a second that our intent

1 Alan Schaeffer - American Trucking Association
2 was to capture the essence of the consent decree
3 supplemental test requirements. So accept that as a
4 premise. What is Detroit Diesel's prospective on
5 lead time, specifically the limitation of the
6 supplemental requirements.

7 MR. DUERR: Obviously, today under the
8 consent decree, we're meeting those requirements.

9 MR. FRANCE: What will you do in 2004?

10 MR. DUERR: In 2004, I don't think we
11 fully know what the impact of all these requirements
12 will be at two and a half gram NOx level. We're
13 still studying that.

14 MR. FRANCE: I understand. To the
15 extent -- just accept the premise that the consent
16 decree is consistent with the requirement being 2004
17 under our rules, okay? What would you like to see
18 the program look like in 2004 from a federal
19 perspective?

20 MR. DUERR: I think I noted I would like
21 to see the maximal allowable emission limits be
22 eliminated, the low response test be eliminated.

23 MR. FRANCE: You're suggesting that we
24 delete not to exceed?

25 MR. DUERR: No, we're suggesting

1 Alan Schaeffer - American Trucking Association
2 simplify not to exceed.

3 MR. FRANCE: To make it a minimal
4 requirement in 2004?

5 MR. DUERR: Yes.

6 MR. FRANCE: How do we reconcile that
7 with DMA's comments and others that we can't do
8 that? How do you suggest that we go?

9 MR. DUERR: I don't understand your
10 question.

11 MR. FRANCE: You're suggesting that we
12 do make it mandatory in 2004.

13 MR. DUERR: We're not opposed to that,
14 provided we can get clarity on the regulations.

15 MR. FRANCE: So from Detroit Diesel's
16 perspective, you want to hold the agency to its
17 former lead time concerns that were raised by EMA?

18 MR. DUERR: No.

19 MR. FRANCE: Thanks.

20 MS. OGE: Any other questions?

21 MR. HOROWITZ: Mr. Duerr, did you or
22 anyone from DDC ever see any drafts of the
23 regulations before October 9th, or that date you
24 mentioned?

25 MR. DUERR: I believe there was a

1 Alan Schaeffer - American Trucking Association
2 partial draft made available. I don't recall the
3 time frame.

4 MR. HOROWITZ: Did you look through the
5 draft at that point to see -- to look at these
6 issues at that point? The issues you brought up
7 today with the inconsistencies, did you have a
8 chance at any prior drafts to look in detail at the
9 drafts that it had inconsistencies?

10 MR. DUERR: We did review the draft we
11 had received. But again, it was sort of out of
12 context so we didn't see the full scope of what was
13 being proposed. And we didn't at that time look
14 through it in as much detail as we obviously are
15 doing now.

16 MR. HOROWITZ: Thank you.

17 MS. OGE: Mr. Duerr, I would strongly
18 recommend that you get in touch with Chet France
19 sitting next to me. We will make ourselves
20 available you and your staff to clarify any issues
21 that you have raised today or you have.

22 MR. DUERR: We would like to do as soon
23 as we can finish our review. We'll be happy to do
24 that.

25 MS. OGE: Great.

1 Alan Schaeffer - American Trucking Association

2 Mr. Schaeffer: You mentioned about two
3 things that I would follow-up with you. Again, I
4 don't know how much you can disclose at this public
5 hearing, but I would like to know when we can get
6 more details. You mentioned a resolution ATA
7 passed, I believe, last week on diesel fuel quality
8 and I believe you also stated that there is going to
9 be an upcoming meeting in Orlando, Florida -- the
10 weather will be better there than it is here
11 today -- where you're going to discuss, I believe,
12 future engine standards with respect to 2007
13 standards. Would you give us a little bit more
14 information if you can and also the timing when we
15 can get more details on the decisions that the ATA
16 is making on these two very important issues.

17 MR. SCHAEFFER: I just came from
18 Orlando, and the weather was much nicer. We are in
19 the midst of our annual meeting with the nation's
20 top trucking executives, and the environmental
21 policy committee on Sunday passed a resolution,
22 basically a two-prong resolution. First, endorsing
23 the concept of a national uniform diesel fuel
24 standard for all diesel users, period. And the
25 second aspect of that was that a task force was

1 Alan Schaeffer - American Trucking Association
2 appointed to investigate all the underpinnings and
3 probably more the issues that you're interested
4 which is the numbers, what levels of sulfur, time
5 frames, and other issues. But the committee felt
6 strongly that the need to speak out now about our
7 general support for a national standard and support
8 for a standard that applies for all diesel users.

9 With regards to further views on 2007,
10 we have a series of meetings next week. We have oil
11 industry representatives and perhaps engine
12 manufacturer representatives with some of our
13 technical committees to try and sort out some of the
14 issues there and try to understand more about the
15 future, and I suspect that we will be ready by the
16 end of the year to be much more specific about what
17 our views are on 2007. But if you look at our past
18 record, we have generally supported standards that
19 are cost-effective that show improvements in fuel
20 economy and durability and reliability and
21 maintainability, and manufacturers have been able to
22 deliver on those accounts. But it appears now that
23 things are getting much more complicated, the
24 standard is getting much lower, and the issues are
25 becoming a bit more tenacious. There are lots --

1 Alan Schaeffer - American Trucking Association
2 obviously, we don't have any influence on
3 certification testing procedure, so we are trying to
4 learn and understand what the impacts of those
5 changes might have on the operators in terms of cost
6 of new engines, cost of operation, and most
7 importantly, the impact on fuel economy. The
8 trucking industry is a very marginal industry. For
9 every one dollar revenue we make, our companies put
10 about two or three cents in their pocket. So you
11 can see that an issue where an engine would cost a
12 lot more or the fuel would cost a lot more could
13 have a broad impact on the industry, and that's why
14 we're putting our stake in the ground now. We think
15 the agency should look more broadly to expand its
16 efforts to control diesel emissions, not just
17 on-highway, but off-highway. We believe that we're
18 producing economies of scale and reducing emissions,
19 diesel fuel standards perhaps of off-road sectors.
20 But this industry is responsible. We breathe the
21 same air that you do. We have no interest in a
22 dirty environment. And we will be more specific
23 later this year.

24 MS. OGE: Thank you. Thank you all for
25 coming forward to testify this afternoon.

1 Bob Jorgensen - Cummins Engine Company

2 I'd like to proceed with our next panel.

3 Mr. Bob Jorgensen, Jonathan Singer, Britta Ipri,

4 Julie Becker, and Nancy Brockman.

5 Mr. Jorgensen, we'll start with you.

6 MR. JORGENSEN: Good afternoon. My name
7 is Bob Jorgensen. I am the Director of Product
8 Environmental Management for Cummins Engine Company.
9 Cummins produces heavy-duty engines that are used in
10 stationary and mobile off-highway applications as
11 well as in on-highway vehicles. Cummins considers
12 the delay in accomplishing the 1999 Technical Review
13 to be a breach of faith with the diesel engine
14 industry and a breach of the contract we entered
15 into with the EPA as a result of the 1995 Statement
16 of Principles.

17 By way of background, I'd like to state
18 that Cummins takes great pride the emission
19 reductions we've achieved in the products that we
20 are currently producing, 75 percent reduction in NOx
21 emissions, about 90 percent reduction in particulate
22 emissions, and a like amount of volatile organic
23 compounds.

24 This morning Mr. Castle from the
25 National Resource Defense Council made note of his

1 Bob Jorgensen - Cummins Engine Company
2 responsibility for the NRDC campaign, dump dirty
3 diesels. So we may take different steps to get
4 there, I can tell you that myself and the other
5 engineers at Cummins Engine Company have a very
6 similar responsibility, and we don't take that
7 lightly. I and other members of the Cummins
8 community maintain a strong commitment to make
9 further reductions of emissions of our product. And
10 as the agency is aware, we are investing heavily in
11 the development of emissions reduction technologies
12 that have the potential to reduce pollutant
13 emissions substantially from the today's low levels.

14 Cummins was among the industry
15 participants that collaborated closely with both EPA
16 and CARB in 1995 to reach agreement on a joint
17 statement of principles. The SOP was a novel
18 approach between the agency and the regulated
19 parties designed to obtain commitment to reduce
20 emissions very significantly from on-highway
21 heavy-duty engines, while providing manufacturers
22 the stability certainty, and lead time necessary to
23 meet these stringent standards. The Statement of
24 Principles was memorialized in writing, signed by
25 EPA, the California Air Resources Board, and

1 Bob Jorgensen - Cummins Engine Company
2 industry representatives in mid-1995 and included a
3 provision to conduct a Technical Review. In
4 addition to the SOP, the obligation to conduct this
5 review is also set forth in the 1997 rule final
6 establishing the 2004 emissions standards. The SOP
7 and the Rule called for the review of the stringent
8 2004 emissions standards to be completed by the end
9 of 1999. This is, of course, the origin of the
10 proposal before us today.

11 As you know, in 1995 all parties agreed
12 that the stringency of the emissions standards
13 definitely represented a significant technical reach
14 for the companies. Therefore, the parties agreed
15 that the purpose of the Technical Review was to
16 provide an opportunity to review the progress of
17 technology over the nine years between the setting
18 of the standards and their implementation.

19 Furthermore, EPA and CARB and the
20 industry never intended that the 1999 Technical
21 Review to be conducted only in 1999. Rather, the
22 date 1999 was selected as a not-later-than date for
23 promulgation of the results of the Review in order
24 to meet lead time requirements of the Clean Air Act.
25 On the basis of where we find ourselves today, it is

1 Bob Jorgensen - Cummins Engine Company
2 clear the EPA has failed to adequately plan for the
3 complexity of the issues that needed to be reviewed.

4 Not only did EPA fail to provide
5 adequate time for the Review of the 2004 emissions
6 standards, but it also exacerbated the time
7 constraint problem by choosing to use the Technical
8 Review as a vehicle for promulgating independent
9 issues. EPA started late. The first public or
10 private session that Cummins had with EPA was in
11 late 1998. EPA also skipped steps in the Technical
12 Review process. For instance, it failed to conduct
13 workshops and other outreach typical of a rule this
14 complex. Then faced with certain time constraints,
15 EPA chose to add a series of unrelated and
16 unanticipated technical issues to the review, for
17 instance, on-board diagnostics and re-definition of
18 the light-duty truck.

19 As an evidence of EPA's failure to
20 adequately plan for and manage the 1999 Technical
21 Review, EPA's notice for this session today was
22 formally published in the Federal Register just last
23 Friday, October 29, only two working days prior to
24 this meeting.

25 And also as evidence of EPA's time

1 Jonathan Sinker - NET
2 management problem, by the time written comments on
3 the Technical Review are received on December 2,
4 1999, there will be only 29 days for EPA and then
5 the Office of Management and Budget to review the
6 comments received and to develop a final rule.

7 We are asking, what was EPA thinking
8 when it failed to allow for the nominal 90-day
9 review period typically afforded to OMB prior to
10 promulgation of a final rule?

11 OMB did use nearly the full 90-day
12 review period to review the NPRM that was released
13 just last week.

14 In summary, and the repeat, Cummins is
15 very concerned that EPA will not be able to finalize
16 this review by year-end even after the agency has
17 had no less than three years to prepare itself,
18 given that we signed the SOP in 1995.

19 Cummins appreciates the opportunity to
20 offer these remarks, and we intend to provide
21 further comments prior to the close of the written
22 comment period.

23 MS. OGE: Thank you.

24 Mr. Jonathan Sinker, good afternoon.

25 MR. SINKER: Good afternoon. My name is

Jonathan Sinker - NET

Jonathan Sinker. I am the field organizer for the National Environmental Trust in Pennsylvania. The National Environmental Trust is a non-profit, non-partisan organization dedicated to educating the American public on contemporary environmental issues. Since it was founded in 1995 as the Environmental Information Center, NET has worked to promote strong health, safety, and environmental protections issues including global climate change, public right-to-know policies, and air and drinking water safety.

The Clean Air Act mandates that EPA set National Ambient Air Quality Standards that will protect public health. There is no doubt that the air in Pennsylvania is not protective of public health. According to a 1999 Clean Air Task Force report, there were 9600 respiratory related emergency room admissions and 370,000 asthma attacks that can be attributed to air pollution in Pennsylvania.

In 1998 Pennsylvania had 616 readings where the eight-hour standard was exceeded. Most Pennsylvanians are still regularly exposed to unhealthy levels of ozone. In the Philadelphia

Jonathan Sinker - NET

area, if you live in Montgomery County the eight-hour standard was exceeded on 19 different occasions; 14 times in Bucks County; 27 times in Philadelphia County; and 19 times in Delaware County. During the summer of 1998, 27 Pennsylvania Counties exceeded the eight-hour standard.

According the EPA, big diesel trucks emit about 10 percent of all NOx emissions nationwide and account for a high percentage of particulate emissions in urban areas. EPA's pollution trends report shows that diesel trucks collectively emit more NOx and particulates soot today than they did in 1970, when the Clean Air Act was passed. In addition, the State of California has labeled diesel particulate as toxic, and EPA researchers believe diesel exhaust is connected with human cancer.

NET joins the rest of the environment community in supporting EPA's proposed strategy to reduce emissions from heavy-duty vehicles.

NET calls on EPA today to:

One, accelerate the time line to close the SUV emissions loophole. Currently SUVs pollute three to five times more than passenger cars.

1 Jonathan Sinker - NET

2 Because SUVs emit the lion's share of auto
3 emissions, NET is asking for these vehicles to meet
4 the clean car standard by 2007 as proposed under
5 Tier 2, not 2009 as allowed by EPA's current
6 proposal.

7 Number two, tighten heavy-duty
8 particulate standards by at least 50 percent by
9 2004. Pennsylvanians should not have to wait until
10 2007 as allowed by EPA's current proposal to reduce
11 particulate pollution. Enforcing a tighter standard
12 earlier may delay the amount of premature deaths
13 related to air quality.

14 Number three, set national standards for
15 low-sulfur diesel fuel. Sulfur is poison to the
16 pollution control devices on cars. To ensure the
17 diesel pollution equipment is effective, all diesel
18 fuel sulfur levels should be capped at 10 parts per
19 million by 2006.

20 Number four, since seven of the major
21 diesel engine companies were caught putting cheating
22 devices on their engines that enabled them to pass
23 pre-sale emission tests, but then pollute more on
24 the road, a tighter verification process must be
25 imposed. In-use testing and on-board diagnostic

1 Britta Ipri - Clear the Air Campaign
2 equipment should be required for all heavy-duty
3 trucks, both gasoline and diesel to ensure clean
4 trucks stay clean.

5 Number five, adopt strong standards for
6 2007. Pollution from heavy-duty vehicles is a
7 serious problem that must be addressed as soon as
8 possible. By 2007, smog-forming and particulate
9 pollution from heavy duty vehicles should be lowered
10 by 90 percent beyond the 2004 standards.

11 There can be no doubt about the public
12 health need for cleaner motor vehicles.

13 NET reserves the right to submit written
14 comments during the comment period. Thank you.

15 MS. OGE: Thank you.

16 Ms. Britta Ipri, good afternoon.

17 MS. IPRI: Good afternoon. Thank you
18 for the opportunity to speak today. My name is
19 Britta Ipri and I serve as the regional coordinator
20 in the Mid-Atlantic for the Clear the Air Campaign.
21 Clear the Air's primary focus is stationary sources
22 of air pollution such as old, dirty coal power
23 plants. However, as an advocate for clean air, one
24 cannot deny that mobile sources of air pollution
25 must be cleaned up if our region's air is to reach a

1 Britta Ipri - Clear the Air Campaign

2 level that is healthy for everyone.

3 Each year in Pennsylvania, air pollution
4 causes the premature death of more than 5,000 people
5 and threatens the health of almost two million more
6 who suffer from asthma and other respiratory
7 illnesses.

8 When considering the mobile sources of
9 air pollution, big trucks and busses, most of which
10 use diesel fuel, are among the worst culprits.
11 Unfortunately, because there is so many more trucks
12 on the road today, manufacturers have done enough to
13 curb pollution from these large diesel vehicles. In
14 areas like Philadelphia, as much as half the
15 particulate pollution that threatens public health
16 comes from large diesel vehicles. More than 30
17 health studies have also linked diesel pollution and
18 the hundreds of toxics it contains, to lung cancer.

19 The good news is that the technology to
20 clean up diesel engines is available. We can afford
21 to wait no longer before requiring manufacturers to
22 use these technologies.

23 While I applaud the EPA for proposing
24 this program to clean up pollution from these big
25 and dirty vehicles, I would like to urge the EPA to

1 Britta Ipri - Clear the Air Campaign
2 make a few changes that would make this program even
3 stronger.

4 First, I would urge the EPA to
5 accelerate the time line for closing the SUV
6 loophole. Under the Tier 2 auto pollution program,
7 all cars and smaller SUVs will be required to meet
8 clean car standards by 2007. However, under the
9 heavy-duty vehicle proposal, automakers have until
10 2009 to clean up larger SUVs. All passenger
11 vehicles, no matter how big or small they are,
12 should meet clean car standards by 2007.

13 Second, the heavy-duty particulate
14 standards must be tightened by 50 percent by 2004.
15 The current proposal would not require any
16 reductions in particulate pollution until 2007.

17 Third, smog-forming pollution and
18 particulate pollution from heavy-duty vehicles
19 should be lowered by 90 percent beyond the 2004
20 standards.

21 Fourth, diesel fuel must be cleaned up.
22 Pollution control systems can be truly effective
23 only when they are coupled with low-sulfur fuels.
24 All diesel fuel sulfur levels should be capped at 10
25 parts per million sulfur by 2006.

1 Nancy Brockman - Wyncote Audbon Society

2 Last, the EPA must ensure that trucks
3 stay clean once they are on the road. This should
4 be done through in-use testing and use of on-board
5 diagnostic equipment. These should be required for
6 all heavy-duty trucks, both diesel and gasoline.

7 This program is a crucial part of
8 cleaning up our regions' air. Only when our worst
9 dirty-air culprits like large dirty diesel vehicles
10 ar cleaned up can we begin achieve cleaner and
11 healthier air.

12 Thank you once again for the opportunity
13 to speak today.

14 MS. OGE: Thank you.

15 Ms. Nancy Brockman, good afternoon.

16 MS. BROCKMAN: Good afternoon. I'm here
17 to speak on behalf the 2,000 members of the Wyncote
18 Audubon Society, one of the nation's oldest bird
19 clubs and as an asthmatic and the parent of an
20 asthmatic child. I want to compliment the EPA for
21 proposing to close the loophole for enormous,
22 excessively polluting sport utility vehicles and for
23 the move to cut nitrogen oxides emissions from big
24 diesel trucks in half by 2004.

25 The air we are breathing today in

1 Nancy Brockman - Wyncote Audbon Society
2 Philadelphia is dangerous. This is according to EPA
3 standards. The Delaware Valley is a severe
4 non-attainment area. Between 1982 and 1992, the
5 region lost over 25 percent of its total farmland.
6 In that same period, there was a 33 percent increase
7 in auto commuters in the area. The picture of the
8 Greater Philadelphia region is one of shrinking
9 green space and wildlife habitat, increased regional
10 sprawl, and higher than deemed safe air pollution.
11 A walk in Center City Philadelphia can choke the
12 asthmatic and make a healthy person turn their head
13 or cover their faces from the fumes pouring out from
14 buses and trucks. Drive along any major regional
15 highway and you will see dead trees and shrubbery
16 lining the road, dead because of the toxic
17 concentrations of air pollutants. Couple that with
18 the trend toward increased auto dependency and the
19 resulting increase in auto emissions, and we have a
20 dangerous recipe for environmental and human health
21 disasters.

22 The National Audubon Society's mission
23 is to conserve birds and their habitats. Today,
24 Audubon Societies are committed to bringing people
25 closer to birdlife in order to build a deeper

1 Nancy Brockman - Wyncote Audbon Society
2 understanding of the powerful links between healthy
3 bird populations, ecosystems, and ourselves.

4 Birds have been used to monitor the
5 environment throughout history. Declines in bird
6 population numbers and changes in species' ranges
7 resulting from human-induced causes provide
8 information crucial to environmental decisions.
9 Birds integrate and accumulate environmental
10 stresses over time because they are usually high in
11 the food chain and have relatively long lifespans.
12 Since birds are sensitive to stresses in predictable
13 ways, they are often used as a proxy measure of
14 environmental change.

15 We are now being warned, much as the
16 canary warned miners of old of lethal gasses in deep
17 shaft mines. Environmental changes are occurring at
18 an alarming rate. Healthy bird populations are
19 decreasing in the region. Fewer numbers of once
20 numerous species are found as wildlife habitats
21 disappear or become increasingly polluted. Acid
22 rain changes the ecological balance in lakes and
23 streams and affects the surrounding habitats. Air
24 pollution kills trees and reduces food supplies for
25 both indigenous and migratory bird populations.

1 Nancy Brockman - Wyncote Audbon Society

2 That portion of air pollution caused by
3 cars, minivans, SUVs, and especially diesel vehicles
4 is enormous and can be reduced. Each day we pander
5 to large business interests, more species approach
6 oblivion diminishing our world and our lives as they
7 go. Too often the right move is unclear, but here
8 we have all the components to make a substantial
9 difference. We know what to do and how to do it.
10 The benefits to reducing air pollution from these
11 highly polluting vehicles well outweigh losses or
12 inconvenience to businesses.

13 On a personal note, I wish to say that
14 not only am I an asthmatic, but I am the parent of
15 an asthmatic child. We all know the symptoms of
16 asthma and are aware that asthma is substantially
17 worsened by air pollution. Even with a decrease in
18 air pollution over the last few years, medical
19 experts still tell us that asthma, especially in
20 children, is on the rise in the USA. I fear the
21 possibility that future scientific studies will
22 prove that the damage to human health from that
23 combination of air pollutants found in vehicle
24 emissions is more pervasive than originally thought.

25 At the Tier 2 hearings I told the story

1 Nancy Brockman - Wyncote Audbon Society
2 of how my son, now aged 15, was rushed to the
3 hospital with chest pain, faintness, and the
4 inability to breathe. His father and I went to the
5 hospital to find him gasping for breath and scared.
6 No child should have to feel his mortality at that
7 age. He hates having exceptions made for his
8 condition. It makes him feel different from most
9 other kids his age. I hate that the quality of his
10 life is compromised and perhaps permanently damaged.

11 This country has the technology and the
12 power to make substantial changes for the better,
13 now. We should not have to wait until 2007 to see
14 noticeable results. Business will not make changes
15 for the better without being forced to do so by the
16 EPA because it is not cost efficient to do so. It
17 is obvious that the cost of doing business has been
18 more important to decision-makers than the cost to
19 human health. Our collective priorities must
20 change.

21 Personal responsibility should count for
22 more than it does in today's society. Each one of
23 us needs to accept personal responsibility for the
24 type of vehicles we drive, the kind and number of
25 miles we put on them, and the impacts of the

1 Nancy Brockman - Wyncote Audbon Society
2 resulting pollution. I believe that all gasoline
3 vehicles, compact car through giant SUV, should be
4 held to the same, more stringent emissions
5 standards. If the emissions control devices on my
6 car do not work correctly, I must have them fixed.
7 Yet, most diesel big trucks don't even use the
8 pollution control devices they could and should. If
9 they did, they could be between 50 and 90 percent
10 cleaner than they are today. I am astonished that
11 in Philadelphia, our public transportation system
12 can use a low-grade high polluting diesel fuel
13 instead of the available but more costly high-grade
14 lower polluting diesel fuel in the busses that serve
15 the public. How is this possible? For these
16 reasons I am heartened to see EPA taking the
17 responsibility to implement tougher emissions
18 standards for highway vehicles and engines.

19 Just a final note: With asthma on the
20 increase in America, most notably in pre-school aged
21 children, we run the risk of our future generations
22 by not acting now. Much as I mourn the decline and
23 loss of endangered bird species that continue to
24 fall victim to human engineered environmental
25 factors, I fear the irreparable damage to humans

1 Nancy Brockman - Wyncote Audbon Society

2 more.

3 MS. OGE: Thank you.

4 Any questions for the panel?

5 MR. FRANCE: Yes, just a couple. This
6 is for Mr. Jorgensen. I think all of us wish that
7 we were here in January 1999, but we're not. Before
8 I ask a question, I do have to set the record
9 straight. Mr. Jorgensen, you used a fairly strong
10 language in terms of breach of faith, breach of
11 contract, EPA has a time management problem. I like
12 to remind you, first of all, consent decrees were
13 not, any circumstances regarding consent decrees are
14 not of our making. Those consent decrees were filed
15 with the court late last year, were finalized I
16 think in June or July this year. We made good-faith
17 efforts to integrate those provisions in a logical
18 way, at the same time trying to interact with the
19 industry, I think, in an unprecedented way. I think
20 we met more than 10 times with the industry. We've
21 met individually with Cummins. We were on site at
22 your facility about the details. On top of it, as
23 Margo said before, on behalf industry's request,
24 part of the delay in getting the rule was the lead
25 provisions that you all asked us to streamline the

1 Nancy Brockman - Wyncote Audbon Society
2 rule. So speaking from our perspective, a lot of
3 the delay have been response to circumstances that
4 were out of our control, but also in response to
5 requests from the industry. So I'd like that
6 entered on the record.

7 Let me ask the question. You keep
8 citing the SOP, you suggested first the inference
9 there is that we just reaffirmed the standard. Is
10 that what --

11 MR. JORGENSEN: In the SOP, of course,
12 it called for a revisiting or a re-analysis of the
13 feasibility of the standards, and obviously it was
14 possible to make them more stringent, make them as
15 they were, or make them more stringent. But all
16 those were possibilities that were listed both in
17 the SOP and in 1997 final rule.

18 MR. FRANCE: How would you anticipate
19 EPA dealing with the consent decrees supplemental
20 test provisions, from Cummins' perspective.

21 MR. JORGENSEN: As far as incorporating
22 them, we definitely expected that EPA would take
23 that into account in the process. As a matter of
24 fact, in the nearly dozen meetings that we refer to,
25 the first was held, I believe, in December of 1998,

1 Nancy Brockman - Wyncote Audbon Society
2 and at that meeting, you know, the discussion had
3 those elements in it. And at that point in time,
4 the agency representatives talked about how the MPRM
5 would normally be out in March and that we'd be
6 having a hearing in April and that written comments
7 would be due in May.

8 MR. FRANCE: Let me ask, so you
9 anticipated us including not to exceed provisions as
10 part of this rule?

11 MR. JORGENSEN: I would say certainly
12 taking the consent decree into account. Now,
13 whether or not it was the exact replica, that, I
14 think was open for discussion.

15 MR. FRANCE: Absolutely. It still
16 remains open for discussion in terms of the
17 provisions. I'm asking in Cummins' perspective, the
18 same line of discussion I had with Detroit Diesel.
19 What is Cummins' perspective on the lead time issue
20 that has been identified and also what is your
21 company's intent complying with 2004?

22 MR. JORGENSEN: Of course, as you see,
23 by our comments, we wish it was a moot point. We
24 wish that the rule would have been finalized by year
25 end such that the question of lead time would not

1 Nancy Brockman - Wyncote Audbon Society
2 have been an issue. But we recognize and we noted
3 with interest in the preamble to the rule how EPA
4 acknowledges that it might not be possible to
5 conclude the rule by year end and has thought about
6 ways that we could still have an effect date of
7 2004, either through a voluntary agreement or
8 whatever. And I think Cummins, I can say, is open
9 to those kinds of discussions. And we wouldn't rule
10 out that those discussions could lead to a
11 conclusion that maintains the 2004 date. We
12 wouldn't rule that out.

13 MR. FRANCE: What is Cummins going to do
14 if we don't?

15 MR. JORGENSEN: Well, I can tell you
16 that it's a very difficult and complex issue as to
17 what happens if the December 31, 1999 deadline is
18 met. And quite frankly, I don't really understand
19 perfectly what happens to competitors that have not
20 signed a consent decree. So it's very difficult for
21 us to really answer that question. I'm very open to
22 those kinds of discussions, though, but I think it's
23 a very complex issue as to what happens to others.
24 And in that light, it's very difficult for me to
25 answer the question as to how Cummins will behave.

1 Nancy Brockman - Wyncote Audbon Society

2 MR. FRANCE: That's fair enough.

3 MS. OGE: I think that's fair. I would
4 encourage you and other companies to give us
5 comments on all these issues. And I think there are
6 legal issues of lead time appropriateness for all of
7 us to address and then there are issues of
8 feasibility to do it. We would like comments on
9 both issues. And how do we proceed forward with the
10 best program in place in 2004 time frame to give us
11 the clean air all of us are looking for. Thank you.

12 MR. JORGENSEN: You're welcome.

13 MS. OGE: Any other questions?

14 MR. HOROWITZ: Just a follow-up to
15 Chet's point. Just to state for the record that you
16 used the words breach of contract and breach of
17 faith. And obviously, we, EPA, had no contract with
18 any of the companies under the SOP. We wouldn't
19 make contracts to put out rulemakings and finalize
20 final numbers for emission standards without going
21 through the notice and comment process. So I'm
22 worried about the use of that term, but I understand
23 the rhetorical charge. And also regarding breach of
24 faith and not understanding complexity, obviously,
25 the intervening events came out of consent decrees

1 Nancy Brockman - Wyncote Audbon Society
2 have unfortunately delayed them. As Chet said, that
3 was not something that we anticipated in 1995.

4 MS. OGE: Anymore questions?

5 (No response.)

6 MS. OGE: Thank you. Thank you very
7 much for coming forward.

8 We are doing great on time; we are
9 early. We had a gentleman by the name Dennis
10 Winters.

11 AUDIENCE MEMBER: He's not here.

12 MR. OGE: I would like to call the panel
13 that was scheduled to testify at 4:15 if they are
14 here. Valerie Sowell, Geoff Harden, Kathleen Erdei,
15 Jason Rash, Ajayi Harris.

16 I'm told that Natasha Ernst is here.
17 She was scheduled for the 5:15. If you would like
18 to come forward, please do that. I'm reminded that
19 Mr. Andrew Altman was not here earlier.

20 MR. RASH: He will be submitting
21 comments in written form. He will not be
22 testifying.

23 MS. OGE: Thank you.

24 We can start with Ms. Valerie Sowell.
25 Good afternoon.

1 Valerie Sowell - Citizen

2 MS. SOWELL: Good afternoon. My name is
3 Valerie Sowell. I'm a citizen of Philadelphia here.
4 And I just want to thank you briefly for giving me
5 an opportunity to voice my beliefs that we should
6 reduce pollution in light trucks and SUVs. We've
7 heard today about the devastating effects of air
8 pollution in this community and in cities and towns
9 across the nation. It seems clear to me that
10 anything that triggers 40,000 deaths a year
11 constitutes a dire public health crisis, and no
12 effort should be spared to curb that crisis.

13 Furthermore, this particulate health
14 threat is straightforward. We know the problem that
15 air pollution triggers attacks of asthma and other
16 respiratory ill effects. We also know the cure - we
17 have to cut down on pollution. So I applaud the EPA
18 for proposing the program that they have in an
19 effort isolating the cure.

20 I do believe, though, that we have to go
21 even further if we want to eradicate the public
22 health crisis entirely. So I agree that first we
23 should accelerate the time line for closing the SUV
24 loophole. All passenger vehicles should meet clean
25 car standards by 2007. Absolutely. We should

1 Valerie Sowell - Citizen

2 tighten the heavy-duty particulate standard 50
3 percent by 2004. The EPA must call for an
4 additional 90 percent reduction of particulate
5 matter and nitrogen oxide pollution by no later
6 2007. We have to clean up diesel fuel to go hand in
7 hand with this. All diesel fuel sulfur levels
8 should be capped at 10 parts per million by 2006.
9 As well, we should ensure that trucks are not
10 getting out of their obligations; they stay clean
11 once they're on the road using in-use testing and
12 on-board diagnostic equipment.

13 So we've isolated the cause. We've
14 isolated the cure. The problem, of course, is not
15 in doing that, but in following through. We have to
16 make sure that the changes that we see are met.

17 And, you know, people in large groups
18 tend to share inertia with this sort of thing. It's
19 somebody else's responsibility or it's somebody
20 else's fault, but really little as possible. And I
21 learned something. I spent a year in Northern
22 Ireland. Before I went there, I was researching the
23 psychology of large groups and mob rule to guard
24 away from the terrorists if I could. And I learned
25 that when you're in the middle of a large group and

1 Geoffrey Harden - Citizen

2 someone attacks you in a crowd, that you can't wail
3 and say "Somebody help me. Oh, God, I'm in dire
4 need of help. Help me, somebody." You have to grab
5 someone's hand and make eye contact and say, You, in
6 the blue shirt, call the police. You help me. You
7 have to help me. I see you." And so you make eye
8 contact. Only when a person is being spoken to will
9 they listen.

10 So as the representatives of the EPA
11 which will ultimately be responsible for this
12 decision, I call you on with the power that you have
13 to make these changes and care for our health. You
14 can do it. You can tighten the loophole and you can
15 look out for the public. You have the authority.

16 So thank you for giving me this
17 opportunity to tell you that directly.

18 MS. OGE: Thank you. Thank you for the
19 lesson. I'll remember that.

20 Mr. Geoff Harden, good afternoon.

21 MR. HARDEN: Good afternoon to you. My
22 name is Geoffrey Harden, and I'm a citizen of
23 Philadelphia concerned about smog from trucks and
24 SUVs. By the way, I appreciate having this
25 opportunity to talk to you and express my concern.

1 Geoffrey Harden - Citizen

2 I'm here as a citizen, but I want to offer my
3 perspective on this issue as a urban bicyclist.

4 Practical concerns like economic
5 necessity and consideration for the environment
6 compel citizens like myself to use bicycles as an
7 alternative transportation in cities across the US.
8 We cyclists share the streets with these big trucks
9 and SUVs. So making our way to work or school or
10 home, we choke on the fumes from these dirty
11 vehicles' tailpipes.

12 I ride my bike to work through Center
13 City Philadelphia every morning. So I've gotten my
14 share of exhaust pumped in my face by these big
15 vehicles. Tailpipe fumes burn my eyes, my throat,
16 and my lungs. It's nauseating. But what's really
17 worse is the long-term effects of this smog, the
18 untimely deaths of 40,000 citizens each year. Smog
19 reduction is literally a question of life or death
20 so the work must not been delayed. So I'm urging
21 you to continue in the spirit of what you propose to
22 clean up our air, forcing automakers to use readily
23 available technology to reduce their deadly
24 pollution, tightening the heavy-duty particulate
25 standards by 50 percent by 2004, and limiting diesel

1 Jason Rash - GPCCP

2 sulfur levels to 10 parts per million by 2006, and
3 closing the SUV loophole by 2007.

4 Thank you again for your time.

5 MS. OGE: Thank you.

6 Mr. Jason Rash. Good afternoon.

7 MR. RASH: Good afternoon. My name is
8 Jason Rash, and I am here representing the Board of
9 Directors of the Greater Philadelphia Clean Cities
10 Program. Great Philadelphia City Program is a
11 public/private partnership dedicated to promoting
12 the development and use of alternative fuels and
13 alternative fuel vehicles in the Greater
14 Philadelphia region.

15 The Greater Philadelphia Clean Cities
16 program was established in 1993 and is widely
17 recognized as one of the most successful United
18 States Department of Energy Clean Cities Programs in
19 the nation. Thanks to the efforts of its members,
20 local governments, companies, and consumers in the
21 Greater Philadelphia region are powering thier vans,
22 trucks, cars and buses on alternative fuels such as
23 compressed natural gas, propane, ethanol, methanol,
24 and electricity. The results being improved air
25 quality and a reduction in the reliance on foreign

1 Jason Rash - GPCCP

2 oil.

3 While the Greater Philadelphia Clean
4 Cities Program coalition enthusiastically supports
5 EPA's proposed strategies to reduce emissions from
6 heavy-duty diesel vehicles, it also calls on EPA to
7 increase alternative fuels.

8 Transportation in America revolves
9 around motor vehicles that run on gasoline and
10 diesel; two fuels that despite advances made in
11 catalytic and fuel cleaning technologies, will
12 continue to contribute to the country's ground-level
13 ozone problem well into the next century.

14 Furthermore, the world's oil supply is
15 not limitless and is the source of great
16 geopolitical instability. As a result, the United
17 States is forced to spend billions of dollars each
18 year importing over half of its oil, often from
19 politically unstable regions of the world.

20 The public health hazard posed by
21 ground-level ozone and the increasing reliance on
22 foreign oil are serious threats to our nation's
23 future. That is why the Greater Philadelphia Clean
24 Cities Program is calling on EPA to increase its
25 presence in the alternative fuel arena. Alternative

1 Natasha Ernst - Low Income Housing Activist

2 fuel vehicles can make considerably less pollution
3 than conventional vehicles, some even have zero
4 emissions, and alternative fuels such as compressed
5 natural gas, electricity, and ethanol are in great
6 abundance here in the United States.

7 The shift to alternative fuels will not
8 take place over night, but it is imperative that it
9 occur now. There is a willingness throughout the
10 country to use alternative fuel vehicles, but its
11 growth is contingent on EPA working with other
12 governmental agencies and private industry to
13 improve both alternative fuel infrastructure and
14 vehicle development.

15 Thank you.

16 MS. OGE: Thank you.

17 Ms. Natasha Ernst. Good afternoon.

18 MS. ERNST: Good afternoon. My name is
19 Natasha Ernst. I live in Philadelphia, and I work
20 with low income housing tenants in Philadelphia.
21 Thank you for this opportunity to voice my concerns
22 about the need to reduce air pollution from trucks
23 and SUVs.

24 A large part of Philadelphia's
25 populations comprised low income households. These

1 Natasha Ernst - Low Income Housing Activist

2 neighborhoods often look like post-industrial
3 wastelands surrounded had by abandoned factories and
4 warehouses. The schools there suffer from crumbling
5 buildings and textbook shortages. People live in
6 substandard housing. But in addition to all of
7 these problems, growing numbers of especially
8 African-American and Hispanic children in
9 Philadelphia are also suffering from severe asthma.

10 A large quantity of the people I see
11 every day have a child that has asthma or they
12 themselves are asthma or another respiratory
13 problem. I see these families striving to provide a
14 better life for their children by finding a decent
15 home, a good public school, and escaping the crime
16 ridden neighborhood. However, no matter how hard
17 these families work, they can't escape from air
18 pollution.

19 The polycyclic organic material in
20 Philadelphia's poorest area is more than 200 times
21 the no-risk level, this according to the EPA. This
22 is created by the burning of gasoline. SUVs burn
23 more gasoline and are less fuel efficient than any
24 other passenger vehicle. This air pollution
25 directly impacts the health and well-being of

1 Natasha Ernst - Low Income Housing Activist
2 Philadelphians, Philadelphians that are often too
3 poor to ever be able to afford the luxury SUVs that
4 are on the market today.

5 I'm asking EPA to put people above
6 corporate profit. The increased profit of
7 corporation, such as Ford and GM, that exist as a
8 result of the SUV loophole will result in more money
9 being spent in medical costs, missed time at work,
10 and decreased quality of life by low income working
11 people and their children who suffer the real cost,
12 the health costs, of air pollution.

13 In essence, by not strengthening the
14 heavy-duty program, the adults and children of
15 Philadelphia and the United States will be financing
16 corporate profit.

17 The EPA now has the unique opportunity
18 to put the public interest ahead of corporate profit
19 by strengthening the heavy-duty program in areas
20 such as closing the SUV loophole so all passenger
21 vehicles meet the clean air standard by 2007,
22 tightening the heavy-duty particulate standard by 50
23 percent by 2004, cleaning up diesel fuel, and
24 ensuring that trucks stay clean once they are on the
25 road.

1 Ami Doshi - NJ PIRG

2 Clean air is a public resource, not a
3 corporate resource. And I applaud the EPA for
4 working to protect it. Thank you for letting me
5 speak about this important issue.

6 MS. OGE: Thank you. Any questions?

7 (No response.)

8 MS. OGE: Thank you very much.

9 Good afternoon.

10 MS. DOSHI: Good afternoon.

11 MS. OGE: Please state your name.

12 MS. DOSHI: My name is Ami Doshi, and I
13 am with the New Jersey PIRG, the New Jersey Publish
14 Research Group. Thank you for giving me an
15 opportunity to voice my concerns for the need to
16 reduce air pollution from trucks and SUVs.

17 In New Jersey and across the Country air
18 pollution is taking enormous toll on public health.
19 Nationwide air pollution sends more than 150,000
20 Americans to emergency rooms each year and causes
21 more than 6 million asthma attacks according to a
22 recent study by Act Associates, a reputable
23 consulting firm. Even worse, particulate air
24 pollution is responsible for cutting short the lives
25 of more than 40 thousand Americans each year. Have

1 Ami Doshi - NJ PIRG
2 big trucks and buses, including diesel and gasoline
3 powered vehicles over 8500 pounds, are among the
4 biggest causes of our pollution problems. Ad
5 manufacturers have done very little to curb their
6 pollution. These big vehicles are a bigger
7 pollution problem today than they were 30 years ago
8 when the Clean Air Act was passed.

9 In urban areas as much as 50 percent of
10 the deadly particulate pollution we have breathe
11 comes from diesel vehicles. Making matters worse,
12 this diesel pollution has been found to contain
13 hundreds of toxic substances, and more than 30
14 health studies link diesel pollution to lung cancer.

15 It is high time for manufacturers of
16 diesel engines and big trucks to use widely
17 available technologies to reduce their pollution.
18 Yet, we know from experience we cannot count upon
19 them to do this voluntarily, nor can we rely on
20 manufacturers to obey the rules with out strict
21 monitoring and enforcement. Just last year these
22 same diesel engine manufacturers were discovered to
23 be cheating on emissions tests resulting in an
24 increase of smog-forming pollution of over 1 million
25 tons each year.

1 Ami Doshi - NJ PIRG

2 New Jersey PIRG applauds the EPA for
3 proposing a forward-looking program to close the SUV
4 loophole that allows SUVs to emit up to five times
5 more pollution than a car, to set standards on
6 trucks and the fuels that power them, and require
7 strict tests to ensure compliance with the
8 standards.

9 However, we are extremely concerned that
10 the proposal is phased in over an unnecessarily long
11 period of time resulting in delayed health benefits
12 for the public and that the proposal may not
13 adequately ensure that heavy-duty trucks comply with
14 the standards throughout the time they are on the
15 road. Specifically, we urge the EPA to considering
16 the following changes to strengthen the heavy-duty
17 program:

18 Number 1, accelerate the time line for
19 closing the SUV loophole. Under the Tier 2 auto
20 pollution program, all cars and smaller SUVs will be
21 required to meet clean car standards by the year
22 2007. There is no technological reason to give
23 automakers another two years to clean up the largest
24 and dirtiest SUVs of all. All passenger vehicles
25 should meet clean air standards by 2007.

1 Ami Doshi - NJ PIRG

2 Number 2, take in the heavy-duty
3 particulate standard by 2004. According to the
4 Manufacturers of Emissions Control Association,
5 MECA, the technology is already available to cut
6 particulate pollution from heavy-duty trucks by
7 using existing catalysts. Yet the current proposal
8 would have the public wait until 2007 before any
9 reductions in particulate pollution from heavy-duty
10 trucks would occur. This delay will contribute to
11 the premature deaths of thousands of Americans.

12 Number 3, adopt strong standards for the
13 year 2007. Pollution from heavy-duty vehicles is an
14 urgent problem that must be addressed as soon as
15 possible. The EPA must forge ahead with an
16 additional 90 percent reduction of particulate
17 matter and nitrogen oxide no later than 2007.

18 Number 4, clean up diesel fuel.
19 Pollution control systems can be truly effective
20 only when they are coupled with low-sulfur fuels.
21 In fact, current sulfur levels in diesel fuel are so
22 high, they actually prevent the use of the most
23 advanced pollution control technology. In order to
24 ensure that diesel pollution equipment is effective,
25 all diesel fuel sulfur levels in both on-road and

1 Ajayi Harris - Citizen

2 off-road diesel fuel should be capped 10 parts per
3 million sulfur by 2006.

4 And Number 5, ensure that the trucks
5 stay clean once they are on the road. Lab tests
6 quite often do not reflect the true on-road
7 emissions. Often faulty pollution control equipment
8 goes unnoticed by the truck owner. Moreover, in the
9 past, engine manufacturers and users have seriously
10 undermined emission standards by using cheating
11 devices during testing procedures. In order to
12 ensure that clean trucks stay clean, in-use testing
13 and on-board diagnostic equipment should be required
14 for all heavy-duty trucks, both gasoline and
15 diesels.

16 Once again, I thank you for allowing me
17 to speak on this important issue.

18 MS. OGE: Thank you.

19 Mr. Harris, Mr. Haupt, and Dennis
20 Winters.

21 Good afternoon. Please state your name
22 and your association for the record.

23 MR. HARRIS: My name is Ajayi Harris.

24 That's A-J-A-Y-I. I live in West Philadelphia.

25 Actually, I moved to the City to work with the PIRG

1 Ajayi Harris - Citizen

2 partly because a really big problem is Philadelphia
3 has the fourth air quality in the country. Lots of
4 urbanization, a lot of people living in densely
5 populated area, so really a great opportunity to
6 come and work in this city and address clean air
7 issues. Particularly also on a personal level, I
8 myself am an asthma sufferer myself, so I can speak
9 from personal experience both on not only having to
10 breathe as a problem, both whether I'm hanging out
11 with friends or sitting behind a diesel truck that
12 is just emanating tons and tons of smoke and
13 pollution out of the back, whether it's a bus or
14 diesel truck or take your pick, Mercedes Benz,
15 whatever.

16 So it was a great opportunity for me to
17 come and testify today and just to tell you all that
18 as speaking from a personal experience it's tough
19 being an asthma sufferer. And there are kids and
20 adults out there that every day sulfur from this
21 problem. I encourage the EPA to take action on this
22 and really find the will and courage to really go
23 out and implement these tougher standards. And I
24 believe that's it. Thank you.

25 MS. OGE: Thank you for coming forward.

1 Dennis Winters - DVTUG

2 I will call again on Mr. John Langan,
3 Mr. Dennis Winters.

4 What we will do is we will stay here
5 until time has been scheduled for these individuals.
6 So we ask that the court reporter to please stay
7 with us. We can stand up and walk around. What I
8 would suggest for us to do is to try to see if we
9 can get together by 4:15 and see is if the
10 individuals sign in here at 4:15. So let's take a
11 break until 4:15.

12 (Brief recess.)

13 MS. OGE: We will ask Mr. Dennis Winters
14 and Mr. Abram Haupt to come forward, please. Please
15 print your names on the cards and state your names
16 for the court reporter.

17 MR. WINTERS: Did you want us to speak
18 in that order?

19 MS. OGE: State your name and spell it
20 for the court reporter.

21 MR. WINTERS: My name Dennis Winters,
22 D-E-N-N-I-S, W-I-N-T-E-R-S.

23 MS. OGE: Mr. Winters, good afternoon.
24 Please start.

25 MR. WINTERS: Thank you. I'm an officer

1 Dennis Winters - DVTUG

2 of the Delaware Transit Users Group or DVTUG.

3 Delaware Valley Transit Users Group

4 would like to thank the EPA for the opportunity to
5 comment on efforts to reduce the pollution from
6 heavy-duty diesel engines. Far too many people die
7 and suffer each year because of the particulates and
8 other emissions from diesel engines. The health of
9 thousands of young and elderly in the Philadelphia
10 area is compromised by this continuing source of air
11 pollution. And what is not known about the
12 consequences of this fine particle pollution is even
13 more frightening. Who knows what carcinogens invade
14 the eyes, nose, throat, and lungs riding these
15 minute particles?

16 As a transit promoter, DVTUG is
17 concerned, in particular, with the diesel-powered
18 buses operating in the Philadelphia metropolitan
19 area. Both over-the-road and local bus fleets are
20 almost exclusively diesel powered. Because much of
21 the pollution from diesels takes place as billowing
22 clouds of black soot, it is one of the few remaining
23 obvious sources of visible air pollution. Based on
24 the number of complaints we receive, the continuing
25 reliance of SEPTA and New Jersey Transit on

1 Abram Haupt - Citizen

2 diesel-powered buses is a real impediment to gaining
3 new transit users or even greater tolerance from the
4 public who does not take transit.

5 The members of DVTUG hope that
6 promulgating these regulations will now offset some
7 of the external costs associated with the health
8 costs and pollution and that the purchase price of
9 new natural gas-powered buses will become more
10 competitive with diesel vehicles. Perhaps then
11 public transportation agencies, like this area's
12 SEPTA and New Jersey Transit, will no longer cling
13 to the excuse of price difference when choosing
14 diesel-powered buses over much cleaner alternatives.

15 MS. OGE: Thank you.

16 Mr. Abram Haupt.

17 MR. HAUPT: Do you want me to state my
18 name?

19 MS. OGE: Please.

20 MR. HAUPT: My name is Abram Haupt,
21 A-B-R-A-M, H-A-U-P-T. I'm a concerned citizen and
22 I'm testified with the Pennsylvania Public Interest
23 Research Group. I'm going to tell you a brief
24 little story today. I'm a college student and
25 concerned citizen and I'm here to testify in support

1 Abram Haupt - Citizen
2 of the new proposed emission standards on cars and
3 SUVs, but I am a SUV owner. Basically, I am
4 particularly concerned about the fact that SUVs are
5 given a lethal loophole in our current standard
6 system and are allowed to pollute substantially more
7 than the average vehicle. I purchased my SUV in the
8 fall of '96, and one thing I find remarkably
9 striking is the fact that through my entire
10 purchasing process, I was never informed of the
11 potentially polluting, or I should say the polluting
12 ramifications of this vehicle. This was, of course,
13 before I became an environmentalist.

14 And the point of this story is that auto
15 companies have a responsibility to provide
16 environmental responsible vehicles and oil companies
17 have an obligation to sell low-sulfur fuel because
18 the average citizen is usually not aware of these
19 things when he or she purchases a vehicle. When the
20 typical American purchases a vehicle, they do not
21 know that 40,000 Americans died prematurely last
22 year due to air pollution. Proof of this is the
23 huge rise in SUV sales over the last decade.

24 Concluding, corporate America has an
25 obligation to create vehicles and fuel safe for all

1 Abram Haupt - Citizen
2 Americans, and they have the obligation to do it
3 now. If we do not act immediately on this issue,
4 the respiratory functions of hundreds of thousands
5 of Americans within the next few years may be at
6 stake.

7 MS. OGE: Thank you. And this concludes
8 the public hearing today. Thank you for coming
9 forward to testify.

10 (Pubic hearing concluded at 4:20 p.m.)

11 - - -

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T I O N

I HEREBY CERTIFY that the foregoing proceedings of the United States Environmental Protection Agency Public Hearing of November 2, 1999, were reported fully and accurately by me, and that this is a correct transcript of the same.

Bernadete M. Black, RMR
and Notary Public

Lisa C. Bradley, RPR
and Notary Public