

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
505th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, September 11, 2003

Work Order No.: NRC-1069

Pages 1-416

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
(ACRS) 505<sup>th</sup> MEETING, DAY 2  
+ + + + +  
THURSDAY,  
SEPTEMBER 11, 2003  
+ + + + +  
ROCKVILLE, MARYLAND

The Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Mario V. Bonaca, Chairman, presiding.

COMMITTEE MEMBERS:

MARIO V. BONACA, Chairman  
GEORGE E. APOSTOLAKIS, Member  
THOMAS S. KRESS, Member  
GRAHAM M. LEITCH, Member  
DANA A. POWERS, Member  
VICTOR H RANSOM, Member  
STEPHEN L. ROSEN, Member  
WILLIAM J. SHACK, Member  
JOHN D. SIEBER, Member  
GRAHAM B. WALLIS, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 JOHN T. LARKINS, Director

3 SHER BAHADUR, Associate Director

4 SAM DURAISWAMY, Technical Assistant

5 B.P. JAIN

6 HOWARD J. LARSON, Special Assistant

7

8 ALSO PRESENT:

9 BRUCE BEISLER, Florida Power and Light

10 T.Y. CHANG

11 KEVIN COYNE

12 MARY DROUIN

13 NOEL DUDLEY

14 MICHELE EVANS

15 JOHN FLACK

16 STEVE HALE

17 DONNIE HARRISON

18 TONY HSIA

19 MICHAEL JOHNSON

20 JOHN KAUFFMAN

21 PT KUO

22 ERIC LEEDS

23 BRUCE LETELLIER

24 TILDA LIU

25 RON L. LLOYD

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT: (CONT.)  
  
LEDYARD (TAD) MARSH  
  
MIKE MAYFIELD  
  
JIM MEDOFF  
  
GARETH PARRY  
  
MOHAMMED SHUAIBI  
  
HOWARD VANDERMOLEN

A-G-E-N-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<u>Agenda Item</u>	<u>Page</u>
Final Review St. Lucie License	
Renewal Application . . . . .	7
Draft Final Regulatory Guide DG-1122 . . . . .	77
Technical Assessment and Proposed . . . . .	161
Recommendations for resolving GSI-186	
Draft Final Review Standard for Reviewing . . .	254
Core Power Uprate Applications	
Draft Final Revision 3 to Regulatory . . . . .	344
Guide 1.82 (DG-1107)	

P-R-O-C-E-E-D-I-N-G-S

(8:31 a.m.)

CHAIRMAN BONACA: Good morning. The meeting will now come to order.

This is the second day of the 505th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the committee will consider the following: final review of the St. Lucie license renewal application; draft final Regulatory Guide DG-1122, "Determining the Technical Adequacy of PRA Results for Risk-Informed Activities"; technical assessment and proposed recommendations for resolving GSI-186, "Potential Risk and Consequences of Heavy Load Drops in Nuclear Power Plants"; draft final review standard for reviewing core power uprate applications; draft final Revision 3 to Regulatory Guide 1.82 (DG-1107), "Water Sources for Long-Term Recirculation Cooling Following a LOCA"; review of PIRT Process; and proposed ACRS reports.

A portion of this meeting will be closed to discuss a proposed ACRS report on safeguards and security.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Dr. John Larkins is the designated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 federal official for the initial portion of the  
2 meeting.

3 We have received no written comments or  
4 requests for time to make oral statements from members  
5 of the public regarding today's session.

6 A transcription of portions of the meeting  
7 is being kept, and it is requested that the speakers  
8 use one of the microphones, identify themselves, and  
9 speak with sufficient clarity and volume so that they  
10 can be readily heard.

11 Before we start, today marks the second  
12 anniversary of the terrorist attacks of September 11,  
13 2001. So before starting our meeting, please join me  
14 in a few moments of silence to remember those who died  
15 in the terrible tragedy.

16 (Whereupon, a moment of silence was  
17 observed.)

18 CHAIRMAN BONACA: We will proceed now with  
19 the meeting. Before we start on the first item on the  
20 agenda, I would like to point your attention to the  
21 items of interest you have in front of you. There are  
22 a number of speeches, a couple of interesting speeches  
23 by Chairman Diaz, and also quite a bit of information  
24 about operating plant issues and congressional  
25 correspondence.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER POWERS: Mr. Chairman, I will note  
2                   that Dr. Teller died yesterday, that he was the  
3                   founder of this committee and always especially kind  
4                   and thoughtful toward me.

5                   CHAIRMAN BONACA: John, we can talk about  
6                   sending a card from the committee.

7                   Okay. Let's start with the first item on  
8                   the agenda. That's the final review of the St. Lucie  
9                   license renewal application. We have with us the  
10                  licensee. We have this licensee before, not only for  
11                  this application but also for Turkey Point, and we  
12                  have quite an interesting presentation today. So --

13                  MR. HALE: Can you hear me okay?

14                  CHAIRMAN BONACA: Okay.

15                  MR. HALE: Thanks for letting me speak in  
16                  front of you again for I think this is like the fourth  
17                  time.

18                  MEMBER ROSEN: You should identify  
19                  yourself for the record.

20                  MR. HALE: Oh, I'm sorry. Steve Hale,  
21                  Project Manager for License Renewal for Florida Power  
22                  and Light Company.

23                  Today there were three topics that were --  
24                  I was asked to discuss. Bruce, if you'll put on the  
25                  next slide. Let me introduce also -- this is Bruce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Beisler. He was the civil lead for the Turkey Point  
2 as well as the St. Lucie license renewal effort.

3 The three items I was asked to discuss  
4 today are aging management review of concrete below  
5 groundwater, we had some recent results from the  
6 Unit 2 reactor vessel head inspection I was asked to  
7 discuss, and then to discuss commitment tracking.

8 With regards to concrete, at the onset we  
9 established our groundwater as aggressive, being on a  
10 saltwater site. And looking at the GALL report, our  
11 chlorides, of course, exceeded 500 ppm, sulfates were  
12 greater than 1,500 ppm, although the groundwater pH  
13 was not less than 5.5.

14 We did sample for phosphates based on some  
15 recent discussions and measured our phosphate levels  
16 to be very, very low, but, you know, it was somewhat  
17 moot considering we considered our water aggressive  
18 from the onset.

19 The concrete at St. Lucie that is exposed  
20 to groundwater is essentially -- the first two items  
21 are essentially big pieces of concrete base mats that  
22 have a small portion of it that's exposed to the  
23 groundwater, which is the containment base mat and the  
24 steam trestle.

25 The auxiliary building bottom floor, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is about 17 -- actually, I guess it's about 20 feet  
2 below grade, a small portion of the wall and the floor  
3 is exposed to groundwater. The intake structure,  
4 although we dewater and inspect the external portions  
5 of that, gives us an assessment on the condition of  
6 that concrete, and we do the same with ultimate heat  
7 sink dam. This is the extent of the concrete that's  
8 actually exposed to groundwater.

9 We address aging below groundwater  
10 concrete by design, and we also have our systems and  
11 structures monitoring program. I won't go into the  
12 details here unless there is some specific questions,  
13 because the next few slides I presented at the last  
14 subcommittee presentation I made.

15 This really summarizes the actual design  
16 of the concrete and actual measured values to verify  
17 the concrete was within those criteria.

18 So, Bruce, if you would just page through  
19 that.

20 MEMBER LEITCH: Steve, I noticed in the  
21 NRC inspection report that there was an omission in  
22 your procedures for the opportunistic inspection of  
23 buried concrete -- that is, that if you had to do a  
24 dig up, the procedure didn't necessarily flag the  
25 people --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: Right.

2 MEMBER LEITCH: -- to specifically inspect  
3 the concrete. And that was promptly rectified, and  
4 the procedure now specifically instructs people to  
5 inspect the concrete when those occasions occur.

6 MR. HALE: And although it wasn't  
7 proceduralized, we have actually done those  
8 inspections when we have excavated. In fact, I have  
9 a couple of areas that we did do that.

10 MEMBER LEITCH: I guess my question was,  
11 there are other components that are inspected on an  
12 opportunistic basis, such as buried pipes and tanks.  
13 And I wondered if that procedural linkage was involved  
14 -- was in those procedures as well.

15 MR. HALE: Well, with regards to piping,  
16 the major piping that -- well, actually, we don't have  
17 a lot of piping that's exposed to groundwater. In  
18 fact, I'm not aware of any piping other than right at  
19 the discharge structure that's actually exposed to  
20 groundwater.

21 MEMBER LEITCH: Okay.

22 MR. HALE: And that piping gets crawl-  
23 through inspections. So that's the intake -- what we  
24 call our intake cooling water system, and we do crawl-  
25 through inspections consistent with the requirements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as an ASME Section 3 system. And they do -- they  
2 completely crawl through the whole pipe.

3 So, but there's only a very small portion  
4 of that that's actually exposed to groundwater. The  
5 piping itself is not below the grade level.

6 MEMBER LEITCH: Okay. And buried tanks,  
7 do you have --

8 MR. HALE: No, we have no buried tanks.

9 MEMBER LEITCH: You have no buried tanks.

10 MR. HALE: All of our tanks are above  
11 ground.

12 MEMBER LEITCH: Okay, good. Thank you.

13 MR. HALE: Again, this is just summarizing  
14 the design features that we instituted. We do have  
15 waterproof membranes, high compressive strength  
16 concrete. I would like to mention that concrete on  
17 the aux building walls and floor is three foot thick.

18 Next slide, Bruce.

19 What we propose to do in terms of trying  
20 to get an indication of this besides, you know,  
21 opportunistically looking at concrete when we excavate  
22 it is as part of our systems and structures monitoring  
23 program, we will be monitoring the aux building areas  
24 that are below groundwater for bleeding, rust  
25 bleeding, things of this sort, to get any indication

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if there are problems, although we don't anticipate  
2 it.

3 When you look at the full scope of the  
4 concrete that is exposed to groundwater, that would be  
5 the area that's the thinnest and, as a result, should  
6 be the first indicator if you did have a problem.

7 In speaking to what you had mentioned  
8 before, the buried -- we have done some inspections of  
9 buried concrete structures. This is a summary of the  
10 opportunistic inspections that we have made. The  
11 Unit 1 containment, this was during the 1997 steam  
12 generator repair project.

13 The ultimate heat sink dam, we actually --  
14 we did a cathodic protection system replacement, and  
15 we actually excavated and inspected some of that  
16 concrete. The Unit 1 -- and I'd like to highlight  
17 this is not necessarily concrete below groundwater.  
18 This is just buried concrete, because the CCW building  
19 is not really below the groundwater.

20 We did an exploratory excavation in 2002,  
21 and then, as Bruce well knows, we are upgrading our  
22 spent fuel cask frame, and they've gotten into quite  
23 a bit of inspections with the cask frame foundations  
24 and looking at the condition of the concrete. And in  
25 all cases we saw no degradation in the concrete.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: No degradation.

2 MR. HALE: No. The next topic was --  
3 unless there are any questions, I'll move on to the  
4 recent operating experience at St. Lucie.

5 With the inspection of Unit 2, this has  
6 completed all of our reactor vessel head inspections,  
7 both at Turkey Point and St. Lucie. At Turkey Point  
8 3 and 4, and at St. Lucie 1, we did both visual and  
9 ultrasonic inspection, and we found no indications in  
10 the reactor vessel head penetrations and no evidence  
11 of leakage.

12 However, at St. Lucie 2, which we  
13 inspected in the spring of this year -- well, let me  
14 just run through what the inspection requirements  
15 were. There was 100 percent bare metal visual  
16 inspection we were requested to do. We did have a  
17 specific relaxation request for an area under the  
18 shroud ring, which was about less than one percent of  
19 the reactor vessel head surface area; 100 percent  
20 ultrasonic examination of 102 reactor vessel head  
21 penetrations.

22 We did have a request for portions of the  
23 tubing that we may not be able to get a good  
24 ultrasonic signal below the weld, about one inch below  
25 the weld. So that was the scope of the inspection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we did on Unit 2.

2 Now flip to the next slide.

3 For the bare metal visual examination  
4 results, we had no evidence of leakage, and there was  
5 no evidence of wastage on the reactor vessel head.  
6 However, as opposed to our three other units, on  
7 Unit 2 we did get indications on two reactor vessel  
8 head penetrations of a single axial flaw in two of  
9 those head penetrations.

10 Now, again, this not a throughwall crack.  
11 There was no evidence of leakage. However, we went  
12 into repairs on those penetrations.

13 Next slide, Bruce.

14 We removed the lower portion of the CEDM  
15 nozzle in the flaw by machining. We repaired both  
16 penetrations by welding. We used -- it was about the  
17 mid-thickness of the head. This is a temper bead weld  
18 process that has been used in other repairs at other  
19 utilities. And then, we again inspected to ensure  
20 that we had removed all of the flaws.

21 The process, the repair configuration, and  
22 the overall inspection was approved by the NRC prior  
23 to embarking on it.

24 MEMBER ROSEN: When you removed the flaws  
25 by machining, were you able to confirm the ultrasonic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 testing in any way? Did that, in fact --

2 MR. HALE: I can't answer that question.  
3 I'm really not, you know, prepared to do that. I do  
4 have a copy of the inspection report that was issued  
5 to the NRC, the 60-day report. I'm not sure -- I  
6 would assume that our inspection folks would have  
7 tried to confirm what they saw, you know, that -- that  
8 they got some calibration or confirmation that their  
9 ultrasonic techniques --

10 MEMBER ROSEN: You say you have a copy  
11 with you?

12 MR. HALE: I have a copy of the 60-day  
13 report, yes.

14 MEMBER ROSEN: You can do it offline.

15 MR. HALE: Okay. So, in conclusion, so  
16 the Unit 2 inspection, we had no wastage or leakage or  
17 identified leakage. And we completed repairs on the  
18 two reactor vessel head penetrations, and to a  
19 condition which was free of cracks and degradation.

20 I would like to mention we have ordered a  
21 new reactor vessel head, as we have on all our other  
22 three units. And we'll continue to perform the  
23 inspections in accordance with the order.

24 Well, that's what I wanted to cover with  
25 reactor vessel head inspection. Have you got any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 other questions?

2 CHAIRMAN BONACA: Could you just refresh  
3 our memory on the Unit 1?

4 MR. HALE: Oh. On the Unit 1 inspection?

5 CHAIRMAN BONACA: Yes.

6 MR. HALE: Yes. On Unit 1, we had no  
7 indication of leakage with 100 percent bare metal  
8 visual. We performed the same inspection, and we had  
9 no indications with the ultrasonic inspection.

10 CHAIRMAN BONACA: So you did the  
11 ultrasonic now on both heads.

12 MR. HALE: Right. Right.

13 CHAIRMAN BONACA: Okay. Because I  
14 remember when you had the presentation to us in the  
15 subcommittee Unit 2 had not received --

16 MR. HALE: Right.

17 CHAIRMAN BONACA: Yes, okay.

18 MR. HALE: Exactly.

19 CHAIRMAN BONACA: Right.

20 MR. HALE: So based on the results, we  
21 also have an upcoming steam generator replacement for  
22 Unit 2 sometime in the future. So I think they're  
23 going to plan to coordinate those two activities.

24 CHAIRMAN BONACA: And you said you have  
25 ordered the heads of this --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: Yes.

2 CHAIRMAN BONACA: -- new heads.

3 MR. HALE: Yes, we've --

4 CHAIRMAN BONACA: Okay.

5 MR. HALE: In fact, we've ordered four.

6 CHAIRMAN BONACA: Okay.

7 MEMBER ROSEN: Now, tell me two other  
8 things. How old -- how long have these units been in  
9 service?

10 MR. HALE: Actually, Unit 2 is our  
11 youngest unit. So it kind of defied, you know, some  
12 of the criteria. Turkey Point is highly -- in the  
13 highly susceptible category, and they had no  
14 indications and no leakage. They are our oldest  
15 plants. St. Lucie 1 is fairly close to Turkey Point.  
16 They went in service -- Turkey Point went in service  
17 in '72/'73, and St. Lucie in '76. Unit 2 went in  
18 service in '83.

19 MEMBER ROSEN: So it's 20 years old.

20 MR. HALE: Right. Right.

21 MEMBER SHACK: And the operating head  
22 temperature is?

23 MEMBER ROSEN: That's my other question.

24 MR. HALE: It's less than -- it's around  
25 600 degrees, a little less than 600.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: Oh, so that's fine.

2 MR. HALE: Yes. But if you look at the  
3 categorization and the susceptibility, Turkey Point  
4 was our highest susceptible units, followed by  
5 St. Lucie 1 and then St. Lucie 2. And we didn't have  
6 leakage; we just had indications of our flaws in a  
7 couple of tubes. So, you know, they could have been  
8 preservice as well, so we don't really know.

9 MEMBER ROSEN: Well, we're always  
10 interested in confirm -- trying to confirm the time  
11 and temperature model.

12 MR. HALE: Right.

13 MEMBER ROSEN: This doesn't help.

14 (Laughter.)

15 MR. HALE: There's a lot of other factors,  
16 I believe -- you know, fabrication techniques and --

17 MEMBER ROSEN: We are aware of it.

18 (Laughter.)

19 MR. HALE: I believe this is probably the  
20 one topic the committee is most interested in is what  
21 we're doing in the area of commitment tracking. I  
22 believe we have a very aggressive program for  
23 commitment tracking for license renewal at both Turkey  
24 Point and St. Lucie, and, you know, we were able to do  
25 quite a bit at Turkey Point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In fact, we've formally turned over the  
2 activities to the current operating group, and at St.  
3 Lucie 2 we're in the midst of that implementation as  
4 well.

5           Early on, we had started with, you know,  
6 incorporating commitments into our commitment -- our  
7 existing commitment tracking program, which are hard  
8 commitments to the NRC. And we put special  
9 designators in the license renewals, so they could be  
10 sorted and picked up and identified.

11           When I say "commitments" here, this goes  
12 beyond the commitments of the -- that are identified  
13 specifically in the -- in fact, this is probably a  
14 misnomer here. This should probably be "activity  
15 supporting commitments." We plan to have 70 to 80  
16 percent of the activity supporting commitments  
17 implemented prior to issuing the renewed license.

18           And what this is is everything -- like if  
19 you have a program, whether it's existing or new, we  
20 identify specific activities that you have to perform.  
21 You have to get the commitments integrated into the  
22 procedures. You know, you have to have change  
23 processes to ensure that when procedures are changed,  
24 if there's a license renewal commitment, they realize  
25 at the plant level they can't change that commitment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So when I say 70 to 80, and we were able  
2           to accomplish it at -- this at Turkey Point, and we're  
3           well on our way at St. Lucie, we should have all of  
4           the activities supporting our commitments -- 70 to 80  
5           percent of those -- already implemented by the time we  
6           get the new license. And this is in the area of new  
7           programs and changes to the existing program. I mean,  
8           existing programs and changes to existing programs.

9           Next slide, Bruce.

10          And then once we implement commitments, we  
11          maintain them through, you know, three -- I'll call it  
12          legs of the stool, or whatever -- configuration  
13          control documents, our change control processes, and  
14          our training. We have had a very extensive training  
15          program that we initiated very early.

16          Next slide, Bruce.

17          The configuration control documents that  
18          we've implemented -- first is the license renewal  
19          design basis document. We implemented one -- in fact,  
20          we just issued final drafts of these. They basically  
21          incorporate the six-column tables into the -- a design  
22          basis document that becomes part of our overall design  
23          basis document system.

24          We have fire protection, station blackout,  
25          specific system DBDs, and now there will be a license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 renewal DBD.

2           The second item, which are ongoing and are  
3 very similar to a design basis document, is our  
4 program basis documents. These documents define the  
5 program, they define the specific procedures to  
6 implement that program, and they also draw the  
7 specific commitments and changes that need to be  
8 implemented.

9           Design drawings -- early on we put our  
10 license renewal flags on P&IDs. If you'll recall, we  
11 did that before we even submitted our initial  
12 application at Turkey Point, and we did the same at  
13 St. Lucie. We used a system of flags very similar to  
14 what we used for code boundaries that identify LR  
15 flags, and this is primarily for the mechanical  
16 systems.

17           Calculations -- in the calculations we  
18 identify specific calcs that are identified as TLAAs  
19 that support the license renewal commitments. And the  
20 UFSARs -- in the UFSARs we have specific commitments  
21 identified as well as program summaries in the new  
22 chapter we created for the FSARs. And we have a  
23 summary of the TLAAs in the FSAR.

24           And then finally, and probably the most  
25 extensive thing we've done, we've got into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 individual operating and maintenance procedures that  
2 specifically implement the programs. You'll have a  
3 program on a high level, and you may have 10  
4 procedures that implement that program.

5 And we went into each procedure and  
6 identified specific steps that were license renewal  
7 commitments, and we flagged those as license renewal  
8 commitments. And we changed the procedure process --  
9 well, I'll get into that in a minute, but we actually  
10 flagged specific commitments in the operations and  
11 maintenance procedures we credited for license  
12 renewal.

13 In the change control procedures we've  
14 already -- in fact, currently my mechanical lead is  
15 giving training to the site right now for the final  
16 quality instructions we develop. These are our design  
17 control procedures. We've put specific forms in the  
18 design change process that forces the engineering  
19 folks to document reviews relative to license renewal,  
20 to see if there are impacts from a design standpoint,  
21 scoping standpoint, that sort of thing.

22 We developed a series of engineering  
23 desktop procedures. The folks that will be most  
24 involved in looking at this will be those involved  
25 with equipment procurement and engineering design. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually had special sessions with the supervisors,  
2 gave them desktop guidelines, and then trained their  
3 people as well on what they need to be looking for,  
4 the kind of things that could impact not only the  
5 scope but aging management programs.

6 And then we went into the plant change  
7 process. We actually went into, you know, like PMs,  
8 admin procedures, this sort of thing, and actually  
9 changed their process, the plant's process for  
10 changing these procedures, to require specific  
11 questions and checkpoints and signoffs related to  
12 license renewal.

13 And finally, in the license renewal  
14 training area, we -- again, as I mentioned, we  
15 initiated it early, and this was plant-wide. We  
16 addressed multiple groups, multiple management levels.  
17 Our training has been ongoing with the engineering  
18 training program. That training is all documented.

19 In fact, one of the audits the NRC came  
20 in. They actually looked specifically at our records  
21 and the things documenting the training. And it's  
22 going to be ongoing. We will continually have  
23 specific training sessions related to license renewal  
24 to keep people posted. We're also considering a QA  
25 audit in the next year or so to make sure that we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 following the various procedures and things we put in  
2 place.

3 MEMBER LEITCH: Steve, I had a question  
4 right on that point. As I read some of the NRC  
5 inspection material, it seemed to me that there was  
6 procedural compliance having to do with pumping out  
7 water from manholes.

8 MR. HALE: Right.

9 MEMBER LEITCH: I guess there's been a  
10 chronic problem of water getting in manholes, and  
11 there's a procedure to inspect the manholes  
12 periodically, and that was not done I guess or not  
13 done fully. And there were other incidents pointed  
14 out where safety-related manholes were inspected on  
15 one unit but the same corresponding manhole was not  
16 inspected on the other unit.

17 MR. HALE: Right.

18 MEMBER LEITCH: I guess it gives me a  
19 little bit of concern about your procedural  
20 compliance. In other words, these procedures are all  
21 good, but they have to be rigorously followed. And  
22 could you --

23 MR. HALE: If I might --

24 MEMBER LEITCH: -- make some comments  
25 about that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: Yes. The problem was not  
2 necessarily procedure-compliance. The problem was the  
3 procedure itself. What we had is a difference between  
4 Unit 1 and Unit 2. Unit 2 has cascading manholes to  
5 a sump with a sump pump.

6 Unit 1 does not have that similar feature,  
7 so Unit 1 was inspecting all of the safety-related  
8 manholes. The procedure that was developed for St.  
9 Lucie 2 only had them inspecting the sumps with the  
10 sump pumps.

11 MEMBER LEITCH: Okay.

12 MR. HALE: Okay? So the plant was  
13 following the procedure. The issue was we weren't  
14 inspecting all of the manholes, and you could have a  
15 manhole upstream with a plugged drain, you know,  
16 things of that sort. So we instituted a condition  
17 report and immediately corrected that to ensure that  
18 all safety-related manholes -- in fact, I have a  
19 backup slide that talks about that.

20 We instituted changes -- in fact, we  
21 integrated it into our license renewal program basis  
22 document that requires that as part of a licensing  
23 commitment under license renewal to ensure that, you  
24 know, people can't change that, and that sort of  
25 thing. So we had -- I think it's 24 months. Every 24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 months we inspect all safety-related manholes.

2 MEMBER LEITCH: So it's not a procedural  
3 compliance issue, then. The procedure itself was --

4 MR. HALE: If the procedure itself wasn't  
5 -- didn't fully cover the entire scope that it needed  
6 to.

7 MEMBER LEITCH: Okay. Thanks.

8 MEMBER ROSEN: This committee has been  
9 concerned for a long time about the whole overall  
10 process of license renewal in the sense that there was  
11 a perception early on that things would -- it would be  
12 business as usual until he got to the term of the  
13 current -- the end of the current term. And then, on  
14 that day everything would change, that the plant would  
15 begin implementing license renewal features.

16 And we worried, a) for the plant; and we  
17 worried, b) for the staff trying to deal with  
18 inspection of such an abrupt change. What you've  
19 talked to us about today is very commendable. It is  
20 an idea that even before you get licensed, even before  
21 you get a license renewed, a piece of paper from the  
22 staff, you begin implementing and training and work  
23 towards the day where you have a renewed license.

24 And even in the current term before the  
25 renewed license becomes -- I don't know what quite to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say. Until you enter the license renewal term, much  
2 of the -- all of the implementation goes on very, very  
3 early, and so the day that St. Lucie actually enters  
4 its license renewal term I would expect that almost  
5 nothing would be different from that day to the next  
6 day.

7 MR. HALE: The only thing that carried  
8 forward are the one-time inspections. You've got  
9 individual one-time inspections that need to be  
10 tracked. There are certain activities -- for example,  
11 let's take the internals inspection. We have five --  
12 although there is one commitment to do an internals  
13 inspection during the -- you know, during the renewal  
14 period, we have five to six commitments under there  
15 that calls for submitting -- you know, doing an  
16 evaluation on void swelling.

17 So the one-time inspections, especially  
18 the ones that don't have any clear definition right  
19 now like the internals where we're waiting on industry  
20 information with regards to void swelling and this  
21 sort of thing, are really the only thing that will be  
22 left.

23 The day-to-day operational programs -- you  
24 know, and my crew we all grew up in the engineering  
25 organization, and we worked in the plants. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't -- we didn't want to complete this project and  
2 just -- and say, "Okay, it's yours, you know, you've  
3 got it." We wanted to make sure that people  
4 understood what the commitments were, that people were  
5 taking accountability for the specific programs, and  
6 that sort of thing.

7 MEMBER ROSEN: Well, I think this is a  
8 lesson for the staff and for perhaps other licensees  
9 who approach us for license renewals. That there is  
10 a right way to do this, and the right way is to have  
11 a smooth transition early.

12 MR. KUO: This is P.T. Kuo.

13 CHAIRMAN BONACA: I have a question. I'm  
14 sorry.

15 MR. KUO: I'm sorry.

16 CHAIRMAN BONACA: You go ahead. No, you  
17 go ahead.

18 MR. KUO: This is P.T. Kuo, the Program  
19 Director for License Renewal and Environmental Impacts  
20 Program. I agree with Dr. Rosen that this is  
21 something that the licensees with renewed licenses are  
22 to do. And I believe some of them -- I may be wrong,  
23 that all of them will do it, but at least the majority  
24 of them will start doing it, because they change their  
25 aging management program procedures, actually, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, when they get their license.

2 Many of them are using the existing  
3 programs to serve as the aging management program. So  
4 I think, thus, probably a lot of the licensees will do  
5 it. That helps.

6 CHAIRMAN BONACA: Okay. Well, I had a  
7 question just regarding in your application you had  
8 some TLAA's of half-nozzle repairs of the instrument  
9 lines, pressurizes, and hot plates. And still you are  
10 -- I mean, the conclusion was not obvious, because the  
11 TLAA had not been approved by the NRC. Is that issue  
12 closed now or --

13 MR. HALE: The way they -- you know, there  
14 were some relief requests that were submitted.

15 CHAIRMAN BONACA: That's right.

16 MR. HALE: The NRC only approved those  
17 relief requests for a year. So we're going to have to  
18 go back, you know, again and submit those --

19 CHAIRMAN BONACA: Okay.

20 MR. HALE: -- relief requests. In  
21 parallel with that, there is some additional analysis  
22 and evaluation going on to evaluate corrosion rates in  
23 that little space there like we talked about the last  
24 time.

25 CHAIRMAN BONACA: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: I'm hoping that through this  
2 year that we'll have enough technical where at the  
3 next relief request we'll be able to get the full  
4 period. If not, it will continue to go on a cycle-by-  
5 cycle basis.

6 CHAIRMAN BONACA: But you have committed  
7 to do whatever --

8 MR. HALE: To do that.

9 CHAIRMAN BONACA: -- needs to be done --

10 MR. HALE: Yes. Yes.

11 CHAIRMAN BONACA: -- to resolve that  
12 issue.

13 MR. HALE: Right. Right. That was, in  
14 fact, one of the added commitments to our document.

15 CHAIRMAN BONACA: Okay.

16 MEMBER LEITCH: I had a couple of  
17 questions about the consequences of the work that was  
18 done. In 1986, the major repairs of Unit 1, the  
19 removal of the thermal sleeve and repair of the core  
20 barrel, you indicated that that was going to be part  
21 of the 10-year ISI inspection program.

22 MR. HALE: Yes.

23 MEMBER LEITCH: And work was done --  
24 performed in 1996, 10 years afterwards, and no  
25 deterioration was found. Is it the plan, then, to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continue to do those kinds of inspections throughout  
2 the period of extended operation?

3 MR. HALE: Yes, it is. After the core  
4 support barrel repair we actually integrated that  
5 inspection into our normal 10-year Section 11  
6 inspection.

7 MEMBER LEITCH: Now, just --

8 MR. HALE: That visual will be done each  
9 time we do our 10-year inspection.

10 MEMBER LEITCH: I'm just not familiar with  
11 what the status of Unit 2 is in that regard. Does it  
12 have a thermal shield?

13 MR. HALE: No. The event occurred on  
14 Unit 1 at a time where we were able to start up the  
15 plant without the thermal shield.

16 MEMBER LEITCH: Okay. So it was never  
17 installed on any --

18 MR. HALE: It was never installed, no.

19 MEMBER LEITCH: Okay. Thank you.

20 MR. HALE: Any other questions? Okay.

21 CHAIRMAN BONACA: Well, thank you.

22 MR. HALE: Thanks for your attention.

23 CHAIRMAN BONACA: Okay. Mr. Kuo?

24 MR. KUO: Yes. While Noel is getting  
25 ready for his presentation, let me just say a few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 words about the presentation arrangement. As you  
2 know, Noel Dudley is the Project Manager for this  
3 plant since the beginning, but we also put Ms. Tilda  
4 Liu as backup Project Manager. And both of them will  
5 make a joint presentation today, and all of the tech  
6 staff are in the -- sitting in the audience to --  
7 ready to any answer technical -- detailed technical  
8 questions you may have.

9 I just want to say that you will see more  
10 of this type of arrangement in the future. We are  
11 trying to get our project managers ready to take on  
12 more -- future plants, future applications.

13 And just to give you some idea about  
14 future applications, next week we are going to get  
15 Farley applications in, and October 15th, a month  
16 later, we are going to get the ANO-2 coming in, and  
17 then we are going to get D.C. Cook applications. In  
18 December, Browns Ferry comes in, and a month later  
19 Millstone. So just to give you a heads-up.

20 MEMBER ROSEN: We need another ACRS --

21 CHAIRMAN BONACA: No. You don't have to  
22 go any further.

23 (Laughter.)

24 Now, Mr. Dudley, do we know you?

25 MR. DUDLEY: It feels a little awkward

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being on this side of the table.

2 MEMBER KRESS: Shouldn't we ask Mr. Dudley  
3 to introduce himself and tell us why he's qualified  
4 to --

5 MEMBER APOSTOLAKIS: I second this. I  
6 think he should present his qualifications.

7 (Laughter.)

8 And speak with sufficient clarity and  
9 volume.

10 MEMBER KRESS: Welcome, George, by the  
11 way. Good to see you.

12 MEMBER APOSTOLAKIS: Thank you, Tom.

13 MEMBER ROSEN: Perhaps you should  
14 introduce yourself, George.

15 (Laughter.)

16 MR. DUDLEY: My name is Noel Dudley, and  
17 I am the Project Manager for the safety review of the  
18 St. Lucie license renewal application. And my  
19 qualifications was working for over eight years as an  
20 ACRS staff engineer under the tutelage of the ACRS  
21 members.

22 MEMBER POWERS: Now, that gives a  
23 clarification for EDO. What --

24 (Laughter.)

25 -- qualifies you to do license renewal?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER ROSEN: And it also shows you have  
2 a high tolerance for pain.

3                   (Laughter.)

4                   MR. DUDLEY: At the table with me is Ms.  
5 Tilda Liu who, as Project Manager, has been  
6 responsible for revising and issuing the safety  
7 evaluation report concerning the St. Lucie license  
8 renewal application.

9                   The Florida Power and Light -- next slide.  
10 Florida Power and Light Company submitted its license  
11 renewal application for St. Lucie Units 1 and 2 on  
12 November 29, 2001. The staff issued its safety  
13 evaluation report with open items approximately  
14 14 months later and briefed the ACRS license renewal  
15 subcommittee on April 9th.

16                   After resolving all of the open and  
17 confirmatory items the staff issued its safety  
18 evaluation report on July 7th and provided the ACRS  
19 copies to assist the members in the presentation at  
20 today's meeting.

21                   Next slide.

22                   Ms. Liu will discuss differences between  
23 the present safety evaluation report and the  
24 information previously presented to the ACRS license  
25 renewal subcommittee during the April meeting. She

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will also present a list of the open items, all of  
2 which have been resolved and discussed with the  
3 license renewal subcommittee.

4 I will present the staff's position on the  
5 St. Lucie aging management program for concrete  
6 structures that are exposed to aggressive groundwater  
7 and the time-limiting aging analyses for the reactor  
8 vessel integrity and the core support barrel repairs.

9 So I'll turn it over to Ms. Liu.

10 MS. LIU: Good morning, Chairman Bonaca,  
11 and members of the ACRS. My name is Tilda Liu. I am  
12 with the license renewal environmental impacts program  
13 in the Office of Nuclear Reactor Regulations.

14 As they mentioned previously, I have been  
15 the backup project manager for the St. Lucie license  
16 renewal application for the last few months. I'm here  
17 to brief you this morning on the resolution of two  
18 items. These two issues came about after the last  
19 subcommittee briefing, after the open item was issued.  
20 And they have been included in the final SER.

21 The two issues were pressurizer surge and  
22 spray nozzle thermal sleeves, and non-segregated phase  
23 bus. There were a total of 11 open items from the  
24 draft SER. They were considered resolved and closed,  
25 as we briefed the members on the resolution of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 open items during the last subcommittee briefing.

2 The first issue, pressurizer surge and  
3 spray nozzle thermal sleeves -- this issue came from  
4 an open item during the draft -- for the draft SER.  
5 It was again identified during the review and  
6 concurrence process of the SER issuance.

7 The staff and its management have specific  
8 concerns on the aging effects associated with cracking  
9 of pressurizer surge and spray nozzle thermal sleeves.  
10 The purpose of the thermal sleeve is to serve the  
11 function of protecting the pressurizer surge and spray  
12 line nozzles against the effects of thermal cycling.

13 The thermal sleeves are fabricated from  
14 nickel-based alloy materials. The applicable aging  
15 effect associated with these thermal sleeves is  
16 cracking, particularly fatigue and primary water  
17 stress corrosion cracking. And the applicable aging  
18 effect associated with these thermal sleeves -- oh, I  
19 apologize for that. And the potential issue that  
20 needs consideration is loss of function to protect the  
21 thermal sleeves against thermal cycling.

22 The applicant performed the analysis and  
23 demonstrated that although -- the growth of a  
24 potential crack into the nozzles cannot occur because  
25 the sleeves are not welded into the nozzles.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Therefore, the staff concluded that although fatigue  
2 and stress corrosion-induced cracking could occur in  
3 the thermal sleeves, aging management is not required.

4 MEMBER WALLIS: So this means that they  
5 can become riddled with cracks, and they're still held  
6 there, and they still perform their function?

7 MS. LIU: No. The reason -- go ahead,  
8 Noel.

9 MR. DUDLEY: That's correct.

10 MEMBER WALLIS: How far can this cracking  
11 progress before a piece comes off or --

12 MR. DUDLEY: They did an analysis. If you  
13 go back to the way it was installed, it's two  
14 different types of sleeves.

15 MEMBER WALLIS: Which are held between two  
16 other pieces of steel presumably, so it can  
17 deteriorate a lot before anything happens, isn't that  
18 correct?

19 MR. DUDLEY: That's correct.

20 MEMBER WALLIS: Now --

21 MR. DUDLEY: And it's press-fitted in at  
22 three different locations along the sleeve. And they  
23 did -- also did an analysis to the thermal stress on  
24 the nozzles without the sleeves installed and found  
25 that the nozzles would meet the required --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:  It's the cycling that's  
2                   the problem, isn't it?  It's not just the stress.  
3                   It's the variation that the water flows up and down  
4                   and --

5                   MR. DUDLEY:  Yes.  And they found even  
6                   without the sleeves that it would be --

7                   MEMBER WALLIS:  I guess it's all right,  
8                   but it seemed to be concluded that it can deteriorate.  
9                   I just wondered how far it can go before you have to  
10                  do something about it.

11                  MR. DUDLEY:  The other issue was whether  
12                  it became -- the loose parts.

13                  MEMBER WALLIS:  Yes, that's right.  Pieces  
14                  come off it, right.

15                  MR. DUDLEY:  And there are baskets on --  
16                  for both sleeves to collect parts if they do fail.

17                  MEMBER ROSEN:  Baskets?  Do you mean --  
18                  that's the nozzle?

19                  MR. DUDLEY:  It's strainers.

20                  MEMBER ROSEN:  It's strainers.  But in  
21                  front of the nozzles themselves, the spray nozzles in  
22                  the pressurizer?  I mean, where are these baskets that  
23                  you referred to?

24                  MR. DUDLEY:  I believe there's a basket  
25                  around the strainer, but it's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MEDOFF: Let me address this. This is  
2 Jim Medoff. I was the reviewer for the pressurizer  
3 for the license renewal application. The reason this  
4 resulted was the pressurizer -- as a result of an open  
5 item, the pressurizer thermal sleeves were brought  
6 into the scope of license renewal, and they are  
7 fabricated from nickel-based alloy materials.

8 There was a question -- the applicant  
9 didn't originally identify cracking as an effect, and  
10 we -- we had discussions with them, and we informed  
11 them that since they're nickel-based alloy materials  
12 we couldn't come to a conclusion that you couldn't  
13 preclude stress corrosion cracking, the components,  
14 given all of the industry experience.

15 In addition, we asked them whether a  
16 postulated fatigue crack could result in the thermal  
17 sleeves. The question is they concurred with us that  
18 cracking could occur, and then the question became an  
19 issue of whether, if you did initiate the crack in a  
20 thermal sleeve, whether you had to manage it.

21 So the applicant did a detailed analysis  
22 of not only evaluating cracking in the thermal  
23 sleeves, but also looking at the fatigue usage factors  
24 for the surge in the spray nozzles, which the thermal  
25 sleeves are designed to protect against thermal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 cycling.

2           They evaluated it from a design  
3 consideration. The surge nozzles are designed with an  
4 -- it's a rolled plate with one single axial weld.  
5 The spray nozzles are designed with full forging. And  
6 the design is different for McGuire in that the  
7 nozzles are -- I'm sorry, the thermal sleeves are not  
8 welded to the nozzles.

9           So the staff concurred that you couldn't  
10 grow a crack into the nozzles, because they weren't  
11 welded configurations. So, then, the second question  
12 was, okay, their -- the original design was to protect  
13 the nozzles against thermal cycling.

14           So if you did postulate a failure of the  
15 component of throughwall failure where you did get  
16 some leakage through the thermal sleeve, would you  
17 effect the fatigued nozzles? And their analysis  
18 demonstrated that even if you did get a throughwall  
19 failure, they wouldn't -- their fatigue usage factors  
20 for the nozzles would still be acceptable.

21           So, therefore, we concluded that even  
22 though cracking could -- might occur in the thermal  
23 sleeves, you didn't need the management, because the  
24 real issue was protecting the nozzles against the  
25 failure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Is there a liquid between  
2 the sleeve and the nozzle?

3 MR. MEDOFF: Excuse me. Say that again.

4 MEMBER POWERS: Is there a liquid between  
5 the sleeve and the nozzle?

6 MR. MEDOFF: Yes. There's a small gap.

7 MEMBER POWERS: And is there unusual  
8 chemistry occurring in that crevice?

9 MR. DUDLEY: The nozzles themselves have  
10 small drilled holes in the area to allow circulation  
11 of water into the small crevices, so you do get flow  
12 through the small --

13 MEMBER WALLIS: I presume that it goes to  
14 and fro as the other water goes to and fro over --

15 MEMBER POWERS: Well, that's a nice  
16 presumption. The question is: does it?

17 MEMBER WALLIS: Does it?

18 MEMBER POWERS: And do you get aggressive  
19 chemistry in that crevice region?

20 MR. DUDLEY: At this point, I don't know  
21 of any reported corrosion in those areas, but I  
22 understand the question. Are we setting ourselves up  
23 for a Davis-Besse head issue?

24 MEMBER ROSEN: Well, I didn't hear the  
25 answer to my question. My question was: if the spray

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nozzle thermal sleeve breaks off, where does it go?  
2 And I heard there are baskets to catch the pieces.

3 MR. MEDOFF: No. What the design is on  
4 the discharge side of the thermal sleeve -- which  
5 extends beyond the nozzle into the annular region of  
6 the pressurizer. They have baskets that are tack-  
7 welded to the bottom of the thermal sleeves, which  
8 should prevent any loose parts from occurring. The  
9 applicant provided the design drawings to us to show  
10 that to us.

11 MEMBER WALLIS: So is this a way of then  
12 examining those baskets from time to time to find out  
13 if there's anything in them?

14 MR. DUDLEY: Let me ask the applicant to  
15 explain that -- their inspections of that.

16 MR. HALE: First, just in terms of -- in  
17 fact, I thought I had brought a drawing of these last  
18 time, last meeting. It has actually thermally  
19 expanded one area. So you've got two nozzles you're  
20 dealing with. You're dealing with the spray nozzle  
21 and the surge nozzle. Let's talk about the spray  
22 nozzle first. It is forged, like Jim said. It is  
23 expanded.

24 MR. DUDLEY: We're speaking specifically  
25 about the baskets now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: I understand. But let me just  
2 walk through both of them. There's only one direction  
3 of flow in the spray nozzle, which is at the spray  
4 nozzle. So any parts, or whatever, the thought is  
5 you've got a prestress in this thing, and that you've  
6 got -- if I might address, you've got an expansion,  
7 and then you've got little takeoffs.

8 And you've got holes drilled, like Jim  
9 says, so you get a steady flow, you know, through the  
10 region around the nozzle, but -- I mean, around the  
11 thermal sleeve. And on the spray nozzle we concluded  
12 it was a forging. There was no welding involved.  
13 It's relatively low stress. You're not going to get  
14 the, you know, just complete disintegration of the  
15 thing, that you might get some small cracks.

16 But, again, it is fixed, such that it  
17 wouldn't go anywhere even if you were to lose the  
18 connection where it's expanded. So from the spray  
19 nozzle standpoint, the loose parts was addressed that  
20 way. On the surge nozzle, it is welded. It is a  
21 rolled plate, because it's a much bigger nozzle and it  
22 has a weld in it. So the -- and it -- but, again,  
23 it's expanded into the nozzle.

24 On the direction towards the reactor  
25 coolant system, the pipe is actually smaller, so the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sleeve really can't go any direction towards the  
2 reactor coolant system. And, again, because it's  
3 welded, that's where you're going to see the cracking  
4 -- at the weld joint -- and the thing will tend to  
5 open up, you know, because it's prestressed and welded  
6 to fit in that pipe.

7 If you've got surge flow into the  
8 pressurizer, there is a basket because you have the  
9 feedwater of the pressurizer heaters, and you use this  
10 to prevent CRUD and things of that sort to reach the  
11 pressurizer heaters.

12 The thought there again, though, is that  
13 if this thing fails it's going to fail along the  
14 crack, it's going to tend to expand, and it can't go  
15 anywhere towards the reactor coolant system, and it  
16 can't go anywhere in terms of the pressurizer. And if  
17 you had a piece or a small piece break off, our  
18 conclusion is still that you will not get a total  
19 failure of this thing. But even if we did, we would  
20 be protected from it.

21 CHAIRMAN BONACA: But the question I  
22 believe was regarding inspections. Do you inspect  
23 them?

24 MR. HALE: You can't. That's one of the  
25 difficulties associated with these, because they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inside of an existing piece of pipe. And trying to do  
2 ultrasonics or -- you know, you just really get false  
3 reflections, images, and it's very hard to inspect  
4 these.

5 MEMBER ROSEN: Your description seems to  
6 occur -- it seems to me that the baskets are actually  
7 physically above --

8 MR. HALE: Yes.

9 MEMBER ROSEN: -- the nozzle in the surge  
10 line.

11 MR. HALE: Right, right. Or in-flow.  
12 You've got in-flow and out-flow.

13 MEMBER ROSEN: In-flow into the  
14 pressurizer. If the thermal sleeve in the surge line  
15 were to crack, and a piece come off -- I'm not -- I  
16 understand your argument that it would -- that in  
17 large measure it would be trapped in the line. But if  
18 a piece came off, it would flow on the in-surge. It  
19 would be trapped by these baskets.

20 MR. HALE: Right.

21 MEMBER ROSEN: Above it. In other words,  
22 it couldn't reach the pressurizer unless it was very  
23 small, I presume.

24 MR. HALE: Right.

25 MEMBER ROSEN: But on the outflow, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same piece could go the other way, could it not?

2 MR. HALE: Again, the failure assumption  
3 was not individual pieces, because we didn't feel that  
4 that was, you know, an appropriate assumption in terms  
5 of how it would actually --

6 MEMBER ROSEN: Okay. So you're saying,  
7 yes, it could, but you don't think that pieces will  
8 form.

9 MR. HALE: Right. And the other issue --  
10 and the other thing we need to discuss is from a  
11 normal operating velocity -- we have very low  
12 velocities in the surge line from a flow velocity  
13 standpoint. There's not a lot of motive force, you  
14 know, pushing things back and forth, from a normal  
15 operating standpoint.

16 MEMBER SHACK: Just coming back to Dr.  
17 Powers' question, you know, I'm not so much worried  
18 about the gap between the thermal sleeve and the  
19 nozzle. You know, it sort of looks like a crevice,  
20 but it's fairly big. But a pressed fit strikes me as  
21 a fairly unusual kind of construction and just says  
22 crevice all over it.

23 I mean, it -- you know, it's the absolute  
24 nature of a crevice that I take two things that aren't  
25 really sealed, I press them tightly together, and I've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got a crevice. Is this a commonly-used kind of  
2 construction feature?

3 MR. HALE: Well, in fact, this was a  
4 design feature designed to get you away from cracking  
5 because the welded joints were cracking. So it was an  
6 upgrade to --

7 MEMBER SHACK: The good news and the bad  
8 news.

9 MR. HALE: Right, right. But --

10 MR. MEDOFF: We dealt with McGuire  
11 differently, because they had a welded thermal sleeve.

12 MR. HALE: And you could actually get  
13 propagation into the actual -- but let me address  
14 crevice, though. Crevice correction we have addressed  
15 in our application. It has been addressed industry-  
16 wide, especially in chemistry-controlled system.

17 And, you know, this isn't the only crevice  
18 in the reactor coolant system. There are crevices in  
19 various locations.

20 MR. MEDOFF: They have a separate -- there  
21 are separate AMR entries for the nozzles themselves as  
22 opposed to the thermal sleeves.

23 MR. HALE: But we have addressed crevice  
24 corrosion. I don't want you to think that that's not  
25 part of our review. We looked at it, and you credit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 inspections that you perform at various locations in  
2 the system to confirm whether you are seeing crevice  
3 corrosion in chemistry-controlled systems. And to  
4 date, based on the conclusion we've seen in the  
5 chemistry-controlled systems we have, we haven't had  
6 any incidents of crevice corrosion.

7 CHAIRMAN BONACA: How would you detect the  
8 cracking of the sleeve?

9 MR. HALE: You really couldn't.

10 MEMBER SHACK: He could see the cracking  
11 of the nozzle, though.

12 MR. HALE: Right.

13 CHAIRMAN BONACA: I understand that.

14 MR. HALE: Right.

15 CHAIRMAN BONACA: Don't want to get there.

16 MEMBER ROSEN: Do you have a loose parts  
17 monitoring system?

18 MR. HALE: Yes, we do.

19 MEMBER SIEBER: It seems to me there is no  
20 thermal mechanism that would create typical crevice  
21 chemistry. You know, there is no heating, there is no  
22 expansion going on. So --

23 MR. MEDOFF: Yes, yes. In their  
24 application they do address general corrosion, which  
25 include crevice -- you know, crevice corrosion,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pitting, things like that. They do have a water  
2 chemistry program that they're implementing that the  
3 staff has found acceptable.

4 And I don't have them off my -- you know,  
5 in my head right now, but they do have separate AMRs  
6 for the aging effects for the surge and the spray  
7 nozzles. And I can go back and look at what the  
8 applicable aging effects are. But the conclusions  
9 were that the nozzles themselves were adequately  
10 managed for cracking and corrosion.

11 MR. DUDLEY: If there are no other  
12 questions, we'll move on.

13 MS. LIU: The second issue that I'll be  
14 discussing is non-segregated phase bus. The staff  
15 included this issue in the final SER because it was  
16 applicable to a number of plants, including Robinson,  
17 Dresden, Quad Cities, as well as St. Lucie.

18 Just to give you some background, non-  
19 segregated phase bus is used to connect offsite power  
20 source to safety-related buses and was considered to  
21 be within the scope of license renewal. To resolve  
22 this issue, the staff requested the applicant to  
23 verify the aging properties and insulating materials  
24 with its vendors on the system.

25 The applicant was not able to obtain the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requested information from its vendors, and it  
2 proposed an AMP to managing the aging effects  
3 identified by the staff. This includes visual  
4 inspection and verification of crossbar bolting torque  
5 values.

6 For your information, this issue will be  
7 addressed in ISG-17. This proposed ISG is currently  
8 under staff development.

9 MEMBER LEITCH: What model of bus are we  
10 speaking of here?

11 MS. LIU: 4160.

12 MEMBER LEITCH: 4160. So is this non-  
13 segregated 4160 bus, it's not cables we're talking  
14 about then. It's --

15 MS. LIU: Correct.

16 MEMBER LEITCH: It's bus work.

17 MS. LIU: Correct.

18 MEMBER LEITCH: Yes, okay.

19 MS. LIU: And the ducts and all of that,  
20 yes.

21 MEMBER LEITCH: All right. Okay, okay.  
22 Understand.

23 MS. LIU: Okay? This next slide is a list  
24 of the open items. As we mentioned earlier, these  
25 items were -- we addressed these items during the last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subcommittee briefing. There were 11 of them, and we  
2 resolved all of them at the time and closed them.

3 And this last slide is the rest of the  
4 list of the open items.

5 And this concludes my part of the  
6 presentation. Are there any questions?

7 MR. DUDLEY: So the first subject I'll  
8 talk about is groundwater, phosphates in groundwater.  
9 In a letter dated June 24, 2003, the ACRS suggested  
10 that the staff consider whether limits in guidance are  
11 needed before the phosphate ion concentration in  
12 groundwater affects concrete structures. And its  
13 response to staff stated that the additional data from  
14 research will be required to determine what, if any,  
15 limits on phosphate concentration in below-grade  
16 groundwater are necessary.

17 The staff intends to request the Office of  
18 Nuclear Regulatory Research to initiate a focused  
19 study to provide the Office of Nuclear Reactor  
20 Regulations with information to make this  
21 determination. That activity is still ongoing. The  
22 users need request has not formally been issued yet.

23 For St. Lucie, the concentration of  
24 phosphates in groundwater is insignificant. However,  
25 due to high chloride and sulfate concentrations, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 groundwater is considered aggressive. The staff  
2 concluded that the visual inspections required by the  
3 systems and structures monitoring program are adequate  
4 to manage the aging effects of aggressive groundwater  
5 on concrete structures that are below ground.

6 I attended an international workshop  
7 concerning safety aspects and extension of nuclear  
8 powerplants at which this issue was discussed. Dr.  
9 Leslie Smith, an appointed examiner for British  
10 Energy, explained that concrete exposed to aggressive  
11 groundwater is a concern.

12 The British inspection program is similar  
13 to the aging management program the staff accepted for  
14 St. Lucie. The British program requires that if  
15 concrete discoloration is identified on the interior  
16 surface of concrete structures, the utility will take  
17 a core sample to confirm the condition of the  
18 structural concrete at that location.

19 The aging management program for St. Lucie  
20 requires the applicant use its corrective action  
21 program to address any inspection findings.

22 MEMBER POWERS: Mr. Dudley, when you say  
23 you are going to take a core sample to understand what  
24 the condition of the concrete is, is the concrete the  
25 sedimentaceous material itself, or does that also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 include the reinforcing bar?

2 MR. DUDLEY: I don't know the extent. The  
3 core sample is simply a single statement that there  
4 would be a core sample taken. I don't know how far  
5 through the wall it goes and whether it includes the  
6 rebar or not.

7 MEMBER POWERS: One of the interesting  
8 observations here is that you have reasonably  
9 concentrated solutions affecting the St. Lucie  
10 concrete. But when they inspect it, they say, "Well,  
11 there isn't anything." It seems to be peculiar. Are  
12 your limits set too tight on the chlorides and  
13 sulfates?

14 MR. DUDLEY: I can't answer that question.  
15 David?

16 MR. JENG: Dr. Powers, this is David Jeng  
17 of the UNEBEE. When you take one, nobody only covers  
18 the concrete portion. They don't try to take sample  
19 of the rebars, which is quite tough. So that's one  
20 answer.

21 Now, the way the staff believes the  
22 British approach is consistent with ours, when you  
23 determine there is some degradation through  
24 inspection, it needs corrective action. What  
25 appropriate corrective actions you are going to take?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 General commitment on our part? Thou shall do -- take  
2 appropriate measures to correct what is discovered to  
3 be a potential concern.

4 Now, the British just addressed a  
5 particular approach. That could be part of our scope  
6 as needed. So the staff position is generally lower  
7 in scope.

8 MEMBER POWERS: When they inspect concrete  
9 that's exposed to aggressive medium, they just look at  
10 it, or do they look -- take a mineralogical analysis  
11 or --

12 MR. DUDLEY: I don't know what the details  
13 of the -- it calls for a visual inspection. I don't  
14 know how detailed that is and what the --

15 MR. HALE: Yes, I'm Steve Hale, Florida  
16 Power and Light. Yes, it is just a visual inspection.  
17 You know, you look for things that are specific  
18 criteria in our concrete inspections that look for  
19 rust bleeding, cracking. You know, there's a series  
20 of various indications that you might have a problem,  
21 but it is --

22 MEMBER POWERS: Do you look for  
23 exfoliation?

24 MR. HALE: Hmm?

25 MEMBER POWERS: Do you look for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exfoliation?

2 MR. HALE: I don't know. I'd have to --  
3 yes, we do. My civil guy is shaking his head up and  
4 down, so --

5 MEMBER POWERS: Tap it with a hammer?

6 MR. HALE: Usually only if you see  
7 something visually.

8 CHAIRMAN BONACA: What about  
9 discoloration? I mean --

10 MR. HALE: Bruce, do you --

11 CHAIRMAN BONACA: But clearly, if you can  
12 ascertain that the concrete is in good condition, then  
13 you're less concerned about the rebar. So I would  
14 expect that if discoloration in fact is a potential  
15 indication of degradation of the concrete, then you  
16 have to worry about the rebar, too.

17 So I would like to know, you know, what  
18 are some of the criteria that you do for the  
19 observations?

20 MR. BEISLER: This is Bruce Beisler,  
21 Florida Power and Light. We look for any signs of  
22 degradation in the concrete visually. And with  
23 respect to, what do you do -- well, let me answer one  
24 other question that was about aggressive groundwater,  
25 and we haven't seen any degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           We have seen degradation at our intake  
2 structure, which is the most susceptible structure  
3 because it's basically in the seawater. So we didn't  
4 want to mislead that we hadn't seen any degradation.  
5 Certainly, we have seen degradation in that structure,  
6 and we have made structural repairs to that structure.

7           CHAIRMAN BONACA:     But that was an  
8 accessible region, right?

9           MR. BEISLER:     That's correct.

10          CHAIRMAN BONACA:    If I remember, the  
11 statement was regarding inaccessible regions where you  
12 did opportunistic inspections, and they would like to  
13 confirm that in this opportunistic inspection you did  
14 not find degradation.

15          MR. BEISLER:     That is correct.

16          MEMBER POWERS:    Your intake structure is  
17 exposed to water having something on the order of  
18 30,000 ppm chloride?

19          MR. HALE:     Whatever saltwater -- it varies  
20 somewhat, but yes.     We have taken salinity  
21 measurements. It's pretty close to saltwater, but it  
22 will vary with rainfall and that sort of thing, since  
23 we have a fairly long intake canal.    Yes.

24          MEMBER POWERS:    And they have a 500 ppm  
25 criterion.    Maybe the criterion is just too tight on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chloride.

2 MR. JENG: It's 1,500 for sulfate compared  
3 to about 10- to 20,000 ppm in the case of St. Lucie

4 MEMBER POWERS: No, no, no. They haven't  
5 got to 10- to 20,000 sulfate or they would have rocks  
6 in this water. It's 10- to 20,000 chloride.

7 MEMBER ROSEN: What's your point, Dana?  
8 I'm not sure I understand. I'm trying --

9 MEMBER POWERS: Well, I'm just wondering  
10 if the criterion is too tight.

11 MEMBER ROSEN: The criterion for  
12 chlorides?

13 CHAIRMAN BONACA: For aggressive water, do  
14 you mean?

15 MEMBER POWERS: Well, chlorides, sulfate,  
16 or -- if the material is exposed, they don't see  
17 anything. And, I mean, this is pristine stuff, and  
18 you do see stuff when you go up to 30,000. Maybe the  
19 criterion is too tight.

20 CHAIRMAN BONACA: But I believe that a  
21 presentation where you see the subcommittee, I mean,  
22 they specify the quality -- I mean, it is being  
23 addressed at the design stage by specific requirements  
24 on the concrete -- if I remember, high content of  
25 cement in it. And so that may be very reasonable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Yes, it's 5,000 psi  
2 concrete. It's got a lot of cement in it.

3 (Laughter.)

4 This is serious concrete, yes. This is  
5 not sidewalk stuff.

6 CHAIRMAN BONACA: That's right.

7 MR. DUDLEY: The established limits have  
8 been established by the industry in our industry  
9 standards. At this point, we as a staff do not take  
10 the extra step to go question the industry standards  
11 and whether they provide sufficient or overly  
12 restrictive requirements on the applicants.

13 CHAIRMAN BONACA: But, to me, the  
14 important thing is really the characteristics of the  
15 inspections. I mean, how accurate do you look for?  
16 What kind of degradation are you looking for?  
17 Because, I mean, if in fact you can ascertain that  
18 there is no degradation of concrete, then you don't  
19 worry as much about rebar. You know, you'll get  
20 there.

21 And so, but we've got some indication that  
22 your program has specific requirements addressing the  
23 quality of concrete.

24 MR. DUDLEY: Just one other tidbit from my  
25 international workshop. Dr. Smith also discussed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attempts to use radar to identify the extent of  
2 wetting of the exterior surface of concrete  
3 structures. However, the radar signals interfered  
4 with the control instrumentation at the plant, and the  
5 use of the radar as an aging management tool was  
6 abandoned.

7 (Laughter.)

8 Next slide.

9 MEMBER SIEBER: How fast was it going?

10 MR. DUDLEY: Just as a reminder, the three  
11 criteria for accepting time-limited aging analyses are  
12 that the analyses remain valid for the period of  
13 extended operation or the analyses have been projected  
14 to the end of period of operation and meet the design  
15 criteria, or the effects of aging on the intended  
16 functions of the structures and components are  
17 adequately managed for the period of extended  
18 operation.

19 Next slide.

20 The demonstration of reactor vessel  
21 integrity is provided by analyses of the reactor  
22 vessel upper shelf energy, pressurized thermal shock  
23 reference transition temperatures, and temperature  
24 pressure curves.

25 The staff performed independent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations which confirmed that the upper shelf  
2 energy of the various areas of the reactor vessel  
3 projected to the end of the period of extended  
4 operation is well below the acceptance criterion.

5 This is done at about a dozen different  
6 calculations for different parts and components of the  
7 reactor vessel, and the numbers that are on the slide  
8 indicate the lowest upper shelf energy.

9 CHAIRMAN BONACA: Why such a difference  
10 between Unit 1 and 2?

11 MR. DUDLEY: It has to do with the  
12 chemistry of the materials used in the construction of  
13 the reactor vessel.

14 MEMBER ROSEN: Can I ask you to rephrase  
15 that? You are well below the acceptance value? Do  
16 you mean above the --

17 MR. DUDLEY: Well above.

18 MEMBER ROSEN: All right.

19 MR. DUDLEY: What we used was the lowest  
20 upper shelf energy and compared it to --

21 MEMBER ROSEN: And it was well above the  
22 minimum.

23 MR. DUDLEY: Yes.

24 MEMBER ROSEN: Okay.

25 MEMBER WALLIS: Well above is 10 percent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 What's well above?

2 MR. DUDLEY: More than one or two foot  
3 pounds.

4 MEMBER WALLIS: That kind of precision is  
5 appropriate?

6 MR. MEDOFF: Noel means to say they met  
7 the acceptance criteria for upper shelf in 10 CFR  
8 Part 50, Appendix G.

9 MR. DUDLEY: Next slide.

10 The staff also performed independent  
11 calculations which confirmed the reactor vessel PTS  
12 reference transition temperatures will be below the  
13 PTS screening criterion at the end of the period of  
14 extended operation. And as you can see, again we  
15 chose the most limiting PTS reference temperature.  
16 This was taken from about a dozen or more sections of  
17 the reactor vessel.

18 The applicant is required to submit  
19 updated pressure temperature curves following each  
20 refueling outage, and the staff reviews and approves  
21 the curves. And that's on an ongoing basis from  
22 refueling outage to refueling outage.

23 MEMBER LEITCH: Noel, I'd just like to --  
24 these two slides, I think this summarizes very nicely  
25 and highlights for us the data that is elsewhere, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's sometimes a little difficult to find on a summary  
2 level like that. And I would hope that this kind of  
3 information is presented concisely like this in future  
4 applications as well. I think it's very helpful.

5 MEMBER WALLIS: However, it doesn't say  
6 what kind of degrees you are talking about.

7 (Laughter.)

8 MEMBER ROSEN: These are not academic  
9 degrees. These are degrees Fahrenheit, Celsius, or  
10 Kelvin.

11 SEVERAL PARTICIPANTS: Fahrenheit.

12 MEMBER WALLIS: Which one are they? Which  
13 one are they? You said they are one of three, and you  
14 nodded your head. Which one are they?

15 MR. DUDLEY: Fahrenheit.

16 MEMBER WALLIS: Fahrenheit.

17 MR. DUDLEY: Degrees Fahrenheit.

18 MEMBER POWERS: Those are archaic measures  
19 that was invented in England. The rest of the world  
20 has abandoned it, but --

21 MR. DUDLEY: The last issue is the core  
22 support barrel. During the refueling outage in March  
23 1983, the applicant found that the thermal shield and  
24 the thermal shield support system in the St. Lucie  
25 Unit 1 reactor vessel was damaged. The applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 removed the thermal shield and repaired the core  
2 barrel -- core support barrel.

3 The repairs consisted of drilling holes at  
4 the crack tips, manufacturing and installing metal  
5 plates over areas where material was lost, and  
6 inserting plugs in the holes drilled in the core  
7 support barrel.

8 During the following refueling outage, the  
9 applicant confirmed the amount of prestress on the  
10 plugs. The applicant completed an analysis which  
11 concluded that the plugs' prestress at the end of 40  
12 years of operation would be adequate.

13 MEMBER WALLIS: Plugs are just pushed in,  
14 and they expand.

15 MR. DUDLEY: Expanded, yes.

16 MEMBER WALLIS: And then they stay in by  
17 means of the prestress?

18 MR. DUDLEY: That's correct. And the  
19 staff reviewed and approved the applicant's  
20 conclusion. For license renewal, the applicant  
21 repeated the analysis by extending it to the end of  
22 the period of extended operation and concluded that  
23 the prestress would be adequate through the license  
24 renewal period.

25 MEMBER WALLIS: So presumably if they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 pushing out, they actually tend to open the crack, but  
2 it doesn't go anywhere, because it has ended at the  
3 plug, right?

4 CHAIRMAN BONACA: And they're going to  
5 inspect these plugs periodically, right?

6 MR. DUDLEY: I can't remember. I don't  
7 remember that level of --

8 MR. HALE: What's the question?

9 CHAIRMAN BONACA: They're going to inspect  
10 these plugs periodically? I mean, they are --

11 MR. HALE: Yes. Steve Hale, Florida Power  
12 and Light. As a result of the corrective actions, we  
13 were required to include this as part of our overall  
14 Section 11 inspections, 10-year inspections, for the  
15 internals. And we do it every 10 years.

16 CHAIRMAN BONACA: And it will be done  
17 through the end of the life of the plant.

18 MR. HALE: And we're committed to  
19 Section 11 all the way through, so --

20 CHAIRMAN BONACA: What would be the  
21 consequence of losing one of the plugs? Assume that  
22 you lose prestress. Apart from the loose component,  
23 I mean.

24 MR. DUDLEY: Increased bypass flow.

25 CHAIRMAN BONACA: Bypass flow. So it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be probably a significant effect on LOCA  
2 analysis or --

3 MR. HALE: No. We actually evaluated --  
4 I mean, we're able to demonstrate without the -- with  
5 the bypass flow, we could still meet all our safety  
6 requirements for this --

7 MEMBER ROSEN: If you didn't get a loose  
8 part signal, would you know it otherwise? I mean,  
9 could you detect the change?

10 MR. HALE: Well, the plugs themselves are  
11 stainless steel. The aging effects -- we have no  
12 aging effects that would create a loose part. I mean,  
13 that's what we evaluated.

14 MEMBER ROSEN: I know. Now we'll try my  
15 question, which was, if it came out, plugs came out  
16 and you increased bypass flow, would you be able to  
17 detect the increased bypass flow from any core thermal  
18 or flow parameters?

19 MR. HALE: Yes, you would.

20 MEMBER SHACK: I mean, I do have a  
21 mechanism to lose pretension, right, with the  
22 radiation creep?

23 MR. HALE: Yes, and that's the calc that  
24 was done. These plugs have a bevel-like rim on them.  
25 So when they're pressed in, you -- it's a spring,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically. You press them in, and then you expand  
2 them. So it's actually the bevel -- and that's what  
3 was verified by -- we actually measured the tension  
4 after they were installed, and then at a subsequent  
5 outage, to confirm they weren't relaxing.

6 And an analysis was developed confirming  
7 that they would maintain their tension with the  
8 irradiation effects. The aging effects we addressed  
9 for the stainless steel components was stress  
10 corrosion cracking. We evaluated the -- you know, the  
11 effects of irradiation. The stress corrosion cracking  
12 is addressed with chemistry. It is stainless. It's  
13 not subject to PWSCC. And the irradiation effects  
14 were addressed with the TLAA, plus we're continuing to  
15 do visual inspections of the plugs.

16 MEMBER WALLIS: Do you have any dimensions  
17 on that thing?

18 MR. HALE: The plugs were three, five, and  
19 eight inch in diameter.

20 MEMBER WALLIS: So they're quite big.

21 MR. HALE: Yes.

22 MEMBER ROSEN: So now, if you lost the  
23 eight-inch one, say it backed out or something, and  
24 now you had a full flow hole -- see, my question was  
25 about thermal or flow parameters that would change,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that were measurable in the control room or in the  
2 plant someplace.

3 MR. HALE: Yes. You would see it in terms  
4 of your T-hot. Your exit temperatures from the  
5 reactor vessel would drop as a result of the bypass  
6 flow.

7 From a safety standpoint, you know, we're  
8 okay with a bypass flow. But, you know, one of the  
9 major considerations was the efficiency of the plant  
10 and the fact that you're not heating water.

11 MEMBER ROSEN: So there's water coming  
12 down outside the core barrel.

13 MR. HALE: Right.

14 MEMBER ROSEN: Heading for underneath the  
15 bottom plenum. It would, in fact, go through this  
16 hole.

17 MR. HALE: Yes.

18 MEMBER ROSEN: Bypass the bottom plenum  
19 and go back out.

20 MR. HALE: Right. And you would see it in  
21 reduced temperature reactor coolant system outlet  
22 temperature -- reactor vessel outlet temperature,  
23 T-hot.

24 MEMBER SIEBER: Do you have core exit  
25 thermocouples?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HALE: We have core exit thermocouples  
2 and --

3 MEMBER SIEBER: That's where you'll see  
4 it, and you won't see it in T-hot because the water  
5 coming out of the fuel is going to be hotter than it  
6 would have been had the bypass not been occurring. It  
7 mixes, and so you end up with the same T-hot that you  
8 would otherwise have had.

9 MR. HALE: Yes, you're right. I'm sorry.  
10 I'm sorry.

11 MEMBER SIEBER: And it's the core exit  
12 thermocouples that would show the elevation of that.

13 MR. HALE: Yes, I misspoke.

14 MEMBER ROSEN: I'm not sure I understand  
15 or agree that you would end up with the same T-hot,  
16 because you're not heating as much water, are you?

17 MEMBER SIEBER: Look at it from the  
18 standpoint of conservation of energy. You're making  
19 the same amount of megawatts. Okay?

20 MEMBER ROSEN: Right.

21 MEMBER SIEBER: And so the core flow,  
22 which is now smaller than it was before, will have a  
23 larger delta T.

24 MEMBER ROSEN: Right.

25 MEMBER SIEBER: Okay. And so that's why

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the core exit thermocouples go up. In order to  
2 produce the megawatts, you're going to have the same  
3 delta T.

4 MEMBER ROSEN: Yes, the core exit  
5 thermocouples will go up. And then when the hotter  
6 water emerges from the top of the core, it will mix  
7 with this cooler water and --

8 MEMBER SIEBER: And end up at T-hot the  
9 way it was supposed to.

10 MR. HALE: He's right. I misspoke.

11 MEMBER ROSEN: That's right. You're  
12 exactly right.

13 MR. HALE: But I think -- like you say, I  
14 think you might see some things in the core exit  
15 thermocouples.

16 MEMBER SIEBER: Now, other than that, it's  
17 simple.

18 MR. DUDLEY: Well, if you do recognize  
19 these changes in the plant, in the reduction of  
20 efficiency, whether you will be able to identify the  
21 fact that it's a plug that has failed, it is going --  
22 it would have to wait until a refueling outage.

23 CHAIRMAN BONACA: Okay.

24 MEMBER SIEBER: Well, with an eight-inch  
25 plug, I think you're going to see a --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUDLEY: Loose part monitor.

2 MEMBER SIEBER: Well, you're going to see  
3 a pretty good size temperature difference. I mean,  
4 it's -- it may not come out and ring a bell, but it  
5 will certainly be there to somebody who examines these  
6 things on a regular basis.

7 MEMBER WALLIS: This plug is put in at the  
8 end of a crack.

9 MR. DUDLEY: Yes.

10 MEMBER WALLIS: Presumably, if the crack  
11 widens, the stress holding the plug in decreases. If  
12 the crack opens up, the plug can fall out.

13 MR. HARTZMAN: This is Mark Hartzman from  
14 Mechanical Engineering Branch. The cracks are drilled  
15 out, so there are no cracks when they put in the  
16 plugs.

17 MEMBER WALLIS: You're not just stopping  
18 the end of a crack. You've actually moved the whole  
19 thing.

20 MR. HARTZMAN: That's correct. That's the  
21 reason for the large size of the plugs.

22 MEMBER WALLIS: So if you had a really big  
23 crack, you'd have a lot of trouble putting in a plug.

24 (Laughter.)

25 MR. DUDLEY: Well, that's when you put in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a patch.

2 (Laughter.)

3 MEMBER SIEBER: As big as a garbage can  
4 lid.

5 MR. DUDLEY: Okay. That completes our  
6 presentation for this morning.

7 CHAIRMAN BONACA: But there's an item that  
8 you had told us you would talk about. There was --  
9 you know, we discussed the pressurizer spray head not  
10 being in scope, although, you know, I made the comment  
11 that it was the primary means of cooling -- is to use  
12 the spray head.

13 And the reason why it is not in scope, if  
14 I remember, is that you do have other ways of cooling  
15 even if you lose the head. Okay? The spray head.

16 MR. DUDLEY: And I believe there is  
17 also --

18 CHAIRMAN BONACA: And I believe that I  
19 heard the commitment that you will come in and tell us  
20 about, you know, the philosophy you're using for this.  
21 You know, if you have two or three ways of cooling,  
22 the primary way is to use a pressurizer spray head.  
23 Why wouldn't you consider that primary means of  
24 cooling in scope?

25 The answer we got was that the licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 basis may say that -- you know, may commit some other  
2 way of doing it. And so you are adhering to this  
3 licensing basis. But if I remember, we were told that  
4 you would come and talk to us about that.

5 MR. KUO: Let me check. Jim?

6 MR. MEDOFF: This is Jim Medoff. I was a  
7 reviewer for the St. Lucie pressurizer as part of the  
8 license renewal application. I've also been the lead  
9 reviewer of WCAP-15474, which was submitted by  
10 Westinghouse on behalf of license renewal evaluations  
11 for Westinghouse pressurizers.

12 And the WCAP pressurizers are not in  
13 scope. However, when -- in my dealing with the  
14 reactor systems branch personnel, they have brought  
15 the pressurizer spray heads into scope if they have  
16 credited them in -- as primary means in some of their  
17 -- in their accident analyses in Chapter 15 of the  
18 FSAR.

19 So for the Oconee application they got  
20 brought into scope, because they credited them with  
21 the steam -- recovery following a steam generator tube  
22 rupture event. And in the McGuire application they  
23 were brought into scope because of recovery from a  
24 fire at the plant.

25 Now, I can't vouch for the scope being --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, for the reactor systems branch here, but  
2 apparently when I -- oh, Muhammad is here. Okay.

3 MR. RAZZAQUE: The question is on the --

4 MR. MEDOFF: Is when pressurizer spray  
5 heads are not in scope.

6 MR. RAZZAQUE: Oh, okay.

7 CHAIRMAN BONACA: Well, I think your  
8 question is more general than that. This is an  
9 example. The question is: if you have a primary  
10 means of operating that plant, and you use some  
11 components to support that primary means, I can  
12 understand that -- it disturbs me that it's not in  
13 scope.

14 I can understand the logic that says,  
15 well, the minimum requirement is anything which has  
16 been committed to for licensing basis is in scope and  
17 everything else is not. But I don't understand how  
18 this applies, and what kind of elements or components  
19 it leaves out in the plant.

20 MR. RAZZAQUE: I guess the general  
21 argument that was used, that even a degraded spray  
22 head --

23 MEMBER ROSEN: Identify yourself, please.

24 MR. RAZZAQUE: Pardon me? Oh. My name is  
25 Muhammad Razzaque with Reactor Systems Branch. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue of spray head was raised right from the  
2 beginning, and the common argument that I used is that  
3 even without the spray function the three days' time  
4 is sufficient to get to the cold shutdown condition,  
5 which is the fire protection requirement.

6 That is basically the bottom line argument  
7 the applicants use. There are other arguments, too,  
8 like the redundancy and things like that. But the  
9 bottom line argument is that the function for this  
10 specific purpose is not reliable.

11 CHAIRMAN BONACA: Yes?

12 MR. DUDLEY: I've taken a look at the SER,  
13 and the way the SER states is that the spray nozzle is  
14 not part of the current licensing basis.

15 CHAIRMAN BONACA: Yes, I know.

16 MR. DUDLEY: The reason that the -- it's  
17 brought into scope is it's relied on by the fire  
18 protection program for plant cooldown. So it's  
19 actually -- when you go back to the regulations, it's  
20 a portion where equipment needed for the four or five  
21 regulatory requirements are also within scope. And  
22 the -- and for St. Lucie, the conclusion was that it  
23 was not part of the requirements for fire protection.

24 CHAIRMAN BONACA: Okay. So let me ask a  
25 question to St. Lucie, then. I mean, is this spray

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 head ever inspected?

2 MR. HALE: The spray head -- if you go  
3 into the pressurizer for any reason, it would be  
4 looked at. But the aging effect thermal embrittlement  
5 -- this is a cast part, and so it would be very  
6 difficult to verify with just a visual whether you've  
7 got a problem or not anyway.

8 CHAIRMAN BONACA: Now, if, you know,  
9 during the period of extended operation the spray  
10 nozzle fails, what are you going to do?

11 MR. HALE: If the spray nozzle fails, we  
12 would repair it and replace it. The only indication  
13 we would have, though, is a little loss of efficiency  
14 and --

15 MEMBER SIEBER: More than that.

16 MR. HALE: Well, you have to look at the  
17 heat transfer, too, just with losses through the  
18 pressurizer. And, you know, we've got a steady flow,  
19 bypass flow anyway for thermal reasons. But --

20 CHAIRMAN BONACA: So you really are doing  
21 this more to defend your licensing basis.

22 MR. HALE: Yes. Yes. And, you know,  
23 there are some questions regarding thermal  
24 embrittlement and, you know, various types of  
25 stainless and what you would see, and whether -- when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it would crack, and that sort of thing. It's a very  
2 long-term effect. It's not something you would see  
3 immediately.

4 CHAIRMAN BONACA: Okay. Thank you.

5 MR. RAZZAQUE: If I may add that we had  
6 the same -- a similar argument for Fort Calhoun, and  
7 I think at the end the SER was modified to state that  
8 it is without the function. The time spent was long  
9 enough that enough with the loss of efficiency, still,  
10 the plant can be cold shutdown.

11 CHAIRMAN BONACA: Okay. Thank you.

12 Any other questions for the staff or the  
13 licensee? If there are none, then I thank you very  
14 much for your presentation. I thought that the format  
15 was very good, both from the licensee and from the  
16 staff.

17 I'm saying this particularly because we  
18 will have many more presentations, and I think it was  
19 very focused on the issues we discussed at the  
20 subcommittee. And it was focused on technical issues  
21 of interest to the committee rather than just, you  
22 know, a list of commitments, or whatever.

23 So that's a good example for what we can  
24 do in the future, too. With that, we thank also the  
25 licensee for their presentation. We will take a break

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now until 10:15.

2 (Whereupon, the proceedings in the  
3 foregoing matter went off the record at  
4 9:58 a.m. and went back on the record at  
5 10:18 a.m.)

6 CHAIRMAN BONACA: We're back in session,  
7 and the next item on the agenda is draft review  
8 Regulatory Guide DG-1122, "Determining the Technical  
9 Adequacy of PRA Results for Risk-Informed Activities."  
10 We have time until 11:30 for this, and Dr. Apostolakis  
11 will take us through this presentation.

12 However, I just want to mention that we  
13 have been asked by Mr. Pietrangelo of NEI to have five  
14 minutes at the end of the session to present their  
15 views on the Reg. Guide. And so, George, if you could  
16 accommodate that --

17 MEMBER APOSTOLAKIS: Okay.

18 CHAIRMAN BONACA: -- it will be helpful.

19 MEMBER APOSTOLAKIS: Sure.

20 CHAIRMAN BONACA: With that, it's your  
21 presentation.

22 MEMBER APOSTOLAKIS: Okay. Well, this is  
23 a major issue, as you probably have realized by seeing  
24 the various articles in Inside NRC and other trade  
25 publications. We wrote a letter, I think it was dated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the 16th of May of this year

2 MS. DROUIN: April.

3 MEMBER APOSTOLAKIS: I think it was May.

4 MS. DROUIN: That was the second one.

5 MR. MARKLEY: George, we wrote a letter in  
6 April on DG-1122, and then in May it was --

7 MEMBER APOSTOLAKIS: And then in May it  
8 was the PRA quality, where everybody is saying that we  
9 are ratcheting up the requirements. In Inside NRC,  
10 they are saying that -- oh, no, it was not. It was at  
11 the review -- the application of the standard at San  
12 Onofre. Somebody said that the bar was raised, and I  
13 think all of this is nonsense. That's a personal  
14 opinion, of course.

15 So we're going to have to discuss this and  
16 see what -- where we are, how the staff is responding  
17 to our recommendations, and then we'll hear from Mr.  
18 Pietrangelo, who I'm sure is going to applaud what we  
19 wrote.

20 (Laughter.)

21 So let's start with --

22 MEMBER ROSEN: Could I ask a question?

23 MEMBER APOSTOLAKIS: Yes.

24 MEMBER ROSEN: Is there some regulation or  
25 law or moral imperative that we don't raise the bar?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER APOSTOLAKIS: No. I have a serious  
2 problem with these expressions. And, in fact, as you  
3 will find out later today, I intend to put something  
4 in the letter, because I think that misses the point  
5 completely. But this is not the right time.

6                   That implies we are doing it capriciously,  
7 and I don't like that. The ultimate goal is to make  
8 sure that the decisions are not affected by your  
9 missions of poor quality. So it's the decision-making  
10 process that is really --

11                   MEMBER ROSEN: And if something needs to  
12 be better, and the ACRS says so, I don't think we  
13 exceed our authority.

14                   MEMBER APOSTOLAKIS: No. No. But it's  
15 not a matter of raising the bar -- I mean, doing it  
16 because just -- it's -- well, we'll come to that.

17                   So, Ms. Drouin and Dr. Parry are going to  
18 guide us through this using old technology of overhead  
19 projectors.

20                   Mary, avanti.

21                   MS. DROUIN: Thank you. I'm Mary Drouin  
22 with the Office of Research, and with me is Gareth  
23 Parry from the Office of NRR.

24                   We were here last April and gave a  
25 briefing on DG-1122. Since that time, we have made

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 changes to the regulatory guide based on some  
2 comments, additional comments and discussions we've  
3 had with the public based on the letter we received  
4 from ACRS and their recommendations, and also based on  
5 some insights that we -- from the observations from  
6 the San Onofre peer review of their PRA.

7 At this point, we feel that the guide is  
8 ready to be published for trial use. So our purpose  
9 here today is to obtain ACRS approval to publish it  
10 for trial use, so we are asking for a letter.

11 MEMBER APOSTOLAKIS: Now, this trial use  
12 business, much to my surprise, apparently confuses  
13 other people as well. We had a discussion here, as  
14 you remember. We called you back in April, was it, to  
15 explain to us what "trial use" meant. Then I saw some  
16 stories in trade publications that other people also  
17 are a bit confused. So "trial use" means what?

18 MS. DROUIN: "Trial use" is more -- in my  
19 opinion, it has no true meaning in that when it's out  
20 there the guide is out there.

21 MEMBER APOSTOLAKIS: It's out there.

22 MS. DROUIN: But it gives the perception  
23 that it's easier to change. We could have issued it  
24 as just Rev. 1, and then in two months changed it.  
25 There is nothing that prevents us from changing a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulatory guide as frequently as we choose.

2 But when you put it out for trial use, it  
3 does sound like that it's still working out details of  
4 it. And we could work out details under a Rev. 1.  
5 But when you give the term "trial use," it gives I  
6 think a better message.

7 MEMBER APOSTOLAKIS: Okay. Simple enough.  
8 I thought there was -- maybe I'm wrong, but if you  
9 have a licensee working with you, you know, for the  
10 application, and you approve something, because it's  
11 a trial use issuance, you can come back later and say,  
12 "Well, we're taking it back. We don't want -- we  
13 don't like it anymore. We are going to do something  
14 else." And they cannot complain.

15 But if it's a Rev. 0, Rev. 1 of a  
16 regulatory guide, maybe it's not so easy to take it  
17 back. Is that correct?

18 MS. DROUIN: That is not my understanding  
19 from OGC. But we will get that clarified.

20 MEMBER APOSTOLAKIS: All right.

21 MS. DROUIN: Okay. We want to quickly go  
22 through the stakeholder comments that we received and  
23 how those have impacted the --

24 MEMBER WALLIS: Mary, I'm sorry, but you  
25 missed -- you've omitted "men" from "implementation."

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is this some kind of sexism or --

2 (Laughter.)

3 MS. DROUIN: I'm sorry? Oh. I --

4 MEMBER WALLIS: It's discriminatory.

5 You've eliminated "men" from "implementation."

6 MEMBER ROSEN: That's the requisite typo.

7 I'm sure that's the only one.

8 MEMBER WALLIS: Why is that?

9 MS. DROUIN: You get a star. That was the  
10 hidden typo.

11 (Laughter.)

12 MEMBER ROSEN: The one that we're supposed  
13 to find, so we can --

14 MS. DROUIN: That's right.

15 MEMBER WALLIS: This is a Freudian slip,  
16 I think.

17 (Laughter.)

18 MEMBER APOSTOLAKIS: I thought it was a  
19 new word that I didn't know.

20 (Laughter.)

21 MS. DROUIN: So much for my typing skills  
22 and proofing skills.

23 MEMBER SHACK: Those red wiggles do mean  
24 something on the screen.

25 MS. DROUIN: Those red wiggles?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: When you're typing it.

2 MS. DROUIN: Oh.

3 (Laughter.)

4 Well, not when you go into -- that will do  
5 it in Word or WordPerfect, but when you're in  
6 presentations or Powerpoint it doesn't show as --

7 MEMBER APOSTOLAKIS: We have until 11:30,  
8 Mr. Chairman? This morning, I assume.

9 (Laughter.)

10 Not at night.

11 CHAIRMAN BONACA: We have some separate  
12 meetings taking place at 11:30, including --

13 MEMBER APOSTOLAKIS: Okay. So let's speed  
14 it up.

15 MS. DROUIN: Okay. Let's get right to the  
16 public comments. We did have six organizations, as  
17 you can see listed there, that responded from our  
18 public review and comment period. The majority of the  
19 comments were on Appendix A on the ASME standard.

20 MEMBER APOSTOLAKIS: Do the so-called  
21 public interest groups ever provide you with comments?  
22 It's only industry, isn't it?

23 MS. DROUIN: They are invited.

24 MEMBER APOSTOLAKIS: But they don't do  
25 that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: But at least on DG-1122, we  
2 have not received any. They periodically will come to  
3 a meeting, but we have not ever received any comments  
4 from them.

5 MEMBER APOSTOLAKIS: Okay.

6 MS. DROUIN: Anyway, the majority of the  
7 comments, as I said, were on the ASME standard. I  
8 keep being surprised that we received no comments on  
9 Appendix B, which is the NEI 00-02, but includes the  
10 self-assessment process, which gives the comparison of  
11 the sub-tier criteria to the ASME standard.

12 And we did take objection where we don't  
13 think that things that are in the ASME standard were  
14 appropriately addressed in the peer review. And so,  
15 surprisingly enough, we have never received any  
16 comments on those.

17 We continued to receive consensus. Let's  
18 move forward. Let's get this out for trial use.  
19 Let's get it implemented and start working with it.

20 The one thing I will note is that when we  
21 do go out for trial use, there will be an attached  
22 document to it, and that's where we just literally  
23 list all of the public comments that we received and  
24 how we have dispositioned each of the comments.

25 So if you have an interest to see who said

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what and how they were dispositioned, that was  
2 documented.

3 But I'm just going to go through those few  
4 major comments that still remain in disagreement with  
5 the public. Oh, I shouldn't say "disagreement." I  
6 mean, how we have resolved the major comments. I  
7 apologize for that.

8 DR. PARRY: And emphasize the ones that we  
9 have still interest in.

10 MS. DROUIN: Yes. There was -- I think  
11 across all of the organizations, they didn't think  
12 that we had made it clear, Reg. Guide 1.174, so we  
13 have added verbiage to the guide making that clear,  
14 that relationship.

15 MEMBER ROSEN: Which is?

16 MS. DROUIN: Well, DG-1122 is a supporting  
17 regulatory guide, two regulatory guides. And when you  
18 look at -- I didn't make a copy of that figure, but  
19 the figure that's in here that shows that DG-1122 is  
20 just providing, you know, the answer to the question  
21 on PRA quality, and you have your application-specific  
22 regulatory guides that it feeds into, Regulatory  
23 Guide 1.174 is one of them.

24 MEMBER ROSEN: It's a supporting guide to  
25 1.174.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: Yes. Yes. So Regulatory --  
2 1.174 when it -- at the next revision will reference  
3 this guide in that part of the guide that talks about  
4 PRA quality.

5 MEMBER APOSTOLAKIS: Quality, yes. And,  
6 in fact, you look out from 1.174 all of the discussion  
7 of quality.

8 MS. DROUIN: Right. And similar revisions  
9 will be made to the other ones. They haven't been  
10 able to reference it yet, because they didn't have a  
11 guide to reference.

12 MEMBER APOSTOLAKIS: Go on.

13 MS. DROUIN: The one area where we have  
14 disagreement on the public is the definition, you  
15 know, of the terms "significant" and "dominant." We  
16 did receive your support that we should have a  
17 definition. We felt very strongly that as we go into  
18 the trial you need something to test.

19 And we do recognize that this is a  
20 preliminary definition. It could very easily change  
21 as we go into the pilots and test it and see how it  
22 works. But we do hope to resolve that during the  
23 pilot applications.

24 I wasn't going to go through these next  
25 two. I just had them in there for your information.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Well, let's put it  
2 up.

3 MS. DROUIN: Oh, okay.

4 MEMBER APOSTOLAKIS: First of all, if you  
5 go to the actual guide on Table A-1, the left-hand  
6 side column says "Accident Sequence, Dominant." But  
7 all you are defining on the right-hand side column is  
8 "significant." Is there a definition of "dominant"  
9 anywhere?

10 MS. DROUIN: No.

11 MEMBER APOSTOLAKIS: So why do we use the  
12 term, then? I don't particularly want it there. But,  
13 I mean, if you say "dominant," and then you ignore it  
14 and you define "significant," I mean, the question is,  
15 what happened to "dominant"?

16 MS. DROUIN: What happened to "dominant"  
17 -- now, if you look in here on the table in A-1 --

18 MEMBER APOSTOLAKIS: That's page 26 for  
19 you guys who are looking for it.

20 MS. DROUIN: Page 26.

21 MEMBER APOSTOLAKIS: XXXXX-26.

22 MS. DROUIN: You will see that it has been  
23 lined out.

24 MEMBER APOSTOLAKIS: It's been lined out.

25 MS. DROUIN: It has been lined out. So --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: Not "dominant."

2 MS. DROUIN: Yes.

3 DR. PARRY: Yes, on the right-hand column.

4 MS. DROUIN: On the right-hand side.

5 DR. PARRY: The left-hand column is what  
6 was in the ASME standard.

7 MEMBER APOSTOLAKIS: So all you are doing  
8 now, then, is using the term "significant."

9 MS. DROUIN: That is correct.

10 MEMBER APOSTOLAKIS: No "dominant"  
11 anymore, no -- okay. Okay.

12 MS. DROUIN: So when you read Table A-1,  
13 the left-hand column is just showing you the index.  
14 And then the right-hand column is showing you what our  
15 position is. So if we disagree with the words that  
16 are in the standard, they've been stricken out. And  
17 what's in bold is what we are adding.

18 MEMBER APOSTOLAKIS: Okay.

19 MS. DROUIN: We would like --

20 MEMBER APOSTOLAKIS: Okay. If you are --  
21 okay. That was a misunderstanding. Now let's talk  
22 about the English. You use the expression in all of  
23 these, or most of these -- let's look at the accident  
24 sequence, okay? The one before last -- significant  
25 accident sequence. "A significant sequence is one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the set of sequences, defined at the functional or  
2 systemic level, that when ranked comprise 95 percent  
3 of the CDF." What you mean is whose aggregate  
4 frequency is 95 percent of the CDF.

5 DR. PARRY: Yes.

6 MEMBER APOSTOLAKIS: Not when raked.

7 DR. PARRY: Well, ranked in numerical  
8 order is really what we mean. I mean, starting from  
9 the --

10 MEMBER APOSTOLAKIS: Yes, and then adding  
11 the frequencies.

12 DR. PARRY: Adding the frequencies, right.

13 MEMBER APOSTOLAKIS: Ranking them by  
14 itself doesn't mean that you --

15 DR. PARRY: No, it's comprised --

16 MEMBER APOSTOLAKIS: I think you need a  
17 better expression.

18 CHAIRMAN BONACA: That uses the word  
19 "comprise."

20 MEMBER APOSTOLAKIS: Not when ranked they  
21 are --

22 MEMBER WALLIS: No, but you have to read  
23 the whole sentence. It's one of the set when ranked,  
24 and then they comprise. So it means the top that  
25 comprise --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: It's the top 95 percent, not  
2 just any.

3 MEMBER WALLIS: As opposed to a random  
4 selection.

5 MEMBER APOSTOLAKIS: They're a sum,  
6 though, the sum of the frequencies. That's what --

7 MEMBER WALLIS: That's the set, yes.

8 MEMBER APOSTOLAKIS: Huh? When you rank  
9 something, you don't necessarily calculate the  
10 cumulative frequency.

11 MEMBER WALLIS: But it's the set that  
12 comprised the 95 percent. That is the sum of --

13 MEMBER APOSTOLAKIS: But the set of  
14 sequences cannot be 95 percent of the frequency. It's  
15 the frequency of the set that is 95 percent of the  
16 core damage frequency. But I think we need a little  
17 better language here.

18 MEMBER ROSEN: It's put them in rank order  
19 -- let me see if I understood it -- the important  
20 sequence at the top.

21 MS. DROUIN: Correct.

22 MEMBER ROSEN: And then you put the next  
23 one under that, and then you add the two.

24 MEMBER APOSTOLAKIS: Exactly.

25 MEMBER ROSEN: And if you got 95 percent,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's all of the dominant sequence.

2 MEMBER APOSTOLAKIS: That's right.

3 Exactly.

4 MS. DROUIN: That's correct.

5 MEMBER ROSEN: If not, you add the next  
6 one until you get to the next project.

7 MS. DROUIN: It's not just taking --

8 CHAIRMAN BONACA: Are we picking on the  
9 slide, or is this out of --

10 MEMBER APOSTOLAKIS: Say again?

11 CHAIRMAN BONACA: Are we picking on the  
12 slide, or is this --

13 MEMBER APOSTOLAKIS: This is from the  
14 guide. This is the guide.

15 MS. DROUIN: This is what we put in there.

16 CHAIRMAN BONACA: Then I agree that --

17 MEMBER APOSTOLAKIS: Now, I still need to  
18 understand why you have that "or" statement --  
19 individually contribute more than one percent. Again,  
20 what's the issue there?

21 MS. DROUIN: Well, this gets into an issue  
22 where you have kind of an equal split among your  
23 dominant sequences. And so --

24 DR. PARRY: Significant sequences.

25 MS. DROUIN: Sorry, significant sequences.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Oh, slap my hand.

2 DR. PARRY: If you had a very well -- if  
3 you had a very even risk profile, and you had --

4 MEMBER ROSEN: Use the microphone, Dr.  
5 Parry.

6 DR. PARRY: Sorry. If you had a very even  
7 risk profile, and you had 100 sequences all at one  
8 percent, or 99 sequences at 1.01 percent, it would be  
9 hard to --

10 MEMBER APOSTOLAKIS: We've never seen  
11 this, have we?

12 MS. DROUIN: Oh, yes, you did.

13 DR. PARRY: You have.

14 MS. DROUIN: You do.

15 MEMBER APOSTOLAKIS: In nuclear plants?

16 MS. DROUIN: Yes.

17 DR. PARRY: It depends on the level at  
18 which you define the accident sequences. If you have  
19 functional sequences, you get --

20 MEMBER APOSTOLAKIS: Well, you are talking  
21 about CDF, right?

22 DR. PARRY: Right.

23 MEMBER APOSTOLAKIS: Yes, so it's  
24 functional at the system level.

25 DR. PARRY: Functional at all system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 levels.

2 MEMBER APOSTOLAKIS: Is it true that about  
3 15 to 20 sequences dominate usually?

4 DR. PARRY: But if they're all equally  
5 dominating, that's where the problem is. It's not the  
6 number that are dominating. It's that they're all  
7 equal. So say you come down and you have a sequence  
8 that's -- I'm trying to make this easy. One that's 50  
9 percent, and then the rest contribute five percent.  
10 Which one of those five percent are you going to throw  
11 away?

12 MEMBER APOSTOLAKIS: Say again. You have  
13 what? You have --

14 MS. DROUIN: You have one sequence that's  
15 a 50 percent contributor.

16 MEMBER APOSTOLAKIS: Right.

17 MS. DROUIN: And all of the rest of the  
18 sequences each contribute five percent. Which one of  
19 those five percents are you going to throw away?

20 MEMBER APOSTOLAKIS: But you will never  
21 have that, will you?

22 MS. DROUIN: What I'm saying is that we  
23 have seen this.

24 DR. PARRY: You can in some boilers, yes,  
25 particularly. Actually, we shouldn't get too hung up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on this, because in fact this --

2 MEMBER APOSTOLAKIS: No. But, again,  
3 let's be a little more careful here. Suppose that you  
4 have a situation that I'm talking about. You have  
5 looked at a million sequences with a computer program.  
6 The top 15 sequences give you 95 percent of a CDF.  
7 Okay?

8 Now I look at this, and then I have  
9 another 100,000 -- not 100,000. I have another  
10 whatever sequences, each one contributing 1.5 percent.

11 MEMBER WALLIS: You can't have that.

12 MEMBER APOSTOLAKIS: I can't have that?

13 MEMBER SHACK: You can only have --

14 MEMBER WALLIS: The problem is with number  
15 16.

16 MEMBER APOSTOLAKIS: If you'll go to 95  
17 percent --

18 MEMBER WALLIS: The problem is, George,  
19 number 16, the one just flow 95.

20 MEMBER APOSTOLAKIS: Now, let's say I have  
21 95 percent, okay, and then I have five, each one  
22 contributing one percent. According to this, I will  
23 have to look at all of them.

24 DR. PARRY: Yes.

25 MEMBER APOSTOLAKIS: Why? What's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point? That's not the argument you have. The  
2 argument you gave was if I can't find the 95 percent,  
3 and I have even distribution, then I look at the one  
4 percent. But now, with this "or" there, you are  
5 looking at all 100 of them.

6 DR. PARRY: Actually, this doesn't say  
7 what you've got to do with those sequences. I think  
8 you have to look at what the standard says you need to  
9 do with the significant sequences. And if I remember  
10 correctly, we sample them. We don't necessarily look  
11 at all of them.

12 So it's actually relative. It's not used  
13 very frequently in the standard, and it's to do with  
14 the interpretation of the results and the checking of  
15 the results.

16 MS. DROUIN: But this is why, you know, I  
17 think it's important that we're going to test this  
18 during the trial use. I mean, we need some pilots.  
19 We need to see, you know, is -- is, for example,  
20 having that one percent there going to cause a  
21 problem?

22 MEMBER APOSTOLAKIS: I guess my reaction  
23 to this is that this is a high level definition of  
24 significance, and this "or" there goes into detail  
25 that might be useful in rare instances, and probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 doesn't belong in a general definition. But if you  
2 want to leave it there --

3 MS. DROUIN: And if that's the case, and  
4 it turns out to be more of a headache, then --

5 MEMBER APOSTOLAKIS: It's more of a  
6 headache, I think.

7 MS. DROUIN: -- then we will remove it.

8 MEMBER APOSTOLAKIS: I think putting the  
9 period after "LERF" in all of these things would be  
10 good enough. But that's okay.

11 MS. DROUIN: But I think we need to test  
12 it.

13 MEMBER ROSEN: In the first bullet --  
14 Mary, can I switch your attention to it? Did you mean  
15 the risk achievement worth?

16 MEMBER APOSTOLAKIS: Yes.

17 DR. PARRY: Yes.

18 MEMBER ROSEN: Okay.

19 MEMBER APOSTOLAKIS: The language needs  
20 cleaning up, I think.

21 MEMBER ROSEN: Well, I'm assuming that  
22 just the slide was wrong. In the standard, --

23 MEMBER APOSTOLAKIS: No, no, no. This is  
24 the way it's --

25 MS. DROUIN: But I will say, we have not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done a tech editing of this yet, and we will go  
2 through here --

3 MEMBER ROSEN: Well, no editor would find  
4 that comment.

5 MS. DROUIN: No, no, but I'm saying we  
6 have not done that. I'm talking a tech editing not  
7 from, you know, commas and periods, but this sort of  
8 thing.

9 MEMBER APOSTOLAKIS: Now, is it clear in  
10 the guide somewhere that all of this stuff is done  
11 using mean values or point values or --

12 MS. DROUIN: Yes.

13 MEMBER APOSTOLAKIS: It is clear?

14 MS. DROUIN: Yes. When you get to the  
15 quantification section --

16 MEMBER APOSTOLAKIS: It's done in mean  
17 values?

18 MS. DROUIN: Yes.

19 MEMBER APOSTOLAKIS: In terms of mean  
20 value?

21 MS. DROUIN: Yes.

22 MEMBER WALLIS: Mary, could you take that  
23 wiggly thing out of the one percent. You're trying to  
24 be precise and clear here, and the wiggle in front of  
25 the one percent and the significant accident sequence

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 makes it vague again.

2 MS. DROUIN: Oh.

3 MEMBER ROSEN: More than about one  
4 percent. You shouldn't be saying that in a  
5 definition. You need to say one percent, or you say  
6 1.2 percent, or you say between -- whatever you say  
7 you say, but you don't say "about." And I agree with  
8 Graham on that.

9 MS. DROUIN: You know, I have no problem  
10 with taking it out. It was actually supposed to be  
11 put everywhere, and we were putting that everywhere in  
12 response to some public comments to show that we  
13 weren't being hard and fast.

14 MEMBER ROSEN: Well, we think you should  
15 be. You should make up your mind and say what you  
16 think.

17 MS. DROUIN: I agree.

18 MEMBER KRESS: George and Mary, did we  
19 ever resolve the question of -- with respect to the  
20 first bullet, that these fixed numbers on Fussell-  
21 Vesely and risk achievement worth treat low CDF plants  
22 differently than high CDF plants?

23 MEMBER APOSTOLAKIS: They do, yes.

24 MEMBER ROSEN: They do.

25 MEMBER KRESS: And we still believe this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is an acceptable approach?

2 MS. DROUIN: We think this is an approach  
3 to start off with in testing. Whether we end up with  
4 these definitions after the pilots, the pilots will  
5 hopefully give us some insights and lessons learned.

6 MEMBER KRESS: Yes. Somehow I think we  
7 need to work on that concept.

8 DR. PARRY: But, again, though I'd like to  
9 remind you I think the way these definitions are used  
10 in the guide is to identify, for example, the  
11 significant basic event. It determines how much --  
12 how many of the basic events actually get looked at in  
13 more detail. So it's relative to the CDF of the  
14 particular plant that's being worked on.

15 MEMBER KRESS: Yes. In this case, it may  
16 be -- may be different. You're right.

17 DR. PARRY: Yes.

18 MEMBER KRESS: But somehow I still think  
19 it needs to be thought about a little. But you're  
20 right, it's relative to that --

21 DR. PARRY: Right.

22 MEMBER KRESS: -- in this case.

23 MEMBER APOSTOLAKIS: So we decided not to  
24 drop from the terminology "minimal cut set." When you  
25 say "cut set," you mean minimal cut set.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: Yes.

2 MS. DROUIN: Yes. Okay. Again, I was not  
3 planning on going over the next slide. I had just had  
4 that for information purposes.

5 MEMBER APOSTOLAKIS: Well, it does sound,  
6 though, like it's a circular definition. A key  
7 assumption is an assumption made in response to a key  
8 source of uncertainty.

9 DR. PARRY: Yes. Well, it's not circular,  
10 and it leads to the next one. It leads to the key  
11 source of uncertainty. The reason that we defined  
12 these is originally I think in the guide it just said,  
13 "Look at all uncertainties and all sources of  
14 uncertainty," and that clearly is a little over the  
15 top.

16 So we wanted to restrict it to those  
17 things that can actually impact the insights you're  
18 getting from the PRA.

19 MEMBER APOSTOLAKIS: No. But, I mean,  
20 it's the language again.

21 MS. DROUIN: If you're getting --

22 MEMBER APOSTOLAKIS: An assumption made in  
23 response to a key source of uncertainty or --

24 DR. PARRY: Why don't we switch them  
25 around? If we put key source of uncertainty first,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then we could talk about the key assumptions, I  
2 think it makes more sense.

3 MEMBER APOSTOLAKIS: Okay. But then,  
4 let's go on and see -- in the knowledge that the more  
5 detailed model would produce different results, why  
6 didn't you say in the knowledge that an alternate  
7 assumption would produce different results?

8 DR. PARRY: Yes.

9 MEMBER APOSTOLAKIS: Why does it have to  
10 be more detailed?

11 DR. PARRY: I think there are two things  
12 that are mixed up in this definition, and we need to  
13 clean it up, because also we should be talking about  
14 approximations. This, in a sense, is -- that phrase,  
15 I think, refers more to an approximation than an  
16 alternate assumption.

17 MEMBER APOSTOLAKIS: Ah.

18 DR. PARRY: We need to --

19 MEMBER APOSTOLAKIS: Sort of the bounding  
20 analysis perhaps.

21 DR. PARRY: Yes. We need to clean up the  
22 language in that area.

23 MEMBER APOSTOLAKIS: All right. Key  
24 assumption one, that in essence if you change it, you  
25 are changing the results?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: Yes.

2 MEMBER APOSTOLAKIS: I mean, in everybody  
3 language, that's what you would mean, right?

4 DR. PARRY: Yes.

5 MS. DROUIN: That's correct.

6 MEMBER APOSTOLAKIS: It's a critical  
7 assumption. If I change it, I can make another  
8 assumption that some people will find equally  
9 reasonable.

10 DR. PARRY: Right.

11 MEMBER APOSTOLAKIS: My results will be  
12 different.

13 DR. PARRY: Right. Significantly  
14 different.

15 MEMBER APOSTOLAKIS: Yes.

16 CHAIRMAN BONACA: Now, this is a draft  
17 final, but I notice that you're talking about the  
18 notes. And these are just on examples, so --

19 MEMBER APOSTOLAKIS: There's a lot of  
20 language here that needs to be changed.

21 CHAIRMAN BONACA: It has to be reviewed.  
22 What does it mean?

23 MEMBER APOSTOLAKIS: Okay.

24 MS. DROUIN: Again, to me these are  
25 working definitions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Trial use.

2 MS. DROUIN: Trial use. I think in all of  
3 our minds that when the pilots were going to -- as we  
4 move through the pilots, these definitions would  
5 probably change.

6 MEMBER ROSEN: Well, I think you have a  
7 lot of risk in here on the key source of uncertainty,  
8 that using something like "no consensus approach" --  
9 that's fraught with all sorts of difficulty. To me,  
10 it is not a good choice.

11 MS. DROUIN: What is not a good choice and  
12 not --

13 MEMBER ROSEN: A good choice of how to  
14 define "key source of uncertainty." It's -- your  
15 words say a source of uncertainty related to an issue  
16 where there was no consensus approach. I would say  
17 whether -- a key source of -- maybe you're trying to  
18 get away from the circularity, but it's a key source  
19 of uncertainty. It's an uncertainty which is, you  
20 know, large, where there is many possible different  
21 answers. You know, where the -- both where the  
22 uncertainty is systemic or a large systemic  
23 uncertainty or large aleatory uncertainty.

24 DR. PARRY: But I think, again, the  
25 thought behind this is that the way you deal with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       uncertainties, at least the modeling level, is to make  
2       assumptions. So I think what we're trying to get  
3       across here is that these are things where different  
4       people have made different assumptions, that there is  
5       no consensus.

6               And the example could be the RCP seal LOCA  
7       model. If we all used the same RCP seal LOCA model,  
8       it's probably still a source of uncertainty. But it's  
9       been generally agreed that this is the model we will  
10      use. And, therefore, it's sort of removed out of the  
11      consideration from decision-making, because it's the  
12      accepted approximation or assumption for that  
13      particular issue. That's what I think we're trying to  
14      get at here.

15             MEMBER ROSEN: You're relating source of  
16      uncertainty to the state of the art thing. If the  
17      state of the art is agreed to, even though it's  
18      uncertain, then it's no longer a source of  
19      uncertainty. I think that's what happened here. I  
20      don't think that's --

21             MEMBER APOSTOLAKIS: In other words, if we  
22      all agree that this is the model to use, but the  
23      uncertainty is large, that's not a key source.

24             CHAIRMAN BONACA: Exactly. You can still  
25      have a very large --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: It's really a key  
2 source of uncertainty.

3 DR. PARRY: That's my point. Yes, but  
4 you've agreed, though, that that is what we shall use  
5 in the model. Therefore, it doesn't need to be  
6 quantified in that sense.

7 MEMBER APOSTOLAKIS: Why not?

8 DR. PARRY: Well, how can you?

9 MEMBER APOSTOLAKIS: You can quantify it.

10 MEMBER ROSEN: Well, let's say three wise  
11 men decide that this one approach is what we'll use,  
12 and yet the three wise men -- two wise men and a wise  
13 woman decide that this is -- has a distribution that's  
14 very wide, very uncertain. You're saying that that  
15 makes it no longer uncertain.

16 DR. PARRY: No. If you've got a  
17 distribution, that -- that means you are  
18 characterizing the uncertainty. What we're  
19 contrasting here --

20 MEMBER ROSEN: Characterized uncertainty  
21 doesn't mean there is no uncertainty.

22 DR. PARRY: No.

23 MEMBER ROSEN: It just means it's --

24 DR. PARRY: Exactly. And that's not what  
25 I'm saying. What we're saying is if you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 alternate models, each of those models might have its  
2 own uncertainty in an aleatory sense -- no, epistemic  
3 sense. But it's -- rather than deal with a selection  
4 -- a collection of models that could be used, and  
5 addressing that uncertainty by feeding in the  
6 different models, we're just going to choose the one.

7 MEMBER ROSEN: No, I don't think I agree  
8 with that.

9 MEMBER APOSTOLAKIS: That's a key model  
10 uncertainty.

11 MEMBER ROSEN: I think we have --

12 MEMBER APOSTOLAKIS: Which is a subset  
13 of --

14 MEMBER ROSEN: As a committee, we've taken  
15 the position --

16 MEMBER APOSTOLAKIS: Which is a subset of  
17 the sources of uncertainty.

18 MEMBER ROSEN: -- that model uncertainty  
19 needs to be discussed.

20 MEMBER APOSTOLAKIS: Yes. But that's a  
21 subset of what they have there.

22 DR. PARRY: We're not saying that it  
23 shouldn't be discussed. What we're saying is that  
24 there are certain model uncertainties that we know are  
25 out there, but we have chosen as an industry to adopt

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a particular model to address it. At least as a  
2 potential.

3 MEMBER APOSTOLAKIS: As a general comment,  
4 though, I think a lot of this stuff is more elaborate  
5 than it should be, like key source of uncertainty. Go  
6 through this and the key assumption and all of that,  
7 the one percent earlier. Why can't we use just  
8 straight definitions like "95 percent of frequency,"  
9 "key source of uncertainty," "it's a major contributor  
10 to uncertainty"?

11 DR. PARRY: Somehow what we're trying to  
12 do is to come up with something that's a little more  
13 objective than subjective.

14 MEMBER ROSEN: But you're trying to --

15 DR. PARRY: Which has been the whole  
16 problem. So we've tried to relate it back to how it  
17 affects the significant sequence.

18 MEMBER ROSEN: But you see, what you've  
19 done in this key source of uncertainty is said  
20 whatever the state of the art is, presumably that the  
21 consensus is around the state of the art, is not --  
22 is, therefore, not uncertain, which is not true.

23 MS. DROUIN: I don't think -- no, no.  
24 We're not saying it's not uncertain. We're saying  
25 that you don't need to evaluate the uncertainty of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We already know it's uncertain.

2 But it -- I think going back and using  
3 Gareth's example of the RCP seal model, if everybody  
4 adopts the same model, and say it's the Rhodes model,  
5 we know the uncertainty there. We know its impact.  
6 We don't now need to go and require everybody to do a  
7 sensitivity analysis on that model that they've used.  
8 That's what we're trying to get to. We're not saying  
9 that there's not uncertainty associated with it.

10 MEMBER SHACK: But they've agreed on the  
11 uncertainty that's associated with it.

12 MS. DROUIN: That's right.

13 CHAIRMAN BONACA: Right. I understand  
14 where you're going, and just the words are a source of  
15 confusion.

16 MEMBER APOSTOLAKIS: Also, changing the  
17 relative significance of sequence is not important.  
18 Why don't we call them "significant"? We are only  
19 using "significant" now? So this leads to sensitivity  
20 analysis. That's the idea.

21 MS. DROUIN: That's right.

22 DR. PARRY: Effectively, yes. That's  
23 right. These are the things that you need to do  
24 sensitivity studies.

25 MEMBER APOSTOLAKIS: I thought the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sensitivity analysis would actually identify the key  
2 sources, not the other way.

3 DR. PARRY: No. I think the way that the  
4 standard has it is that you look at the results, and  
5 based on an assessment of -- well, I mean, you might  
6 do sensitivity studies to identify the key sources.  
7 That's true. But then, where you go from there is  
8 that when you are performing an application, then you  
9 do additional sensitivity studies to demonstrate that  
10 the decision you're making is robust, which is outside  
11 the scope of this guide.

12 What the ASME standard says is that you  
13 need to identify the key sources of uncertainty, those  
14 that affect the results.

15 MEMBER APOSTOLAKIS: Well, this brings up  
16 another thing.

17 MEMBER ROSEN: Well, can we stay on this  
18 subject for one moment? Just the way this is written,  
19 even if I accept your description of what consensus  
20 approach is, it says, "A source of uncertainty -- a  
21 key source of uncertainty is a source of uncertainty  
22 related to an issue where there is no consensus  
23 approach."

24 And then you say, "For example, RCP seal  
25 LOCA." But you just told me there is a consensus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach.

2 DR. PARRY: No, I didn't. What I said was  
3 if --

4 MS. DROUIN: If.

5 DR. PARRY: -- if we were to adopt, as an  
6 industry, a single model, but currently in all of the  
7 PRAs out there there is not a single model used, there  
8 is a variety of models used.

9 MEMBER ROSEN: It's not my favorite way to  
10 do it. It seems like we need a more fundamental --

11 MEMBER APOSTOLAKIS: It's too convoluted.

12 MEMBER ROSEN: Pardon me?

13 MEMBER APOSTOLAKIS: The ideas really are  
14 simple, but I guess if you guys are trying to be --

15 DR. PARRY: They're simple in a gut-feel,  
16 colloquial sense. But to try and put something into  
17 standard language, it becomes complicated, if you're  
18 trying to create something that's objective.

19 MEMBER APOSTOLAKIS: Why isn't the key  
20 source of uncertainty -- I mean, you identified or you  
21 defined the concept of significance in terms of  
22 contributions to the mean values. Why can't you  
23 define a corresponding concept of significant source  
24 of uncertainty in terms of contribution to the  
25 uncertainty, not to the variance?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: Now you're getting really  
2 complicated.

3 MEMBER APOSTOLAKIS: But that's really  
4 what you want to do.

5 DR. PARRY: Yes. But it's --

6 MEMBER APOSTOLAKIS: Because otherwise you  
7 are confusing the state of the art with the agreements  
8 we have made, and all of that. You are bringing a lot  
9 of stuff in here, and I'm not sure that's better.

10 DR. PARRY: But I don't think that's the  
11 case anyway, George. I think what happens with some  
12 of these sources of uncertainty -- seal LOCAs, let's  
13 pick on that one again. If you adopt one model, you  
14 might get one ranking of sequences. If you use a  
15 different model, you get a totally different ranking  
16 of sequences.

17 MEMBER APOSTOLAKIS: Right. And the same  
18 with HRA.

19 DR. PARRY: So it has nothing to do with  
20 variance. That's actually to do with changing the  
21 risk profile of the model. And that's really what  
22 we're trying to get at; the same with HRA.

23 MEMBER APOSTOLAKIS: So essentially what  
24 you are saying -- implying here is that for it to be  
25 a key source it's really model uncertainty. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 really what you're saying.

2 DR. PARRY: Yes.

3 MEMBER APOSTOLAKIS: Okay.

4 DR. PARRY: That's typically right.

5 MEMBER ROSEN: Well, it's the choice of  
6 data source, too.

7 MEMBER APOSTOLAKIS: It's the models,  
8 really, that matter.

9 MEMBER ROSEN: Well, he's focusing on the  
10 model, but his words right there say "choice of data  
11 source." That's not model; that's data. So it could  
12 be --

13 MEMBER APOSTOLAKIS: Where is that now?  
14 Where is that?

15 DR. PARRY: It's the first one in the  
16 parens.

17 MEMBER SHACK: It's the first e.g.

18 MEMBER APOSTOLAKIS: Oh.

19 MEMBER ROSEN: It could arise either as  
20 data or modeling. Typically, such a thing arises in  
21 modeling, not data, because data you can argue with --  
22 about more --

23 MEMBER APOSTOLAKIS: Well, data source I  
24 guess they mean the distribution. Somebody has  
25 already produced distributions, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: Yes.

2 MEMBER APOSTOLAKIS: Not raw data.

3 MEMBER ROSEN: Well, I think it's -- it  
4 makes me uncomfortable.

5 MEMBER APOSTOLAKIS: Okay. Let's go on.

6 MS. DROUIN: The only thing I'd just begin  
7 to add, these are working definitions, and I'm sure  
8 we'll be coming back --

9 MEMBER APOSTOLAKIS: Let me ask -- we have  
10 until 11:30, right?

11 CHAIRMAN BONACA: Right.

12 MEMBER APOSTOLAKIS: Tony, you need five  
13 minutes only, or maybe 10?

14 MR. PIETRANGELO: Five.

15 MEMBER APOSTOLAKIS: Five. So we have to  
16 finish by 11:24, because he needs a minute to come up  
17 there.

18 MEMBER WALLIS: George, can we keep the  
19 big picture somehow in --

20 MEMBER APOSTOLAKIS: That's what I'm  
21 trying to do. Now, I don't know that this committee  
22 really cares about the public comments.

23 MS. DROUIN: We can skip those.

24 MEMBER APOSTOLAKIS: I mean, we care about  
25 the public comments. I don't think they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant, though.

2 MEMBER KRESS: No. I have a question  
3 about the next slide.

4 MEMBER APOSTOLAKIS: I would like to cover  
5 first their response to our comments.

6 MEMBER KRESS: Well, I'd like to ask her  
7 about the next slide first.

8 MEMBER APOSTOLAKIS: Okay.

9 MEMBER KRESS: The second bullet.

10 MEMBER APOSTOLAKIS: Okay.

11 MEMBER KRESS: It's related to the second  
12 bullet. You have a statement in the text of the thing  
13 that says that CDF and LERF are the metrics, and that  
14 they are surrogates for, respectively, latent and  
15 early fatalities.

16 Now, I can see how CDF possibly could be  
17 a surrogate for latent fatalities. I've never seen  
18 the math. You know, what we did for LERF is we took  
19 the early fatality safety goal, and we looked at a lot  
20 of plants and backed out what LERF would have as a  
21 mean equivalent to that at the population in plants.

22 Now, we've got a CDF value -- I think it's  
23  $10^{-4}$  I've never seen the equivalent of that exercise  
24 done. You end up with  $10^{-4}$  as a surrogate for the  
25 latent fatality safety goal. Now, it could be -- some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number of CDF could be a surrogate, but I've never  
2 seen that exercised. And my question is: does it  
3 exist? And is that what you meant?

4 MS. DROUIN: It does exist, and that was  
5 -- that appendix that goes through the math that I  
6 gave you.

7 MEMBER KRESS: Oh, it's in the appendix.

8 MS. DROUIN: That appendix that I gave you  
9 that goes through the math that shows how the CDF of  
10  $1E-4$ , and the LERF value of  $1E-5$ , how it is derived  
11 from the QHOs.

12 MEMBER KRESS: Okay. I can find that in  
13 the appendix, then.

14 MS. DROUIN: No, no, no. It's not in the  
15 appendix of this. It's in the appendix to the  
16 option 3 framework that I gave you a copy of.

17 MEMBER KRESS: Yes. I remember you gave  
18 me a copy of that. I'll have to go back and look for  
19 it.

20 MS. DROUIN: That just systematically goes  
21 through the math.

22 MEMBER KRESS: It goes through that math.

23 MS. DROUIN: It goes through that math.

24 MEMBER KRESS: Thank you. That's all I  
25 would --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: I disagree with George and  
2 agree with him. We do care about the public comments,  
3 but we care about ours first.

4 MEMBER APOSTOLAKIS: Yes.

5 MS. DROUIN: Well, see, I had --

6 MEMBER APOSTOLAKIS: I corrected myself.

7 MS. DROUIN: -- saved the best for last,  
8 so --

9 MEMBER APOSTOLAKIS: I corrected myself.  
10 Well, and now -- so let me tell you what I propose,  
11 and see if everybody agrees. Let's go over the ACRS  
12 comments first, slide 15. Then, depending on how much  
13 time we have, we either go over the public comments,  
14 or you tell us where there is disagreement with the  
15 public.

16 CHAIRMAN BONACA: Well, in fact, pages 11  
17 and 12 have the sources of major disagreements. That  
18 would be a good summary of that point.

19 MEMBER APOSTOLAKIS: Okay. So --

20 CHAIRMAN BONACA: I agree with the order.  
21 That's fine.

22 MEMBER APOSTOLAKIS: Let's do ours first.

23 MS. DROUIN: Okay. Fifteen. Well, I  
24 think we can skip this one. We've done that one.

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Noting the discomfort of  
2 certain, then.

3 MS. DROUIN: And I will note that we will,  
4 as we do our tech editing, to go and look at the  
5 language more carefully.

6 Okay. Comment number 2 was the peer  
7 review of the PRA should include an assessment of the  
8 uncertainties and the validity of key assumptions.  
9 And as you can see here on the slide, what's --

10 MEMBER APOSTOLAKIS: Well, we agreed with  
11 you there, right?

12 DR. PARRY: Yes.

13 MS. DROUIN: Correct.

14 MEMBER APOSTOLAKIS: So you are not coming  
15 back now and disagreeing with us.

16 MS. DROUIN: No.

17 DR. PARRY: Oh, no, no.

18 MEMBER APOSTOLAKIS: Okay. Comment 3.

19 MS. DROUIN: Comment 3 was it should  
20 include guidance on how to perform sensitivity and  
21 uncertainty analyses.

22 MEMBER APOSTOLAKIS: Right.

23 MS. DROUIN: To some extent we thought  
24 that the -- what is in the ASME standard is adequate  
25 in terms of dealing with the issue of PRA quality. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terms of a detailed guidance for sensitivity  
2 uncertainty analysis, we felt that belonged in its own  
3 regulatory guide. And as we said in our letter back  
4 to the committee, and as we have also committed to the  
5 Commission, is to develop this new regulatory guide,  
6 which we've started on.

7 MEMBER ROSEN: This is mainly about model  
8 uncertainty, isn't it?

9 DR. PARRY: Primarily.

10 MEMBER APOSTOLAKIS: Primarily.

11 DR. PARRY: Yes.

12 MEMBER ROSEN: That was the thrust of the  
13 committee's comment.

14 DR. PARRY: Right.

15 MEMBER ROSEN: We need to work on, you  
16 know, a way to enforce is the word that was used, the  
17 need to deal with model uncertainty.

18 MS. DROUIN: Yes.

19 DR. PARRY: But Mary left out an important  
20 phrase, though, when you said that. When you're  
21 talking about the performance of sensitivity  
22 uncertainty analysis in the context of applications,  
23 that's what we're going to deal with in the separate  
24 regulatory guide.

25 MS. DROUIN: That's true.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: Because that's not the purpose  
2 of DG-1122.

3 MEMBER APOSTOLAKIS: What's the  
4 distinction?

5 DR. PARRY: Well, this is how you take  
6 account of uncertainties and sensitivities when making  
7 decisions, when comparing with acceptance guidelines.

8 MEMBER APOSTOLAKIS: Right.

9 DR. PARRY: That's not the function of DG-  
10 1122.

11 MEMBER APOSTOLAKIS: No. But if DG,  
12 whatever, guide becomes -- you see, the problem, as I  
13 see it, is that in the past sensitivity analyses have  
14 been used as substitutes of uncertainty analysis. We  
15 are going to do a point estimate, and then, you know,  
16 okay, we are going to change the failure rates by a  
17 factor of three. What do you want? It doesn't affect  
18 anything. So we've done it.

19 Well, that is not the way to do it. So  
20 somewhere we have to make it clear that this is what  
21 sensitivity analysis means. This is what uncertainty  
22 analysis means.

23 MS. DROUIN: Right. We totally agree with  
24 you. We totally agree. There's not disagreement. We  
25 just don't think it belongs in this guide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: Okay. So my next  
2 question is: this separate regulatory guide, what is  
3 the timetable there? When do you think you are going  
4 to have something?

5 MS. DROUIN: As soon as possible.

6 MEMBER APOSTOLAKIS: You see, that's what  
7 we got from the EDO's response, which I think some of  
8 you had something to do with it. I think it's, in my  
9 mind at least, it's important for us to know when  
10 you're going to have that. Otherwise, you know, we  
11 make a comment and you say, "We're going to think  
12 about it. We're going to issue something" --

13 MS. DROUIN: You know, I apologize for  
14 my --

15 MEMBER APOSTOLAKIS: You said you started  
16 already, actually.

17 MS. DROUIN: Yes. I have not sat down and  
18 laid down a schedule for the guide.

19 MEMBER APOSTOLAKIS: But, I mean --

20 MS. DROUIN: But it's not something that's  
21 on a back burner.

22 MEMBER ROSEN: How about a schedule for  
23 the schedule, then? When will you be able to tell us?

24 MS. DROUIN: I mean, I'm more than willing  
25 to commit to come back to you in the very near future

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and give you a schedule. I just haven't laid it out.

2 MEMBER APOSTOLAKIS: And that will be  
3 fine, Mary. But I guess my question is: is this  
4 something that will take six months? Or it will take  
5 four or five years?

6 MS. DROUIN: No, no, no.

7 MEMBER ROSEN: "Very near future," just  
8 define that.

9 MEMBER APOSTOLAKIS: Yes. What is the  
10 near future?

11 MS. DROUIN: The near future -- I mean, I  
12 would like to see a draft of this guide in early next  
13 year.

14 MEMBER APOSTOLAKIS: Okay. And you will  
15 come to us I assume before then to discuss progress or  
16 whatever?

17 MS. DROUIN: Absolutely.

18 MEMBER APOSTOLAKIS: So is this something  
19 now that's sufficient -- I mean, that we know --

20 MEMBER ROSEN: Yes. We now can tell our  
21 staff that sometime before the end of this year please  
22 ask Mary to come back and tell us how she's doing.

23 MEMBER APOSTOLAKIS: Or she may come on  
24 her own free will.

25 MEMBER ROSEN: She may come of her own

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 free will.

2 (Laughter.)

3 MEMBER APOSTOLAKIS: Okay. Roman number  
4 four. I'm sorry. Gary?

5 DR. PARRY: Yes. Again, to come back to  
6 this issue, that when we looked at the guide -- at the  
7 ASME standard, we felt that in the way that the  
8 standard is written, which is a what to do rather than  
9 a how to do standard --

10 MEMBER APOSTOLAKIS: Right.

11 DR. PARRY: -- it has sufficient in there  
12 to identify -- in the sense that it has a requirement  
13 to identify the key sources of uncertainty, which is  
14 really the focus of what the guide should be doing.

15 And then, what we do with those is we're  
16 going to deal with in another document. Just to make  
17 that clear.

18 MEMBER APOSTOLAKIS: Yes. And my question  
19 was, what's the timeframe?

20 DR. PARRY: Okay.

21 MEMBER APOSTOLAKIS: We agree that should  
22 be a separate document, but --

23 DR. PARRY: Right. Okay.

24 MEMBER APOSTOLAKIS: -- I don't want it to  
25 be just, you know, we're going to look into it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: Right.

2 MS. DROUIN: No. Okay. Comment number

3 4 --

4 MEMBER APOSTOLAKIS: Well, we supported  
5 that, didn't we?

6 MS. DROUIN: Yes. You all agreed with us.

7 MEMBER APOSTOLAKIS: Yes, we supported it.

8 MS. DROUIN: Okay.

9 MEMBER APOSTOLAKIS: Five?

10 MEMBER ROSEN: When you said staff has  
11 taken objection in Appendix A, do you mean they have  
12 taken objection to not having such a list? And you  
13 agree with our comment?

14 MS. DROUIN: We agree with your comment.

15 MEMBER ROSEN: And you've taken objection  
16 in Appendix A, Section 6.3 --

17 MS. DROUIN: Correct.

18 MEMBER ROSEN: -- to the fact that it's  
19 not required.

20 MS. DROUIN: Correct.

21 MEMBER ROSEN: Okay.

22 MS. DROUIN: Okay. On this one it -- it  
23 seemed to me that when you looked at the guide, there  
24 were a couple of words that, from our understanding at  
25 the last meeting, and then going back and reading the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transcript in addition to your letter, that it was  
2 some specific wording that was causing the confusion.

3 And so this is what we had proposed in  
4 trying to relieve your concern that even if you're in  
5 a capability category 1, it's still going to deal  
6 with, you know, as appropriately the operating history  
7 and experience of the plant as well as applicable  
8 generic experience.

9 And we had proposed taking out the words  
10 -- now these are in the guide. These are not words  
11 that are in the standard. These were our words in the  
12 main body of the guide.

13 But also, when you go into the standard  
14 and you look at those three examples in particular, we  
15 think those also were enough, we felt, to alleviate  
16 the concern.

17 MEMBER APOSTOLAKIS: There are a couple of  
18 comments here. Category 1 now -- category 1, that was  
19 the lowest bullet, right?

20 MS. DROUIN: Right.

21 MEMBER APOSTOLAKIS: Which is basically  
22 sequences, right? You are relying a lot on generic  
23 information, is that correct?

24 DR. PARRY: Generic data maybe, but you --  
25 the sequences still have to be --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Plant-specific.

2 DR. PARRY: -- plant-specific.

3 MS. DROUIN: Plant-specific. I mean,  
4 you're drawing plant-specific fault trees.

5 MEMBER APOSTOLAKIS: right.

6 MS. DROUIN: Plant-specific initiating  
7 event identification.

8 MEMBER APOSTOLAKIS: But if in that  
9 particular plant, for example, some component has a  
10 high failure rate, that will not show up in a  
11 category 1 PRA.

12 MS. DROUIN: No. Yes, it will.

13 MEMBER APOSTOLAKIS: How?

14 MS. DROUIN: It will.

15 MEMBER APOSTOLAKIS: When you are using  
16 generic data?

17 MS. DROUIN: No, no, no, no. You are  
18 allowed to use generic data.

19 MEMBER APOSTOLAKIS: Well, then, I'm going  
20 to use generic data if I'm allowed.

21 MS. DROUIN: Okay. Right. But there is  
22 a requirement when you go into the supporting  
23 requirements -- I don't remember whether it's under  
24 DA-C or DA-D, that requires you when you have that  
25 kind of unique situation to take that into account.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There is a specific supporting requirement imposed for  
2 a category 1.

3 MEMBER APOSTOLAKIS: And then I'm moving  
4 to category 2, am I?

5 MS. DROUIN: No.

6 DR. PARRY: No, because it's only for  
7 things that are known to be different from general  
8 industry experience. Where you don't think there's a  
9 significant difference, then you're allowed to use  
10 generic.

11 MEMBER APOSTOLAKIS: I don't know what  
12 kind of public confidence we are getting with all of  
13 this. But anyway, these words "when it is of  
14 sufficient quality," why do we need that? I mean,  
15 what does that mean? You made a big deal in other  
16 instances that unless you quantify things they don't  
17 mean much, and now you say when it's -- when does  
18 experience become of sufficient quality? What do you  
19 mean?

20 DR. PARRY: When you can actually do  
21 something with it. If there is very --

22 MEMBER APOSTOLAKIS: Zero failures in 50  
23 tests. I mean, is there something -- I can do  
24 something with it?

25 DR. PARRY: Sure, you can do something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with that. But --

2 MEMBER APOSTOLAKIS: Yes.

3 MEMBER ROSEN: How about failures in two  
4 tests? Is that --

5 MEMBER APOSTOLAKIS: So all of it, then,  
6 is of sufficient quality.

7 DR. PARRY: No. You don't know how many  
8 failures in how many tests. I mean, that would be an  
9 example of --

10 MEMBER APOSTOLAKIS: But that's what you  
11 mean?

12 DR. PARRY: Well, I mean, it's one  
13 example.

14 MEMBER APOSTOLAKIS: Because you know how  
15 people are going to interpret this. We're going to do  
16 classical statistics if we have a lot of data. We're  
17 going to do Bayesian statistics if we have weak data.  
18 That's what they're going to -- how they've going to  
19 go with this.

20 DR. PARRY: This is category 1, in any  
21 case. I mean, this is just --

22 MEMBER APOSTOLAKIS: No, this is general.

23 DR. PARRY: No. But this is just our --

24 MEMBER APOSTOLAKIS: This is not  
25 category 1. It is parameter estimation analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. PARRY: That's true, but that's a  
2 general statement of what the test is. If you want to  
3 understand what we mean by that, you really have to  
4 transition into the ASME standard and look at the  
5 requirements for that. That would be --

6 MEMBER APOSTOLAKIS: Why didn't you take  
7 that out? I mean, you --

8 DR. PARRY: Take what out?

9 MEMBER APOSTOLAKIS: Well, the words of  
10 "when it is of sufficient quality." And then if they  
11 want to understand better what you mean by including  
12 the actual operating history and experience, they will  
13 go wherever you send them. This sufficient quality,  
14 you know, it's a red flag, because I've seen it.

15 As you know, in many IPEs people did that.  
16 They did arbitrary things. Here we have lots of data.  
17 Why? Because we say so. So here's the number of  
18 trials, and this is good enough. Over there we don't,  
19 so we're going to do something else.

20 Does it help any to have those words  
21 there, "when it is of sufficient quality"?

22 DR. PARRY: It helps me, but --

23 MEMBER APOSTOLAKIS: You don't need those,  
24 I don't think. I don't think anybody is going to do  
25 anything using this paragraph to begin with. They're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to go into the actual requirements.

2 MEMBER WALLIS: Maybe you want the  
3 sufficient quality to qualify the word "data," rather  
4 than "history."

5 MEMBER ROSEN: Well, it's a set of weasel  
6 words that someone can point to later on to justify  
7 doing almost anything. And I think that's George's  
8 point.

9 MEMBER APOSTOLAKIS: That's my point, that  
10 it's unnecessary. I mean, this is just a general  
11 statement here, you know, you quantify parameters.  
12 The estimation process includes a mechanism for  
13 addressing uncertainties. It has the ability to  
14 combine different sources of data, including operating  
15 history and experience, and applicable generic  
16 experience. I mean, you know, it's a general  
17 statement of what you are expected to do.

18 MEMBER WALLIS: It sounds okay. Why don't  
19 you agree with that, Mary, and move on?

20 MS. DROUIN: That's fine.

21 (Laughter.)

22 We will agree to that.

23 MEMBER APOSTOLAKIS: Okay. Good. And,  
24 okay, next?

25 MS. DROUIN: Comment number 6. This was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 providing guidance on acceptable qualitative  
2 characterization.

3 MEMBER APOSTOLAKIS: You say --

4 MS. DROUIN: We fixed the wording in the  
5 guide --

6 MEMBER APOSTOLAKIS: -- it's bounding.

7 MS. DROUIN: -- to clarify that. But we've  
8 also agreed that, you know, guidance is needed here,  
9 and this will go in this new regulatory guide.

10 MEMBER APOSTOLAKIS: So what you mean is  
11 bounding analysis.

12 MS. DROUIN: That's one example.

13 MEMBER APOSTOLAKIS: Oh. There could be  
14 another --

15 MS. DROUIN: There could be others. But  
16 we took those words out that talked about are  
17 qualitative or quantitative.

18 MEMBER APOSTOLAKIS: Okay. So essentially  
19 you agree with us.

20 MS. DROUIN: Yes, we agreed with you.

21 MEMBER APOSTOLAKIS: Okay. Let's go -- if  
22 there are no questions, let's go to the -- your  
23 slide 11, you said? Major areas of disagreement?

24 MEMBER ROSEN: With the public comments.

25 MEMBER APOSTOLAKIS: With the public.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Okay.

2 DR. PARRY: The second one --

3 MEMBER APOSTOLAKIS: Yes. The first one  
4 I think we did.

5 MS. DROUIN: Yes. We've kind of beaten  
6 that first one to death at this point I think on  
7 significant and dominant.

8 MEMBER APOSTOLAKIS: Yes.

9 MS. DROUIN: This one -- I don't think  
10 it's big. I think we're going to come to a resolution  
11 on this very quickly. In the ASME standard, repair is  
12 defined as a subset of recovery. We don't think it's  
13 a subset. When you talk about recovery, you're using  
14 your HRA techniques, because you're not trying to  
15 correct the exact fault or the failure mechanism.

16 And when you go to repair, you're actually  
17 trying to correct, and you need to know what that  
18 actual failure was. And so it's -- you're not going  
19 to use the same thing, and so we're just trying to  
20 provide some clarification there.

21 I don't think we're in a big disagreement,  
22 but this has not been showing up in the agenda at this  
23 point.

24 MEMBER APOSTOLAKIS: How does this work by  
25 the way? If you disagree with the public comments,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you state your argument and that's it? Then you go  
2 ahead with what you wanted to do, right? Is that it?

3 DR. PARRY: That's what will be in  
4 Appendix A.

5 MS. DROUIN: That's what will be in  
6 Appendix A.

7 MEMBER APOSTOLAKIS: And that's it?

8 DR. PARRY: Yes.

9 MS. DROUIN: Well, I mean, in many  
10 cases --

11 MEMBER APOSTOLAKIS: And then they can  
12 take you to some higher authority and say --

13 MEMBER ROSEN: Well --

14 MS. DROUIN: No, no, no, no.

15 MEMBER ROSEN: -- in trial use here. So  
16 if it turns out that when -- when it comes out, it  
17 turns out that that's a major source of difficulty,  
18 ACRS, as well as other people, can weigh in on the  
19 subject, and I'm sure they'll take it into account.  
20 Is that correct?

21 MEMBER APOSTOLAKIS: Yes, but that's what  
22 I'm saying. That essentially it's up to them to  
23 decide whether to accept the comment.

24 MEMBER ROSEN: Now, right. But the --  
25 yes, of course, but then there's other ways to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 influence on what they do.

2 MEMBER APOSTOLAKIS: I mean, let's say the  
3 industry really disagrees with something. These guys  
4 ignore their comments.

5 MEMBER SIEBER: They are still the  
6 ultimate authority.

7 MEMBER APOSTOLAKIS: They can go to the  
8 Commission.

9 MEMBER KRESS: They can write their  
10 Congressman.

11 MEMBER APOSTOLAKIS: That's really what it  
12 is. They could.

13 MEMBER ROSEN: They can complain to the  
14 Federal Government.

15 MS. DROUIN: Yes.

16 MEMBER APOSTOLAKIS: No. The ultimate  
17 authority here is the Commission.

18 MS. DROUIN: We try very hard to come to  
19 an agreement of the minds.

20 MEMBER APOSTOLAKIS: I know, but it's --

21 MS. DROUIN: These I think we do  
22 ultimately have resolution. It's just not showing up  
23 yet.

24 MEMBER APOSTOLAKIS: It's just a general  
25 question I had, not --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: But from the objections we  
2 had, in the version that went out in November to the  
3 version we're going to publish, tremendous advancement  
4 in coming to resolution on areas of disagreement.

5 And when I -- these were -- they were  
6 technical but not huge things. They just want  
7 editorial -- that's what I meant by "major." I  
8 probably shouldn't have used the word "major" there.

9 MEMBER APOSTOLAKIS: So they are major but  
10 not significant.

11 MS. DROUIN: Yes.

12 (Laughter.)

13 MEMBER ROSEN: Mary, help me understand  
14 the format here. The top blue line is what the  
15 comment was, right?

16 MEMBER APOSTOLAKIS: On ASME.

17 MS. DROUIN: Yes.

18 MEMBER ROSEN: No, no.

19 MS. DROUIN: No, no, no.

20 MEMBER ROSEN: That's the public comment  
21 that says that there are insufficient factors in  
22 crediting recovery.

23 MS. DROUIN: That's our comment.

24 MEMBER ROSEN: Your comment?

25 DR. PARRY: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: We think --

2 MEMBER ROSEN: Where is the public  
3 comment?

4 MS. DROUIN: We think there is --

5 MEMBER ROSEN: We are reviewing public  
6 comments, right, on the standard?

7 DR. PARRY: These are specifically ASME  
8 comments.

9 MS. DROUIN: right.

10 DR. PARRY: And I think they are -- what  
11 they really represent is areas where ASME did not  
12 accept some of the comments, and the comments that we  
13 made are in the blue.

14 MEMBER APOSTOLAKIS: So you commented on  
15 the ASME standard, and they didn't accept --

16 DR. PARRY: Right.

17 MEMBER APOSTOLAKIS: -- your comments.

18 DR. PARRY: That's what these --

19 MS. DROUIN: Correct.

20 DR. PARRY: -- interpret these viewgraphs,  
21 right.

22 MEMBER APOSTOLAKIS: Okay.

23 MEMBER ROSEN: You say there are  
24 insufficient factors in crediting recovery.

25 DR. PARRY: Right. They didn't agree.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MS. DROUIN: They did not agree with us.

2 MEMBER ROSEN: The staff does not --

3 what's that second line, then? It's just sort of like

4 a --

5 MS. DROUIN: The second line were examples

6 of the factors that we thought were equally important,

7 that did not show up.

8 MEMBER ROSEN: So it's supporting to your

9 blue line.

10 DR. PARRY: Yes.

11 MEMBER ROSEN: Okay. And then, what's the

12 third line, then? More support? This is all your

13 view on recovery, crediting recovery.

14 DR. PARRY: Right.

15 MS. DROUIN: This first one.

16 MEMBER ROSEN: Yes.

17 MS. DROUIN: Okay. Then, we have the next

18 one where we felt --

19 MEMBER ROSEN: No, I know. Just focusing

20 on the first one, I'm just saying what -- I'm trying

21 to understand the format here. Whose comments is

22 this? These are your comments on the ASME standard.

23 MS. DROUIN: And where ASME did not agree

24 -- in a public comment, they did not agree with our

25 objection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Okay.

2 MEMBER APOSTOLAKIS: And now you may come  
3 back and put those things in DG-1122.

4 DR. PARRY: Right.

5 MS. DROUIN: Correct.

6 MEMBER APOSTOLAKIS: Because the ASME  
7 standard did not agree with them, and they are the  
8 ultimate authority. They say, "We'll show you. We'll  
9 put it in the regulatory guide." That's really what  
10 is happening.

11 MEMBER ROSEN: And now -- and what we  
12 should be doing here is to see whether or not the  
13 staff is being reasonable.

14 MEMBER APOSTOLAKIS: That's right. T  
15 hat's right. But this is really the thinking here.  
16 We told them we didn't like something that was not in  
17 the guide, in the standard, and they disagreed with  
18 us. So we're coming back now, and we're taking  
19 exception.

20 DR. PARRY: And there are relatively few  
21 of these things.

22 MEMBER APOSTOLAKIS: Yes.

23 MS. DROUIN: You are seeing them. These  
24 are them. All the others we've worked out a  
25 resolution.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Okay. And the second one  
2 is?

3 MS. DROUIN: These next two we have  
4 discussed.

5 MEMBER APOSTOLAKIS: I think we did, yes.

6 MS. DROUIN: This was ACRS comment  
7 number 2 and ACRS comment number 4.

8 Then we get to the SONGS peer review.  
9 There were several observations that came out of that.  
10 But one of the more significant ones was additional  
11 guidance did need -- is needed in interpretation of  
12 the requirements.

13 And there were two major areas where this  
14 was seen. The first one is the one you see here, was  
15 on the supporting requirements and were the same  
16 across all categories. How do you interpret that?  
17 There was some view that, you know, they are trying to  
18 look at what was done and assign a grade to it,  
19 whether they met category 1, 2, or 3.

20 In writing that, our view was that that's  
21 just a yes or no. You either did it or you did not do  
22 it, and you aren't assigning a capability category.  
23 I tried to give some examples here. For example, when  
24 you are identifying your initiating events, whether  
25 you're category 1, 2, or 3, you need to identify all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of your initiating events.

2 Subsequently, how they get treated, that  
3 level of detail will vary depending on what capability  
4 category you are. But in terms of identifying, we had  
5 to identify them all. So you're not in a capability  
6 category 1, 2, or 3. You just did it or you didn't do  
7 it.

8 So you can see here is the language that  
9 we are proposing. We did not go through all of the  
10 places in the ASME standard where you see this and try  
11 and work that out. We felt that was better left to  
12 the trial use period, and for ASME to do that. And  
13 that was one of the feedbacks we did get at the public  
14 workshop. They were in agreement with that approach.

15 DR. PARRY: And to add to that, during the  
16 SONGS review, there were some of the requirements  
17 which stretched across categories. There was some  
18 concern that perhaps they really did cry out for a  
19 distinction between the categories.

20 MEMBER APOSTOLAKIS: Correct.

21 DR. PARRY: The internal flooding is a  
22 good example of that. And ASME has taken note of that  
23 and will be looking at that in a future addendum.

24 MEMBER APOSTOLAKIS: The only PRA where  
25 the standard was used in the peer review was SONGS,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which is a category 2 or 3? In between? It's  
2 certainly not 1. They have a whole monitor based on  
3 that.

4 DR. PARRY: Well, I'm not sure that we  
5 should --

6 MS. DROUIN: Let me try and answer it a  
7 different way.

8 DR. PARRY: I'm not sure I should discuss  
9 that.

10 MEMBER APOSTOLAKIS: Why not?

11 DR. PARRY: Well --

12 MS. DROUIN: No PRA -- there is NO PRA  
13 that will ever be across the board a category 1, a  
14 category 2, or a category 3.

15 MEMBER APOSTOLAKIS: I understand that,  
16 right.

17 MS. DROUIN: You're always going to have  
18 a mixture.

19 MEMBER APOSTOLAKIS: But I thought that  
20 the San Onofre one was one of the better ones.

21 DR. PARRY: But there were some category 1  
22 observations.

23 MEMBER APOSTOLAKIS: Even 1.

24 DR. PARRY: Yes. Now, let me come back to  
25 your statement earlier about raising the bar, because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that was a statement you brought up. And that was a  
2 statement that was made at that peer review, but it  
3 was stated in the following context.

4 They said it's raising the bar in the  
5 sense that no PRA is going to be given a category 2 or  
6 3 across all of the requirements. It was in that  
7 sense that I believe that the statements were made --  
8 and Gareth and Steve can help me out on that, if --  
9 because they were there, too.

10 So, and there was another statement that  
11 was made by one of the industry people that he said  
12 that he didn't think that was necessarily a bad idea.

13 MEMBER APOSTOLAKIS: Yes.

14 DR. PARRY: But it's not the -- but I  
15 think it's a realization that there are always going  
16 to be some elements for which some people have done  
17 not as good a job as others.

18 MEMBER APOSTOLAKIS: And then, what does  
19 that mean? I mean, what is the actual --

20 DR. PARRY: Then you have to find out  
21 whether that allocation is significant for the  
22 application that's being used.

23 MEMBER ROSEN: That's the point. It only  
24 matters if you're going to use -- if you're going to  
25 apply it, and it has important ramifications.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: So the whole business  
2 of categories is really useless.

3 MEMBER ROSEN: No.

4 MEMBER APOSTOLAKIS: Because you would be  
5 doing that anyway. You would look at the PRA and say,  
6 "Well, gee, you know, in this case smoke is very  
7 important." And you haven't included smoke, so you  
8 have to do something about it. I don't have to call  
9 it first, but this is a category minus three, and  
10 everybody says, "Oh, it is minus three? No, it's  
11 minus three and a half." And then we'd do something.

12 There is no reason for that, because you  
13 are saying for this decision you have this deficiency.  
14 But anyway, since you've done it, now you've done it.

15 MS. DROUIN: I don't think people should  
16 be surprised that if somebody -- any -- a PRA that is  
17 done to a large scope and a lot of detail should not  
18 be surprised that it's going to have some category 1  
19 stuff in it.

20 MEMBER APOSTOLAKIS: And I absolutely  
21 agree with you.

22 MS. DROUIN: Because you are always going  
23 to -- particularly when you get into like your systems  
24 analysis, you are not going to go build detailed fault  
25 trees on every system. Some of your systems you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to black box. Some you're going to do in great  
2 detail.

3 MEMBER APOSTOLAKIS: Yes.

4 MS. DROUIN: So even the most gold-plated  
5 PRA, I would not be surprised to find some category 1  
6 stuff in it every -- in places.

7 MEMBER APOSTOLAKIS: Yes. My point is  
8 that the words category 1, 2, 3, are really useless.  
9 But anyway, I mean, we -- you are ultimately doing  
10 what I would like to see done, so it's okay.

11 DR. PARRY: I think the general trend  
12 seems to be that, at least particularly if you read  
13 50.69, for example, what the people would like to see  
14 is that they need category 2.

15 MEMBER APOSTOLAKIS: Yes. I know.  
16 Everybody says that. And even then, I think Mary's  
17 comment still applies. I mean, it's not going to be  
18 category 2 at every --

19 DR. PARRY: Right.

20 MEMBER APOSTOLAKIS: Some parts will be  
21 category 3. Some parts will be category 1.

22 DR. PARRY: Right.

23 MEMBER APOSTOLAKIS: In everyday language,  
24 some parts will be better than others. Depending on  
25 the decision I have to make, I'll have to make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 judgment.

2 MS. DROUIN: I'd like us to stop using the  
3 words "more detail," because I don't think it's a case  
4 of more better -- or better. It's more detail that  
5 you go into.

6 MEMBER APOSTOLAKIS: Well, detail usually  
7 implies better, but that's okay.

8 MS. DROUIN: But then people extrapolate  
9 that to mean, well, it has higher quality. You either  
10 do it correctly or you don't do it correct to the  
11 level of detail you do it to.

12 MEMBER APOSTOLAKIS: That's right.  
13 Exactly. And the ultimate criterion is its relevance  
14 to the decision.

15 MS. DROUIN: Correct.

16 MEMBER APOSTOLAKIS: It has nothing to do  
17 with raising or lowering bars. If I'm about to make  
18 a decision, and one particular point bothers me  
19 because I may make a different decision, I don't care  
20 what you call it -- raising or lowering. I want to  
21 see something on that point. If it's irrelevant to  
22 this, I don't care.

23 DR. PARRY: But the point is if any --

24 MEMBER APOSTOLAKIS: You see, in our  
25 business, this particular business, there are no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experiments like Professor Wallis can go and collect  
2 fluids there and temperatures. We don't have that.  
3 The only thing that matters to us is how things affect  
4 the decision. That's the only connection with the  
5 real world.

6 MEMBER WALLIS: Well, the decisions are,  
7 in a way, experiments. Except it's a very long time  
8 before you --

9 MEMBER APOSTOLAKIS: Okay.

10 MEMBER KRESS: I still get hung up,  
11 George, on the fact that -- if I look at Reg.  
12 Guide 1.174, it's got absolute values of CDF and LERF  
13 in it. And so everything in the PRA, all of the  
14 dominant sequences, affect that. And I don't see how  
15 you can make a judgment as to which parts to leave out  
16 for particular decisions when you really have to have  
17 a good value for the CDF and LERF if you're going to  
18 make decisions. That has always bothered me about  
19 this.

20 MEMBER APOSTOLAKIS: As a practical  
21 matter, though, we have a pretty good idea of what are  
22 the major drivers that are missing. But in principle  
23 you are right. You have to do it right first.

24 MEMBER KRESS: You have to do it right.

25 DR. PARRY: Except that in Reg.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Guide 1.174, remember that the absolute value of CDF  
2 and LERF are not really called into question if you're  
3 in Region 3 of the diagram, which means that the --

4 MEMBER KRESS: Yes. But I have to know  
5 I'm in Region 3. That's the --

6 DR. PARRY: Well, which is based on the  
7 delta CDF.

8 MEMBER APOSTOLAKIS: I think it's a  
9 professional judgment coming from experience.

10 And you have two minutes.

11 MS. DROUIN: Okay. I'm just going to  
12 jump --

13 MEMBER APOSTOLAKIS: I think you are done,  
14 actually. Aren't you done?

15 MS. DROUIN: -- to the very last slide.

16 MEMBER APOSTOLAKIS: Yes. The next steps.

17 MS. DROUIN: Next steps. We would really  
18 like to publish this for trial use and get moving and  
19 start the pilots.

20 MEMBER APOSTOLAKIS: Do you have  
21 candidates for pilots?

22 MS. DROUIN: We do have one formal.

23 MEMBER APOSTOLAKIS: South Texas?

24 MS. DROUIN: South Texas.

25 MEMBER APOSTOLAKIS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: At the public meeting, Tony  
2 felt that there might be another six more that he  
3 might be able to bring to the table, and he was going  
4 to follow up with this on that.

5 MEMBER APOSTOLAKIS: Okay.

6 MS. DROUIN: And --

7 MEMBER APOSTOLAKIS: All right.

8 MEMBER ROSEN: Now that you've said you  
9 have pilots, you didn't say what's actually going to  
10 be done in the pilots. I'd like to hear a little bit  
11 about that.

12 MS. DROUIN: Well, what we're going to do  
13 in the pilots is test the regulatory guide.

14 MEMBER ROSEN: In what way, though?

15 MS. DROUIN: Well, these are all things  
16 that --

17 MEMBER ROSEN: I feel like I'm pulling on  
18 a string here.

19 MEMBER APOSTOLAKIS: You going to review  
20 their PRAs?

21 DR. PARRY: I think you have to.

22 MS. DROUIN: We're going to have to review  
23 them.

24 DR. PARRY: Sure.

25 MS. DROUIN: We did say at the public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting that the pilots, in terms of truly testing the  
2 regulatory guide, we're going to have to go into some  
3 detail on the review process.

4 MEMBER ROSEN: You're going to do a peer  
5 review at these pilots, at these plants, is that what  
6 we're going to do?

7 DR. PARRY: NRC will have to do a review  
8 of the PRA to see whether we agree with the peer  
9 review comments on the PRA.

10 MEMBER ROSEN: Ah. Okay.

11 MEMBER KRESS: So you'll review it in the  
12 -- with respect to some application that they --

13 DR. PARRY: Yes.

14 MS. DROUIN: Yes.

15 MEMBER ROSEN: So you're going to do  
16 effectively a V&V, for instance, the -- well, for  
17 pilot A's existing peer review, you're going to do a  
18 V&V of that peer review.

19 DR. PARRY: Well, I think it's basically  
20 to see whether the interpretation of the standard and  
21 the exceptions in Appendix A are the way we would  
22 interpret them.

23 MEMBER APOSTOLAKIS: I don't understand.  
24 I thought you were going to do what that team did to  
25 the San Onofre PRA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. PARRY: No, we're not. We're not the  
2 peer reviewers. The peer reviewers are --

3 MEMBER APOSTOLAKIS: So I don't  
4 understand. Who is going to use the regulatory guide?

5 DR. PARRY: It's the industry.

6 MEMBER APOSTOLAKIS: The industry.

7 DR. PARRY: Sure.

8 MEMBER APOSTOLAKIS: And then, where do  
9 you come in?

10 DR. PARRY: We review it. I mean, we  
11 review the application.

12 MEMBER APOSTOLAKIS: So now, let's say,  
13 you have South Texas.

14 DR. PARRY: Right.

15 MEMBER APOSTOLAKIS: As a pilot.

16 DR. PARRY: Right.

17 MEMBER APOSTOLAKIS: What happens next?

18 DR. PARRY: Well, I think what they will  
19 do -- this is my guess --

20 MEMBER APOSTOLAKIS: Yes.

21 DR. PARRY: -- is they should use the  
22 NEI 00-02 self-assessment process --

23 MEMBER APOSTOLAKIS: Right.

24 DR. PARRY: -- right, to see whether  
25 taking into account our comments in Appendix B --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: They will use DG-  
2 1122, right?

3 DR. PARRY: Right. And our comments in  
4 Appendix B, incorporate our comments on the standard  
5 through Appendix A.

6 MEMBER APOSTOLAKIS: Right.

7 DR. PARRY: So they will use that. They  
8 will write and document their assessment of the --  
9 that the PRA is sufficient -- of sufficient quality to  
10 support the application.

11 MEMBER APOSTOLAKIS: So they will do a  
12 peer review, then.

13 DR. PARRY: No.

14 MS. DROUIN: They are doing a self-  
15 assessment, and they are in the midst of doing that  
16 self-assessment now.

17 MEMBER ROSEN: South Texas has had a peer  
18 review already.

19 MS. DROUIN: But the thing is --

20 MEMBER APOSTOLAKIS: Where do you come in?  
21 And then you come in and review that thing.

22 MS. DROUIN: We would be interested to  
23 know, how did they interpret the stuff in the  
24 regulatory guide, such that we have confidence that  
25 the preliminary results that they are using in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision-making, you know, are of adequate technical  
2 acceptability.

3 DR. PARRY: And that we have a common  
4 understanding of the standard.

5 MEMBER APOSTOLAKIS: But you would also  
6 have to look at the PRA.

7 MS. DROUIN: Yes.

8 DR. PARRY: We will have to look at that.

9 MS. DROUIN: We will have to look at the  
10 PRA.

11 MR. JOHNSON: Can I just say a couple of  
12 words? This is an area where our thinking is  
13 evolving, and Mary and Gareth are sort of describing  
14 how that thinking is evolving.

15 Remember, we're shifting from a guidance  
16 development stage to a guidance implementation or a  
17 guidance trial implementation stage. And so we  
18 recognize that the industry is going to be trying to  
19 use the guide. We want to use them on a limited  
20 number of applications.

21 We want the staff -- our folks -- to be  
22 able to try to use that guide in terms of looking at  
23 a specific application that has come in, documented as  
24 provided for in the guide, and exercise that -- the  
25 guide in terms of looking at that specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 application, and what does it mean in terms of how we  
2 change our reviews based on the fact that we now have  
3 this quality guide.

4 So that's what we're going to be  
5 exercising in this trial period. And as I guess Tony  
6 will tell you, we are interested in it. The industry  
7 is interested in it. And we are building a plan, and  
8 what we want to do is come together at some point and  
9 talk about lessons learned from that -- from looking  
10 at those specific applications using this pilot and  
11 make revisions, or maybe no revisions if it's perfect.

12 MEMBER APOSTOLAKIS: So you will actually  
13 be using the standard review plan, 19.1.

14 MS. DROUIN: Yes.

15 MEMBER APOSTOLAKIS: Okay.

16 MS. DROUIN: Yes.

17 MEMBER APOSTOLAKIS: Okay. Shall we go to  
18 Tony?

19 MEMBER WALLIS: Do you want to say that  
20 the staff did a good job?

21 MEMBER APOSTOLAKIS: Not now. Not yet.

22 MEMBER WALLIS: Okay.

23 (Laughter.)

24 MEMBER SIEBER: That would break with  
25 tradition.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER WALLIS: Are you going to wait for  
3 Tony first or --

4 MEMBER APOSTOLAKIS: He's going to say it.

5 MEMBER WALLIS: Oh, he's going to say it.  
6 Yes, right.

7 MR. PIETRANGELO: I applaud the efforts of  
8 Mary and Gareth in their development of the regulatory  
9 guide, as well as the ACRS comments.

10 In the few minutes we have, the objective  
11 of the reg. guide is really to make the review of  
12 applications more focused and consistent. We've  
13 already got a lot of history with the review of  
14 applications, but there hasn't been a lot of guidance  
15 out there. So we see the development of this reg.  
16 guide and the standards supporting that as a major  
17 step in the evolution that we've come from from the  
18 early '90s and beyond.

19 So this is an important effort. We need  
20 to get something out there. I mean, we've been  
21 noodling this thing since the standards started being  
22 developed several years ago. We've been working with  
23 the staff on the reg. guide and comments for about a  
24 year and half now. We've got to get a target out  
25 there that people can at least use for trial use.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We mentioned last week at the end of the  
2 meeting on this reg. guide that we think this effort  
3 would benefit from a pilot program before trying to  
4 apply this industry-wide for any risk-informed  
5 application that would be submitted. We still think  
6 that's a good idea. I think the staff thinks it's a  
7 good idea.

8           I've got on my blackboard in my office  
9 about six plants. They don't know who they are yet.

10           (Laughter.)

11           That would be good pilots for this that  
12 are planning applications.

13           MEMBER ROSEN: Oh. You mean South Texas  
14 doesn't know they're --

15           MR. PIETRANGELO: No, they know they're  
16 one. They know they're one. But what we want is a  
17 mix of kind of applications that have already been  
18 through the old process, like a typical allowed outage  
19 time extension and technical specifications, as well  
20 as some of the newer applications we're working on,  
21 like option 2, like surveillance test intervals, and  
22 there's one other. Which one am I forgetting?

23           MEMBER ROSEN: Tech specs?

24           MR. PIETRANGELO: Yes. The South Texas --

25           MEMBER APOSTOLAKIS: So the pilot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applications will be regulatory applications.

2 MR. PIETRANGELO: Absolutely.

3 MEMBER APOSTOLAKIS: Okay.

4 MR. PIETRANGELO: They will be submittals  
5 to the staff, and the technical adequacy part they  
6 would use --

7 MEMBER APOSTOLAKIS: Okay.

8 MR. PIETRANGELO: -- whatever RG DG-1122.

9 MEMBER APOSTOLAKIS: That's good.

10 MR. PIETRANGELO: And we think we need X  
11 time for the staff to go over that. We would have --  
12 we would probably form a task force of these six  
13 plants and bring them in, so we could interact with  
14 the staff as we go through this. Obviously, the AOT  
15 extensions are the kind of -- we have a lot of  
16 experience with that.

17 They don't exercise the whole model, so  
18 they are very focused, narrow applications, versus  
19 something like option 2 that would be a very, very  
20 broad application, as well as the South Texas flexible  
21 completion time.

22 So we're trying to get that together, so  
23 that we can bring that to the staff and suggest,  
24 here's a plan for getting from A to B here with the  
25 reg. guide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is too important an effort, I think,  
2           to just try to apply industry-wide. You had a lot of  
3           questions today. We still have a lot of questions  
4           with it. But we think it's time -- we agree with the  
5           staff's recommendation to issue it now for trial use,  
6           so we can have a target. I mean, that's not the  
7           question.

8                   MEMBER APOSTOLAKIS: How long will this  
9           period be?

10                   MR. PIETRANGELO: I'm thinking on the  
11           order of six months, but for some of the bigger  
12           applications, like for an option 2 or the South Texas  
13           thing, those are probably longer term. But certainly  
14           these AOT extension things could be done in a fairly  
15           short period of time, yes.

16                   MEMBER ROSEN: But this goes -- let me put  
17           some words in your mouth and see if you agree. This  
18           goes very much to the question of: how do we get more  
19           industry implementation of risk-informed measures?  
20           Well, one answer is to get some regulatory framework  
21           in place that people can use.

22                   And one of the key questions a long -- for  
23           a long time has been: well, is my PRA good enough?  
24           And here is the method for saying, yes, it probably is  
25           for some things and probably not for others. And here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the way to sort that out.

2 So in a sense this goes to the question of  
3 moving the wavefront, moving it through the industry,  
4 getting more implementation. This is a step in the  
5 right direction.

6 MR. PIETRANGELO: It is, but I would argue  
7 the point that there already has been broad industry-  
8 wide implementation of several of the risk-informed  
9 applications.

10 MEMBER ROSEN: But I would agree that --

11 MR. PIETRANGELO: Just about every plant  
12 in the country has an AOT extension. Just about every  
13 plant in the country has done risk-informed ISI. I  
14 think every plant in the country has taken advantage  
15 of the ILRT, Appendix J option.

16 MEMBER ROSEN: So to some extent, it's a  
17 bad rap to say that there hasn't been much risk-  
18 informed implementation.

19 MR. PIETRANGELO: That is a bad rap.

20 MEMBER ROSEN: So, but here -- so I'll  
21 withdraw that. I'll say, in reality, although some  
22 people don't seem to know it, or don't want to  
23 acknowledge it, there has been a lot of  
24 implementation. But nevertheless, this is still a  
25 step -- a good step --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PIETRANGELO: A good step.

2 MEMBER ROSEN: -- to further --

3 MR. PIETRANGELO: To me, my analogy is  
4 we're on kind of an evolutionary curve with this.  
5 Clearly, the applications we're working on now are  
6 more challenging than some of these ones that we've  
7 done in the past. Okay? And then, therefore, I think  
8 the requisite PRA technical adequacy has to be there  
9 to support that.

10 And that's what we've been trying to do  
11 with our input to the standards development process,  
12 as well as the reg. guide. So, you know, we've got a  
13 long way to go yet, but I think at this point we need  
14 to get it out there and get some use with it. And  
15 we've noodled on it enough, and I think people are  
16 starting to get a little impatient with the time this  
17 is taking. Okay?

18 Every plant in the country except one now  
19 has been peer reviewed. So the staff is not going to  
20 re-peer review any of the PRAs. They're really going  
21 to look at how the reg. guide was used to support that  
22 application. That's what these pilots are going to be  
23 about. And as part of -- obviously, as part of that,  
24 they're going to get into some of the details of the  
25 PRA that were relevant to that application.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we hope the committee will agree with  
2           the staff's recommendation to issue this now. We're  
3           going to come -- we'll be back here again in six  
4           months to a year with another revision to this thing,  
5           and it will continue to evolve as ASME revises the  
6           standard, as the other elements on external events and  
7           fire and shutdown get folded into this standard.  
8           We're going to be here for a while.

9           MEMBER APOSTOLAKIS: What is the staff  
10          going to do with some of the language recommendations  
11          we made today? Are you going to change the language  
12          or --

13          MS. DROUIN: We're going to try and fix  
14          it.

15          MEMBER APOSTOLAKIS: Okay. Especially the  
16          frequency stuff.

17          MS. DROUIN: Yes.

18          MEMBER APOSTOLAKIS: Yes.

19          MEMBER ROSEN: And make sure you say "risk  
20          achievement worth." Now, what I think -- the  
21          safeguard for that is even if they don't fix it the  
22          way we like it, it's trial use. It's part of this  
23          evolution we're buying into.

24          MEMBER APOSTOLAKIS: Yes. Okay. So  
25          anything else?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. PIETRANGELO: There was one question  
2 about public participation. Mr. Lockbaum from UCS did  
3 participate in a peer review at North Anna I think two  
4 years ago.

5 MEMBER APOSTOLAKIS: I remember. I read  
6 about it, yes.

7 MR. PIETRANGELO: Not that long ago. And  
8 I don't want to put words in his mouth -- he wrote a  
9 letter to the staff -- but I think one of his  
10 recommendations was to expand the review -- the use of  
11 the process. So I think that meant he thought it was  
12 a good process.

13 MEMBER APOSTOLAKIS: Well, one of our guys  
14 went there, too.

15 MR. PIETRANGELO: Right.

16 MEMBER APOSTOLAKIS: Mike Markley, and he  
17 also liked what he saw.

18 MR. PIETRANGELO: That's it.

19 MEMBER APOSTOLAKIS: Thank you very much.

20 MR. PIETRANGELO: Okay.

21 MEMBER ROSEN: Thank you, Tony.

22 MEMBER APOSTOLAKIS: The staff also did a  
23 good job.

24 (Laughter.)

25 So back to you, Mr. Chairman.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you. And  
2 we'll take a break now for lunch until 12:45.

3 MEMBER APOSTOLAKIS: Very good.

4 (Whereupon, at 11:37 a.m., the  
5 proceedings in the foregoing matter  
6 recessed for lunch.)

7 CHAIRMAN BONACA: Let's get back into the  
8 meeting and next item on the agenda is Technical  
9 Assessment to Propose Recommendations for Resolving  
10 GSI-186 Potential Risk and Consequences of Heavy Load  
11 Drops in Nuclear Power Plants. And Jack Sieber is  
12 going to walk us through this presentation.

13 MEMBER SIEBER: Thank you, Mr. Chairman.  
14 I would direct the attention of the Committee Members  
15 to Tab 6 of your book. There are several documents  
16 including the standard summary that our staff  
17 prepares, plus a letter from Farouk Eltawila to John  
18 Larkins where he summarizes the recommendations that  
19 came out of this look at the issue of heavy loads.  
20 And I understand the staff expects or would like a  
21 letter from us which would comment on those  
22 recommendations and I'm prepared to do that when the  
23 time comes.

24 I would point out that that is interesting  
25 reading, but there is a NUREG which is a survey of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 crane operating experience at U.S. nuclear power  
2 plants from 1968 to until 2002 which I read in its  
3 entirety, 329 pages in PDF Form F. And it tells me  
4 that the issues of crane operations at power plants  
5 and this covers not only NRC licensees, but the Navy  
6 and DOE, as far as nuclear is concerned, in the period  
7 1968 through 2002.

8 There is roughly 54,000 lifts made in this  
9 category and interestingly, if you look at the  
10 percentage of them where the load was dropped or lost  
11 control of it, it's very few. About a third of the  
12 U.S. nuclear power plants have not had a crane event  
13 in their whole history. About two thirds have and I  
14 think the winner is one facility with 11 and there's  
15 another one that we are familiar with in northwestern  
16 Ohio that had three in one month in 1999, so I  
17 considered that noteworthy.

18 And also one of the early ones at Turkey  
19 Point 4 resulted in a fatality and that fatality  
20 happened to be my former boss. So I'm personally very  
21 sensitive to fatalities and injuries, property damage.  
22 And the risk to the reactor, if you were to drop a  
23 heavy load on safety- related equipment as the study  
24 points out, BWRs are a little more susceptible than  
25 PWRs in that instance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So rather than me take away all of the  
2           thunder of the staff, I will just say that the work  
3           that's been done and the author is here and will  
4           present that work, has been well done. It's easy to  
5           understand and apparently since events are increasing  
6           and most of them are due to human error, additional  
7           attention needs to be given by the Agency to these  
8           events and practices in the industry.

9           So with that, I'd like to ask John Flack  
10          to introduce the members of the staff who are here and  
11          proceed with the presentation.

12          MR. FLACK: Thank you. My name is John  
13          Flack. I am the Branch Chief of the Regulatory  
14          Effectiveness. Within that branch, there are three  
15          teams, one of which is the Generic Issue Team and  
16          Howard Vandermolen to your left is the team leader of  
17          that team. The responsibility of that group is to  
18          orchestrate generic issue resolutions and the process  
19          itself.

20          One of the generic issues, 186, is the one  
21          that this is a technical assessment that Ron Lloyd, to  
22          your right, had worked on extensively and as was  
23          mentioned, there is a NUREG 1774 that documents that  
24          work and Ron will present you that, those insights and  
25          the study itself over the next hour and a half.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We appreciate your comments and on  
2 completion of this phase we will transmit that  
3 document to NRR who is present also to answer also  
4 questions in the audience with recommendations that  
5 are coming from that site.

6           So if there's no other questions, I'll  
7 just turn it over to Ron.

8           MEMBER SIEBER: Thanks, John.

9           MR. LLOYD: I think Jack has already done  
10 a real good job of kind of an executive summary of  
11 what is here. In fact, we could probably quit after  
12 that, everything you've already cited, very good job.

13           I think there are three objectives that we  
14 have in meeting with the ACRS at this time. The first  
15 one would be to present the observations that are in  
16 the NUREG 1774 which forms the technical basis for the  
17 technical assessment of the generic issue. At the  
18 back end of the observation presentation, we'll go  
19 through and cover proposed recommendations to address  
20 some of the more significant issues. And then, of  
21 course, as John has already mentioned and that would  
22 be to request a response from the Committee by a  
23 letter regarding the proposed recommendations whether  
24 you would like to add any, subtract any, change  
25 anything, whatever you feelings might be on that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 topic.

2 If we could go to the next slide, please.

3 (Slide change.)

4 MR. LLOYD: This one shows various cranes.

5 The three top photographs are from SONGS-1  
6 decommissioning activities. There's a large mobile  
7 crane as you see on the upper left. This is a Lampson  
8 1200 ton crane that was used to take out several  
9 components outside of the containment, or bringing  
10 outside of the containment. The center one shows a  
11 steam generator being removed by that same crane.  
12 There's a polar crane that you can see on the upper  
13 right which is removing a head. And there's a brand  
14 new crane in the lower left. This was installed at  
15 Clinton for the turbine building crane. And if you're  
16 wondering what is hanging from that, those are bags of  
17 water. So if there would be some sort of a failure,  
18 you would just have to clean up the water, rather than  
19 do damage to the turbine building.

20 The one that's on the lower right is a  
21 recent drop that occurred also at SONGS and they were  
22 lifting a 75,000 pound mobile crane from the turbine  
23 deck, lowering it down to the entryway when the  
24 rigging came apart and the crane dropped and this is  
25 a photograph from one of the levels in the floor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       itself.

2                   MEMBER WALLIS:   How did the rigging come  
3       apart?

4                   MR. LLOYD:     Once again, it was human  
5       error.  They didn't follow proper procedure as far as  
6       having softeners on the corner.  It tore a little bit  
7       of the Kevlar, once you get a little bit of a tear in  
8       the Kevlar and it goes.  It did go and then the crane  
9       dropped about 40 feet.

10                  MEMBER WALLIS:     So it was stress  
11       concentration and the Kevlar caused it to --

12                  MR. LLOYD:   Right.  And it will just kind  
13       of disintegrate.  It's kind of a binary system.

14                  MEMBER SHACK:   And what were they supposed  
15       to do that they didn't do?

16                  MR. LLOYD:   They should have put some,  
17       what is called softeners on the corners to -- at the  
18       bend points to keep any kind of cutting or sharp  
19       corners from affecting the rigging and they didn't do  
20       that.

21                  MEMBER APOSTOLAKIS:  So the human errors  
22       are primary errors of omission.  They didn't do  
23       something?

24                  MR. LLOYD:   Right.  They just didn't do  
25       what they should have done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: This is an experienced  
2 operator?

3 MR. LLOYD: They've been around for quite  
4 a while, yes.

5 MEMBER APOSTOLAKIS: Now this thing with  
6 the water. You said that instead of something hitting  
7 something, you're going to have a lot of water.

8 MR. LLOYD: Yes, these are several bags  
9 and they just fill them with water.

10 MEMBER SHACK: It's a new crane.

11 MR. LLOYD: You do a test on the crane.

12 MEMBER SHACK: It's an initial test.

13 MR. LLOYD: An initial test on a brand new  
14 crane.

15 MEMBER APOSTOLAKIS: Oh.

16 MR. LLOYD: If they did have a failure,  
17 all they'd have to do is clean up the water as opposed  
18 to something a little more catastrophic.

19 MEMBER APOSTOLAKIS: All right.

20 MEMBER SHACK: It's not a new way to get  
21 coolant from one place to another.

22 (Laughter.)

23 MR. LLOYD: Yes, this isn't a decay heat  
24 removal system. Next slide, please.

25 (Slide change.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. LLOYD: This is a little bit of  
2 background on Generic Issue 186. If you go back in  
3 time, a lot of this began with Unresolved Safety Issue  
4 A-86 which is in the 1970s which had to do with heavy  
5 load drops on fuel assemblies.

6 MEMBER APOSTOLAKIS: So this issue has  
7 been there since the 1970s?

8 MR. LLOYD: It's connected to this issue.

9 MEMBER APOSTOLAKIS: But as an unresolved  
10 safety issue.

11 MR. LLOYD: Yes, but this was resolved by  
12 bullet number 2, the resolution to A-36 was NUREG-  
13 0612. And NUREG-0612 had a whole lot of guidance put  
14 in there that talked about human factors issues, good  
15 practices and it also had on the back end of this, had  
16 a lot of design, calc-related issues, load drop  
17 consequence analysis and things like that.

18 The other NUREG that's associated with  
19 that and came out about the same time, around 1979,  
20 1980 was 0554. This NUREG specifies the requirements,  
21 design requirements for a single-failure-proof crane  
22 that would be utilized in nuclear power plants.

23 The third bullet is --

24 MEMBER SHACK: When was 0612 issued?

25 MR. LLOYD: That was 1980.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. There's a Generic  
2 Letter.

3 MR. LLOYD: The third bullet, Generic  
4 Letter 8511 was issued by the Agency to eliminate  
5 certain things that were required in NUREG 0612 and  
6 the things that were eliminated there were  
7 requirements to have single-failure-proof cranes in  
8 certain situations, requirements for stops or  
9 interlocks on the cranes.

10 MEMBER APOSTOLAKIS: What's a single  
11 failure in this case?

12 MR. LLOYD: Single failure here, they have  
13 dual components in the crane hoisting mechanism  
14 itself. You have dual drums, fuel lines --

15 MEMBER APOSTOLAKIS: So it's hardware.  
16 Single human error --

17 MR. LLOYD: It attempts to overcome some  
18 of the human error issues.

19 MEMBER APOSTOLAKIS: But human errors  
20 formally is not part of the single failure definition?

21 MR. LLOYD: No. The Generic Letter said  
22 that basically the Phase 2 of this NUREG-0612 was  
23 eliminated because of the Agency's thought that there  
24 was a significant improvement in crane performance and  
25 therefore the licensees were now required to do those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kind of things.

2 Bulletin 9602 came out. This was as a  
3 result of Oyster Creek wanting to move the bigger cask  
4 while we were at power and then there were some  
5 concerns by the Agency whether or not this was a  
6 problem, what would be the risk consequences of moving  
7 heavy casks at power and so on.

8 MEMBER APOSTOLAKIS: Did Oyster Creek have  
9 a PRA?

10 MR. LLOYD: I'm sure they did, yes.

11 MEMBER APOSTOLAKIS: Was this part of  
12 their PRA? Did they evaluate --

13 MR. LLOYD: That question has been brought  
14 up by a lot of people, whether a lot of these issues  
15 would be covered in an IPE or did it get missed in the  
16 IPE. I'm not certain. I didn't go back and look to  
17 see in what detail load drops would have been covered  
18 in their IPE.

19 MEMBER APOSTOLAKIS: Now when the Agency  
20 though issues a Generic Letter like 85-11 that says  
21 further actions to reduce risk, ah, not necessary.

22 MR. LLOYD: Not necessary.

23 MEMBER APOSTOLAKIS: Okay.

24 MR. LLOYD: Next bullet, in 1999, NRR  
25 became concerned, I think, because the heavier casks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that were out there decommissioning, more efforts in  
2 that area going on. ISFSIs were certainly being  
3 established at a lot of facilities and we would have  
4 an increase in the number of heavy load movements and  
5 so if we've got an increase in heavy load movements,  
6 we've got casks that are quite a bit heavier than what  
7 they used to be, a lot of these were like 35 or 40  
8 tons in the olden days and now they're around 100 tons  
9 or more today.

10 MEMBER APOSTOLAKIS: Again, when NRR  
11 expresses concern regarding the consequences of  
12 something, are there any event trees somewhere that  
13 can make a case? I looked at the report and it seems  
14 to me this would be a good and fairly limited bounded  
15 problem where one can go to a PRA with event trees and  
16 fault trees and see how dropping a heavy load may  
17 affect these event trees because otherwise --

18 MR. LLOYD: Some of these questions, I  
19 think they'll get answered as we go along.

20 MEMBER APOSTOLAKIS: You're going to show  
21 an event tree?

22 MR. LLOYD: I'll show -- I'll talk about  
23 it and we'll see what the connection is. There is an  
24 event tree.

25 CHAIRMAN BONACA: Page 28, since you're so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anxious.

2 MR. LLOYD: We're going to get there.

3 MEMBER APOSTOLAKIS: I saw it. I'm going  
4 to frame it.

5 MR. LLOYD: So they were concerned about  
6 larger capacity casks. Like I said, in the  
7 neighborhood of a 100 tons and what that might cause.  
8 Because of that, they basically submitted the  
9 candidate Generic Issue. That came over to the Office  
10 of Research. We had a panel. This got started and in  
11 1999 we started to figure out what needed to be done  
12 to address the issues.

13 Some of the issues that NRR had at the  
14 time, in addition to the increase in the number of  
15 casks that would be moved would be to develop some  
16 kind of a fault tree to establish crane failure  
17 probabilities based on real data, recommend whatever  
18 changes needed to be changed because of the --  
19 whatever probability failures that we come up with.  
20 And then also, to take a look at the impact of single  
21 failure cranes versus non-single failure cranes.

22 For the licensees, a heavy load is  
23 basically something that's on the order of one fuel  
24 assembly. That varies, but it's somewhere around  
25 2,000 pounds plus or minus a couple of hundred

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depending on where you are.

2 For the purpose of this Generic Issue, we  
3 looked at not only those kinds of load drops and  
4 operating history with those lower weights, but we  
5 also tried to emphasize on some of the heavier weights  
6 and we called that a very heavy load drop and defined  
7 that as a load that was approximately 30 tons or  
8 greater. And so we've got kind of two different  
9 categories of heavy load weights.

10 Next slide.

11 (Slide change.)

12 MR. LLOYD: As I mentioned as an intro  
13 we've got observations and we also would like to  
14 propose some recommendations at the closure of this.  
15 The technical assessment that contains the basic  
16 technical background which is in 1774 has many  
17 observations in it and based on those observations we  
18 tried to look at the ones that were the most  
19 significant from a licensee standpoint and then came  
20 up with various recommendations.

21 The recommendations as John mentioned also  
22 will be in a separate document which will follow this  
23 presentation and once we get your comments, well, then  
24 we can factor those in. We'll come up with actual set  
25 of recommendations which then would be cleared through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRR and then it would be up to NRR then to propose  
2 whatever corrective actions would be required to  
3 address those issues.

4 Next slide.

5 (Slide change.)

6 MR. LLOYD: The Generic Issue process by  
7 way of a little bit of introduction hereto is  
8 controlled in Management Directive 6.4 which is the  
9 Generic Issues Programs. Stage 1 is the  
10 identification which NRR provided this piece of paper  
11 to initiate. Because this was kind of at a transition  
12 phase between the old system and research used and the  
13 management directive which was implemented about that  
14 time, Stage 2 and Stage 3 have been basically combined  
15 and so these two stages have been completed then by  
16 the Office of Research.

17 MEMBER SIEBER: It was my -- when I looked  
18 at the flow chart for processing these, I got the  
19 feeling that we're still on this Generic Issue in the  
20 screening stage. Is that correct?

21 MR. LLOYD: We would be at the technical  
22 assessment stage. Like I said, we kind of basically  
23 combined the two and because of the amount of data  
24 that is provided in the NUREG, we felt that we had all  
25 these bases covered that could be covered. And then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we could propose recommendations then for Stage 4.

2 Stage 4 would be done by, in this case, by  
3 NRR, once we would send a memo with the  
4 recommendations in it.

5 Stage 5 would be NRR once again, we would  
6 actually produce any regulation and guidance and issue  
7 that to licensees.

8 Stage 6 would be basically the  
9 implementation by licensees of whatever those  
10 corrective actions might be.

11 And then Stage 7 is a verification on at  
12 least of a sample auditing basis that would go through  
13 and verify that adequate corrective actions were  
14 actually implemented and that they were not only  
15 implemented, but they were effective.

16 So it's a seven stage process and in many  
17 cases can be quite time consuming.

18 Next slide, please.

19 (Slide change.)

20 MR. LLOYD: What we did here was we chose  
21 19 individual units at these various facilities to go  
22 and get actual operating data, failure data from the  
23 licensees. We picked them because most of these  
24 represent different kinds of designs. They're BWRs,  
25 Mark Is, Mark IIs, Mark IIIs, thereby various AE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 firms. Some of them are in-house like TVA or PG&E.  
2 We've got also Gibson Hill, Sergeant Lundy, Bechtel  
3 and Brown and Root and so the designs, although the  
4 basic design of these plants are similar, a lot of the  
5 specifics are a fair amount different.

6 We also tried to get a spread of PWRs,  
7 both CE and Westinghouse and B&W to get a good spread.  
8 So we got the failure data going back as far as we  
9 could. It either came out from the licensees, it came  
10 from NUDOCS, it came from ADAMS. It came from  
11 industry people who also sent events to me. And so we  
12 tried to get as much of that information as we could.

13 Then based on the sample size of 19  
14 plants, it was extrapolated with those same design  
15 types and then we could get a complete picture for the  
16 entire set of plants that exist here in the United  
17 States.

18 Next slide.

19 (Slide change.)

20 MR. LLOYD: The database had several  
21 categories as you can see here and then also had  
22 subcategories that we could sort on to pull up and  
23 check for any trends and patterns of problems with  
24 either design types, plant types, crane types, age of  
25 the plant, how long it had been operating, what caused

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the problem, what was the implication of the event,  
2 what happened because of the drop, or the slip and so  
3 on.

4 The database had 49 individual columns and  
5 then, of course, it was many, many rows of entry for  
6 those.

7 Next slide.

8 (Slide change.)

9 MR. LLOYD: There were also crane  
10 operating experience studies that were looked at.  
11 There were a few at least done. The first five that  
12 you see there, NUREG 612, a DOE study that was done in  
13 1996, Navy crane data, 1999; an OSHA study which was  
14 actually quite good. It was done in 2000. An EEG  
15 report which was the Waste Isolation Pilot Plant in  
16 New Mexico and so on.

17 Each of these used a combination of odds  
18 and ends failure data. None of these, of the first  
19 five had any denominator, so they knew how many  
20 problems they had, but they didn't know how many  
21 lifts, so you couldn't really come up with a defined  
22 frequency.

23 So each of these studies took their best  
24 guess at how many lifts there would have been in  
25 certain periods of times and at certain plants in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 order to get the failure data.

2 The NUREG actually gets a denominator in  
3 it and adds some additional clarity to some of the  
4 failure probabilities.

5 Next slide.

6 (Slide change.)

7 MR. LLOYD: This one represents all of the  
8 reported crane issues and we certainly recognize that  
9 things aren't going to be reported all the time at  
10 every single facility, but we're working with the  
11 assumption here that any kind of a major drop at the  
12 facilities would either be picked up by the facility  
13 and some sort of report will be fixed up by the  
14 resident staff or other operating groups and it would  
15 get documented some place.

16 And so with that in mind we certainly hope  
17 that we picked up the major events that are out there.

18 Out of those, there are 430 that actually  
19 had crane issues so you can see the best fit curve  
20 shows an increasing trend. A lot of that has to do  
21 with the number of events that came out in 1997 and  
22 1998 which maybe the stars were aligned wrong at that  
23 time.

24 Question?

25 MEMBER KRESS: I don't like your trend

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 curve. It mixes up construction with operating. So  
2 if I were to take a line around 1989 where the number  
3 of plants is relatively constant and actually  
4 decreasing a little and if I throw out that something  
5 was wrong in that year, if I throw that out, I see it  
6 as a flat trend.

7 MR. LLOYD: Yes, you would see pretty much  
8 a flat trend in the last decade or so.

9 MEMBER KRESS: Yes.

10 MR. LLOYD: This is true.

11 MEMBER KRESS: Okay, so that would be my  
12 assessment of what the trend is. It's probably not  
13 getting worse, but that doesn't say that 40 events a  
14 year is acceptable, it doesn't say that at all.

15 MR. LLOYD: If you look at the dotted  
16 bars, that actually shows those events that occurred  
17 during construction and the cross hatched are  
18 operating facilities. It kind of goes away.

19 If you took just that last decade or so  
20 and threw out that one outlier, it would probably be  
21 fairly constant, given the number of operating plants.

22 MEMBER KRESS: Do you have any idea of  
23 that outlier other than the alignment of the stars?

24 MR. LLOYD: I don't know, these are all  
25 good events. I would guess that this trend that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seen during the 1997-1998 time period was also the  
2 reason, or at least some sort of a background reason  
3 why NRR decided in 1999 --

4 MEMBER KRESS: That might have had an  
5 impact on the next year or something.

6 MR. LLOYD: Yes.

7 MEMBER WALLIS: The interesting thing is  
8 did they learn anything. Are these the same events  
9 occurring year after year after year or are they  
10 different kinds of events?

11 MR. LLOYD: They're very similar.

12 MEMBER WALLIS: So they didn't learn  
13 anything?

14 The rate at the plant is about the same over all this  
15 time?

16 MR. LLOYD: Yes. If you go on to the next  
17 slide, number 10 --

18 (Slide change.)

19 MR. LLOYD: This one shows the effect of  
20 human error and how it's changed over the years. If  
21 you go back into the early years, as you can see by  
22 the dots there, it's somewhere between 25 and 40  
23 percent of the crane issues were reported to be caused  
24 by human deficiencies, somebody either didn't follow  
25 procedure, ignored the procedure, did what they wanted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to or whatever the case might be.

2 MEMBER KRESS: Once again, this may be  
3 mixing up construction with operation --

4 MR. LLOYD: It is.

5 MEMBER KRESS: Because during construction  
6 you really didn't have the procedures.

7 MR. LLOYD: As you go through the years  
8 you get up to the last part and it shows somewhere  
9 around in the mid-1970s to mid-1980s to where we are  
10 today as far as the impact of human error.

11 The latest study that was done by DOE in  
12 1996 at DOE facilities showed a human error rate of 94  
13 percent and a hardware error rate at 6 percent. So  
14 it's even higher than what we saw here with the U.S.  
15 utilities.

16 Next slide.

17 (Slide change.)

18 MEMBER POWERS: DOE has gone through quite  
19 an elaborate effort to assure things like slings and  
20 equipment and what not get tested and checked and  
21 monitored, so that the rate of a hardware failure has  
22 fallen to zip, but the mistakes are human and they're  
23 always the same mistakes.

24 MR. LLOYD: A lot of them are the same  
25 mistakes, that's true.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This slide, number 11, shows crane issue  
2           distribution by crane type. If you start over on the  
3           right hand side, power cranes, like the one that you  
4           see as you look out of the NRC building across at the  
5           construction going on, tower crane. The next one down  
6           is an auxiliary building crane. MC is a manipulator  
7           crane, reactor building crane, mobile cranes, polar  
8           cranes and then other. The other category where those  
9           cranes obviously didn't fit into these, the ones that  
10          are already listed. The main player there is the  
11          turbine building crane, but there are others one like  
12          rad waste building cranes, fuel building cranes and  
13          odds and ends, jib cranes that are out there and some  
14          of them that a document was issued and said hey,  
15          something broke, something didn't happen as it should  
16          have, but it wasn't identified as to what the crane  
17          was, but it did occur at the nuclear plant. So that  
18          got thrown into the other category.

19                   MEMBER KRESS: When they move fuel out of  
20                   the spent fuel pool, put it into these dry storage  
21                   casks, is that accomplished by lifting it out with the  
22                   crane and --

23                   MR. LLOYD: Right.

24                   MEMBER KRESS: And is the cask --

25                   MR. LLOYD: It's in the pool.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: It's in the pool. You lift  
2 the whole thing out?

3                   MR. LLOYD: Uh-huh.

4                   MEMBER KRESS: That's a pretty heavy load.

5                   MR. LLOYD: That's a very heavy load.  
6 Most of those, if you get the big ones today are in  
7 excess of 100 tons and that would be then lifted, once  
8 it was loaded in the pool, it would be lifted out of  
9 the pool over the edge, down to a decon area where it  
10 would be cleaned off. The top would be seal welded  
11 and then it would be moved by -- generally by another  
12 crane. It would transport it out of the building.

13                  MEMBER WALLIS: The chances of human error  
14 are much less. You have a proper hook and a proper  
15 device, as long as someone is wrapping it with a sling  
16 and all this, the chances for human error would be  
17 much less when you're handling casks.

18                  MR. LLOYD: Yes, that's one of the  
19 findings of the report too. We looked at the failure  
20 rate for handling very heavy loads versus failure rate  
21 for handling all kinds of loads. And I think any kind  
22 of a job if it's bigger, if there's a greater  
23 consequence of some bad thing happening, well, then --

24                  MEMBER WALLIS: That wasn't the point. In  
25 the case of fuel pool, you've got devices which are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 less likely to be misapplied by human beings.

2 MEMBER KRESS: Because the cask is made to  
3 be lifted.

4 MEMBER WALLIS: Right, it's made to be  
5 lifted.

6 MR. LLOYD: Right.

7 MEMBER WALLIS: If he hasn't lifted  
8 before, he has to figure out to how do it.

9 MR. LLOYD: How to do it.

10 MEMBER WALLIS: And there are ways to do  
11 it wrong.

12 MR. LLOYD: Right. With a cask also,  
13 you've got a nice cylindrical geometry. You don't  
14 have something that's shaped funny where you're trying  
15 to figure out where the center of gravity is.

16 MEMBER KRESS: You know what the load is.

17 MR. LLOYD: Exactly.

18 MEMBER SIEBER: Of course, NUREG 612 put  
19 a lot of restrictions on the jigs and fixtures that  
20 are -- the companion to whatever it is you're lifting  
21 such as a nondisruptive examination and so forth  
22 because these things do get damaged from time to time  
23 as they're being lifted, so that you have to inspect  
24 them to make sure that they continue to be suitable  
25 and then they're load tested in a lot of cases.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: Some of the fixtures, events  
2 in here too have come apart because when they put the  
3 fixtures together they didn't really assemble it  
4 right. And some of the fasteners that held different  
5 parts together then came apart and had either slipped  
6 or dropped or it cocked and caused the problem. So  
7 yes, there's -- 612 does mention the lifting devices.  
8 There's an ANSI standard N14.6 that specifies how  
9 those things should go.

10 Next slide, please.

11 (Slide change.)

12 MEMBER LEITCH: This data, I take it does  
13 not include smaller things like chain falls.

14 MR. LLOYD: Right, it does not.

15 MEMBER LEITCH: It does not.

16 MR. LLOYD: We're looking at least the  
17 heavier loads, something on the order of 2,000 pounds  
18 or more, so your smaller I-beam kinds of hoists, that  
19 kind of stuff, that you would see like in a diesel  
20 generator building or other places where you would  
21 move pumps or motors around, yes, wouldn't generally  
22 include those.

23 MEMBER APOSTOLAKIS: And why is that so?

24 MR. LLOYD: Because the data on those are  
25 real fuzzy, a lot of those are in areas where you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just lifting up things like moving scaffolding around,  
2 moving odds and ends, equipment from one little place  
3 to another place. A lot of that is just kind of good  
4 shop practice stuff.

5 MEMBER APOSTOLAKIS: So there are no  
6 locations where dropping something that weighs 1,000  
7 pounds can do damage?

8 MR. LLOYD: You could, but generally the  
9 damage wouldn't be nearly as significant as dropping  
10 something that would weigh many tons.

11 MEMBER LEITCH: Those things would  
12 probably not present a clear safety problem, but many  
13 times there are industrial safety problems associated  
14 with that as kind of --

15 MR. LLOYD: But you would have injuries  
16 that would be associated with those kinds of things.  
17 You can also break equipment or smash equipment, but  
18 it wouldn't be catastrophic.

19 MEMBER POWERS: Could you go back one  
20 slide, because I thought you were about to make a  
21 point and you either forgot to -- SFP, that thing  
22 which is over a quarter of it?

23 MR. LLOYD: That's the spent fuel pool.  
24 I didn't mention that one. There's -- depending on  
25 the plant design that could be a bridge crane, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 could be some sort of monorail crane. There's two or  
2 three it could be, a gantry type crane. It could be  
3 the reactor building crane. There's several things  
4 that could move fuel within the spent fuel, so if it  
5 was moving things in the pool, well, then it was  
6 categorized as spent fuel pool.

7 MEMBER POWERS: So that's an issue because  
8 it's a piece of the pie.

9 MR. LLOYD: Right.

10 MEMBER LEITCH: I'm surprised that mobile  
11 is not a bigger piece of the pie. I mean my  
12 experience would seem to suggest that mobile cranes  
13 were in the operation phase, particularly where  
14 involved in more of these episodes than the  
15 permanently installed.

16 MR. LLOYD: Not as many. There are  
17 obviously a number of issues associated with mobile  
18 cranes. Most of the mobile crane things are done  
19 outside of safety-related areas. There are a few  
20 times where it would be -- a mobile crane would be  
21 brought inside the facility some place, but it's  
22 limited. The number of lifts that would actually be  
23 done, like during a refueling outage would be a much  
24 smaller fraction say than what we would lift with the  
25 polar crane or reactor polar crane or a turbine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 building crane.

2 MEMBER LEITCH: So this data is related is  
3 -- is limited to safety-related areas?

4 MR. LLOYD: No, it's not. It would be  
5 just the larger weights, lifts at power plants.

6 MEMBER SHACK: But if I looked at problems  
7 per lift, would I get a different looking distribution  
8 here? Would mobile suddenly pop up?

9 MR. LLOYD: No.

10 MEMBER SHACK: No?

11 MR. LLOYD: No.

12 MEMBER SIEBER: Mobiles quite often show  
13 up as switch yard problems. They're the only --

14 MR. LLOYD: We'll look at mobile in a  
15 couple more slides, we'll talk about mobile cranes.

16 MEMBER ROSEN: It's not necessarily just  
17 dropping things, but running into things but hitting  
18 power lines with a boom.

19 MR. LLOYD: Exactly.

20 MEMBER SIEBER: You can kill people that  
21 way.

22 MR. LLOYD: Yes. Mobile cranes are -- I  
23 don't think I'd want to be a mobile crane operator.

24 Next slide.

25 (Slide change.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: This one shows the types of  
2 cranes involved in drops and slips. If you look at  
3 the one on the left, load drop. The load drop we  
4 defined as an uncontrolled lowering of a load that  
5 also created an impact with some other component, the  
6 deck or whatever, so you actually had some damage done  
7 and there would be a load drop.

8 A load slip is just where you had a  
9 lowering, some kind of a failure.

10 MEMBER ROSEN: But it was arrested.

11 MR. LLOYD: But it was arrested before it  
12 actually hit anything and it came to a halt.

13 The crane component drop, the one over on  
14 the right hand side is kind of interesting. This is  
15 caused by cranes colliding with other components,  
16 knocking things off of the crane, either I-beam parts,  
17 miscellaneous parts that fell off, a pendant that  
18 would get ripped off of like a polar crane and drop.

19 MEMBER ROSEN: Where would you put a jib  
20 crane operating in a containment smacking into the  
21 polar crane?

22 MR. LLOYD: That's happened.

23 MEMBER ROSEN: I know that, but where  
24 would you put it on your chart?

25 MR. LLOYD: Where would we put it? It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be the perpetrator on most of those and like  
2 we've got one where there was a death that was related  
3 to that.

4 MEMBER ROSEN: You're trying to answer a  
5 very different question. Just look over your shoulder  
6 and tell me which of the three things on the screen  
7 now, where would you put that event?

8 MR. LLOYD: Most of these, if they were  
9 similar events would have affected more than one  
10 thing, well, then it got double hits. So there's not  
11 a one to one relationship.

12 So one event might create a jib crane  
13 problem --

14 MEMBER ROSEN: Maybe you don't have the  
15 standard or maybe you're trying to duck my question,  
16 but I wouldn't know where to put a crane impact on  
17 another crane on this chart.

18 MR. LLOYD: If the one crane were  
19 stationary and just sitting there and an operator had  
20 another crane, was moving a load and ran into it, that  
21 would be just a crane collision on the part of the  
22 crane that was moving.

23 MEMBER ROSEN: Right, and where would you  
24 put that on your chart?

25 MR. LLOYD: That would be just the one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 event on the crane that was moving the load.

2 MEMBER APOSTOLAKIS: So there's no  
3 category there?

4 MR. LLOYD: No. That would go on whatever  
5 crane that happened to be moving. So if that was a  
6 polar crane that was moving a load across and slammed  
7 into a jib crane, well then the polar crane took the  
8 hit.

9 MEMBER APOSTOLAKIS: So once they collide  
10 and there is a drop, it's a load drop, right?

11 MR. LLOYD: Then it would be a load drop.

12 MEMBER APOSTOLAKIS: I see.

13 MEMBER SIEBER: I'm familiar with an event  
14 where they had bypassed the upper limits on the crane,  
15 the operating, whatever he was doing, raised the hook  
16 and tube locked it which separated the cables and the  
17 hook and the bottom sheaths fell into the spent fuel  
18 pool. Would that be in that far right circle there?

19 MR. LLOYD: That would be a -- it would  
20 not be in the far right. This was just to encompass  
21 odds and ends parts that came off of a crane.

22 MEMBER SIEBER: As opposed to a major  
23 thing which is the hook.

24 MR. LLOYD: Right, the hook itself, the  
25 block assembly or the load that it's carrying.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: Once you drop the hook,  
2 you've got nothing to pick the hook up with.

3 MR. LLOYD: It makes it a little --

4 MEMBER ROSEN: Hard to recover.

5 MR. LLOYD: Right, hard to recover. Next  
6 slide, please.

7 (Slide change.)

8 MR. LLOYD: This one shows the crane  
9 events that were actually due to hardware  
10 deficiencies. As you can see over 50 percent of these  
11 were rated in the category of none. These included  
12 programmatic issues, testing issues, administrative  
13 issues, procedural compliance problems, load path  
14 noncompliance and tech spec kinds of issues, so if  
15 they failed to do any of those kind of things, but it  
16 didn't result in any kind of a hardware problem, well,  
17 then it got thrown into the "none" category.

18 If you look at the various components, you  
19 start with -- you know that there was a problem, but  
20 nobody specified exactly what broke, but obviously  
21 something did break, well, then it went into the  
22 unknown category and there are only seven of those.  
23 You had brakes, rails, the number of polar crane rails  
24 that have had problems, a number of bridge type cranes  
25 have also had problems, the rails. Fasteners, most of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these fastener problems that are shown here have to do  
2 with anchor bolts for odds and ends parts, also  
3 fasteners that would actually hold the various bridge  
4 components together.

5 The structure category related to the  
6 actual structural problems and in a few cases they  
7 have dented the structure, ground stuff into it, tube  
8 locked it, pressure test inside containment, and ended  
9 up damaging the bridge components.

10 If there are weld deficiencies, cracks in  
11 welds and there have been a number of cracks in welds  
12 in polar cranes and other bridge type cranes, then  
13 well, it got in the structure category.

14 Components would be miscellaneous type  
15 components that were there. Below the hook category,  
16 as you can see here is basically any kind of a  
17 deficiency below the hook and you're looking at  
18 rigging problems, lifting device problems, things like  
19 that, things coming apart and there's a number of  
20 below the hook issues.

21 The control system would be anything  
22 related to the control panel on the crane or a pendant  
23 for the crane itself and there have been a number of  
24 issues there.

25 MEMBER SHACK: But the below the hook

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wouldn't include the Kevlar where the guy didn't put  
2 the load shifter in?

3 MR. LLOYD: That is below the hook.

4 MEMBER ROSEN: But is that a hardware  
5 deficiency or a human error?

6 MR. LLOYD: That would get classified as  
7 both.

8 MEMBER ROSEN: It's human error below the  
9 hook.

10 MR. LLOYD: It's human error below the  
11 hook is the area that's affected.

12 Next slide.

13 (Slide change.)

14 MR. LLOYD: These are the principal  
15 reasons that came out for the various events that were  
16 recorded. The bigger category, not following  
17 procedures. We've already mentioned there are several  
18 kinds of things that might go into that, not  
19 performing tests, not doing the procedure, all those  
20 kinds of things.

21 Operator errors, there are a few of those  
22 where the crane operators are actually moving things  
23 and then the operators in the control room decided to  
24 change system alignment that caused problems. And so  
25 the two weren't talking to each other.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The -- poor procedures, they actually had  
2 a procedure, and followed the procedure, but it got  
3 them in trouble.

4           Engineering design, this would be outside  
5 the scope of the crane operator himself, but certainly  
6 there are several design issues associated with their  
7 crane problems.

8           There was a notice that came out this  
9 morning, in fact, on Itera cranes, having to do with  
10 wire rope and evidently a part 21, so there are odds  
11 and ends design things that do come up.

12           The next category, ventilation, each time  
13 you move fuel, you have to have your ventilation so  
14 you have a negative pressure inside the area in case  
15 you did have some kind of an accident where you  
16 dropped fuel and had a radiation type accident.

17           And so there are many times when they are  
18 actually moving fuel and they had inadequate  
19 ventilation.

20           MEMBER ROSEN: So how is that a crane  
21 event?

22           MR. LLOYD: It's a crane event in that the  
23 crane operating procedures requires to go through  
24 those steps to make sure that you have done this and  
25 this and this as part of operating the crane, whether

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it be surveillance test operations, it's just simply  
2 to operate the crane you have to go through a number  
3 of wickets and one of those, if you're in the fuel  
4 area, you would have to make sure that you had  
5 adequate ventilation. So it's a crane operator screw  
6 up.

7 The "did not test", this would be refer to  
8 doing surveillance tests on the crane. The vast  
9 majority of the cranes require several different kinds  
10 of tests before you would actually lift the load and  
11 so there's a number of tests that should be done and  
12 in a lot of cases weren't done and they were on their  
13 way.

14 The load path issue is -- each of the  
15 crane operating procedures will have load paths  
16 specified where you can lift how far up off the deck  
17 or where are you going to go with that load and it's  
18 a very defined kind of a process. And in some cases  
19 that just gets violated. People think they've got a  
20 better idea on how it should be or they just didn't  
21 read it right, didn't understand what the procedure  
22 was. And it went on a path that was not specified by  
23 the procedure.

24 MEMBER SIEBER: Would that include being  
25 in excess of your calculated height?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: Yes, it would.

2 MEMBER SIEBER: Okay.

3 MR. LLOYD: Right, so if you had a  
4 procedure that said I can lift this 24 inches off the  
5 deck and in some cases the licensees have violated  
6 that by not only inches but feet, they've obviously  
7 violated the procedure and the load path.

8 MEMBER SIEBER: If you drop it, it goes  
9 through the floor.

10 MR. LLOYD: It could very well go through  
11 the floor and we'll talk about that one in a minute  
12 too.

13 MEMBER LEITCH: Ron, should this slide --  
14 I'm just trying to understand. Should this slide be  
15 properly titled "Principal Reasons for Non-Hardware  
16 Crane Events"? In other words, is this a breakdown of  
17 the 235 events on the previous slide?

18 MR. LLOYD: It would be for any kind of  
19 event. If you have a hardware event, if you drop a  
20 load, what is the cause of that? Did you violate the  
21 load path? Did you not test it? Did maintenance  
22 screw up something? Did you have ventilation problem  
23 in design? Poor procedure. Maybe the procedure got  
24 you down that path or maybe you didn't follow the  
25 procedure and you dropped that load. That one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specifically, if you had a load drop, then the reason  
2 for that -- assuming it was just a failure that  
3 occurred, then it would be outside the scope of the  
4 operator and it wouldn't fit into this kind of  
5 situation. So you're correct on that.

6 MEMBER LEITCH: So this is a breakdown of  
7 non-hardware related events?

8 MR. LLOYD: Right.

9 MEMBER LEITCH: Okay.

10 MR. LLOYD: Next slide.

11 (Slide change.)

12 MR. LLOYD: This one shows the impact of  
13 the various crane events and once again, you've got  
14 about 50 percent of these crane events that were  
15 documented that had no impact on anything, so there is  
16 basically no safety significance. There was a  
17 violation of some sort, but it didn't result in a  
18 major problem, so you're looking at programmatic  
19 issues, once again, procedural noncompliance, but  
20 nothing broke, not really affected.

21 Going around to the left, equipment issue  
22 refers to where you either damage the crane, if there  
23 was a problem with the crane, the crane ran into  
24 something, the crane dropped something. There was an  
25 equipment damage issue, whether it was with the crane

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or caused by the crane.

2 Load drop, 57 of those events that  
3 actually occurred, so you'd obviously damaged the load  
4 that you had when you dropped it, and you probably  
5 damaged whatever it hit.

6 Fuel drop damage, about 30 of those kind  
7 of events. There had been a number of injuries. It  
8 shows 16. These are 16 events, not 16 injuries. A  
9 bunch of those injuries were multiple people were  
10 injured, same thing with the death. In a couple of  
11 cases, I think there were three or four people died in  
12 one event. So there were 10 events that had to deal  
13 with death.

14 The loss of power part of the pie shows 10  
15 there. Out of those 10 loss of power, 9 of them were  
16 caused by mobile cranes. There's your impact with  
17 mobile cranes.

18 The radiation section there where it says  
19 3, these weren't areas where you violated a safety  
20 boundary, but it was where you lost radiation  
21 shielding. Either a component was coming out of the  
22 spent fuel pool or it was coming out of some other  
23 sort of a storage pool. It was raised up too far,  
24 i.e., they violated the procedure again and there was  
25 an increase in the radiation exposure. So it wasn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 caused by damage to some kind of a component.

2 Next slide.

3 (Slide change.)

4 MR. LLOYD: This one shows the slip  
5 distribution over time and most of these slides also  
6 show the number of plants, so you can kind of  
7 normalize your own feelings there. If you look at the  
8 first decade there were a couple of events. Second  
9 day, there are a couple of events. The third decade  
10 there were eight events. So there certainly has been  
11 increase in the slip, but it's not a lot. If you look  
12 at the last decade and a half or so where we've had  
13 kind of a constant number of power plants that have  
14 been operated, they appear to happen every couple of  
15 years.

16 Next slide.

17 (Slide change.)

18 MR. LLOYD: This is the load drop  
19 distribution and it shows the dotted ones on the bar  
20 charts that are for construction. Then you can see  
21 the operating load drop. The line there shows it's  
22 pretty much flat. If you take into account the large  
23 increase in the number of operating units, the  
24 performance obviously has improved with time. And  
25 over the last several years, it's actually been not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 too bad.

2 MEMBER POWERS: Do I know that? I mean  
3 the number of events, load drops is okay roughly  
4 constant, but do I know the number of lifts?

5 MR. LLOYD: I know the number of lifts in  
6 there too and that has certainly been figured in. So  
7 here for load drops there's been 57 load drops and  
8 once again we're looking at the weights that are on  
9 the order of 2000 pounds or more.

10 The next slide --

11 MEMBER LEITCH: I suspect some of the  
12 earlier years in the construction phase particularly,  
13 your data may be quite incomplete.

14 MR. LLOYD: Right, exactly.

15 MEMBER LEITCH: Okay.

16 (Slide change.)

17 MR. LLOYD: Load drop incident rate.  
18 Ended up plotting two curves here. One shows the  
19 upper curve, shows all load drops and then that is  
20 divided by the number of cumulative reactor years of  
21 operation. And as you go along, you can see how that  
22 works.

23 As you get out into the 1998-1999 time  
24 period when things started to go back up again because  
25 we did have some events within, we also got a number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of additional plants that were operating in that time  
2 period, so it stayed kind of level out there.

3 MEMBER RANSOM: You didn't differentiate  
4 between the decommissioning accidents and the  
5 operating plants accidents.

6 MR. LLOYD: I didn't go into  
7 decommissioning accidents. These were basically  
8 operating units.

9 MEMBER RANSOM: Okay. I mean but there  
10 are accidents associated with decommissioning in this  
11 declining period?

12 MR. LLOYD: This does not show the -- I  
13 don't believe -- there may be one or two in there, but  
14 it's basically insignificant.

15 MEMBER RANSOM: Oh really?

16 MR. LLOYD: Yes.

17 MEMBER RANSOM: I thought your first slide  
18 seemed to indicate that a number of decommissioning  
19 examples.

20 MR. LLOYD: No. The lower curve shows  
21 only the very heavy loads, so this is the number of  
22 load drops divided by the cumulative operating time  
23 and we're only looking here at those loads that would  
24 be 30,000 or 30 tons apiece and so there's been a  
25 declining trend there too.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 (Slide change.)

3 MR. LLOYD: This is kind of an OSHA basic  
4 slide. It talks about deaths. It's a little bit of  
5 a rehash of previous slides, so you can see the cranes  
6 that would actually be involved on the death events.  
7 Three of those have been mobile. Five others, which  
8 would include the turbine building cranes and a few  
9 deaths that were associated with them, tower cranes,  
10 and then a manipulator crane. If you go to the  
11 injuries, there have been more injuries and there have  
12 been some injury events associated with the -- like  
13 the reactor building crane, the bigger cranes and also  
14 the polar crane. But mostly it's the other category  
15 which would be outside of safe related areas.

16 Next slide.

17 (Slide change.)

18 MR. LLOYD: There's been a number of fuel  
19 assembly events over the years. If you look at the  
20 trend here, it's easy enough to see that there is an  
21 improving trend, particularly within the last couple  
22 of decades. A lot of fuel events occurred earlier on.  
23 I would assume you had start up issues, moving things  
24 around, unfamiliarities and so on. So on a percentage  
25 basis, on the number of plants and number of fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assembly problems, you've got a higher incident rate  
2 in the beginning and it drops off with time.

3 Next slide.

4 (Slide change.)

5 MR. LLOYD: Here's the one that was kind  
6 of referred to earlier and has to do with the mobile  
7 crane issues. Once again the dotted bars show mobile  
8 cranes during construction period which died off by  
9 the time we got out to about 1990 and then you've got  
10 the last decade and a half or so which are  
11 predominantly operated facilities.

12 If you look at the first decade there were  
13 six events in there. During the second decade there  
14 were about 17 events and during the third decade there  
15 were 15 events. So if you look at the number of  
16 operating units, once again, the number of lists that  
17 would be done there seems to be at least some sort of  
18 improving trend, if slight, for mobile cranes.

19 Next slide.

20 (Slide change.)

21 MR. LLOYD: These are the loss of power  
22 events. As I mentioned earlier, there have been 10  
23 total that were caused by crane operation. Nine of  
24 those were caused by mobile cranes. They either fell  
25 over, tipped over, ran into lines. Once again, almost

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all of these were because of human error. A lot of  
2 times the boom was left up and they drove into a line.  
3 There are a lot of varying kinds of combinations of  
4 what they did with the mobile crane, but 9 of the 10  
5 were caused by mobile cranes. There was one bridge  
6 crane and not all that significant.

7 There were a couple of these mobile crane  
8 issues here that ended up resulting in AITs at Diablo  
9 Canyon and Palo Verde.

10 MEMBER ROSEN: Was this the one in the  
11 switch yard? What plant was that? Vogel.

12 MR. LLOYD: At Vogel, it wasn't a crane,  
13 it was actually a truck backed into a piece of  
14 equipment and caused a trip, so it wasn't a crane, but  
15 it was a truck running around, once again, not  
16 following procedure.

17 MEMBER ROSEN: But that wouldn't show up  
18 in your data base because it wasn't a crane?

19 MR. LLOYD: Right. The one crane that was  
20 a little bit humorous, I won't mention the plant, but  
21 they moved the mobile crane up into position, the  
22 operator got out, failed to secure the boom and wind  
23 came up and ran it into a line and then it acted as  
24 the ground, had the stabilizer bars out and it was on  
25 an asphalt road and the current going through that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 down to ground got hot enough to where it lit the  
2 asphalt road on fire and burned the crane.

3 (Laughter.)

4 Sometimes things don't turn out the way  
5 they should.

6 MEMBER POWERS: This is the one the PRA  
7 tells us is  $10^{-9}$ , George?

8 MEMBER ROSEN: It's model uncertainty.

9 MR. LLOYD: Next slide, please.

10 (Slide change.)

11 MR. LLOYD: This one is the below-the-  
12 hook, so this would be anything that would be  
13 connected to the hook, whether it's some sort of sling  
14 affair, lifting device, whatever you might have, that  
15 would be connecting that in. There's been an  
16 increasing trend, obviously, that's fairly disturbing  
17 over the last decade, as you can see. Some of this  
18 has to do with just increased use of synthetic  
19 materials for rigging and as you can see, too, by the  
20 way the cross hatching is here, there's been a number  
21 of these that have been load slips where part of the  
22 rigging has come apart and it's actually slipped.  
23 Some of them are drops where it totally disintegrated  
24 and the load came to a drop and caused equipment  
25 damage. Some of them were just administrative. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 noneththeless, there's been a significant increase.

2 MEMBER POWERS: It seems to parallel the  
3 number of notices that OSHA sends out on rigging  
4 errors and what not, so is that telling us that the  
5 OSHA program is causing --

6 MR. LLOYD: I wouldn't want to speculate.  
7 (Laughter.)

8 MEMBER LEITCH: I would say below-the-hook  
9 events, rather than being crane events in the  
10 classical sense of the word are almost by definition  
11 rigging errors.

12 MR. LLOYD: Right.

13 MEMBER LEITCH: And I think one of the  
14 things that may be related to this is there used to be  
15 a trade or craft called a rigger. And many utilities  
16 in an effort to try to minimize the number of  
17 specialties are going to a more general craft training  
18 and one of the things that is of some concern to me  
19 and this data would seem to support it is there is  
20 some specialty kind of training required and rigging  
21 is one of those trades or crafts that I think that's  
22 important and you can't just be a generalist and go do  
23 that, but I think in some cases that effort is being  
24 made to just -- anybody can figure out how to rig  
25 something, just go do it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER POWERS:   Graham, I believe that  
2                   under OSHA rules you have to be trained to rig.

3                   MEMBER LEITCH:   Yes.

4                   MEMBER POWERS:   Now, it's not a craft.  
5                   It's like you say, anybody can go take the training.  
6                   In fact, I had the training, but --

7                   MR. LLOYD:   Did you ever have any load  
8                   drops?

9                   MEMBER POWERS:   Say that again?

10                  MR. LLOYD:   Did you ever have any load  
11                  drops?

12                  MEMBER POWERS:   No, but they do make you  
13                  do tests and what not and the only reason I took it is  
14                  I was requiring all my people to take it and so I  
15                  could show them this is good for them because the  
16                  reaction was, yeah, I know how to rig this thing and  
17                  you don't, you really don't.  And more important is  
18                  just what he said.  They have so many different things  
19                  out there for slings and rigs and what not that you  
20                  see them, and you say well, I can use this for  
21                  everything, but you can't.  It's meant for some  
22                  particular situations and not for other situations.  
23                  And so you have to -- but I think according to the  
24                  OSHA rules, you have to have had the training.  It's  
25                  about a 4-hour course.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER LEITCH: Yes, but what I'm saying  
2                   is there used to be a set of folks that made their  
3                   life work out of doing this kind of thing and we've  
4                   kind of lost that, generally, at most of the plants  
5                   I'm familiar with.

6                   I agree there's some minimal training that  
7                   you get, but --

8                   MEMBER SIEBER: Let me ask a question of  
9                   the plant guys. When we made heavy load lifts, we  
10                  hired a company which are a bunch of them that do  
11                  rigging and bring their own cranes and everything.  
12                  And you know main unit transformer, stuff like that.  
13                  I sort of thought that was the general practice  
14                  because we would trade transformers with other plants  
15                  and things like that and they had the same companies  
16                  do that work.

17                  Did you --

18                  MEMBER LEITCH: If you're lifting  
19                  something like a main transformer, absolutely.

20                  MR. LLOYD: You can't afford a problem.

21                  MEMBER LEITCH: You would use a contractor  
22                  for that.

23                  MEMBER SIEBER: Anything other than a  
24                  station crane, we used to take our own turbines apart,  
25                  but the big loads we always hired folks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   But these loads are not necessarily -- I  
2 mean they're more than 2000 pounds.

3                   MEMBER SIEBER: A thousand kilograms.

4                   MEMBER LEITCH: Yes, but we would lift  
5 stuff like that with our own guys.

6                   MR. LLOYD: The lighter weights would  
7 generally be lifted by in-house people, a lot of the  
8 heavier stuff.

9                   MEMBER LEITCH: Yes, the heavier stuff  
10 like the main transformer unit, you'd use a  
11 contractor.

12                   MEMBER SIEBER: Motors and pumps and  
13 things like that that you're doing maintenance on, you  
14 do in-house.

15                   MEMBER POWERS: Do you separate out in-  
16 house crane problems versus contractor crane problems  
17 on the site?

18                   MR. LLOYD: Not really, a lot of the  
19 documentation isn't that specific that you could do  
20 that with any real -- without just going into each  
21 incident.

22                   There was one rigging situation where  
23 rather than put the softeners on the corners for the  
24 Kevlar which is definite that you have certain kind of  
25 foam pieces that would actually fit in there, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are specific thicknesses and so on. They wanted to  
2 hurry up and do the job, so somebody had a leather  
3 glove and they just stuffed their glove in there and  
4 of course, it went through the glove and then the load  
5 dropped and that was one of the problems.

6 The one down at Turkey Point where they  
7 dropped -- most of this stuff is really related to  
8 human errors and the need, I guess, to hurry up and do  
9 the job and if you think you're a little bit smarter  
10 than the procedure, well then that's what you do. You  
11 try to bypass that and get the job done. And  
12 sometimes that backfires.

13 Next slide.

14 (Slide change.)

15 MR. LLOYD: This one shows the very heavy  
16 load slip distribution over time and most of these are  
17 very big. Starting from the left one, heading over to  
18 the right, the first one is Dresden. This was the  
19 reactor pressure vessel head that slipped about a foot  
20 and a half or so when they lifted it with their quote  
21 unquote single failure proof crane.

22 The next one over was an upper guide  
23 structure at St. Lucie 1, same kind of thing. It  
24 slipped about a foot or so.

25 The next one beyond that was the reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure vessel head at Fort Calhoun that slipped.

2 Next one over is ANO-1 and that was the  
3 reactor pressure vessel head that slipped.

4 Next one over is Byron and this was a  
5 steam generator runway piece that was a specialty item  
6 that ended up slipping.

7 The next two that are 1999 and 2000, one  
8 was at Crystal River and that was the reactor plenum  
9 which was a below-the-hook issue here rather than the  
10 crane itself and the most significant one out here and  
11 most exciting is the last one here and that's Comanche  
12 Peak which occurred in 1999. At this point they were  
13 removing a reactor coolant pump motor, bringing it up  
14 through the room that it was in. They had to use a  
15 specialty small crane that was kind of a modified  
16 crane. That was then hooked to the overhead polar  
17 crane. That went down inside, picked up the motor.  
18 There were a couple of riggers that were actually on  
19 the motor and rode the thing up as it was going up and  
20 as it went up a ways got outside of the enclosure. At  
21 that point the gear box and everything on the smaller  
22 crane came apart and basically disintegrated and it  
23 started to unravel.

24 A couple of the operators which were  
25 interviewed jumped off just at the right time as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing was going down. It was a total luck-out in that  
2 one of the chain links on a modified crane jammed and  
3 stopped it and that's how it stopped. If it wouldn't  
4 have been for the fact that you had a chain link that  
5 got jammed in the system, it would have gone all the  
6 way down and crashed into the reactor coolant line.

7 MEMBER WALLIS: Bent the frame of the  
8 crane when it came to rest?

9 MEMBER POWERS: No, it would have bent the  
10 reactor coolant system --

11 MR. LLOYD: It would have slammed right  
12 into the pump.

13 MEMBER WALLIS: So what was the chain  
14 attached to it that stopped that?

15 MR. LLOYD: The chain was attached to the  
16 hoist which was a modified hoist and then that was  
17 attached farther up to the polar crane. The hook on  
18 the polar crane was too big. It couldn't go down into  
19 the enclosure, so they had to use a smaller --

20 MEMBER WALLIS: That hook stopped it.  
21 That hook took the load of the chain?

22 MR. LLOYD: That was the chain that was  
23 actually ran through the gear drive on the hoist. It  
24 wasn't a rigging chain.

25 MEMBER WALLIS: Known as the holy chain.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: That one was fairly  
2 interesting and certainly scary for the people that  
3 were there.

4 Next slide, please.

5 (Slide change.)

6 MR. LLOYD: This one shows the very heavy  
7 load drop distribution. Once again, 30 tons or  
8 greater. Going from left to right, some of these are  
9 fairly spectacular. The first few were at  
10 construction sites. The one is the statter at Turkey  
11 Point 3 that got dropped. You've got Ginae. These  
12 were miscellaneous reactor components. They weren't  
13 actually installed yet, but they got dropped.

14 The one over 7172 block is IP-3 where they  
15 dropped the entire pressure vessel when it was being  
16 set up inside of --

17 MEMBER WALLIS: When you say dropped, most  
18 of these were just slips, where it dropped a little  
19 bit and nothing happened?

20 MR. LLOYD: This is a drop.

21 MEMBER WALLIS: A real drop onto the --

22 MR. LLOYD: Yes. Every one of these are  
23 drop on the floor, right.

24 And so this was the actual pressure vessel  
25 that had been uprighted and then the wire rope

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 disintegrated and the whole pressure vessel fell over  
2 on its side. So IP-3.

3 Next one over in the middle is River Bend.  
4 They were putting the dome on the reactor building and  
5 this was a form that was used where you would then  
6 pour the concrete in it. This weighed over 400 tons  
7 and it was being lifted by a mobile crane and it got  
8 up part way and then the crane collapsed and  
9 everything fell down and it dropped about 30 feet and  
10 slammed into the ground. So that's River Bend.

11 Next one over is Byron and that's some  
12 steam generator replacement parts. Once again, by a  
13 mobile crane.

14 The last two on the right are turbine  
15 building cranes where they actually dropped a mobile  
16 crane and these two were done within about a week of  
17 each other. San Onofre, the photo that I showed you  
18 right at the very beginning, that was at SONGS and  
19 people down at Turkey Point said hey, I think  
20 something happened at SONGS, we ought to find out  
21 about it before we go move our mobile crane and they  
22 tried a couple of times to make phone calls and get  
23 information on what really went wrong when the mobile  
24 crane dropped and was dropped by the turbine building  
25 crane and they couldn't get through to the right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 people and time was running out so they decided they  
2 needed to hurry up and do what they were going to do.  
3 And so they did it anyway and exactly the same thing  
4 happened and they dropped their mobile crane, although  
5 it only dropped about a foot. And so it wasn't  
6 catastrophic as the San Onofre one.

7           So as you can see there, these are the  
8 very heavy load drops. Most of these occurred during  
9 construction periods at sites. The later ones from  
10 the time that we actually had any real direction on  
11 how to do load movements and so on. You end up with  
12 the three that occurred within the last few years.  
13 All three of those were failures of the rigging and  
14 not the crane and I think it was mentioned over here  
15 that you don't really have a crane problem per se. So  
16 you need to look at it that way. It was actually  
17 rigging failures. So all three of these that occurred  
18 within the last little bit were all caused by human  
19 error and rigging problems.

20           MEMBER WALLIS: Is this because the device  
21 doesn't have a proper protocol for rigging it? It  
22 doesn't have the lifting lips and things to -- you  
23 know exactly where to attach your slings, so therefore  
24 they get wrapped around corners and put on in some ad  
25 hoc way, is that a lot of the problem?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: It's not like a lifting device  
2 like you would lift a head or some other -- like  
3 lifting a cast out of the spent fuel pool. You've got  
4 a very definite lifting device that attaches in very  
5 specific locations.

6 MEMBER WALLIS: That would seem to be much  
7 more foolproof.

8 MR. LLOYD: Right, and that's much more  
9 foolproof.

10 MEMBER WALLIS: And then you have to swing  
11 around some odd-shaped object and I'm not quite sure  
12 where its center of gravity is and that it might  
13 slope.

14 MR. LLOYD: Exactly. Those are the ones  
15 where you get problems.

16 Next slide, please.

17 (Slide change.)

18 MR. LLOYD: One thing that I did, as I  
19 went around to all the different utilities, those  
20 individual units was to not only gather operating  
21 data, failure data, how many lifts they actually did  
22 on a refueling basis during the year, previous years,  
23 what they lifted, how much it weighed and so on. I  
24 gathered all that information.

25 In addition to that, I gathered the load

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 drop calculations that they had that were heavy loads  
2 to see the degree of rigor in the calculations and to  
3 see what their actual results were. Because the load  
4 drop calculations are used to, as input to their load  
5 control programs, it would say here are my load paths.  
6 Here are my load restriction heights. Here are my  
7 restricted areas for various kinds of loads. So load  
8 calculations have a lot to play and there were several  
9 things that were very interesting to me and to others  
10 as I started gathering this data. The load drop  
11 calculation assumptions varied quite a bit on how they  
12 did it, depending on the date of the calculations. If  
13 you go back into the 1970s, a lot of the load drop  
14 calculations were ballistics kinds of equations that  
15 were really meant for high velocity, low mass  
16 situations and then like bullets and other things,  
17 missiles. And they were being applied to situations  
18 of low velocity and high mass. And so that certainly  
19 caused problems.

20 Other utilities made comparisons with  
21 ductility ratios. Some of the later ones looked at  
22 kinetic energy developed in strain energy that would  
23 have to be absorbed by whatever got hit by the load.

24 Load drop consequences. As you can  
25 imagine, there was a huge disparity, very similar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scenarios with similar weights, with similar targets.  
2 Most of the targets for these heavy loads are floors  
3 that are approximately two feet thick with rebar,  
4 heavily rebarred and you just have an incredible range  
5 of what the outcome was, all the way from it goes  
6 through the floor at a few inches to it won't go  
7 through the floor at 6 to 7 feet. So big differences  
8 in the consequences.

9 The load path controls, I already  
10 mentioned that. There's been a wide range of how  
11 licensees control their load paths.

12 Next slide, please.

13 (Slide change.)

14 MR. LLOYD: One of the things we were  
15 trying to do here too was to look at single-failure-  
16 proof cranes and what the impact was on risk and  
17 safety and so on. What we did find out was that the  
18 guidance information, as already been mentioned by a  
19 few of you, the NUREG 0612 and 0554 is fuzzy in a lot  
20 of areas and it's left up to a lot of interpretation.  
21 So it's vague. This has been a complaint by the  
22 industry. It's certainly been a complaint by  
23 manufacturers, crane manufacturers.

24 Crane classification issues, there's  
25 certainly a concern whether or not I have a single-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failure-proof crane or I don't have a single-failure-  
2 proof crane. If my crane is 99 percent single-  
3 failure-proof, what does that buy me? Is there any  
4 kind of an advantage that I get from the Agency? And  
5 if you wanted to upgrade a crane from non-single-  
6 failure-proof to single-failure-proof, then what do  
7 you actually have to do. And those things are really  
8 indeterminate and a lot of it is left up to  
9 interpretation. And it certainly causes problems,  
10 obviously in trying to work with that.

11 MEMBER LEITCH: Is there any clarity as  
12 far as the single-failure-proof imply redundant up  
13 limit switches?

14 MR. LLOYD: You'd got redundant parts.  
15 All your critical parts with a single-failure-proof  
16 crane with the redundant, you'd have two drums, for  
17 example. The rigging system would be doubled. Some  
18 of the switches would be doubled. The hook has a  
19 double hook on it as opposed to a single hook, so  
20 there are a lot of things that are doubled.

21 The actual bridge itself that would carry  
22 the hoist is basically the same.

23 MEMBER LEITCH: I was concerned about up  
24 limit switches. It seems to me reading through your  
25 stuff and my experience in several tube locking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 situations. Now Jack mentioned one that he knew of  
2 where the switch was just tampered with and  
3 intentionally defeated, but I mean I've seen a couple  
4 cases where the up limit switch fails.

5 MR. LLOYD: Right, this is one of the big  
6 advantages between a single-failure-proof and a non-  
7 single-failure-proof. To be a single-failure-proof  
8 crane, you have to be able to test it and show that  
9 you can run the crane up and tube lock it and that  
10 you're not going to break things. You will not result  
11 in a drop load.

12 MEMBER LEITCH: Okay.

13 MR. LLOYD: You will not result in pieces  
14 coming apart, or if they do, you have the redundancy  
15 to take care of it. And so like the manufacturers of  
16 single-failure-proof cranes today have to generally  
17 show, provide an affidavit that they did that test,  
18 that they did tube lock it and it survived.

19 MEMBER LEITCH: Okay.

20 MR. LLOYD: So that's obviously the real  
21 big advantage to a single-failure-proof crane is you  
22 do have those redundancies that take care of at least  
23 some of the human error that might occur if a crane  
24 operator is not watching what they're doing.

25 So that's the advantages to a single-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failure-proof crane. You obviously can overcome some  
2 of the human error issues and you have that additional  
3 redundancy.

4 The downside, if you look at all of the  
5 statistics and say well, out of all the very heavy  
6 loads that were out there, would it have made a  
7 difference if this crane would have been single-  
8 failure-proof? And the answer is no, because they've  
9 occurred because of other problems, right? There have  
10 been rigging problems, other problems that had nothing  
11 to do with the fact you got a single-failure-proof  
12 crane. And so human error in a sense defeated the  
13 purpose of a single-failure-proof crane.

14 Next slide.

15 (Slide change.)

16 MR. LLOYD: This one shows a generic load  
17 event drop tree. Once again, it is generic. It just  
18 kind of goes through the various steps that could  
19 occur, if you have a various load drop.

20 MEMBER ROSEN: What's SSE in this context?

21 MR. LLOYD: It's not an earthquake.  
22 That's safe shutdown equipment. And so starting with  
23 the left hand side what we have on a reactor basis is  
24 right now at our operating facility you're looking at  
25 around 20 to 25 lifts per reactor 80 tons or greater.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And so you've got a certain error rate which is that  
2 next slot, next gate. If you include all three very  
3 heavy load lifts which were all outside of safety-  
4 related areas, and had to do with rigging problems,  
5 but if we stuck them in there anyway and we had 54,000  
6 lifts during that time period, then you end up with  
7 the 5.6 E-5.

8 MEMBER WALLIS: This drop over SSE, isn't  
9 the rigger going to not pick up the thing and maneuver  
10 it over an SSE?

11 MR. LLOYD: You would hope that they  
12 wouldn't. That's why the probability for that next  
13 slot is less than 1 percent. So once again, you'd  
14 have to have a human error. You basically have to  
15 violate the procedure in the load path in order to  
16 make that kind of a thing happen.

17 MEMBER SIEBER: A crane operator  
18 ordinarily wouldn't intuitively know that, because  
19 they're an operator. And so unless you mark on the  
20 floor where the lift pads are --

21 MR. LLOYD: Yes, some licensees have a  
22 horrendous paint budget and you'll go out and look at  
23 their place and they've got their load paths marked  
24 not only interior, but exterior to the building where  
25 you may have underground lines like service water,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 other kinds of lines. And so those would be marked  
2 also, so it would keep people from having to drop  
3 something in a critical area whether it's underground  
4 or what not.

5 MEMBER APOSTOLAKIS: Who is going to use  
6 this event tree?

7 MR. LLOYD: The event tree was just --  
8 it's a -- like I said it's a generic event tree. It's  
9 not specific to any one plant, but it just kind of  
10 gives the overall idea as to what might happen.

11 MEMBER APOSTOLAKIS: So you are giving  
12 this to a utility to do something with it?

13 MR. LLOYD: It's just to look into be  
14 sensitized to where things might really fail.

15 MEMBER APOSTOLAKIS: So you're not asking  
16 them to do anything specific.

17 MR. LLOYD: No.

18 MEMBER APOSTOLAKIS: Why not?

19 MR. LLOYD: They certainly could, sure,  
20 yes.

21 MEMBER APOSTOLAKIS: For example, one  
22 could use something like this to screen locations  
23 where --

24 MR. LLOYD: Exactly. You could use the  
25 tree --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: You could be  
2 challenged.

3 MR. LLOYD: You could be challenged. And  
4 that's the end result over there at the end state.

5 MEMBER APOSTOLAKIS: Because I think if  
6 you try -- have you tried to apply this to a natural  
7 plant?

8 MR. LLOYD: No.

9 MEMBER APOSTOLAKIS: Because it seems to  
10 me this could only be the starting point and I see  
11 these load drop events as being very serial to what we  
12 call external events. So you are really building on  
13 the existing baseline PRA.

14 So, for example, you would be asking  
15 questions, can I have a load drop that at the same  
16 time would cause an initiating event and fail some of  
17 the systems? And unless you really tried, you can't  
18 appreciate that.

19 MR. LLOYD: Right.

20 MEMBER APOSTOLAKIS: That's why I asked  
21 you the question earlier. I saw these recommendations  
22 or proposed recommendations that you have there. None  
23 of them refer to this kind of analysis or PRA-based  
24 analysis. Why is that?

25 MR. LLOYD: I think the ones we came up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with were the bigger hitters. And of course, this is  
2 why we're presenting this to you, to see if you have  
3 any additional items that would like to -- you'd like  
4 to throw out for --

5 MEMBER APOSTOLAKIS: So this is actually  
6 a red flag for the ACRS?

7 MR. LLOYD: Right. But no, you could use  
8 this --

9 MEMBER APOSTOLAKIS: Harold wants to say  
10 something.

11 MR. VANDERMOLEN: I'm Harold Vandermolen,  
12 the Generic Issues Program Manager. And we did indeed  
13 consider doing exactly that and actually did do some  
14 lock downs in some of the plants that we went around  
15 and visited. We concluded that it was just not  
16 practical to do so for the purposes of the generic  
17 issue program. Any results we would get would be so  
18 highly site-specific that it would be essentially  
19 meaningless to try to apply to plants across the  
20 board.

21 This is not to say that it could not be  
22 done. The sort of spatial analysis that you are  
23 speaking of is indeed very similar to what you might  
24 do flying various things within the codes for fire.

25 Well, we did find in the lock downs was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that it was very difficult to ascertain what was --  
2 just by looking, what was in danger as we looked at  
3 the floors below. Obviously, large components, we  
4 could tell, but when you see cables going everywhere  
5 and racks of switch gear not knowing necessarily what  
6 it was controlling and so forth, it was pretty  
7 difficult for us to do.

8 MEMBER ROSEN: Well, we're hardly  
9 suggesting you do it by looking.

10 MR. VANDERMOLEN: I would hardly do that,  
11 no, but the difficulty. But the other thing that I  
12 wanted to bring out was that unless you know the  
13 likelihood of the heavy load penetrating the floor,  
14 which is one of the things that Ron had alluded to  
15 before, and where there is certainly room for  
16 improvement in how calculations are done, it is also  
17 possible to do a PRA style calculation, but it did  
18 give us an idea of the difficulty.

19 MEMBER APOSTOLAKIS: Well, Harold, I'm  
20 having difficulty with your argument because basically  
21 what you're saying is yes, I know what is the right  
22 thing to do, but it's too difficult. So how are you  
23 going to resolve this generic issue by avoiding doing  
24 the difficult thing? And the other thing you said,  
25 it's highly site specific, so we couldn't see any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic -- well, the generic thing would be to say you  
2 go ahead and do it, do it for your facility. Do  
3 something --

4 MR. VANDERMOLEN: I'm not arguing with  
5 that, it's just that at this stage of the process what  
6 we're basically making recommendations to NRR for  
7 whether or not things should be followed up, we saw no  
8 point in going further.

9 MEMBER ROSEN: Let me give you an analogy  
10 with PWR, sump blockage issue. This is also at GSR.  
11 After much study in the national labs, the conclusion  
12 was generically this could be a big problem and  
13 therefore -- but we can't apply this knowledge base to  
14 site specific situations because they're all  
15 different.

16 MR. VANDERMOLEN: That's correct.

17 MEMBER ROSEN: So where we're headed there  
18 is understand the knowledge base and provide to the  
19 licensees and get them involved and have them develop  
20 a protocol for doing the calculation and have them do  
21 it for their own sites.

22 MEMBER APOSTOLAKIS: We can do the same  
23 thing here. It could be done.

24 MEMBER SIEBER: It seems that all the  
25 recommendations that you actually are making are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deterministic in nature as opposed to saying shall I  
2 obey NUREG 612 or should I calculate how risky it  
3 would be not to do it? You just say you've got do  
4 this and you've got to do that and make these  
5 calculations in the right way and then the risk is  
6 small. That's how I interpreted what you did.

7 MR. LLOYD: That's true. You can minimize  
8 that. I think until the last couple of years, I  
9 think, licensees really didn't think that you could  
10 penetrate a floor and go all the way to the basement  
11 and it should have been more obvious than that and  
12 licensees really didn't pick up on it.

13 MEMBER ROSEN: Let me see if you really  
14 are saying what you're saying. You say that licensees  
15 believe that, for example, in a BWR where you take a  
16 heavy cask off the fuel handling deck and swing it out  
17 over that long space where you lower it all the way  
18 down and I don't know how many hundreds of feet to the  
19 grave on to a truck, if you dropped it when you had it  
20 up high that it would simply bounce off the truck or  
21 something, through the truck like it wasn't there and  
22 then through the floor, like it wasn't there and then  
23 through the top of the torus like it wasn't there.  
24 And at the bottom of the torus, like it wasn't there.

25 MR. LLOYD: That one people obviously

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked at just because of the drop high distance, but  
2 what I was referring to was dropping something that  
3 some licensees calculated like you could drop  
4 something that's very heavy from six or seven feet and  
5 it's not going to go through the deck and because of  
6 that, they didn't worry about what was located on  
7 lower decks. So that was kind of out of their  
8 purview.

9 I think within the last couple of years,  
10 there have been more refined calculations that showed  
11 that that's in gross error.

12 Also, once you've gone through a deck, it  
13 was also -- if you go through and read 612, for  
14 example, and other documents, you will see that there  
15 was sort of a feeling that even if you did go through  
16 one deck, it might be stopped and come to a halt and  
17 will not continue penetrating decks and that's a total  
18 policy.

19 So I think there's been a better  
20 understanding. I think the calculations have been a  
21 lot better and I think a lot of the load height  
22 restrictions, because of that, need to be reset and  
23 that would be done by redoing calculations based on  
24 what you're actually going to be lifting over certain  
25 areas and what also might be on the lower floors of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what you might damage during that drop.

2 MEMBER ROSEN: There are two likelihoods  
3 in the near future, in the future, that would make --  
4 it would seem to me to make this problem quite a bit  
5 worse. One of them is the need in many PWRs to  
6 replace the head as a result of the problems with  
7 Alloy 600 penetrations. So there are going to be a  
8 lot more heavy lifts, I think, moving heads around in  
9 ways that -- and places that typically haven't been  
10 moved since construction.

11 MR. LLOYD: Exactly.

12 MEMBER ROSEN: That's one set. The other  
13 one is if we ever got to Nirvana and actually started  
14 moving fuel to Yucca Mountain or any place like that,  
15 then we would have a whole lot of lift. So extract  
16 that into your thinking that the frequency of heavy  
17 lifts could go up, could go up a lot.

18 MR. LLOYD: Right. Right now it's at 25.  
19 It could certainly easily be up around the 100 level  
20 without too much of a problem which would change a lot  
21 of the statistics.

22 MEMBER APOSTOLAKIS: Again, why did you  
23 develop the generic load event tree?

24 MR. LLOYD: The event tree?

25 MEMBER APOSTOLAKIS: Did you try to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 something with it?

2 MR. LLOYD: Yes. It was obviously -- this  
3 is in a public document and it can go out and from a  
4 generic standpoint it would kind of sensitize, I  
5 think, people who would deal with these issues to the  
6 fact that there may be a potential to not only drop  
7 over something, but to drop through the floor and to  
8 also take out equipment that's located on lower floors  
9 where they really haven't been sensitized to that at  
10 all.

11 MEMBER APOSTOLAKIS: If it doesn't go  
12 through the floor, there's no possibility of serious  
13 consequences?

14 MR. LLOYD: In most cases, that's true.

15 MEMBER APOSTOLAKIS: So there must be a  
16 few cases where probably it does make a difference.

17 MEMBER POWERS: That's really not the way  
18 I read the chart. I read the chart as saying that  
19 when you have a drop event, you can damage systems  
20 that's on the level you're working on or you can go  
21 through and damage things below or you can do both.

22 MR. LLOYD: Exactly.

23 MEMBER POWERS: And when I look at the  
24 chart, I wondered why you did that, other than just to  
25 fit everything on one page.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: It was kind of fitted on a  
2 page. If you -- on level, if you drop something most  
3 likely you're going to be taking out a train as  
4 opposed to an entire system. So the consequence isn't  
5 going to be as much. If you actually drop it to the  
6 point where it would go through a floor, well, then  
7 you have multiple opportunities to take out equipment  
8 that's located on several floors.

9 MEMBER POWERS: See, that's why I wondered  
10 why you didn't separate, in the lower group of  
11 "challenged", other than just fitting it on one page,  
12 it seems to me it's a far more consequential thing --  
13 some of those things that are just labeled  
14 "challenged" or more challenged than some of the  
15 higher things labeled challenge.

16 MR. LLOYD: Exactly.

17 MEMBER ROSEN: Let me ask a question. I  
18 didn't read this as carefully as I maybe should have.  
19 But is there an example calculation that shows how it  
20 goes through -- how a heavy load goes through the  
21 floor, how to do it right and makes the point that  
22 with a fairly -- not a giant load, but a heavy load  
23 and not too far off the floor, when it drops, it goes  
24 right through. Is that sort of calculation in the  
25 report?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LLOYD: The calculation, that would be  
2 in one of the appendices of the report, so it is  
3 there.

4 MEMBER ROSEN: It is there already?

5 MR. LLOYD: Right. You'd have to go back  
6 and take a look at the appendix. Some of the better  
7 calculations that have been done by an organization  
8 called EQE and others that really do a lot of these --  
9 earthquake guys -- that do a lot of these things, and  
10 you can see those. So those calculations and the  
11 results of dropping from various locations on various  
12 floors shows up in the appendix.

13 MEMBER APOSTOLAKIS: They are not EQE  
14 anymore, are they?

15 MR. LLOYD: They are -- they were as of a  
16 little while ago. I don't know the name has changed.

17 MEMBER APOSTOLAKIS: ADS.

18 MR. LLOYD: ADS? Yes, those calculations  
19 are shown and the more definitive kinds of  
20 calculations would show that there should be bore  
21 restrictions on the load test.

22 MEMBER APOSTOLAKIS: It would be  
23 interesting though to actually try to use this idea in  
24 the actual PRA and try to see if there is a critical  
25 location where dropping the load can create a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 challenging situation.

2           You will always have, I assume, a  
3 transient. If you don't have a LOCA, you will have a  
4 transient.

5           MR. LLOYD: Right.

6           MEMBER APOSTOLAKIS: So the question is  
7 what else are you knocking off?

8           MR. LLOYD: Right.

9           MEMBER APOSTOLAKIS: And what happens  
10 then.

11          MR. LLOYD: Right.

12          MEMBER APOSTOLAKIS: It would be a nice  
13 exercise.

14          MR. LLOYD: Yes, there was another  
15 problem. We're really out of time, but there was  
16 another issue, 0612, the NUREG, initially indicated  
17 that when you had a heavy load going across a  
18 refueling floor or other places that you should go  
19 down a beam and to a lot of people that made sense,  
20 that that would appear to be the strongest part of the  
21 floor if you followed the beam.

22                 However, better calculations would  
23 indicate that you ended up with some horrendous  
24 shearing forces, so anybody that's worked on a  
25 broaching machine when you were younger and you would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually end up with a punching shear that would, if  
2 you dropped the load near a beam, you would have a  
3 much higher likelihood that you would go through that  
4 floor rather than if you dropped it at mid-stand.

5 So there's a lot of different thoughts  
6 about how things work that have really come up in the  
7 last few years. Better calculations.

8 MEMBER LEITCH: Before we run totally out  
9 of time, I'd like to jump to the last line if we could  
10 and talk about the recommendations.

11 MR. LLOYD: Sure.

12 MEMBER LEITCH: And I guess none of this  
13 seems to address training and qualification issues.  
14 And I'm a little surprised at that.

15 MR. LLOYD: Yes. Let me go through the  
16 recommendations. Over on slide 31, the basic  
17 observations, I think you could draw those same set of  
18 observations without any trouble. So if we look at  
19 slide 31 there were four of them that we came up with  
20 and once again these were just proposed  
21 recommendations and they're not set in concrete. We  
22 would like certainly your input as to what should be  
23 added or deleted. We will then come up with a  
24 document that would have those recommendations in it  
25 and then it would get submitted into NRR for whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance or regulation changes and corrective actions  
2 should be initiated.

3           So let me go through the four. The first  
4 one is the obvious one on the rigging issue, the  
5 materials. There had been a concern about the  
6 materials, how they might be changed, Kevlar versus  
7 nylon. They have different properties. Other rigging  
8 devices, same kind of situation, you know, should we  
9 want to change something, should we want to add  
10 additional requirements on licensees beyond what's  
11 already out there. We have a device, ANSI Standard,  
12 it's 14.6 that talks about a lot of these things, but  
13 it's not necessarily followed all of the time and  
14 because of where the loads might be. So there's those  
15 kind of issues surrounding the rigging area.

16           For the second bullet, right now, as I  
17 mentioned earlier, the NUREG 0612 and 0554 talk about  
18 single-failure-proof cranes and talks about good  
19 practices, talks about a lot of things, but a lot of  
20 it is fairly general in nature.

21           Endorsing the ASME standard, the NOG 1,  
22 that stands for Nuclear Overhead Gantry, for single-  
23 failure-proof criteria. It's very definite. It's  
24 specific. It has a lot of design criteria in it. It  
25 would take a lot of the interpretation out of what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really constitutes a single-failure-proof crane and  
2 what would need to be done in order to upgrade a crane  
3 to make it single-failure-proof. And since it's  
4 already an accepted standard it was initiated and  
5 accepted in 1998. Generally, it's NRC policy. If  
6 there is a standard out there, we would adopt that  
7 standard. So this would be an opportunity to add  
8 additional specificity to what really is a single-  
9 failure-proof crane and what are the design  
10 requirements.

11 For the third bullet, what it says here is  
12 re-emphasize NUREG 0612 Phase 1 guidelines. Phase 1  
13 guidelines talks about all of the issues that you were  
14 talking about here. It talks about all of the  
15 training issues, having adequate procedures. It goes  
16 on and on about good practices that should be  
17 developed and implemented in a crane program. So re-  
18 emphasizing the Phase 1 guidelines would take care of  
19 the lion's share of human factors issues that is  
20 really the bane to the crane industry.

21 MEMBER ROSEN: I'm not sure it would.  
22 Just because you say it doesn't mean anything. It  
23 would have to be put into the oversight program, the  
24 inspection program.

25 MR. LLOYD: Right, exactly. And that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we expect to happen in talking with NRR. So this  
2 inspection too would be part of the role and so we  
3 could actually see if licensees do have those kinds of  
4 attributes in their crane programs and that they're  
5 following those kinds of things in their crane  
6 program.

7 MEMBER ROSEN: As long as that's what you  
8 mean by "reemphasizing."

9 MEMBER ROSEN: Right.

10 MEMBER ROSEN: As long as that's what you  
11 mean, then I agree that it might have an impact. If  
12 you just say well, you must have forgotten to read  
13 NUREG 0612.

14 MR. LLOYD: Right. Yes. NUREG 0612 is  
15 out there and everybody refers to it, all the  
16 licensees refer to it. At the present time would not  
17 go out and inspect to verify that all these things are  
18 being accomplished as they should. It's basically  
19 outside of the basic role.

20 So the fix here would be here to add that  
21 in to ensure the NRC that those kinds of things are  
22 being adhered to.

23 MR. JONES: This is Steve Jones at the  
24 Plan Systems Branch of NRR. I do want to mention a  
25 little bit of operating experience that has come up to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 identify what's coming in through the reactor  
2 oversight process. One of the events Ron mentioned  
3 earlier was a dropped reactor coolant pump at one unit  
4 that was fortuitously caught. Recently, Region IV  
5 identified an issue at another plant involving a  
6 similar reactor coolant pump lift. Only this time  
7 there was -- the fuel only a few days decayed and  
8 still in the reactor vessel and obviously a 50-ton  
9 load is right over a portion of the RCS and also is  
10 planned to be carried over segments of RHR piping.  
11 The residents did raise that issue as part of the  
12 refueling inspection module, as part of the oversight  
13 process.

14 MEMBER ROSEN: Did they raise during the  
15 planning of the refueling or when the refueling was  
16 done? I mean did they prevent it is the question  
17 really.

18 MR. JONES: No, they didn't prevent the  
19 actual load lift from occurring and actually our rules  
20 don't prevent it. It's more a matter of managing the  
21 risk and in accordance with A4, the maintenance rule  
22 in that case because you're dealing with maintenance  
23 activities of replacing the reactor coolant pump and  
24 you can deal with the increased risk by ensuring that  
25 containment sump recirculation capability is available

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to re-inject water into the core and things like that.

2 I just wanted to highlight that we do have  
3 some lifts going on over significant components and  
4 the oversight process is picking that up.

5 CHAIRMAN BONACA: One thing that puzzles  
6 me, I mean there is a lot of good information in this  
7 report and what you have presented today and I guess  
8 I'm struggling with what should NRL do with it. And  
9 I think we are all struggling with this. That's what  
10 I sense in the committee here. And we don't know  
11 because this information is not going to NRR and we  
12 haven't got a decision on their part. So are we going  
13 to provide a recommendation of whether or not what we  
14 should do with this? I mean we all have ideas, but  
15 I'm not sure that it's our role at this stage. Or  
16 should we wait and ask NRR what they're going to do  
17 with it.

18 MEMBER APOSTOLAKIS: And all these refer  
19 to the initiating event.

20 MR. LLOYD: Trying to minimize the  
21 probability of having the initiating event which is a  
22 load drop in this case.

23 MEMBER APOSTOLAKIS: But if you did this  
24 risk evaluation, you may come up with something else  
25 that would complement this. So -- yes, it's an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unusual request, Mario, I agree. Are we asking us to  
2 come up with recommendations ourselves?

3 MR. FLACK: No, I think -- if I could just  
4 jump in for a minute. What Ron has done is really did  
5 a thorough investigation of the data that was out  
6 there and he consolidated it into a report and we, of  
7 course, interacted with NRR on a number of occasions  
8 and so there's no surprises here.

9 What we could see that what needed to be  
10 done and made sense to do is what Ron has put on the  
11 board, I guess at this point. The question that we're  
12 asking the Committee is saying we're going forward  
13 with this. This is what we see from all of this  
14 information. Is there anything else that comes across  
15 based on your own experience and your expertise that  
16 suggests that we should add something to the  
17 recommendations that we have to come across and if we  
18 have to re-emphasize and go back and visit another  
19 part of the report, gather that information to make a  
20 stronger basis, we can go ahead and do that.

21 I guess it's in that kind of light. We're  
22 given an opportunity for the Committee to comment on  
23 that and to provide a recommendation.

24 CHAIRMAN BONACA: I guess this is a  
25 generic issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FLACK: Right.

2 CHAIRMAN BONACA: And there is information  
3 being developed and provided to us and to the  
4 licensees. I'm not sure that that in and of itself  
5 will solve the issue for three reasons. One is really  
6 from just looking at the simple event tree, you can  
7 see conditions under which you would have a very  
8 challenging situation, but we don't have an  
9 appreciation for is this the absolute risk for any one  
10 given scenario. And so one is reminded of the  
11 question what else should we be doing? Maybe more  
12 should be done to resolve the issue, rather than just  
13 leaving it to improvement in procedures or training or  
14 whatever, because it hasn't seemed to have worked  
15 completely in the past. The situation has not  
16 degraded, but has not improved either. I mean there's  
17 a trend there saying you keep having drops.

18 MEMBER ROSEN: It's the likelihood of more  
19 shots on goal.

20 CHAIRMAN BONACA: So we could communicate  
21 that, that's one possibility.

22 MEMBER SIEBER: Other than the  
23 deterministic things of endorsing 0612 and maintaining  
24 your crane and equipment, there isn't much you can do  
25 short of modifying the plant, moving equipment around

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to lower the risk once all these deterministic things  
2 are done. And so the fact that none of these events  
3 of literally hundreds that have occurred have ever  
4 made it to the ASP program. They're all, at one time  
5 very minimal or lower. Maybe the risk really isn't  
6 there, but clearly people are getting killed.  
7 Equipment is getting damaged and there is some level  
8 of low level of risk there that at least in my mind  
9 says the Agency ought to do something. There is a  
10 Memorandum of Understanding, as I understand it,  
11 between the Agency and OSHA where NRC inspectors are  
12 OSHA inspectors under certain conditions and one of  
13 those conditions would be a crane event in  
14 containment.

15 CHAIRMAN BONACA: Maybe we have to ask how  
16 is this information going to resolve GSI-168? That's  
17 really what we would like to know and I haven't heard  
18 convincingly that it does.

19 MEMBER SIEBER: Well, it's not going to  
20 eliminate the problem, that's for sure, because it's  
21 dominated by human error. Unless you get rid of human  
22 beings, I'm not exactly sure how you get rid of human  
23 error.

24 MEMBER LEITCH: I don't know all that is  
25 in that -- implied in that third bullet, but I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we have to be real clear about training and  
2 qualification issues and there are a number of  
3 different kinds of folks that do rigging in a power  
4 plant. One is the power plant's own crew. Another is  
5 contractors that come in, often do some rigging. A  
6 third one is when you hire Joe's Mobile Crane, Joe --  
7 it usually comes with a crane operator and Joe does  
8 the job. And so are all those people properly trained  
9 and qualified for working in a nuclear power plant  
10 environment? I think we need to be sure that they  
11 are.

12 The other thing is when you bring in a  
13 mobile crane, is the crane itself properly qualified.  
14 Has it been inspected and does it pass all its  
15 qualifications? I don't know whether that's -- I'm  
16 sorry, I'm just not familiar with what you mean what  
17 is all included in that third bullet there. But I  
18 think it relates to the training and qualification  
19 issues is the biggest impact we can make for improving  
20 the safety, rather than the hardware kind of issues  
21 and the calculations and so forth. I mean they're all  
22 fine, but I think --

23 MR. LLOYD: The human --

24 MEMBER LEITCH: The real impact we can  
25 make is in training and qualification, the people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involved.

2 MEMBER ROSEN: I agree with you, Graham,  
3 but I think the business of calculation, although  
4 you've framed it very narrowly that this could be  
5 important in this sense. Hundreds of lifts are being  
6 done every day in the industry, maybe thousands.  
7 Which of those lifts really matter from a safe  
8 shutdown point of view? Which lifts should not be  
9 done in the mode they're being done in? And that's --  
10 the answer to that question is probably a small  
11 number, 10 percent of them should be done differently  
12 or done different modes or -- and it seems to me  
13 important to find out which ones and have the  
14 licensees know that and to have special attention on  
15 it. That situation is entirely analogous, in my view,  
16 to when we started doing detailed shutdown risk  
17 assessments. We realized, oh, my goodness. This is  
18 a period of time when we really ought to not being  
19 working on the ultimate train during hot early  
20 midloop, for instance, conditions in the PWR. That  
21 risk is simply avoided by better planning.

22 MEMBER APOSTOLAKIS: And if it's human  
23 error that is a dominant contributor, maybe for those  
24 few instances you can have checks and double checks.

25 MEMBER ROSEN: Just as we do at shutdown.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: To make sure that the  
2 rate is lower.

3 CHAIRMAN BONACA: I think clearly we've  
4 been running out of time, almost half an hour ago.  
5 And we need to come to conclusion about what is the  
6 Committee going to do with this information.

7 MEMBER APOSTOLAKIS: Well, are we going to  
8 discuss this this evening?

9 CHAIRMAN BONACA: At some point, yes.

10 MEMBER APOSTOLAKIS: The staff told us  
11 what they expect us to do.

12 CHAIRMAN BONACA: What?

13 MEMBER APOSTOLAKIS: The staff has told us  
14 what they would like us to do. And then we have a  
15 discussion this evening?

16 They said these are the recommendations,  
17 what do you think? Do you have any other ideas?  
18 That's what John said.

19 CHAIRMAN BONACA: These are the  
20 recommendations that would resolve the Generic Issues  
21 186.

22 MR. FLACK: Well, you have to look at the  
23 whole process and what's being implemented as a  
24 follow-on to these recommendations, but certainly if  
25 there was areas that needed to be re-emphasized or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 areas that needed to be brought forward as part of  
2 this, at this point in time --

3 CHAIRMAN BONACA: The reason why I'm  
4 asking the question is this has been brought to us as  
5 a survey of a crane operating experience and that's  
6 what it was. And not as a recommendation on how to  
7 close Generic Issue 186. I didn't sense it that way.  
8 I didn't see that this was the focus, that's a problem  
9 and that's how this is going to improve the situation  
10 to the point it's Generic Issue 186 is resolved. So  
11 I'm troubled by that. We can try to comment but it  
12 seems as if we need to see if we feel this is an  
13 adequate resolution of the issue. Is it the question?

14 MR. FLACK: Well, it's one point in a  
15 phase that's taken place and that phase was the data  
16 analysis, the understanding of the data, the  
17 generation of the recommendations.

18 The second phase will be implementation  
19 and then the implementation phase which as Ron had  
20 pointed out would be NRR's phase would then go forward  
21 and decide to do something and constitute resolution  
22 of this issue.

23 I guess the question then would be does it  
24 look like based on these recommendations there's a  
25 success pass there or is there something else that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be considering in this process?

2 MEMBER SIEBER: The interesting thing  
3 though is that you've made four recommendations to NRR  
4 or suggesting them where you are right now. The  
5 question is when NRR takes those recommendations and  
6 says okay, I think we'll do these, do you believe in  
7 your heart that doing just what you said you would do  
8 on that slide will result in reducing or eliminating  
9 crane errors and crane risk?

10 MR. LLOYD: What has been done so far is  
11 we've proposed the four recommendations, certainly for  
12 you to take a look at. It's already been discussed  
13 with NRR as areas that would certainly minimize risk  
14 and reduce the number of events that could cause some  
15 damage to the plant and certainly affect the health  
16 and safety of the public.

17 Now how NRR would implement those. They  
18 would have to take these generic kinds of  
19 recommendations that we have proposed and NRR then as  
20 part of Stage 4 would have to come back and say here  
21 specifically is what we plan to do and here's the  
22 vehicles, i.e., we're going to come up with new  
23 guidelines. We're going to change the inspection  
24 program so we can verify that people are doing things.  
25 We may right some kind of a generic communication of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 risk, a generic letter, a bulletin. We may gather  
2 additional information. We may go to the point where  
3 additional rules or regulations that NRR may feel  
4 would be necessary. Basically, it's up to NRR at that  
5 point to come up with the specifics as part of Stage  
6 4. Those specifics then would have to get approved,  
7 basically, before they could go on and actually get  
8 issued.

9 MEMBER SIEBER: One of the interesting  
10 things though is that where you stand right now, the  
11 force of regulation happens to be a 20-year-old NUREG  
12 and a generic order, neither one of which are  
13 regulation.

14 MR. LLOYD: Right.

15 MEMBER SIEBER: And so licensees --

16 MR. LLOYD: They're guidelines.

17 MEMBER SIEBER: Yes, they're guidelines  
18 and licensees have this moral obligation to follow the  
19 guidelines but they don't have a legal obligation to  
20 do any of it.

21 MR. LLOYD: Exactly.

22 MEMBER ROSEN: I have another thought also  
23 which is that on your Slide 29, your summary of the  
24 observations that the human error rate is increased  
25 and major load drops are occurring outside safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 related areas, mobile cranes and loss of power events  
2 have occurred and no ASP crane events. It seems to me  
3 you haven't made a nexus to risk. In other words, you  
4 haven't made the risk argument that says if you do  
5 this, you have to say and therefore, the risks are  
6 increased beyond what we consider to be within the  
7 design envelope and something needs to be done.

8 MEMBER SIEBER: I think they have made the  
9 connection but the risk, the way I read it is pretty  
10 small.

11 MR. FLACK: That's what I think it's  
12 leading to. I mean we are looking for that smoking  
13 gun, you might say, through this process, and I think  
14 what Jack said is quite correct. It's that we're  
15 looking at some level of error, some operation that  
16 has this experience. We thoroughly went through it  
17 looking for that type of connection, that nexus and  
18 because we didn't find it, it doesn't necessarily mean  
19 we're down the wrong path. I think there are things  
20 that are going to need changing. We have to be  
21 careful about that, but I think the answer is yes,  
22 from what we could see and the time we really looked  
23 at this issue hard and it's been a hard look. There's  
24 a lot that went into it. We have come forth and said  
25 yes, if they need these kinds of things that we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 written down here, we feel that that's the best we can  
2 do right now and that we should go forward with that.  
3 We didn't see that we could see that connection which  
4 you would want to tie it to something, where the risk  
5 is that big.

6 MEMBER ROSEN: But someone could come back  
7 to you and say I have a lot of risks around my plant.  
8 This is one of them. And I've assumed that risk and  
9 we're trying to do the best we can, but I'm not going  
10 to put a lot more resources on this because it's not  
11 -- I don't have the clear understanding that this is  
12 one of the higher risk items. I don't think we have  
13 the data in front of us to address that.

14 MR. FLACK: But at a generic level now as  
15 well. There could be very specific issues that one  
16 would have to look at specifically, but at the generic  
17 level which is where we're looking at it now, we  
18 cannot move on that.

19 CHAIRMAN BONACA: I think we have enough  
20 information --

21 MEMBER SIEBER: Let me ask one tiny  
22 question since I've got to write the letter. It will  
23 take less than 60 seconds.

24 MEMBER APOSTOLAKIS: You can write letters  
25 in 60 seconds?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: No, I can ask the question  
2                   in 60 seconds. The question is you talk about the  
3                   ASME standard for single failure cranes. It seems to  
4                   me the only place where a licensee is required to have  
5                   a single-failure-proof crane is when he is committed  
6                   to the FSAR, no other way. And so I can't envision  
7                   somebody modifying a crane since it makes no risk  
8                   difference to make it single-failure-proof unless  
9                   they're already committed. So this is just an  
10                  enforcement tool, right, when you endorse the standard  
11                  and say this is what this really means?

12                  MR. LLOYD: Yes. If we endorse the  
13                  standard, this would clarify what a single-failure-  
14                  proof crane is, either upgraded or purchased new.  
15                  What a single-failure-proof crane does get for you,  
16                  you can move it. Move objects, move loads over  
17                  safety-related equipment because you have a redundancy  
18                  and so it allows more operational freedom for  
19                  licensees. Most of the ISFSIs are going to single-  
20                  failure-proof cranes, so they can do that. If you  
21                  don't go to a single-failure-proof crane, well, then  
22                  you're into the load consequence analysis. Am I  
23                  operating? Well, maybe I shouldn't do this at  
24                  operations. I should do it at shutdown or I shouldn't  
25                  do it in this area of the plant. I can do it in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area of the plant.

2 Going to a single-failure-proof crane  
3 gives licensees more flexibility in what they can do.

4 MEMBER SIEBER: Thank you. The question  
5 was 60 seconds. The answer was longer.

6 (Laughter.)

7 I'll turn it back to you, Mr. Chairman.

8 CHAIRMAN BONACA: Okay, thank you very  
9 much. I think we have enough information to discuss  
10 later on, if we are going to write a letter and what  
11 kind of a letter we're going to write. And with that  
12 I think taking a 15-minute break until quarter of 3?

13 (Off the record.)

14 CHAIRMAN BONACA: All right, we will  
15 resume the meeting now. And the next item on the  
16 agenda is draft final review standard for reviewing  
17 core power uprate applications.

18 And Vic Ransom is going to walk us through  
19 this presentation.

20 MEMBER RANSOM: Well, the review standard  
21 for extended power uprates dates backs to some  
22 discussion, I guess, between the staff and the ACRS in  
23 the 2000-2001 timeframe, when quite a number of  
24 applications for power uprates were going through.

25 And, the ACRS had suggested considering --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issuing a standard. Or, I guess, discussions went on  
2 between the staff and the ACRS. And, at that time,  
3 the ACRS -- I mean, the staff didn't feel a standard  
4 review plan was really necessary, but they agreed to  
5 revisit that later.

6 And, in a meeting on December 5<sup>th</sup>, 2001,  
7 the ACRS did suggest to the Commissioners that a  
8 review plan be developed and the Commission issued an  
9 SRM to the staff.

10 The staff responded to that, saying they  
11 would look into it. And then in March 2002, the staff  
12 held a public workshop. The response to that workshop  
13 was that there was general agreement that a standard  
14 would be helpful to submitting uprate reviews.

15 Then in June of 2002, SECY 02-0106 was  
16 issued, which laid out the plans for such a review.  
17 I might mention that the ACRS' main concerns  
18 originally were that synergistic effects, possible  
19 interaction between other licensing issues and the  
20 uprate licensing and margin reduction, and then the  
21 adequacy and consistency of the uprate reviews thought  
22 could be improved.

23 Then the staff actually held this  
24 workshop, then they came back to the ACRS in December,  
25 when they issued the first draft. And, well I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the first time you discussed it was July 2002.

2 You actually came and showed us the  
3 outline and told us what you were planning to do.  
4 Then in December, the revised review standard was --  
5 or the review standard, draft review standard, was  
6 issued for review.

7 And, more recently, the Thermal Hydraulics  
8 Sub-Committee of the ADCRS met and spent a full day  
9 going over this with Mohammed Shuaibi and his staff.  
10 And this is more or less a summary that came out of  
11 that.

12 Generally, the review standard was well-  
13 accepted by that committee, and they thought it would  
14 be good to go ahead. There were some concerns which  
15 came through.

16 The two immediate concerns that kind of  
17 resonated through the committee was their -- some  
18 variation from section to section, relative to the --  
19 whether or not independent calculations were required  
20 or not.

21 Some sections went so far as to even  
22 suggest that they were not required, and the committee  
23 had some difficulty with that. The second concern  
24 related to the criterion for determining when integral  
25 system transient tests would be expected or required.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This also was a concern expressed by  
2 industry stakeholders, but somewhat from the extent  
3 from their perspective, I guess, the costs associated  
4 with that.

5           Whereas I think the committee felt that  
6 some testing certainly could be carried out and would  
7 be beneficial. The committee has also expressed  
8 concern about synergistic effects from the outset.

9           And I don't believe this is an area that's  
10 explicitly covered in the review standard as it is  
11 right now, but it may be a point of discussion. So,  
12 with that, I'd like Mohammed to proceed.

13           MR. MARSH: Great, may I have a couple of  
14 introductory comments? Good afternoon, my name is Tad  
15 Marsh, Director of the Division of Licensing Project  
16 Management.

17           And before I begin, I want to introduce  
18 Eric Leeds, who's our new deputy, the Division of  
19 License and Project Management. We welcome him. I  
20 welcome him. I'm glad he's here every day, so...

21           You've given most of the introductory  
22 material that I wanted to begin with, so I've got a  
23 couple more things to add, but it's going to be a lot  
24 shorter than all these papers.

25           So, the main purpose for today's briefing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is to present to the full Committee the review  
2 standard, what we have done in order to develop it,  
3 some of the significant comments that we have received  
4 and we want to address some of the Sub-Committee's  
5 concerns.

6 I just want to re-emphasize the purpose  
7 for the review standard - I think that's important.  
8 As you recall, we undertook this initiative to provide  
9 a mechanism for retaining institutional knowledge  
10 before it is lost, in terms of retirements and staff  
11 moving on.

12 We also believe that the review standard  
13 will provide a better structure for our reviews. As  
14 you recall in some of the earlier power uprate  
15 reviews, you were concerned with the documentation of  
16 our reviews.

17 You were concerned about the thoroughness  
18 of some of our evaluations. You were concerned about  
19 the variance that we had from one review to the other.  
20 And as you pointed out, you commented that a review  
21 standard of some sort may be beneficial.

22 This -- you put it in the terms of a  
23 standard review plan. This is more than a standard  
24 review plan. Just for minute - standard review plans  
25 are normally associated with individual program areas,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 individual systems or structures or components or  
2 branch orientation.

3 This standard is beyond that. This  
4 standard incorporates the full scope and the full  
5 breadth of branches and topics and issues that need to  
6 be reviewed, in order for our uprates to be  
7 efficiently reviewed.

8 It also brings an operational experience,  
9 it brings in resources - it's a tool that we think is  
10 going to be very helpful for us, in adding efficiency  
11 to our review.

12 Carrying forth information from one  
13 generation to the next is a very important part for us  
14 too - we have a lot of new staff at the agency. NRR  
15 has about 50-60 interns every year that come through.

16 So teaching and training and capsulizing  
17 this process is important to us. And I will also  
18 mention -- I mentioned to you, Mr. Chairman, we're  
19 going to be briefing the Commission October 15<sup>th</sup>, on  
20 power uprate reviews.

21 They've asked for that as a part of our  
22 presentation, so we'll be talking about the review  
23 standard in that context too. I'd also like to  
24 mention that Vermont Yankee has submitted their power  
25 uprate for 20 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Although it is not yet received, it is in  
2           the mail and on it's way. So, Mohammed, let me go to  
3           slide two, please. Slide two is the agenda for  
4           today's meeting.

5           And, as you can see from this agenda,  
6           we're going to try to cover the comments that we  
7           received from the Committee in previous meetings,  
8           including the ones we received during last month's  
9           Sub-Committee meeting.

10           Based on the feedback that we received  
11           during this meeting, we will be addressing the  
12           guidance for the independent calculations. And we'll  
13           show you a set of new guidance that we developed for  
14           use by all the reviewers.

15           We understand the Committee was concerned  
16           that he guidance, including the draft review standard  
17           that we sent to you, could have been perceived to  
18           limit the scope of analysis a reviewer can  
19           independently perform.

20           That was not our intent, that was merely  
21           an effort to provide circumstances where it would be  
22           warranted to do independent work, as opposed to a full  
23           articulation of the circumstances.

24           It was meant to be a jumping off point.  
25           We'll also discuss comments we've received from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee on the way we perform our risk evaluations.  
2 And, in addition, we will discuss the guidance we've  
3 developed for power uprate testing, and the rationale  
4 we use when we developed this guidance.

5 We also have staff available here to  
6 discuss any other areas and answer any questions that  
7 you may have. With that, I'd like to turn the  
8 presentation over to Mohammed and his staff.

9 MR. SHUAIBI: Thanks Tad. Good afternoon.  
10 My name, for the record, is Mohammed Shuaibi. I'm the  
11 lead project manager for power uprates at NRR. To my  
12 left, I have Kevin Coyne.

13 Kevin Coyne is our operations engineer,  
14 and he was one of the leads in developing the standard  
15 review plan section for power uprate testing. To my  
16 right, I have Donnie Harrison.

17 Donnie is the senior reliability and risk  
18 analyst, and you've seen him before - he usually  
19 performs reviews in the risk area for power uprates.  
20 What I'd like to do -- I have a few slides in the  
21 beginning of my presentation that go over how we came  
22 up with the new review standard, and what it contains.

23 And we've done this three times with the  
24 Committee, so if you'd like, if it's okay with you,  
25 I'd like to move on to the comments. Is that okay?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Okay.

2 So, starting on slide number six, there  
3 are several slides that are inserted without numbers -  
4 that's part of an animation, the slide that's numbered  
5 on the bottom right, number six.

6 We issued the review standard in December  
7 of 2002 for a three-month public comment period. We  
8 issued it for interim use and public comment. The  
9 public comment period closed on March 31<sup>st</sup> of 2003,  
10 and we received three comment letters, all from  
11 industry.

12 We received a comment letter from the  
13 STARS Alliance - it's an alliance of six nuclear power  
14 plants. Actually, 11 units - six plants, 11 units. We  
15 received a letter from the Nuclear Energy Institute,  
16 and we also received a letter from Framatome ANP.

17 In total, I think we had about 22  
18 comments. Okay, on this slide, I have a summary of the  
19 public comments that we received. And I'll talk to  
20 every one of these briefly, and then we'll move on to  
21 the ACRS comments.

22 We had comments related to the backfit --  
23 the potential backfit that could happen, as a result  
24 of this review standard. As you've seen in the review  
25 standard, we referenced their review plans, general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design criteria, other generic communications that may  
2 not be part of the licensing basis of a plant.

3 And there was a concern that we would be  
4 imposing those on the plants, as a result of a power  
5 uprate. And that wasn't our intent, so we clarified  
6 that in the review standard.

7 We received comments on the burden of  
8 completing matrices. I'm sure you've read in the  
9 review standard, we've requested that licensees go  
10 through the matrices that we have in section 2 of the  
11 review standard, and complete those to provide their  
12 plant-specific licensing basis and as part of their  
13 application.

14 And there were concerns with the burden  
15 associated with that on the licensee. And we believe  
16 that that is important for them to do that, when they  
17 submit their applications, to improve the efficiency  
18 of our review.

19 So, we've kept that in there. There was  
20 a comment about independent calculations. The comment  
21 talked about the staff's ability to always perform  
22 independent calculations, or audits, if it needed to.

23 Therefore, we didn't need guidance in that  
24 area. We disagree with that - we believe it's  
25 appropriate to have guidance in that area for people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to know that they could --

2 MEMBER WALLIS: We said we liked the  
3 guidance.

4 MR. SHUAIBI: I'm sorry?

5 MEMBER WALLIS: We said we liked the  
6 guidance, when you gave it. What we didn't like, was  
7 the kind of guidance which said these calculations are  
8 not done. We liked the guidance when we saw it in  
9 some of the sections where it seemed to give very good  
10 reasons for doing these calculations.

11 MR. SHUAIBI: Right.

12 MEMBER WALLIS: But we didn't say we  
13 didn't like having guidance.

14 MR. SHUAIBI: Right, Doctor Wallace, I'm  
15 addressing the comments that we received from the  
16 public --

17 MEMBER WALLIS: Oh, from the public..

18 MR. SHUAIBI: -- first, right.

19 MEMBER WALLIS: Oh, we're not the public,  
20 okay, I see.

21 MR. SHUAIBI: Your comments are a little  
22 bit later.

23 MEMBER WALLIS: I'm sorry, I'm sorry, I  
24 thought you were covering all the comments in one.

25 MR. SHUAIBI: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER ROSEN: He wasn't a member of the  
2 public who commented?

3                   MR. SHUAIBI: I don't know.

4                   MEMBER RANSOM: What was their concern  
5 about need for independent calculations? That they  
6 would have to supply my data? What's that?

7                   MR. SHUAIBI: They talked about the extent  
8 of work that would be required to do independent  
9 calculations. But, really, the comment was more  
10 towards, well you don't really need criteria for  
11 determining when you needed independent calculations -  
12 the staff always has that ability.

13                   The staff can decide to do independent  
14 calculations, come out and do audits whenever they  
15 want to. So you don't need criteria for that. But we  
16 thought it would be -- it's useful to have that  
17 guidance in there, to tell the staff that -- you know,  
18 don't hesitate to go out and do independent  
19 calculations, if you feel it's needed.

20                   And, initially, we did start. We did have  
21 specific criteria. We kind of backed off, and I'll  
22 discuss that a little bit when we get to the ACRS  
23 comments that we received last time.

24                   MEMBER RANSOM: But this part you've left  
25 alone?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: Independent criteria?

2 MEMBER RANSOM: Right.

3 MR. SHUAIBI: The calculations? No, we  
4 have actually changed that, based on the comments we  
5 received from the Sub-Committee. We still have -- we  
6 will still have guidance for independent calculations  
7 and all of that.

8 But it's different than what we had last  
9 time, based on the comments that we received. And  
10 they will be applicable to everybody. It'll be one  
11 set of independent calculations - guidance.

12 But we've got another set of comments on  
13 the use of precedence. They felt it was important to  
14 identify precedence where it exists, and we agreed  
15 with that and referenced the --

16 MEMBER WALLIS: Mohammed, I'm sorry to  
17 keep on with this. Are you going to give us the list  
18 of what these criteria are then? Instead of saying,  
19 there will be these criteria --

20 MR. SHUAIBI: Yes.

21 MEMBER WALLIS: You will, okay.

22 MR. SHUAIBI: Yes, I could --

23 MEMBER WALLIS: That's okay, I just wanted  
24 to be aware - I didn't see it here, but maybe I missed  
25 something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: It's third slide from the  
2 back.

3 MEMBER WALLIS: We'll get to it, good,  
4 thank you.

5 MR. SHUAIBI: All right. Use of  
6 precedence, we had comments that indicated it was  
7 important to have precedence, previous power uprates  
8 that we've done - and we agree with that, and included  
9 that in the review standard.

10 We included a reference to our website.  
11 Our website includes a lot of precedence references to  
12 where REI's -- what REI's were issued on previous  
13 power uprates, so we included a reference to our power  
14 uprate website.

15 There were comments about the impact of  
16 this review standard, on topical reports. And the  
17 Committee's aware that vendors have topical reports  
18 for power uprates, particularly General Electric.

19 And the concern was, well could there be  
20 inconsistencies between the review standard and the  
21 topical reports, and what does that mean in terms of  
22 the topical being approved.

23 We don't believe that we would have  
24 inconsistencies. A lot what the topical does -- the  
25 topical reports do, is they provide generic analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in some cases, or provide a, kind of a, scope of what  
2 is included or not included.

3 And this should be consistent with the  
4 topical reports. And we expect that anywhere where  
5 there has been generic analysis, that show that an  
6 area is not important, that an applicant could use a  
7 review standard and reference those topical reports to  
8 show that those areas don't need to -- we don't need  
9 to focus a whole lot of attention -- don't need to  
10 spend a whole lot of resources reviewing that, if  
11 those are applicable.

12 Of course, they would have to demonstrate  
13 that that's applicable to their point. We got  
14 comments saying that we went through a thorough  
15 process in coming up with this review standard.

16 We went out to, for public comment, we got  
17 comments from industry on the review standards so they  
18 were comfortable with the way we did this. But  
19 they're not sure how we would make changes to it, or  
20 how we would develop other review standards.

21 And that's a valid comment, and we will be  
22 developing an office instruction - we've committed to  
23 develop an office instruction on how we would update  
24 it, and provide thresholds for when it would be  
25 appropriate to go out for public comment, or come to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ACRS or engage any of our other stakeholders.

2 We got comments indicating that it would  
3 be a good idea to use the review standard as a pilot  
4 for the first few applications, or the first  
5 application. We agree with that, but we like to think  
6 of this review standard, and we want it to be a living  
7 document that gets updated with every application, if  
8 you will.

9 So, we don't want to call it a pilot.  
10 We'll use it on Vermont Yankee, as Tad mentioned  
11 earlier. And if we learn anything, we'll come back and  
12 update it.

13 If we need to include more, or take things  
14 out, we'll come back and make those changes. We  
15 received comments that it would be appropriate to  
16 include information related to management oversight of  
17 a power uprate review in the review standard.

18 We don't think it's appropriate to include  
19 that in the review standard. We have an effectiveness  
20 and efficiency plan, which the review standard is only  
21 one part of, or one piece of, for power uprates.

22 That effectiveness and efficiency plan, as  
23 part of that we send out reports to our supervisors  
24 and managers on status of power uprates. We also  
25 engage our management when we need to, when issues

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       come up.

2                   And as part of that, we believe it's  
3       appropriate to include that kind of guidance, but not  
4       as part of the review standard. We got comments  
5       indicating that we need better criteria for what an  
6       acceptance review is, what level of detail are we  
7       looking for.

8                   We, in the review standard, indicated that  
9       the reviewer would look at the application, and see if  
10      there is sufficient detail - and that's why I have  
11      that in quotes, to continue the review.

12                  I want to say, we haven't had problems in  
13      these areas in the past, so we don't think it's  
14      necessary to change what we have right now. But if we  
15      have problems in the future, we can always go back and  
16      look at that.

17                  We got comments that wanted us to go back  
18      and evaluate the resulting review costs, or REI  
19      savings, in the future as a result of this effort.  
20      What I want to note here is, we expect that if  
21      licensees follow this review standard, that REIs will  
22      go down.

23                  In terms of cost, I can't say that this  
24      review standard is going to reduce the cost. We have  
25      a lot of things covered in this review standard, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very broad, as you can see.

2 Again, we have the effectiveness and  
3 efficiency program, which we will monitor the reviews  
4 and see how we're doing REIs or cost. But issuing  
5 this review standard isn't -- wasn't necessarily to  
6 reduce costs.

7 We had a lot of things on the table, we  
8 wanted to make sure we had a comprehensive, complete  
9 review, a thorough review. So, there's a lot of  
10 things that we considered when we put this thing  
11 together.

12 But I do expect that REIs would go down,  
13 if it is followed. There were comments -- a specific  
14 comment related to the need for the staff to review  
15 training of non-licensed print staff.

16 And the comment suggested that we  
17 shouldn't do that, and we disagreed with that. We  
18 believe it's important that we look at the impact of  
19 power uprate, not only on the operators, but also on  
20 non-licensed plant staff and what they have to do -  
21 modifications or system lineups or whatever it is that  
22 they usually do at the plant.

23 There was a comment that recommended that  
24 we have a stand-alone references section in the review  
25 standard. The review standard itself is a document

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that references documents.

2 It is not a technical document, per se, it  
3 doesn't have technical information in it that says,  
4 here's how you would review a local, or here's how you  
5 would review anything else.

6 So, being that it's a reference document  
7 itself, we didn't think it was necessary to include a  
8 references section in the review standard - it's  
9 already that kind of document.

10 We received a comment that suggested that  
11 more important than a review standard, is establishing  
12 a standard application format. That would mean our  
13 licensees would be using a standard format in  
14 submitting their applications to us.

15 And we agree with that comment, and we  
16 hope that the industry will take on that initiative.  
17 And they could use the review standard as a starting  
18 point in putting one together.

19 But we believe that that is something for  
20 them to do though. We received one comment, and it  
21 talked about NRC fee billing practices. It talked  
22 about a break-down of the billing associated with  
23 reviews.

24 But it also acknowledged that this is  
25 being pursued separately with a different group. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we believe that that is the right group to address  
2 that, so we didn't do anything with that comment.

3 MEMBER WALLIS: Mohammed, the standard  
4 that we've reviewed, the draft that we've reviewed at  
5 the Sub-Committee meeting, had everything in it that  
6 you just discussed, is that correct?

7 MR. SHUAIBI: The draft review standard  
8 that was sent prior to the Sub-Committee meeting  
9 addressed all of the public comments that we received.

10 MEMBER WALLIS: Okay, yes.

11 MR. SHUAIBI: Right.

12 MEMBER WALLIS: Okay, thank you.

13 MR. SHUAIBI: We had, I believe, sent a  
14 copy of the original draft that went out to the public  
15 for comment, before that, but it was different.

16 MEMBER WALLIS: Yes.

17 MR. SHUAIBI: Yes.

18 MEMBER WALLIS: You'd have to look pretty  
19 hard to find the difference, though, sometimes.

20 MR. SHUAIBI: Well, the comments were not  
21 that significant, I don't think. I mean, I've just  
22 run through all of the comments that we received.  
23 And, other than changes due to organizational changes  
24 that we've had, you've seen some matrices that were  
25 split a little differently.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Containment came out of plant systems, and  
2 now they've got their own section - that's because we  
3 had an organizational change and a few paragraphs that  
4 were added to the purpose section of the review  
5 standard - there wasn't really a whole lot of changes.

6           Moving on to ACRS comments... I have a set  
7 of slides on the ACRS comments that we received during  
8 review -- during your review of the previous power  
9 uprates.

10           And then following that, I'll talk about  
11 the ACRS comments we received from the Sub-Committee.  
12 In terms of comments that we received on prior --  
13 previous power uprates, we received six letters.

14           And I have the reviews associated with  
15 those -- those letters were associated to, here on  
16 this slide: Duane Arnold, Dresden, Quad Cities,  
17 Clinton, ANO-2, the GE Constant Power Uprate topical  
18 report, and Brunswick.

19           So, we went back, looked at those letters,  
20 extracted the comments from those letters and tried to  
21 address those - and I'll go over those here. On the  
22 first page, I have a list of items that the ACRS had  
23 indicated were important for power uprate review.

24           And we believe that the review standard  
25 addresses these. On the next slide, I have other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific comments that we received from the committee.  
2 They were comments related to documentation of our  
3 reviews.

4 You were concerned about how much we were  
5 writing, and I guess the level of justification we  
6 were providing for finding something acceptable. And  
7 the review standard now contains two template safety  
8 evaluations.

9 One for pressurized water reactors, and  
10 one for boiling water reactors. And the intent there  
11 was to clarify what we're reviewing it, and come up  
12 with standard language for a regulatory evaluation  
13 section, which is why we review it.

14 A conclusion section, which is a finding  
15 that the reviewer has to make. And then we leave a  
16 technical evaluation section for the technical  
17 reviewer that performs a review, to focus on.

18 So, now they don't have to bother with the  
19 other two sections - they could focus on the technical  
20 reasons for why something is acceptable. And that's  
21 why we did that.

22 We're hoping that that will improve the  
23 documentation of the reviews.

24 MEMBER POWERS: That makes it a much more  
25 readable and understandable document.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: We're hoping that that's  
2 what will happen. And we're hoping it'll also  
3 standardize our safety evaluations. I believe we even  
4 have guidance in there that says, if an area is not  
5 important, don't delete the topic - just say it's not  
6 important.

7 If it's not relevant, don't delete that  
8 section. So we could stay with the standard format.

9 MEMBER POWERS: It gets all legalize out  
10 of the way, and you can focus on the technical stuff.

11 MR. SHUAIBI: Right.

12 MEMBER POWERS: And still claim you have  
13 a comprehensive -- a complete document. That's all,  
14 very good.

15 MR. SHUAIBI: Right. The second bullet on  
16 this slide talks about communication with the  
17 inspection staff. There are two things that we did in  
18 the review standard to address inspections.

19 One is section four of the review  
20 standard, includes a reference to an inspection  
21 procedure that we developed for power uprates,  
22 actually large power uprates.

23 And the other thing is we included a  
24 section in the template safety evaluation, where  
25 reviewers can indicate areas that they believed were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important, as part of their review, so that the  
2 inspector at the site could identify those and sample  
3 from those if they believe it's important to do that,  
4 or if they --

5 In other words, the inspector at the plant  
6 could understand what went through our minds back here  
7 when we did the review, and they could have a better  
8 feel for what's important and what to look for.

9 MEMBER WALLIS: The example you came up  
10 with in the first -- at looking at the various reviews  
11 that have been done, I mean there were a couple them  
12 where it was clear that there was an assumption and a  
13 prejudice built in.

14 It was just necessary to flag it. What  
15 you've done is gone beyond flagging it, to say why you  
16 came to the conclusion that those assumptions or  
17 predications on the conclusion were so important.

18 MR. SHUAIBI: As part of the documentation  
19 for the inspection, or as part of the technical  
20 evaluation?

21 MEMBER WALLIS: The technical evaluation.

22 MR. SHUAIBI: The technical evaluation, we  
23 would want to identify the importance and why it's  
24 important. In the inspection, I have to go back and  
25 look, but I believe it's provide the areas that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believed were important.

2           Okay, the next bullet, again, this is your  
3 recommendation to develop a standard review plan. It  
4 came up in several letters, and we've developed a  
5 review standard.

6           So we believe we've done that, and even  
7 more, in providing process guidance. You had comments  
8 related to reviewing, or focusing on, transition  
9 reload safety analysis.

10           And we are looking at that. We've  
11 actually issued a letter to GE recently, that said  
12 that we expect analysis to be bounding. And we are  
13 now -- every time we meet with a licensee, we talk  
14 about a plant that wants to go through two or more  
15 steps -- more than one step, and this issue comes up  
16 every time.

17           So, we are focusing on what the  
18 differences would be, or what the impacts would be.  
19 There were comments related to need for more detail  
20 for hydraulic models.

21           And this is an area where as a regulator  
22 we struggle. We would love to have the most up to date  
23 models, realistic models. But where we come out, as  
24 long as the model that they're using is conservative  
25 and acceptable, that's what we look for.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If it's acceptable, we can do our review  
2 based on that, even though we would like to have the  
3 more realistic model.

4           MEMBER WALLIS: I think that it applies in  
5 with your fourth bullet, of course, that if you're  
6 going to have all these really complicated load  
7 patterns, then you have the ability to analyze those.

8           MR. SHUAIBI: Yes.

9           MEMBER WALLIS: When you don't have the  
10 ability to follow the thermo-hydraulics or the  
11 complicated load patterns, then I agree that it's hard  
12 to do today, but it really ought to be -- they ought  
13 to be consistent.

14           It's hard to tell just how hard  
15 conservative something is, when you've got these  
16 really complicated tailor-made reload patterns.

17           MR. SHUAIBI: Well, our review is to  
18 determine whether we can make the finding that it's  
19 still applicable or not, or if it's still good or not.  
20 And if we can reach that conclusion, of course, we  
21 would then, based on that, find it acceptable.

22           But I'll also add that plants and  
23 licensees are going to more detailed models anyway.  
24 I think we touched on that a little bit. For their  
25 own reasons, because margins and because they need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 go to more realistic models and better models to get  
2 larger power uprates or other things that they're  
3 planning at their plants.

4 The last three bullets, I'd like to touch  
5 on a little bit later, because we've got comments on  
6 those from the Sub-Committee. We did develop guidance  
7 for all three of those.

8 We came to the Sub-Committee and we got  
9 comments on the guidance that we developed. What I'd  
10 like to do is defer these until later. I have three  
11 slides - one each for each of these topics.

12 Again, we presented the review standard to  
13 a Sub-Committee on August 19<sup>th</sup>, and we received  
14 several comments from the members. And on the  
15 following slide, starting with slide 13, I have a  
16 listing of the comments that we received during that  
17 meeting.

18 The first bullets talks about the dryer  
19 failure at Quad Cities. We had quite a bit of  
20 discussion on that failure. And where we are today,  
21 is we're looking at -- actually, we did send out an  
22 inspection team, to the site, to look at the  
23 licensees' corrective actions and the changes that  
24 they're making to their dryers.

25 Quad Cities was actually held down for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some time, until they volunteered to stay down at the  
2 old power level until they've resolved this issue  
3 that's since come up.

4 We had a team out there that looked at the  
5 corrective actions, the changes that they've made.  
6 We've had a meeting with Exelon and General Electric  
7 to discuss this dryer failure.

8 Where we are right now, is we're following  
9 the General Electric and industry actions, whatever  
10 actions they're going to take to evaluate. If there's  
11 anything in addition to that, that we would need to  
12 take as a regulator.

13 So we're evaluating our options, in terms  
14 of what we need to do. In other words, to make sure  
15 that these things don't happen again. We're getting  
16 an application, or we should have an application here  
17 from Vermont Yankee, shortly, and they have told us  
18 that they're going to address this dryer failure on  
19 their application.

20 So we'll be looking hard at that, to make  
21 sure that we understand what happened, and how they  
22 addressed it for their plant. We're looking broader  
23 than dryers.

24 We're not just looking at dryers, we're  
25 looking at other areas that are effected by higher

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flows. As you recall, this was a flow-induced  
2 vibration issue.

3 We're looking at other compliments and  
4 boilers. We're looking at PWRs, we're not ruling out  
5 PWRs, if there is a reason for us to go and look at  
6 PWRs and issue guidance there, we of course would do  
7 that.

8 The next bullet is the effects of  
9 increased flow on effectiveness of noble chem  
10 applications. That came up during the Sub-Committee  
11 meeting. And I'm not an expert in this area, but I  
12 did consult with our experts.

13 And I think I have people here to address  
14 that. Licensees have programs to address inter-granule  
15 stress corrosion cracking. And the way that, I  
16 understand, this works is it includes periodic  
17 electro-chemical potential measurements, or secondary  
18 parameter measurements.

19 It includes monitoring a surveillance  
20 specimen for noble chem film integrity, and component  
21 inspections. And, as a result of monitoring,  
22 licensees will make adjustments to the hydrogen  
23 addition, or the re-application of noble chem, if it's  
24 necessary.

25 Based on our understanding of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 programs, we don't believe that anything more needs to  
2 be done, or that we need to do any more in terms of  
3 our review of this area -- in this area.

4 And, like I said, I'm not an expert in  
5 this area. But if you have any questions, I believe I  
6 have someone here that could address that.

7 MEMBER WALLIS: I think our previous  
8 concern was particularly about the noble chem feature.

9 MEMBER POWERS: I'm not 100 percent sure.  
10 I would suspect that part of it is that there's a  
11 relationship between the critical ECP that you have to  
12 get, in order to get protection and the flow rate.

13 And so, although I would somehow think  
14 that -- I just don't know how much the flow -- what  
15 the flow-in velocity increase in the core is, to know  
16 whether it's almost within the noise of the  
17 correlation that one has.

18 I mean, the flow rate does go up. How  
19 much does it go up?

20 MEMBER SHACK: It does not go up so much,  
21 they just boil more.

22 MR. SHUAIBI: There are increases in steam  
23 flow and feed flow.

24 MEMBER SHACK: Well, the steam flow, I  
25 don't think is a particular concern. I'm not quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sure what Peter's really worried about there.

2 MR. SHUAIBI: Well, I checked back with  
3 our experts, and based on the way that this program  
4 works, we don't believe that there is a reason for us  
5 to do more than -- any more than rely on those  
6 programs.

7 MR. MARSH: Based on the comments that we  
8 heard -- this is Tad Marsh. Based on the comments  
9 that we heard from the Sub-Committee, we felt like  
10 their may be some more data that Doctor Ford may have,  
11 of which we were unaware.

12 MEMBER SHACK: GE has measurements of the  
13 protection ECP versus flow-rate.

14 MR. MARSH: Right.

15 MEMBER POWERS: That are proprietary, and  
16 NRC certainly has access to them.

17 MR. MARSH: Right, I don't know whether we  
18 have seen that data and can respond cogently to the  
19 comment. If we could have a separate discussion to  
20 make sure we understand the concern, make sure we've  
21 seen the data that drives him to have the thought,  
22 then we'd be glad to do that.

23 MEMBER WALLIS: I'm sure the appropriate  
24 person to have the conversation with is Peter Ford.

25 MR. MARSH: Right, right, sure we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand.

2 MR. SHUAIBI: The second comment, I'm also  
3 not an expert in this area. But the comment is  
4 related to the combined effects of flow-induced  
5 vibration and increased flux or fluence on radiation-  
6 assisted stress corrosion cracking.

7 Again, looking back when we looked at  
8 that, and based on the thresholds that we have for  
9 dealing with integrated radiation-assisted stress  
10 corrosion cracking, we didn't believe that we needed  
11 to do any more than what we do.

12 This is another area, I guess like Tad  
13 said, if there's specific information out there, we  
14 would certainly like to talk to Doctor Ford and get  
15 more information on it.

16 MEMBER SHACK: Well, again, as your  
17 fluence go up, your susceptibility is going to go up.  
18 So, you know, it is something that's not an  
19 instantaneous problem, but over the long run, yes it  
20 will increase the susceptibility by SCC.

21 MR. SHUAIBI: Right, the comment was more  
22 towards the combined effects of flow-induced vibration  
23 influence, as opposed to just fluence and just flow-  
24 induced vibration.

25 We have staff that looks at flow-induced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 vibration, and we have staff that look at the effect  
2 of fluence. And those are two different people in two  
3 different groups.

4 And I believe the concern was, well are we  
5 looking at, when we go back to an ACRS term, the  
6 synergistic effect of both of those combined. Is the  
7 effect of both of those combined different than  
8 looking at them separately.

9 MEMBER POWERS: My recollection was not  
10 that we had any particular insight that there was a  
11 thing, it was a question of, is there, not is the  
12 magnitude different than you thought? Does it exist  
13 or not?

14 MR. SHUAIBI: Right, well we went back and  
15 discussed this with -- actually, since I'm not an  
16 expert in this area, let me turn it over to Barry  
17 Elliot, who is an expert in this area, and let him  
18 address that.

19 MR. ELLIOT: This is Barry Elliot. I can  
20 give you some of our experience in this area. The  
21 Quad Cities failure was evaluated, and it had flow-  
22 induced vibration.

23 And they evaluated it and it had no stress  
24 corrosion cracking associated with it. This is two  
25 separate distinct mechanisms. One is a design problem

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 due to resonance.

2 And the other one is a long-term aging  
3 effect resulting from neutron fluence. Now, can you  
4 get a high fluence plant that has radiation-assisted  
5 stress corrosion cracking?

6 Well, yes you can. And we have criteria  
7 that, once you reach the fluence, you start inspecting  
8 for this. Can you get a flow-induced vibration after  
9 a plant has already gone through a high enough  
10 fluence?

11 If you make a design change, and after you  
12 reach that fluence, you could possibly get both  
13 mechanisms. But there are two separate, distinct  
14 mechanisms and there's two separate evaluations we do.

15 And as long as each one is evaluated  
16 correctly, this should not be a problem.

17 MEMBER POWERS: I mean, you labeled them  
18 distinctly. You think about them distinctly. Are they,  
19 in fact, totally de-coupled mechanistically?

20 MR. ELLIOT: I can just tell you, the  
21 experience that we have, I don't have that much  
22 experience with flow-induced vibration, but it's a  
23 residence problem.

24 And radiation-assisted stress corrosion  
25 cracking is a fluence problem. And there's a change

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in the micro-structure of the material. And the other  
2 is just a vibration problem, a mechanical vibration  
3 problem.

4 MEMBER POWERS: Which causes a change in  
5 the micro-structure of the material?

6 MR. ELLIOT: Well, what one -- the short-  
7 term problem, I don't think that if a problem occurs  
8 in a year, like what happened at Quad Cities, is going  
9 to change the micro-structure.

10 MEMBER POWERS: I'm sure it must.

11 MR. ELLIOT: It's just a mechanical --

12 MEMBER POWERS: Yes, but why is it  
13 mechanical? I mean, what's happening mechanically when  
14 you get a vibration-induced fatigue on a material?

15 MR. ELLIOT: What happens is that you  
16 initiate a crack, and then the frequency of the  
17 vibration is so high that you get a high-cycle fatigue  
18 failure.

19 MEMBER POWERS: Yes.

20 MR. ELLIOT: Which is an entirely  
21 different thing than causing a radiation-assisted  
22 stress corrosion cracking.

23 MEMBER SHACK: I mean, we do have lots of  
24 laboratory data that says cyclic loading aggravates  
25 stress corrosion cracking. But that's typically at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low frequencies.

2 And as you go to the frequencies that  
3 we're interested in here, that synergistic interaction  
4 does, in fact, seem to disappear in the laboratory  
5 tests, so.

6 At the high frequencies, it would seem  
7 like they are, in fact, relatively independent  
8 phenomena. And at low frequencies, they are  
9 synergistic. But I don't know of any data at the kind  
10 of frequencies that we're talking about here, that  
11 would indicate an interaction.

12 MEMBER WALLIS: But if there's cracks from  
13 stress corrosion, and then you vibrate it with a  
14 bigger amplitude and a higher velocity and put bigger  
15 stresses on it, it might be more likely to fail.

16 MEMBER SHACK: Yes, if you -- in any  
17 fatigue problem, if you get rid of the initiation  
18 stage by generating a crack somehow, things are going  
19 to go a lot faster.

20 MR. ELLIOT: I just want to point out, we  
21 do have a criteria for radiation-assisted stress  
22 corrosion cracking - it's a fluence criteria, and  
23 that's based on our tests.

24 MR. SHUAIBI: Again, I guess the point I  
25 want to make is we did go back and discuss this. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is what we have right now, but if we could have  
2 it separate meeting or call with Doctor Ford, maybe we  
3 can get a little more information.

4 MEMBER POWERS: I don't think you've  
5 closed this one. It's not a very satisfactory  
6 closure, because they're both micro-structure  
7 phenomena. And they're both crack propagation  
8 phenomena.

9 And just because you labeled them  
10 differently, you think about them differently in  
11 isolation, does not mean there's not a synergistic  
12 effect in there.

13 I think you're going to have to get his  
14 data and say, yes, there's an effect at this frequency  
15 and there's not effect at this frequency, and so we  
16 say there's half an effect in-between at the average  
17 of these frequencies.

18 MEMBER WALLIS: It's something to look  
19 into, but I don't think it changes your standard.

20 MR. SHUAIBI: Right, we would like to look  
21 into that, to see if there is something that we should  
22 change in the way that we do these reviews.

23 MEMBER WALLIS: Certainly if something  
24 turns out to break --

25 MR. SHUAIBI: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: -- and this is a possible  
2 mechanism.

3                   MR. SHUAIBI: Okay, so the next bullet is,  
4 I believe, another one that Doctor Ford mentioned  
5 during the Sub-Committee, and it is the need for us  
6 the staff to be aware of new information out there in  
7 the materials area, and update our guidance as  
8 necessary.

9                   We do, to the best of our ability, try to  
10 keep track of what's going on out in this area. We  
11 consult with our office of research. We do attend  
12 conferences and participate in those.

13                   We get information from our counter-parts  
14 in other countries. We do attend ASME code meetings  
15 and are actually actively involved in ASME code work.  
16 And we also rely on operational experience in a lot of  
17 places.

18                   So, we believe that we do go out and look  
19 for any new phenomena or any new information that  
20 would maybe change the way, or lead us to change the  
21 way, that we do reviews.

22                   Based on what we learned from those  
23 different sources, we have a lot of options to us. We  
24 could issue bulletins - we've seen many of those. We  
25 could issue other forms of generic communications.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We could change our guidance. As I've  
2           said earlier, we do intend to keep this review  
3           standard as much of a living document as we can. What  
4           I mean by that is, once we develop our office  
5           instruction for updating it, we might need to go  
6           through public comment periods and things like that,  
7           which may be a periodic review, as opposed to a living  
8           document

9           But we do get information and we do plan  
10          on keeping this review standard up to date with that  
11          information.

12          MR. MARSH: Well, I guess -- Tad Marsh  
13          again. From the standpoint of the Sub-Committee  
14          meeting, we're wondering, here again, if there's data  
15          that we've missed from Doctor Ford's concern, and if  
16          there's something that we should be considering  
17          explicitly.

18          We've given you kind of a generic answer  
19          for how we review data and how we stay aware and how  
20          we roll it into the regulatory process, but --

21          MEMBER WALLIS: I think it's a generic  
22          point he's making here really, rather than a specific  
23          one.

24          MEMBER POWERS: I'm pretty sure that  
25          Doctor Ford was asking, is there, not I know of one --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Okay.

2 MEMBER POWERS: -- and let's see if you  
3 guys can find it.

4 MEMBER WALLIS: Okay.

5 MR. MARSH: Well, we didn't mean that, but  
6 you know our processes. And this is the way it's done  
7 - We just want to make sure we're not missing  
8 something, some phenomena or some other source that we  
9 wanted to be more mindful of.

10 MEMBER WALLIS: Of course, it's not really  
11 a test the materials area, this is a generic --

12 MR. SHUAIBI: True. It came up in the  
13 text of materials, but I agree - I think this is  
14 broader than materials. And we --

15 MEMBER WALLIS: This is one of your  
16 difficulties, I think, is that you have enough work  
17 already, trying to review these. But if new  
18 information is out there, how do you get a hold of it  
19 and know if it applies or not - to anything, not just  
20 materials?

21 MR. SHUAIBI: Right. Well, the things  
22 that I talked about, office of research and what they  
23 have -- in a little bit, I'll be talking about a  
24 program that the office of research has underway  
25 that'll address one of your other concerns, hopefully,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in terms of conferences and their foreign  
2 counterparts.

3 I think a lot of our groups are tied into  
4 that - it's not specific to materials. Maybe ASME  
5 code is specific to the mechanical engineers or  
6 materials engineers, but we have a lot of people that  
7 do follow these things.

8 And that's -- these are our sources. ACRS  
9 is a source. I mean, if --

10 MEMBER WALLIS: Oh God, you're in trouble  
11 then.

12 MR. SHUAIBI: You have discussions here on  
13 things where we've gone back and looked at. And like  
14 we said, we'd like to talk to Doctor Ford if he has  
15 anything specific.

16 Any of the other members, if you have  
17 anything specific. I mean, we're always looking for  
18 information. And if there's anything that invalidates  
19 guidance that we have, we would like to know that and  
20 we can go back and look at it.

21 MR. MARSH: Operational experience and the  
22 derivation of it, and folding it into the review, is  
23 part of the lesson learned coming out of Davis-Besse.  
24 And that's a major task action plan that we've got.  
25 So that's very important to us.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: Okay, the last bullet on  
2 this slide, I do want to defer - it's actually in the  
3 wrong order. The effect of EPU on consequences of  
4 severe accidents, I believe Doctor Kress brought this  
5 up during the Sub-Committee.

6 And the interest here, I believe, was  
7 could we run some codes and find out what the impact  
8 of an EPU would be on source term. And I'm going to  
9 talk about a program that research has underway that's  
10 probably going to address that.

11 Another question that came up during the  
12 Sub-Committee, again it was recognized as not a review  
13 standard specific question, but something that would  
14 be nice to have, is what limits power uprates at the  
15 plants, and how will large break LOCAs re-definition  
16 effect these limiting factors.

17 What types of uprates can a plant get if  
18 we were to re-define large break LOCAs. And the  
19 answer to that is very plant-specific. Large break  
20 LOCAs may be limiting for some plants, but they  
21 probably will not be limiting -- I know they're not  
22 limiting for all plants.

23 There are other things that could be  
24 limiting at the different plants that are out there.  
25 So, it's kind of hard to do an analysis and come back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and say, well I know that if I re-define what large  
2 break LOCAs and bring it down to something smaller  
3 than a double-ended guillotine break, that I will have  
4 a 50 percent uprate or a 30 percent uprate.

5 For some plants, it might, for other  
6 plants, it might not gain anything. If you remember  
7 during the review of the constant pressure power  
8 uprate topical report, there were discussions about  
9 the impact of a power uprate, a 20 percent power  
10 uprate, on peak cladding temperature.

11 And without getting into the proprietary  
12 information, and the sensitivity there, it didn't  
13 really make much of a difference, so... The next  
14 bullet, synergistic effects, something that keeps on  
15 coming up.

16 And what I'd like to do here, and the  
17 reason I put this bullet in the way that I did, is  
18 because we took this back from an ACRS comment, and  
19 the office of research started a synergistic effects  
20 program.

21 They were going to look at synergistic  
22 effects, power uprates, license renewal and whatever  
23 else plants are doing out there. Well, that's been --  
24 that title has been changed.

25 It's no longer called synergistic effects.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The program that research is undertaking, it's  
2 actually an international program, not just us here in  
3 the NRC.

4 It's called 'Safety Margins and Impacts of  
5 Plant Changes on Margins.' And what they're doing  
6 here, and I'm not sure if the Committee has received  
7 a briefing, if you got a briefing on this or not, but  
8 what they're doing here is they're taking the risk  
9 analysis and deterministic analysis and they're trying  
10 to marry them in a way that would allow us to look at  
11 things like, how does aging effect the results of  
12 PRAs?

13 Could aging result in a success path  
14 becoming a failure path? Could other things -- and  
15 one of the things that I had some discussion with our  
16 office of research on, is will this address, for  
17 example, things like source term?

18 And the indications I get right now is,  
19 yes that's intended to do that as well. And I have,  
20 in this room, Mr. John Kauffman, from the Office of  
21 Research.

22 If you have any questions, he could  
23 address those. The next bullet talks about guidance  
24 for independent calculations. And let me go on to the  
25 next slide. The next three bullets are addressed by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the next three slides.

2 MEMBER LEITCH: I'm not sure that that  
3 last effort did describe quite -- it's the target  
4 there though. It talked about the network as being  
5 impact of plant changes on margins.

6 I think our concern is a little more than  
7 that. It's are there -- I mean, it seems like the  
8 thought of synergistic has disappeared from that  
9 effort.

10 I think what we're really saying is, are  
11 there cases where 1+1 doesn't equal 2, but equals 2.1  
12 or something?

13 MR. SHUAIBI: Right, and when I read the  
14 title I thought the same thing. When I first heard  
15 that this was called safety margins, I thought is this  
16 the kind of program that's going to tell me that with  
17 this change I'm going to go from having 100 pounds of  
18 margin to 90 pounds of margin?

19 And then with this different change, it  
20 goes from 100 to 95. And then I'll take those two,  
21 and now it's 15 instead of 10 or 5. The way it was  
22 described to me, and again I have the -- I have John  
23 Kauffman here from the Office of Research, and he can  
24 talk about this -- is it will actually take changes or  
25 combinations of changes and give you the final impact.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If synergy exists, if putting two  
2 together, putting 1+1 together doesn't end up with 2,  
3 it ends up with 3, this program is intended to cover  
4 that as well.

5           Even though the title doesn't say  
6 synergistic effects, for whatever reason, we went away  
7 from synergistic effects as a title. But the program,  
8 the way I understand it, will cover synergistic  
9 effects.

10           Again, I think -- I do have Mr. Kauffman  
11 here, and if you have any questions on that program,  
12 we can try to answer those. Or maybe it'd be  
13 appropriate if you want to hear about the programs in  
14 a separate meeting, that's something that Mr. Kauffman  
15 said they can come to the Committee and talk to you  
16 about it.

17           MR. MARSH: I assume that the types of  
18 changes that would be evaluated are those that will be  
19 power uprate related as well?

20           MR. SHUAIBI: They're starting with power  
21 uprate. License renewal will be a part of it, I  
22 believe. I see Mr. Kauffman coming to the mic, so  
23 that's good news.

24           MR. MARSH: Great, yes that is.

25           MR. KAUFFMAN: Thanks, I appreciate it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: Let me turn it over to Mr.  
2 Kauffman, and let him talk about the program.

3 MR. KAUFFMAN: I'm John Kauffman, from the  
4 Office of Research. This is a project that was begun,  
5 actually over two years ago. And Jack Rosenthal has  
6 briefed the Committee on this about two years ago.

7 And it's the simple question about the  
8 name change, is when work was discussed by Farouk  
9 Eltawila over at NEA/CSNI, it turns out some of the  
10 European countries were -- maybe synergy doesn't  
11 translate, but they were much more comfortable  
12 understanding it as the effects on margins, and that  
13 can be combined effects on margins.

14 I would say it's basically a name change,  
15 but the project is pretty much headed where it was.  
16 This project is looking at BWRs. The international  
17 cooperative research will be looking at PWRs.

18 And the four factors this program is  
19 looking at, are the effects of uprate, longer cycles,  
20 higher burnup and aging. And, as Mohammed said, we'll  
21 be glad to give an update on where this research  
22 stands.

23 MEMBER POWERS: Does the program plan  
24 exist?

25 MR. KAUFFMAN: Yes, we have a program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plan. And, in fact, we've recently put in place a new  
2 contract to convert this from the synergy to the  
3 margins.

4 And this is quite an ambitious product --  
5 or project. We're really, right now, trying to, as  
6 Mohammed described, marry these synergistic and  
7 deterministic worlds, such that we can look at timing  
8 issues, changes in mission, mission times and, again,  
9 fluence.

10 This is a very big, broad project though.  
11 It will not be easily done, and it will not have  
12 results in the near term.

13 MEMBER POWERS: Could we get a copy of  
14 your program plan?

15 MR. KAUFFMAN: Yes.

16 MEMBER POWERS: Thanks.

17 MR. SHUAIBI: Thanks, John. Okay, on  
18 slide 15 in the presentation, and this talks about the  
19 guidance for independent calculations. When we came  
20 to the Sub-Committee, we had different guidance in  
21 each of the matrices, meaning different guidance  
22 applying to each of the different groups that do  
23 reviews for power uprates.

24 Some guidance provided was very specific  
25 in saying that you will do an independent analysis for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this and that, maybe two areas. Other guidance was  
2 more general, saying you will do independent  
3 calculations if you run into these types of things  
4 like new codes, or things that you're not familiar  
5 with or that you're not comfortable with.

6 In other areas, we said no independent  
7 calculations. And the concern was that, with guidance  
8 that says no independent calculations or guidance that  
9 says you will do it only in one or two areas, their  
10 reviewer could perceive that as limiting their ability  
11 to do independent calculations.

12 That this is a management direction to not  
13 do any more than what's in there. So we went back and  
14 looked at the guidance that we had. And what we  
15 wanted to do is come up with one set of guidance that  
16 doesn't do that.

17 That wasn't our intent, like Tad said  
18 earlier. Our intend is, if we need to do independent  
19 calculations, we should do them. And if that sent the  
20 wrong message, or the Committee felt like it sent the  
21 wrong message, we wanted to make sure it was  
22 corrected.

23 So, what we did is we came up with new  
24 guidance. We needed to come up with new guidance  
25 because we needed it to work for everybody. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really the way that people determine they need to do  
2 independent calculations varies from a mechanical  
3 engineer to a thermo-hydraulics reviewer.

4 And so, what we came up with, were  
5 criteria that go to the confidence of the reviewer and  
6 the methods that we used, and the results that were  
7 used, familiarity of the reviewer or the organization  
8 with the models and methods that are used, prior use  
9 of these models by licensees for similar power levels,  
10 if you will, or similar plant designs.

11 Our experience, based on our knowledge or  
12 past reviews, and available margin versus uncertainty,  
13 this may be qualitative instead of quantitative in  
14 some areas.

15 There's not a threshold that says, if  
16 you've got this much uncertain or this much margin,  
17 the reviewer believes that the - there's not going to  
18 be enough margin to cover the uncertainty, then maybe  
19 they would determine that they need an independent  
20 calculation.

21 And, lastly, if an independent calculation  
22 or an audit would improve the efficiency of the  
23 review. In other words, if actually doing the  
24 calculation would result in us having to spend less  
25 resources in doing the review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER WALLIS: First, it's doing a simple  
2 bounding calculation that shows you didn't have to  
3 worry about something.

4           MR. SHUAIBI: Right.

5           MEMBER WALLIS: Right.

6           MR. SHUAIBI: Right. And our guidance,  
7 although in bullet form, is going to be just like you  
8 have on this slide. And we can send you the actual  
9 words, if you'd like to see the actual words.

10           But they're going to be these things that  
11 are on this slide. And it puts it on the reviewer to  
12 say, I don't have the confidence in what I have in  
13 front of me.

14           And this will apply to everybody. So,  
15 this will be generic guidance, just like the Sub-  
16 Committee recommended.

17           MEMBER WALLIS: This actually was very  
18 similar to the list that you had to one or two of the  
19 areas?

20           MR. SHUAIBI: Right, very similar to -- I  
21 believe we had it in containment systems, and those  
22 consequence analysis, and in reactor systems, yes.

23           MEMBER WALLIS: I think it's good to help  
24 the reviewer, particularly if it was a management  
25 pressure to get on with the job. Then the reviewer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can say, look, I don't really have confidence in the  
2 results, I've got to do some checking here.

3 MR. SHUAIBI: Right. And we sensed that  
4 that was the concern, and really that wasn't what we  
5 wanted to do. So, we went back and looked at it, and  
6 this will apply to everybody.

7 The next area are the comments that we  
8 received in past power uprates in the risk evaluations  
9 that we performed. And I'm going to turn it over to  
10 Donnie Harrison.

11 Again, he's the senior reliability and  
12 risk analyst that has done all of our power uprates,  
13 or extended power uprates that have come to the  
14 Committee here recently.

15 So, let me turn it over to him, and he'll  
16 talk to the points on this slide.

17 MR. HARRISON: Thanks, Mohammed. I'll  
18 start with actually bullet three, because that kind of  
19 gives a lead-in to what we -- what our reviews  
20 involve. We need to first recognize that these  
21 submittals are not submitted as risk-informed  
22 applications.

23 They're standard applications, and so our  
24 risk review is focused really on identifying the  
25 issues that might raise questions about adequate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protection.

2 Some might look at that and think  
3 therefore we don't do a detailed review. And I would  
4 think it's just -- in reality, it becomes just the  
5 opposite. We actually have to do a fairly thorough  
6 review to determine that we don't have questions that  
7 would result in rebutting the presumption of adequate  
8 protection.

9 Because of that, we do a review that's  
10 fairly broad. It covers the internal events, external  
11 events and shutdown. The uniqueness of our review, it  
12 was felt that --

13 MEMBER POWERS: Will you fire PRA?

14 MR. HARRISON: We will look at the fire  
15 area. If they've done a PRA, that would be nice. If  
16 they haven't, we look at the five analysis and make a  
17 determination on that.

18 What we usually do on the external events,  
19 is actually go all the way back to the IPEEE's and  
20 start looking there, see if there's any holes in the  
21 analysis, and then start moving forward from there to  
22 try to get an idea of what the baseline risk values  
23 really are for those areas.

24 What it results in, is a review that is  
25 broad in scope. But again, it's focus is mainly on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adequate protections. So we're really looking at the  
2 base risk values.

3 We do some shortcut approaches, to try to  
4 get a ballpark figure of what the risk is from say  
5 external events like earthquakes. When it's done by  
6 a seismic margins analysis and there is no PRA, all of  
7 that's geared towards the idea of having confidence  
8 that we can truly say there is no adequate protection  
9 question.

10 MEMBER POWERS: Maybe you can help me a  
11 little bit. I'm worried about seismic at a site  
12 that's asking for a power uprate. Power uprate didn't  
13 effect the seismicity of things.

14 MR. HARRISON: Right.

15 MEMBER POWERS: You're looking for some  
16 increased fragility of the plant?

17 MR. HARRISON: No, what you're looking for  
18 in a situation like that would be if they have  
19 vulnerabilities that a seismic event would make worse.  
20 Or if there's a susceptibility like -- just as an  
21 example, on Dresden.

22 They had recognized in their IPEEE that  
23 there were -- I'm trying to think of what it was.  
24 Some analysis -- LOCA analysis that they hadn't  
25 completed, but they were pretty confident they were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to get good results.

2 And, based on that, they said they didn't  
3 have a vulnerability. Through our review, we had them  
4 do the analysis and they found out that they were good  
5 through 24 hours.

6 But somewhere around 25 hours, things  
7 started to go bad. And because of that, then they had  
8 to -- we then asked them to do a, if you will, a mini  
9 risk analysis of that vulnerability.

10 Again, with the goal being, what is the  
11 risk of the plant. With that existing vulnerability,  
12 they were able to satisfy and say it was a small  
13 enough risk that we could go forward.

14 So, that's what we're looking for. We're  
15 not saying because you went up in power by 20 percent,  
16 all of a sudden your diesel's going to shake more.  
17 That's not what we're saying.

18 So, for the most part, plants will have a  
19 .3 GE review level earthquake, or a .5 GE review level  
20 earthquake. And it's a matter of just making sure  
21 there's no holes.

22 And then using, again, it's a Bob Kennedy  
23 approach to come up with a simplified estimate of what  
24 that risk value is, so that we can integrate that into  
25 the total review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   With that comment, we'll move to the first  
2                   bullet. We've received comments from the ACRS on just  
3                   about every review we've done dealing with human  
4                   reliability models.

5                   MEMBER APOSTOLAKIS: Did you do it the  
6                   same way in just about every review you've done?

7                   MR. HARRISON: Yes.

8                   MEMBER APOSTOLAKIS: So, you were  
9                   consistent?

10                  MR. HARRISON: We've been consistent and  
11                  you've been consistent in response, yes.

12                  (Laughter.)

13                  MR. HARRISON: The real recognition there,  
14                  though, is the NRC has not reviewed and approved, per  
15                  se, formally any method in the HRA area. However, you  
16                  know, you heard from Doctor Parry this morning.

17                  He's an HRA person. We do talk to him when  
18                  we do these reviews, and make sure that we're not  
19                  getting results that are off the wall. The HRA  
20                  information is not being used to accept the review.

21                  Again, we have to stay focused on what our  
22                  review is trying to do. But it just gives us some  
23                  insights.

24                  MEMBER APOSTOLAKIS: I think the comment  
25                  that was made in the letter essentially said that for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your purposes, you really didn't need any numbers.  
2 You didn't need to state explicitly that this is a  
3 human error or probability that went from here to  
4 there.

5 What you are doing is what you just said.  
6 You're looking for vulnerabilities. You're looking  
7 for something unreasonable. So, you know, then you  
8 find that the available time went down from 42 minutes  
9 to 38 minutes.

10 It would be good enough to say this is a  
11 small change and we don't expect the numbers to change  
12 much, period, thank you very much. The problem with  
13 going beyond that and start putting human liability  
14 more than results there, is that pretty soon people  
15 don't think this is an issue.

16 Why should the Office of Research spend  
17 any money developing these models when NRR really  
18 doesn't need them? Either there is a need or there  
19 isn't. Now, for your purposes in this particular  
20 action, we don't need the numbers.

21 MR. Harrison: Right.

22 MEMBER APOSTOLAKIS: All you need to know  
23 is that the change is small.

24 MR. HARRISON: Right, and I'll take the  
25 full blame for the fact that we put in information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that --

2 MEMBER APOSTOLAKIS: It's redundant, it  
3 hurts you.

4 MR. HARRISON: -- that ends up making it  
5 look like we're approving the methods and the model.

6 MEMBER APOSTOLAKIS: Yes, exactly. And I  
7 think it's all Gareth Parry's fault.

8 (Laughter.)

9 MR. HARRISON: Well, actually, I'm the one  
10 that did the writing, so I have to take the blame.

11 MEMBER APOSTOLAKIS: No, but you  
12 understand how the standards -- the comment was made?

13 MR. HARRISON: I understand. And it's --

14 MEMBER WALLIS: And just say it's small,  
15 it doesn't help because people ask you what's the  
16 change in CDF? It turns out that it's all due to  
17 human action.

18 MR. HARRISON: Right.

19 MEMBER APOSTOLAKIS: Yes.

20 MEMBER WALLIS: And, therefore, you give  
21 us a number. And the number must come from some  
22 model.

23 MR. HARRISON: Right, and --

24 MEMBER WALLIS: But you can't avoid that  
25 modeling, if you're going to give --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: Then I hope -- then  
2 I would be very happy if this kind of thing created  
3 pressure on research to actually develop the model.

4 MR. HARRISON: Well --

5 MEMBER WALLIS: But you can't have it both  
6 ways. You can't have it so that it faults it and then  
7 ask for a number for the CDF.

8 MR. HARRISON: Well, but the --

9 MEMBER APOSTOLAKIS: I'm sorry, but you  
10 know, if we don't have the model, we don't have the  
11 model. We can't just say critical applications, well  
12 we don't have it but it's good enough.

13 MEMBER WALLIS: But you see the point that  
14 --

15 MEMBER APOSTOLAKIS: Because then you  
16 never have any of the -

17 MEMBER WALLIS: We're going to ask them  
18 two questions. Is it a big effect on it? They'd say,  
19 no it's a small effect. What's the change in CDF. Gee  
20 whiz, I don't know because Apostolakis won't want me  
21 make that consideration.

22 MEMBER APOSTOLAKIS: Yes, because it would  
23 be wrong. It's a small change, that's all they need  
24 to know.

25 MR. HARRISON: And -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: But, George, you do  
2 something --

3 MEMBER APOSTOLAKIS: I mean, it's not the  
4 first time they make judgments like that.

5 MEMBER WALLIS: -- make an adequate  
6 analysis.

7 MEMBER KRESS: When does it become a large  
8 change or a significant change?

9 MEMBER APOSTOLAKIS: Then there should be,  
10 as I said, urgency in developing the model.

11 DR KRESS: But how do we know, though,  
12 without a model --

13 MEMBER APOSTOLAKIS: Well, surely, we'll  
14 take action then. We can't just go around --

15 MEMBER WALLIS: It has to be adequate. If  
16 you need to just make a guess, then you do it. But  
17 you still make a quantitative analysis.

18 MEMBER APOSTOLAKIS: Put pressure on  
19 research for them to develop the mode. You can't say  
20 I don't have the model, therefore I'm going to do  
21 this, because then you undermine any research effort  
22 to do any decent job. You have to draw the line  
23 somewhere.

24 MEMBER WALLIS: But they're, of course,  
25 trying to answer our question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Our question --

2 MEMBER WALLIS: What's a small change,  
3 what's --

4 MEMBER APOSTOLAKIS: Make a deterministic  
5 judgment.

6 MR. HARRISON: Yes, I think really where  
7 we started to get a lot of feedback on the HRA was on  
8 the Arkansas submittal, where I actually put in a  
9 table that listed all of the Arkansas operator action  
10 HRA values and what their changes were.

11 And that made it, I mean, painfully  
12 obvious that we were only getting four minute changes  
13 --

14 MEMBER APOSTOLAKIS: Right.

15 MR. HARRISON: -- and we were getting  
16 little tweak values in the HRA.

17 MEMBER WALLIS: The problem is, we ask  
18 them what the change is in risk. The risk is measured  
19 by CDF. It turns out that these issues of human  
20 reliability are the biggest effect on this.

21 So, they have to be quantified if we're  
22 going to ask what is the change in --

23 MEMBER APOSTOLAKIS: Therefore --

24 MEMBER WALLIS: If you want to put it on  
25 the Reg Guide 1.174 picture, sometimes it matters.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: And I agree with you,  
2 therefore there is urgency for research to develop the  
3 appropriate model.

4 MEMBER WALLIS: That doesn't help these  
5 guys right now.

6 MEMBER APOSTOLAKIS: The conclusion is not  
7 to use the wrong one.

8 MEMBER WALLIS: It doesn't help these guys  
9 right now. So if you want to keep beating on them  
10 exactly the same way when we have the next  
11 presentation.

12 MEMBER APOSTOLAKIS: We will never have  
13 the model, as long as NRR --

14 MEMBER ROSEN: We have a human factor sub-  
15 committee and it is having a meeting in October with  
16 these people. And I hope that they will get into some  
17 of this discussion.

18 MEMBER APOSTOLAKIS: Another way of doing  
19 it, Graham, is to -- this is a true model uncertainty  
20 issue. Take the six or seven models that are out  
21 there and use every single one of them. And these guys  
22 are not going to like it.

23 MR. HARRISON: Actually, that would be a  
24 complaint. I think the licensees would come back to  
25 -- I would love that, because it would answer my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question upfront.

2 But that's a research effort, not an  
3 application effort.

4 MEMBER KRESS: Just get a bunch of experts  
5 together and then --

6 MEMBER APOSTOLAKIS: Sure.

7 MEMBER WALLIS: So, you guys are going to  
8 resolve --

9 MEMBER KRESS: Quantify the change in time  
10 with the change in --

11 Dr. APOSTOLAKIS: But this Committee -- in  
12 fact, I think it was Dana that raised the issue a few  
13 years ago, he said as long as NRR makes decisions  
14 without the need of research, research will never  
15 happen.

16 MEMBER KRESS: That's true.

17 MEMBER APOSTOLAKIS: That's the truth.

18 MEMBER KRESS: That's the truth.

19 MEMBER APOSTOLAKIS: So, as long as these  
20 guys make the major decisions like power uprate,  
21 license renewal, ignoring risk, then I don't see why  
22 people are complaining that we are not making progress  
23 in risk in forming the regulations.

24 MEMBER KRESS: Now, so far --

25 MEMBER APOSTOLAKIS: This is not the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 research -- This shouldn't be a research issue --

2 MEMBER KRESS: So far, it appears that  
3 almost conclusively you don't have much of a change in  
4 the operator response time required for power uprates.  
5 You can almost make a decision now that the human  
6 error is not going to have a big effect on it.

7 MEMBER APOSTOLAKIS: And that's my  
8 argument. But you can stop there.

9 MEMBER KRESS: Yes, but in order to say  
10 all right we really need these models to research,  
11 we've got to have a case for where it does make a  
12 difference.

13 And it's not going to be power uprates,  
14 where is it going to be?

15 MEMBER APOSTOLAKIS: We don't know. We  
16 suspect there might be a difference, but we don't  
17 know. But this is how -- I mean, this is all the  
18 user's request, isn't it?

19 These guys, the real decision-makers,  
20 they'll research that we need this model.

21 MEMBER KRESS: Right --

22 MEMBER APOSTOLAKIS: If they never say  
23 that, then...

24 MEMBER KRESS: Well, you know, what I would  
25 be tempted to do is try to get a particular model on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these and get some expert judgment as to what the  
2 uncertainty is on there.

3 MEMBER APOSTOLAKIS: That's fine.

4 MEMBER KRESS: And then say, given this  
5 range of uncertainty, I can't properly make my  
6 decision.

7 MEMBER APOSTOLAKIS: I would be in support  
8 of that. There are several other out there. You have  
9 seen the pictures from Ispry. We can't ignore that  
10 fact. So, either we use all the models and see which  
11 one gives the worst result and then pass judgment, or  
12 we call experts just like --

13 MEMBER KRESS: And that's still not  
14 necessarily the uncertainty. The worst result of that  
15 is that it's still not the --

16 MEMBER APOSTOLAKIS: I don't think that's  
17 the most appropriate way of doing it, but still, you  
18 would like to know.

19 MEMBER KRESS: Yes, I'd support that.

20 MEMBER APOSTOLAKIS: But my fundamental  
21 thesis is that as long as the important decisions of  
22 the agency are being made, ignoring certain needs,  
23 these needs will never be satisfied.

24 MEMBER WALLIS: Yes, but these guys -

25 MEMBER APOSTOLAKIS: This is where the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 real decision-making takes place.

2 MEMBER WALLIS: These guys still have to  
3 come up with something in their statements --

4 MEMBER APOSTOLAKIS: And I gave them a way  
5 out. If you want to see numbers, then they should put  
6 pressure on research to accelerate the development of  
7 the model.

8 MEMBER WALLIS: But they have to give us  
9 numbers for Vermont Yankee before that's happened.

10 MEMBER APOSTOLAKIS: I've made my case.

11 MEMBER WALLIS: You made your case --

12 MEMBER KRESS: I'm still struggling with  
13 how you make the decision that it's a small effect.  
14 See, that was --

15 MEMBER APOSTOLAKIS: Well, I mean, look...  
16 if the available time goes down by two or three  
17 minutes - if the original was six, and it goes down by  
18 three, I understand that it's different.

19 MEMBER KRESS: Yes.

20 MEMBER APOSTOLAKIS: But if it's 42 and it  
21 goes down to 39, I'm willing to go along --

22 MEMBER ROSEN: What is the job performance  
23 measure that says you need 40 minutes to do it?

24 MR. HARRISON: Well, and --

25 MEMBER APOSTOLAKIS: That's from thermo-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 hydraulics.

2 MR. HARRISON: Right, and we have had that  
3 case.

4 MEMBER ROSEN: It might not be  
5 unimportant. I mean, it may be a break point. Do you  
6 see what I'm saying?

7 MEMBER APOSTOLAKIS: Oh, you mean the --

8 MEMBER ROSEN: You need 40 minutes to do  
9 this. they've gone through it, and they've diagramed  
10 it and they've tested it out and they've simulated it.  
11 They need 40 minutes.

12 And now, we're going to uprate the plant  
13 and there's only 39 left. It used to be 42 or 43.

14 MEMBER APOSTOLAKIS: What you are arguing  
15 for, is for the development of the model. I'm not  
16 going to say, no.

17 MEMBER WALLIS: No, it seems to me,  
18 George, this is where the staff uses its judgment. It  
19 may have to do some independent analysis and say that  
20 we estimate the uncertainty in this to be such and  
21 such.

22 Therefore, this time could have this much  
23 influence and still it's small. And therefore, it's  
24 acceptable. They may have to go beyond --

25 MEMBER APOSTOLAKIS: If they go through it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a reasonable way, but not picking one of the  
2 available models. And then we ask why, and the answer  
3 is a lot of utilities use them.

4 MEMBER WALLIS: No, but then if they  
5 understand the model, they know something about the  
6 uncertainties in the model, they can probably explain  
7 to you why this model, even with its uncertainty,  
8 gives an okay.

9 MEMBER APOSTOLAKIS: If they are willing  
10 to do a model on certainty analysis, I would be more  
11 than happy to applaud.

12 MR. HARRISON: If I can address part of  
13 that though, is that on one of the plants, I know  
14 there was a concern about the early initiation of SLC.  
15 And the question was, how much confidence do you have  
16 that the fact went from about six minute initiation to  
17 a four minute.

18 MEMBER APOSTOLAKIS: That's more  
19 significant.

20 MR. HARRISON: That's a significant  
21 impact. And -- but, at the same time, six minutes is  
22 already going to have a high error probability  
23 associated with it.

24 So, you're going from a high number to a  
25 higher number.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER ROSEN: Why would six minutes have  
2 a higher probability when it depends on what the  
3 action is.

4                   MR. HARRISON: It depends, and the  
5 controls.

6                   MEMBER ROSEN: It's more than what -- You  
7 can't just take one error of force in context to draw  
8 a conclusion.

9                   MR. HARRISON: That is correct. And I  
10 don't want you to side-track on that. Yes, that is  
11 true.

12                   MEMBER APOSTOLAKIS: Let me make a more  
13 general statement here, because every time we write a  
14 research report, we get a message from the Commission:  
15 remember, this is not the National Science Foundation.  
16 This is a regulatory agency. Research should help  
17 regulation.

18                   Well, if this is not a good example of  
19 that, I don't know what is. They have a need. Make  
20 a regulatory decision. The state of the art does not  
21 give them the tools. Ergo, develop the tools.

22                   MR. HARRISON: Let me give you a practical  
23 response that we did on that particular situation. We  
24 went back to the licensee and they've done, you know,  
25 operator simulated training. And they were able to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 show to the Human Factors folks that in 68, I think it  
2 was, simulator runs, they never missed. They always  
3 did it on time.

4 MEMBER POWERS: And in fact they did it  
5 within 30 seconds.

6 MR. HARRISON: Right, which then had us  
7 ask some other questions. But the point was they gave  
8 us confidence that the values they were using as human  
9 error probabilities that went from about 0.1 to 0.18  
10 due to the power uprate, that gave us confidence that  
11 we were pretty much, you know.

12 MEMBER POWERS: 0.01 to 0.018, wasn't it?

13 MR. HARRISON: It went from 10 percent to  
14 18 percent.

15 MEMBER POWERS: Really?

16 MR. HARRISON: Was the failure rate.

17 MEMBER POWERS: And they never observed  
18 one in the simulator.

19 MR. HARRISON: Right. So that gave us  
20 confidence that our number was high.

21 MEMBER POWERS: It's a very strange world  
22 these Human Factor people live in.

23 MR. HARRISON: But that's a practical  
24 answer.

25 MEMBER APOSTOLAKIS: I don't think we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to resolve that issue right now.

2 MR. HARRISON: No.

3 MEMBER APOSTOLAKIS: In that case, if the  
4 decision-maker doesn't drive the researcher, I don't  
5 know what does. And this is an excellent example  
6 where there is a research need.

7 MEMBER ROSEN: May we go on?

8 MR. HARRISON: Okay. I'll try to make the  
9 next couple of points quick. The one question we had  
10 dealt with the fact that it would be nice to have PRAS  
11 that could model the actual margin reduction from  
12 these power uprates.

13 And at the subcommittee I made the pitch  
14 that when we do success criteria, we're basically  
15 making a judgmental margins reduction. If you can  
16 reduce your margins and not impact your success  
17 criteria and your PRA, then you've effectively shown  
18 there's no impact.

19 We are seeing some impacts -

20 MEMBER WALLIS: There's not no impact,  
21 because you're getting closer to something.

22 MR. HARRISON: You're getting closer.

23 MEMBER WALLIS: Just because you haven't  
24 got there doesn't mean there's no impact.

25 MR. HARRISON: Right. Right. But from a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PRA standpoint, that's binary.

2 MEMBER WALLIS: That's one of the  
3 problems.

4 MR. HARRISON: Right. Yes. It's a  
5 modeling approach.

6 MEMBER APOSTOLAKIS: The fundamental  
7 problem here, it has nothing do with science. The  
8 fundamental problem is that the submittal is not --  
9 there is no form. And yet the staff is trying to use  
10 risk information.

11 So whenever we hit on a difficulty, we say  
12 well, but it's not risk informed.

13 MEMBER WALLIS: So you want to make it  
14 risk informed?

15 MEMBER ROSEN: Require it be risk  
16 informed.

17 MEMBER APOSTOLAKIS: It should be. Come  
18 on.

19 MEMBER KRESS: I think the proper thing is  
20 to require the staff to do a risk informed decision-  
21 making where they can take the risk information. It  
22 doesn't have to be a risk submittal, but they can use  
23 the risk information to make their decision.

24 We stick to the deterministic.

25 MEMBER APOSTOLAKIS: I think they are.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: No, he just said if the  
2 risk information calls into question.

3 MEMBER APOSTOLAKIS: There's an issue of  
4 adequate protection.

5 MEMBER KRESS: Yes. Well, but what they  
6 do is look at 1.174. If you exceed some of those  
7 criteria, then that's enough to call into question  
8 adequate protection.

9 MEMBER WALLIS: These are special  
10 circumstance?

11 MEMBER KRESS: Yes.

12 MEMBER APOSTOLAKIS: If you exceed the  
13 1.174 delta CDF criterion, that's not an issue of  
14 adequate protection.

15 MR. HARRISON: Right.

16 MEMBER KRESS: It calls into question,  
17 makes him dig further into it.

18 MR. HARRISON: Right, the Reg Guide 1.174  
19 is a startingpoint.

20 MEMBER APOSTOLAKIS: It's a legalistic  
21 problem. It has nothing to do with technical.

22 MR. HARRISON: Right. And I would agree  
23 with you, George.

24 MEMBER SHACK: I was going to ask what  
25 base probability is for detection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Well, again.

2 (Laughter.)

3 MEMBER SHACK: You're the one who said  
4 you're adding them up.

5 MEMBER KRESS: Why don't you ask him,  
6 Bill.

7 MR. HARRISON: And that's a good question.  
8 What you do know from the Reg Guide 1.174 is a plant  
9 with a number less than 10 to the -4 is not adequate  
10 protection. You know if a plant's above 10 to the -3,  
11 it's probably adequate protection questions.

12 The problem becomes in the gray zone,  
13 between 10 to the -3 and 10 to the -4. If you just  
14 look at the seismic risk from some plants, they're up  
15 in the 2 times to the -4 already. And that's not  
16 called into question as adequate protection. So you  
17 know it's somewhere beyond 2 times to the -4.

18 MEMBER APOSTOLAKIS: If it's greater than  
19 10 to the -3, it is.

20 MR. HARRISON: Oh, clearly. Clearly. So  
21 you could start to narrow in to where you're going to  
22 start to question adequate protection. And again, it  
23 becomes a legalistic response. And it becomes a  
24 management piece of information. And that point, if  
25 we ever went into adequate protection, we would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 stopping the review.

2 MEMBER APOSTOLAKIS: Right.

3 MR. HARRISON: Because you would have a  
4 massive amount of information needed.

5 MEMBER WALLIS: But if this were risk  
6 informed, then you could use 1.174. You could say  
7 there's a change happening here, and is this change  
8 consistent with what's allowable under 1.174.

9 MR. HARRISON: Right. And clearly if the  
10 change is within Reg Guide 1.174 criteria to start  
11 with, then -

12 MEMBER WALLIS: Well, I think you have  
13 difficulty when it's not within the criteria of 1.174.  
14 But it still doesn't really put in question adequate  
15 protection.

16 MEMBER APOSTOLAKIS: Last time we reviewed  
17 ATHEANA we found that after eight or nine years of  
18 effort, they still hadn't even tried to quantify  
19 probabilities. You think that would have been the  
20 case if NRR had been complaining all along we need a  
21 model? No. But NRR makes its decisions. There is no  
22 pressure on us. You know, let's move on.

23 MEMBER WALLIS: Can we move on, then?

24 MEMBER APOSTOLAKIS: Yes.

25 MR. HARRISON: And I'll just note the last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bullet there is Reg Guide 1.174 interpretation issues.  
2 A lot of those deal with the LERF criteria, and  
3 multiple plants at a site and how you use LERF. And  
4 I would say that that's something that should probably  
5 be included in Mary Drouin's new Reg Guide that she's  
6 wanting to work on as issues for bounding analysis.

7 MEMBER KRESS: That was my comment. Let  
8 me make it clear what our concerns were. They were a  
9 little more than just what you said, but that was part  
10 of it.

11 I had basically three concerns. One of  
12 them is that LERF is a site characteristic. So if  
13 there's more than one plant on there, it changes the  
14 LERF value that you get out of the site.

15 But I also have concerns about the 10 to  
16 the -5 surrogate for the prompt fatality safety goal.  
17 And my concerns are like this. Actually, that was a  
18 mean line through a bunch of plants where they back  
19 calculated what LERF would give them, the prompt  
20 fatality safety goal.

21 So I would like to see things like where  
22 does this specific plant inside fall on a curve? Is  
23 it above it or below it? I'd like to get that into  
24 the system some way. Because it was just a mean  
25 guidance line.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other thing that worries me about it  
2           is when they made this back calculation of the LERF  
3           from the prompt fatality safety goal, they used a  
4           source term. Now, the question is you've got a 20  
5           percent power increase. You've got a 20 percent  
6           increase in inventory. The prompt fatalities are not  
7           linear with the release of fission products.

8           So the prompt fatality LERF surrogate is  
9           going to change just because you changed the  
10          inventory. And we never change it. We just change  
11          the effect of that on the LERF, which it doesn't take  
12          much because the fission products don't change the  
13          LERF very much.

14          MR. HARRISON: And I'm not sure when they  
15          -

16          MEMBER POWERS: They don't change it at  
17          all.

18          MEMBER KRESS: Well, they have a little  
19          bit of heating effect, and you can calculate some  
20          minor changes in LERF. But what it really affects is  
21          the surrogate that you should be using for the prompt  
22          fatality safety goal. And that's never factored into  
23          this.

24          So it's those three concerns, basically,  
25          I have on how we deal with it in risk informed space.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Right. And I'm not  
2 familiar with it, actually how they derive the LERF  
3 from the prompt fatality. I don't know if they used  
4 a bounding source term to try to do that where if they  
5 did, then you could argue as long as your 20 percent  
6 increase is still within that source term, you're  
7 still okay.

8 But to be honest with you, I don't know  
9 how that calculation was done, or how it was derived.

10 MEMBER RANSOM: We're running way over  
11 time. So I think we're going to have to limit this.  
12 And there's one more issue, I think, to take up and  
13 try to get over that fairly quickly.

14 MR. SHUAIBI: Okay, then. The next slide  
15 talks about SRP 14.21, the guidance for power uprate  
16 testing. And let me turn it over to Kevin Coyne who's  
17 going to talk to the SRP.

18 MR. COYNE: Thanks, Mohammed. Okay, we  
19 just wanted to make a couple of brief points about the  
20 transient testing guidance contained in SRP 14.2.1.  
21 Actually, that SRP covers the whole EPU power  
22 ascension test program.

23 The first point is that the guidance calls  
24 for performance of transient testing. We use  
25 transient testing because that has been the focus of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS concern in the past with previous EPU reviews.

2 The scope of testing that's considered in  
3 the SRP is based on the plant-specific licensing  
4 basis, and considers the original power ascension test  
5 performed for the plant, and focuses on EPU-related  
6 modifications.

7 In short, the scope of the consideration  
8 includes all original testing that was done in greater  
9 than 80 percent power for the plant. And the SRP also  
10 contains some screening criteria to identify EPU-  
11 related modifications that should be considered for  
12 testing.

13 The guidance does acknowledge that  
14 licensees may propose alternative approaches,  
15 specifically to performing the transient test.  
16 Contained in the SRP is some supplemental guidance to  
17 aid the reviewer for evaluating licensee-proposed  
18 alternative approaches.

19 We provided this in the SRP based on an  
20 understanding from previous EPU submittals that  
21 licensees have typically provided a justification for  
22 not performing certain transient tests as part of  
23 their power ascension for the EPU. Typical examples  
24 are MSIV closure testing, or load rejection testing.

25 Throughout the SRP, the guidance places

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the responsibility on the licensee to justify their  
2 proposed alternative approaches. In essence, the  
3 default position of the SRP is the call for  
4 performance of the power ascension tests does  
5 acknowledge that the licensees could propose  
6 alternative approaches. But the responsibility is on  
7 the licensee to provide an adequate justification for  
8 what those approaches would be.

9 MR. SHUAIBI: I want to say a couple of  
10 things about this guidance. Usually when we put out  
11 generic communications in guidance, or regulatory  
12 guides, or anything else, we say plants do this. And  
13 usually there is boilerplate language that says, 'If  
14 you decide to deviate from this, justify it.' That's  
15 what we normally do.

16 So we could have just as easily in this  
17 case said, 'Plants, go back to your original licensing  
18 basis, and anything over 80 percent, do that test. Or  
19 anything that's invalidated, do it.'

20 But knowing that plants were going to be  
21 submitting applications that said, 'We don't want to  
22 do this,' we provided guidance to our staff, to us,  
23 that would say, 'Here's how you would evaluate it.'

24 So this is not different from the way that  
25 we do -- It's not different in the way that it places

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 burden on licensees in the way that we do other  
2 guidance. It says licensees do these tests.

3           Actually, we went beyond the original two  
4 tests that brought up this issue. We went beyond the  
5 MSIV closure test and the load rejection test. We  
6 said look at all the tests that were done over 80  
7 percent. Look at all the tests that were done under  
8 80 percent that are invalidated by the EPU. Go back  
9 and look at all that. All that is on the table. All  
10 that is going to be evaluated. Do those. Or justify  
11 not doing them.

12           And what's really important here is in the  
13 past reviews, it was perceived that we put the burden  
14 on us to justify the need for the test, instead of on  
15 the licensee to justify the need to not do the test,  
16 or no need for doing the test. And what we did here  
17 is we put the burden on the licensees. And I've been  
18 promised, I haven't seen the application, but I will  
19 be looking at VY's application here shortly, that  
20 they've gone through and done that.

21           So that's what we tried to do here, is we  
22 tried to put it on them. It is on them. We said, 'Do  
23 these tests, or justify.' And then we provided some  
24 guidance. But we went beyond the normal way of doing  
25 business as we provided guidance for ourselves to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluate deviation.

2 MEMBER POWERS: The other thing we've got  
3 here is that you look at tests more holistically than  
4 just the two that were the focus of attention in the  
5 past.

6 MR. SHUAIBI: That's right.

7 MEMBER POWERS: I think just in doing that  
8 you've justified one of the reasons we were motivated  
9 to ask for this standard review plan.

10 MR. SHUAIBI: I guess the concern is going  
11 back to the basis for those two tests. And the intent  
12 here is go back to your original test and look at the  
13 basis.

14 I think when we came to the Subcommittee  
15 with this, we focused on how not to do the test,  
16 instead of what we would be looking for.

17 MEMBER ROSEN: Well, you know I had some  
18 interest in this.

19 MR. SHUAIBI: Right. I understand.

20 MEMBER ROSEN: And having this dialogue  
21 with you has clarified my thoughts on the subject.  
22 And where I am now, I still maintain the position that  
23 these tests ought to be done, but now I go back to my  
24 rather extensive experience in plants doing start-up  
25 testing and recall that the reason we did full power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 transient testing was we wanted to see what the plant  
2 did at full power. I mean, that was the whole  
3 question. We had predictions and all of that. We had  
4 a start-up test group, and we would do a trip at full  
5 power and compare it to the analysis of the  
6 calculation to make sure the plant behaved the way we  
7 predicted it would. It gave confidence across the  
8 board if it did, and usually we did.

9 So now we have a new full power.

10 MR. SHUAIBI: Right.

11 MEMBER ROSEN: And it's substantially  
12 different than the previous full power for an EPU.  
13 Well, it seems to me the rationale for doing full  
14 power testing originally was valid. Why isn't it now  
15 valid is the question.

16 MR. SHUAIBI: And the SRP also covers  
17 this, and I believe the words it uses is this is an  
18 extension of your original test program. In other  
19 words, the original test program didn't stop at 80  
20 percent. So if you're going 20 percent more, we see  
21 this as being an extension of -- it's the old test  
22 program, it's just you're going up to a higher power  
23 level, just like you just said.

24 MEMBER ROSEN: In other words, you could  
25 reformat this question as if the licensee on original

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensing has come in after you gave himm a license  
2 and said I think I'm only going to go to 80 percent  
3 power and do this test. I'm going to do this test for  
4 my original 80 percent power. Would you have agreed  
5 to it?

6 MR. SHUAIBI: And that's what's on the  
7 table here is you want to do that? Well then justify  
8 it. And we don't expect for this to be an easy  
9 justification if that's the path that they're going to  
10 go down.

11 We do expect for them to go back to their  
12 original testing that was done. Look at it. Look at  
13 the reasons for why it was done. Look at this power  
14 uprate and justify to us why it wouldn't be necessary.

15 Again, we wanted to put the burden back on  
16 the plants.

17 MEMBER LEITCH: There's a difference,  
18 though, between doing the original test and doing the  
19 original test in the manner in which it was done  
20 originally.

21 For example, originally when you start up  
22 the plant and do some of the tests, there's a lot of  
23 temporary test equipment. I mean, you're checking all  
24 kinds of things dynamically, movement of pipes, and so  
25 forth.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I guess this guidance is broad enough  
2           that it would allow someone to say, for example, well  
3           maybe we should do a trip from the new 100 percent  
4           power, but we might not get all the data that we got  
5           at the original test. In other words, there's enough  
6           flexibility in the exceptions that they may take, or  
7           the alternative approaches. Maybe we'll do some of  
8           this, get some data, but maybe not every last bit of  
9           data that we got in the original test.

10           Because re-installing that test equipment  
11           is a very, very significant work load.

12           MR. SHUAIBI: Right. But we would expect  
13           for them to justify that statement.

14           MEMBER ROSEN: By going back to the  
15           original start-up testing --

16           MR. SHUAIBI: That's correct.

17           MEMBER ROSEN: -- expectations, and  
18           showing that this new test, that the new 100 percent  
19           power doesn't need to be done to provide the data  
20           required by the original start-up test program.

21           MR. SHUAIBI: That's correct.

22           MEMBER ROSEN: Because it will be the same  
23           and for engineering reasons that we can all agree to.

24           MR. COYNE: For tests that would be done,  
25           we'd expect a test abstract to be included with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       submittal that would lay out the objectives of the  
2       testing, and the acceptance criteria, and how the  
3       applicant would go about ensuring that the objectives  
4       were met.

5                   MEMBER ROSEN:    And what you have very  
6       clearly laid out is you're going to want to see that  
7       test abstract versus the one they did at the original  
8       full power operation, and see what the differences  
9       are, and have the differences explained.

10                   MR. SHUAIBI:    Correct.

11                   MEMBER RANSOM:  I think we're out of time.  
12       We need to wind this up.  I'd just like to thank the  
13       staff.  I think you've been very responsive  
14       originally.

15                   MEMBER WALLIS:  Can I ask something,  
16       though?

17                   MEMBER RANSOM:  Pardon?

18                   MEMBER WALLIS:  Before we wind this up?  
19       This is a review standard.

20                   MR. SHUAIBI:    Right.

21                   MEMBER WALLIS:  We had some comments, and  
22       there were comments from the public.  I think the  
23       public comments were answered, then you gave us a new  
24       draft, right?  Then you answered our comments.

25                   Now it's clear to me what you've done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about independent calculation because I see words  
2 here. I assume they're going to be in the standard.

3 MR. SHUAIBI: Right.

4 MEMBER WALLIS: I think perhaps we'll  
5 trust you on the transient testing to put the right  
6 words in now. Right? Because I haven't seen the  
7 words yet. I have no idea what you're going to put in  
8 on the PRA issue. So how do we sort of sign off on  
9 something when we haven't seen the final words?

10 MR. SHUAIBI: On the PRA issue?

11 MEMBER WALLIS: Well.

12 MR. MARSH: Well, normally we describe to  
13 you what we're going to do. And if that sounds  
14 satisfactory, that's the basis for you writing your  
15 letter. If you'd like to see the words that are  
16 written, you can make the letter subject to the words.

17 MR. HARRISON: But if I can interrupt, at  
18 least on the PRA side, the guidance that's in  
19 Attachment 13, I believe it is, isn't going to change.

20 MEMBER WALLIS: It's not going to change.

21 MR. SHUAIBI: Right. The SRP, I think  
22 what we were talking about here on 14.2.1 is a  
23 clarification of what it is not. Not a change to the  
24 SRP itself.

25 What we're saying is that is the way that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the SRP is written. The SRP is written to put the  
2 burden on the plants, not on us.

3 MEMBER WALLIS: Okay, so you're  
4 clarifying.

5 MR. SHUAIBI: I'm clarifying.

6 MEMBER WALLIS: The only thing you're  
7 changing is independent calculation.

8 MR. SHUAIBI: And if there are items that  
9 the Committee would like to see, I mean I'd be more  
10 than happy to send Ralph, send something to the  
11 Committee through Ralph.

12 MEMBER ROSEN: I will opine, though, that  
13 having read 14.2.1 on testing, I didn't get the warm  
14 feeling that I now have from having talked to you  
15 about, and seeing this slide.

16 MR. SHUAIBI: That was our intent in  
17 putting together 14.2.1. If there are specific areas  
18 that are weak, I guess, or that need to be, we could  
19 certainly clarify those.

20 I mean, but I think that in 14.2.1 we do  
21 say that the scope of tests that we're looking at are  
22 those over 80 percent. And you either do them, or you  
23 justify not doing them. We do say that in the SRP.

24 MR. MARSH: Can I propose this? Can I  
25 propose that you take a look at the words that we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there now? And if you still think that it doesn't  
2 have the right emphasis... We'll do the same thing.  
3 We'll look at the words to make sure it reflects the  
4 emphasis we're trying to portray.

5 MEMBER ROSEN: I will. I'll be happy to  
6 look at anything you give me, but I think I looked at  
7 the words that are there now.

8 MR. MARSH: Okay. But after having heard  
9 this, see whether --

10 MEMBER ROSEN: Oh, I see.

11 MR. MARSH: -- it should be read, it's not  
12 being read that way. It can't be read the way we've  
13 conveyed it. It needs to be changed to give the right  
14 emphasis. And we'll look at the words again, too,  
15 after the discussion.

16 MEMBER WALLIS: See, we have to write a  
17 letter. We can either say it's fine, wonderful two  
18 lines.

19 MR. MARSH: That would be good.

20 MEMBER WALLIS: Or we can say it's fine,  
21 except in certain areas it needs clarification. If we  
22 don't quite know what that clarification is going to  
23 be, it's rather hard to know what to put in the  
24 letter.

25 MEMBER APOSTOLAKIS: One last question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 When did you say that users need to research that you  
2 need the model for -

3 CHAIRMAN BONACA: We need to bring this to  
4 conclusion. We're really running late. And you're  
5 opening up another issue.

6 MR. HARRISON: I have no idea. You're  
7 asking a past date?

8 MEMBER APOSTOLAKIS: Yes.

9 MR. HARRISON: I'm not sure if there was  
10 a user need written. A long time ago, I don't know.

11 MR. MARSH: Can't say. I don't know.  
12 Mark, maybe? No? Sorry. We'll have to get that for  
13 you.

14 MEMBER POWERS: I think you're reading the  
15 slide incorrectly, George. I think he was right. He  
16 says use of Human Factors models is not allowed.

17 MEMBER RANSOM: Thank you.

18 CHAIRMAN BONACA: Thank you for the  
19 presentation. We are running behind and we need to at  
20 least discuss two letters tonight. So my sense is  
21 that we should just proceed and whoever wants to have  
22 a break, who has a need, then go ahead.

23 MR. MARSH: Mr. Chairman? I'd like to  
24 thank you very much for the opportunity to address  
25 you, and to give you the thoughts that we've gotten

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 from the Subcommittee meetings. We do value the  
2 comments that you've got and hope we can end up at the  
3 right place. So thank you very much.

4 CHAIRMAN BONACA: Thank you. Okay, the  
5 next item on the agenda is draft final revision 3 to  
6 Regulatory Guide 1.82 Water Sources for Long-Term  
7 Recirculation Cooling Following a LOCA. And Dr.  
8 Wallace will take us through this presentation.

9 MEMBER WALLIS: This is an interesting and  
10 important issue for almost 30 years. It's been  
11 revived at various times when various events occurred  
12 which changed people's view of what might happen. It  
13 was tackled for the BWRs, and after a lot of activity  
14 in the 1990s the owner's group got together, the staff  
15 made it clear what had to be done. And all the BWRs  
16 changed by sump screens. Sometimes by making a large  
17 area of change in the sump screen.

18 We have recent work at Los Alamos which  
19 showed pretty clearly that there was an issue for  
20 PWRs. And so we're here to hear what the staff is  
21 doing in terms of a regulatory guide to resolve this  
22 issue.

23 This doesn't put to rest the TSI, which is  
24 associated with this problem. And we have both the  
25 staff and Los Alamos here today. I'd like to ask Mike

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Mayfield to get us started.

2 MR. MAYFIELD: Thank you. We're here this  
3 afternoon to present to you and seek Committee  
4 endorsement of the publication of the final revision  
5 three to Regulatory Guide 1.82. We met with the  
6 Committee when we had the draft to put out for  
7 comment. We've been out. Gotten the comments. Have  
8 addressed those comments. And we believe that we have  
9 addressed them in such a way that we're ready to go  
10 final with the guide.

11 This is important for us to move forward  
12 on because it is, first of all, and important issue.  
13 But secondly, the staff has put out a bulletin to have  
14 licensees take certain actions. And to some degree,  
15 the licensees are looking towards this draft  
16 regulatory guide to provide guidance on how to address  
17 the bulletin, or at least as they begin to structure  
18 their responses.

19 In response to the public comments, we did  
20 make some changes to the guide that we believe are  
21 important to have on the street in the final form so  
22 that licensees are dealing with the staff's latest  
23 thinking, as opposed to the draft that was put out for  
24 comment. So we are hoping to get the Committee's  
25 endorsement so that we can move forward and publish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this document.

2 NEI is preparing guidance that's more  
3 detailed than what you'll find in this regulatory  
4 guide. The staff will review that guidance, and we  
5 have yet to -- we and NRR will review that guidance  
6 document once NEI has it. And the decision will be  
7 made at that time, what vehicle to use to endorse that  
8 guidance, assuming that that's the direction we go.

9 But in the interim, we felt like it was  
10 important to finalize this guide and get it on the  
11 street. I have with me this afternoon Michele Evans,  
12 who is the chief of the Engineering Research  
13 Applications Branch in Research, and Michael Johnson,  
14 who is the deputy director of DSSA in NRR. Tony Hsia  
15 and his team will make the presentation on the guide  
16 and answer your questions.

17 MEMBER WALLIS: Mike, I forget exactly  
18 what words you used about the guide, but you're viewed  
19 to say it was going to get the utilities going and  
20 responding to this issue.

21 Now, if you read the guide, it seems to me  
22 it very clearly tries to cover all the gamut of  
23 phenomena which are likely to happen which influence  
24 all these events. But it doesn't say much at all  
25 about what's an acceptable way to analyze those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 phenomena. Many guides go further in terms of saying  
2 we'll accept this method, that method, or something.

3 And I think the Committee's going to ask  
4 you about whether the methods for analyzing these  
5 phenomena are available, and how good they are.

6 MR. MAYFIELD: Okay.

7 MEMBER WALLIS: Because that's not really  
8 tackled in the guide at all.

9 MR. MAYFIELD: That's correct, it is not  
10 tackled in the guide. There is some technical  
11 background information. And I think perhaps the best  
12 thing I can do is let Tony and his team try to address  
13 that.

14 MEMBER WALLIS: Well, I want to say at the  
15 outset, I think it's going to be one of the questions  
16 we have.

17 MR. MAYFIELD: I understand.

18 MEMBER ROSEN: Right around that question  
19 also, I'd like to ask the question of have you seen  
20 the draft NEI guide? Is there such a thing that  
21 you've looked at?

22 MR. MAYFIELD: I have not. Bruce is  
23 shaking his head yes. So perhaps they have. I think  
24 it is a fair statement that we have not officially  
25 reviewed and taken a position on that guidance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LETELLIER: That is correct. We don't  
2 have an official position. But we've been  
3 interviewing interim appendices of this draft. We  
4 have not viewed it in its integrated whole.

5 MEMBER ROSEN: So there is some work that  
6 you've already looked at, and it's moving.

7 DR. LETELLIER: It is moving.

8 MEMBER ROSEN: Okay. That's good.

9 DR. LETELLIER: And they are still  
10 committed to their September deadline, I believe.

11 MEMBER WALLIS: So let's proceed now.  
12 Tony?

13 MR. HSIA: My name is Tony Hsia. I'm the  
14 Assistant Branch Chief in ERAB in Research. Thanks  
15 for this opportunity to be in front of you and present  
16 to you our Regulatory Guide 1.82 revision three.

17 To my right is Bruce Letellier, our  
18 contractor from Los Alamos National Lab. To his right  
19 is Dr. T.Y. Chang, staff with the ERAB in Research.  
20 What we plan to do this afternoon is I'll go over the  
21 overview and the background of this issue which some  
22 of you are very familiar with. Then I'll turn over to  
23 T.Y. He will continue to go into more detail of the  
24 Reg Guide. And if any other technical details, both  
25 T.Y. and Bruce will be able to pick that up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           At the outset, I would like to say this  
2 Reg Guide is the same as any other Reg Guide. We may  
3 not have said specifically we will accept this model,  
4 we will accept that model. But by definition we do  
5 say in the beginning of this Reg Guide say Reg Guide  
6 will describe acceptable methods to the staff in  
7 evaluating your vulnerability to the debris impact on  
8 the sump performance.

9           MEMBER WALLIS: Perhaps it's what we mean  
10 by "methods" that's at stake here. I mean, it says  
11 you must consider debris formation, debris transport,  
12 and all that, but it doesn't say what methods you use  
13 to consider those things.

14           MR. HSIA: Correct. This Reg Guide is not  
15 a prescriptive Reg Guide that lays out the methods in  
16 detail because as you all know this issue is an  
17 extended issue for many years. We have many, many  
18 NUREG reports in there that are much more detailed are  
19 described in there.

20           So I believe during the Subcommittee  
21 briefing we did attempt to refer to those references.  
22 But this afternoon we'll try to address those specific  
23 questions also.

24           If I may have viewgraph number 2. Okay,  
25 this is the structure of this afternoon's briefing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'll cover the background, the reasons for issuing  
2 this Reg Guide, and the use of the Reg Guide, and Reg  
3 Guide 1.82 activities associated with Revision 3 of  
4 this Reg Guide. And then T.Y. will pick up with the  
5 remaining of the presentation this afternoon.

6 Viewgraph 3. As you know, this issue  
7 started almost 30 years ago when Revision 0 was issued  
8 in June of 1974. At that time, the whole industry as  
9 well as us knew little about the impact of debris on  
10 the sump. So the best thing we could do at that time  
11 was make a conservative assumption. So we assumed 50  
12 percent blockage of the sump screen. And when you  
13 calculate the net positive suction head for your  
14 recirculation flow.

15 And then after that, we realized we need  
16 to do better. We start to conduct research, and also  
17 the NRC issued USI-A 43 in January of '79. That USI  
18 is focused on containment emergency sump performance.

19 Shortly after that, Revision 1 of this Reg  
20 Guide was issued that provided guidance. The guidance  
21 was based on USI-A 43 resolution. In early 1990s,  
22 several nuclear power plants, starting with Barsebaeck  
23 in Sweden, and then followed by several BWRs in this  
24 country, including Perry, Limerick, Grand Gulf, and  
25 Browns Ferry had experienced suction strain or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blockage events that in some cases demonstrated the  
2 recirculation flow was negatively impacted because of  
3 the blockage of the sump screen.

4 And we realize we need to do more. We  
5 need to have more knowledge. Therefore, more research  
6 was conducted starting at that time. We issued  
7 Revision 2 in 1996. That was a revised guidance with  
8 the focus on BWRs.

9 Also, NRC issued Bulletin 96-03. That's  
10 to specifically focus on the potential plugging of  
11 strainers and BWRs. And that bulleting requested  
12 licensees to implement measures to ensure ECCS  
13 functions following a loss of coolant accident.

14 And also for that revision, instead of  
15 using the old 50 percent blockage, we recommended that  
16 the licensee during their evaluation to assume 100  
17 percent debris transport from the break location to  
18 the sump. That's a conservative assumption. Unless  
19 they can justify otherwise. Again, that's a  
20 conservative assumption.

21 Come to this point. Today we're ready to  
22 present to you and seek your endorsement of Revision  
23 3. This Reg Guide, like Mike said earlier, and our  
24 colleagues at NRR would like to use this also as a  
25 guidance toward contributing to the resolution of GSI-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 191. That is a BWR sump performance. Next viewgraph,  
2 please.

3 The reason for issuing this Reg Guide, as  
4 I said earlier, is to contribute to the resolution of  
5 GSI-191, and also to provide an enhanced debris  
6 blockage evaluation guidance for PWRs and methods  
7 that's acceptable to the staff.

8 As all Reg Guides, I said earlier, they  
9 are not substitutes for regulations. Therefore,  
10 compliance is not required. But those are the  
11 acceptable methods to the staff for evaluation of the  
12 debris impact on sump performance.

13 Of course the other methods the licensee  
14 would like to propose we certainly will consider, and  
15 will review individually for acceptance at that time.  
16 Viewgraph 5.

17 Earlier this year, in February, we came in  
18 front of the ACRS, briefed the ACRS. At that time it  
19 was DG-1107. That also included with NRR presentation  
20 on GSI-191, also their plans for the generic letter.  
21 At this moment, I understand the generic letter is  
22 planned to be, the draft is to be going out for public  
23 comment toward the end of this year. And the final  
24 generic letter is expected spring of next year.

25 Back in, I believe in June or earlier,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there was a Bulletin 2003-01 issued by NRR. That  
2 bulletin requested the licensees to either demonstrate  
3 they satisfied the requirements in 50.46 on long-term  
4 cooling, or they had to take an interim compensatory  
5 measure to ensure ECCS performance.

6 I understand that we have received  
7 responses from licensees on that bulletin. The  
8 majority of them chose to use compensatory measures.

9 So the public comments on this version of  
10 Reg Guide was received after April of this year. We  
11 have addressed those public comments. And T.Y. will  
12 discuss all of that in more detail later.

13 And that will bring us to today. As we  
14 said earlier, we did brief the Subcommittee in August,  
15 and we have gone to CRGR, also in August. And that  
16 leads us to where we are today. T.Y.?

17 DR. CHANG: My name is T.Y. Chang, Office  
18 of Research. Slide number 6. There are a lot of key  
19 revisions in this version of the Reg Guide. The  
20 majority of the modifications of this revision was  
21 focused on the pressurized water reactor section in  
22 order to enhance guidance on how to evaluate debris  
23 blockage issue.

24 And we tried to utilize the information  
25 from the prior Revision 2 version for the boilers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       Wherever applicable, we tried to use those  
2       information. And also, in addition, we added inside  
3       scan from the research and the GSI-191.

4               After the revision of the PWR sections,  
5       then we turn our attention to BWR sections as well,  
6       trying to make sure that the two sections are  
7       consistent to each other. Also, in the BWR sections,  
8       we also added the staff's position on the evaluation  
9       of BWR owner's groups URG. That's a Utility  
10       Resolution Guidance for the ECCS suction strainer  
11       blockage. That's for the PWR plants.

12              Finally, within this version of the Reg  
13       Guide, another Reg Guide is subsumed into this one.  
14       That is Reg Guide 1.1, the net positive suction head  
15       for ECCS and containment heat removal system pumps.  
16       So Reg Guide 1.1 will no longer be in existence. It  
17       will be part of Appendix A of this Reg Guide.

18              MEMBER LEITCH: Some of this work, as I  
19       understand it, is based on recent testing that was  
20       done. Recent test results at Los Alamos, was it?

21              DR. CHANG: Yes.

22              MEMBER LEITCH: My question really is does  
23       any of that test data invalidate the work that was  
24       done on BWRs?

25              DR. CHANG: Maybe Bruce?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LETELLIER: Not that we're aware of.  
2 There haven't been any apparent contradictions at this  
3 time. In fact, much of the guidance is based on the  
4 same guidance that was issued for the BWRs, as far as  
5 methodology.

6 MEMBER LEITCH: But this recent test data  
7 was done after the changes were made to the BWR  
8 suction screens.

9 DR. LETELLIER: That's correct. I think  
10 the focus of the research program under GSI-191 was to  
11 increase the depth of the database on debris transport  
12 properties.

13 And also we had hoped to do some two-phase  
14 debris generation tests because that was not part of  
15 the BWR study. We had more success on the transport  
16 and head loss characterization than we have on the  
17 two-phase debris generation.

18 But we were focused on the unique aspects  
19 of the PWRs, and so none of the research that's come  
20 to light has contradicted those earlier results.

21 MEMBER WALLIS: Well, I wonder if that's  
22 true. I mean, I've been reading your reports. There  
23 are many statements of this type, about larger  
24 quantities of fibrous debris could reach the  
25 strainers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That being predicted by models and  
2 analysis, this is from the Barsebaeck event, that  
3 being predicted and methods being developed for  
4 resolution of USI A-43.

5           And then when you're talking about the  
6 presents state, you say preliminary findings suggest  
7 two phase jets can inflict significant damage at  
8 distances much further away than those measured either  
9 in USI A-83 studies or BWR earned-impact test program.

10           There are lots of statements like this in  
11 your document. Now, if the new tests show that things  
12 can happen further away and more bigger effects and  
13 all that than predicted before, this would seem to  
14 have some effect on the BWRs too.

15           DR. LETELLIER: Of course it would. And  
16 there are statements to that effect, that they need to  
17 be applied with full understanding of that  
18 phenomenology and adjusted appropriately.

19           And we tried to provide, in every case,  
20 examples of how to do that scaling where it was  
21 appropriate. The first citation that you quoted, the  
22 difference between the initial debris generation in  
23 the three-zone cone model, that was actually addressed  
24 by the BWR work.

25           And if additional conservatism and test

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 data were provided to cover that.

2 MEMBER WALLIS: So they did provide  
3 additional conservatisms?

4 DR. LETELLIER: Certainly.

5 MEMBER WALLIS: So it might be expected  
6 that the PWR would do the same thing?

7 DR. LETELLIER: That's our hope, yes.

8 MEMBER WALLIS: Okay.

9 DR. LETELLIER: But the recent bulletin  
10 was just to PWRs, not to all the science.

11 MEMBER WALLIS: Correct.

12 DR. LETELLIER: Okay.

13 DR. CHANG: The next slide is about the  
14 resolution of the public comments. The draft Reg Guide  
15 that was called DG 1107 was issued in February of this  
16 year, and there's a two-month period for the public to  
17 send in their comments.

18 And up to about 90 comments were received  
19 from seven commentors, including four utilities:  
20 Westinghouse, NEI and the one individual. In  
21 descending order of number of comments received, here  
22 is a list of the most raised comments.

23 The first one is a comment about a  
24 conformance issue for current plans. Our response is  
25 that this Reg Guide is generic in nature, and it may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go beyond current designs.

2 The intent is that this Reg Guide will be  
3 useful for future plans as well.

4 MEMBER WALLIS: Was that the issue that  
5 they raised? I thought the issue was --

6 DR. CHANG: The issue is that some of the  
7 other conformance --

8 MEMBER WALLIS: They will find themselves  
9 out of conformance if they do the analysis. What are  
10 they expected to do?

11 DR. Chang: This is -- most of the  
12 comments is that the current plan designs, in certain  
13 cases, are different from what's described in the Reg  
14 Guide. For instance, I think we mentioned that it's --  
15 people should have two sumps in the PWR plant.

16 And some of the plants, they don't have  
17 two sumps. So, this is just to state the staff's  
18 position and give out acceptable methods to treat this  
19 ECCS problem.

20 Then, the next most asked issue is about--

21 CHAIRMAN BONACA: Now, just a question on  
22 that.

23 DR. CHANG: Yes.

24 CHAIRMAN BONACA: This is a Reg Guide, so  
25 this provides a means of addressing the issue. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when you say that they should have two sumps, that's  
2 prescriptive.

3 I mean, it's not an option immediately, so  
4 what would be the approach for those plants that don't  
5 have two sumps. They'll have to make modifications, I  
6 guess, to --

7 DR. CHANG: Well, the Reg Guide, it is not  
8 a requirement.

9 CHAIRMAN BONACA: Right.

10 DR. CHANG: This is not a regulation.

11 CHAIRMAN BONACA: Yes.

12 DR. CHANG: So it just simply states the  
13 staff's position, and also the acceptable methods.  
14 Anything different than that is okay, if --

15 CHAIRMAN BONACA: I guess what I'm talking  
16 about is that -- I mean, if you establish some  
17 functional requirement of some type, then you can  
18 suggest ways to fulfill that requirement, to meet it.

19 And then you can leave it to the licensee  
20 to meet that requirement however he can do it. But if  
21 you prescribe two sumps, I mean that's not --

22 DR. CHANG: The intent is for the future  
23 plants.

24 CHAIRMAN BONACA: Okay.

25 DR. CHANG: It's desirable to have two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 independent sumps.

2 MEMBER WALLIS: Is that only for future  
3 plants?

4 DR. CHANG: Pardon?

5 MEMBER WALLIS: Those are conformance  
6 issues for current plants. I mean, that's the whole  
7 question, isn't it? If they do this analysis based on  
8 the guide, they may well find they can't meet the  
9 long-term cooling criteria. What are they supposed to  
10 do then?

11 MR. HSIA: The real test -- the real test  
12 is whether you do have enough water to be fed into the  
13 reactor system during long-term cooling. The ultimate  
14 test is your net positive suction head.

15 Whether you have one or two or three  
16 sumps, if you can demonstrate -- let's say I only have  
17 one, but I can demonstrate what debris --

18 CHAIRMAN BONACA: Okay.

19 MR. HSIA: I can still meet the net  
20 positive suction head, then I'm establishing that I  
21 have no problem.

22 CHAIRMAN BONACA: So you're establishing  
23 a functional demand?

24 MR. HSIA: Yes.

25 CHAIRMAN BONACA: And you're suggesting a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 way in which it can be done? All right.

2 DR. CHANG: And also, it's a function of  
3 the size of the screens, and so forth. There are a  
4 lot of different parameters you have to look into.

5 CHAIRMAN BONACA: Yes.

6 MR. HSIA: One of the complications of  
7 this issue for these B's or P's, is particularly for  
8 the P's, is very much plant-specific. And as a matter  
9 of fact, BWRs are simpler, because they are designed  
10 -- they are more or less similar.

11 And P's could have very different design  
12 compartments and so on.

13 MR. MAYFIELD: Mr. Chairman, this is Mike  
14 Mayfield. When you look at, under regulatory  
15 positions 1.1, the first sentence says ECCS stumps,  
16 which are the source of water, and so on, should  
17 contain an appropriate combination of the following  
18 features and capabilities.

19 And then the notion of having two sumps is  
20 one of those. It's not a mandate that you have to have  
21 two sumps.

22 CHAIRMAN BONACA: It's a way to fulfill --

23 MR. MAYFIELD: It's one way. And again,  
24 there's a fairly lengthy list of those kinds of things  
25 that would be desirable features. And you're looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for some combination, so that you don't lose net  
2 positive suction.

3 CHAIRMAN BONACA: Sure.

4 MEMBER WALLIS: I still think the issue  
5 here was the plants anticipated, as a result of this,  
6 they would have to make changes. Even though you claim  
7 that no backfit is implied, they probably will, just  
8 as the BWR's made all these changes.

9 So there will be a lot of conformance  
10 issues for the current plants.

11 DR. CHANG: This issue came up in the CRGR  
12 discussion, the briefing we had with them, and we --  
13 our position is that this is a conformance type of a  
14 backfit.

15 MEMBER WALLIS: Right.

16 MR. MAYFIELD: It's a compliance backfit.

17 MEMBER WALLIS: I think our overview of  
18 this is problem is that probably all the PWRs, as the  
19 BWRs, will make changes in the plant - most likely as  
20 a result of this issue being resolved.

21 MR. MAYFIELD: That could be an outcome.

22 MR. HSIA: In my opinion, it's really hard  
23 to say. It depends on the evaluation.

24 MR. MAYFIELD: Again, Doctor Wallis, I  
25 wouldn't want to presume that they're all going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to make changes. But the notion is that it could  
2 -- your statement could be an outcome of licensees  
3 evaluating this.

4 The BWR licensees evaluating their ECCS  
5 systems, that's possible.

6 DR. LETELLIER: I would further add that  
7 if changes are necessary, they will likely be in  
8 compliance with the Reg Guide. One before the other.  
9 If their individual vulnerability assessment warrants,  
10 they will make improvements along these guidelines.

11 MR. HSIA: As well as the coming NEI  
12 guidance -- industry guidance, so...

13 DR. CHANG: I don't know -- should I go on  
14 with --

15 MEMBER WALLIS: I'm not sure you need to  
16 go through all of these comments.

17 DR. CHANG: Okay, I can -- some of them --  
18 some of the comments raised, I discuss them in the  
19 later slides as well.

20 MEMBER WALLIS: Yes.

21 DR. LETELLIER: Could you just discuss --  
22 clarify what is meant by leak before break for debris  
23 source? I'm not quite sure what that means.

24 DR. CHANG: Well, this is the position  
25 that we responded to from a Westinghouse letter, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stated that position. What it means is that the leak  
2 before break is not applicable when you try to  
3 consider how many amount of the re-generation can be  
4 created from pipe break.

5 So, for the purpose of estimating the  
6 amount of debris generation, the leak before break  
7 criteria cannot be used. This is in line with the 10  
8 CFR 50.46 position.

9 That section is on the ECCS cooling.  
10 There, it says, in order to calculate the function of  
11 an ECCS, you have potentially many different locations  
12 of break, and try to find the most severe pace in  
13 order to design your ECCS system.

14 So this is in line with what is the  
15 position in the 10 CFR 50.46.

16 DR. LETELLIER: So, when you're looking at  
17 debris generation, you have to consider the  
18 instantaneous guillotine break of the largest pipe? Is  
19 that correct?

20 In other words, you cannot assume that  
21 there's a leak and you detect the leak and are able to  
22 shut it down. In other words, you have to assume that  
23 the line breaks and the debris is going to be  
24 generated as a result of that.

25 DR. CHANG: Well, people are considering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the double-ended guillotine break, middle sized break  
2 LOCA or small sized LOCA. But I think the position of  
3 the staff is leak before break is not acceptable for  
4 this purpose.

5 MR. HSIA: If I may jump in, the current  
6 agency position is leak before break and it can only  
7 be used for certain specific applications, such as  
8 pipe whip.

9 MR. MAYFIELD: This is Mike Mayfield. The  
10 change that we made to GDC 4, which is the one that  
11 deals with the pipe whip restraints and jet  
12 impingement barriers.

13 That allowed the elimination of those. The  
14 notion was that that change was adequate for  
15 eliminating the dynamic effects associated with such  
16 pipe breaks.

17 Then you get tied up with was this the  
18 dynamic effect or not. And my contention is that this  
19 is not a dynamic effect, this is an impingement  
20 effect.

21 And the notion of instantaneous double-  
22 ended, the notion is that you've got a jet that's  
23 potentially moving around. One of the other things to  
24 keep in mind is the leak before break size crack that  
25 we'll talk about for GDC 4, and that's been analyzed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as people have sought relief from having pipe whip  
2 restraints and impingement barriers.

3 That's a big hole in the side of the pipe.  
4 This is not weeping water. We had briefed the  
5 Committee several years ago. We would be happy to come  
6 back in and show you what that really means.

7 This is a significant leak. It is a -- in  
8 the large pipe, it is a very big hole in the side of  
9 the pipe. And, analytically, you'd have to move that  
10 around the pipe's circumference, to make sure you've  
11 captured the appropriate potential debris source.

12 So it actually complicates the analysis.  
13 Would it reduce the amount of debris generated? I  
14 think that almost certainly the answer to that is yes.  
15 Now you're left with, okay what's the trade-off.

16 The view that we've had is that one,  
17 you're hard put to really argue this is a dynamic  
18 effect. To include it at this stage would  
19 significantly-- would cause us to have to go back and  
20 revisit things that are in 50.46 and the change we  
21 made to GDC 4.

22 And we, at this stage, we were having some  
23 difficulty justifying making those changes for this  
24 specific application. My understanding is that the  
25 industry is making some overtures and pursuing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 line of discussion.

2 It's a policy issue that we'll be happy to  
3 entertain. But to move forward at this time, with this  
4 guide, we felt it was more appropriate to move  
5 forward, making the assumption of the double-ended  
6 break and deal with the debris generation on that  
7 basis.

8 MEMBER WALLIS: Can we move on?

9 DR. CHANG: Yes, the next slide, number  
10 eight. Here's a summary of Reg Guide 1.82, in terms of  
11 accident sequences. When a LOCA happens, the initial  
12 shockwave and blowdown jets impinging on the  
13 insulations will create the most amount of debris.

14 That usually happens in the first minute  
15 or so. So, we, in this Reg Guide, we are going to talk  
16 about our position, how we are going to partially the  
17 break location and what kind of sources should be  
18 looked at as a debris potential source.

19 And once you have those debris generated,  
20 in order to estimate how much of the debris will end  
21 up at the sump screen, the next step is to do the  
22 debris transport analysis.

23 That includes three types of transport.  
24 First is airborne debris transport. Right after the  
25 pipe break and blowdown, the air velocity in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 contaminant could reach 300 feet per second, according  
2 to some of the analysis.

3 So it's a very fast velocity within the  
4 turbulent situation in the contaminant. And the debris  
5 can be blown to the dome area of the contaminant. So  
6 this is the airborne debris transportation.

7 Of course, eventually most of it will  
8 settle down and come down. The next is after the --

9 MEMBER WALLIS: So, this 300 feet per  
10 second, do you have an idea what a stagnation pressure  
11 is for that?

12 DR. CHANG: I just read in the report that  
13 200-300 feet per second velocity can be expected.

14 DR. LETELLIER: He's saying the  
15 displacement velocity, as the fluid stayed in -

16 MEMBER WALLIS: I'm saying that as a  
17 debris model for your Figure A-2, that says that after  
18 you get to a seven or something, the stagnation  
19 pressure's only half the psi.

20 It seems to me that 300 feet per second is  
21 a bigger stagnation, and you say it's all over the  
22 whole containment. That doesn't seem to be consistent.

23 MR. HSIA: Excuse me, I missed -- what  
24 figure are you referring to, Doctor Wallis?

25 MEMBER WALLIS: Figure A-2, the somewhat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 notorious Figure A-2. It says that there isn't a L  
2 over D number on there, I think it's about seven is  
3 down to a half a psi.

4 I just brought that up because I think  
5 there are a lot of inconsistencies about this zone of  
6 influence on the velocities and the pressures that  
7 need to be sorted out. So, please go on...

8 DR. CHANG: Yes, this figure actually is  
9 a carryover from the A-43 document. We didn't put down  
10 the L over D numbers in the regions one, two and three  
11 here. But the --

12 MEMBER WALLIS: They are in your report.  
13 And I can see that seven is the L over D number that's  
14 out --

15 DR. CHANG: Yes, this is just a conception  
16 to show that --

17 MEMBER WALLIS: Well, this is not a  
18 conception, this comes from work done by Sandia.

19 DR. LETELLIER: No, the intent of the  
20 figure in the Reg Guide is conceptual.

21 MEMBER WALLIS: Yes, but the figure in the  
22 -- now, come on, this is an exact copy of the figure  
23 that's in the basis.

24 DR. CHANG: We deleted the L over D  
25 numbers there, within the three regions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LETELLIER: It's intended to show the

2 --

3 MEMBER WALLIS: You see the problem I  
4 have, is that I look at this, I see that everything  
5 gets exhausted by a certain distance. And then here's  
6 someone telling me that I've got velocities in the  
7 whole containment, which are bigger than I see from  
8 this figure.

9 You know, that's at a much lower distance.  
10 That's why I brought this up, that's all. Let's move  
11 on.

12 DR. CHANG: Later on, Bruce has some view  
13 graphs to talk about the ZOI, so -

14 MEMBER WALLIS: No, I want to talk about  
15 ZOI too.

16 DR. CHANG: We can go into that later on.

17 MEMBER WALLIS: Okay, so lets move on. Can  
18 we get the next slide?

19 DR. CHANG: Okay, then it's washed down.  
20 After the containments sprayed and then the debris was  
21 sent up at the basement of the containment and get  
22 washed, some of them --

23 MEMBER WALLIS: Okay, so it says here that  
24 ZOI can be used. The zone of influence is the zone in  
25 which the destruction occurs, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CHANG: That's correct.

2 MEMBER WALLIS: And if I look at this  
3 figure I mentioned, I see that it says that after  
4 about five L over D's, there's limited damage. And  
5 then in another report from Los Alamos, the parametric  
6 study, it says that it's able to use a 12 diameter  
7 sphere.

8 Now, there's a different number, all  
9 right? And in other places I hear that the zone of  
10 influence, in oral presentations, can be as big as a  
11 third or half of the whole containment.

12 This just doesn't seem consistent with  
13 this figure which says that everything gets tired  
14 after about five L over D's.

15 DR. LETELLIER: This figure is intended to  
16 be conceptual, and I've suggested that --

17 MEMBER WALLIS: It's not, it's a guidance.  
18 I mean, it refers to -- this is conceptual in the  
19 guide, but if you look in the guide that you've put  
20 out as the technical basis, which I think is the basis  
21 suggested for use in all of these analysis, it has  
22 numbers on it.

23 DR. LETELLIER: This is the knowledge base  
24 you're referring to --

25 MEMBER WALLIS: If I pick and choose in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these knowledge bases, I can get a lot of different  
2 numbers.

3 MR. MARSHALL: Excuse me, my name is  
4 Michael Marshall, I'm a former project manager for  
5 this project. One reason those numbers vary is based  
6 on the type of insulation.

7 So, I think that's one reason why they  
8 probably removed the numbers from the graph. The  
9 larger one's for, let's say, an encapsulated  
10 fiberglass would carry out to that 30 or that larger  
11 L over D.

12 MEMBER WALLIS: 30 L over D?

13 MR. MARSHALL: Yes, a larger distance.  
14 Your metallic insulation, depending on the type of  
15 clap, again you get --

16 MEMBER WALLIS: Well, I agree with that.  
17 I agree with that. I agree with all of that. It's just  
18 that if I look at different parts of these reports, I  
19 sometimes see five, I sometimes see 12, I can even see  
20 60 in one of these parts of the report.

21 And therefore, there's a great variability  
22 here. And, you know, it seems to me that different  
23 people can pick different numbers and use them in  
24 their analysis.

25 DR. LETELIER: They can pick numbers and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 use them inappropriately, certainly. The knowledge  
2 base presents a variety of models that provides a  
3 survey of historical development for the problem.

4 And Michael raises a very important point,  
5 that the damage pressure's very specific to the  
6 insulation type, so the damage pressure distances will  
7 vary according to what your targets of interest are.

8 And it's important that the licensees  
9 understand that.

10 MEMBER WALLIS: Oh, we know that. We know  
11 that. But --

12 DR. LETELLIER: The use of these figures,  
13 and I should apologize for borrowing old graphics, but  
14 they are intended to be conceptual, and I've  
15 recommended that --

16 MEMBER WALLIS: They can't be conceptual  
17 if they're going to be used in analysis. You've got to  
18 put numbers in.

19 CHAIRMAN BONACA: But, I mean, do you  
20 think that it's clear to a licensee, for example,  
21 based on the guidance you provide in the Reg Guide and  
22 the supporting information, if he would understand  
23 what numbers to use for what material?

24 DR. LETELLIER: There are supporting  
25 documents that recommend damage pressures for specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 insulation types.

2 MR. HSIA: If I may read, Bruce, the  
3 section in the current Reg Guide that refers to the  
4 figure you're pointing to. And I'll quote...

5 CHAIRMAN BONACA: What page are you at?

6 MR. HSIA: I'm at page 1.8-2.

7 CHAIRMAN BONACA: Okay.

8 MR. HSIA: Figure 8-2 provides a  
9 conceptual three-region model that has been developed  
10 from an analytical a fair amount of consideration as  
11 --

12 MEMBER WALLIS: The conceptual isn't much  
13 help when you're actually making a calculation.

14 MR. HSIA: Yes, I understand. Let me  
15 finish the sentence, then I'll see if I can understand  
16 what this is trying to say. As identified, region one  
17 of new reg and two new reg reports, the destructive  
18 results example volume instruction of insulation and  
19 other debris generated, the size of debris off the  
20 break jet force will be considerably different for  
21 different types of insulation. Again, Figure A-2 --

22 MEMBER WALLIS: We know that. We know  
23 that.

24 MR. HSIA: So, this is saying clearly it's  
25 conceptual. All we're trying --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: It's even more confusing,  
2 because then you have to give actual numbers for all  
3 of these things and you have to show how the zone of  
4 influence varies depending on the jet stream --

5           MR. HSIA: That is the method we are  
6 trying to describe in this Reg Guide, saying if you  
7 have different insulation, there are different damage  
8 pressures for those insulation materials.

9           Therefore, you need to consider at  
10 different distances. Like you quoted, Doctor Wallis,  
11 maybe 6 L over D or 20 L over D, that's exactly right.  
12 So you cannot just say for my plant I'm going to  
13 assume the zone of influence is 20 or 5.

14           That is not the correct method we're  
15 trying to describe here.

16           CHAIRMAN BONACA: So you have a number of  
17 zones of influences, which are material dependent?

18           MR. HSIA: Correct.

19           DR. CHANG: Very much so, for the 20 L  
20 over D, damage pressure, that is for a much weaker  
21 insulation compared to a 5 L over D, such as the so-  
22 called --

23           MR. HSIA: For example, Barsbaeck has,  
24 based on our reading, Barsbaeck has one of the worst  
25 kind of insulation. At that time, it was just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 fiberglass without a very strong jacket.

2 On the other hand, the reflective metallic  
3 insulation would steal a jacket with bindings on it,  
4 it would be very strong. So you really need to look at  
5 your location and your insulation before you start to  
6 go use the zone of influence, whether it's spherical  
7 or conical.

8 CHAIRMAN BONACA: I must say, as I read  
9 it, I did not understand that either.

10 MEMBER WALLIS: I think we need to move  
11 on, but we'll come back to this perhaps -- we may not  
12 have time, and we just have to be in the letter. I  
13 think that even if you can know the damage pressure,  
14 then I think you'll find there are inconsistent values  
15 from different kinds of research from different  
16 places.

17 And calculate from the damage pressure  
18 itself is not something which I'm at all happy about,  
19 from your three-region model. So it just changes the  
20 devil.

21 Instead of having spheres that you don't  
22 have the size of, it changes the pressures you don't  
23 know the value of. So, it's --

24 DR. LETELLIER: Damage pressure's clearly  
25 have to be based on experimentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Experimentation?

2 DR. LETELLIER: Yes. And for the database  
3 that exists, we have very definite recommendations.

4 MEMBER WALLIS: The jet pressures? The  
5 pressures that are in the two-phase jet?

6 DR. LETELLIER: Yes.

7 MEMBER WALLIS: Are based on  
8 experimentation, not --

9 MR. HSIA: That's pressure that can damage  
10 the insulation.

11 DR. LETELLIER: Our recommendations for  
12 damage pressure for specific insulation types are  
13 based on the record and the data that exist in the  
14 data.

15 There's been extensive testing, and we'd  
16 be happy to review that.

17 MEMBER WALLIS: You measured the pressure  
18 on the target?

19 MR. HSIA: That's correct. That's the  
20 pressure on the target.

21 MEMBER WALLIS: Because you know the  
22 pressure in the containment environment?

23 MR. HSIA: Yes.

24 MEMBER WALLIS: That's where I have great  
25 difficulty with your three-region two-phase conical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 jet model. But let's move on. I don't know if you know  
2 where it came from.

3 But if you look at where it came from, you  
4 too would have some doubts, I think. Let's move on.

5 DR. CHANG: Okay, the end consideration of  
6 causes is the performance of the ECCS sump - whether  
7 the head loss has caused the sump screen will impede  
8 the operation of the pump or not for longtime cooling.  
9 So that's the bottom line.

10 MEMBER WALLIS: Okay, they need to  
11 calculate that too, don't they?

12 DR. CHANG: Oh, yes. As a matter of fact,  
13 partially the worst break location has very much to do  
14 with the head loss across the sump screen.

15 MEMBER WALLIS: Okay, so in the guidance  
16 document that the base is talking about, we have this  
17 new Reg CR6224 correlation --

18 DR. CHANG: Head loss correlation has --

19 MEMBER WALLIS: One study, which is said  
20 to be within 25 percent of the test data. So it looks  
21 like a good correlation. Another study, the conclusion  
22 was they needed considerable modification.

23 So, what are you recommending? It's good  
24 or it's bad?

25 DR. LETELLIER: We're recommending it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application with appropriate parameters based on data.  
2 And where --

3 MEMBER WALLIS: So the licensee has to go  
4 through all the database, do his own research, figure  
5 out which of these various models and things are  
6 appropriate in his plant?

7 Unless NEI comes up with a very  
8 comprehensive analysis of all this somewhat confusing  
9 database.

10 MR. HSIA: It's a fact this is a very  
11 complicated and plant-specific issue. We were trying  
12 to do a good job throughout the years, trying to cover  
13 the bases.

14 Therefore, we have different data for  
15 different applications. We try to test different jets  
16 to see which one will be the best one for us to -- for  
17 anyone to use to model.

18 And what NEI will describe remains to be  
19 seen. But if they can come out with one generic  
20 method, everybody's just going to go with that page so  
21 on and so on and come up with the equation, more power  
22 to them.

23 Now, I wish we could do that, but at this  
24 moment we're not able to do that.

25 MEMBER WALLIS: So expecting them to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 research and analysis, which is above a level that  
2 you're now capable of doing?

3 MR. HSIA: If they can do it, yes I'll  
4 pass to them.

5 MEMBER WALLIS: That is a big load for NEI  
6 to bear.

7 MR. MAYFIELD: Let's back up, because  
8 that's not what we're saying.

9 MEMBER WALLIS: Thank you.

10 MR. MAYFIELD: Go ahead, Bruce.

11 DR. LETELLIER: Well, I think that we have  
12 established a template for quality and standard for  
13 experimentation. We have provided the necessary  
14 examples for a limited number of insulation types and  
15 head loss conditions.

16 If they're willing to invest the research  
17 resources, they certainly know how to proceed. And  
18 that's been the intent of our research program, is to  
19 establish a minimum level of concern and provide  
20 information that's sufficient for us to evaluate the  
21 licensee's responses.

22 We need to have a minimal database for our  
23 own needs. And we've focused on the predominant  
24 insulation types and the predominant conditions.

25 MR. MAYFIELD: And the guidance is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 structured in that way - it's not a practical matter.

2 MEMBER WALLIS: The guidance says nothing  
3 about the difficulty of making calculations, in fact  
4 they don't do it.

5 DR. LETELLIER: If I can point out, there  
6 is a precedent in the BWR resolution, where the  
7 guidance was similarly generic and the utilities  
8 provided a quite comprehensive --

9 MEMBER WALLIS: That took a long time.

10 DR. LETELLIER: It did take a long time.

11 MEMBER WALLIS: It took ten years, or  
12 something like that.

13 MR. MARSHALL: Again, Michael Marshall, I  
14 was the project manager during the BWRs. The BWRs  
15 didn't take 10 years to develop that document. It was  
16 done in approximately about 18 months or so.

17 MEMBER WALLIS: But the whole point of the  
18 presentation and the resolution of things took quite  
19 a long time.

20 MR. MARSHALL: Right. But as far as coming  
21 up with the solutions, the equations and stuff, and  
22 the testing and everything they did, it was done on  
23 approximately - if I remember correctly, about 18  
24 months.

25 And again, that facility was done with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 proper testing as such. And again, we provided a  
2 template that they've followed and were able to  
3 implement using their plant-specific considerations.

4 MEMBER WALLIS: Thank you, so that's what  
5 we're waiting for from NEI?

6 MR. HSIA: Yes, sir.

7 MEMBER WALLIS: Okay. Then we need to move  
8 on, I think in the instance of time. I don't want to  
9 restrict your presentation in anyway.

10 DR. CHANG: So, I think I can skip maybe  
11 -- I sort of described, generally, how the --

12 MEMBER WALLIS: And there's always an out  
13 - if you can't do the analysis, you've assumed 100  
14 percent and that sort of thing.

15 MR. MARSHALL: Right.

16 MEMBER WALLIS: And I understand that for  
17 many of the Los Alamos studies, a pretty large  
18 percentage of the debris actually ended up on the  
19 screen for the big breaks.

20 DR. CHANG: Let me go to the last -- the  
21 second to the last view. Graph 13 is on sump screen  
22 head loss. Because the sump design of PWRs is very  
23 different from the BWRs, so we tried to look at the  
24 failure criteria for the ECCS pumps.

25 And the research showed that for fully

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 submerged sump screens, the NPSH available in the  
2 plant's licensing basis should be the governing  
3 criterion for failure.

4 But for the partially submerged sumps, as  
5 I understand, there are a number of plants with only  
6 partially submerged sumps. I should call it partially  
7 submerged sump screens.

8 Then NPSH margin may not be the only  
9 failure criterion. You have to look at two  
10 possibilities. The failure to have enough NPSH margin,  
11 will result in the cavitation of the pump.

12 But another failure mode is the so-called  
13 starvation mode. If you have enough head loss across  
14 the sump screen, such that the head loss is greater  
15 than half of the submerged screen's height, then in  
16 that case you will have enough water going into the  
17 pump.

18 MEMBER WALLIS: I think we agreed with  
19 that.

20 DR. CHANG: Right.

21 MEMBER WALLIS: If I could anticipate your  
22 next slide, the problem the Sub-Committee had was that  
23 the new research has shown that combinations of fibers  
24 and particles can be very effective and very small  
25 amounts of debris can block a screen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           And there's a very unexpected, sort of,  
2           pressure drop versus stuff calculation where more  
3           fibers actually make less pressure drop if you have  
4           particular --

5           MR. HSIA: That's right.

6           MEMBER WALLIS: Now, this is sort of a new  
7           understanding. And in our discussions with you, it  
8           turned out that there were certain chemical reactions  
9           that hadn't been considered, which could also produce  
10          substances which could have an effect on this pressure  
11          topic, which might be considerable.

12          MR. HSIA: Right.

13          MEMBER WALLIS: Then this doesn't seem to  
14          be in the knowledge base, so no NRC reports, and it's  
15          only peripherally sort of hinted at in the guide.

16                 And we felt that the chemical effects you  
17                 bring out, boric acid onto paints, we're putting a lot  
18                 of material in the pool to raise the pH, and this  
19                 produces hydrogen and the hydrogen might float debris  
20                 and so on.

21                 The chemical effects need consideration,  
22                 and there's some rumor that NEI may not want to  
23                 proceed until they get better information on some of  
24                 this chemistry.

25          DR. LETELLIER: Tony, do --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. HSIA:     Yesterday, we had a meeting  
2                   with NRR and NEI. NRR has made it very clear that they  
3                   would like to continue on current pays -- for the  
4                   industry to continue on current pays towards  
5                   resolution of GSI 191.

6                   They would ask the industry to address the  
7                   issue of chemical effects. The industry at this time  
8                   is doing a scooping study. Probably, in a matter of a  
9                   month or so, they will decide whether or not they want  
10                  to do any additional tests towards that. So, as far as  
11                  chemical effects, it's --

12                  MEMBER WALLIS:   So, one of the things to  
13                  do, for instance, to improve the situation is to  
14                  replace all fibrous insulation with reflective foil,  
15                  which I understand had some fine foil aluminum - lots  
16                  of fine stuff which in an accident can get blasted out  
17                  and dumped down into the sump.

18                  Now, I don't know what the reactions are  
19                  of fine foil aluminum and a large surface area in this  
20                  kind of environment with very significantly high pH.

21                  MR. HSIA:   They certainly, in effect, they  
22                  would have to consider. They're also stainless steel  
23                  varieties.

24                  MEMBER WALLIS:   Are they going to do the  
25                  research to find out what happened?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CHANG: As you know, Doctor Wallis, we  
2 had a very limited scope on the chemical effect done  
3 by LANL and the preliminary tests are completed and  
4 we're in the midst of having that report being  
5 reviewed by a panel.

6 As a matter of fact, next Monday we are  
7 going to have that review meeting. And we are  
8 interested to hear what kind of comments we are going  
9 to get from them.

10 And once we receive that comment, then we  
11 will decide what the next step should do.

12 MR. MAYFIELD: This is Mike Mayfield.  
13 Doctor Wallis, you raise an interesting dilemma that  
14 we face regularly in research. And that's what's the  
15 limit of our responsibility versus responsibility for  
16 the industry.

17 In fact, we get this question regularly  
18 from our senior management, from the Commission, and  
19 frankly we've gotten it from the Committee over time.  
20 I think that Doctor Powers and I have exchanged  
21 discussions on this matter.

22 This is an area where we believe that we  
23 have done enough research to show that is, in effect,  
24 and while we have not done enough research to say this  
25 is how you should -- or one recommended way to deal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with it, we believe that the sum of the feedback we've  
2 heard from the utility management is we'd really only  
3 like to fix the screens once.

4 We believe the evidence for this, in  
5 effect -- and frankly, it was in effect that Dr. Rosen  
6 and Dr. Powers flagged to us sometime back. We believe  
7 there's enough evidence to show this is a real effect.

8 Now, how significant is it --

9 MEMBER WALLIS: The chemical effect is  
10 real?

11 MR. MAYFIELD: The chemical effect is  
12 real. Now, how significant is it depends on very  
13 plant-specific details. And that's beyond the level of  
14 information we have available to us to sort out on a  
15 plant-specific basis.

16 We felt it was important to flag it in  
17 this regulatory guide. And your observation of, well  
18 are we putting the onus on the licensees to do the  
19 research to develop it?

20 In part, the answer to that is yes. We  
21 have had some discussion, I'm sure we will continue to  
22 have some discussions with NRR about how much more do  
23 they need to see, in terms of data, to support their  
24 evaluations.

25 MEMBER WALLIS: The concern that I have is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you'll put out the Reg Guide, which I think is  
2 the right thing to do, get things moving, put out this  
3 Reg Guide and say, thou shalt evaluate all of these  
4 things.

5 My concern is there are so many things  
6 which there isn't much of a technical basis for.

7 MR. MAYFIELD: Yes, sir.

8 MEMBER WALLIS: That these folks may come  
9 back with some half-baked --

10 MR. MAYFIELD: Yes, sir.

11 MEMBER WALLIS: -- analysis, which gets  
12 accepted.

13 MR. MAYFIELD: Well, that's why I --

14 MEMBER WALLIS: Because nobody knows. And  
15 then further research now in progress reveals that it  
16 shouldn't have been accepted.

17 MR. MAYFIELD: Well, that's why -- that is  
18 one of the downsides of confirmatory research where I  
19 live. The other thing I had said was that we have had,  
20 and continue to have, some discussions with NRR about  
21 how much more do they need to be comfortable to assess  
22 what the licensees are going to bring in the door.

23 The reason for pushing it forward at this  
24 time, to include that loosely worded caveat or flag,  
25 is frankly let's put everything on the table at this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time to what level of information we have.

2 And so we felt like the itch is real, and  
3 we needed to flag it in this to the level of detail we  
4 can support today, which is to say this is something  
5 that should be evaluated.

6 We will continue to work with NRR, looking  
7 at how much more information they need to support an  
8 evaluation. But today, we felt like we needed to at  
9 least flag the issue in the guide.

10 MEMBER WALLIS: I think that actually the  
11 chemistry is very slightly touched on in the guide, so  
12 it parenthetically is that you have to consider  
13 environmental and chemical factors.

14 It doesn't point out that --

15 MR. MAYFIELD: No, we did put --

16 DR. CHANG: The debris generated by  
17 chemical effects, they are very much like that.

18 MEMBER WALLIS: It is touched on, but in  
19 that sort of parenthetic sort of way, instead of  
20 saying this is something important and here are some  
21 of the considerations.

22 And there's nothing about gas evolution  
23 and the buoyancy and so on.

24 MR. MAYFIELD: The level of detail that we  
25 put in this is admittedly sparse.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: So would it be reasonable  
2 for us to write a letter that says, yes this thing  
3 should go out?

4           MR. MAYFIELD: Yes.

5           MEMBER WALLIS: If it gets things moving.  
6 And it lays out, although without enough detail on the  
7 chemistry, lots of things that need to be considered.

8           That we have this concern about the  
9 knowledge base. Would that be a reasonable thing to  
10 say?

11          CHAIRMAN BONACA: That we've --

12          MEMBER WALLIS: It might actually help  
13 you, knowing that we support what you know to be  
14 absent in the knowledge base might help indicate where  
15 efforts should be put.

16          CHAIRMAN BONACA: That's how I think the  
17 issue of chemical, for example, concerns may be --

18          MEMBER WALLIS: Well, we don't know. I  
19 mean, Bruce has done tests where it showed that it  
20 might well be a concern. And certainly, there's some  
21 sort of gelatinous precipitate, it's going to effect the  
22 screen.

23          MR. MAYFIELD: Yes. If it manages to come  
24 loose, and if it manages to transport, it would be a  
25 problem. Those ifs are important. Now, the challenge,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of course, is to figure out exactly how much  
2 potentially reactive material is inside containment,  
3 and how much of it would actually be exposed to an  
4 aqueous environment.

5 That's a challenge. That's a very plant-  
6 specific kind of evaluation. And we felt like, at this  
7 stage, it was incumbent on us to at least flag the  
8 issue and then let people that have access to the  
9 information, meaning the licensees, take a look at it.

10 MEMBER WALLIS: Your flag is very small.

11 MR. MAYFIELD: It is a small flag.

12 MEMBER WALLIS: So we might actually  
13 suggest it be bigger. I'm sorry to have picked on  
14 these issues, but I think they are the ones that we  
15 should focus on in our letter.

16 Are there other points you want to make?  
17 I don't want to limit your presentation, but I think  
18 you were moving along anyway.

19 DR. CHANG: Yes, the last slide is about  
20 future research activities. In the near term, we have  
21 some calcium silicate head loss test reports. And this  
22 is not covered by the new regs 6224 head loss  
23 correlation, so we feel that it's appropriate to have  
24 some additional testing on this.

25 MEMBER WALLIS: So the statement in here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that he 6224 needs significant modification is  
2 correct. And the other statement that it fits a lot of  
3 the data is not really correct?

4 DR. CHANG: Yes, 6224, that doesn't have  
5 the data for all the insulations. And calcium silicate  
6 turns out to be -- from a head loss point of view,  
7 it's a concern.

8 And so we think some additional tests  
9 should be needed.

10 DR. LETELLIER: But we are issuing an  
11 advisory document at the end of this fiscal year on  
12 the head loss properties of calcium-silicate. At a  
13 minimum, we'll provide the data that were observed.

14 And our best recommendations at this time  
15 for treating the head loss.

16 MEMBER WALLIS: This three-region two-  
17 phase conical jet model, with numbers on it Figure 17,  
18 comes from -- doesn't come from the Sandia work. It  
19 doesn't come from the one you referenced.

20 The only place that I could find it was in  
21 a later new Reg that the agency prepared.

22 DR. CHANG: I think it's in the resolution  
23 of USI A-43 documents, is a new Reg report.

24 MEMBER WALLIS: Right, and my personal  
25 view is that it's a complete misapplication of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Sandia work. Maybe, if my colleagues give me  
2 permission, I might actually make a presentation to  
3 them on that.

4 But I just wanted to warn you -- I don't  
5 know if you've looked at its origin and seen if you  
6 believe it or not.

7 DR. LETELLIER: That model has been  
8 discredited by the Barsebaeck event.

9 MEMBER WALLIS: Right, it has been.

10 DR. LETELLIER: In fact --

11 MEMBER WALLIS: And by practice it's been.  
12 But it's in your documents that you've accepted it.

13 DR. LETELLIER: Are you referring to the  
14 knowledge base? Please interpret --

15 MEMBER WALLIS: But it's there, as being  
16 authoritative.

17 DR. CHANG: The knowledge base report is  
18 trying to document order information and pass --

19 MEMBER WALLIS: But without the critical  
20 evaluation, you know, leaves it up to the utilities or  
21 NEI to select what's suitable for their purposes.

22 DR. LETELLIER: Well, that's a fair  
23 criticism, that it is presented as authoritative. But  
24 it's also intended to be historical. And members of  
25 the community that have followed this safety concern

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are aware of the improvement in the models.

2 The Barsebaeck event, we have looked at.  
3 And incidentally, we have compared our spherical zone  
4 model against that, and shown that it's adequately  
5 conservative.

6 The Barsebaeck event highlighted the fact  
7 that material damage is very insulation-type specific.  
8 They had -- in fact, it was mineral wall of an aged  
9 variety that's very fragile, and not typically used in  
10 the United States.

11 Based on the research work that was  
12 implemented for the BWR study, that three-zone model,  
13 at least in specifics, with the numbers associated,  
14 was discredited and replaced by a better methodology,  
15 based on data where you're actually measuring the  
16 damage pressures and relating those.

17 MEMBER WALLIS: But you still have to  
18 calculate those damage pressures from a jet model.

19 DR. LETELLIER: Correct.

20 MEMBER WALLIS: This discredited model is  
21 a jet model, or pretends to be or claims to be.

22 DR. LETELLIER: The difficulty -  
23 particular difficulty with that model is more the  
24 qualitative definition of damage, than the calculation  
25 of --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: We'll have to sort this  
2 conversation out.

3 DR. LETELLIER: There's an evolution in  
4 thermo-hydraulic modeling as well. And there are a  
5 number of alternative models that can be compared and  
6 contrasted.

7 That's an academic exercise it's been  
8 ongoing for many years and continues.

9 MEMBER WALLIS: I don't think it's  
10 academic at all to calculate the pressure you need to  
11 put into your formula to calculate whether or not  
12 insulation is damaged.

13 DR. LETELLIER: My point is that there are  
14 a number of competing models.

15 MEMBER WALLIS: Yes.

16 DR. LETELLIER: And they agree to a better  
17 or lesser extent to the data, and that's a challenge  
18 for numerical modeling.

19 MEMBER WALLIS: Okay, thank you.

20 DR. LETELLIER: That continues.

21 DR. CHANG: Maybe at this point, I think

22 --

23 MEMBER ROSEN: Let me ask a question about  
24 that slide.

25 DR. CHANG: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER ROSEN: The one that's behind you.  
2           It says there's a chemical test report due before  
3           10/03. I assume that's 10/31/03?

4           DR. CHANG: Right.

5           MEMBER ROSEN: So, we will have -- will we  
6           have, when that report's in hand, the answer as to  
7           what chemical species are formed, and how -- and what  
8           kind of head losses they create in various materials?

9           The point of this question is, listening  
10          to what Mike said about the utility managers, they say  
11          they want to fix this once. Well they'll need to know  
12          what the effects of the chemicals are.

13          And if this is the information they need,  
14          I think there's no reason for them to have to do it  
15          more than once.

16          MR. MAYFIELD: I'll let Bruce speak to it,  
17          but before I do, I would not want to characterize this  
18          report that's coming out as the definitive piece of  
19          work on chemical effects.

20          It is not, it was intended to, frankly,  
21          build on the issue that you raised, from the TMI  
22          experience, and to go back and to say, okay we have  
23          the TMI observation.

24          What do we do with that? How can we  
25          recreate that? Can we demonstrate that this sort of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing can be developed? And, if it's developed, how  
2 serious an issue is it, in terms of screen plugging?

3 The answer is, yes it can be developed.  
4 And if it's developed in a sufficient quantity, that's  
5 a problem. So, I wouldn't want to oversell what you're  
6 going to find in that October report.

7 MEMBER ROSEN: So, you're suggesting,  
8 perhaps, that there will be more chemical work done  
9 after October?

10 MR. MAYFIELD: I'm suggesting that  
11 somebody's going to have to do a lot more chemical  
12 work. And the discussion we've had about it, is who's  
13 going to do it and how much more is really needed.

14 MEMBER WALLIS: So when can you decide  
15 what the utilities should do?

16 MR. MAYFIELD: Well, Doctor Wallis, that's  
17 -- again, the problem that I face in managing work,  
18 confirmatory research, is that I'm constantly running  
19 behind when my colleagues at NRR have to make a  
20 decision.

21 MEMBER WALLIS: So, it's not your -- it's  
22 the NRR folks, it isn't you.

23 MR. MAYFIELD: No, sir, well, they're the  
24 ones that find themselves having to ultimately take a  
25 deep breath and make a decision. And they look to us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to provide them additional information to support  
2 that. But that's the nature of where we are.

3 CHAIRMAN BONACA: I had a question, with  
4 regards to this near-term and long-term work. I mean,  
5 now if we publish this Reg Guide 1.82, how are you  
6 going to document this new information?

7 Is it going to be purely knowledge, added  
8 knowledge?

9 MR. MAYFIELD: It would be added  
10 knowledge. And if we find something that we believe  
11 takes -- makes sort of the next major step in either,  
12 oh by the way there was an error in this guide, or  
13 here's some additional information, we'll revise the  
14 guide again.

15 Obviously, we've been willing to revise it  
16 in the past. This is a --

17 CHAIRMAN BONACA: So, basically, you're  
18 planning to have a second document? This is --

19 MR. MAYFIELD: We would almost certainly  
20 publish additional new reg reports to document this as  
21 we go along. And, frankly, we can get that information  
22 out through the publication of a new reg and then  
23 through various generic communications that NRR has.

24 So the information can be made available  
25 fairly quickly. To modify a Reg Guide obviously is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more time-consuming process.

2 MR. JOHNSON: Yes, Mike Johnson, just to  
3 add... You know, we are anxious, obviously, anxiously  
4 awaiting what the report says, what the peer review  
5 thinks of the report, what the final report says, as  
6 is the industry.

7 One of the things that the industry raised  
8 at the meeting that we had with them, where they  
9 committed to continue to pursue resolution of GSI 191,  
10 and to also look at this issue once it becomes more  
11 well-defined.

12 We're all anxious to see what comes out,  
13 to make sure that we can approach both of these issues  
14 and not delay resolution GSI 191 while we, again,  
15 figure out what's going on with the chemical effects  
16 precipitation.

17 And again, hopefully the industry can take  
18 only one fix. They would like to, obviously they've  
19 told us they'd like only to make one fix. But they  
20 also recognize that, as we figure out what we have to  
21 do to get our hands around this issue, they might  
22 actually have to do more than one fix.

23 MEMBER WALLIS: With regards to the  
24 chemistry, we saw some preliminary results of chemical  
25 work, which were very interesting. And the comment of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the Sub-Committee was these were very interesting, but  
2 they don't really duplicate the chemistry in the  
3 plant.

4 Yes, there's zinc in the paint, but it's  
5 not elemental zinc, it's probably zinc chromate or  
6 something - it's a zinc in some form other than disks  
7 of zinc.

8 And if you do an experiment with disks of  
9 zinc, you're not really duplicating what happens to  
10 paint, that the temperatures, the pH, the chemical  
11 constituents and so on, should be realistic, as far as  
12 the plant goes.

13 And the constituent, you're likely to find  
14 there. And that sounds like a fairly extensive  
15 program.

16 MR. MAYFIELD: I agree. To really pin this  
17 down and develop all of the data that you would like  
18 to have, is a significant undertaking.

19 MEMBER WALLIS: Thank you. Yes.

20 DR. CHANG: In the long-term, we're  
21 talking about up to September of next year, we are  
22 going to do some additional test, such as latent  
23 debris collected from volunteer plants, such as dirt,  
24 dust, rust, all those things you can gather from  
25 operating debris.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And that's going to be put  
2 into the chemical test too?

3 DR. LETELLIER: The primary objective is  
4 to characterize the hydraulic properties of this  
5 debris, as a particular. In the BWRs, we had iron  
6 oxide as a predominant particular source.

7 And we would like to characterize the P's  
8 in a similar way.

9 DR. CHANG: And we are going to do a head  
10 loss test on those debris.

11 DR. LETELLIER: The hope of the  
12 characterization is to come up with a recipe for  
13 screening, sieving, mixing up additional quantities  
14 that are useful for head loss testing.

15 The reason this research was started in  
16 the beginning is one of our early attempts at creating  
17 dust was to screen -- sweep up the concrete lab at the  
18 University of New Mexico and dump that into the bed.

19 And people criticized - the industry, in  
20 particular, was not pleased with that, so... We're  
21 going back to look at the composition of actual  
22 resident material.

23 DR. CHANG: And it's possible that we're  
24 going to do some HPSI frontal valve plugging tests.  
25 And in the February/March timeframe next year, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will be an international workshop, in Albuquerque, New  
2 Mexico, on the PWR clogging issue, right?

3 DR. LETELLIER: Correct.

4 MEMBER WALLIS: Are you going to do any  
5 internal clogging tests? I mean, none of this debris  
6 -- there's a pretty coarse screen and a big pump and  
7 a big HPSI valve and all.

8 It gets into the radi-coolant system, some  
9 particles. And the clogging of the spaces and the fuel  
10 and the flakes, and so on...

11 DR. LETELLIER: I think the high pressure  
12 safety injection, the throttle valve has been  
13 identified as one of the smallest internal gap  
14 tolerances, that's why we're --

15 MEMBER WALLIS: But the fluid's whipping  
16 through there, isn't it? It's going to carry -- there  
17 are pure fluids whipping through there?

18 DR. LETELLIER: It is.

19 MEMBER WALLIS: Right, so... it's not just  
20 a question of size, it's a hydraulic conditions.

21 MEMBER ROSEN: But I don't think you  
22 answered Doctor Wallis' question about the fuel.

23 MR. MAYFIELD: I was just going to jump on  
24 that. One of the -- this international workshop, I'm  
25 probably at the bottom of. I met with the Germans

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about a year ago to talk about a range of issues and  
2 the sump blockage issue was one of them.

3 They discussed in exactly this issue, and  
4 they've concluded that that's something that they are  
5 concerned about for their configurations. The  
6 potential for debris to pass through the system and  
7 lodge in various places, as you go through the core.

8 And that's an issue that they have been  
9 actively pursuing. And our intent is to build on the  
10 work that they have been doing. But we also know that  
11 there has been other bits of work done by very  
12 competent laboratories around the world, and we wanted  
13 to capitalize on that work, rather than re-invent the  
14 wheel every time.

15 So, we have had, and continue to have, a  
16 dialogue with those organizations to build on their  
17 knowledge and understanding. And this international  
18 workshop is one that we pushed for, to try to get all  
19 of the people, or at least the major players together,  
20 at one time to discuss in detail the work they're  
21 doing and they're finding.

22 And then we'll roll that information into  
23 the next steps that we're taking. We had frankly --  
24 I'd been pushing T.Y.'s predecessor, who had  
25 mysteriously shows up down here with the staff now -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'd been pushing him to have this workshop  
2 significantly earlier.

3 And just the logistics, it wasn't a  
4 practical matter. So, we have this thing scheduled  
5 now. We know there's a lot of interest in pursuing it.  
6 And for our application, we'll see how significant the  
7 fuel issue really is.

8 It is something we are aware of, and we're  
9 looking to capitalize on that international data to  
10 pursue it.

11 MR. ARCHITZEL: This is Ralph Architzel,  
12 from NRR, if I can just interject for a second.  
13 Separate from GSI 191, downstream blockage issues have  
14 been raised in the bulletin, and are planned to be  
15 raised on generic letter, so that it's not a part of  
16 GSI 191 per se, but it is part of the documentation  
17 going with the bulletin.

18 Those licensees -- that one licensee that  
19 gave us category one response did address the fuel  
20 blockage inside the vessel. That's one of the examples  
21 listed.

22 The other plants will be asked to address  
23 that. It's not part of the NEI guidance document, it's  
24 considered an engineering issue that should be  
25 addressed by licensees with a resolution of the future

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic letter, not GSI 191.

2 But I wanted to point that out that that's  
3 an issue.

4 MEMBER ROSEN: It's not in the NEI  
5 document because there are so many different fuel  
6 types?

7 MR. ARCHITZEL: It's not in the NEI  
8 document because NEI had a scope. And their scope was  
9 to address GSI 191 and they chose not to address  
10 downstream blockage, upstream blockage, structural  
11 integrity of the screens.

12 Things like that are considered  
13 engineering issues.

14 MEMBER ROSEN: How could they -- if their  
15 scope was GSI 191, why isn't this part of it?

16 MR. ARCHITZEL: This isn't part of GSI  
17 191, GSI 191 was not blockage inside the fuel channels  
18 and things like that. I'm saying that's not what GSI  
19 -- some performances what GSI 191 was.

20 MR. MAYFIELD: One of the issues that we  
21 struggle with in managing the generic safety issue  
22 program is what we call scope creep. And the issues  
23 simply never go away, because there's always the next  
24 piece.

25 So we've chosen to go at this in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 somewhat different way. And one of the discussions  
2 I've had with Mr. Thadani, goes to why aren't we  
3 opening yet another generic safety issue?

4 And that's an open discussion that we'll  
5 take on.

6 MEMBER ROSEN: That's perfectly  
7 acceptable. It was just a question of definition. I  
8 mean, the physical world doesn't know that these  
9 effects have separated.

10 MR. MAYFIELD: That's exactly correct.  
11 This is a bureaucratic issue.

12 DR. CHANG: At this point, may I suggest  
13 that let Bruce present his slice on the ZOI. Hopefully  
14 that will answer some of your questions.

15 MR. MAYFIELD: Let me ask this somewhat  
16 differently. Does the Committee wish to pursue the  
17 technical details on the zone of influence?

18 MEMBER WALLIS: I don't think this is the  
19 place to do it.

20 DR. LETELLIER: We would be happy to meet  
21 with you privately, or teleconference.

22 MR. MAYFIELD: Or we can do it through  
23 another Sub-Committee meeting - however the Committee  
24 would choose to go at that. I go the distinct  
25 impression from the earlier discussion that there are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some substantive technical questions at a fairly low  
2 level of detail, or high level, however you want to  
3 look at that.

4 MEMBER WALLIS: Yes, but we have to write  
5 the letter, rather than engage in consulting with you  
6 guys. So, I think we're going to have to put some of  
7 these technical questions in the letter.

8 MR. MAYFIELD: That's obviously a fair  
9 approach. We do continue to believe it's important to  
10 get this guide on the street. I understand your  
11 concern.

12 MEMBER WALLIS: That's the key issue, I  
13 think. Get it out there, in spite of the fact that  
14 it's tremendous amount of work needed to be done to  
15 really meet the requirements of it.

16 MR. MAYFIELD: Right, and we continue to  
17 believe that's important and we would hope to get a  
18 letter from the Committee that would support moving  
19 forward.

20 MEMBER POWERS: Let me ask, Mike, just a  
21 question a little bit about the chemistry issues that  
22 have come up in regards to what's in the sump and what  
23 can produce and things like that.

24 You kind of have a Duke's mixture of junk,  
25 potentially present here. You've got some plans to try

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to limit that somewhat below 92 possible elements, I  
2 take it.

3 MR. MAYFIELD: That'd be nice.

4 MEMBER POWERS: Yes, have you taken  
5 something like YQ or some of their aqueous equilibrium  
6 code and said, okay I don't know that I have  
7 equilibrium but what do I have if I put this junk into  
8 a hot sodium hydroxide solution, maybe with sodium  
9 phosphate in it, or potassium phosphate in it in some  
10 cases.

11 MR. MAYFIELD: The answer to that is, no  
12 we have not pursued that. The one issue, and the  
13 Committee had raised this, that the observation from  
14 TMI, which obviously is something we hadn't picked up.

15 We went back, did enough testing to  
16 convince ourselves no we can't quite make it go away.  
17 And then the next question is, well how much more do  
18 we need to do, in responding to Doctor Wallis.

19 It's a big undertaking to really get your  
20 arms all of the way around it. The approach you're  
21 proposing is one of the things, whether it's that  
22 particular code or another approach, that's one of the  
23 things that you would have to pursue, it seems to me.

24 But it's -- the exact structure of the  
25 research program that you'd put together to take that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on, is plainly something we haven't worked all the way  
2 through.

3 MEMBER POWERS: Sure. One of the things  
4 that I would tend to push back on, is when somebody  
5 tells me, oh the chemicals that you put into this are  
6 not exactly precisely the same particle size, method  
7 of manufacture or chemical form, of the chemicals that  
8 I think I have in plants.

9 For instance, I think particularly the  
10 zinc that may come from a paint that by the time you  
11 take your zinc disk and put it into sodium hydroxide  
12 solution, it's pretty warm.

13 The zirconium oxide, hydroxide that you  
14 get off that, pretty well can't tell where it came  
15 from. And --

16 MEMBER WALLIS: Zinc hydroxide, right?

17 MEMBER POWERS: Zinc oxy-hydroxide. It's  
18 an interesting material because it's transient in  
19 nature. And it even gets modified further if pour  
20 boric in there, it's more gelatinous material.

21 MEMBER ROSEN: I guarantee you that the  
22 boric acid erodes.

23 MEMBER POWERS: And, I mean, those kinds  
24 of things would make your chore, characterizing the  
25 chemistry, impossible, okay? So you need -- whether

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you do the experimental work yourself, or you are in  
2 the position of evaluating the product or the  
3 licensee's work on the chemistry, you need some sort  
4 of a computational vehicle to say, is this in the  
5 realm of reasonableness, from a chemical point of  
6 view?

7 Or, is this something very strange and  
8 weird? It might be worthwhile to look into that.

9 MEMBER KRESS: You have to be a little  
10 careful to interpret the equilibrium quotes at like --  
11 if you can get a kinetics code, it'd be a lot better.

12 MEMBER POWERS: Tom, quite frankly, in the  
13 history of looking at these things, what I know is  
14 it's really easy to get heterogeneous things that are  
15 weird, in reality, that you don't get equilibrium on  
16 solution kinetics, and these things are pretty fast.  
17 But the precipitates can be weird on you.

18 MEMBER KRESS: That's the sort of thing I  
19 was worried about. You'd get an intermediate reaction  
20 that precipitates, and you won't know that with an  
21 equilibrium code.

22 MEMBER POWERS: I mean the world, in this  
23 computational modeling, has undergone some substantial  
24 evolution, largely because of places like WIPP and  
25 Yucca Mountain, because they have the same problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   They have to predict what's in these rock  
2 pores, precipitates out and blocks them and absorbs  
3 things and stuff like that. And at least it gives you  
4 a shot at understanding.

5                   MEMBER KRESS: I agree, it'd be a good way  
6 to start, the easiest way to start.

7                   MEMBER POWERS: It's the cheapest and  
8 easiest way to start, especially if you're starting  
9 off well I've got 92 elements.

10                  MR. MAYFIELD: We would certainly be  
11 willing to talk with the Committee about the approach  
12 that we would take a look at. Again, this has been an  
13 open dialogue with NRR about how much further they  
14 would like to see us go, to be able to support them  
15 and their reading.

16                  MEMBER POWERS: I guess I have two points  
17 here. One of which is, I don't think you're going to  
18 be able to wash your hands completely of the chemistry  
19 problem, just because you're going to have to review  
20 what somebody does.

21                  MR. MAYFIELD: I don't think we can walk  
22 away from it. The question is, how clean can I get my  
23 hands?

24                  MEMBER POWERS: I guess I would side with  
25 you. I'd keep myself as far out of the laboratory as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I could.

2 MR. MAYFIELD: They don't keep me very  
3 close anymore.

4 (Laughter.)

5 MEMBER POWERS: Why? I understand that,  
6 but just because I suspect you will find that plants  
7 differ in the junk that's on the floor.

8 MR. MAYFIELD: Yes.

9 MEMBER WALLIS: I guess the Sub-Committee  
10 felt the opposite way, that you had to be in the lab,  
11 you had to do some tests with some real paint and some  
12 real temperatures and pH's and things, and get some  
13 idea of what these things might do.

14 MEMBER POWERS: I mean, quite frankly,  
15 that research on paint, the NRC has been intimately  
16 involved in pretty extensive. I mean, we know a lot  
17 about how paint behaves, because in these accident  
18 environments, simply because it also tends to be a  
19 pretty good absorber of iodine.

20 And I think there's a lot you can get,  
21 without actually going and putting salts in solutions.

22 MR. MAYFIELD: I would also suggest that  
23 it's not just paint. There's all manner of conduits  
24 and cable trays and other bits and pieces that could  
25 be of concern.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: And you've got some real  
2 amazing things when you throw a little boric acid into  
3 a little concrete dust. Because then you get this  
4 calcium borate - I think it's called whistlelight, or  
5 something like that, that's just amazing stuff.

6 MEMBER WALLIS: Why is it amazing?

7 MEMBER POWERS: Oh, it's long strings.

8 MEMBER WALLIS: So it clogs, then? The  
9 long strings would tend to clog things.

10 MEMBER POWERS: It makes -- it's weird  
11 stuff.

12 DR. LETELLIER: In fact, we did add  
13 calcium to our basic stock solution, to account for  
14 concrete ablation.

15 MEMBER POWERS: You should have gotten a  
16 little bit of nice gelatinous precipitate out of it.

17 DR. LETELLIER: Indeed, we did.

18 MEMBER POWERS: Yes, you got whistlelight.

19 DR. LETELLIER: I'd like to correct a  
20 couple of misperceptions of Doctor Wallis. In fact, we  
21 did test zinc paint chips, which is a representative  
22 material.

23 I think the biggest deficiency of our  
24 quiescent immersion test is the fact that it's not a  
25 turbulent flowing solution. I think we may be seeing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some surface crystallization that might not occur.

2 MEMBER WALLIS: This was, I think, my  
3 colleague who isn't here, Doctor Ford said that the  
4 zinc that you tested wasn't quite the same as the  
5 chromate primers and things that you find in the real  
6 plants.

7 DR. LETELLIER: That is a fact that we're  
8 testing --

9 MEMBER WALLIS: All right, so it wasn't  
10 the same.

11 DR. LETELLIER: But we're testing metallic  
12 zinc granules.

13 MEMBER WALLIS: Right, it's not the same  
14 thing.

15 DR. LETELLIER: That's correct. We did our  
16 best effort at reproducing the pH conditions. The  
17 temperature is a little bit low, thinking that if we  
18 can induce this, or establish this as a concern at low  
19 temperature, then certainly it is a concern at higher  
20 temperature.

21 MEMBER POWERS: Warm that solution up in  
22 zinc chromate, it turns into oxy carbonate in a thrice  
23 plus a little chromus oxide.

24 MEMBER WALLIS: Can we wrap this thing up?  
25 I'd be very happy to meet with you folks in the office

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here. Anybody else?

2 MR. MAYFIELD: Let me try to close it out,  
3 then, Doctor Wallis. Again, we appreciate the  
4 opportunity to come before the Committee again this  
5 afternoon.

6 We would welcome your insights, both  
7 individually and whether it's through the Sub-  
8 Committee or the full Committee, we would very much  
9 appreciate a letter that would endorse moving forward  
10 on this.

11 And we would be interested in the list of  
12 issues that you believe we need to work more on. And  
13 with that, unless you have further questions, that  
14 concludes our presentation.

15 MEMBER WALLIS: Does anyone on the  
16 Committee want to speak up? Then I hand it back to  
17 you, Mr. Chairman.

18 CHAIRMAN BONACA: Okay, well thank you. I  
19 thank you very much for the presentation. And I think  
20 what we're going to do now is take a break - some of  
21 us have been at it since 2:30 p.m.

22 And then I think we will have the  
23 presentation from Nourbakhsh should be tomorrow,  
24 because we really don't have time today. What I would  
25 like to do is go down the table and discuss at least

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 two letters for which I think we need to provide the  
2 writers with inputs from the Committee. One is the one  
3 on -

4 MEMBER POWERS: The alpha and the omega.

5 CHAIRMAN BONACA: They may be.

6 (Laughter.)

7 CHAIRMAN BONACA: One is the one on heavy  
8 loads. I think one is on the PRA. Okay, so you already  
9 knew what we have in mind? Okay, all right, and is  
10 there any other letter for which you believe we need  
11 to provide some input?

12 MEMBER SIEBER: They're printing the one  
13 on 186.

14 CHAIRMAN BONACA: Yours?

15 MEMBER SIEBER: Yes.

16 CHAIRMAN BONACA: Okay, what about the one  
17 on--

18 MEMBER KRESS: I already got --

19 CHAIRMAN BONACA: You already got feedback  
20 yesterday, I thought. So I was worrying about mostly  
21 the one from Jack, the one from George and the one  
22 from Vic. We'll be back in here in 15 minutes, 10  
23 after 6:00 p.m. Thank you.

24 (Whereupon, the foregoing matter went off  
25 the record at 5:48 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701