

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

+ + + + +

DIGITAL INSTRUMENTATION AND CONTROL SYSTEMS

SUBCOMMITTEE MEETING

+ + + + +

THURSDAY, OCTOBER 20, 2005

+ + + + +

OPEN SESSION

+ + + + +

The Committee met in Room T2 B3 of the Nuclear
Regulatory Commission headquarters, Two White Flint
North, Rockville, MD, at 1:30 p.m., George
Apostolakis, Chair, presiding.

PRESENT:

- GEORGE E. APOSTOLAKIS ACRS Member
- MARIO V. BONACA ACRS Member
- THOMAS S. KRESS ACRS Member
- JOHN D. SIEBER ACRS Member
- SERGIO B. GUARRO ACRS Consultant
- ERIC A. THORNSBURY ACRS Staff

1 STAFF PRESENT:

2	CHRISTINA ANTONESCU	RES/DET/ERAB
3	STEVEN ARNDT	RES/DET/ERAB
4	FRED BURROWS	NMSS/FCSS/TSG
5	MATT CHIRAMAL	NRR/DE/EEIB
6	CLIFF DOVTT	NRR/DSSA/SPSB
7	MICHELE EVANS	RES/DET/ERAB
8	HOSSEN HAMZEHEE	RES/DRAA
9	ALLEN HOWE	NRR/DE/EEIB
10	WILLIAM E. KEMPER	RES/DET/ERAB/IVC
11	T. KOSHY	EEIB/NRR
12	ERIC LEE	NSIR/DNS/RSS
13	PAUL LOESER	RES/DET/ERAB
14	SCOTT MORRIS	NSIR/DNS/RSS
15	PAUL REBSTOCK	NRC/NRR/DE/EEIB-I&C
16	ROMAN SHAFFER	RES/DET/ERAB
17	GEORGE TARTAL	RES/DET/ERAB
18	MICHAEL WATERMAN	RES/DET/ERAB
19	<u>ALSO PRESENT:</u>	
20	DAVID BLANCHARD	AREI
21	ROBERT CONTRATTO	Consultant
22	PAUL EWING	ORNL
23	TONY HARRIS	NEI
24	WES ITINES	Univ. TN
25	ROGER KISHER	ORNL

1 ALSO PRESENT: (CONT.)

2 KOFI KORSAH ORNL

3 GLENN LANG Consultant

4 JERRY MAUCK FANP

5 PETE MORRIS Westinghouse

6 BRUCE MROWOS ISC

7 THUY NGUYEN EPRI

8 DAVID SHARP Westinghouse/Consultant

9 NORMAN STRINGFELLOW Southern Nuclear

10 RAY TOROK EPRI

11 RICHARD WOOD ORNL

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

Opening Remarks 5

EPRI Guidance for Prforming Defense in Depth and
Diversity Assessment for Digital Upgrades: . . . 6

System Aspects of Digital Technology Overview . 124

Environmental Stressors 155

P-R-O-C-E-E-D-I-N-G-S

1:34 p.m.

CHAIRMAN APOSTOLAKIS: The meeting of the Advisory Committee on Reactor Safeguard Subcommittee on Digital Instrumentation and Control System.

I'm George Apostolakis, Chairman of the Subcommittee.

Members in attendance are Mario Bonaca, Jack Sieber and Tom Kress. Also in attendance is one of consultants Dr. Sergio Guarro.

The purpose of this meeting is to discuss three sections of the NRC Staff's draft digital systems research plan and to hear a presentation from EPRI on their guidance for performing defense-in-depth and diversity assessments for digital upgrades.

During this portion of the meeting we will hear from EPRI regarding their guidance document and from the NRC staff regarding Section 3.1 of the Digital Systems Research Plan, the system aspects of digital technology.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee. Eric Thornsbury is the designated federal official for this meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The rules for participation in today's
2 meeting have been announced as part of the notice of
3 this meeting previously published in the *Federal*
4 *Register* on September 29, 2005.

5 A transcript of the meeting is being kept
6 and will be made available as stated in the *Federal*
7 *Register* notice.

8 It is requested that speakers first
9 identify themselves and speak with sufficient clarity
10 and volume so that they can be readily heard.

11 We have received no written comments or
12 requests for time to make oral statements from members
13 of the public regarding today's meeting. We now
14 proceed with the meeting and I call upon Mr. A. Torok
15 of EPRI to begin the presentation.

16 MR. TOROK: I'm Ray Torok from EPRI. And
17 has already been said, we're here to talk about an
18 EPRI project that we call Defense-in Depth and
19 Diversity Assessments to Digital Upgrades. I guess i
20 can skip ahead.

21 And what I'd like to do before going
22 anywhere is introduce the Chairman of our Industry
23 Working Group who has guided this effort to talk about
24 the first few slides.

25 We're going to do sort of a tag team

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation. Our intent is to do a tag team
2 presentation to go through various areas of it, and we
3 were going to lead off with our Utility Chairman of
4 our Industry Working Group, that's Jack Stringfellow
5 from Southern Nuclear.

6 Jack, please.

7 CHAIRMAN APOSTOLAKIS: It's better to sit
8 there.

9 You don't have to leave. Stay there.
10 There are two chairs, aren't there?

11 MR. TOROK: Okay. I got your back, Jack.

12 MR. STRINGFELLOW: All right, Ray. Thank
13 you very much.

14 As Ray said, I'm Jack Stringfellow. I'm an
15 employee of Southern Nuclear Operating Company. It's
16 licensing manager for the Vogtle Electric Generating
17 Plant. I'm also the Chairman of this EPRI working
18 group that's been tasked to apply risk insights to the
19 process of performing a diversity and defense-in-depth
20 analysis for digital upgrades for nuclear power
21 plants.

22 And the first thing I want to say is
23 express our appreciation for the opportunity to make
24 this presentation. Thank you very much. We feel very
25 strongly about this program and we feel like we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that is worth considering and can certainly
2 enhance the process of performing a decubed analysis.

3 We want to talk for just a few moments in
4 our presentation, to being with, just to provide a
5 little background for the project, why we thought this
6 was a good thing to do, the impetus for this effort.
7 And how it relates to the current regulatory guidance
8 and make some key propositions with respect to how we
9 would envision moving forward with this effort. We're
10 going to give you a high level view of the guideline
11 approach. And then we want to spend most of our time
12 discussing the technical issues; the digital common
13 cause failure. We want to talk about susceptibility
14 to common cause failure. We want to talk bout
15 defensive measures. We want to address the issue of
16 estimating the probability of failure as well. And we
17 want to talk about what our risk insights have been as
18 a result of making this effort; what we found with
19 respect to the impact of diversity on safety and risk
20 and also conclusions that we've been able to come to
21 with respect to modeling digital equipment and PRA.

22 Then we'd like to offer some
23 recommendations for the ongoing activities of Research
24 and NRR, if we may be so bold as to do that.

25 You've already heard from Ray Torok. Oh,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thank you, Ray.

2 MR. TOROK: I'm here to help.

3 MR. STRINGFELLOW: Thank you. What do you
4 do just hit the button to advance that?

5 MR. TOROK: Yes.

6 MR. STRINGFELLOW: Or the space bar?

7 CHAIRMAN APOSTOLAKIS: This is advanced
8 technology. Advanced digital.

9 MR. STRINGFELLOW: I just want to make
10 sure I don't screw up. Thank you.

11 CHAIRMAN APOSTOLAKIS: We have a project
12 involving human error also.

13 MEMBER SIEBER: You hit the wrong button
14 you trip the reactor.

15 MR. STRINGFELLOW: There you go. There you
16 go. So that tells me to keep my hands off, huh? All
17 right.

18 Our other presented will be Thuy Nguyen,
19 who is on loan to EPRI. And also Dave Blanchard,
20 Applied Reliability.

21 Our group represents ten utilities. We
22 have design experience, PRA experience and licensing
23 experience on the group. We also represent four
24 equipment suppliers as well as consultants and
25 integrators in NEI and EPRI. So we're a diverse group

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I think we've been able to bring a great deal of
2 varied experience to this effort.

3 We started our work back in early 2002.
4 And we have invited the NRC Staff to attend working
5 group meetings, and they have both in 2002, 2003 and
6 2004 in an effort to keep the NRC apprised of what we
7 were doing and the direction that we're headed in.

8 CHAIRMAN APOSTOLAKIS: But they were not
9 allowed to speak?

10 MR. STRINGFELLOW: Well, they were there
11 on their term. What am I trying to say?

12 MR. TOROK: Yes. I guess they weren't
13 there--

14 CHAIRMAN APOSTOLAKIS: Speak to the
15 microphone, please.

16 MR. TOROK: I'm sorry. They could probably
17 explain it better than I. My understanding --

18 CHAIRMAN APOSTOLAKIS: No, you explain.

19 MR. TOROK: My understanding was, yes,
20 they were not I guess free to offer NRC positions,
21 although to offer their opinions was fine. And because
22 they were EPRI working group meetings and not noticed
23 NRC meetings.

24 CHAIRMAN APOSTOLAKIS: So basically they
25 were observers?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STRINGFELLOW: That's correct, they
2 were observers.

3 MR. TOROK: That's right.

4 MR. STRINGFELLOW: That's correct.

5 CHAIRMAN APOSTOLAKIS: Okay.

6 MR. STRINGFELLOW: But we wanted them to
7 be able to be aware of what we were trying to do.

8 CHAIRMAN APOSTOLAKIS: Absolutely.

9 MR. STRINGFELLOW: Okay. We published a
10 final product in December of 2004, and that was
11 submitted to the NRC on February 22 of 2005 asking for
12 -- yes, I got my own copy, too.

13 And then we met with the Staff on April of
14 2005 to discuss status of the review and also to get
15 first impressions from the Staff with respect to the
16 document.

17 This last bullet says we are still
18 awaiting an NRC letter on a path forward. We did
19 receive some comments. Tony Pietrangelo received some
20 comments from Herb Berkow on October 18th. Due to
21 these late breaking comments, we haven't had a chance
22 to sit down and look at them in detail. So we're
23 really not prepared to talk about these comments line-
24 by-line today, but we appreciate the comments. And we
25 hope to use them as a basis for constructive dialogue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and moving forward with the review of this document.
2 So thank you very much.

3 CHAIRMAN APOSTOLAKIS: What is it that you
4 want the NRC to do?

5 MR. STRINGFELLOW: Well, what we
6 envisioned is we have a similar document, our
7 guidelines for licensing digital upgrades that we went
8 back -- when was it first published, Ray?

9 MR. TOROK: This goes back to 1993,
10 actually the first version of this.

11 MR. STRINGFELLOW: Yes.

12 MR. TOROK: And what we wanted to do was
13 establish a rough framework, basically, for licensing
14 digital upgrades that established a common
15 understanding between the Staff and the utilities.
16 Then that was revised more recently in a revision that
17 was published just a few years ago. We hope to do the
18 same --

19 MR. STRINGFELLOW: Excuse me, Ray, for
20 interrupting. But it was revised to update it to
21 reflect the rule change on 10 CFR 50.59.

22 MR. TOROK: Exactly.

23 MR. STRINGFELLOW: Okay. So we set about
24 to revise it for that purpose. And we submitted that
25 to the Staff for review, and it was subsequently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 endorsed by regulatory information summary, a RIS.
2 And we would hope to be able to accomplish the same
3 thing with this guideline.

4 CHAIRMAN APOSTOLAKIS: Do you usually
5 incorporate documents like this one in a regulatory
6 guide?

7 MR. KEMPER: You mean EPRI's?

8 CHAIRMAN APOSTOLAKIS: Yes. Let's say that
9 you want to approve it?

10 MR. KEMPER: Exactly. Right. We would --

11 CHAIRMAN APOSTOLAKIS: You don't just say
12 we approve. I mean there is a regulatory guide --

13 MR. KEMPER: Well, there's a couple of
14 paths we could take. One is a safety evaluation report
15 could be written. That's been done in many cases in
16 the past.

17 CHAIRMAN APOSTOLAKIS: Sure.

18 MR. KEMPER: Or we could possibly endorse
19 this as a regulatory guide on this topic.

20 CHAIRMAN APOSTOLAKIS: Okay. But it has
21 to be a regulatory guide at the end?

22 MR. KEMPER: Well, no. Actually an SER
23 works sufficiently as well. Licensees can refer to
24 that.

25 CHAIRMAN APOSTOLAKIS: I thought you could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just say the SER, this is good enough and --

2 MR. KEMPER: Right. Correct.

3 MR. TOROK: And may I add to that? There
4 was a similar guideline we produced on evaluation of
5 commercial grade digital equipment for use in safety
6 related applications. And in that case NRC reviewed
7 and approved it and actually referenced it in the
8 standard review plan.

9 CHAIRMAN APOSTOLAKIS: Correct. Right.

10 MR. TOROK: So if you look at the standard
11 review plan now it refers you to the EPRI document.

12 CHAIRMAN APOSTOLAKIS: Bill, regardless of
13 whether you go the SER route or regulatory guide, will
14 you come to us before you issue whatever decision you
15 are --

16 MR. KEMPER: Oh, absolutely, yes. Well,
17 we have--

18 CHAIRMAN APOSTOLAKIS: -- SER and go more
19 deeply into the document itself.

20 MR. KEMPER: Well, as you know, we have a
21 risk program ourselves, right, which we presented back
22 in June to this Committee. So we're kind of trying to
23 accomplish the same thing in parallel here, if you
24 will; the agency as EPRI is. So at some point I
25 expect that we're going to probably converge, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just Bill Kemper's idea or estimation of the work. So
2 hopefully the two programs will come together and we
3 will end up with one way to deal with a risk-informed
4 diversity and defense-in-depth process for licensing
5 digital.

6 CHAIRMAN APOSTOLAKIS: So you don't see
7 the Agency approving this before your particular
8 project is done?

9 MR. KEMPER: I can't speak directly for
10 NRR. But my thinking at this time is I would lobby
11 hard that we work together so that we come up with one
12 consistent approach on this.

13 CHAIRMAN APOSTOLAKIS: What are the plans?

14 MR. HOWE: Good afternoon. This is Allen
15 Howe. I'm with NRR.

16 And just to try to clarify this. If this
17 report is submitted to the NRC for review as a topical
18 report, we would treat it under our topical report
19 process. We would review it, we would write a safety
20 evaluation. Part of that process would be that the
21 applicant for the topical report would then supplement
22 their topical report with the safety evaluation to
23 designate that this has been reviewed and approved by
24 the NRC. Then licensees that came in with
25 applications could reference that topical report as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of their application. So that's the topical
2 report process.

3 CHAIRMAN APOSTOLAKIS: And this is what's
4 happening now?

5 MR. HOWE: No. We have not accepted this
6 as a topical report for review?

7 CHAIRMAN APOSTOLAKIS: But EPRI is
8 requesting that you do that, is that what it is?

9 MR. HOWE: Yes.

10 CHAIRMAN APOSTOLAKIS: Okay. And you have
11 issued the SER or --

12 MR. HOWE: No. We have not issued an SER.
13 We have not even commenced a review on it. We have
14 been given a draft copy of the topical report. As was
15 indicated in one of the bullets, we provided some
16 comments back but the report has not been submitted
17 formally as a topical report.

18 CHAIRMAN APOSTOLAKIS: Okay. Thank you.

19 Oh, one last question. Can you explain a
20 little bit what you mean by expends NRC approach.

21 MR. TOROK: We'll get into that?

22 CHAIRMAN APOSTOLAKIS: What does that
23 mean? Oh, you will get into that?

24 MR. TOROK: Oh, yes.

25 MR. STRINGFELLOW: Yes. We're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expand on that in the later slides here very shortly.
2 Very shortly.

3 CHAIRMAN APOSTOLAKIS: Okay.

4 MR. STRINGFELLOW: Okay. I guess there's
5 one thing, Ray, I would like to follow up on the
6 comment by Mr. Howe that we had not formally submitted
7 this for review. Because I believe we have.

8 CHAIRMAN APOSTOLAKIS: See, that's the
9 advantage of coming to the Advisory Committee to find
10 out.

11 MEMBER SIEBER: It's in the mail.

12 MR. HOWE: This is Allen Howe again.

13 Not to belabor the point, but we indicated
14 in a letter to you in March that we were considering
15 the subject topical report as a draft. And we had a
16 presubmittal meeting with you and we were waiting for
17 the formal submittal of your topical report.

18 MR. STRINGFELLOW: Did we identify this as
19 a draft. Okay.

20 CHAIRMAN APOSTOLAKIS: It may be a
21 formality anyway.

22 MR. STRINGFELLOW: Okay. All right. Fine.

23 CHAIRMAN APOSTOLAKIS: But ultimately, Mr.
24 Howe, you will come to this Committee after you have
25 your SER?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HOWE: I'm sorry, I didn't hear the
2 question.

3 CHAIRMAN APOSTOLAKIS: After they submit
4 it formally, you issue an SER. And do you expect to
5 come before us for a letter?

6 MR. HOWE: We evaluate that on a case-by-
7 case basis. But I understand that your interest is in
8 hearing from the staff before we go forward with this.

9 CHAIRMAN APOSTOLAKIS: Yes. This is an
10 area where there is great interest on the part of the
11 Committee. I would appreciate it.

12 MR. HOWE: Okay.

13 CHAIRMAN APOSTOLAKIS: Okay.

14 MR. STRINGFELLOW: Okay. I want to spend
15 just a minute talking about regulatory environment and
16 why we think that this report can help. I think the
17 industry and the NRC have been struggling somewhat
18 with respect to digital upgrades. For example,
19 upgrades that involve rapid protection system and
20 engineered safety features actuation system.

21 We feel that it's been our experience that
22 the current guidance in the form of branch technical
23 position HICB-19 and NUREG/CR-6303 can be difficult to
24 implement. It is void of risk insights, certainly --

25 CHAIRMAN APOSTOLAKIS: Difficult to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement means it's vague or what? Why is it
2 difficult?

3 MR. STRINGFELLOW: Well, you know, one of
4 the examples there is with respect to large break
5 LOCA, for example. If you are postulating a digital
6 common cause failure and then trying to address the
7 large break LOCA in light of a digital common cause
8 failure given the guidance and the acceptance criteria
9 that are in HICB-19, it's difficult to address that
10 event, for example, without designing and adding onto
11 the system some sort of diverse actuation system for
12 example. And I guess we're going to get into that
13 later on and in a little more detail, I think. But I
14 think that would be an example.

15 Ray, can you --

16 MR. TOROK: Well, yes. Well, there's some
17 other things that requires revisiting FSAR analyses,
18 using different types of assumptions, best estimate
19 analysis that most utilities aren't used to because
20 they haven't done it that way before. And, in fact, it
21 appears that those analyses have very limited value as
22 well.

23 So, we'll get into some of these other
24 things in a few minutes. So you'll see --

25 MR. STRINGFELLOW: And that's where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 came - I'm sorry I'm stepping on you, Ray. I
2 apologize.

3 MR. TOROK: No, no problem. We'll add a
4 lot of detail to that later I think.

5 MR. STRINGFELLOW: Right. You know, some
6 of the insights that we found is that revisiting many
7 of these Chapter 15 analyses provides a safety benefit
8 from a risk perspective. And so the deterministic
9 focus of the branch technical position I think is
10 where at least part of the difficulty arises in the
11 implementation.

12 And then we found that some things that
13 had been previously accepted in the past by the Staff
14 are now being questioned.

15 CHAIRMAN APOSTOLAKIS: Are you going to
16 come to this, too?

17 MR. TOROK: Some of that.

18 MR. STRINGFELLOW: Yes. We're going to
19 come to it.

20 MR. TOROK: Some of it, yes. And the idea
21 here really of what Jack's talking about now is to
22 make the point that there's a lot of problems with the
23 current process for doing this and we think there are
24 ways to improve them. And we think we should be doing
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STRINGFELLOW: Yes. And don't take
2 this I'm not trying to throw rocks. I'm not trying to
3 throw rocks with this slide. What I'm trying to say
4 is we understand that the review of this systems is
5 evolving. And what we're trying to do with this
6 product is help that and help provide some stability
7 and provide those risk insights.

8 CHAIRMAN APOSTOLAKIS: Well, just that
9 bullet doesn't really read very well, "NRC Staff not
10 honoring SERs." Is it because the Staff is
11 capricious?

12 MR. TOROK: There's a specific example of
13 one review that's in progress now where the utility's
14 using a platform, a digital platform that had already
15 been reviewed and approved by NRC in the form of an
16 SER. And now the utility is receiving additional
17 questions on that. And, in fact, the Staff has taken
18 the position, as I understand it, that they may have
19 to go back and reopen that evaluation and start over
20 again. And, of course, that from the utility
21 standpoint, that has a tremendous impact on their
22 schedule for what they're planning to do. So for them
23 the process isn't working very well right now. So
24 that's the example there.

25 CHAIRMAN APOSTOLAKIS: There probably was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a reason for it.

2 MR. TOROK: Yes. But, at any rate, the
3 problem from the utility perspective is it makes the
4 process unpredictable. And, of course, it makes it
5 difficult to them to estimate cost and schedule and
6 whatnot. So it puts them in a real rough position.

7 CHAIRMAN APOSTOLAKIS: Yes. And if it's an
8 issue of adequate protection, it makes the process
9 difficult from the Staff point of view?

10 MR. TOROK: That's right.

11 CHAIRMAN APOSTOLAKIS: Okay.

12 MR. STRINGFELLOW: And then finally, one
13 of the comments we got in our meeting in April on our
14 report that Research is doing some work with respect
15 to modeling digital systems in PRA and working on the
16 question of the failure probability of digital
17 systems. But, unfortunately, the timing of that
18 research doesn't support the near term submittals. And
19 so, again, that's another impetus for our work here.

20 Many utilities are in the process of
21 planning and trying to make digital upgrades today.
22 Many of us are operating our fleet on analog systems
23 that were designed and built many, many years ago.
24 Operating reliably and safely, I may add, but
25 nevertheless these systems are aging. And when we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look for replacements they are digital in nature. All
2 the way from things as simple as temperature
3 controllers on chilled water systems all the way up to
4 feedwater control systems and protection systems; the
5 replacements are digital in nature. And so we are
6 having to deal with these digital upgrades on a day-
7 to-day basis. And planning an across the board
8 protection system upgrade that takes a great deal of
9 resources and scheduling. So anything that we can do
10 to help move that process along we feel like in
11 everybody's best interests from both a reliability
12 standpoint and a safety standpoint.

13 The issue of software common mode failure
14 is still unsettled. You know, we recognize certainly
15 the need to ensure adequate coping capability or
16 diversity, but as I mentioned that the regulatory
17 issues and our experience has been protracted reviews.

18 As I mentioned before, we've found the
19 current NRC guidance to be problematic. I've already
20 mentioned that it can require backups that add
21 complexity and costs without necessarily improving
22 safety. It may not fully address events that are risk
23 significant, could actually discourage plant upgrades
24 that would enhance safety.

25 CHAIRMAN APOSTOLAKIS: Do you have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example of an event that may be risk significant in a
2 current review process?

3 MR. TOROK: Yes. We'll get to that in a
4 little.

5 I'm sorry.

6 MR. STRINGFELLOW: That's all. These are
7 the background slides. We're trying to set the stage
8 for this presentation.

9 CHAIRMAN APOSTOLAKIS: Yes. You are doing
10 that very well.

11 MR. TOROK: Work with us here.

12 CHAIRMAN APOSTOLAKIS: You've made a few
13 provocative statements that keeps us awake.

14 MR. STRINGFELLOW: We don't want you to go
15 asleep, okay?

16 CHAIRMAN APOSTOLAKIS: You are succeeding.

17 MR. STRINGFELLOW: Okay. All right. And
18 I've already mentioned that it can require analysis of
19 events that aren't safety significant from a risk
20 perspective.

21 Ray?

22 MR. TOROK: Yes. And we have examples of
23 those.

24 MR. STRINGFELLOW: We have examples of
25 those, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: This is pretty
2 serious stuff there.

3 MR. TOROK: It's my turn, huh?

4 MR. STRINGFELLOW: It's your turn, Ray?
5 You want to sit here?

6 CHAIRMAN APOSTOLAKIS: Okay.

7 MR. TOROK: Okay. So we wanted to briefly
8 explain the current regulatory guidance that's out
9 there right now. Jack already mentioned BTP-19 which
10 is tied Chapter 7 of NUREG-0800, the standard review
11 plan. And that document references NUREG/CR-6303,
12 which is a contractor report developed by Lawrence
13 Livermore some years ago.

14 The vintage on these things, I believe
15 BTP-19 came out officially in 1994, but really the
16 work behind it dates back to the late '80s and early
17 '90s when it was put together primarily, I believe,
18 for the advanced reactor program to address diversity
19 and defense-in-depth there.

20 What it involves here is the idea is to
21 demonstrate that you have adequate coping capability
22 in the event of a common cause failure. I believe they
23 refer to it as software common mode failure. We're
24 quibbling over words here. We call it now digital
25 common cause failure or digital CCF; that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 language here.

2 BTP-10 NUREG CR-6303 process involves 15
3 steps where you take your digital systems and break
4 them into blocks, identify blocks. And a block is,
5 let's see, the maximum size -- the maximum section of
6 the system for which a failure inside the system can't
7 propagate outside the block. That's the definition.

8 And then now you look for blocks that
9 contain common software and you postulate the
10 simultaneous failure of those blocks.

11 BTP-19 calls special attention to ESFAS
12 and reactor trip system for the purposes of D3
13 evaluations.

14 So having identified these blocks that
15 have common software now you go to your FSAR events
16 and reanalyze them with the postulated software common
17 cause failure. And you best estimate assumptions,
18 that's a little different from an FSAR analysis. And
19 the acceptance criteria is based on radiation release
20 criteria from 10 CFR 100.

21 If the results of the analyses are
22 unacceptable, then you add diverse backups as needed
23 for particular events.

24 The issue here --

25 CHAIRMAN APOSTOLAKIS: Now wait.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TOROK: I'm sorry.

2 CHAIRMAN APOSTOLAKIS: I don't understand
3 the best estimate business. What kinds of assumptions
4 are these? Are these assumptions regarding the plant
5 or assumptions or the behavior of the software?

6 MR. TOROK: Oh, no. The plant primarily I
7 believe. Yes, it's the plant. Because for example you
8 might use a best estimate decay heat model rather than
9 a conservative bounding decay heat model.

10 CHAIRMAN APOSTOLAKIS: I understand that.

11 MR. TOROK: That sort of thing.

12 CHAIRMAN APOSTOLAKIS: As long as you
13 don't make best estimate assumptions regarding the
14 behavior of the software.

15 MR. TOROK: Right.

16 CHAIRMAN APOSTOLAKIS: Because I don't
17 think there are any.

18 MR. TOROK: That's a difficult part of the
19 problem.

20 CHAIRMAN APOSTOLAKIS: Yes.

21 MR. TOROK: Yes. Well, in this case the
22 assumption you make regarding the software is that it
23 fails, that the probability of failure is one.

24 CHAIRMAN APOSTOLAKIS: Complete failure?

25 MR. TOROK: Yes. Well, or failure enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it defeats the safety function that you care
2 about.

3 Now, this approach is deterministic --

4 CHAIRMAN APOSTOLAKIS: Now this failure,
5 again, this digital system does what? Just actuates
6 the safety --

7 MR. TOROK: It could trip the reactor, for
8 example.

9 CHAIRMAN APOSTOLAKIS: So actuates trip?

10 MR. TOROK: It could actuate trip, that
11 would be one thing. Actuates an emergency system, for
12 example a core spray system or aux feedwater on a PWR.

13 CHAIRMAN APOSTOLAKIS: But it doesn't do
14 anything after that? It doesn't control it in anyway?

15 MR. TOROK: Let's see, are there cases
16 where CCF systems control? Most of them are simply
17 turn it on. And, yes, I think there are a few examples
18 of control

19 MR. KEMPER: Yes. For example, engineered
20 safety features that actuates pumps, it repositions
21 valves, it control the flow of --

22 CHAIRMAN APOSTOLAKIS: It does control the
23 flow.

24 MR. KEMPER: Oh, yes. High pressure safety
25 and low pressure safety injection flows to reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coolant systems, that sort of thing. I mean, although
2 it's not modulating flow, but it sets the flow at a
3 certain predesign design basis value.

4 MR. STRINGFELLOW: It basically starts
5 pumps and open valves. It repositions valves as
6 necessary to establish flow paths. Operators are then
7 stepping through their emergency procedures and once
8 they reach a point where they can reset SI, for
9 example, they manually reset SI, they manually stop
10 pumps that sort of thing. Once everything fires off
11 automatically and the necessary pumps are running,
12 then the operators have to step in and take control.

13 CHAIRMAN APOSTOLAKIS: So the system is
14 out of the picture?

15 MR. STRINGFELLOW: The actuation system
16 is.

17 MR. TOROK: So for the most part it's just
18 switching logic. It's not like feedback control as you
19 would have in the feedwater system, for example.

20 CHAIRMAN APOSTOLAKIS: I thought it did
21 more than just actuate systems.

22 MR. WATERMAN: This is Mike Waterman.

23 With regard to reactor trip and ESFAS
24 that's, like Ray said, trips a relay and then the
25 safety has to go to completion. If you're tripping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reactor, it cuts the MCCs to the control rods, the
2 control rods drop into the core. It doesn't do
3 anything to stop that. If it's ESFAS, it turns on
4 HPI, LPI and all that and then it's up to the operator
5 to control and modulate that. There's nothing in
6 ESFAS that's going to modulate anything. It actuates
7 systems, they turn on, spray turns on, containments
8 isolate, ECCS gets going and things like that. And
9 those things have to go to completion per regulation.

10 MR. KEMPER: However, there are
11 computations as well. Like for example in the reactor
12 protection systems there's variable pressure
13 temperature, trip set points that are calculated by
14 this platform. There's flux flow, delta flow trips.
15 So there's some sophisticated --

16 MR. WATERMAN: Up to the point of trip and
17 then once the trip occurs, it really doesn't matter
18 what the system does --

19 MR. KEMPER: Right.

20 MR. WATERMAN: -- because the safety
21 function itself goes to completion.

22 CHAIRMAN APOSTOLAKIS: Right. So it does
23 a monitoring job and then --

24 MR. WATERMAN: Yes, it continuously tries
25 to trip the reactor and if everything is okay, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fails to trip the reactor. But once it trips the
2 reactor, it may continue to calculate but it has no
3 effect on your safety system because they've tripped.
4 They've gone off and done their thing. And
5 essentially your reactor trip system is disconnected.

6 MR. TOROK: So it's primarily monitoring
7 and reacting to a trip signal at trip level. Yes. A
8 preset level.

9 Anyway, now let's get back to the BTP-19
10 approach. What have I done? Sorry.

11 Now we're down toward the bottom there,
12 approach characteristics. And we characterize this as
13 a deterministic approach with a focus on reactor
14 protection and ESFAS and the FSAR events. And the
15 reason we say it's deterministic is because we say
16 that it says focus on that system and go reanalyze
17 your FSAR events. Don't worry about which events are
18 more safety significant than others or anything like
19 that. And what that has the impact of doing is
20 distorting the safety significance of the software
21 because effectively you're saying the software
22 probability of failure is one and under that
23 assumption if there are results to these analyses that
24 are unacceptable, then you put in a diverse backup.
25 Ignoring the fact that in many situations there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much more significant contributors to system failure
2 than the instrumentation control in the software. So
3 in that sense it distorts the safety significance of
4 the software.

5 Now I should say this all came about about
6 15 years ago. And, you know, then I'm thinking it
7 wasn't such a bad approach. But what it effectively
8 does is it says, look, I don't understand what's
9 inside that box with the software, so I'm not sure
10 what it might do. So I'll assume it fails. So that's
11 fine, you know, as long as you don't know what's
12 inside the box and you have to be sure that it doesn't
13 do something bad. But I would say that at this point
14 we know a lot more now about how to look at a digital
15 system and understand the design features in it to be
16 much more comfortable with what it might do and what
17 it might not do. And that's really what this approach
18 is about.

19 Now, we believe that a risk-informed
20 method offers very significant advantages. It keeps
21 the focus on safety, and you guys know more about this
22 than I do. The object is to show where the software
23 has risk significance and where it doesn't and worry
24 about defense-in-depth and diversity where, for
25 software anyway, it is significant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This allows consideration of design
2 features that are built into the digital system. And
3 there are characteristics that protect against failure
4 and against common cause failure. For example, self-
5 testing, data validation and fault tolerance.

6 And as an example here the deal with the
7 software, as you know, is it doesn't randomly, it
8 fails deterministically. And what typically gets
9 software into trouble is when it sees conditions that
10 the designer didn't anticipate and didn't test. So
11 it's a surprise kind of condition or unanticipated
12 condition.

13 There are ways to protect yourself against
14 that. One of them is data validation. If the sensor
15 data that the system is looking at goes out of range,
16 you flag it and you don't just use it blindly and do
17 stupid things. Now in that sense there's a big
18 difference between a high quality real time digital
19 system and a not so high quality real time system.
20 And we'll have a lot more discussion on that later.

21 Also under risk-informed method you can
22 consider the fact that when you add diverse backups,
23 you actually add additional failure modes, possibly
24 additional unanticipated behaviors. Certainly the
25 potential for spurious actuation. And these can all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be bad things.

2 And if you think about it, if you have a
3 system that is not very reliable to start with and you
4 add a diverse backup, you're probably improving the
5 overall reliability of the system. But if you have a
6 highly reliable system to start with and you add
7 backups, now you're not on such firm ground. You can
8 actually make it worse, and we think you ought to
9 worry about that in doing these things.

10 The risk-informed method is also
11 consistent with the latest trends in terms of
12 technical and regulatory efforts. And there I'm
13 referring to the NRC Management position that risk-
14 informed methods should be used or encouraged where
15 they make sense in more and more areas.

16 MEMBER BONACA: Before you proceed. Just
17 because I don't want to get confused. I understand
18 you're proposing a risk-informed approach. But now
19 the FSAR for these power plants would have the old
20 deterministic analysis, right?

21 MR. TOROK: Yes. Yes.

22 MEMBER BONACA: So now you're proposing to
23 use the new set points or whatever, how are you
24 proposing to use this digital --

25 MR. TOROK: Oh, I see what you mean. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not proposing to use new set points or anything like
2 that. We're proposing to use risk insights to help
3 determine where extra defense-in-depth is of value.

4 MEMBER BONACA: Yes. I understand that.

5 MR. TOROK: That sort of thing.

6 MEMBER BONACA: What I'm trying to
7 understand is that ultimately you have to have a
8 consistency between your accident or you haven't
9 changed yet, I mean whether you believe or not that
10 this addressing risk or just the traditional safety
11 and this new digital system. You will have
12 consistency there?

13 MR. TOROK: Well, yes. I agree. And I
14 guess this is an area where I should say the PRA
15 approaches in general face the same issues, I think.
16 And I don't know that we want to get into it right
17 now, but there is a confirmatory review process. I'm
18 looking at Dave Blanchard because he's the expert on
19 this.

20 MEMBER BONACA: No. I'm trying to
21 understand what you end up with.

22 MR. STRINGFELLOW: Hang on. Let me try,
23 Ray.

24 MR. TOROK: Okay.

25 MR. STRINGFELLOW: Let me try. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Jack Stringfellow again.

2 I may not fully understand your question,
3 but correct me if I go wrong here. We are not
4 proposing to change the Chapter 15 analysis. The
5 Chapter 15 analysis will continue to be met with the
6 design. We're not altering that.

7 What we're proposing here is the use of
8 risk insights with respect to the Chapter 15 analysis
9 to focus on those areas where diversity can be of the
10 most benefit from a risk perspective. So the Chapter
11 15 analysis will not be revised.

12 MEMBER BONACA: You wouldn't have a need
13 to do that? All right.

14 MR. STRINGFELLOW: That's right. Did that
15 answer your question?

16 MEMBER BONACA: Yes, I think it does. I
17 was just looking at the previous slide on page 8 --
18 it's 6 where you're talking about that current NRC
19 guidance is problematic and require backups that add
20 complexity and cost without improving safety. And I
21 got the impression when I was reading this that if you
22 used the current guidance, you would not be accepting
23 criteria. For example in LOCA, therefore you would
24 have to do something else that you don't think is
25 significant from a risk-informed --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TOROK: Yes, the acceptance criteria
2 there. We're really focused on this one issue really
3 of digital common cause failure, which is considered
4 beyond design basis event.

5 MEMBER BONACA: Okay.

6 MR. TOROK: Right.

7 MEMBER BONACA: Okay. I think I
8 understand where you're going. Go ahead.

9 MR. TOROK: Thanks, Jack.

10 MEMBER BONACA: Again, I'll ask more
11 questions when you get there.

12 MR. TOROK: Okay. So let's get back.
13 We're right at the bottom of this thing now. So we
14 like the potential advantages of the risk-informed
15 methods, however there are some technical issues here
16 associated with this, and they're at the bottom there.
17 One is digital system failure probabilities, what do
18 you do with that. And the other is this issue of
19 modeling digital equipment in PRA. Everybody's two
20 favorite issues these days. And these are areas that
21 need to faced to be able to use risk insights.
22 They're also areas where at the present time there is
23 no consensus on the best way to handle these things,
24 right? We want to say that up front.

25 But keep in mind, however, in looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this too that our goal here is not to establish
2 absolute knowledge of digital system failure
3 probabilities and not to establish absolute knowledge
4 of the best way to model digital equipment in PRA.
5 What we're trying to do is capture risk insights
6 associated with these things. For example, get a
7 handle on where does the diverse backup help, where is
8 it a bad idea; you know, those kinds of things. So
9 risk insights. And we'll probably say that over and
10 over again.

11 Let me give you an example. You were
12 asking about examples, so we're going to get that. So
13 the first one here is a large break LOCA. And this is
14 large break LOCA with a digital common cause failure
15 in the low pressure injection system. Under the
16 deterministic method, the BTP-19 when you redo the
17 analysis you find that this is a large break, there is
18 insufficient time for operator action to do something
19 now that he's lost low pressure injection. Now in
20 BTP-19 it says for this event it recommends crediting
21 leak detection as a backup.

22 CHAIRMAN APOSTOLAKIS: This is design
23 basis?

24 MR. TOROK: Yes, beyond design basis.

25 CHAIRMAN APOSTOLAKIS: So --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STRINGFELLOW: The digital common
2 cause failure is beyond design basis?

3 MR. TOROK: Yes, right.

4 CHAIRMAN APOSTOLAKIS: So would the NRC
5 look at this?

6 MR. TOROK: Because of the issue of
7 software common cause failure. Now --

8 MR. STRINGFELLOW: This is what BTP-19
9 would have us do. It would have us postulate the
10 common cause failure and then look at the LBLOCA and
11 show how we can continue to meet the LBLOCA within the
12 acceptance of criteria of BTP-19, which is relaxed to
13 the current Chapter 15 acceptance criteria. But
14 nevertheless, that's what it would have us do.

15 CHAIRMAN APOSTOLAKIS: We're getting into
16 the severe accident --

17 MR. TOROK: No. What this goes back to is
18 that with traditional redundant trains of hardware as
19 a basis of your safety system, since the failures that
20 can disable the safety system are hardware based
21 failure, then you can say well the likelihood of
22 having all the trains fail at the same time due to a
23 common cause hardware failure is at sufficiently small
24 that we don't have to assume that and analyze that.
25 That's the way it's traditionally handled for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hardware.

2 Then along comes software. We put software
3 based control system on each of the channels of the
4 safety system. And now we say well what if there's a
5 bug in the software that's going to prevent all of the
6 trains from acting together or all at the -- I'm
7 sorry. All of them acting correctly?

8 CHAIRMAN APOSTOLAKIS: So this is an
9 application of the single failure criterion for
10 digital systems?

11 MR. TOROK: It would be if common cause
12 failure were within the design basis, but --

13 CHAIRMAN APOSTOLAKIS: It is not.

14 MR. TOROK: Right, exactly. So the
15 position that was taken in BTP-19 was look, we
16 understand it is beyond design basis, however we still
17 think it's prudent to look at this and here are the
18 ground rules. And the ground rules are go reanalyze
19 the Chapter 15 events with best estimate assumptions
20 so there's a relaxation there. And then are acceptance
21 criteria based on radiation release. And that was sort
22 of the compromise that was struck for --

23 MEMBER BONACA: The basic thought I guess
24 behind this is that with digital system you may have
25 common cause failure more likely now that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TOROK: Right.

2 MEMBER BONACA: Well, I'm trying to say
3 that's --

4 CHAIRMAN APOSTOLAKIS: First of all, we
5 don't know that the digital common cause failure is
6 more likely than not --

7 MEMBER BONACA: I'm not arguing that right
8 now. I'm only saying that --

9 CHAIRMAN APOSTOLAKIS: Yes, but I mean I'm
10 puzzled why in the case all of a sudden we're jumping
11 into severe accident.

12 MEMBER BONACA: Well, the question is the
13 point that he made is because of the way it was
14 designed it was presumed that there will be no common
15 cause. So that assumption was not made. Now I'm
16 trying to understand why there is an assumption that
17 common cause failure is more likely with digital
18 systems.

19 MR. TOROK: Well, here's the deal. When a
20 software system fails it's nearly always because
21 there's a design flawed and it manifests itself in the
22 form of a software bug, right, one way or another.

23 MEMBER BONACA: That's right.

24 MR. TOROK: And in that sense digital
25 systems operates with extremely high reliability; if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one does it, the next one's going to do it probably.

2 MEMBER BONACA: Right.

3 MR. TOROK: And that's the assumption
4 that's built in there. And then there are further
5 assumptions. One is we don't know how to put a
6 failure probability on digital equipment and in
7 software, therefore let's conservatively use one and
8 assume that it does fail and then show that you can
9 deal with it.

10 CHAIRMAN APOSTOLAKIS: Is anybody from NRR
11 here who can shed some light on this?

12 MR. TOROK: That would help, wouldn't it?

13 MR. KEMPER: Yes. I'll get started and,
14 Matt, you can follow up if you like.

15 The Agency took a position on this, oh
16 gosh it's been what? '94/'92 time frame. They got,
17 I guess, the National Academy of Sciences to do some
18 work for them, to do some studies on this subject. And
19 made recommendations that we form a policy to address
20 this issue. A letter was prepared, SECY letter was
21 sent to the Commission. The Commission agreed that
22 since we can't determine the failure probability of
23 software, whether it's more or less likely to fail
24 than hardware, then we would treat it in the manner
25 that we do. That it's a realistic failure but it will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be design basis -- beyond design basis failure
2 scenario. And so that's what gave rise to BTP-19 and
3 then NUREG-6303 was further written to embellish the
4 specifics of how you actually do a D3 analysis.

5 MR. TOROK: Right. So that was the
6 position 15 years ago, roughly.

7 MR. KEMPER: Right. That's right.

8 MR. TOROK: Okay. And effectively we're
9 saying well now we can do better than that.

10 MR. WATERMAN: This is Mike Waterman on
11 Office or Research.

12 I went back to 1993 and started doing an
13 operator event report, Part 21 review of all the
14 digital safety system, Appendix B, according to Ray
15 highly reliable digital systems. And I found 24
16 separate incidents of common cause failure in highly
17 reliable safety systems. I don't think they're that
18 highly reliable when I can find that many over a 12
19 year period.

20 Secondly, credit for leak detection backup
21 for BTP-19 disallowed by NRC. If you read BTP-19
22 there was a for example in there. Leak detection for
23 the system 80 plus. System 80 plus had extensive use
24 of acoustic monitors for leakage detection. We had a
25 licensee come in and say well, leakage detection is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 highly reliable. In July and August that same
2 licensee was cited because their leakage detection
3 systems in two separate plants failed to detect a
4 gallon per minute over a one hour period.

5 Leakage backup is only allowed if you're
6 going to put in leakage detection equipment that's
7 reliable. So we've got digital systems that are
8 somehow, even though they're more simple than what's
9 coming down for Oconee, are failing. What's causing
10 the failures? All these things that make them highly
11 reliable; self-testing and data validation are two of
12 the things that cause those systems to fail.

13 So to say these are the things that make
14 these systems highly reliable when those are the
15 things that add complexity and cause them to fail is
16 really off the mark.

17 MR. TOROK: Well, you're getting way ahead
18 of our talk here.

19 MR. WATERMAN: Okay. I just want to
20 clarify the credit for leak detection backup
21 disallowed by NRC, highly reliable digital systems is
22 just not really what I've seen.

23 MR. TOROK: Okay. Shall I continue.

24 MR. WATERMAN: Okay. Continue to march.

25 MR. TOROK: I'm sorry. Okay. So large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break LOCA here's an example, okay. With common cause
2 failure low pressure injection under the deterministic
3 method there's no time for operator action and you
4 can't credit leak detection for whatever, right, as
5 Mike explained. And therefore you need to diverse
6 actuation of low pressure injection and its supporting
7 systems.

8 Now, if you look at that from a risk
9 insight point of view you would say well, the
10 probability of the digital common cause failure is --
11 I don't know what it is perhaps, exactly. In fact, I
12 certainly don't know exactly what it is but I have
13 plenty of reason to believe it's much less than one.
14 So that's one factor.

15 Another is that the likelihood of the
16 large break LOCA itself is quite low. And when I look
17 at those two together I conclude that the overall
18 contribution to core damage frequency from the
19 combination is very low. Very small.

20 CHAIRMAN APOSTOLAKIS: Well, but you know
21 what you're doing here is you're going back to the
22 original assumption that digital CCF, we don't know
23 how likely they are so therefore we're going to be
24 conservative. And now essentially you're saying don't
25 be conservative. It's a low probability event. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really what you're saying. I mean, it's not this
2 concise.

3 MR. TOROK: Well, what I'm saying is I
4 don't know precisely what the number is, but I know
5 it's less than one. Let me pick a number and see what
6 ballpark I'm in in core damage frequency. Just get a
7 handle on where I am.

8 CHAIRMAN APOSTOLAKIS: Right.

9 MR. TOROK: I'm trying to capture a risk
10 insight here.

11 CHAIRMAN APOSTOLAKIS: Right.

12 MR. TOROK: So that's one thing. If I
13 look at it this way, my conclusion is this event is
14 not a large contributor to core damage frequency.

15 There's another important fact, though,
16 that comes out of the risk evaluation. And that's
17 that if you do add a diverse backup for the I&C in the
18 low pressure injection system, it turns out it
19 wouldn't reduce the core damage frequency because the
20 failure probability of that system is dominated by the
21 large rotating machinery, the big pumps and valves and
22 spinning things.

23 CHAIRMAN APOSTOLAKIS: What is their
24 common cause failure rate?

25 MR. TOROK: Off the top of my head, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't know.

2 MR. BLANCHARD: For a typical low pressure
3 injection --

4 CHAIRMAN APOSTOLAKIS: You have to come.

5 MR. BLANCHARD: My name is Dave Blanchard.
6 For a typical low pressure injection
7 system you would have a common cause factor on the
8 order of 10^{-3} to 10^{-4} per demand.

9 CHAIRMAN APOSTOLAKIS: And you're saying
10 that the digital system is better than that.

11 MR. BLANCHARD: On that order or better,
12 yes.

13 CHAIRMAN APOSTOLAKIS: And how do you know
14 that?

15 MR. BLANCHARD: We will be addressing that
16 in a few minutes.

17 MR. TOROK: Yes. We'll get there.

18 MR. BLANCHARD: Yes. Right. Thank you.

19 MR. TOROK: Okay.

20 CHAIRMAN APOSTOLAKIS: I don't know. I am
21 uncomfortable with this. I'm not sure you're using
22 any risk insights here. Am I the only one who feels
23 that way. You're just attacking the original
24 assumptions.

25 MR. TOROK: Well --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: The Staff say we
2 don't know the details, we'll have to assume one. Why
3 do you say no don't assume one? Is that risk
4 insights?

5 And also this being more useful after we
6 approve the rule 50.46(a) which allow you to do
7 certain things for break sizes greater than the
8 transition. And the other argument there, you know,
9 the first subbullet at the bottom, don't do anything
10 to this because something is riskier. Well, that's an
11 interesting thought, although in real life I mean we
12 do that all the time, I must admit.

13 MR. TOROK: Well, under these assumptions
14 the conclusion is that the BTP-19 method drives you at
15 hardware and increase the complexity but the safety
16 benefit is questionable at best. So is that good
17 engineering? That's the question. I'll leave that as
18 the question.

19 CHAIRMAN APOSTOLAKIS: Wait a minute. Now
20 there is always another hand, you know that. The
21 large break LOCA is supposed to be the limiting
22 accident.

23 MR. TOROK: Pardon me?

24 CHAIRMAN APOSTOLAKIS: The large break
25 LOCA is supposed to be the limiting accident. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supposed to protect us from all sorts of things that
2 we haven't even thought of. So just to say that it
3 has low probability of occurrence, ah, doesn't cut it.
4 Because you know it's the things unknown and knowns
5 that you're so conservative designing the thing using
6 large LOCA as a design basis accident that you are
7 covered, you know. So -- anyway we're getting into
8 territory now -- let's go on. Let's go on.

9 MR. TOROK: It's still, you know --

10 CHAIRMAN APOSTOLAKIS: I'm sorry, Jack?

11 MEMBER SIEBER: It's not clear to me how
12 not installing a diverse system has an impact on
13 overall system reliability. In other words if you
14 install a backup system, obviously you're going to
15 effect reliability as a positive way. And I think you
16 have to come up some real numbers to be able to
17 establish what that's worth.

18 CHAIRMAN APOSTOLAKIS: Is argument is
19 though that, yes, you are reducing risk but I mean the
20 rotating components are still the same and they have
21 a higher probability of failure, right? That's what
22 you mean by backup? It's a backup to the I&C.

23 MR. TOROK: Backup to the I&C only.

24 CHAIRMAN APOSTOLAKIS: Not to the system
25 itself?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TOROK: That's right.

2 CHAIRMAN APOSTOLAKIS: So the system
3 failure probability is dominated by the failure of the
4 pumps?

5 MEMBER SIEBER: That's true.

6 CHAIRMAN APOSTOLAKIS: So by adding the
7 backup system you reduce something else, but this
8 probability is still high. That's their argument.

9 MR. TOROK: Yes.

10 MEMBER SIEBER: So don't bother. You
11 could eliminate half the stuff in the plant.

12 CHAIRMAN APOSTOLAKIS: That's the point.
13 That was my point earlier that you know just because
14 something dominates it, don't eliminate everything
15 else.

16 MR. STRINGFELLOW: If I might, this is
17 Jack Stringfellow again. If I might offer up a little
18 anecdote with respect to the comment that Mr. Sieber
19 made.

20 Vogtle recently replaced or we have been
21 in the process of replacing our diesel sequencers with
22 a digital system. And we did a decubed analysis for
23 this system and we identified as a result of the
24 decubed analysis, we added some hardware. Some
25 electronics to some analog hardware to mitigate a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potential common cause failure of the system to fail
2 shed load. We installed the first train of that
3 system. And during testing that device actually
4 underwent an infant mortality. There was a compositor
5 in that device that had an infant mortality. It
6 failed and actually caused a failure to shed load
7 during the test.

8 So, you know, to my mind that's an example
9 of where we added hardware that actually caused a
10 failure due to a random failure of a compositor.

11 MEMBER SIEBER: Well, since we're telling
12 war stories, I used to be site Vice President of
13 Beaver Valley. And we installed digital sequencers on
14 our diesels and when we went through all the post-
15 modification testing and everything and everything was
16 fine. When we tested them after 18 months both diesels
17 failed to sequence. And the reason was that it was
18 unable to sufficiently reject surges on the DC power
19 system to the extent that it reset the microprocessors
20 to zero and destroyed the timing in there. And it
21 would count out. I mean, it was difficult to
22 troubleshoot that.

23 So I believe that there are situations
24 that can occur in power plant on simple digital
25 systems that give you common cause failures. And,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frankly, when both diesels failed to start and load,
2 that got me upset. It cost \$80,000 in enforcement
3 action.

4 MR. TOROK: Right. Okay. Yes, which is
5 an interesting example and we should talk about that
6 and maybe the software complications there, if there
7 are any. But okay, let's go on.

8 Now we have another example. In this case
9 we're not talking about a pipe break or an FSAR event,
10 we're talking about risk significant events that are
11 modeled in the PRA but not in the FSAR necessarily.
12 Now this is -- you don't need to read all the small
13 print here. This is an event --

14 CHAIRMAN APOSTOLAKIS: This is a large
15 LOCA tree -- oh, transient.

16 MR. TOROK: Yes, it's an event tree.

17 CHAIRMAN APOSTOLAKIS: No, but what's the
18 initiating. Yes, I know the shape I've seen before.

19 MR. BLANCHARD: This is a loss of
20 feedwater event tree for PWR.

21 CHAIRMAN APOSTOLAKIS: So it's really a
22 transient.

23 MR. BLANCHARD: Yes, it's a transient
24 event tree.

25 MR. TOROK: So it's a high frequency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initiator. And in this case the PRA looks at the
2 number of paths coming over here and through the
3 bottom and every which way, and many of them result in
4 core damage frequency over there.

5 CHAIRMAN APOSTOLAKIS: Right.

6 MR. TOROK: Now the FSAR -- the PRA
7 addresses all those paths. The FSAR addresses that one
8 and this one, the dash lines on there, right?

9 CHAIRMAN APOSTOLAKIS: The design basis
10 accident you mean?

11 MR. TOROK: Yes.

12 CHAIRMAN APOSTOLAKIS: And so BTP-19 would
13 say look at that one and look at this one, don't worry
14 about all this stuff.

15 CHAIRMAN APOSTOLAKIS: Yes.

16 MR. TOROK: Well it turns out some of
17 these are significant contributors to core damage
18 frequency. And that's because the PRA routinely
19 considers beyond design basis events that are risk
20 significant.

21 CHAIRMAN APOSTOLAKIS: Now I'm confused.
22 I mean, the previous slide said the NRC Staff went
23 beyond design basis in BTP-19 and now you're saying
24 here no, no, no that was really bad. I mean, they're
25 staying within the design basis. Which one is true?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Or is it again whatever --

2 MR. TOROK: No, no, no. In either case
3 the event is considered -- the common cause failure
4 event is considered beyond design basis. In the
5 previous example it's an example of where the BTP-19
6 method would cause you to put in a diverse backup and
7 that apparently -- or that seems to have little or no
8 safety benefit. In this case the BTP-19 approach
9 ignores some potentially safety significant sequences
10 that probably should be considered. So in a sense --
11 and this in one both ends.

12 CHAIRMAN APOSTOLAKIS: Wait. Wait. Wait.
13 What does it mean it missed the safety significance.
14 I mean, safety significance is a relative term.

15 MR. TOROK: Yes.

16 CHAIRMAN APOSTOLAKIS: So you're saying
17 that there are some beyond design basis sequences that
18 dominate core damage frequency.

19 MR. TOROK: Yes.

20 CHAIRMAN APOSTOLAKIS: But core damage
21 frequency is acceptable in this plan.

22 MR. TOROK: But if I add common cause --

23 CHAIRMAN APOSTOLAKIS: And there is always
24 something that dominates.

25 MR. TOROK: Please, Dave.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: This is Dave Blanchard
2 again.

3 The branch technical position reviews the
4 effects of common cause failure for design basis
5 events only. It does not consider the potential
6 introduction of common cause failure in beyond design
7 basis events that are evaluated in the accident
8 sequences of the PRA.

9 CHAIRMAN APOSTOLAKIS: That's correct.

10 MR. BLANCHARD: So we can actually
11 introduce a common cause failure from a digital system
12 that can increase the frequency of these accident
13 sequences and it will go unevaluated under branch
14 technical position 19. We won't know about it until
15 someday we update the PRA.

16 CHAIRMAN APOSTOLAKIS: But when you
17 increase that frequency how many failures do you have
18 to assume exists after the initiating events? Because
19 if you have to assume more than one, you are beyond
20 design basis.

21 MR. BLANCHARD: Oh, no question. You are
22 beyond design basis.

23 CHAIRMAN APOSTOLAKIS: So you are
24 increasing the core damage frequency but we don't
25 regulate on the basis of the core damage frequency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: What we're proposing here
2 with this guideline is that a risk informed method to
3 review --

4 CHAIRMAN APOSTOLAKIS: Ah, is more
5 coherent, is more production?

6 MR. BLANCHARD: Yes. Yes.

7 CHAIRMAN APOSTOLAKIS: That's different.

8 MEMBER SIEBER: You don't agree with that?

9 CHAIRMAN APOSTOLAKIS: Nobody disagrees
10 with that.

11 MR. TOROK: Okay. We can go on then.
12 Okay.

13 So there's the two contrasting examples --

14 CHAIRMAN APOSTOLAKIS: But you know -- go
15 back. Beyond design basis events are considered in
16 the PRA and they are unevaluated using BTP-19. They
17 unevaluated using the totality of the regulations.

18 MEMBER BONACA: That's the point I was
19 trying to make before.

20 CHAIRMAN APOSTOLAKIS: Yes.

21 MEMBER BONACA: Okay. We are killing--

22 CHAIRMAN APOSTOLAKIS: We are killing BTP-
23 19 as if it were --

24 MEMBER BONACA: We're beating the same
25 dead horse. And the point is -- but that's the basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the licenses that the plants you're addressing
2 right now have. So that's the way it is.

3 CHAIRMAN APOSTOLAKIS: And that's why
4 we're moving to a risk-informed environment as fast as
5 we can. This argument we know.

6 MEMBER BONACA: Here more than anything
7 else I am trying to understand, you know, and you're
8 doing a good job of how you propose to intermingle
9 this --

10 CHAIRMAN APOSTOLAKIS: Yes.

11 MEMBER BONACA: --deterministic and
12 probabilistic approach in a way that still preserves
13 the licensing basis of this plant because that's what
14 it is.

15 CHAIRMAN APOSTOLAKIS: Yes. I really --
16 oh, I'm sorry.

17 MEMBER BONACA: Yes. That's it.

18 CHAIRMAN APOSTOLAKIS: I'm really
19 interested in understanding better your three
20 methodologies.

21 MR. TOROK: Okay.

22 CHAIRMAN APOSTOLAKIS: Extended, standard
23 risk and simplified risk. That's where the action is.
24 We know this area.

25 MR. TOROK: Okay. Let's move on. We had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here some different views --

2 CHAIRMAN APOSTOLAKIS: No, I'm not telling
3 you to skip slides, I mean unless you want to. But
4 don't try to convince us that the risk-informed
5 approach is better than the --

6 MR. TOROK: Okay. Okay.

7 CHAIRMAN APOSTOLAKIS: All right. We're
8 with you on that.

9 MR. TOROK: Okay. Tell you what, I'll do
10 this quickly. We have a list here of ways of looking
11 at the digital reliability issues. The first two
12 questions here -- it's just interesting to look at
13 different ways to look at this.

14 How reliability is the software? That's
15 a question where we would say -- and it's probably
16 unfair to say focus here, maybe emphasis. But the NRC
17 research emphasis on establishing how reliable
18 software is whereas we're emphasizing how reliable
19 does it need to be. And this is a good example of
20 getting a handle on the second question can help you
21 figure out how far to go with the first question so
22 you don't spend a lot of money going way farther than
23 you really need to.

24 Now all the rest of the questions on that
25 page, which I don't know how to skip through quickly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are kind of the same thing. It's the same thing over
2 and over again.

3 One thing that I should call attention to
4 that's a little different, though, is that Research,
5 or NRC let's say, emphasis has been on what process
6 attributes affect reliability. And a difference
7 between what they're pushing and what we're pushing is
8 we say what design attributes affect reliability. So
9 we want to look at the as-built device, not just the
10 process that built it. And we think it's more
11 important to look at the design attributes. And Thuy
12 is going to say a bunch more about that later.

13 I'm going to skip the rest of these and
14 you can read, I guess, at your --

15 CHAIRMAN APOSTOLAKIS: So do you really
16 want to send the message that you are disagreeing on
17 everything?

18 MR. TOROK: Well, no, no, no. That's not
19 the message at all.

20 CHAIRMAN APOSTOLAKIS: It's not the
21 message I'm getting --

22 MR. TOROK: The message is that there are
23 different ways to look at these things. And we said
24 "focus" here, and maybe that's too strong.

25 CHAIRMAN APOSTOLAKIS: Maybe you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remove RES and EPRI and say one approach is this, the
2 other approach is that. And we like the second one.

3 MR. TOROK: Well, some combination of them
4 is kind of nice.

5 MR. STRINGFELLOW: That's why we titled
6 the slide complimentary.

7 MR. TOROK: Yes. Right. We're saying --

8 MEMBER SIEBER: We're not fooled by that.

9 CHAIRMAN APOSTOLAKIS: You're saying that
10 you're interested in establishing reasonable assurance
11 and the Agency is not?

12 MR. TOROK: Well --

13 CHAIRMAN APOSTOLAKIS: This is our bread
14 and butter.

15 MR. TOROK: It's a difference in emphasis.
16 How do I prove my liability claims? That's a tougher
17 question than how do I establish reasonable assurance.

18 CHAIRMAN APOSTOLAKIS: I still think you
19 should change the headings.

20 MR. TOROK: Okay.

21 CHAIRMAN APOSTOLAKIS: And say there may
22 be two -- separate approaches and this is the one
23 we're talking about. Because every single one of
24 these can be challenged.

25 MR. TOROK: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: There is no reason
2 to do that. I mean, you know that the Staff doesn't
3 do that.

4 Let's go on.

5 MEMBER SIEBER: Actually, you got to
6 answer all the questions if you look at them.

7 MR. TOROK: The main point was that the
8 right -- the two kind of help each other out if you
9 can fill in all the blanks; that's all.

10 Now --

11 MEMBER BONACA: Your question, the way you
12 pose it, how reliable does it need to be. It depends
13 on what criteria you're using. So you're saying well
14 I don't like the deterministic, I'm going
15 probabilistic and then this is that. I can understand
16 how you have to first of all establish a guideline on
17 a process which is acceptable enough to answer the
18 question; how reliable does it need to be? It depends
19 on what criteria you're using.

20 MR. TOROK: Well, and for example in that
21 one I would say I need to show that it's sufficiently
22 reliable, that it's not going to dominate the failure
23 probability in a system that it's in, right? Okay.
24 Now I can go to my PRA and in other words, probably I
25 can generate a number there. Now I go back to my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reliable is it and say hey, here's my target. You
2 know, my target's not 10^{-9} , it's just 10^{-3} . Right?
3 Makes a huge difference in what you would do to show
4 reliability.

5 MEMBER BONACA: I understand.

6 MR. TOROK: That's the whole point, right?

7 MEMBER BONACA: Understand.

8 MR. GUARRO: There are certain points one
9 could easily argue with. For example when you say
10 which failure facts are important to safety, I don't
11 think that can be contrasted with respect to the
12 previous question, which is I think what it's supposed
13 to contrast, which is how can digital systems fail.
14 If you do not know how they fail, it's pretty hard to
15 see what the effects are, right?

16 MR. TOROK: Yes. Right.

17 CHAIRMAN APOSTOLAKIS: I think that was
18 not the most successful slide.

19 MR. STRINGFELLOW: Well, we've had a
20 couple of those.

21 MR. TOROK: Yes, we have.

22 CHAIRMAN APOSTOLAKIS: Probably for other
23 audiences you didn't have the same problem you're
24 having today.

25 MR. TOROK: So you can be sure we won't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use that slide again.

2 CHAIRMAN APOSTOLAKIS: That's called
3 learning from experience.

4 MEMBER SIEBER: Are we supposed to be
5 keeping track of slide quality?

6 MR. TOROK: I would call that --

7 CHAIRMAN APOSTOLAKIS: Okay. Let's move
8 on. I want to see the three methods.

9 MR. TOROK: Yes. I would characterize
10 that as an operating history failure, by the way.

11 Okay. Now here's the key points we're
12 trying to make it. You guys liked the first one, I
13 think. Use of risk insights helps us do a better job,
14 okay?

15 CHAIRMAN APOSTOLAKIS: Absolutely.

16 MR. TOROK: Great. That's one.

17 Okay. And we believe that it's possible
18 to derive useful risk insights for D3 evaluation, not
19 for general purpose PRA evaluation, but for D3
20 evaluations now. And we think that you can derive
21 those risk insights without precise knowledge of
22 failure probabilities and without detailed PRA
23 modeling of the digital I&C. And we'll talk about how
24 that works. Okay. And we say that for the purposes
25 of D3 evaluations, not general purpose PRA, we can get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a handle on the reliability of the digital equipment
2 based on deterministic evaluation of the equipment.
3 Deterministic evaluation, okay? And we're going to
4 talk more about that.

5 And we believe that the ongoing and future
6 work by NRC Research and others is just going to help
7 that. There's a framework here as methods to determine
8 software reliability become better and better, that's
9 great because they can be used within this framework.
10 Same thing for modeling digital systems in PRA.

11 Oh, that was fast.

12 CHAIRMAN APOSTOLAKIS: Now I want to take
13 a ten minute. Is this a good time?

14 MR. TOROK: Okay.

15 MEMBER SIEBER: Ten minutes.

16 CHAIRMAN APOSTOLAKIS: Yes, we're going to
17 have two breaks this afternoon, ten minutes each.
18 12½, Jack.

19 MEMBER SIEBER: That includes travel time.

20 CHAIRMAN APOSTOLAKIS: We'll 2:55 -- no.
21 Until 2:55.

22 (Whereupon, at 2:43 p.m. a recess until
23 2:56 p.m.)

24 CHAIRMAN APOSTOLAKIS: I can start without
25 some members, but not without the speakers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TOROK: Okay. Excellent.

2 Before we start, I have a request that we
3 heard from Mr. Waterman mentioned a number of software
4 common mode failure problems that he discovered.

5 CHAIRMAN APOSTOLAKIS: Yes.

6 MR. TOROK: We'd like to see a formal list
7 of those. That would be very helpful to us. You
8 know, we asked our group, but we don't have a good
9 knowledge of that. Thank you.

10 Now, here's the other thing. We know we
11 want to get through this as quickly as we can. We're
12 going to try and go through the general stuff.
13 Obviously, we're going to need some of your help on
14 that. And what we're really trying to get to is the
15 two technical issues that we have in one of the early
16 slides. All right. They are what we call defensive
17 measures and how we look at susceptibility for
18 software common cause failure and how we estimate
19 failure probability. That's one part. And the other
20 one is the modeling and PRA and the risk insights that
21 come out of that. So we have to get to those things.
22 Everything else builds up to that.

23 So, please, friend, let us get through the
24 next few slides pretty quickly.

25 Anyway, so you asked about guidelines

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods. There are three methods in the guide. I want
2 to describe them very briefly and at fairly high
3 level. That are papers that are published that we can
4 provide that give all the details of them. But I
5 think we can describe the methods fairly simply. And
6 since you guys are well versed on PRA, you'll
7 understand what we're talking about very quickly here.

8 Now the first one we call extended
9 deterministic method. And it basically is the BTP-19
10 approach, however for problematic events like large
11 break LOCA we would say take a risk-informed look at
12 it to see if that puts the event in a new focus.
13 That's basically what the method does, simple as that.

14 The second one we standard risk-informed.
15 That's where the idea is capture a risk focus with
16 realistic assumptions and what you're really trying to
17 do there is update your PRA to reflect the digital
18 equipment, which means you need to put in failure
19 probabilities and beta factors and so as it makes
20 sense, and then regenerate your results and look at
21 your core damage frequency. That's the basic idea.

22 And at some point if you're putting in
23 digital upgrades, regardless of the D3 issue, you'll
24 want the PRA model to be consistent with the plant and
25 you'll face this problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The last method is simplified risk-
2 informed. And this is where we take conservative
3 assumptions and use the PRA so you don't have to
4 update your PRA model to do this one. And what you
5 basically do is treat the software common cause
6 failure as a new failure mode and you say for each
7 event, you would say you have an event frequency from
8 the PRA model. And you multiple that by the failure
9 probability of the digital system or of the software.
10 And that gives you a delta core damage frequency for
11 that event. You do that over and over again to see
12 what the total change in core damage frequency is and
13 you also identify the large contributors to it, and
14 that tells you where to focus. That's what the
15 simplified risk-informed method is about.

16 Now for the risk-informed methods, the
17 acceptance guidance from Reg Guide 1174, which you're
18 all familiar with in looking at delta CDF and so on.

19 All three methods use what we call a
20 confirmatory defense-in-depth review which is where
21 you do a sanity check on your results to make sure you
22 didn't miss something important. And without getting
23 into the details, and then the idea there is if the
24 acceptance criteria aren't met, you've got some
25 options. You could refine the assumptions if you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defend revisions to your assumptions or you could use
2 one of the other methods. Modify your design so that
3 the common cause failure issue goes away, you know it
4 doesn't exist anymore or add a backup function as you
5 would under BTP-19.

6 That in one page is what all our methods
7 do.

8 Now, regardless of which method you pick
9 the first thing you have to do is figure out where
10 you're susceptible to digital common cause failure.
11 And under BTP-19 we talked about this. You identify
12 blocks and if the blocks have the same software,
13 you're susceptible. We do something a little more
14 than that. We say well wait a second, that's not the
15 whole story. You can look inside those blocks and you
16 can identify design features and behaviors and whatnot
17 that are designed into the thing that help constrain
18 the failures that you have to worry about. And Thuy's
19 going to explain that in more detail momentarily.

20 There are a couple of things that I wanted
21 to mention here. One is that this is a deterministic
22 way to look at a digital device to understand what its
23 failure behaviors might be and how they might get you.
24 So it's deterministic in that respect. That's really
25 important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Another is it gets beyond the process
2 based way of looking at software quality. A great
3 process does not guarantee a great product. It might
4 guarantee a well documented product. But what we
5 believe is more important for establishing reliability
6 and reasonable assurance that you have high
7 reliability, is that you want to make sure the right
8 defensive measures or the right design attributes are
9 built into the device. You want to understand the
10 final as-built device, and that's what this is about.

11 MEMBER SIEBER: How do you examine the
12 software to predict all the failure modes that might
13 occur.

14 MR. TOROK: We'll get to that in a minute.

15 And I said this already, the defensive
16 measures provides a deterministic basis for estimating
17 likelihoods of failure and digital common cause
18 failure. And we're going to talk about that.

19 Now still, we want to acknowledge again
20 that this is different from standard PRA treatment of
21 hardware because software fails deterministically in
22 the sense that when it sees the right set of
23 condition, it'll do the same thing every time, or
24 nearly every time. I guess Microsoft may not agree
25 with that statement. Anyway, but what you really have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get a handle on here is the likelihood that the
2 system will encounter unanticipated conditions; that's
3 one thing. And the likelihood that those anticipated
4 conditions will get you into trouble in your plant
5 context.

6 To do this evaluation where you're looking
7 inside the box is not something that you can do using
8 a handbook of failure probabilities that might be
9 great for modeling pumps and valves and PRA. In this
10 case it requires specific expertise in software and
11 detailed knowledge how a digital device works.

12 And with that, I want to introduce Thuy
13 Nguyen who is our expert on this.

14 MR. NGUYEN: So good afternoon.

15 I'm a software expert, and my job is to
16 analyze -- one of my job is to analyze the software
17 systems at EDF that are safety critical for the EDF
18 plants.

19 So, in fact --

20 CHAIRMAN APOSTOLAKIS: So how come you're
21 here? Are you spending time at EPRI?

22 MR. NGUYEN: Yes. Because EDF and EPRI
23 have cooperation agreements. We would like to share
24 research effort.

25 CHAIRMAN APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: So I'm spending a few years
2 at EPRI in Palo Alto.

3 CHAIRMAN APOSTOLAKIS: A few years?

4 MR. NGUYEN: Yes. This is a certain
5 number of important projects where we prefer to have
6 a much tighter cooperation than just phone and email.

7 CHAIRMAN APOSTOLAKIS: The first ten years
8 are difficult ones.

9 MR. NGUYEN: In California it's fairly
10 easy.

11 So I will start by very obvious things
12 first and introduce my terms.

13 First, the notion of digital faults. A
14 digital fault is a software bug, mostly. And by
15 itself it does nothing.

16 A digital fault if it's not activated by
17 particular conditions in the digital system will
18 remain latent and have no effect.

19 And I think we have heard recently of a
20 software bug found at Palo Verde. This is typically
21 the case of a software bug that exist permanently in
22 the software but is activated only when a hardware
23 fault occurs, a particular hardware fault occurs. And
24 as long as this hardware fault doesn't occur, the
25 software fault is dormant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When there is an activating condition
2 occurs, then you can have a digital failure. If this
3 activating condition effects only one channel of a
4 redundant system, only this channel will fail. So a
5 digital fault does not mean that we had digital
6 failures. This fault in Palo Verde has not been
7 activated in operation.

8 Now a failure of a channel is not yet a
9 common cause failure. A common cause failure occurs
10 when the activating condition effects multiple
11 channels concurrently. And this is very important
12 because I would say the analysis approach that I will
13 be presenting in the following slides is based on
14 this, I would say, vision of how digital CCF only.

15 I have also a small remark saying that
16 there are some digital faults that are activated but
17 do not result in failures. And there are failures that
18 are not risk significant. So we here are focused on
19 risk significant failures.

20 So in order to explain how software
21 systems work and fail, I have taken the metaphor which
22 is a mine field metaphor. I have a very large mine
23 field that I spent a lot of effort to remove the
24 mines, but I'll never be able to say there are no
25 mines left. So if I walk in this mine field without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific pattern or randomly, at every step I might
2 step on a mine.

3 Now, this is not the case of certain types
4 of systems. Certain types of systems in fact are
5 designed to function cyclically. They follow again and
6 again the same path. So if I think, I'm going back to
7 mine field, if I walk along this path of course the
8 first cycles I will be quite worried that I might step
9 on a mine. But after a certain number of iterations
10 provided that my path is not too wide, I will grow a
11 higher level of confidence that even though there
12 might be still some mines left in the mine field, they
13 will not on my path.

14 And what is important to understand is
15 what's the width of my path. If it's very large like
16 a highway, I will need quite a number of iterations
17 It's very narrow, after a certain number of iterations
18 I can say, yes, it's quite unlikely that if I stay on
19 this path, I will step on a mine.

20 And here we're dealing with software that
21 are designed to be what we call deterministic. Of
22 course, totally in theories all software is
23 deterministic. But what I call deterministic is when
24 we understand and know what are the influence factors
25 that will effect the software trajectory. And in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 case the software is under the influence of a certain
2 number of factors that will effect the width of its
3 path.

4 I have listed here in these bullets a
5 number of influence factors. For example, you have
6 the input variables coming from the process.

7 You have the memory that the software
8 system keeps from one cycle to the next.

9 You have blocking interrupts. You might
10 have process-related interrupts. And you have also
11 internal resource management like memory allocation
12 and so on.

13 In most of the -- in all of the systems
14 that I know there are certain number of measures that
15 have been taken to narrow the path of the cycle. For
16 example, all resource management is static. There is
17 no dynamic memory location, for example.

18 The process interrupts -- rated interrupts
19 are not allowed.

20 There are clock interrupts in certain
21 systems that occur every millisecond. And there are,
22 I would say in software terms, represented a small
23 amount of curve that can be verified very thoroughly.

24 Short-term memory is also kept to a
25 minimum. That usually represents only a few variables

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that can be very formally identified.

2 The number of processing inputs come from
3 the process and they can be validated before used, and
4 we will see how we will deal with that.

5 So as long as things stay, I would say, in
6 the nominal conditions the system will ge on this
7 green path and typically a number of situation per
8 year in a single channel in about a billion.

9 So after a number of situations I think my
10 engineering judgment is that it's very unlikely that
11 it will fail in this condition.

12 Now, of course, my system must be able to
13 react to a number of, I would say, conditions
14 occurring so that it some use. So I have listed here
15 a number of what I have called infrequent influence
16 factors, influence factors that could take the
17 software system out of its green path on which I am so
18 comfortable.

19 For example, there is initialization. But
20 this executed only once.

21 The operator request. For example, every
22 month the operator changes some set points. This can
23 be done channel-by-channel so I do not say that
24 operator request cannot activate a software fault.
25 What I say that we can take measures in the operation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the maintenance of the system so that this does
2 not effect concurrently all the channels of my
3 redundant system.

4 There are hardware failures like the Palo
5 Verde example. But the hardware failures usually
6 effect a single channel.

7 There are exceptions. For example loss of
8 power or the operator has pushed the reset button.
9 The reaction of a protection system to an exception
10 is usually to stop the processor. So it's a very,
11 very simple action.

12 There are particular date and times like
13 the Y2K date, for example. And the usual approach to
14 avoid these kind of parameters is to say we will not
15 manage dates and times in this kind of system

16 So what is left? Ah, the plant
17 transients. Because the plant transients effect
18 concurrently all the channels and these are, I would
19 say, the main events that could trigger potentially a
20 software common cause failure. And of course if that
21 appears and if it leads me to an unforeseen, untested
22 condition, then there is a possibility that I might
23 step on the mine and that my system fails all its
24 channels concurrently.

25 So that is an important element to take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into consideration.

2 So now let's look at the internals of a
3 software system used for reactor protection. Usually
4 it's composed of an operating system and of
5 application software. The application software is
6 usually subdivided into two main parts: Standard
7 elementary functions and application specific
8 software. So the operating system and the standard
9 elementary function usually are bundled with the I&C
10 platform.

11 Now, an important design feature of I
12 would say a well designed operating systems for
13 applications is that the operating system is
14 independent from the application software and that it
15 is transparent to plant condition. The operating
16 system will read inputs and give them to the
17 application software. But whatever the values of the
18 input, it's not effected. The operating system does
19 not react to interrupts coming from the plant
20 processes. So it's in its own circular path. The
21 application software is in its own circular path.

22 Now, if I have a plant transient, since
23 the operating system is blind to the plant condition,
24 it will remain on its green path. Only the application
25 software will be taken out of its own green path and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 follow a different execution path.

2 So what I'm saying here it is quite
3 important. It's that provided that my operating system
4 has the appropriate properties, and that's a very big
5 if that needs to be substantiated and proven by
6 appropriate argument and evidence, the operating
7 system will not fail or is very unlikely to fail
8 during plant transients. It will stay in its
9 repetitive path.

10 And that is, I would say, something that
11 is difficult to accept by most people. We have
12 talking in our work group since quite a long time, and
13 it took me quite a number of discussions just to feel
14 that.

15 The second part of the platform software
16 is the standard elementary functions. There I will
17 take another type of argument. These functions are
18 usually very small and/or assign a delay. They are
19 very small functions but usually independent from one
20 another. They have no internal memory. They're based
21 usually on very well mastered algorithms. You can
22 perform very, very thorough V&V. So on engineering
23 terms the digital faults in the functions of the
24 standard library are quite unlikely.

25 So this is the basis for my statement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, of course, again that will need to be supported
2 by a very argument and evidence.

3 So our last part that we have not
4 addressed in the previous slide is the application
5 specific software. And I have put here, I would say,
6 the two main sources of potential faults of the
7 application software. We have, of course, the software
8 implementation faults, but we have also the
9 specification faults. And in my experience it has
10 always been the specification that has been the
11 undoing the application software.

12 In the software implementation you can
13 take very, very strong measures to make sure that it's
14 reliable and as fault free as it can be.

15 I have signs from Ray to go faster, so I
16 will not go very deep here.

17 I will try to speak a little more on
18 specification faults. There are two main types of
19 specification faults. What I call the expression
20 faults in the functional specification and the fault
21 that results in an incorrect understanding of the
22 plant and its systems by the specifiers.

23 You can take means to avoid expression
24 faults. But the lack of understanding is quite
25 difficult to address and they are usually in my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience all the faults that I've seen are faults of
2 these types.

3 And now if we look at the notion of common
4 cause failure. The main source of common cause
5 failures in a redundant system are here. And if I
6 make a redundant system based on four channels, each
7 channel using a different platform but implementing
8 the same application, I would still say that the beta
9 factor is wrong because of he --

10 CHAIRMAN APOSTOLAKIS: Software failure.

11 MEMBER SIEBER: Need we say more?

12 MR. NGUYEN: Okay. So that's again a
13 very, very strong claim. And I have insisted here
14 that it needs very good argument and evidence.

15 EDF will be building a new power plant in
16 the years to come based on the Framatome design. And
17 my team has been in charge to provide this type of
18 argument for the analysis for the -- and I had one
19 year or one year and a half to do that.

20 So now if we try to give some figures on
21 the probability of digital failure, I would say the
22 probability of digital failure resides mainly in the
23 evaluation of the likelihood of a fault in the
24 specification. And the lack of understanding are I
25 would say quite similar for digital or for analog

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems. So my point would be to say probability of
2 systematic failure of a digital system should be in
3 the same range as an analog system. After that, we
4 have the probability of failure due to hardware and I
5 think that there are appropriate methods to do that.

6 So, again, later one we will take beta
7 factors between digital systems. But the beta factors
8 have nothing to do with the I&C platform, again
9 provided the fact that the I&C platform has the
10 appropriate defensive measures.

11 MR. TOROK: Okay. You know, yesterday we
12 had this problem when the computer was unplugged. Do
13 we know that this is okay?

14 CHAIRMAN APOSTOLAKIS: It's working.

15 MR. TOROK: Well, the computer will go for
16 a while.

17 Okay. So our next guy Dave. Now we're
18 moving it to transitioning from defensive measures to
19 risk insights; how do we get from here to there,
20 right? And Dave Blanchard is our next speaker.

21 MR. BLANCHARD: My Dave Blanchard. I'm
22 from Applied Reliability Engineering. And I've been
23 working with Ray and the rest of the working group for
24 the last several years in developing the guideline.

25 Early in the presentation we saw our two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 major questions were where do the numbers come from in
2 terms of digital common cause failures. But a second
3 question was how do we incorporate the effects of
4 digital common cause failures into risk assessment.
5 And what's my presentation will be on, using the
6 defensive measures approach that Thuy just introduced.
7 He has provided us with methods to show that the
8 potential for failure of a digital channel even is on
9 the same order of that as a similar analog channel.
10 And in addition to that his defensive measures
11 approach as outlined in the guideline allow us also to
12 take a look at the potential for common cause beta
13 factors between redundant channels of instrumentation
14 and control.

15 Now, where these redundant channels exists
16 has an effect on the probability of common cause
17 failure. Identical trains in the same system, as an
18 example, using the same inputs, using the same signal
19 processing and voting logic will probably have a very
20 high common cause factor just because software behaves
21 deterministically. Between different systems that may
22 use different inputs, different signal processing,
23 different voting logic the common cause factor can be
24 less than one and the guidance document provides
25 information as to how to go about determining the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers.

2 We now have to incorporate those common
3 cause failures into the PRA. And the way we do that
4 according to the guideline, is to take a look the
5 defense-in-depth and the diversity that exists in the
6 plant as modeled in the PRA with the existing
7 mechanical and electrical mitigating systems. And in
8 a minute I'll illustrate how that's done.

9 We'll incorporate those potential effects
10 of digital CCF into the PRA and reevaluate a core
11 damage frequency using one of the three methods that
12 are in the guideline.

13 And then on completion of that we'll
14 perform sensitivity study to help develop insights
15 with respect to, well several things. Under what
16 accident sequence conditions does I&C diversity have
17 value? Under what conditions does it appear that the
18 risk is insensitive to digital common cause failures?
19 And as important as those first two questions, why are
20 the results sensitive or insensitive to the
21 introduction of digital common cause failures? What
22 design features and operating characteristics of the
23 plant and of the I&C system itself cause those
24 results?

25 Now, as we developed the guideline we in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact incorporated insights, accepted data, manipulated
2 models from quite a number of PRAs to make sure we
3 understood the nature of the kinds of insights that we
4 could develop. There were some five PRAs that
5 ultimately ended up being used as a part of the
6 development of the guideline. There were three
7 Westinghouse PWRs, differing vintage from a two loop
8 Westinghouse plant up to a four loop. We had a
9 combustion engineering PRA that we were allowed to use
10 for some of these sensitivity studies. And then we
11 also had a BWR 4 who volunteered their PRA for this
12 effort.

13 And we began pretty simply just looking at
14 some of the mitigating systems and imposing the
15 effects of common cause failures into each of these
16 systems and then varying the likelihood of the common
17 cause failures to try and determine what the effects
18 of introducing digital common cause failure would be
19 on each of these systems.

20 Recognizing that the systems themselves
21 don't work in isolation to provide adequate core
22 cooling, we then moved on to selecting a few accident
23 sequences and performed some very similar sensitivity
24 studies that we had with the systems to see where
25 digital common cause failure has a most significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact and where the results are insensitive.

2 CHAIRMAN APOSTOLAKIS: Now let me
3 understand what you did here.

4 MR. BLANCHARD: Sure.

5 CHAIRMAN APOSTOLAKIS: When you say you
6 varied the common cause failure, you varied beta?

7 MR. BLANCHARD: We varied both the
8 probability and the beta factor.

9 CHAIRMAN APOSTOLAKIS: Okay. And did you
10 do it on the individual system or cut across systems?

11 MR. BLANCHARD: In the beginning we
12 defined a fairly simple problem. We just simply took
13 an individual system and imposed on that system the
14 instrumentation of the common cause failure of a
15 presumed digital system to see what effect it would
16 have on the reliability of the system.

17 Some of the insights we found from that
18 type of a sensitivity study were that if we had a
19 system with multiple trains where the mechanical and
20 electrical equipment within those trains, most of it
21 was active rotating equipment or valves that had to
22 move, that those types of systems were not very
23 sensitive to changes in the common cause failure
24 probability. We could vary the potential for digital
25 common cause failure between the trains of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems by an order of magnitude or more and have very
2 little effect on the overall failure probability of
3 the systems.

4 We did find some systems that were fairly
5 sensitive to the introduction of digital common cause
6 failure. Those were systems which contained a lot of
7 passive components. The AC distribution system is an
8 example of buses and breakers and cables that don't
9 necessarily have to change position in order to
10 provide their function during an accident. In
11 addition to that, the AC power system has two very
12 diverse sources of power, off site and the diesel
13 generators. And when we encountered passive systems
14 and systems with that kind of diversity we found it
15 was very easy for the instrumentation and control to
16 dominate. And if a failure of the instrumentation and
17 control were due to common cause where multiple
18 divisions of the system failed, we found the I&C to
19 dominate in those situations.

20 CHAIRMAN APOSTOLAKIS: The systems that
21 were presented earlier to us by the Staff, the
22 Framatome and Westinghouse, these are supposed to
23 control all the safety systems, aren't they?

24 MR. KEMPER: This is Bill Kemper again.

25 With regard to the RPS and ESFAS, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could also be deployed with other system applications
2 as well.

3 CHAIRMAN APOSTOLAKIS: The ESFAS is all
4 these, safety injection --

5 MR. KEMPER: Right. Right. Safety
6 injection. Exactly. Contained in isolation.

7 CHAIRMAN APOSTOLAKIS: So is it then
8 reasonable to do the traditional common cause failure
9 analysis and do it on individual systems? Is it
10 possible that you will have a digital system fault
11 that would effect the actuation of all the safety
12 systems?

13 MR. BLANCHARD: Yes. And, in fact, again
14 we recognize these systems don't work in isolation.

15 CHAIRMAN APOSTOLAKIS: So did you
16 analysis--

17 MR. BLANCHARD: Some are -- each other,
18 and our next step then was to expand the analysis into
19 looking at entire accidents --

20 CHAIRMAN APOSTOLAKIS: To multiple
21 systems? So you did that?

22 MR. BLANCHARD: Yes.

23 CHAIRMAN APOSTOLAKIS: So that's in slide
24 23?

25 MR. BLANCHARD: That is coming up next,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yes.

2 CHAIRMAN APOSTOLAKIS: Okay.

3 MR. BLANCHARD: All right. And in fact,
4 I will get into some examples of the results in
5 subsequent slides.

6 Just briefly, we didn't limit ourselves
7 just to looking at selected systems and a few accident
8 sequences from some of these PRAs. We did take a one
9 full scope level one PRA for a PWR and looked at all
10 the accident sequences in posing a plant wide digital
11 upgrade into these models and then performing some of
12 the same sensitivity studies to find out which
13 accident sequences were most sensitive to the
14 introduction of digital common cause failures.

15 This slide happens to describe the
16 mitigating systems that were in the accident sequences
17 for this particular PRA.

18 But the way we did the sensitivity study
19 was in line with how the guidelines are written. And
20 what our guidelines suggest that you do when you're
21 trying to get insights from your PRA with respect to
22 common cause failure effects is to view digital common
23 cause failures with three factors:

24 First the individual channel reliability;
25 second the fact that redundant channels can fail due

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to common cause reasons, and; thirdly to take a look
2 at the existing diversity in the mechanical and
3 electrical systems into which the instrumentation and
4 control is being installed.

5 It needs to be kept in mind that when we
6 install this instrumentation and control it is
7 controlling an integrated set of mechanical and
8 electrical systems. And those mechanical and
9 electrical systems have their own inherent defense-in-
10 depth and diversity associated with them, and that's
11 probably not going to change as a result of installing
12 instrumentation and control. So there's some clues
13 from how the plant is designed and the defense-in-
14 depth and diversity that already exists in the
15 mechanical and electrical systems as to where defense-
16 in-depth and diversity may be important in the
17 instrumentation and control.

18 Now to install or to incorporate the
19 effects of digital common cause failure in the PRAs,
20 I'll use this reliability block diagram, the simple
21 reliability block diagram to illustrate that.

22 What I have here is an initiating event,
23 say, a PWR loss of feedwater. Several mitigating
24 systems are available to cope with that event, one of
25 them is aux feedwater, another is safety injection in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pores for feed and bleed purposes. And I can have
2 operator actions to initiate some of these systems in
3 addition to the instrumentation and control.

4 Now, for an individual system, say the top
5 mitigating system, it has automatic actuation system
6 that may be digitally controlled. And for the purpose
7 of performing my defense-in-depth and diversity
8 analysis using this PRA, I will insert an event, a
9 super component if you will, into the model that would
10 reflect failure of the instrumentation and control
11 from common cause failure effects that would
12 simultaneously effect both trains.

13 Now to assign the failure probabilities to
14 that common cause event I would use the defensive
15 measures approach that are in the guideline, first to
16 evaluate what I believe the failure probability would
17 be of a digital channel and then to come up with the
18 common cause failure probability. And the product of
19 those two then would be the value that I would assign
20 to the digital common cause event that would fail both
21 trains of that system.

22 Now because it is an individual system and
23 because the instrumentation and the control for each
24 train likely gets signals from the same sensors, same
25 signal processing, same voting logic for an individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system the common cause beta factor is likely to be
2 very high. Probably one. And that kind of guidance is
3 provided in the EPRI guideline when we're talking
4 about an individual system.

5 Now when we start looking at the second
6 system it may also have digital equipment that is not
7 diverse from the first system. In this case we'd be
8 talking about the safety injection system as a means
9 of doing feed and bleed, which is redundant to the aux
10 feedwater system. In that particular case, again, I
11 would insert a common cause factor in between the two
12 system representing digital common cause failure of
13 both the I&C for both systems. And again I would go
14 back to my defensive measures approach to estimate a
15 failure probability for an individual channel and a
16 common cause beta factor.

17 Now in this case I may be using different
18 instrumentation to actuate the system, different
19 methods of processing the signals, different voting
20 logic. And so the beta factor between two systems may
21 be less than one. But, again, the guideline line
22 provides guidance as to how to determine both the
23 failure probability of a channel as well as the common
24 cause beta factor.

25 And then towards the bottom of the diagram

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll see an operator action is available to actuate
2 the second mitigating system. If in fact the operator
3 has to use instrumentation and controls that is not
4 diverse from the digital instrumentation and control
5 that actuates the mitigating systems, I will insert
6 into my PRA a common cause beta factor that represents
7 the failure of the operator to be able to take that
8 action.

9 And then finally between the initiating
10 event and some of the mitigating system, the
11 instrumentation and control may not be diverse. An
12 example of that is the turbine controls and the
13 feedwater system. If they do not happen to be
14 diverse, then I will again for the turbine trip
15 initiating event, I will insert for the feedwater
16 system a common cause beta factor that represents
17 failure of the feedwater system given a turbine trip.
18 And again I will go back to my defensive measures
19 approach in the guideline to determine a failure
20 probability for that common cause beta factor.

21 So with the super component type approach
22 we install some fairly simple logic into the PRA first
23 to represent digital common cause failures of
24 redundant trains of equipment within systems,
25 redundant systems and operator actions that may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actuate those redundant systems as well as between the
2 initiating event and the mitigating systems.

3 CHAIRMAN APOSTOLAKIS: What is the
4 definition of failure here? Failure to actuate?

5 MR. BLANCHARD: For the instrumentation
6 and control it would be failure to actuate, yes.
7 Right.

8 Now, to determine how well we could get
9 insights out of a process like this we performed a
10 series of sensitivity studies. For this particular PWR
11 PRA for all of its accident sequences we didn't happen
12 to have a particular digital I&C design. And so what
13 we did was to perform a series of sensitivity studies
14 to determine where we thought digital defense-in-depth
15 and diversity was a value. In the case of the channel
16 reliability we varied the failure probability of the
17 I&C channels from 10^{-2} per demand down to 10^{-6} per
18 demand. For the common cause beta factor we varied
19 that from all the way from one to zero. And then for
20 how the I&C system was installed in the mitigating
21 systems, we looked at several different designs or
22 architectures.

23 CHAIRMAN APOSTOLAKIS: Let me
24 understanding here what you're doing.

25 MR. BLANCHARD: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: The common cause
2 failure rate is beta times the probability of failure
3 of one channel, right?

4 MR. BLANCHARD: Yes.

5 CHAIRMAN APOSTOLAKIS: Now when you go to
6 two systems --

7 MR. BLANCHARD: Yes.

8 CHAIRMAN APOSTOLAKIS: -- what is one
9 channel?

10 MR. BLANCHARD: What is one channel?

11 CHAIRMAN APOSTOLAKIS: Yes.

12 MR. BLANCHARD: Is the --

13 CHAIRMAN APOSTOLAKIS: It's the system
14 itself?

15 MR. BLANCHARD: I'm sorry. I misunderstood
16 the question.

17 CHAIRMAN APOSTOLAKIS: Let's got to the
18 top then.

19 Is there a pointer that I can use from
20 here?

21 For this system you have the two trains.

22 MR. BLANCHARD: Yes.

23 CHAIRMAN APOSTOLAKIS: You got a
24 probability of failure of one, which can be varied
25 like this. And you have beta, so beta times that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the probability of the common cause failure for that
2 system, right?

3 MR. BLANCHARD: Right.

4 CHAIRMAN APOSTOLAKIS: Right.

5 MR. BLANCHARD: And recognizing the train
6 is mechanical and electrical --

7 CHAIRMAN APOSTOLAKIS: I understand. You
8 have to put a microphone on or sit down. Sit down and
9 use your pointer.

10 Now if when I go to this beta and you have
11 two systems now, right? This beta couples the two
12 systems?

13 MR. BLANCHARD: Yes.

14 CHAIRMAN APOSTOLAKIS: How do I get the
15 common cause failure rate? Multiple this beta by
16 what?

17 MR. BLANCHARD: The failure probability of
18 a channel of one of the systems.

19 CHAIRMAN APOSTOLAKIS: One channel?

20 MR. BLANCHARD: One channel.

21 CHAIRMAN APOSTOLAKIS: One of these four
22 channels?

23 MR. BLANCHARD: Yes.

24 CHAIRMAN APOSTOLAKIS: And these two are
25 identical? These two are identical, so I pick the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 largest one?

2 MR. BLANCHARD: Yes.

3 CHAIRMAN APOSTOLAKIS: The largest
4 probability or whatever.

5 MR. BLANCHARD: They may be similar, yes.

6 CHAIRMAN APOSTOLAKIS: Yes. Or may be
7 similar.

8 So it's beta times the probability of
9 failure of this?

10 MR. BLANCHARD: Yes.

11 CHAIRMAN APOSTOLAKIS: And when I go here
12 I don't understand how I multiple --

13 MR. BLANCHARD: Well, let's say I am
14 talking about a turbine trip which has a frequency of
15 about one a year. About a quarter of turbine trips
16 turn out to be I&C related.

17 CHAIRMAN APOSTOLAKIS: Okay.

18 MR. BLANCHARD: So with a .25 per year
19 initiating event frequency I will find a beta factor
20 that I can associate between the main feedwater system
21 and the turbine controls. If I find there's
22 functional diversity between the sensors used to
23 control the feedwater system and what's used to
24 control the turbine, then I might assign a beta factor
25 of .1 or .01 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But what is the
2 rate of common cause failure or coupling of the
3 initiating event and the failure of the system? I
4 mean, you're talking about two different things now.
5 One is a frequency.

6 MR. BLANCHARD: Yes.

7 CHAIRMAN APOSTOLAKIS: The other is a
8 probability.

9 MR. BLANCHARD: The probability would
10 essentially be .1.

11 CHAIRMAN APOSTOLAKIS: Yes.

12 MR. BLANCHARD: If I picked a beta factor
13 of .1 for the conditional probability of the feedwater
14 system given my turbine trip due to instrumentation
15 and control.

16 CHAIRMAN APOSTOLAKIS: So you would go the
17 accident sequence and say .25 --

18 MR. BLANCHARD: Yes.

19 CHAIRMAN APOSTOLAKIS: -- a year
20 occurrence of the turbine trip because of malfunction
21 of the instrumentation control and then times -- times
22 what?

23 MR. BLANCHARD: Point one.

24 CHAIRMAN APOSTOLAKIS: Times .1 and that's
25 it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: Yes.

2 CHAIRMAN APOSTOLAKIS: And the system is
3 out.

4 MR. BLANCHARD: Yes.

5 CHAIRMAN APOSTOLAKIS: I see. I see. So
6 the individual probability of the train is not used in
7 this case?

8 MR. BLANCHARD: It would not be used in
9 this case.

10 CHAIRMAN APOSTOLAKIS: Because the --

11 MR. BLANCHARD: Each one of these common
12 cause factors fails the entire system.

13 CHAIRMAN APOSTOLAKIS: Okay. Okay. Okay.

14 MR. BLANCHARD: This common cause failure
15 fails these two systems.

16 CHAIRMAN APOSTOLAKIS: Yes. Okay. So
17 then I can have also a beta that couples this system,
18 this system and they operator action?

19 MR. BLANCHARD: That's correct.

20 CHAIRMAN APOSTOLAKIS: And what are the
21 results of all of this?

22 MR. BLANCHARD: If I can set up the
23 problem, I'll show you the results.

24 CHAIRMAN APOSTOLAKIS: You can set it up
25 already.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: All right. I need to set
2 up one more thing.

3 CHAIRMAN APOSTOLAKIS: Okay.

4 MR. BLANCHARD: Okay. Besides just
5 looking at changes in the failure probabilities I
6 looked at different I&C architectures. I looked at
7 different levels of defense-in-depth and diversity
8 within the instrumentation and control system itself.
9 As an example, I could assume all these systems were
10 not diverse from each other or the initiator with the
11 exception of one system, perhaps the auxiliary
12 feedwater system. It would have a beta factor of zero
13 in terms of common cause given failure of
14 instrumentation and control on these other systems in
15 that case.

16 CHAIRMAN APOSTOLAKIS: Are these
17 assumptions on your part? Are you working with a real
18 PRA?

19 MR. BLANCHARD: I'm working with a real
20 PRA and I'm assuming a plant wide digital upgrade, but
21 I don't happen to have an actual digital system so I'm
22 performing sensitivity studies to decide where in all
23 the accident sequences do I believe defense-in-depth
24 and diversity in the instrumentation and control is of
25 most value.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I see. And these
2 are sensitivity studies here, right?

3 MR. BLANCHARD: These are going to be
4 sensitivity studies.

5 CHAIRMAN APOSTOLAKIS: Is there one of
6 them where it says everything is identical to each
7 other and --

8 MR. BLANCHARD: I skipped over that one
9 because that's a really bad answer. Yes. I started
10 with --

11 CHAIRMAN APOSTOLAKIS: You're surprised
12 we're looking for it?

13 MR. BLANCHARD: Yes, actually I am. They
14 asked me not to mention that one yesterday when --

15 CHAIRMAN APOSTOLAKIS: So even if I ask
16 you, you will not tell me?

17 MR. BLANCHARD: Oh, no. I can probably go
18 back and find --

19 CHAIRMAN APOSTOLAKIS: So what was the
20 probability of the frequency of the accident
21 sequencing if none of these things had defense-in-
22 depth?

23 MR. BLANCHARD: Oh, I would have to go
24 back and look on the analysis that I did.

25 CHAIRMAN APOSTOLAKIS: So you're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 telling?

2 MR. BLANCHARD: Basically it's an
3 frequency of the initiating event.

4 CHAIRMAN APOSTOLAKIS: No, for the one you
5 analyzed. You have a table in the next slide.

6 MR. BLANCHARD: Oh, I'll show you. Yes.
7 I'm sorry.

8 CHAIRMAN APOSTOLAKIS: Yes, let's look at
9 the next slide.

10 MR. BLANCHARD: I'm sorry. I thought you
11 were asking for the one where everything was not
12 diverse.

13 CHAIRMAN APOSTOLAKIS: Yes. That's what
14 I'm asking for. The next table doesn't have that on
15 it?

16 MR. BLANCHARD: The next table does not
17 have that one.

18 CHAIRMAN APOSTOLAKIS: Right.

19 MR. BLANCHARD: Right. But basically it's
20 the initiating event frequency.

21 CHAIRMAN APOSTOLAKIS: Oh, in 25?

22 MR. BLANCHARD: Yes.

23 CHAIRMAN APOSTOLAKIS: Times .1, perhaps?

24 MR. BLANCHARD: Well, if you want to
25 assume some diversity between feedwater and -- yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yes. So in the
2 worst case, worst, worst, worst case --

3 MR. BLANCHARD: Yes.

4 CHAIRMAN APOSTOLAKIS: -- I will have a
5 pretty significant sequence?

6 MR. BLANCHARD: Yes.

7 CHAIRMAN APOSTOLAKIS: And you are arguing
8 that this worst, worst case is not really realistic?
9 That's really what you're arguing, aren't you?

10 MR. BLANCHARD: That's right. And so left
11 it out of the presentation. But I think we are
12 interested in looking at the imposing diversity on
13 single systems with respect to everything else, and
14 maybe more than one system and then maybe more than
15 one system plus a diverse actuation system for one
16 other system.

17 CHAIRMAN APOSTOLAKIS: Now when you say
18 diverse actuation system, can you explain it a little
19 bit?

20 MR. BLANCHARD: Similar to what is
21 required in the ATWAS rule for aux feedwater.

22 CHAIRMAN APOSTOLAKIS: Yes.

23 MR. BLANCHARD: Maybe an analog system
24 that's diverse from the digital system.

25 CHAIRMAN APOSTOLAKIS: But I thought we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't find analog components anymore?

2 MR. BLANCHARD: Some of the ATWAS systems
3 are very simple and, yes, they are analog. Some of
4 them are analog.

5 CHAIRMAN APOSTOLAKIS: They are now. But
6 if you want to replace those will you be able to find
7 other analog components? Isn't that one of the prime
8 reasons why we're working on this?

9 MR. STRINGFELLOW: Yes. This is Jack
10 Stringfellow again.

11 This is not to say that analog components
12 no longer exist. I mean many of us are currently
13 maintaining our protection systems, our analog
14 protection systems with parts that we -- cards, for
15 example. ASIC cards that were developed for just for
16 the purpose of maintaining those systems. But we have
17 the capability in specific cases to maintain these
18 analog systems, and many of us are doing that.

19 MR. BLANCHARD: Otherwise you would have
20 to go to a diverse digital system.

21 CHAIRMAN APOSTOLAKIS: And what would that
22 be?

23 MR. BLANCHARD: I'm sorry?

24 CHAIRMAN APOSTOLAKIS: What would that be?
25 A diverse digital systems means what? Different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 parameter?

2 MR. BLANCHARD: Different manufacturer,
3 different symptoms, different signals.

4 CHAIRMAN APOSTOLAKIS: Look at that
5 results now.

6 MR. BLANCHARD: Okay. All right. Well,
7 one last thing, if you don't mind. What I've done
8 here is essentially build a three dimensional matrix
9 where I'm going to vary all three of these factors and
10 then look at the final core damage frequency to
11 identify which combinations of these factors get me
12 back to a core damage frequency close to what I
13 started with. That was the purpose of these
14 sensitivity studies.

15 And I will show you the results for two of
16 the initiators. First is loss of feedwater for this
17 PRA. It happens to have a 8 times 10^{-2} per year
18 frequency. It's core damage frequency is five times
19 10^{-7} per year.

20 CHAIRMAN APOSTOLAKIS: You meant the
21 contributing of this sequence is five times to minus
22 seven?

23 MR. BLANCHARD: This is all the sequences
24 associated with loss of feedwater.

25 CHAIRMAN APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: All of them.

2 CHAIRMAN APOSTOLAKIS: Yes, that's what
3 I'm saying. This initiator?

4 MR. BLANCHARD: This initiator, yes.

5 CHAIRMAN APOSTOLAKIS: Okay.

6 MR. BLANCHARD: Now I'm just going to show
7 you a slice of three dimensional matrix. It happens
8 to be the slice where I've assumed the probability of
9 a failure of a single channel is 10^{-4} --

10 CHAIRMAN APOSTOLAKIS: On what basis?

11 MR. BLANCHARD: Well, my defensive
12 measures will get me to that basis.

13 CHAIRMAN APOSTOLAKIS: Yes. But one of
14 the slides earlier said that a strict process doesn't
15 necessarily lead to a highly reliable software.
16 That's a result of a very stringent process
17 controlling the process of developing the software,
18 10^{-4} or --

19 MR. TOROK: Plus good defensive measures.

20 I'm sorry. This is Ray Torok.

21 Yes. It's a good process plus good
22 defensive measures to justify a number in that range.

23 CHAIRMAN APOSTOLAKIS: Defensive measures
24 on a single channel?

25 MR. TOROK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Like what?

2 MR. TOROK: You apply the defensive
3 measures evaluation that Thuy described --

4 CHAIRMAN APOSTOLAKIS: So that's the
5 process?

6 MR. TOROK: No. I'm sorry. I understand.
7 When we refer to process, we usually talk about the
8 software development process.

9 CHAIRMAN APOSTOLAKIS: Okay. So what
10 defensive -- remind me what defensive measures would
11 apply to a single channel.

12 MR. NGUYEN: This is Thuy.

13 CHAIRMAN APOSTOLAKIS: Yes.

14 MR. NGUYEN: For example, cyclic behavior
15 and a very strict identification of all the factors
16 that could take the software out of this cyclic
17 functioning.

18 CHAIRMAN APOSTOLAKIS: I'm having a
19 problem with that. I mean, come on. We've had, what
20 is it, Appendix B is it, the quality assurance. Yes.
21 That's as stringent as anything and still we've had
22 failures. So there is nothing unique about what you
23 are doing here, is it?

24 MR. NGUYEN: Oh.

25 CHAIRMAN APOSTOLAKIS: Oh.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: What's the probability of
2 failure on demand for the analog system that this
3 replaced?

4 MR. BLANCHARD: Well, as it turns out we
5 have built a small model of the two out of four taken
6 twice system made of relays, contacts and relays.

7 MEMBER KRESS: Yes.

8 MR. BLANCHARD: And for a single channel
9 it happens to be right on the order of 10^{-4} --

10 MEMBER KRESS: That might be a
11 justification to that, because we heard earlier that
12 you could almost assume that the replacement system
13 has a failure probability of at least as good as the
14 analog.

15 MR. BLANCHARD: It was better than an
16 assumption. We believe we can justify that.

17 MEMBER KRESS: Right. You believed you
18 could justify that.

19 CHAIRMAN APOSTOLAKIS: I'm at a loss here.
20 I don't even know whether the beta factor model
21 applies.

22 MR. BLANCHARD: Whether the --

23 CHAIRMAN APOSTOLAKIS: Yes. The beta
24 factor model for common cause failures, why would it
25 apply to a system where the common cause failure may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a specification error? I don't know. Does anybody
2 know? And still, the 10⁻⁴, I mean there is nothing
3 unique -- wait.

4 Mr. Nguyen?

5 MR. NGUYEN: Yes.

6 CHAIRMAN APOSTOLAKIS: There is unique
7 about the quality control you are putting here because
8 this business from day one has very strange in quality
9 control processes. And yet things fail. So what's so
10 unique about this? You're giving me a metaphor with
11 a circle, that's very illuminating, you know, for
12 educational purposes. But don't tell me that it's 10⁻⁴
13 because you do a circle.

14 MR. NGUYEN: Well, it's -- no. But what
15 I'm saying is that because I'm working a cyclic
16 behavior, I can identify where are the most likely
17 points that could cause failures.

18 CHAIRMAN APOSTOLAKIS: And why can't I do
19 that with pumps so the pumps will never fail?

20 MR. NGUYEN: I'm not a mechanical
21 engineer.

22 CHAIRMAN APOSTOLAKIS: I know.

23 MR. NGUYEN: So I don't know.

24 MR. TOROK: Because pumps wear out is a
25 easy answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUARRO: But in the analogy between the
2 analog and digital systems so that was back on --
3 let's see, I think it was slide 20 there is the
4 statement "The likelihood of specification errors is
5 comparable for equivalent analog and digital systems."
6 I'm personally not convinced that that's true.

7 CHAIRMAN APOSTOLAKIS: No. I mean, there
8 are so many assumptions in all this.

9 MR. GUARRO: Because, I mean, I think that
10 the design process or an analog system is quite
11 different from the design process of something that
12 involves software. And having worked both with
13 engineers and software programmers, they behave very
14 differently. So to say that the specification error
15 would be the same, I think that's a big jump in faith.

16 CHAIRMAN APOSTOLAKIS: And also, I'd like
17 somebody to convince me why the beta factor model
18 applies here.

19 MR. TOROK: May I offer a couple of
20 clarifications. This is Ray Torok again.

21 You mentioned the Appendix B quality
22 assurance process. And that is a process that tries
23 to insure that you end up with high quality software.
24 And for software development it would require that
25 certain documents be generated along the way of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 software requirements specification and a requirements
2 transability matrix and so on, and you do all the
3 right testing on the software. It's all about process
4 for software development. That's not what was Thuy was
5 talking about when he said defensive measures.

6 Now some of those process elements do
7 constitute defensive measures. But what he's really
8 looking at is the end product and the design
9 attributes that end up built into it.

10 A good process does not guarantee a good
11 design. It gives you the well documents design, but
12 not a good design.

13 CHAIRMAN APOSTOLAKIS: I agree. But how
14 do you know the circle?

15 MR. NGUYEN: This is Thuy again.

16 CHAIRMAN APOSTOLAKIS: Yes.

17 MR. NGUYEN: I can give you the example of
18 what I will be doing for the Teleperm XS for EDF's
19 purposes. We have a requirement from Framatome to
20 have the source code and the design documents of the
21 Teleperm XS. And we'll have them in offices for
22 analysis by advanced tools by, I would say, the formal
23 verification methods that exist currently. And, of
24 course--

25 CHAIRMAN APOSTOLAKIS: You still don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know the circle.

2 MR. NGUYEN: Sorry?

3 CHAIRMAN APOSTOLAKIS: I mean, you are
4 gaining confidence that the thing will not fail in
5 frequency, but you still don't know the circle.

6 MR. NGUYEN: I know the circle because --
7 I'm a software engineer. I can understand and read
8 what are the statement, the individual statements that
9 are put in the software programs that command the
10 behavior of the software. That has been the way we
11 have assessed safety particular software since many
12 years now. And that has been -- we have developed and
13 acquired tools to do that.

14 MR. TOROK: The other point I'd like to
15 make -- this is Ray again. Is that if you're going to
16 pick numbers for failure probabilities and beta
17 factors, and Dave used them in an evaluation. And
18 we're not trying to make claims about what the real
19 failure probabilities are. What we are trying to do
20 is make claims that we can identify the places where
21 a diversity is important, diversity in I&C is
22 important and where it isn't. Where it's more likely
23 to be important. And that's what the risk insights
24 here are about. I don't believe those specific
25 numbers anymore than you do. And if you want to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well 10^{-4} , that's fine, you do it. Do it at 10^{-3} , and
2 Dave's done those sensitivities. And that's really
3 what the exercise is about in generating risk
4 insights.

5 CHAIRMAN APOSTOLAKIS: But an actuation
6 system, I'm not really difficult to convince that you
7 have a low probability of failure. I mean, all it
8 does is send a signal to start something. But if you
9 go to more advance platforms, I don't believe -- of
10 course I have to think about the beta factor.

11 First of all, if the individual channel
12 becomes 10^{-2} , now everything goes up by two orders of
13 magnitude, right? So what does that tell you? I
14 don't know what it tells me. It tells me that if I
15 have one diverse system it's 1.6×10^{-3} ?

16 MR. BLANCHARD: If your goal is to keep
17 your core damage frequency where it was before you
18 installed the system and you install a 10^{-2} channel,
19 it says you're going to have to do a lot more in terms
20 of installing other diverse systems or justifying a
21 very low beta factor in order to maintain that core
22 damage frequency.

23 CHAIRMAN APOSTOLAKIS: Yes. By the way,
24 these numbers on the table refer to all the sequences
25 initiated by loss of feedwater?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLANCHARD: Yes.

2 CHAIRMAN APOSTOLAKIS: So if I make the
3 individual channel 10^{-2} , I end up one $1.6 \cdot 10^{-3}$, which
4 is about four orders of magnitude greater than the
5 current. And I still don't know what that tells me.
6 Four orders of magnitude, you know, is a lot.

7 MR. BLANCHARD: Yes. Well, if it does get
8 you to 1.6 times 10^{-3} , what it says is we have to go--

9 CHAIRMAN APOSTOLAKIS: With two systems
10 diverse and so on?

11 MR. BLANCHARD: Yes. We have to go way
12 down on this list of diversity in the instrumentation
13 and control and way over to the right of the chart in
14 terms of the beta factor before we have an acceptable
15 side --

16 CHAIRMAN APOSTOLAKIS: Why, by the way,
17 have you shaded some of these dark shade?

18 MEMBER KRESS: The acceptable regions.

19 MR. BLANCHARD: These are what I am
20 calling exceptional regions.

21 CHAIRMAN APOSTOLAKIS: Oh, I see.

22 MR. BLANCHARD: These are core damage
23 frequencies that are close to what I started with.

24 CHAIRMAN APOSTOLAKIS: To the original.
25 Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: I would have been tempting
2 to put the dark shading on the next round. You got it
3 lightly shaded I noticed.

4 MR. BLANCHARD: Yes, those were kind of in
5 between numbers where I wasn't quite comfortable.

6 MEMBER KRESS: Maybe you could have them,
7 maybe not. Yes.

8 MR. BLANCHARD: And I have 18 initiating
9 events to do this with. And when I get done my change
10 in core damage frequency has to be small for the sum
11 of them.

12 CHAIRMAN APOSTOLAKIS: Yes.

13 MR. BLANCHARD: And so that's what the
14 shading is. I could probably live with the slightly
15 shaded areas. But, again, I have to do a lot of work
16 on the other initiating events to make sure they're
17 small.

18 CHAIRMAN APOSTOLAKIS: Well, there's the
19 whole issue with bringing software into the PRA
20 becomes trivial the moment you are willing to accept
21 the probability of one channel failing is something
22 you can estimate. Then everything, of course, becomes
23 building on manipulations. It's that PDF of 10^{-4} for
24 demand that is a major problem. I mean, I don't know
25 how you get that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the other hand the argument that, look,
2 even if I assume -- because let's face, these things
3 are reliable. I mean, it's not that they're failing
4 every other week. Even if I assume a very high
5 number, I still get results that are reasonable, then
6 maybe you have a point. In other words, your
7 philosophical approach I think is pretty good. How
8 reliable do they have to be?

9 MR. BLANCHARD: And --

10 CHAIRMAN APOSTOLAKIS: And what?

11 MR. BLANCHARD: And the conclusion we come
12 to is the channel of digital reliancy need be no more
13 reliable than a similar channel of analog.

14 CHAIRMAN APOSTOLAKIS: I don't know. Does
15 everyone agree with that? I'm not sure.

16 MR. MORRIS: If I could speak to the
17 question of the reliability of a single channel?

18 My name is Pete Morris. I work for
19 Westinghouse. I'm a designer of reactor safety
20 systems.

21 And if we step back for a moment and think
22 what kind of equipment is being used for these kinds
23 of applications. In the process control industry, not
24 nuclear power but petroleum refineries, pharmaceutical
25 factories, all kinds of applications in the process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 control field there are numerous vendors of now all
2 computer-based distributed control system.

3 The safety systems, and for that matter
4 nonsafety systems, that are being used in modern
5 nuclear power plant upgrades are all based on these
6 different existing platforms that have been dedicated
7 for class 1E service.

8 If there were no nuclear power industry,
9 there is an overwhelming emphasis on the reliable
10 operation of these process control systems for all
11 kinds of things. Product liability is very important
12 to the maker of pharmaceuticals. Public safety related
13 issues for someone in a high energy industry is very
14 important. And the process control industry is
15 demanding that -- or the process control requirements
16 for many industries are demanding that very reliable
17 platforms must be available for all kinds of safety,
18 and I don't mean nuclear safety, but practical
19 everyday public safety anyway. And so by starting
20 with these kinds of system you know that you are
21 getting systems that have basic reliability
22 characteristics that approach or, frankly, even exceed
23 that of the historical analog-based systems of long
24 ago. Because modern safety and liability issues
25 demand that this equipment, that these systems, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these platforms must be that reliable.

2 CHAIRMAN APOSTOLAKIS: I guess our problem
3 here is not just that they have to be reliable. I
4 mean, we have to be able to demonstrate that one way
5 or another. That's part of the issue here. It's not
6 just -- I mean, again, you know I have no doubt that
7 they're pretty systems. The question is how reliable
8 are they.

9 What do we do with our time now? Are you
10 near the end or you still --

11 MR. BLANCHARD: We are approaching the end
12 here. If I could just summarize this slide.

13 CHAIRMAN APOSTOLAKIS: Yes. Can you do
14 that?

15 MR. BLANCHARD: Yes. The conclusion w
16 came to with respect to the loss of feedwater
17 initiator is that if I can show that the I&C for two
18 systems are diverse from the control system that may
19 have caused the initiating event, plus either have a
20 diverse actuation system or allow the operator to be
21 able to initiate the systems, then that is sufficient
22 to bring my core damage frequency back close to where
23 it was originally. All right. And that is with a
24 probability failure of 10^4 --

25 MEMBER KRESS: If you have 18 sequences,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 why don't you do divide that number by 18 or by 10?

2 MR. BLANCHARD: Well, I know that --

3 MEMBER KRESS: Because these are dominate
4 is what --

5 MR. BLANCHARD: I happen to know that some
6 of the initiating event frequencies are low to begin
7 with.

8 MEMBER KRESS: Okay.

9 MR. BLANCHARD: And I can --

10 MEMBER KRESS: You have prior knowledge
11 that allows you to say that they're not going to
12 contribute as much as these?

13 MR. BLANCHARD: Right. But in the end we
14 did all 18 initiating events. We did look at the
15 change in core damage frequency for all 200 sequences,
16 some together --

17 MEMBER KRESS: Yes. You could make a
18 matrix like this for all 18 of them, that would
19 include all 18 of them.

20 MR. BLANCHARD: In fact, we did.

21 MEMBER KRESS: Okay.

22 MR. BLANCHARD: In fact, we did. And for
23 different values of failure of a channel. And the
24 results were that with multiple mitigating systems
25 diverse from the cause of the initiating event and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ability of the operator to actuate those systems we
2 could get very close to a change in core damage
3 frequency of 10^{-6} per year, even assuming very high
4 beta factors.

5 MEMBER KRESS: What constitutes a diverse
6 system in your mind? Is that manufactured by a
7 different company or a different programmers or what?

8 MR. TOROK: Technically, I suppose, you
9 can establish reasonable assurance that they won't be
10 subject to the same common cause failure. So --

11 MEMBER KRESS: So that's just another way
12 of saying you're diverse.

13 MR. TOROK: Well, yes. And the real answer
14 is you have to look inside the systems and the
15 applications to make that assumptions. Just because
16 they're from different manufacturers or use different
17 shifts and whatnot is not the whole story. It's not
18 the whole story.

19 MEMBER KRESS: They have to have some sort
20 of different programming on them.

21 MR. TOROK: Yes. Well, there need to be --
22 Thuy, did you want to get your two cents worth in
23 here?

24 MR. NGUYEN: Yes. I've tried to
25 illustrate defensive measures that would ensure or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give a very high assurance that the same platform
2 would not be a significant cause of common cause
3 failures. I know that it's -- I would say, something
4 that is difficult to swallow. But this is what we can
5 see from the history of these platforms which are used
6 quite heavily in other industries.

7 MR. TOROK: But it comes back to being
8 able to generate an argument and reasonable assurance
9 that they're not subject to the same common cause
10 failures. Now Thuy's saying when you do that you'll
11 find that just because you have the same platform in
12 two different systems doesn't necessarily mean you
13 have a problem. There are other things that you need
14 to look at that are going to be more important. But
15 that's -- you know, it's a different argument. But you
16 come back to reasonable assurance, whatever that
17 takes, to show that there won't be the same common
18 cause failure. That's what it really comes down to.

19 CHAIRMAN APOSTOLAKIS: Your conclusions?

20 MR. TOROK: Have we wrapped that up?

21 MR. BLANCHARD: Finally, for the medium
22 LOCA which we didn't have a chance to talk about. All
23 we needed was high reliability software. What we
24 assumed in terms of diversity among the mitigating
25 system or a beta factor between those systems that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not diverse played very little role in driving
2 the risk of the medium LOCA. We just needed high
3 reliability channel of --

4 MR. TOROK: You want to contrast BTP-19
5 and --

6 MR. BLANCHARD: Do we want to do that?

7 MR. TOROK: Okay. That's good.

8 I think we ought to just skip to the
9 conclusions. You've already hit these things.

10 CHAIRMAN APOSTOLAKIS: You have a
11 conclusions slide?

12 MR. TOROK: Yes. We can do conclusions
13 real fast.

14 CHAIRMAN APOSTOLAKIS: Okay.

15 MR. TOROK: Okay. And the first one just
16 says we believe that now is the time to start looking
17 at factoring risk insights into defense-in-depth and
18 diversity evaluation.

19 Let's go to the next one without any
20 detail there. The other one is based on what we're
21 seeing in sensitivity studies and so on, we would
22 recommend, make certain recommendations in regards to
23 what NRC is pursuing. And we tried to list that here.
24 We'd say, yes, this is a good area to pursue,
25 reliability of digital equipment, modeling in PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's great. However, the first thing here don't
2 start with the general case.

3 When I sat here in June and one of the
4 Staff presentations on the Research program, there was
5 a list of issues that can effect digital equipment.
6 And it was sort of a general case issues list. And
7 what you find when you look at systems that might
8 really go into safety applications is they're designed
9 in such a way that those issues are irrelevant for
10 them. So I say constrain the problems for starters.
11 Constrain the problem to a realistic system for a
12 safety related application. That's all.

13 The next thing there is to keep track of
14 where D3 is a value and what levels of reliability you
15 need. I think it's a big advantage to understand what
16 your target is before you try to get to it.

17 Let's see, the third one, oh yes. Address
18 designed in behaviors, defensive measures. You know,
19 what the system is actually designed to do and ways to
20 look at the product, to evaluate the product because
21 that is more important in determining reliability than
22 the process elements like whether or not you got a
23 software requirements specification.

24 So we would say find a way to get that
25 into the NRC program. Now, actually some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentations in June did touch on that, but the
2 emphasis was going in a different direction as far as
3 I could tell.

4 The other thing is let's just coordinate
5 with industry to make sure that we cover all the
6 important issues and that we don't duplicate effort
7 anymore than we have to. But I'd say it's certainly
8 an important area to keep working on.

9 The only other thing I would like to do is
10 thank you very much for letting us take all this time
11 to talk with you about these. And we'd be happy to
12 come back again if you think it would be helpful.

13 CHAIRMAN APOSTOLAKIS: Thank you very
14 much, gentlemen.

15 Any questions from the people sitting at
16 the table?

17 We do appreciate your coming here and
18 explaining this to us. Thank you. And I hope you are
19 taking our comments the way they were intended, in a
20 constructive way.

21 MR. STRINGFELLOW: I'd just like to say I
22 think we had a very constructive conversation and I
23 really appreciate the depth of the questions and the
24 challenging that we got here today. And we're going
25 to take this back and I hope we can move forward with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the review of this document.

2 Thanks.

3 CHAIRMAN APOSTOLAKIS: Thank you.

4 I propose we take ten minutes break and
5 then come back to the NRC presentation.

6 (Whereupon, at 4:13 p.m. a recess until
7 4:28 p.m.)

8 CHAIRMAN APOSTOLAKIS: Okay. We're back
9 to the Staff presentations.

10 Bill?

11 MR. KEMPER: Thank you.

12 Yes, again, I'm Bill Kemper. I'm with my
13 colleague Steve Arndt who will provide most of the
14 presentation.

15 This discussion will focus on the systems
16 aspects of digital technology, which is Section 3.1 in
17 the Research Plan.

18 CHAIRMAN APOSTOLAKIS: Yes.

19 MR. KEMPER: Current issues. As we all
20 know, there is an ever increasing use of digital
21 systems that requires new information and continuous
22 improvements to the NRC review process. Digital
23 systems will take on an ever increasing role in the
24 protection and control systems of nuclear power plants
25 and also fuel facilities, I might add, and even some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nonpower production facilities, you know, such as a
2 medical group.

3 New system challenges will continue to
4 emerge. For example, tin whiskers has become an issue
5 with us. Also INC instrumentation and control.
6 Circuit board aging has been a somewhat long issues
7 that we're dealing with, not only here but across the
8 world as well as to digital safety systems. So this
9 Research program will assist the Staff to develop a
10 fundamental understanding of how digital technologies
11 are used in safety systems and, again, develop review
12 guidance, tools, review procedures and training to the
13 staff to support NRC Staff reviews and evaluation of
14 the systems.

15 Now this next slide is an overview of the
16 various components of this area. We're going to talk
17 about environmental stresses in detail in just a
18 little bit. I believe that's next on the agenda. Ms.
19 Christina Antonescu will talk about that. And so
20 we'll give you a brief overview of the rest of these
21 systems, the COTS digital safety systems, effective
22 total harmonic distortion on digital systems compared
23 to diversity and defense-in-depth, least ways what we
24 believe we intend to do from a research environment in
25 that area. Systems communications, power distribution

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system interfaces with nuclear facilities and finally
2 operating systems.

3 So, with that I'll turn it over to Steve
4 to provide an overview of each of these sections.

5 CHAIRMAN APOSTOLAKIS: So there are two
6 presentations? One by Steven and one by Christina.

7 MR. KEMPER: Yes.

8 CHAIRMAN APOSTOLAKIS: Okay.

9 MR. KEMPER: Yes. This one is scheduled
10 to go until -- well, it's scheduled to last an hour.
11 We'll try to get through it quicker than that if we
12 can.

13 CHAIRMAN APOSTOLAKIS: Okay.

14 MR. ARNDT: Yes. What we thought we'd do
15 is go over very quickly all the different programs in
16 this program area. And in keeping with the
17 recommendations of the Subcommittee at our last
18 meeting, we're going to talk in more detail about the
19 ongoing program and give you some results that you can
20 understand.

21 CHAIRMAN APOSTOLAKIS: Good.

22 MR. ARNDT: And that's why the
23 environmental stressors is highlighted in green.
24 That's of these programs, that's the only ongoing
25 program we have. The rest of these will be started in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the future. Of the ones here, I will tell you when we
2 plan to start the work. The diversity and defense-in-
3 depth program is the next one to be started. That
4 will be started this year.

5 MR. KEMPER: Oh, and I did want to
6 highlight one thing, George. You asked a question
7 earlier today about the priority. In the Research
8 Plan back in section Table 4 there actually is a
9 priority assigned to each one of these in terms of
10 high, medium, low. Okay.

11 CHAIRMAN APOSTOLAKIS: Thank you.

12 MR. KEMPER: And that supports the
13 schedule, the associated schedule for the projects.

14 CHAIRMAN APOSTOLAKIS: Is the rationale
15 given, too, or just -- it's performance based. We've
16 just got the result?

17 MR. KEMPER: It relates to the strategic
18 goals, the objectives and goals of the strategic plan
19 of the agency.

20 CHAIRMAN APOSTOLAKIS: I'll make sure I
21 read that. Thank you.

22 MR. ARNDT: Also before we go forward I
23 also want to highlight a couple of issues. Bill
24 mentioned that the program plan is not just an NRR
25 program plan, it's an agency program plan. Some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the areas are more emphasis on reactor issues. For
2 example, the defense-in-depth issue is a specific
3 reactor issue. But particularly in this section a lot
4 of these issues apply equally to field fabrication
5 facilities that have distributed control systems,
6 issues about individual components in a medical -- a
7 radiator and things like that for the operating system
8 that's in the THD and things like that are applicable
9 in many cases to nonpower reactor applications that
10 we're interested in.

11 CHAIRMAN APOSTOLAKIS: That will be
12 useful.

13 MR. ARNDT: Yes.

14 CHAIRMAN APOSTOLAKIS: We'll come back it.

15 MR. ARNDT: Okay. The systems aspect is
16 a set of projects that follow this category primarily
17 because they effect the system as a whole from either
18 internal or external factors, but are broad scoped.
19 So they're things like environmental stressors, the
20 interactions with the digital systems with the rest of
21 the support systems in the plant like power supplies
22 and things like that. The issue of operating systems
23 and systems architecture which are not specific to a
24 particular component but are generic across a system.
25 And, of course, the issues we're facing with the use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of COTS and things like that. So that's how this
2 particular group got grouped together.

3 CHAIRMAN APOSTOLAKIS: By the way, let's
4 go back to this. Isn't the identification or the
5 failure modes of software part of the system aspects?

6 MR. ARNDT: Yes, but that's really a
7 crosscutting issue. That's something that we have to
8 deal with in all the different programs.

9 CHAIRMAN APOSTOLAKIS: So where will it be
10 handled?

11 MR. KEMPER: Well, we have a section
12 Software Quality Assurance. And that's where that's
13 treated. That's where we're dealing with that.

14 CHAIRMAN APOSTOLAKIS: Really?

15 MR. KEMPER: Yes, I believe it is. What
16 is that?

17 MR. ARNDT: 3.2

18 MR. KEMPER: 3.2. Yes, we talked about
19 that at the last meeting as well.

20 MR. ARNDT: So the research is, and this
21 similar to slides you've seen before, designed to look
22 at improving the fundamental understanding of the
23 digital technology, understanding their strengths,
24 weaknesses, limitation, capabilities. Identifying
25 what technical information is needed by the reviewers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in developing more quantitative review criteria where
2 possible. Improving the licensing technologies, the
3 tools, the methodologies and acceptance criteria.

4 So in many cases, and actually most cases,
5 we already have a process by which to review these
6 systems. But either because of their ever increasing
7 complexity or because we want to do it better based on
8 newer information, we have research programs in these
9 areas.

10 I'm going to hit this very, very briefly
11 because we're going to have a full presentation on
12 this program, but this program is basically looking at
13 how the systems are maintained in the expected
14 environment. What are the issues associated with EMI,
15 with lightening, the environment in which they exist?
16 And as we mentioned earlier, Christina will have a
17 full section on that.

18 The systems communication issue, this was
19 discussed in detail this morning, but what we're
20 really looking at is the safety aspects associated
21 with how the systems communications are put together.
22 The internal and external architectures, the protocols
23 both proprietary and off-the-shelf protocols; what
24 makes a good safety system and what are the particular
25 aspects of communications and protocols that we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to work at. So the idea is to look at these systems,
2 the complexity, and understand what that is.

3 CHAIRMAN APOSTOLAKIS: Now if what we are
4 talking about is actuation systems --

5 MR. ARNDT: Yes.

6 CHAIRMAN APOSTOLAKIS: -- systems that
7 actuation signals, how relevant is all this? In other
8 words, by just listening to what you are saying one
9 gets the impression that you're talking in very
10 general terms, general software systems. And I think
11 the EPRI guys also said something to that effect. And
12 I remember that, you know, when that Academy work came
13 out there were a lot of debates behind it and all
14 that. And one argument by the industry was that the
15 systems you're talking about are extremely simple.
16 They're not talking about controlling the space
17 shuttle where you have continuous feedback and control
18 and all that. So a lot of these general findings and,
19 you know, communication and this and that, may not
20 apply to the simpler systems that an industry is
21 thinking of employing.

22 Like actuation systems, do I really have
23 to worry about communications and all that? What do
24 they communicate?

25 MR. ARNDT: Okay. There is both an issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with what you said and a lot of truth in what you
2 said. When you talk about general, general you're
3 exactly correct. When you talk about the fact that
4 there are lots and lots of different protocols out
5 there, there's lots and lots of different software
6 communication, the hardware communication bus
7 configurations and like that; you're absolutely
8 correct. That is not something that we are
9 particularly concerned about.

10 The kinds of systems that we regulate,
11 safety systems, and the kinds of systems that we're
12 interested in, nonsafety systems that are used in
13 actual nuclear power plants or could be in the future,
14 are the things that we're most interested in and we're
15 trying to direct our research toward. So in that case
16 what you're saying is correct. The research needs to
17 be focused on those kinds of things that could have
18 direct implications on our regulated systems or those
19 systems that are important to safety from a risk
20 standpoint.

21 CHAIRMAN APOSTOLAKIS: And not expected to
22 be implemented in the next several years

23 MR. ARNDT: Are either currently being
24 used.

25 CHAIRMAN APOSTOLAKIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Or currently being proposed or
2 some reason to believe --

3 CHAIRMAN APOSTOLAKIS: Or in the near
4 term?

5 MR. ARNDT: -- will get into a plant.

6 CHAIRMAN APOSTOLAKIS: Yes.

7 MR. KEMPER: And if you'll recall that
8 diagram that we went over this morning during the
9 security program, we illustrated where some of those
10 interchannel communications were being deployed in
11 systems that were being proposed to us for safety
12 system applications.

13 So you know we have specific reg guide
14 guidelines. Regulatory requirements, excuse me, that
15 require separation and deal with communications. But
16 this research will explore that to ensure that we
17 fully appreciate the ramifications of this
18 communication protocols and establish review criteria,
19 again, that the Staff can use in reviewing and
20 accepting these types of applications.

21 MR. WATERMAN: This is Mike Waterman,
22 Research.

23 Anytime you have data moving from one
24 point to another you've got yourself a network by
25 definition. And the way you move that data is by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using some kind of a protocol, be it SINEC L2 or
2 something like that.

3 The issue that arose with me when I was
4 trying to review was is I really didn't have
5 acceptance criteria for what features of SINEC L2
6 protocol were good features and which features ought
7 the developer to stay away from. And what I
8 envisioned off of looking at these various protocols
9 was to come with guidance for the Staff so that when
10 they were looking at a digital system such as that
11 complicated diagram that we kept referring to this
12 morning, the reviewer would be able to look at that
13 and say okay, they're using SINEC L2. Let's dig in to
14 how they're using it to make sure that they're only
15 using those features of SINEC L2 that are safe. And
16 we don't have any guidance for that right now, but the
17 TSX system has a pretty complicated network structure.
18 They have an AMD K6 E2 microprocessor. That's a 266
19 megahertz microprocessor just to do the
20 communications.

21 So, you know, these systems need to be
22 reviewed. And right now our criteria for what
23 protocols are good and bad is sort of vague and it
24 depends on whoever is reviewing it and what they know
25 about protocols. So we're trying to develop some more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definitive information for the reviewer to use when
2 he's doing a safety evaluation.

3 I guess that was the point --

4 CHAIRMAN APOSTOLAKIS: Okay. Okay. Let's
5 go on.

6 MR. ARNDT: Let me rephrase that just
7 slightly before we go on. The issue is, as I said,
8 very general we're not that interested in because of
9 the application issues. But the simplicity issue is
10 something that we really need to be looking at now.
11 Because we're not just talking about simple ladder
12 logic anymore. There's a lot of fairly complicated
13 implementations of these trip functions and basic
14 control functions because of the kinds of issues that
15 Mike just pointed out.

16 MEMBER SIEBER: Let me ask probably a too
17 simple question. GDC 24 talks about separation
18 between protection and control. The way I read that it
19 doesn't necessarily say that you can't use a single
20 processors for both functions.

21 MR. ARNDT: That is a -- Bill, you want
22 to--

23 MEMBER SIEBER: Can you or can't you?

24 MR. KEMPER: I'm sorry?

25 MEMBER SIEBER: Can you or must you use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separate CPUs between control systems and protection
2 systems?

3 MR. KEMPER: Between the control system
4 and protection system?

5 MEMBER SIEBER: Yes. Can you run it all
6 through the same box?

7 MR. KEMPER: Well, typically you don't
8 have a control system and a protection system in the
9 same box. Typically they're not commingled, okay?
10 Just from a design strategy.

11 MEMBER SIEBER: Yes. The question is is it
12 outlawed? GDC 24 when I read it really doesn't tell
13 me that.

14 MR. KEMPER: Well, GDC 24 is specified as
15 a separation criteria, right, applicable to --

16 MEMBER SIEBER: Right. And it looks like
17 more transducers and cutout switches and stuff like
18 that.

19 MR. KEMPER: Right. Yes. That's the idea
20 so that faults are not promulgated, obviously, from
21 one channel to the other.

22 MEMBER SIEBER: Right.

23 MR. KEMPER: Communication strategies,
24 though, are different and the task here is to make
25 sure that the communication strategies don't interfere

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the electrical separation that's required by GDC
2 24. So that's what we're trying to do here is
3 evaluate various means that the vendors are using for
4 communications between channels and understand the
5 ramifications of that. And, as we said, develop
6 acceptance criteria ourselves or if we find problems,
7 maybe establish some coping strategies on how to deal
8 with that.

9 Did that answer your question?

10 MEMBER SIEBER: No.

11 MR. KEMPER: I'm not sure I did.

12 MEMBER SIEBER: No, it didn't. It leads
13 me to another question. From one channel to another
14 do you need separate CPUs?

15 MR. KEMPER: Yes.

16 MEMBER SIEBER: Are they truly independent
17 or not?

18 MR. KEMPER: Yes. Yes, they typically are,
19 right. Each channel is typically implemented by its
20 own separate CPU.

21 MEMBER SIEBER: Okay.

22 MR. KEMPER: It's own box is separation.

23 MEMBER SIEBER: And "typically" means not
24 always or is there a regulation, a standard or a
25 requirement that says this is the way it's got to be?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KEMPER: Well, to comply with the
2 separation requirements of GDC 24 it has to be that
3 way. At least, I don't know of any way to skin that
4 cat, put more than one channel into one box.

5 MEMBER SIEBER: That's the way I look at
6 it. CPUs are cheap.

7 MR. KEMPER: Well, safety related CPUs,
8 though, are not quite so cheap actually.

9 MEMBER SIEBER: They're more expensive?

10 MR. KEMPER: Yes.

11 MR. ARNDT: Paul?

12 MR. LOESER: Yes. I'm Paul Loeser. I'm
13 with NRR.

14 In your questions the safety system cannot
15 be commingled with the control system. They have to
16 have a number of degrees of separation as specified in
17 6308, the one that was talked about earlier where you
18 break it down into blocks where you have functional
19 diversity, equipment diversity, programming diversity,
20 language diversity. And if someone tried to use the
21 same, for example, Intel microprocessor, a 486, for
22 both systems, we would then have to do a fairly
23 intricate diversity and defense-in-depth analysis to
24 see if they were adequately diverse that they could be
25 considered not subject to the same common mode failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or not.

2 MEMBER SIEBER: Okay. That answers the
3 question.

4 MR. LOESER: As far as the channels
5 themselves being separate, two channels in the same
6 system may be exactly identical but have to be
7 physically different. They use the same process and
8 the same software, but they have to be separated.

9 MEMBER SIEBER: Okay.

10 MR. LOESER: We run into problems when
11 people start putting multiple safety functions on the
12 same four channels. And then you have to, again, do a
13 diversity and defense-in-depth analysis to see if you
14 do have a particular kind of accident and combined
15 with that you have a common mode failure under the
16 provisions of branch technical position 19 do you
17 still have enough defense considering this is
18 considered beyond design basis, to adequately cope.

19 MEMBER SIEBER: Okay.

20 MR. LOESER: But those things are taken
21 into consideration when we do our reviews.

22 MEMBER SIEBER: That answers my question.
23 Thank you.

24 MR. KEMPER: Dr. Sieber, with regard to
25 your question about a control system and a safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system on the same microprocessor, there's nothing
2 that specifically prohibits that. And indeed, we ran
3 into that question when we were doing Draft Guide 1130
4 which will eventually become the NUREG Guide 1.152.

5 At first we had a regulatory position in
6 there that said you couldn't do it because there was
7 no barrier that would separate the two. And then
8 somebody from the public mentioned well you could run
9 a safety system on the safe protected mode of a
10 microprocessor and run your control system in the
11 nonprotected mode. And that would be an adequate
12 barrier, to which I guess we conceded that that was a
13 possibility.

14 So you could conceivably do it on the same
15 microprocessor even though, you know, it's --

16 MEMBER SIEBER: Yes, that's sort of the
17 way I read it. And I could picture people trying to
18 jam everything into minimum amount of hardware.

19 MR. KEMPER: At the risk of cutting off
20 conversation, we need to kind of --

21 CHAIRMAN APOSTOLAKIS: Can you tell me the
22 GDC was again, Jack.

23 MEMBER SIEBER: Twenty-four. It's on page
24 23 of the plan.

25 MR. ARNDT: Yes. Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So basically what we're trying to do is
2 understand and develop the issues and the procedures
3 and policies and acceptance criteria for these
4 particular kinds of issues. Use communication systems
5 that are most likely to be used for the safety
6 functions, the failures in areas that we're interested
7 in and these kind of issues. And develop realistic
8 ways of doing these kinds of analysis. This project
9 is currently scheduled to start in '07.

10 As we've heard several times today COTS
11 systems are a continuing challenge for us. They're
12 being used extensively in the retrofit and there are
13 both issues associated with the dedication of the
14 systems and how they're interconnected and things like
15 that.

16 Licensees typically qualify COTS systems
17 for nuclear applications through a combination of
18 special tests and inspections, supplier surveys,
19 source verification and performance history. We then
20 do a qualitative review of their dedication.

21 This project, which is going to start on
22 '07, is designed to try and improve that review
23 process. Make it easier, more quantitative, look at
24 the tools that are out there to assess these systems
25 in a box kind of way. Look at issues like model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 checking, statistical testing these kinds of things
2 and understand what is adequate, what level of
3 information do you need, what kind of samples do you
4 need to take. Do you do a thread audit? If you do a
5 thread audit, how many threads do you have to look at?
6 Try and get better more efficient process for the
7 review of these systems.

8 Okay. The next two projects look at the
9 issues associated with the electrical power for
10 digital systems. In the plan you'll read a couple of
11 LER examples of challenges we've had to the operation
12 of digital systems due to intermediate power, loss of
13 power, voltage fluctuations and things like that that
14 digital systems behaved differently than the analog
15 systems that they replaced.

16 CHAIRMAN APOSTOLAKIS: Yes, they did.

17 MR. ARNDT: And there's been a number of
18 examples of these. So we really want to look at these
19 issues and see whether or not they're going to be a
20 problem. There's been some anecdotal experience that
21 says that there may be some problems. So we want to
22 look at the systems, understand the systems, develop
23 methods to analyze these systems and determine whether
24 or not we need to look at them harder when we do the
25 reviews.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, this is a relatively low priority
2 but it's scheduled to start in '08. Okay.

3 The next project is a project on a similar
4 line but looking at a different aspect. Digital
5 systems, particularly some of the newer high density
6 digital systems are very sensitive to power quality,
7 particularly issues like zero crossing and things like
8 that, timing issues associated with nuclear power
9 quality. As the systems become more and more
10 dependent on the low voltage memory states, high Cs
11 densities this is something we really want to look at.

12 One of the interesting --

13 CHAIRMAN APOSTOLAKIS: I --

14 MR. ARNDT: Go ahead.

15 CHAIRMAN APOSTOLAKIS: Go ahead. Go
16 ahead.

17 MR. ARNDT: One of the interesting
18 aspects, of course, is that this is not just switching
19 power supplies and things like this. This is
20 everything downstream of the power supplies. And one
21 of the big issues is nonlinear loads. Well, one of
22 the things that's a nonlinear load is digital systems
23 themselves. So for relatively simple systems it's not
24 a big deal. But when you start loading down a power
25 supply with a lot of nonlinear loads like digital

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems, you can actually end up with serious issues
2 associated with nonlinear loads.

3 So the research will look at what's
4 currently out there, what's being developed. There's
5 a new IEEE standard 519 that looks at this particular
6 kinds of issue. Again, try to develop methodologies
7 and acceptance criteria, what are the important
8 characteristics and what should we be directing the
9 reviews to look like.

10 CHAIRMAN APOSTOLAKIS: Now, again, one of
11 the issues that has been raised over and over again is
12 what will be the specific contributions of each of
13 these projects that can be used by the agency groups
14 that are actually making decisions?

15 MR. ARNDT: Right.

16 CHAIRMAN APOSTOLAKIS: And one of the
17 questions before you answer that question is how is
18 the agency handling this issue now? Okay. Because
19 we've heard there's a Chapter 7 -- is this issue of
20 THD handled in some way now?

21 MR. ARNDT: There is a power quality
22 requirement, and I don't remember the specific area in
23 Chapter 7. Maybe my NRR colleagues can refresh my
24 memory. But support system type issues are reviewed.

25 CHAIRMAN APOSTOLAKIS: Are reviewed or are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not?

2 MR. ARNDT: Are part of the review.

3 CHAIRMAN APOSTOLAKIS: Okay.

4 MR. ARNDT: Paul?

5 MR. LOESER: Paul Loeser from NRR again.

6 Yes, this is an issue now and has been for
7 some time. We have some requirements. For example,
8 we only allow a five percent total harmonic distortion
9 under worse case and items like this. The problem
10 we're beginning to see is that as voltages drop we're
11 now getting into 2.4 volt circuitry whereas in the
12 past it was also 5 volts. Some of it's getting to 1.6
13 and .8 volt. The line thicknesses are getting much
14 thinner. The loads are getting much greater on the
15 items.

16 So while we're handling now with exiting
17 equipment, we're worried that in the future the rules
18 we have in effect may not hold and we need some
19 research or some guidance from somebody to tell us
20 what kind of rules should we have for the future.

21 CHAIRMAN APOSTOLAKIS: Bill, I really
22 think that statements of this type should find their
23 way into the plan. I think it will strengthen it so
24 much. and I urge you when you come before the full
25 Committee in November to do that as much as you can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KEMPER: Okay.

2 CHAIRMAN APOSTOLAKIS: I realize it's
3 only, what, two or three weeks back and you have to
4 have your 15 reviews if you change anything. But it's
5 so important. I mean, judging from past experience
6 with other research plans, most notably the human
7 factors research plan that this Committee reviewed a
8 few years ago, what the members want to see is that
9 kind of motivation. They don't want to see -- I mean
10 this is not the National Science Foundation. We are
11 not trying to advance science for its own sake. We
12 have a regulatory objective. So by citing things like
13 that in all projects ideal even, you know --

14 MR. KEMPER: Right.

15 CHAIRMAN APOSTOLAKIS: -- within reason,
16 I think it's going to go a long way towards convincing
17 people that this is a solid research plan.

18 So please in the presentation, I mean
19 we're going to discuss this tomorrow again. But the
20 presentation in my view, this is one of the most
21 critical aspects.

22 Both of you have thought about it already.
23 I mean, it's not that it's new to you. It's just that
24 some criteria hasn't found its way in the written
25 documents and the slides. Because every time I ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the question, there is an answer.

2 MR. KEMPER: Well, if you'll notice the
3 last three tick bodies embody really the issues that
4 Paul just spoke to. He just gave it a much more
5 passionate and heartfelt description --

6 CHAIRMAN APOSTOLAKIS: Put it in -- he
7 gave it a different spin.

8 MR. KEMPER: And you're absolutely right.
9 Because that's why we're doing this is to support NRR
10 and our stakeholders.

11 CHAIRMAN APOSTOLAKIS: Right.

12 MR. KEMPER: You know, we're not doing
13 research for the sake of just doing research.

14 So good comment. I agree with you.

15 CHAIRMAN APOSTOLAKIS: Yes. So let's make
16 sure that this is one of the top priorities in
17 preparing for the full Committee meeting. Because, as
18 you know, the letter will be written then.

19 MR. KEMPER: Right. Right.

20 CHAIRMAN APOSTOLAKIS: It's very important
21 to be sensitive.

22 Okay, Steve.

23 MR. ARNDT: Yes. And I want to point out
24 one other thing. At the bottom of all these I
25 basically say when the project is going to kick off,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if it hasn't already. And one of the things we're
2 trying to do in a very proactive way because we've
3 been less than successful in the past, is for all the
4 new programs we've got the general outline of what the
5 issue is and what we're trying to solve and how we're
6 basically planning on doing it in the research program
7 plan. But the real details will be developed in the
8 statement of work of the program for either in-house
9 work or contract work. And that's going to be done in
10 conjunction with our stakeholders, be it NRR, NMSS or
11 whatever.

12 Operating systems. I'm going to go
13 through this reasonably quickly, even though it's a
14 very complicated issue. And this is an area where
15 it's really a multiple stakeholder issues. There's
16 issues for operating systems in materials, issues in
17 medical devices and fuel fabrication issues in the
18 plant systems, both the safety systems and nonsafety
19 systems. So this is one of the ones that is pretty
20 broad based.

21 As we've been talking. The systems are a
22 lot more complex now than they were in the early days.
23 In the day of the National Academy study many systems
24 didn't have operating systems. They were very simple
25 systems. That's much less so today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In most cases we can get access to the
2 operating system. Hardware less so in the COTS
3 environment. So understanding the characteristics of
4 systems and what potential problems with the
5 characteristics of the system become more and more an
6 issue as we have less information in COTS space. And
7 we really have to understand how this works.

8 We've looked at this in the past and we think we
9 need to do more work in this area.

10 So this program, which is also starting in
11 '08 depending on input from other stakeholders it may
12 get pushed up, but it depends. Right now it's
13 scheduled for '08. We're really looking at issues
14 associated with best practices and failure modes. Try
15 and understand what is an acceptable review standard
16 for these systems. And also looking at what tools are
17 available out there and what the fidelity of the tools
18 are. For example, if the licensee comes in and says
19 we really really looked at our operating system, we
20 understand it, it's not a problem. We've used these
21 tools, we've used this kind of assessment methodology.

22 As Thuy pointed out earlier, there are
23 methodologies out there to look at reliability and
24 availability of these kinds of systems. But until
25 you've looked at that it's very hard to give any real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 credit to those kinds of systems. So we really need
2 to understand the characteristics of operating these
3 systems and how do you validate them, how do you
4 understand they really are performing properly? So
5 that's really what this project is all about.

6 And now for everyone's favorite issue. As
7 we told you in June, we have a very extensive research
8 program in the area of risk of digital systems and how
9 do you model them and what's in the important modeling
10 characteristics and things like that. And we won't go
11 into that in detail here because we've already talked
12 about it in other places and I don't want to digress
13 anymore than I have to. But the other part of that is
14 how good is our current deterministic process?

15 As EPRI mentioned earlier in the day,
16 there's a lot of issues associated with whether or not
17 that process which was developed a number of years ago
18 is a good process. Now it's a process we have and
19 there's nothing wrong with it. We haven't licensed
20 anything that is not going to be sufficiently diverse.
21 But there's a lot of issues that are being raised by
22 the nuclear industry. So one of the things we want to
23 do is understand whether or not this is the current
24 state of the art for deterministic analysis of
25 defense-in-depth.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So basically what we're proposing to do is
2 perform some case studies and look at the way the
3 deterministic analysis is laid out in 6303. Review
4 the risk insights, both our own risk insights and
5 EPRI's risk insights and verify from a deterministic
6 standpoint whether or not this is the best we can do.

7 So that's the primary aspect of this. And
8 as I mentioned, this project is going to start later
9 this year.

10 MR. KEMPER: Yes. For example, a licensee
11 right now has an application that NRR is reviewing
12 that they propose to a certain strategy for their
13 design configuration with regard to diversity and
14 defense-in-depth. That's kind of the baseline. That's
15 where we're starting from because we don't have any
16 other specific case studies, if you will, that we can
17 draw from to make judgments, if you will, and provide
18 that feedback to the licensee. So we're thinking for
19 at least the generically qualified platforms it would
20 be good to perform these studies and come up with some
21 numbers ourselves. You know, or some conclusions
22 ourself which what's the best fit, if you will, from
23 a topology an a design strategy of these I&C systems
24 for various safety applications.

25 MR. GUARRO: Just trying to understand. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially the intent to identify the improvements to
2 the deterministic approach that would seem to satisfy
3 some risk-informed criteria as well. Because you've
4 mentioned risk, so I'm' trying to understand what the
5 connection is.

6 MR. ARNDT: The objective of this is
7 simply that last bullet there, to verify from a
8 deterministic standpoint the existing criteria is the
9 best we can do in a deterministic space.

10 The bullet above that is basically just to
11 learn from whatever information is out there, both
12 what the licensees have submitted, what's been done in
13 foreign applications and what if any information is
14 available from risk insights. Things that people have
15 looked at, things that people have done that will help
16 us understanding whether or not the deterministic --

17 MR. GUARRO: Some of the objections that we
18 have heard are based on risk considerations of some
19 sort.

20 MR. ARNDT: Right.

21 MR. GUARRO: So trying to figure out if
22 that fits into the formulation of some other or
23 improved deterministic formula.

24 MR. ARNDT: As I stated a few minutes ago,
25 we haven't kicked this off so we don't have the exact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 details yet. But the idea is simply to look at
2 everything that's out there that we are aware of that
3 we're knowledgeable about to try and understand if
4 what we're currently doing is the best we can do in
5 deterministic space.

6 So, for example, looking at the EPRI
7 study. They've pointed out that there are some issues
8 that may not be covered in a bounding Chapter 15 type
9 analysis. That's something that we want to know if
10 we're going to look at whether or not this is the best
11 deterministic way of doing the deterministic analysis.
12 If not capturing something that's important or if we
13 are worrying about things that are not important from
14 a deterministic standpoint, then we want to look and
15 see whether or not we can do better. That's truly the
16 point of having that there.

17 MR. KEMPER: Let me just try to run
18 through a case study for example just off the top of
19 my head.

20 A licensee could propose to deploy the
21 same hardware throughout his plant, primary and
22 secondary. Okay. If you assume common mode failures
23 of that equipment and then you run the thermal
24 hydraulic analysis using best estimate calculations
25 per BTP-19 -- we intend to go look at the effects of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants in a deterministic role. Now it was not
2 written from a probabilistic perspective because
3 that's the program that we have right now to deal
4 with. You could choose a different strategy. You
5 could choose to combine the RPS and the ESFAS. You
6 could choose to combine the RPS, ESFAS and your post
7 monitoring system. Any number. You know, you can just
8 pick them. And the idea is we want to run through a
9 few of those case studies and see if we can establish
10 for ourself what is the best fit in terms of a design
11 philosophy for using the same microprocessors, for
12 using the same software, that sort of thing.

13 MR. ARNDT: The other, if you go up one
14 tick mark, one of the real issues here is in 6303
15 there's a set of rules associated with how you put
16 together blocks, how you put together coping
17 strategies and things like that. When we review this,
18 we've got to make some assumptions about how that
19 makes sense and the licensee has got to make some
20 characteristics. You put a line around this block,
21 you put a line around that block. But one of the
22 things we want to do is as Bill just mentioned is do
23 some case studies. Do it ourselves to understand what
24 makes sense and what doesn't make sense so we can have
25 a definitive technical basis to go back and say no,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you really can't do that because if you do that, you
2 run into problems. And we're not willing to accept
3 that.

4 CHAIRMAN APOSTOLAKIS: Okay. Let's move
5 on.

6 MR. ARNDT: Okay. So those were the
7 programs that were highlighted in the research program
8 plan.

9 CHAIRMAN APOSTOLAKIS: Very good.

10 MR. ARNDT: As Bill mentioned, as things
11 change we get requests for additional programs from
12 NRR, MNSS, they'll get thrown into the budget
13 prioritization process and they may bubble to the top.
14 But that's currently where we are on those issues.
15 And we will continue to work these programs in
16 conjunction with our colleagues in MNSS and NRR to try
17 and get --

18 CHAIRMAN APOSTOLAKIS: Very good.

19 MR. ARNDT: -- the best product for our
20 customers.

21 MR. KEMPER: Okay. We'll we're getting
22 close to being back on track. All right.

23 Okay. Christina Antonescu is going to
24 provide a presentation of environmental stressors, as
25 we promised earlier, Section 3.1.1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Now, Christina, you
2 have something that's against you before you even sit
3 down. It's 5:10 after a long day and you have 27
4 slides.

5 MS. ANTONESCU: No, they are backup.

6 CHAIRMAN APOSTOLAKIS: What, 20 of them
7 are backups?

8 MS. ANTONESCU: Yes.

9 MEMBER SIEBER: Yes, there's only one real
10 slide.

11 MS. ANTONESCU: Only 18 I believe are--

12 CHAIRMAN APOSTOLAKIS: Can you be nice?

13 MS. ANTONESCU: I will be nice.

14 MEMBER BONACA: You should be nice to her
15 and tell her we like what you do, and then she'll be
16 nice to us.

17 CHAIRMAN APOSTOLAKIS: And then we'll be
18 done in a minute, huh?

19 MEMBER BONACA: Right.

20 MS. ANTONESCU: All right.

21 CHAIRMAN APOSTOLAKIS: This is a very
22 unusual color for the heading. I mean that's nice.
23 Go ahead.

24 MS. ANTONESCU: So my name is Christina
25 Antonescu. I've been working in the I&C group for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 last 15 years. And I would like to discuss with you
2 today the status of our research on environmental
3 stressors and the impact on instrumentation and
4 control technology.

5 I have with me Richard Wood from Oak Ridge
6 National Lab. He has been principal investigator for
7 our projects on environmental stresses. He has a
8 background in the nuclear engineering and he has over
9 20 years experience with the -- power plant.

10 And contributing on the discussion, I also
11 have Paul Ewing, he's somewhere in the back from Oak
12 Ridge National Lab. He is a principal investigator
13 for our electromagnetic compatibility and lightning
14 protection projects. His background is electrical
15 engineering. He has 25 years experience with EMC
16 radio frequency transmission.

17 So our research on the environmental
18 stressors it's currently addressing three main topics.
19 The lightning protection one. The Committee recently
20 reviewed DG-1137 on lightning protection, so I will
21 not repeat the details of the guide in this
22 presentation. But it was presented to ACRS on July
23 6th of this year and reviewed by the ACRS in July. And
24 we're ready to issue the draft guide as a final guide
25 by the end of this year sometime as Reg. Guide 1.204.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second main topic on environmental
2 stressors is the environmental compatibility for mild
3 environments. DG-1077 was developed in response to a
4 user need from NRR. And the need for DG-1077 is to
5 provide an all in one roadmap for acceptable practices
6 for the applicant. Previously the reg guide on mild
7 environment qualification was distributed among
8 several documents. So the Committee has seen and
9 approved DG-1077 before, but its release was delayed
10 to allow the revised IEEE standard to be reviewed and
11 to address some scope consideration which is focused
12 on mild environment rather than harsh and mild
13 environment.

14 So I will discuss the status of the DG-
15 1077 in my presentation.

16 And the third main topic is the
17 electromagnetic compatibility. And EPRI has requested
18 that NRR consider relaxation of the text limit for
19 series 114 because it is substantially higher than the
20 limit in certain frequency ranges. So the reasons for
21 the higher limit in Reg. Guide 1.180 and past versions
22 of the EPRI guide is that some plant measurements
23 taken by EPRI were very high. And EPRI had committed
24 to bound those measurements with its susceptibility
25 limits, but now suggests that it's analysis of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measurement was flawed. So my presentation will
2 describe the issue on what has been done so far.

3 So as stated, the Committee has seen the
4 DG-1077 before, however it's release was delayed to
5 permit updating endorsement of the most recent
6 standard and to enhance the guidance by sharpening its
7 focus.

8 DG-1077 was presented in February of 2003.
9 ACRS approved it for release and the final effective
10 guide was granted --

11 CHAIRMAN APOSTOLAKIS: What does that
12 mean, "final effective guide?" That's new terminology
13 to me.

14 MS. ANTONESCU: The final guide was
15 granted or --

16 CHAIRMAN APOSTOLAKIS: So we approved it
17 and now you guys say no we're not going to publish it,
18 we're going to go back and do some more work?

19 MS. ANTONESCU: Yes. And I'm going to let
20 you know what the reason is. One of the reasons is to
21 permit updated endorsement of IEEE standards 323,
22 which was released in 2003. And then we just -- the
23 scope of it was also changed from mild and harsh to
24 mild only.

25 CHAIRMAN APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ANTONESCU: However, following the
2 ACRS review of DG-1077 NUGEQ, that's the Nuclear
3 Utility Group on Equipment Qualification, requested
4 that the pending update of IEEE 323 be considered for
5 endorsement. So that's the 2003 version.

6 So in response finalization of DG-1077 was
7 delayed so that the standard could be reviewed. And
8 IEEE 323 was released on September 11, 2003. A review
9 was conducted by our office with the help of Oak
10 Ridge. And DG-1077 has been revised and is now DG-
11 1142.

12 So because of the scope reduction of this
13 DG-1077 we plan to release it for public comment
14 again. And it will be designed as DG-1142. For
15 simplicity I'll refer to it as DG-1077 in my
16 presentation.

17 So IEEE 323-2003 is very similar to IEEE
18 323-1983. The primary difference involves practices
19 for hash environment qualification. Provisions were
20 added to IEEE 323-2003 to allow condition monitoring
21 to be used to support on-going qualification. Changes
22 were made to address previous NRC objections, in
23 particular of dual transient as part of the DBA test
24 profile. And some wording changes were introduced to
25 add clarity, but in some cases they have introduced or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exacerbated some issues regarding harsh environment
2 qualification.

3 So the guidance on documentation for mild
4 environment remains the same in both versions. And is
5 consistent with regulatory practice.

6 The qualification practices in 323-2003
7 are appropriate for mild environments with some
8 clarification conditions which I'm going to cover in
9 a few minutes. And the technical basis for endorsing
10 IEC 60780 remains ineffective and are equivalent to
11 the practices in IEEE 32-2003. But with reduced scope
12 of DG-1077 which limits the endorsement to mild
13 environment application only.

14 So endorsement of both standards is
15 limited now for mild environment for safety related
16 computer-based I&C systems.

17 So let me remind you what DG-1077 is. What
18 does it do? It endorses qualification practices in
19 323-2003 and IEC 60780 as acceptable for application
20 to safety related computer-based I&C systems located
21 in mild environments.

22 And where does it apply? It applies for
23 new and modified --

24 CHAIRMAN APOSTOLAKIS: Excuse me, did I
25 miss, but what is a mild environment?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOOD: This is Richard Wood.

2 It's an environment that does not have a
3 design basis accident condition. So for harsh
4 environments there's a substantial change under an
5 accident condition. For a mild environment, the
6 environment doesn't change substantially under the
7 normal or abnormal conditions.

8 MEMBER SIEBER: It presumes that it is in
9 the containment during a LOCA?

10 MR. WOOD: Yes.

11 MEMBER SIEBER: So you have pressure
12 temperature radiation spray, chemical spray.

13 MS. ANTONESCU: EQ would be --

14 CHAIRMAN APOSTOLAKIS: That's mild?

15 MEMBER SIEBER: That's harsh.

16 CHAIRMAN APOSTOLAKIS: Oh, harsh.

17 MS. ANTONESCU: Harsh.

18 MEMBER SIEBER: Mild is like in here.

19 MR. WOOD: Normal operation.

20 CHAIRMAN APOSTOLAKIS: Less than that.

21 MS. ANTONESCU: Harsh would have to be --
22 the qualified language has to be established for DBA.

23 CHAIRMAN APOSTOLAKIS: Okay.

24 MS. ANTONESCU: So where does it apply?
25 I already said that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What does it provide? It addresses unique
2 characteristics of computer-based I&C systems as well
3 as acceptable evidence for mild environment
4 qualification.

5 What has changed in DG-1077? The revision
6 of the draft guide involves endorsing, again, the
7 updated IEEE standard in 2003 and also the current
8 international standard.

9 The regulatory revise scope and provides
10 pointers to guidance on key related issues.

11 And the reduced scope to focus
12 specifically on mild environment qualification of
13 computer-based I&C systems. Thus since the revised
14 DG-1077 only applies to mild environment qualification
15 of computer-based I&C system, the standards are only
16 endorsed for mild environment application by this
17 guide. As a result, all previous positions related to
18 harsh environment qualification were deleted and
19 replaced by position to point to Reg. Guide 1.89 which
20 is for harsh environment as the prevailing guidance on
21 qualification on those environments.

22 So it was determined that harsh
23 environment qualification should remain the exclusive
24 domain of Reg. Guide 1.89.

25 So because of the revision we proposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the guide be released for another round of public
2 comments.

3 MEMBER SIEBER: Did you ask us to review
4 it before you released it?

5 MS. ANTONESCU: We will.

6 MEMBER SIEBER: Okay.

7 MS. ANTONESCU: That's our intent.

8 MR. KEMPER: That's coming. That's the
9 next step.

10 MEMBER SIEBER: Okay.

11 MR. KEMPER: We're going to send it to NRR
12 and let them review it and the next step will --

13 CHAIRMAN APOSTOLAKIS: That's you, right?

14 MR. KEMPER: Yes. Bill Kemper.

15 MEMBER SIEBER: Yes.

16 MS. ANTONESCU: So what are the position
17 of DG-1077? We have covered its endorsement of
18 standards, so now let's look at the enhancement
19 exceptions.

20 DG-1077 provides one enhancement to IEEE
21 323-2003 and IEC 60780 to address unique
22 characteristics of microprocessors. And the
23 enhancement is for computer that must be functioning
24 or the software has to be executing while being
25 tested.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second, the system level effects must
2 be considered as a whole, and then test as parts and
3 confirm no acceptable cumulative effects. So that
4 what I mean is use analysis to supplement testing.

5 And the exception, we don't have enough
6 the exception -- at least one exception that we are
7 looking at is that enough documented evidence must be
8 available to show qualification. So we're taking
9 exception to clause 7.1. And 7.1 says that very
10 little evidence of qualification needs to be
11 documented for mild environments. And we're taking
12 exception to that, and that's why we're consistent now
13 with clause 7.2, which specifies full documentation of
14 qualification processes including test plans and
15 results. This documented evidence necessary for the
16 Staff to adequately confirm that the functioning
17 complex computer system is in fact qualified for the
18 environment in which it was operated.

19 So the pointers, there are two pointers
20 that we have. And one is to Reg. Guide 1.180 on my
21 guidance that we'd retained from our previous
22 revisions. And another pointer to Reg. Guide 1.89 on
23 harsh environment qualification guidance. And this
24 replaces all previous harsh environments qualification
25 position in DG-1077. We just point now everything to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Reg. Guide 1.89.

2 Now I'm going to look at the last topic on
3 electromagnetic compatibility and change the subject.

4 The industry response to NRC on its
5 regulatory guidance on EMC nuclear power plant has
6 been generally positive. Regulatory guidance on EMC
7 began with review and acceptance of EPRI TR-2323 with
8 stipulation in an SER in 1996. Reg. Guide 1.180 was
9 released in 2000 and recognized the SER and its
10 acceptance of TR-2323. Then Reg. Guide 1.180 was
11 updated in 2003 to incorporate changes in the
12 acceptable EMI/RFI practices. TR-2323 has been
13 updated over the years, but these updates have not
14 been endorsed by NRC since similar practices are
15 included in Reg. Guide 1.180.

16 So the industry response to regulatory
17 guidance on EMC has been generally positive. However,
18 there is one significant issue that concerns the
19 industry, and that is CS114 operating envelope and the
20 feeling that it's too harsh. So I'm going to tell you
21 the problems from EPRI's point of view.

22 EPRI has requested that NRC review CS114
23 operating envelope in Reg. Guide 1.180 Rev. 1 because
24 the envelope was based on EPRI's planned measurements
25 and the measurements were flawed. CS114 is a high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frequency conducted susceptibility test and it has
2 proven problematic for nearly all equipment tested to
3 date. And very few pieces of the equipment have
4 passed the test without being redesigned. This is a
5 very harsh test.

6 So CS114 operating envelope in Reg. Guide
7 1.180 actually incorporated plant data obtained from
8 EPRI and now EPRI says its measurement and the
9 original analysis of plant data were flawed.

10 So EPRI says that CS114 is a continuous
11 wave test and its operating envelope should be based
12 on continuous wave data, not the transient data. And
13 we do have separate power surge susceptibility testing
14 for that, which is IEEE 662.41.

15 So it then follows that CS114 operating
16 envelope in Reg. Guide 1.180 Rev. 1 is subsequently
17 flawed. The result is that EPRI wants to see the
18 operating envelope changed.

19 So to explain where we are, I'm just going
20 to give you some background.

21 EPRI collected its conducted emission data
22 in 1994 in seven plants and it captured power
23 transients. So the subsequent EPRI data profile then
24 showed high conducted emission levels in the plant.

25 So Research was only infrequently allowed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to make limited conducted emission measurements in
2 plants because of their intrusive nature and our data
3 profile showed lower levels. Because of the limited
4 measurements our data had a high degree of measurement
5 uncertainty.

6 And how does this effect Reg. Guide 1.180?
7 We incorporated the EPRI data into a development of
8 our CS114 operating envelope. We started with
9 operating envelope for the military ground facility in
10 461D and then addressed it to incorporate EPRI plant
11 data so that we could be consistent with the SER based
12 on EPRI's TR-102323 guide. Our goal was to ensure
13 that safety related equipment could withstand ambient
14 conducted emission in plants, and we assumed that EPRI
15 data was relevant. And we have documented the
16 technical basis in NUREG/CR-6431.

17 So of course EPRI is now revising its data
18 collection analysis rationale and they are now saying
19 their conducted emission data should not have included
20 captured power transients because we have a separate
21 test for that. Because they're addressed by power
22 surge susceptibility testing IEEE C62.41 and C62.45.
23 Their argument is that CS114 operating envelope was
24 not intended to be tested on conducted emission
25 measurements, but rather should be based on a radiated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emission environment. And this is to say that
2 radiated emissions will couple onto signal and power
3 leads and interference with the normal operation of
4 the piece of the equipment. Hence, EPRI is saying
5 that the original rationale was flawed and the SER
6 operating envelope based on 102323 was then also
7 flawed.

8 And I'm illustrating visually what the
9 issue is. And we have here a comparison of the
10 operating envelope for Reg. Guide 1.180 Rev. 1 and
11 EPRI TR-102323 and Rev. 3.

12 The NRC operating envelope is shown in
13 red. The EPRI envelope that have been accepted in
14 Rev. 0 are shown dark green. And the EPRI operating
15 envelope that they are recommending is showing blue.

16 So note that the power and signal
17 operating envelope is the same for 102323. This is
18 based on EPRI's assumption that the radiated emissions
19 will couple onto both power and signal leads in the
20 same manner. Thus, the operating envelope should not
21 be different.

22 Also note that Rev. 2 EPRI envelopes are
23 shown in black and actually separate the power and
24 signal lead envelopes.

25 Also you can see that the Reg. Guide and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPRI Rev. 2 envelopes for power leads are very
2 similar.

3 So the problem area that we're looking at
4 is this triangle shown in light green. For most
5 equipment on this is the frequency range below --
6 where the existing operating envelopes have problem to
7 be stringent and hard to pass.

8 So in summary, we have agreed to look into
9 EPRI's request and we have reviewed the information
10 received from EPRI regarding the CS114 operating
11 envelope and in the TR-102323 guide. And we are now
12 investigating the rationale for EPRI CS114 operating
13 envelope and if justified, will develop a revised
14 position on CS114 operating envelope.

15 So we will update the Reg. Guide based on
16 the results of the investigation and the revised
17 position.

18 MEMBER SIEBER: Are you planning to get
19 more data or are you going to use EPRI's data?

20 MS. ANTONESCU: If necessary. I'm not
21 sure. Depending on how we're going to -- what we're
22 going to find out or what our rationale will be or
23 what we need to justify.

24 MR. WOOD: The real issue is whether or
25 not the argument that's presented is a compelling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technical argument. If not, then it may require some
2 more measurements.

3 MEMBER SIEBER: But you aren't really
4 contesting the data that became available at plants?
5 It's how it's applied?

6 MR. WOOD: We haven't had an opportunity
7 to look at the details of the EPRI data. So we're not
8 contesting their argument. What we're trying to do is
9 figure out whether their argument fully explains all
10 the potential sources.

11 MEMBER SIEBER: Okay. They're contesting,
12 your arguing?

13 MR. WOOD: Well, they're contesting their
14 previous argument.

15 MS. ANTONESCU: Because we have to take
16 theirs --

17 MEMBER SIEBER: If you have to argue, it's
18 best to argue with yourself.

19 MR. WOOD: I think so.

20 CHAIRMAN APOSTOLAKIS: Any other comments
21 or questions from people at the table?

22 Thank you Christina and Richard.

23 MEMBER SIEBER: Okay.

24 CHAIRMAN APOSTOLAKIS: Appreciate it.
25 We'll see you tomorrow, Christina, I suppose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ANTONESCU: Yes, see you tomorrow.

2 CHAIRMAN APOSTOLAKIS: With few slides.

3 MS. ANTONESCU: Fewer slides. All right.
4 I'll try to shorten tonight.

5 MEMBER SIEBER: This was actually very
6 good. This was very good.

7 MS. ANTONESCU: Thank you.

8 CHAIRMAN APOSTOLAKIS: You raise
9 expectations by showing the backup slides, then you
10 use a topical list.

11 MS. ANTONESCU: Thank you.

12 CHAIRMAN APOSTOLAKIS: That was a good
13 move.

14 MS. ANTONESCU: Thank you.

15 CHAIRMAN APOSTOLAKIS: Okay. As I said
16 earlier, judging from the experiences we've had with
17 the human factors research plan where the developers
18 had to come back two or three times to us, and also
19 from some of the comments that we've heard here in the
20 last two or three meetings, a separate meeting, it is
21 extremely important to show how a research plan --
22 what's the rationale. How it relates to what we are
23 doing already and why do we need something new, you
24 know, to supplement or compliment or improve on what
25 we're doing already.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Every time I asked a question, you guys
2 have been answering. So you have thought about it. But
3 what has not happened is that that kind of argument is
4 not in the plan and in your presentations usually you
5 ignore it. So what I think you should do is really
6 focus on it and make a big deal out of it when you
7 come back in November. Because we'll write -- the
8 letter will be, as I understand it, on the plan not on
9 individual projects even though you guys described a
10 lot of them. We'll wait for that for the future after
11 you have reasonable progress.

12 So as I was thinking about this last
13 night, because I do think that there's a lot of good
14 stuff in the plan, I was trying to think how can one
15 show what you are doing and how what you are doing
16 fits in the bigger picture. And the bigger picture
17 that came to my mind was the reactor oversight
18 process.

19 Now, I want to say up front what follows
20 is not something that you must do. We are not
21 recommending that you do it. We ourselves, you know,
22 are not sure that everything there is on solid ground.
23 But it's a thought.

24 This diagram, by the way, do you have it
25 in front of you or can you look it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KEMPER: We can look at it. Yes.

2 CHAIRMAN APOSTOLAKIS: Well, you can have
3 copies. It's over there. They may want to take notes.

4 MR. KEMPER: We have a copy here.

5 CHAIRMAN APOSTOLAKIS: Yes. Mike, you
6 have a copy?

7 So the diagram was of tremendous value to
8 the people who developed the reactor oversight process
9 because they were able to communicate to the world at
10 large, in fact, what the agency cares about. So here
11 is some thought.

12 The overall mission of the agency is the
13 top box. Public health and safety. And I put as a
14 result of severe nuclear reactor operation with
15 different color in parenthesis because you probably
16 had to drop that because you are adding now an NMSS.
17 The strategic performance areas were reactor safety,
18 radiation safety workers, safeguards and then I put in
19 purple there NMSS.

20 Now the cornerstones are exactly the same
21 from the reactor oversight process. Now the purpose
22 of those is really to see, to help you communicate to
23 the reader or the viewer or the reviewer what kinds of
24 systems you're talking about and what parts of the
25 broader picture they're effecting. You will need some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cornerstones for the NMSS, I guess, and the safeguards
2 I'm not sure how much you can put there. But, again,
3 this is their idea. In fact, some of my colleagues
4 have doubts that even the cornerstones for reactor
5 safety are appropriate in your case.

6 So the message here is don't take this
7 literally, okay. Don't take it literally all by --
8 you know, he said mitigating systems, I have to have
9 something on there. No, no, it's the idea.

10 Then under each one, and I think this
11 comes really from the questions that have been raised,
12 let's say I'm giving as an example the mitigating
13 systems cornerstone, okay? But you can have arrows
14 going to barrier integrity and so on. What is the
15 function and the unique characteristics of the system
16 that we are dealing with in this project, this
17 particular 6.5.3.2? As an example, what was said
18 today. It's just a simple actuation system. That's
19 important to know that you are dealing with a simple
20 actuation system and not trying to control the area.

21 How is the agency reviewing it now? What
22 is the current state of the art, in other words, or
23 the practice? Are we reviewing them? Are we
24 approving these things, disapproving and so on.

25 The third bullet -- again, even these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets should be subject to revision and so on. Why
2 do you want to change it? I mean, you know, you
3 remember several months ago Mr. Calvert told and we
4 are happy with what we have. Well, if you are happy,
5 then why are we spending money doing anything, you
6 know. Today we got different responses from the NRR
7 representative. Okay. Every time I ask why you want
8 to do that -- I forget your name. I'm sorry.

9 MR. LOESER: Paul Loeser.

10 CHAIRMAN APOSTOLAKIS: Paul stood up and
11 said for such-and-such a reason and made perfect sense
12 to me. That kind of thing would be nice to
13 communicate.

14 Then the heart of the matter, and that was
15 really the fourth bullet is what killed the human
16 factors plan several times. If you are successful in
17 project X, how are you going to change the present
18 situation? Are you going to shorten the review time
19 and make it more efficient? Are you going to enhance
20 it and bring in more staff and make it more effective?
21 Are you anticipating what's going to happen, as we
22 said today, so you want to be prepared and understand
23 it better? Can you be a little bit specific in other
24 words. You know, this is really what we expect.

25 Now the last bullet was -- I'm not sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I could do that either. Would there be any
2 metrics for the previous staff? I find that very
3 difficult to do many times, most of the time. But
4 just in case.

5 But this again gives you the thrust of the
6 thing. I mean for each project you answer these or
7 similar questions and place them in the context of a
8 bigger picture, then it seems to me we are really well
9 on our way.

10 And then at the bottom, of course, the
11 cost cutting issues that you guys have a lot of. And
12 that's fine. You can say, look, what we're doing here
13 will effect, you know, detecting that an initiating
14 event has occurred. At the same time we will look at
15 the mitigating system. In fact, the beta factor
16 example from EPRI was one example of that. You know,
17 you have a loss of feedwater flow and then the
18 argument was that 25 percent of the time it's the
19 turban, and that may be coupled with the mitigating,
20 the safety system. Great. Okay. So we're doing this
21 project and we're affecting that.

22 I don't know. Is wireless technology
23 primarily related to emergency preparedness? Could
24 be, huh. I don't know about barrier integrity. But
25 that helps the reviewer understand a little better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we're talking about and where.

2 MEMBER SIEBER: Part of this work is
3 already done. If you look at page 125 there's a lot of
4 pages like that. You already have which supported
5 strategies are for each project. They're already
6 listed.

7 MR. ARNDT: Yes. And some of that --

8 CHAIRMAN APOSTOLAKIS: If I under the
9 impression that you guys had not even thought about
10 it, I wouldn't raise it. Because I know you can't do
11 this in three weeks.

12 MR. ARNDT: Right.

13 CHAIRMAN APOSTOLAKIS: But I know you have
14 done it. It's just that you haven't documented it in
15 a way that other people can appreciate that you've
16 done it.

17 MR. ARNDT: Yes.

18 MR. KEMPER: Well, if I could -- Bill
19 Kemper here.

20 The supportive strategies, though, again,
21 is out of the strategic plan.

22 MEMBER SIEBER: Right.

23 MR. KEMPER: It's not a one-one mapping
24 that you can do to the IOP. But this is just a
25 different way of slicing the agency's mission.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I'm sorry. Jack.

2 MEMBER SIEBER: I think the most important
3 thing is that fourth bullet.

4 CHAIRMAN APOSTOLAKIS: Yes.

5 MEMBER SIEBER: There's the direction of
6 the agency and here's how these programs fit in.

7 MR. ARNDT: Right. Okay. And that's a
8 very good comment. And we can certainly do that in
9 most, maybe not all, but most of the cases.

10 CHAIRMAN APOSTOLAKIS: Okay. But
11 especially in the presentation

12 MR. ARNDT: Right. Some of our programs
13 are quite -- are individual technology focused. How
14 do we get ready or do we do a better job of reviewing
15 a particular piece of hardware or piece of software.
16 And many of them are crosscutting type issues. How do
17 you model --

18 CHAIRMAN APOSTOLAKIS: But when you see a
19 better job, you must have something in your mind.

20 MR. ARNDT: Yes.

21 CHAIRMAN APOSTOLAKIS: Why do you need to
22 do a better job? I mean, in what sense? Do we need
23 to understand it better?

24 MR. ARNDT: Yes. And there's a set of
25 things that we hope to accomplish, and that's what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want us to articulate better?

2 CHAIRMAN APOSTOLAKIS: And in many of
3 these you are very explicit.

4 MR. ARNDT: Right.

5 CHAIRMAN APOSTOLAKIS: This project will
6 result in tools as follows: A, B, C, D. That's great.

7 MR. ARNDT: Right.

8 CHAIRMAN APOSTOLAKIS: In other places
9 you're not so explicit.

10 MR. ARNDT: Right. In some cases we simply
11 didn't articulate as well as we can. Some cases we
12 don't know --

13 CHAIRMAN APOSTOLAKIS: Well, this is a
14 document that is evolving.

15 MR. ARNDT: Right.

16 CHAIRMAN APOSTOLAKIS: I mean, this is
17 just an extra thought to help you --

18 MR. ARNDT: And I appreciate that.

19 CHAIRMAN APOSTOLAKIS: -- communicate
20 better what you have already done in my view.

21 MR. ARNDT: Right.

22 CHAIRMAN APOSTOLAKIS: Most of the time,
23 anyway, you have done it.

24 MR. ARNDT: Okay. Let me ask another
25 question that will hopefully help the presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're scheduled, I think, an hour and a
2 half --

3 CHAIRMAN APOSTOLAKIS: On what?

4 MR. ARNDT: Next --

5 MR. KEMPER: November.

6 MR. ARNDT: -- November.

7 MEMBER SIEBER: The full Committee.

8 MR. ARNDT: We can structure that anyway
9 that you think is going to be best for the Committee.
10 Obviously, there's some things we want to say. One
11 way we can do it is to review very quickly like I did
12 for environmental stressors this afternoon all the
13 programs. That may not be the most effective use of
14 time.

15 CHAIRMAN APOSTOLAKIS: In my view it is
16 not.

17 MR. ARNDT: Okay.

18 CHAIRMAN APOSTOLAKIS: I would structure
19 it around something like this. Here's the big
20 picture, we have six areas right around. This is how
21 they fit into this.

22 MR. ARNDT: Right.

23 CHAIRMAN APOSTOLAKIS: You know, this is
24 the way it's being done now. We need to better a job
25 because of A, B, C, D and here is what we're offering.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now to go over all the projects will
2 probably -- I don't know. It's over kill.

3 MR. ARNDT: Yes.

4 MR. KEMPER: We've already done that
5 anyway. In May that's what we did, right? That's why
6 we're here.

7 MEMBER BONACA: But you have those tables,
8 you know, in page 11 with all your programs, etcetera,
9 so you have really logical step.

10 MR. ARNDT: Sure. We can structure it in
11 that way and then maybe use a couple of examples

12 CHAIRMAN APOSTOLAKIS: Absolutely.

13 MR. ARNDT: That go to particular issues.

14 MEMBER BONACA: Because you do have a
15 series of tables with all the --

16 CHAIRMAN APOSTOLAKIS: And don't hesitate.
17 You know, this morning I noticed -- was it the
18 morning, or whatever? That -- and I appreciate that.
19 I mean, you really don't want to criticize what your
20 colleagues of NRR are doing now and say we need to do
21 this because you're not doing right. But at the same
22 time to say that what we're doing now is fine and
23 excellent and we're spending a million dollars to
24 improve it, I mean -- so it's okay. I mean, it's the
25 state of the art. How are we doing it now? Maybe we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are doing it overly conservative because that's what
2 you do if you're a regulatory, right?

3 MR. ARNDT: Right. Well, and it's --

4 CHAIRMAN APOSTOLAKIS: But I think the
5 fundamental thing that this is a new technology, new
6 failure modes and we're all as a community trying to
7 understand it is a very powerful argument in my view.

8 MR. ARNDT: Yes. And it also has the
9 virtue of being true.

10 CHAIRMAN APOSTOLAKIS: Which sometimes
11 helps in my estimation.

12 MEMBER BONACA: You know one thing that
13 certainly struck me was well we were discussing common
14 mode failure, you know, because we're left to question
15 in our mind. And then I saw the table that you
16 developed, which is the events that took place.

17 MR. ARNDT: Right.

18 MEMBER BONACA: You know, to me is one of
19 the most convincing arguments. Here are the facts that
20 whatever the estimation is going to be right now,
21 etcetera, there are issues that we have to deal with
22 in advance out there in the field that have been
23 cropping up.

24 MR. ARNDT: Yes.

25 MEMBER BONACA: And that in and of itself

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to me is justification for work, in a goal sense of
2 course. And I'm saying that which you can address
3 also the examples, of not giving examples to us, but
4 I think that gives justification to the plan.

5 I would like to add one thing that, you
6 know, that I am in general am quite impressed with the
7 plan because here we are now, you know, performing our
8 review of the RES research plan and here we're
9 scheduled to develop one. And I wish there was a
10 document like this for every area we're looking at.
11 And there isn't.

12 MR. ARNDT: Well, you're partially
13 responsible for it because as you recall the first
14 version of this was as a answer to the mass
15 recommendations that were part of this Committee's--

16 MR. KEMPER: But thank you. We appreciate
17 your help on that.

18 MEMBER BONACA: I think it's a good base
19 to start it and I think it's going to help you through
20 the next few years very years.

21 MR. KEMPER: Well, we've put a fair amount
22 of effort trying to vet this with our stakeholders.
23 You know, since we first met in May, quite honestly.
24 And I think it's a much better product now as a result
25 of that than it was when we started out four or five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 months ago.

2 MR. ARNDT: Right.

3 CHAIRMAN APOSTOLAKIS: Jack?

4 MEMBER SIEBER: I'm curious about one
5 thing. Will you prepare the research plan in such
6 detail? Obviously you have to think about it. Did it
7 actually in preparing the plan change your conception
8 of what it is you should be doing or did you already
9 have fixed in your mind I'm going to do these things,
10 all I have to do is write it down?

11 MR. ARNDT: It's a little bit of both.

12 MEMBER SIEBER: Okay. I sort of sensed
13 that.

14 MR. KEMPER: It's an iterative process.

15 MR. ARNDT: It's very much an interactive
16 process. Because we get -- and I'll mention this a
17 little bit tomorrow morning when I talk about the
18 emerging technology section. But part of the process
19 of planning, particularly out year planning, is
20 figuring out where we want to be.

21 MEMBER SIEBER: Right.

22 MR. ARNDT: And that involves polling our
23 stakeholders, talking to ourselves, looking at the
24 research that's out there and all the other areas.
25 Some of us are involved in proposal reviews for DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and other areas. So you get a lot of different things
2 and you work through the issues. And some of them
3 come up as we look through the data and issues and
4 things like that.

5 And as unpleasant as putting one together
6 one of these things is, it's kind of useful to do it
7 every few years simply to force yourself to do that
8 kind of thinking.

9 As you know, we did our first one, this is
10 the second version. We're planning now in the future
11 to do yearly updates, which is a little less resource
12 intensive.

13 MEMBER SIEBER: Yes.

14 MR. ARNDT: But also having that continual
15 update both in terms of prioritization what's
16 important to do sooner rather than later as well as
17 what are the hot issues and things like that. You
18 need, to misuse an old adage, it doesn't do you a lot
19 of good to look under the street light when you
20 realize the wall across the street. But actually in
21 point of fact, it's important to look under the street
22 light the things that you know are important, it's
23 also important to look outside there the things you
24 don't know that are important and keep searching and
25 figuring out what may be coming down the pike.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. It seems to me that
2 this plan compared to the last plan is more practical.

3 MR. ARNDT: Yes.

4 MEMBER SIEBER: And is driven more toward
5 real needs.

6 MR. ARNDT: Yes.

7 MEMBER SIEBER: As opposed to this broad
8 research.

9 MR. ARNDT: Right. And that's been an
10 evolutionary process dealing with and working with our
11 stakeholders.

12 MEMBER SIEBER: Well, to me it's a good
13 trend.

14 MR. ARNDT: Yes.

15 MEMBER SIEBER: I like it.

16 MR. KEMPER: Thank you.

17 MR. ARNDT: It has a specific intent.

18 MR. KEMPER: That's on purpose. That's
19 not an accident.

20 MEMBER BONACA: The one thing that I add,
21 again the issues of operating experience. I mean
22 there is experience that is there I'm sure has been
23 pulled together theorizing certain events and whatever
24 specifics they're interested to, the some that are
25 common cause some may be other things. And, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the degree to which that information can be
2 provided, even in research important to this measure,
3 as an introduction, as a history, I think it's
4 helpful. I mean, certainly it would be helpful
5 probably to the whole Committee if you had synopsis of
6 it, you know, sometime in the presentation. This is
7 not talking about hypothetical situations. We have
8 had events.

9 CHAIRMAN APOSTOLAKIS: Tom, do you want to
10 say anything?

11 MEMBER KRESS: No. I agree.

12 CHAIRMAN APOSTOLAKIS: And we're meeting
13 tomorrow.

14 MR. ARNDT: And we welcome input after the
15 meeting, too.

16 MR. KEMPER: No. But this has been very
17 helpful and, please, let's continue to talk any ideas
18 you get. Because quite honestly, I've been kind of
19 scratching my head trying to figure out what do we
20 need to talk to you all about in November --

21 CHAIRMAN APOSTOLAKIS: Scratching you're
22 head trying to figure out why does the ACRS have such
23 a bad reputation? We're such nice people.

24 MR. KEMPER: Well, we've spent so much
25 time in front of you --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Undeserved.

2 Undeserved.

3 MR. KEMPER: We've so much time.

4 CHAIRMAN APOSTOLAKIS: A lot of it is
5 unfair.

6 MR. KEMPER: You're right. It's unfair.
7 But anyway, we still have to live with it.

8 CHAIRMAN APOSTOLAKIS: And in fact, I was
9 telling Eric earlier it seems that, you know, the
10 magnitude of this and the interest in the kind of work
11 you guys are doing, we'll probably have to continue
12 these Subcommittee meetings, especially as you start
13 producing stuff.

14 MR. KEMPER: Absolutely.

15 CHAIRMAN APOSTOLAKIS: Because this is a
16 big project, very important and we are all trying to
17 learn here what is going on.

18 MR. KEMPER: Right.

19 MR. ARNDT: And that's actually one thing
20 not necessarily in the letter, but informally we would
21 be very interested in which areas you would be most
22 interested in hearing from us.

23 CHAIRMAN APOSTOLAKIS: Well, you know my
24 area.

25 MR. ARNDT: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Now seriously for scheduling
2 purposes it helps us a lot. But we're always happy to
3 come and talk to folks like you.

4 CHAIRMAN APOSTOLAKIS: Any other comments
5 from our colleagues here?

6 MR. WATERMAN: This is Waterman.

7 The other thing I see in the research plan
8 since I bought so much into it is you talk about the
9 plan growing. One of the things I'd like to see the
10 plan start doing is as we finish those projects up, we
11 start a new section in that plan that gives a synopsis
12 of the products we developed. So when somebody picks
13 it up and says they can look at one plan and see where
14 were you, where are you and what are you going to do
15 all in one document. So that document is going to
16 continue to grow as new projects get added in at the
17 front and as the completed projects get added in down
18 at the bottom so you can say well this is what they
19 intended to and well, this is what came out of that.

20 CHAIRMAN APOSTOLAKIS: And another thing
21 for the major items here, one for example being how to
22 bring all this stuff into PRA, I would strongly
23 recommend that you don't come here at the very end of
24 the project. It would be better to brief the
25 Committee or the Subcommittee at least, as those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 milestones are reached, so you get some feedback.

2 MR. ARNDT: Absolutely.

3 CHAIRMAN APOSTOLAKIS: And possibly
4 valuable advise.

5 MR. ARNDT: Right. Right.

6 CHAIRMAN APOSTOLAKIS: All right. I think
7 we've had enough for today. Thank you, gentlemen and
8 lady. And we shall see you again in the morning at
9 8:30.

10 (Whereupon, at 5:52 p.m. the meeting was
11 adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

