

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, October 5, 2005

Work Order No.: NRC-637

Pages 1-172

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEE ON PLANT LICENSE RENEWAL

+ + + + +

WEDNESDAY

OCTOBER 5, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met in Room O-1G16,  
White Flint One, at 12:30 p.m., Mario V. Bonaca,  
Chairman of the Subcommittee, presiding.

COMMITTEE MEMBERS:

- MARIO V. BONACA Chairman
- THOMAS S. KRESS Member
- WILLIAM J. SHACK Member
- JOHN D. SIEBER Member
- JOHN J. BARTON Consultant
- GRAHAM M. LEITCH Consultant
- JOHN G. LAMB Staff
- CAYETANO SANTOS, Designated Federal Official

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT:

Don Arp

Bob Moll

Joe Valente

Ken Brune

Bill Crouch

Joe McCarthy

Rich DeLong

Ama Pal

Yaira Diaz Sanabria

Ram Subbaratnam

P.T. Kuo

Jake Zimmerman

## I N D E X

	<u>AGENDA ITEM</u>	<u>PAGE</u>
1		
2		
3	Opening Remarks, Chairman Bonaca, ACRS	4
4	Staff Introduction, P.T. Kuo, NRR	7
5	Browns Ferry License Renewal Application,	22
6	R. DeLong, TVA	
7	SER Overview, R. Subbaratnam, NRR	80
8	Time-Limited Aging Analysis,	96
9	Y. Diaz Sanabria, NRR	
10	Onsite Inspection Results,	105
11	C. Julian Region II	
12	S. Cahill, Region II	
13	Subcommittee Discussion	156
14	Chairman Bonaca, ACRS	
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
 1323 RHODE ISLAND AVE., N.W.  
 WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

Time: 12:33 p.m.

CHAIRMAN BONACA: The meeting will now come to order. This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee. ACRS members in attendance are John Sieber, William Shack, and Tom Kress and ACRS consultants, Graham Leitch and John Barton, are also present. Cayetano Santos of the ACRS staff is the designated Federal Official for this meeting.

The purpose of this meeting is to discuss the license renewal application for Browns Ferry Units 1, 2 and 3. We will hear presentations from representatives of the Office of Nuclear Reactor Regulation, the Region II office, and the Tennessee Valley Authority.

The subcommittee will gather information, analyze relevant issues and facts and formulate proposed position and action as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting were announced as part of the Notice of this meeting, previously published in the *Federal Register*.

We have received no written comments or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requests for time to make oral statements from members  
2 of the public regarding today's meeting.

3 A transcript of the meeting is being kept  
4 and will be made available as stated in the *Federal*  
5 *Register* notice. Therefore, we request that  
6 participants in this meeting use the microphones  
7 located throughout the meeting room when addressing  
8 the subcommittee. Participants should first identify  
9 themselves and speak with sufficient clarity and  
10 volume so that they can be readily heard.

11 Before I proceed with the meeting, I would  
12 like to summarize for those members of the  
13 subcommittee that were not present on September 21  
14 when we really reviewed the general issue of restart  
15 of Unit 1 and also some issues of license renewal.  
16 There were a number of issues discussed that pertain  
17 to the license renewal of particularly Unit 1.

18 We talked about how Unit 1 meets the  
19 requirement for operating experience and meets the  
20 requirements of the rule, and in that context we felt  
21 that there were throughout the application, and  
22 particularly the SER, a number of compensatory steps  
23 where the experience was not sufficient; for example,  
24 the commitment to some periodic inspections and things  
25 of that nature. However, the SER did not include a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 statement up front of how this issue of complying with  
2 the operating experience of the rule was being dealt  
3 in a comprehensive fashion, and the staff agreed to  
4 develop that kind of discussion in the SER, not now,  
5 of course, but for the final SER.

6 The second issue we discussed was the  
7 periodic inspections. We felt positively inclined  
8 toward those. We felt that that was responsive to, in  
9 fact, filling the gaps into the operating experience  
10 for systems in lay-up. However, we felt that there  
11 wasn't enough information there yet, and we really are  
12 anxious to see more about that. That can be provided  
13 at another time.

14 The other point we raised was regarding  
15 the application -- not the application, the SER.  
16 Although there is now a commitment to periodic  
17 inspections, there are still in the SER a number of  
18 locations where one-time inspection prior to restart  
19 are being used for certain systems. So there is some  
20 confusion there. It may be purely editorial due to  
21 the fact that the commitment to periodic inspection  
22 came at a later time.

23 These are the three issues that we  
24 discussed, and I just wanted to bring them up for  
25 information, and they would be of interest to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee, because the committee has raised concerns  
2 regarding operating experience.

3 One last note: At the end of the meeting,  
4 we will have to tell the staff and the licensee what  
5 the Committee may want to hear tomorrow. They are  
6 coming for a one and a half-hour presentation to the  
7 full Committee. So we will discuss it at that time.

8 With that, we will now continue with the  
9 meeting. I call upon Mr. Kuo of the Office of Nuclear  
10 Regulatory -- Reactor Regulations to begin.

11 DR. KUO: Thank you, Dr. Bonaca. My name  
12 is P.T. Kuo. I am the Project Director of the License  
13 Renewal and the Impact Program. I have many staff  
14 members with me. On my left is Jake Zimmerman, who is  
15 the Section Chief for Section B, who is responsible  
16 for the audit activities for this project.

17 On my right are the Project Manager --  
18 License Renewal Project Managers, Ram Subbaratnam, and  
19 Yaira Diaz. They have been managing the review for  
20 this project, and there are technical review staff in  
21 the audience who supported the review of this project.

22 We also have invited our Regional staff  
23 who are responsible for the inspection activities at  
24 the site. Carter Julian and Steve Cahill both are  
25 here. Later on, they are going to make a presentation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 on inspection also.

2 As you are aware, this is a very  
3 complicated review for Browns Ferry, and the reason,  
4 because there are three activities that are being  
5 pursued concurrently. That is the license renewal,  
6 the Unit 1 restart, and the EPU for all three units.  
7 But for this presentation, today's presentation, we  
8 are only focusing on license renewal, and we have been  
9 reviewing the license renewal application based on the  
10 assumption of 100 percent -- I mean, not 100 percent  
11 -- at the current power level. For Unit 1, it is 100  
12 percent. For Units 2 and 3, it is 105 percent. That  
13 has been our basis for this license renewal review.

14 We tried to assemble the current licensing  
15 basis for the review at the current power level, and  
16 we understand that the TVA is also in parallel  
17 pursuing the EPU. Their planning is to restart Unit  
18 1, 2 and 3 at the 120 percent power, but I just want  
19 to reemphasize that our review is based on the current  
20 power level.

21 Resulting from our review, we have --

22 CHAIRMAN BONACA: And so is the  
23 application.

24 DR. KUO: Yes. But the application --

25 CHAIRMAN BONACA: You know, in some cases

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we have had members raising questions regarding what  
2 -- because there has been such an evolution, you know,  
3 and the plant has changed from the moment the  
4 application was submitted to today, and I believe you,  
5 Graham, raised that issue.

6 DR. LEITCH: Yes. Well, I understand that  
7 the application is at the present power level, but yet  
8 the configuration of the plant is a dynamic thing.  
9 The application, as I understand it, was based on the  
10 plant as it appeared in the middle of 2003. I think  
11 July 1, 2003, was the freeze date. But now since that  
12 time, I guess, my understanding is that, for example,  
13 the recirc piping has -- At that time it was 304  
14 stainless. In the interim, it has been changed to 316  
15 nuclear grade stainless.

16 Now when you review the application, are  
17 you reviewing 304 stainless or 316 stainless as far as  
18 an aging management program? Now maybe in that  
19 example it doesn't make any difference, but what I'm  
20 saying is what configuration of the plant are we  
21 reviewing?

22 DR. KUO: It's really a good question. We  
23 tried to struggle with this also during our review.  
24 I think what we are doing is that, if this 306 pipe,  
25 for instance, is physically present or that they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committed to install in place this 306 pipe, then our  
2 review is based on the suggested configuration.  
3 However, the judgment is made on the basis of 100  
4 percent -- I mean, not 100 -- I keep on saying 100 --  
5 current licensing power level, although it may be good  
6 for 120 percent power, but we are not -- At this  
7 review, we are not making that determination.

8 DR. LEITCH: My question is not so much  
9 about the power level as about license renewal.  
10 Perhaps the aging management program would be  
11 different for 316 versus 304. So when you look at the  
12 aging management program, what vintage of the plant  
13 are you looking at? And in some cases, the plants may  
14 never come to the same vintage.

15 It is my understanding that Unit 1 has  
16 been changed to 316 stainless. Two and 3 have not,  
17 and will not. They will stay at 304 stainless. So  
18 perhaps the aging management programs would be  
19 different.

20 My question really is: Which have we  
21 evaluated?

22 DR. KUO: Like I said, if they have  
23 committed to replace these 304 piping to 306, either  
24 already in place physically or committed to install,  
25 then our reviews are based on 306. Aging management

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program is going to be associated with the 306 piping  
2 rather than 304.

3 DR. BARTON: So you have two aging  
4 management programs for some components. Right?

5 DR. LEITCH: In that example I cite -- and  
6 I'm not sure whether the aging management program is  
7 different or not. Perhaps I don't have the best  
8 example, but what I'm saying is in this example, Unit  
9 1 -- Even in the long term after all the dust settles,  
10 Unit 1, it's my understanding, is going to be 316  
11 stainless, nuclear grade. Units 2 and 3 are going to  
12 be 304 stainless.

13 So do we evaluate two different programs,  
14 one for Unit 1 and a different program for Units 2 and  
15 Three?

16 DR. KUO: I ask Ram to address that.

17 MR. SUBBARATNAM: Yes. This is Ram  
18 Subbaratnam, Project Manager for License Renewal.

19 The question is we have done a power  
20 looking review. If the material committed to is the  
21 316, it may not be existing today. We have just  
22 reviewed them for aging management for material and  
23 aging effect for the material, the way it would appear  
24 when it is restarted.

25 That means, when you look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application, we have all the bold bordered boxes which  
2 gives you a reminder that this material is going to be  
3 replaced in future. However, we are going to do the  
4 aging management and the review based on the material  
5 which is to come in future, actually.

6 So it is not on a current basis. And of  
7 course, licensing can be articulated a little bit  
8 better, but what we do is we focus also -- we will  
9 also focus on the material and the aging management as  
10 it exists in Unit 2 and 3, after all the enhancements  
11 are done to make Unit 1 look like Unit 2 and 3, which  
12 are the current operating plants.

13 So they will, to some extent, extrapolate  
14 experience from Units 2 and 3, but it is on the future  
15 material and the future position of how it going to  
16 be.

17 DR. LEITCH: But it is my understanding  
18 that 2 and 3 are not going to be changed to 316  
19 standards, but remain as 304. Now maybe I'm wrong.

20 DR. KUO: Bill, would you like to take  
21 this question?

22 MR. CROUCH: This is Bill Crouch. I'm the  
23 Site Licensing Manager at Browns Ferry.

24 In Units 2 and 3 we have replaced a  
25 portion of the recirc piping with 316 NG. There is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 304 and 316 NG in both of those two units.

2 In Unit 1, it will be purely 316 NG. The  
3 aging management program is the same for both 304 and  
4 316. So putting in the additional 316 material  
5 doesn't change the aging one way or the other, and  
6 since Units 2 and 3 have both materials in them, both  
7 materials are in the aging management program.

8 DR. LEITCH: So I guess maybe I have  
9 picked a poor example then, that in this case the  
10 aging management programs turn out to be the same.  
11 But I can't think of the example where they are not  
12 the same, but --

13 MR. CROUCH: Let me give you more  
14 information. As part of Unit 1 recovery, we have not  
15 introduced any new materials that are not already in  
16 Units 2 and 3.

17 DR. LEITCH: Okay. So there is new  
18 condensate pumps and feed pumps and --

19 MR. CROUCH: Same materials.

20 DR. LEITCH: -- condensate booster pumps  
21 and all that equipment that we --

22 MR. CROUCH: Same materials.

23 DR. LEITCH: -- saw you laboring with down  
24 there last month is all the same materials --

25 MR. CROUCH: All the same materials.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LEITCH: -- that has already been  
2 evaluated then?

3 MR. CROUCH: Right. It may be slightly  
4 bigger, but it is the same materials, performing the  
5 same functions in the same environment.

6 DR. LEITCH: Okay. That helps me. Thank  
7 you.

8 MR. CRANSTON: My name is Greg Cranston,  
9 the Project Team Leader conducting the audits.

10 The same aging management programs applied  
11 for all three. There may be some minor differences,  
12 but those are things we would look at in conjunction  
13 with our aging management review line items where we  
14 have line items for every single system. If there is  
15 something different, then that is noted in there.

16 Also, when we do our comparison of AMR  
17 line items, we just don't necessarily look at that  
18 particular material, the environment, the aging effect  
19 and the aging management program just for that one  
20 system. We do cross-checks and sorts to see how that  
21 aligns with other systems as far as how they are  
22 treating that particular type of component in that  
23 same environment with the same effect to look for  
24 anything that may be different.

25 So we are looking for consistency there as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well, the cross-check between all three units and even  
2 different systems, to see that they are all being  
3 treated the same. When we find outliers, like for  
4 some reason there is a line item that they use water  
5 chemistry control in one but they are using some type  
6 of visual inspection or something in the other, then  
7 we challenge that to see was that something that was  
8 misrepresented in the document that they have to fix  
9 or what is the rationale for it, and we follow through  
10 on that. But the programs apply for all three units.

11 DR. LEITCH: Okay. Thank you.

12 CHAIRMAN BONACA: You talked about to see  
13 if there is something in the document to be fixed.  
14 Clearly, there is a lot in the document to be fixed,  
15 because the plant has changed as we go forth, and also  
16 there has been a debate between the staff and the  
17 licensee on the problems.

18 The biggest example is the one of this  
19 periodic inspection commitment that is not documented  
20 anywhere. is now to be in the Appendix B, and is not  
21 the SER either. It's just mentioned in passing.

22 So now to the degree possible, I think the  
23 final SER should have some clarification of these  
24 issues, because a standard reviewer like myself who  
25 cannot benefit from the direct interaction, I cannot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issue requests for additional information or whatever.  
2 I am left pondering what's up and what's down. I  
3 mean, you know, when you go through the SER, we  
4 already pointed out to you this morning some of the  
5 issues of Section 347 where there are inconsistencies  
6 there.

7 So I think there has to be some  
8 clarification so we understand these issues.

9 DR. KUO: You are right, Dr. Bonaca. As  
10 I recall, there were three actions that we took away  
11 from the last meeting. What you said about the  
12 periodic inspection item is one of the three, and the  
13 other two are the operating experience -- for  
14 instance, that was not addressed in the SER; it didn't  
15 appear in any of the documents. We are going to make  
16 that improvement.

17 We have asked the applicant to provide us  
18 the operating experiences. Then there is another  
19 issue, to define the inspection terms -- terminology,  
20 I believe. So we are going to work on those issues.

21 CHAIRMAN BONACA: I understand, and I  
22 appreciate that. The only thing I wanted to mention  
23 here is, to the degree possible, you know, when you do  
24 the final revision of the SER, be aware that a  
25 standard reader like ourselves here are being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 challenged by the situation where there have been  
2 replacement in components, in commitments, things of  
3 that nature, and I think we need to be able to review  
4 a document that is consistent.

5 I am not asking for the application to be  
6 updated, but --

7 DR. KUO: Additional information should be  
8 provided, yes.

9 CHAIRMAN BONACA: It's challenging to  
10 perform the review.

11 DR. LEITCH: Just one comment in that  
12 regard. I found the Appendix F in the application  
13 very helpful, but that was -- It seemed to me that  
14 Appendix F was how are we going to bring Unit 2 and 3  
15 up to the same basis as Unit 1, but the other side of  
16 that coin, I think, is when we have moved Unit 1  
17 further along in the design process by some of the EPU  
18 modifications and everything, what needs to be done on  
19 Unit 2 and 3 to bring it up to that?

20 I think it's sort of like -- I think it is  
21 like the other side of the coin that we are asking  
22 for. It's like an Appendix F where those six or seven  
23 things are listed there. But as I say, they are more  
24 what the plan is to bring 2 and 3 up to 1, but now 1  
25 has moved further along, and what remains to be done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on 2 and 3? I think it's the other side of the coin.

2 DR. KUO: I think that you are talking  
3 about between the license and the EPU.

4 DR. LEITCH: Yes.

5 DR. KUO: Yes. And we are fully aware of  
6 it, and that's why I want to emphasize that the basis  
7 of our review is at the current power level, and the  
8 assumption of that is that all three units have a  
9 consistent current licensing basis. They should be at  
10 least comparable.

11 DR. SHACK: Okay. That is a question,  
12 P.T., because Appendix F is presumably the tabulation  
13 of changes that you need to make in order to bring  
14 them to the current licensing basis, and my question  
15 was: For license renewal, did you make the judgment  
16 that they all got to the current licensing basis or  
17 did you make the judgment that, whether or not they  
18 had exactly the same licensing basis, the aging  
19 management programs were adequate?

20 DR. KUO: We make the judgment that  
21 whatever they do on Unit 1, bring the Unit 1 to a  
22 licensing basis consistent with Units 2 and 3.

23 DR. SHACK: So you think that Appendix F  
24 are the necessary and sufficient conditions to bring  
25 Unit 1 to the current licensing basis of 2? You have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 made that judgment, that they are sufficient?

2 DR. KUO: Yes, we make that judgment.

3 Yes.

4 CHAIRMAN BONACA: Insofar as the current  
5 licensing basis?

6 DR. KUO: Right. That's correct.

7 CHAIRMAN BONACA: Okay.

8 DR. KUO: Okay. If there's no further  
9 questions, I think I will turn over the meeting to TVA  
10 to make their presentation, and they will be followed  
11 by the staff's presentation on SER and the Regional  
12 inspection activities.

13 DR. LEITCH: I just have one other  
14 question, which I guess is right in the area we are  
15 discussing. Have there been annual updates to the  
16 licensing renewal application while the review has  
17 been ongoing?

18 DR. KUO: I believe we had, but I would  
19 like Ram to address the details.

20 MR. SUBBARATNAM: Yes. We are going to  
21 constantly track this annual update. So far, since  
22 the time of submission of the application in January  
23 of 2004, we have received one licensing basis update  
24 on the application on January of 2005, and one more is  
25 due at the end of this year.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We will continue to track the TLB update  
2 all the way through. The last document which updated  
3 was around 10-15 pages, which captured what happened  
4 in between.

5           DR. LEITCH: We don't have that document.  
6 Right? We are reviewing the original submittal of the  
7 license?

8           MR. SUBBARATNAM: That's right. Actually,  
9 that was probably like the REI submittal. I could  
10 give you the documentation, if you need to look at it.  
11 That's like 20 pages worth of licensing basis update  
12 they made. This is unique to Browns Ferry.

13           Some of them could have been completed  
14 from the time the application was submitted to us and  
15 today. So we are going to keep tracking it and, when  
16 I make my presentation, I have a special template of  
17 inspection which is going to track how these 13 items  
18 are going to be tracked. We are going to make it a  
19 condition for Unit 1's basis becoming par with Unit 2  
20 and 3.

21           DR. LEITCH: I wonder why the ACRS ought  
22 not receive the revised application.

23           DR. KUO: There is no revised application.  
24 It's just an annual update provided.

25           DR. LEITCH: But we haven't received that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 document, have we?

2 DR. KUO: I don't think -- We can give it  
3 to you, sir. It is the submittal which came in  
4 afterward.

5 DR. LEITCH: Okay. Thank you.

6 DR. KUO: We will take that as an action.

7 DR. LEITCH: Thank you.

8 DR. SHACK: Just a question on that.  
9 Those don't seem to be posted on the website either,  
10 or at least I can't find them.

11 MR. SUBBARATNAM: The annual update won't  
12 be a part of -- The website has got only the draft  
13 SER, the open items, so far.

14 DR. SHACK: Right. And the original  
15 license application and Appendix F.

16 MR. SUBBARATNAM: Appendix F.

17 DR. SHACK: But shouldn't it also have  
18 everything that they submit?

19 MR. SUBBARATNAM: That is a good question.  
20 We will take a look at that.

21 DR. KUO: As a matter of fact, I have a CD  
22 which have compiled all the RAIs.

23 DR. SHACK; Yes, we can get the CD, but  
24 the public is only going to go to the website.

25 DR. KUO: We will take action. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: Dr. Bonaca, are we ready?

2 CHAIRMAN BONACA: Please.

3 MR. CROUCH: Thank you. My name is Bill  
4 Crouch, and I am the Site Licensing Manager at the  
5 Browns Ferry Nuclear Plant of TVA. We appreciate the  
6 opportunity we have to come today and to talk to you  
7 about the license renewal project for Browns Ferry.

8 We have brought several people here with  
9 us today so we can answer your questions, and I would  
10 like to take a few moments here to introduce some of  
11 the players that we have with us here.

12 Immediately to my right is Rich DeLong.  
13 He is the Site Engineering Manager at Browns Ferry,  
14 and next to him is Joe McCarthy of my licensing staff.  
15 We also have with us the basic staff that put together  
16 the license renewal application. We have Ken Brune,  
17 who is the Project Manager.

18 Working for him in the various areas of  
19 mechanical, electrical and civil, we have Nicky Hamby,  
20 Don Arp, Russell Jansen, Roger Jennings. We also have  
21 Kevin Groom of the Site Licensing staff, who is a  
22 materials person. These were all our engineering type  
23 people.

24 Then from our Unit 1 engineering staff, we  
25 have Joe Valente, who is the Unit 1 Engineering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Manager, Dave Burrell, Bob Moll, and Henry Jones.  
2 They are overseeing the restart efforts for Unit 1.

3 We also have with us Kathryn Sutton from  
4 Morgan Lewis Bokius.

5 As I said, we would like to thank you for  
6 the opportunity to come and talk to you. We recognize  
7 that some of our presentation today is a little bit of  
8 what you heard two weeks ago when we were here, but we  
9 wanted to make sure that we set the stage for the  
10 others.

11 When we were here two weeks ago, you gave  
12 us specific questions that we have tried to answer and  
13 drill more down into the area of the license renewal  
14 projects for Units 1, 2 and 3. So that's the real  
15 impetus of our presentation today.

16 As we go through this, I will give you a  
17 brief description of the overall Browns Ferry plant.  
18 We will talk about the license renewal application,  
19 how we have done the scoping of the various systems  
20 and components that are involved, then how we did the  
21 time-limiting aging analysis and the aging management  
22 programs and reviews that we did.

23 In response to some of your specific  
24 questions, we will talk a little bit more about the  
25 Unit 1 layup program, the operating experience of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Units 2 and 3 and how it applies to Unit 1, and we  
2 will talk about the commitments, how we are tracking  
3 those and making sure they get implemented. Finally,  
4 we will briefly discuss the open items that are in the  
5 SER, and inspections and things.

6 So moving on to page 2 of the  
7 presentation, all three units at Browns Ferry are  
8 General Electric BWR reactors with Mark I  
9 containments. They are in a common building with a  
10 common environment. All three units have been  
11 maintained under the same general environmental  
12 conditions all through their life, because they had  
13 similar type environmental control systems.

14 The plants -- When they were originally  
15 designed and constructed, they were configurationally  
16 identical as much as you can make units that are  
17 opposite hand type thing. Then they are operationally  
18 identical in that they operate under the same  
19 operating processes. They have the same equipment,  
20 same procedures. Everything is operationally  
21 identical.

22 Each unit has undergone a history of  
23 operation. As everybody knows, Unit 1 started first.  
24 Then we had the fire that shut us down for roughly a  
25 year and a half. At that time Unit 2 had just begun

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operation, just before the fire. So both of them were  
2 shut down for a while.

3 Then over the years we have brought Unit  
4 2 back on line, then Unit 3 back on line. So what we  
5 have here is the approximate years of operation for  
6 each of the units, and these are calendar years, not  
7 effective full power years.

8 Units 2 and 3 have been in operation since  
9 their recovery in 1991 and 1995, respectively. The  
10 operations proceeded smoothly. We have operated at  
11 the original license thermal power of 100 percent from  
12 the units' restart until 1998 and 1999 when the two  
13 units were uprated five percent to 105 percent of  
14 original rated thermal power. That's what they are  
15 running at right now.

16 Unit 1 is in a recovery outage, and the  
17 restart is scheduled for May of 2007. We are -- As  
18 you guys saw when you were at our plant, we are  
19 undergoing extensive modifications in Unit 1 to make  
20 Unit 1 come up to speed with Units 2 and 3 from a  
21 plant configuration, plant materials and a plant  
22 licensing basis standpoint.

23 When the units get back and all three are  
24 running, they will be operationally identical, and we  
25 emphasize operationally identical because of some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the things that we talked about before, in that in a  
2 few cases you cannot buy a specific piece of equipment  
3 anymore, primarily in the area of electronics. But  
4 they will still operate the same for the operators.  
5 They will have the same operating procedures. They  
6 will be licensed for all three units.

7 At Browns Ferry, our NRC performance  
8 indicators are all green.

9 DR. LEITCH; Now it is my understanding  
10 that the reactor oversight program is not in effect on  
11 Unit 1. Is that correct?

12 MR. CROUCH: That is partially correct.  
13 There are a few programs that are common for all three  
14 units, such as the --

15 DR. LEITCH: Yes, okay.

16 MR. CROUCH: Those are already being  
17 monitored under the revised reactor oversight process.  
18 The other cornerstones where Browns Ferry Unit 1 is  
19 not up to operation yet, they are still being  
20 monitored under conditional enforcement.

21 As we get to restart and just beyond when  
22 the plant is back operating, we will transition all of  
23 Browns Ferry Unit 1 to the new process.

24 DR. LEITCH; So when you say the  
25 indicators are green --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: This is for Units 2 and 3 for  
2 everything, and then everything is in Unit 1 that is  
3 in this new process.

4 DR. LEITCH: Okay. Now what about the  
5 inspection findings? Are there any greater than  
6 green?

7 MR. CROUCH: No. Not that I know of, no.

8 DR. LEITCH; Okay. Thanks.

9 MR. CROUCH: Moving to page 3, The Browns  
10 Ferry license renewal application was a three-unit  
11 application. It was originally started to be a two-  
12 unit application. We then backed up and included Unit  
13 1 into it as part of the restart effort. So that  
14 before it was submitted to the NRC, it was a three-  
15 unit application. The application was submitted on  
16 December 31, 2003.

17 Shown up here is the original license  
18 expiration dates for each of the units. You can see  
19 they are in 2013, '14 and '16 respectively.

20 As we have talked about during your  
21 opening comments, the license renewal application is  
22 based upon the current licensed thermal power for each  
23 unit. For Unit 1, which has not been uprated any,  
24 that unit will be in the license renewal application  
25 at the 3298 megawatts. Units 2 and 3, which have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 undergone the five percent uprate, are at the 3458  
2 megawatts.

3 The overall process of returning a unit to  
4 service involved making many modifications to the  
5 plants to come into conformance with the current  
6 licensing regulatory type statutes that exist at the  
7 time. We have made those modifications on Unit 2. We  
8 have made them on Unit 3, and we are now making them  
9 on Unit 1.

10 The areas of those modifications that  
11 affected the license renewal application are called  
12 out in the license renewal application in what is  
13 called Appendix F, and that lists the differences  
14 between Unit 1 versus Units 2 and 3 that will be  
15 resolved as part of the licensing renewal process, as  
16 part of the restart process, to make the units back so  
17 that they have the same current licensing basis.

18 Now, obviously, we are also in the process  
19 of doing the modifications associated with EPU, but  
20 these modifications in Appendix F would bring the  
21 units back into current licensing basis as far as the  
22 equipment that is involved. Then we will proceed  
23 onward with the EPU application to uprate the plants.

24 As part of the review of the license  
25 renewal application, we have been in close

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 communications with the NRC staff, and to date we have  
2 received approximately 230 requests for additional  
3 information. Of those, 13 were environmental, and the  
4 remainder related to the safety evaluation. The  
5 responses to those have been provided back to the NRC  
6 staff.

7 DR. LEITCH: Let me just ask, Bill, just  
8 to clarify this: There's a couple of places where the  
9 statement is made that TVA plans for Unit 1 current  
10 licensing basis at restart to be the same as the  
11 current licensing basis for 2 and 3.

12 Now but at restart Unit 1 is going to have  
13 the EPU modifications.

14 MR. CROUCH: That's right.

15 DR. LEITCH: But I guess what you are  
16 saying is -- By that initial statement, you are saying  
17 that those modifications don't really impact the  
18 current licensing basis.

19 MR. CROUCH; They will be a further  
20 enhancement to the current licensing basis, so that  
21 for licensing renewal we are really looking at the  
22 Unit 1 plant, if you brought it on line today at 3293,  
23 it would match the licensing requirements for Units 2  
24 and 3. We would have the same systems, like for  
25 example in Appendix F. You've got things that we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to add in such as the hard well vent, MSIV  
2 leakage hardened path. All those type of systems will  
3 be added into Unit 1 so that it will have the same  
4 licensing basis in terms of systems and requirements.

5 Then all three units are in the process of  
6 being uprated to EPU.

7 DR. LEITCH; So things like the bigger  
8 recirc pumps that -- or the bigger reactor feed pumps  
9 that will be in place on Unit 1 at restart don't  
10 really impact the licensing basis. Is that what I  
11 hear you saying?

12 MR. CROUCH: They don't impact the  
13 licensing basis as far as licensing renewal is  
14 involved. They will still have the same materials.  
15 They will still be pumping the same water. All the  
16 environments will be the same.

17 CHAIRMAN BONACA: The licensing basis --  
18 I mean, the statement made in Appendix F is broader  
19 than just purely the - You are making a broad  
20 statement of licensing basis. So you are saying the  
21 accident analysis is still acceptable, still within  
22 the acceptable limits.

23 MR. CROUCH: That's correct. Obviously,  
24 the accident analysis, transient analysis, is being  
25 redone as part of EPU.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: That's right, and what  
2 you are saying is that you may have analytical results  
3 which are slightly different, while within the  
4 acceptable bounds of the normal analysis.

5 MR. CROUCH: That's correct.

6 DR. LEITCH: I just wonder whether that  
7 statement is rigorously still true. I mean, it may  
8 have been true when the license renewal application  
9 was submitted, but is it still -- It says TVA plans  
10 for Unit 1 current licensing basis at restart to be  
11 the same as the current licensing basis for 2 and 3 --  
12 at Unit 1 restart.

13 MR. CROUCH; You are getting to the  
14 problem of we were told we cannot address in the  
15 licensing renewal application EPU conditions, because  
16 that would be an implicit approval of EPU. So we  
17 didn't really know how to word it any other way.

18 They will be the same from the standpoint  
19 we will have all the same systems in. They will be  
20 performing the same processes but, obviously, we are  
21 in the overall process of uprating all three units to  
22 120 percent power. So that was the context that  
23 statement was made in.

24 DR. LEITCH: Yes, I understand. It's  
25 just, when you take that statement by itself, it just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 looks a little odd. But I understand the way this is  
2 being done, it's difficult to explain it in one  
3 sentence.

4 MR. CROUCH: Right. At this point in  
5 time, I am going to turn it over Rich DeLong, our Site  
6 Engineering Manager. He is going to talk to us about  
7 how we did the scoping for the license renewal  
8 application for the systems and components. He is  
9 going to talk to us about our time-limiting aging  
10 analysis that we have done, and then our aging  
11 management review and our aging management programs  
12 that we've got. So, Rich.

13 MR. DeLONG: Good afternoon, and thank you  
14 again for having us here. My name again is Rich  
15 DeLong, Site Engineering Manager, Browns Ferry, and we  
16 will begin on Slide 4 with a discussion on scoping for  
17 license renewal of Browns Ferry.

18 Now the scoping basis for our license  
19 renewal application included, certainly, our updated  
20 final safety analysis report, our safe shutdown  
21 analysis calculation, maintenance rule documentation,  
22 and also our controlled plant component database which  
23 would be our master equipment database.

24 CHAIRMAN BONACA: Which is for Unit 1 for  
25 maintenance rule, you assumed the same scope as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other units?

2 MR. DeLONG: That's correct. That's  
3 correct. From a scoping point of view, that's  
4 correct. And of course, our existing licensing basis  
5 -- We talked a lot about licensing basis here in our  
6 design basis documents for the units.

7 From a specific scoping point of view for  
8 regulated events, we considered, certainly, fire  
9 protection, environmental qualification, ATWS and  
10 station blackout.

11 There are 77 mechanical/electrical systems  
12 in scope in approximately 25 structures. Are there  
13 any questions about the basic scoping envelope?

14 DR. LEITCH: I had a question about the  
15 non-safety related liquid filled piping. There is a  
16 statement on page 2.5-1 of the license renewal  
17 application that says that the non-safety related  
18 liquid filled piping within these four structures were  
19 evaluated, and not to present an issue, I guess -- I  
20 don't have the whole quote right here in front of me.

21 I guess I was wondering specifically about  
22 the RHR service water pipe tunnel. That is one of the  
23 four structures where liquid filled non-safety related  
24 piping was excluded -- not excluded, but judged to be  
25 not an impact on safety related piping.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess I was wondering how that occurs --  
2 I guess, specifically, what non-safety related piping  
3 that we are dealing with in that tunnel. Could it  
4 damage safety related piping?

5 MR. DeLONG: Specifically, I believe that  
6 the pipe we are dealing with is raw cooling water  
7 piping that runs in those same tunnels with RHR  
8 service water. Ken, can you elaborate on that  
9 evaluation?

10 MR. BRUNE: Yes. This is Ken Brune. We  
11 were asked about that. We initially did not have some  
12 of the non-safety related piping in the service water  
13 tunnel in scope, and we were asked by the staff.  
14 Since it could pose a water spray effect, all the  
15 piping -- liquid filled piping in the tunnel was put  
16 in scope.

17 DR. SIEBER: These are all low energy  
18 lines, though. Right?

19 MR. BRUNE: Yes.

20 DR. LEITCH: I'm not quite sure I heard  
21 the answer. You are saying the non-safety related  
22 piping in that tunnel is now in scope?

23 MR. BRUNE; Yes. The non-safety related  
24 piping in that tunnel is now in scope.

25 DR. LEITCH: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: In your station blackout  
2 scoping for specific regulated events, do you have  
3 non-safety related switchyard type equipment included  
4 in that scoping? And if so, what is it?

5 MR. DeLONG: The answer is, yes, we do.  
6 The specifics -- I will defer out to Don for  
7 specifics.

8 MR. ARP: My name is Don Arp, and I am  
9 with the Browns Ferry license renewal lead.  
10 Initially, you go out to the first breaker, power  
11 circuit breaker, in the switchyard into our shutdown  
12 boards, and all the buses and cabling in between, and  
13 those are non-safety.

14 MR. DeLONG: Non-safety, but considered.

15 DR. LEITCH: I guess I had another  
16 question about scoping. There is a statement made on  
17 page 2.1-9 in the application that says that Browns  
18 Ferry did not realign system components. Now I'm not  
19 exactly sure what you mean by that, but I guess our  
20 previous experience with BWRs like, for example, where  
21 they had nitrogen or air piping penetrating the dry  
22 well rather than put the whole compressed air system  
23 in scope, they actually put that segment of the piping  
24 from the endboard valve to the outboard valve --  
25 they've kind of scoped that. They didn't -- What they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 called a realignment, and they scoped that with the  
2 drywell.

3 Now I'm interpreting this to mean that you  
4 did not do that. How did you deal with that kind of  
5 an issue?

6 MR. DeLONG: Go ahead, Ken.

7 MR. BRUNE: This is Ken Brune again. We  
8 did not realign if we had a partial system of any  
9 system. We identified that portion of the system in  
10 scope for licensing by itself and did not essentially  
11 say it was part of any other system.

12 DR. LEITCH: Okay. So in the example that  
13 I'm using -- for example, that the compressed air  
14 system -- than you would say generally not in scope,  
15 but this part immediately penetrating the drywell out  
16 to both valves was in scope?

17 MR. BRUNE: Yes, we would, and that would  
18 be shown on our boundary drawings as just that  
19 portion.

20 DR. LEITCH: Okay. Thanks. I understand.

21 MR. DeLONG: Okay. On slide 5, time-  
22 limited aging analysis, here we see several things  
23 that we considered that were applicable to us in terms  
24 of time-limited aging analysis.

25 The first one, of course, is neutron

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 embrittlement of the reactor vessel and its internals,  
2 and we will talk more about that on the next slide.  
3 Metal fatigue, and already have said EQ, environmental  
4 qualification; primary containment fatigue; and  
5 several plant-specific time-limited aging analyses:  
6 Reactor building crane load cycles; radiation  
7 degradation of drywell expansion gap foam; irradiation  
8 assisted stress corrosion cracking of reactor vessel  
9 internals; stress relaxation of core plate hold-down  
10 bolts; and emergency equipment cooling water weld flaw  
11 evaluation.

12           On slide 6 you will see specifically the  
13 time-limited aging analysis associated with neutron  
14 embrittlement. For Unit 1 it is conservatively  
15 evaluated at 54 effective full power years, and also  
16 at extended power uprate conditions, and that is  
17 extended power uprate conditions from the very  
18 beginning, not just the period of time anticipated to  
19 be at EPU but rather working back all the way to the  
20 beginning of operation.

21           In the case of Unit 1, the actual expected  
22 effective full power years at the time of current  
23 license period expiration is about 14.2 EFPY. So in  
24 fact, about 34.2 if you assume all 20 effective full  
25 power years for the extended license, compared to 54

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluated for effluents.

2 In the case of Units 2 and 3, it is  
3 conservatively evaluated at 52 effective full power  
4 years. The assumption for current license period was  
5 32 effective full power years, which was calculated  
6 based on 80 percent of capacity factor for 40 calendar  
7 years.

8 DR. LEITCH: Those numbers are obviously  
9 quite conservative in either case, but it just puzzles  
10 me why you had evaluated Unit 1 for more effective  
11 full power years than 2 and 3. I mean, Unit 1  
12 certainly couldn't get to 54, now could Units 2 and 3  
13 get to 52, but I just wondered why you did it that  
14 way.

15 MR. DeLONG: Certainly, we would evaluate  
16 it more accurately for the PT curve development, but  
17 in this case it was fundamentally the desire to  
18 demonstrate that we had significant margin for neutron  
19 embrittlement in the station.

20 MR. CROUCH; The real reason -- The way  
21 they calculated it was for Unit 1 they took the first  
22 40 years of operation and assumed an 85 percent  
23 capacity factor, and then added 20 more years to it.  
24 For Unit 2 and 3 the calculations were just done at a  
25 different time, and the person who did it assumed only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 80 percent capacity and then added 20 years. So it  
2 just came out a different number.

3 DR. LEITCH: Okay.

4 MR. DeLONG: And in both cases, you know,  
5 these were calculated in accordance with Reg Guide  
6 1.190 and, obviously, meets the requirements of that  
7 Reg Guide.

8 DR. LEITCH: I wonder if there were any  
9 cases -- I guess I was just thinking about this when  
10 I was reviewing this material. I wonder if there are  
11 cases where effective full power years might not be  
12 the right metric to use, particularly in the case of  
13 Unit 1. You know, if I am trying to evaluate the  
14 condition of a used car, for example, I want to know  
15 both the mileage and the age. You know, this is a low  
16 mileage -- Unit 1 specifically is a low mileage.

17 MR. CROUCH: Well, from the neutron  
18 embrittlement point of view, that's correct.

19 DR. LEITCH: I guess I am wondering if  
20 there are TLAAs that are more directly related to age  
21 than to power.

22 MR. DeLONG: Well, there certainly are.  
23 You know, corrosion potentially during layup periods  
24 might have an effect as a time-limited aging point of  
25 view, but we certainly address later on in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 presentation how we develop what we think is a good  
2 defense in depth for understanding the effect of, in  
3 the case of Unit 1, the extended layup period on aging  
4 and how the aging -- and how we ensure ourselves  
5 during the course of the extended period that we  
6 continue to work to understand if there is any  
7 potential effect associated with the 20-year aging --  
8 or 20-year layup period on aging.

9 We already, of course, have a significant  
10 amount of information in understanding how 10 years of  
11 layup period fundamentally has not affected Unit 3 in  
12 terms of its aging during its period of operation.

13 DR. LEITCH: Good. Thank you.

14 MR. DeLONG: On Slide 7 -- this is a slide  
15 you have seen before. Many of you have. There are 39  
16 aging management programs total for Browns Ferry, 38  
17 of which are common to all three units, one of which  
18 is a Unit 1-only program. We will certainly talk more  
19 about that in a few minutes.

20 There are 11 existing aging management  
21 programs requiring no enhancement, 11 that were  
22 revised to include Unit 1 but didn't otherwise require  
23 enhancement, and then 11 that required enhancement for  
24 all units.

25 That's slightly different than the last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide you saw. We did, in fact, move one program from  
2 requiring no enhancement down to requiring  
3 enhancement. So previously we had 12 up there  
4 requiring no enhancement. That's no longer the case.  
5 We made a change. So now we are 11, 11 and 11, and  
6 six new aging management programs.

7 DR. LEITCH; I notice that you concluded  
8 that an aging management program for fuse holders was  
9 not necessary. I guess that is different than a lot  
10 of other folks came to that conclusion. Is there  
11 something unique about your situation that led you to  
12 that conclusion?

13 MR. DeLONG: Let me defer to Don on that  
14 particular item.

15 MR. ARP: Yes. This is Don Arp again.  
16 They went through a pretty good evaluation, I think,  
17 of about 14,000 fuses, and based on their location and  
18 their function, their duty cycles and the loading, we  
19 found that we didn't have aging effects that required  
20 management.

21 DR. LEITCH: I assume by the fact that  
22 that is not an open item, the staff has agrees with  
23 that position?

24 MR. SUBBARATNAM: This is Ram Subbaratnam.  
25 I think it is not an open item in the staff SER.

1 Presumably, staff agrees with that position.

2 DR. LEITCH: I'm still not sure I  
3 understand why. I mean, don't we -- aren't most other  
4 applicants implementing a fuse holder aging management  
5 program?

6 MR. PAL: I am Ama Pal. -- was the reason  
7 why they didn't need an aging management program for  
8 the fuse holders. We were satisfied. This is not  
9 unique. Others also use that approach.

10 DR. LEITCH: So the ISG does not require  
11 an aging management program, but only the one --

12 MR. PAL: Yes, it gives the option.  
13 Either you provide the aging management program or you  
14 can provide the reasons why you don't need a program.

15 DR. LEITCH: Okay. Thank you.

16 DR. BARTON: Where did the criteria come  
17 from that you only now look at fuse holders that are  
18 subjected to frequent mechanical stresses. You  
19 identify those as removing a fuse a replacing it at  
20 least once a year. Where did that once a year  
21 criteria come from, and apparently the staff bought  
22 it? Can anybody explain that to me? Your reason for  
23 not having a program is you look at all your fuses,  
24 evaluate them. I understand all that. Then you said  
25 you evaluated the holders subject to frequent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mechanical stresses as those that were fuses that have  
2 been pulled and reinstalled at least once a year.  
3 Where does that criteria come from?

4 MR. ARP: This is Don Arp again.  
5 Actually, I think what we found is that, of the number  
6 of fuses that had a potential of being not located in  
7 a piece of equipment, active equipment, we only had,  
8 I think --

9 DR. BARTON: You didn't have many. I  
10 remember that.

11 MR. ARP: Yes. And when we looked at our  
12 last five years of operating experience with those  
13 fuses, we found that only three, I believe, had been  
14 pulled, and those were for some routine maintenance  
15 activities. So that criteria was there, but we also  
16 looked at what did we really do, and in reality we had  
17 only pulled a very few, and that was in maintenance  
18 activities.

19 DR. BARTON: Staff's happy?

20 MR. SUBBARATNAM: Actually, I am trying to  
21 read their section of the SER, what they are trying to  
22 say here. I have discovered in Section 2.1185, the  
23 applicant developed their process, but I didn't find  
24 any evaluating fuse holders as a part of license  
25 renewal evaluation -- fuses in the plan, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applying a series of evaluation and screening to  
2 identify plan fuses, planned operating experience --  
3 They evaluated all the remaining fuses.

4 DR. LEITCH: I think the key -- The answer  
5 I might have expected is that some plants, every time  
6 you do a surveillance test, you have to pull switches.  
7 Other plants have switches, and you are not  
8 repetitively pulling fuses, and I guess, you know, I'm  
9 not hearing this answer. Had I heard that, well,  
10 Browns Ferry, has been designed with switches rather  
11 than having to pull the fuses, that would have been a  
12 good justification, but I'm not hearing that. I just  
13 don't know what the justification is.

14 DR. BARTON: Well, their justification is  
15 they only pull several of them a year due to  
16 maintenance and -- you know. So I don't know. They  
17 must have a system where they do calibrations or INC  
18 stuff where they don't pull fuses, but it's not clear  
19 to me what that is.

20 MR. DeLONG: Well, I think that's probably  
21 an accurate representation. That, in fact, was what  
22 the study was, to evaluate fuse applications where  
23 there was a significant number of removals and  
24 reinstallations, and the way our procedures,  
25 processes, maintenance activities ensue, there is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a need maybe to do it as often as maybe some other  
2 plants do. I'm certainly not familiar with all the  
3 plant designs out there in terms of how they use the  
4 -- I know they are out there, huge fuse holders that  
5 tend to put a lot of stress on one or the other of the  
6 clips.

7 MR. PAL: This is Ama Pal again. The  
8 concern is the condition of the fuses, and Browns  
9 Ferry told us that they are not bringing that. They  
10 have some other means to reenergize the circuits, and  
11 it is only for some routine maintenance type of work  
12 they do, they replace the fuse. A fuse blown, they  
13 replace the fuse, which will not cause any loosening  
14 of the fuse holders. So that's the reason we accepted  
15 that.

16 MR. DeLONG: If there are no other  
17 questions, we will move on to looking at some of the  
18 specific aging management programs by category here.

19 On slide 8, you will see --

20 DR. LEITCH: Rich, let me just ask one  
21 thing about aging management programs that will help  
22 me with this discussion as you go forward, and maybe  
23 I'm jumping ahead to a later presentation that we will  
24 hear about in the inspection report. But in the  
25 inspection report of January '05, which is admittedly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now nine months ago, there are statements made in  
2 there that a lot of the aging management programs are  
3 really just shells, that they are not complete, that  
4 they are certainly not implemented.

5           There is a schedule for implementation in  
6 the license renewal application, but all it says is  
7 they are all going to be implemented before the end of  
8 the current license period. But hopefully, they will  
9 be a more aggressive schedule, not only for  
10 implementation but also for developing the substance  
11 of these aging management programs.

12           I wonder, has there been a lot of work  
13 done since the January '05 inspection?

14           MR. DeLONG: Yes, sir, quite a bit. In  
15 fact, yes, I know you will hear that here in a  
16 subsequent presentation on the inspection that just  
17 occurred, as a matter of fact was in progress when we  
18 were here last.

19           DR. LEITCH: We have yet to see the  
20 results of that inspection. So that's still in the  
21 pipeline.

22           MR. CROUCH: In fact, all of our markups,  
23 if you will, for all of the programs that we describe  
24 here today is complete. In other words, those  
25 programs are all developing in draft form. They are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not approved yet, but developed in the markup phase.  
2 They have been developed by the project staff and  
3 reviewed by the operating unit staffs for all the  
4 program owners in the unit -- have reviewed those and  
5 commented on them.

6 Those were what was the subject of review  
7 for this inspection that was occurring a couple of  
8 weeks ago when we were here last.

9 DR. LEITCH: Okay. Thanks. I will  
10 probably have some more questions about that when we  
11 get into that part of the agenda, but I just wanted to  
12 set the stage for this here.

13 MR. DeLONG: We will talk about that.

14 DR. LEITCH: Okay. Thank you.

15 MR. DeLONG: Again on slide 8, these are  
16 the programs that are existing aging management  
17 programs that required no enhancement for license  
18 renewal.

19 On slide 9, these are the aging management  
20 programs that required revision to incorporate Unit 1.  
21 In other words, they are programs that were  
22 established after Unit 1 was shut down and were not  
23 originally developed -- either originally developed  
24 with Unit 1 at scope or didn't recognize the existence  
25 of Unit 1 when they were developed, because it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 shut down. These have been revised to incorporate  
2 Unit 1.

3 CHAIRMAN BONACA: A question I have with  
4 respect to startup. You have -- Take, for example,  
5 the first five here. You know, they are impacted  
6 somewhat by the BWR VIP program. So you will have to  
7 go through those inspections or requalifications or  
8 whatever.

9 MR. DeLONG: Absolutely the case, to  
10 conform with the appropriate VIP guidelines for those  
11 inspections and ultimately, depending on what is  
12 found, may be invoking VIP guidelines for repair.

13 CHAIRMAN BONACA: So whatever you identify  
14 through those inspections and determine to need  
15 additional work or whatever, you will put into  
16 procedures that deal with all three units now. But  
17 you will have differences between the units, won't  
18 you?

19 For example, you are going to replace a  
20 piece of piping that -- you know, with chromoly  
21 piping. Will you still perform the same level of  
22 inspections on that piping that you would do? Okay,  
23 so you will have the same commitment?

24 MR. CROUCH: But when you go and pipe, for  
25 example, the chromoly piping in the FAC program, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will go in and take your baseline measures. Then you  
2 will take another set of measurements, and you will  
3 project where, going through the check works and the  
4 FAC manager and so on.

5 CHAIRMAN BONACA: Yes. So you will  
6 address the differences in that process.

7 MR. CROUCH; Right. You project when you  
8 need to do all your various inspections, but it will  
9 be in the program, just the same, even though it will  
10 have the chromoly piping.

11 MR. DeLONG: In the case of vessel  
12 internals, for instance, there's certainly going to be  
13 differences between the three units in terms of not  
14 only their condition but also, in some cases, what  
15 components might be in those units, just depending on  
16 what you have to do in terms of repair, for instance.  
17 All of those things are addressed in the BWR  
18 inspection guides and repair guides, and will allow us  
19 to make the right decisions based on the inspection  
20 results for repair or subsequent inspection.

21 CHAIRMAN BONACA: All right.

22 MR. DeLONG: On slide 10, here you see the  
23 aging management programs that required enhancement.  
24 This is enhancement with respect to the program and  
25 its scope and the conduct of the inspections maybe or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 even the inclusion of new scope that wasn't originally  
2 there in the case of these programs.

3 Slide 11: These are new aging management  
4 programs. As we talked about before, there are five  
5 that affect all three units. They are listed there in  
6 the first bullet, and then there is one that is Unit  
7 1 only, and that is the Unit 1 periodic inspection  
8 program that we will talk about here in a couple of  
9 slides.

10 CHAIRMAN BONACA: Now that -- No, that's  
11 fine. Okay.

12 MR. DeLONG: On slide 12: Our one-time  
13 inspection program. It obviously applies to all three  
14 units. It verifies the effectiveness of the aging  
15 management programs by confirming that unacceptable  
16 degradation is not occurring.

17 Where no aging management program is  
18 defined, the inspections confirm one of two things,  
19 either that there are no aging effects occurring or  
20 that those aging effects are occurring at such a low  
21 rate that it doesn't affect the intended function for  
22 the extended -- during the course of the extended  
23 period.

24 These one-time inspections are to be  
25 completed prior to the period of extended operation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and as close to the period of extended operation as we  
2 can schedule them, given the operating conditions of  
3 the station.

4 Examples of those items: We just picked  
5 a few items to give you a sense for what types of one-  
6 time inspections we will be doing. There are more.

7 With that, I am going to turn it over to  
8 Bill Crouch to talk about our Unit 1 periodic  
9 inspection program, which is certainly unique to  
10 Browns Ferry.

11 DR. BARTON: Before you get onto that,  
12 throughout the LRA you talk about one-time  
13 inspections. Items are going to be covered by a one-  
14 time inspection program, and you see it so many times.  
15 It appears almost that the whole site is covered by a  
16 one-time inspection program.

17 I just wonder, is that true, and how do  
18 you manage that? I don't understand. Everything is  
19 going to be done by a one-time inspection. I don't  
20 see a heck of a lot of periodic inspections or other  
21 inspection programs discussed or described in the LRA.  
22 Everything is a one-time inspection.

23 I always thought one-time inspection was  
24 reserved for selected items that you are going to do  
25 before you go into another 20 years, things that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, structures and buried stuff and, you know,  
2 there's a handful of those things that don't get  
3 inspected very often. So you go and do it as a one-  
4 time before you go 20 years. You guys are doing --  
5 everything seems to be one-time inspection program.  
6 I'm confused.

7 MR. CROUCH: A wonderful lead-in to what  
8 I was about to talk about.

9 DR. BARTON: That's why it's a perfect  
10 question.

11 MR. DeLONG: There is confusion in the  
12 original license renewal application and the SER, and  
13 we are working with the staff to clear that up.  
14 Throughout the course of making the license renewal  
15 application, we used some terms interchangeably  
16 sometimes and realized that it created confusion. So  
17 let me explain.

18 There is actually three different types of  
19 inspections that we kind of intermingled, using that  
20 one term of one-time inspection. As part of the  
21 scoping and recovery for Unit 1 restart, we have  
22 performed many, many inspections on piping. We  
23 sometimes refer to those as one-time inspections, but  
24 they are not one-time inspections.

25 They are what we are now calling restart

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspections, and they were done purely for the  
2 purposes of scoping out how much of the scope had to  
3 be included in the Unit 1 recovery. They are also  
4 providing a baseline of the current condition of the  
5 systems prior to restart.

6 Then there are other inspections that are  
7 being done, and that's the purpose of this next slide,  
8 the Unit 1 periodic inspection program; and I will go  
9 through it in a moment. But it is basically going and  
10 looking at, for all those things that we have not  
11 replaced in Unit 1 -- we replaced a large amount of  
12 piping and valves and stuff like that. For those  
13 things that we have not replaced, we want to do an  
14 additional inspection before the period of extended  
15 operation so that we know that those components are  
16 still good, that they are still similar to the current  
17 condition and results of Units 2 and 3.

18 Then there are one-time inspection  
19 programs that are part of the license renewal  
20 application, and that was what Rich was just talking  
21 about. So we are working to clear up that term.

22 CHAIRMAN BONACA: Thank you. And now I'm  
23 jumping ahead. So you go ahead. I'll ask a question  
24 when you get there.

25 MR. CROUCH: Okay. So Unit 1 periodic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspection program: We are still working out the  
2 details with the staff on exactly the particular items  
3 that are within the scope and exactly how we are going  
4 to do it. But basically, what it will be, it will be  
5 inspections -- Like we said, we are going to perform  
6 inspections after Unit 1 is returned to operation to  
7 verify that there are no additional aging effects  
8 occurred.

9 We recognize that Unit 1 could potentially  
10 be seeing some type of new aging, because of having  
11 been shut down and laid up for so many years. So we  
12 wanted to perform these inspections to make sure that,  
13 once we get back operating, that something new and  
14 unexpected is not occurring.

15 Based upon our operating experience from  
16 Unit 3 which had a similar type shutdown and layup of  
17 10 years, we don't expect to see anything, but this  
18 will give us this added assurance that nothing is  
19 happening.

20 CHAIRMAN BONACA: Well, no. I mean, Unit  
21 3 was a good example of where restarting, then you  
22 found that some of the piping had to be replaced. And  
23 I agree that probably that experience is applicable,  
24 I mean, with consideration for Unit 1. But I'm saying  
25 that you always have surprises in other respects, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you would have those kind of performance that required  
2 replacement later on.

3 MR. CROUCH: So these Unit 1 inspections  
4 will be inspections of non-replaced piping.  
5 Obviously, the replaced piping is all brand new, and  
6 you would not expect to see any effects of a layup or  
7 effects from the previous operation or anything like  
8 that. So this is looking at non-replaced piping.

9 We will conduct these -- The first round  
10 of these inspections will be completed prior to the  
11 period of extended operation but after several years  
12 of Unit 1 operation.

13 So we won't start the plan up and the next  
14 week they will perform an inspection of it and claim  
15 that this satisfies this requirement. I don't know  
16 the exact number of years that we are going to do it,  
17 since we are still working out the details, but we  
18 will let the plant operate some time to see if any new  
19 type of aging mechanisms show up during this time.

20 CHAIRMAN BONACA: And you intend to submit  
21 the program before the final SER?

22 MR. CROUCH: Yes. Ken, the program will  
23 be finalized before the SER, won't it?

24 MR. BRUNE; Yes. We have already -- This  
25 is Ken Brune. We have already submitted a new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Appendix description of the program. Hope to have  
2 everything finalized, staff satisfied.

3 CHAIRMAN BONACA: And you will have enough  
4 detail? That means that I don't expect that you will  
5 have the periodicity of the inspections, the timing,  
6 before you perform the first inspections, but other  
7 elements -- I mean, you can provide them now. So to  
8 the degree to which you can provide information, you  
9 know, right now the SER doesn't have anything except  
10 a quote: There is going to be a periodic inspection  
11 program.

12 MR. BRUNE; Right.

13 MR. CROUCH: So partially in answer to  
14 that question, once we do the inspection after we  
15 restart but before the extended operation, then we  
16 will do another inspection during the period of  
17 extended operation; and based upon those three  
18 results, the pre-restart, the post-restart, the prior  
19 period and the post-extended operation period, we will  
20 then analyze the data and determine what additional  
21 inspections need to be performed and at what  
22 frequency.

23 You may find at that point in time that  
24 there is no new aging mechanisms occurring and that  
25 your results are handled through other existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 programs, and nothing else needs to be done, or you  
2 may need to continue monitoring. We will have to look  
3 at the results and figure that out.

4 CHAIRMAN BONACA: Yes, after three points,  
5 if we are comfortable.

6 MR. CROUCH: Right. We will have to be  
7 comfortable with it.

8 DR. LEITCH: And you are going to think  
9 about, hopefully, things that might be related more to  
10 aging than to where. I mean, I guess -- I can't think  
11 of a real good example, but we don't have much  
12 experience with this. Perhaps that is why I can't  
13 think of an example.

14 I'm back to my car that has low mileage,  
15 and I look at the tires, and I inspect them and say,  
16 well, those tires are fine and they still have plenty  
17 of tread on them. So I don't replace them, but maybe  
18 there's something else, other variables, the  
19 sidewalls. The tread will still be fine, but the  
20 sidewalls will go, which is more an aging than a wear  
21 thing.

22 I guess the key here is to be thinking  
23 about are there those kind of issues that could be  
24 related more to age than to wear, and to be sensitive  
25 for those types of things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH; I think that is precisely  
2 what the program is designed to do, is again look for  
3 some aging mechanism that is related to this extended  
4 layup period that would not otherwise manifest itself,  
5 say, in a unit that had been operating fundamentally  
6 continuously through its original license period.

7 DR. LEITCH: Yes.

8 CHAIRMAN BONACA: And I think the SER has  
9 a good discussion there, a quotation for some latent  
10 effects and the need for essentially inspecting in  
11 order to get a rate of degradation, aging degradation.  
12 That is really the intent of the inspection program,  
13 because that is a concern there.

14 MR. CROUCH: We have been talking up to  
15 know about the classical license renewal issues of  
16 scoping and TLAAs and aging management programs and  
17 reviews. Now in response to some of your questions  
18 that you had last time, we wanted to transition a  
19 little bit and talk a little bit more the Unit 1 layup  
20 program.

21 So on page 14, this is basically the same  
22 information you saw before that we -- the Unit 1 layup  
23 program, the criteria was the EPRI document, and we  
24 had systems that were in dry layup and wet layup.  
25 When we maintained the systems in dry layup, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 components were -- Obviously, if they were water-  
2 filled components, everything was drained. The system  
3 was placed in a condition where you had dehumidified  
4 air being blown through the system. The conditions at  
5 the outlet end of the flow path were monitored to  
6 ensure that the relative humidity was below 60  
7 percent.

8 We checked to make sure that there was no  
9 standing water in the systems. We would go open the  
10 low point drains. So we were ensuring that the system  
11 was in an environment where you would not expect to  
12 experience corrosion or other aging type applications.

13 The systems that were in wet layup: These  
14 systems, the chemistry of the water was maintained  
15 within normal operating chemistry for the most part.  
16 Systems like the reactor vessel, the water chemistry  
17 was maintained in accordance with the tech spec  
18 limits, so that you would not expect to see any new  
19 aging mechanisms that would exist in a layup system  
20 versus what you would see in a system that was in  
21 normal operation.

22 We took the lessons learned from the Unit  
23 3 layup and subsequent restart and applied them to  
24 Unit 1 in the way we did the layups, where we did  
25 layups, what components we chose, that kind of thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So overall, we tried to fashion the program for Unit  
2 1 just like what we had seen in Unit 3, because we  
3 knew what the end result would be and the results we  
4 expected to achieve.

5 CHAIRMAN BONACA: But, you know, as you  
6 know, the SER has a number of points where it points  
7 to an inspection in 1997 or other inspections at that  
8 time where they found problems with the layup in the  
9 early time, and you recognize that.

10 MR. CROUCH; Right. There were some  
11 earlier problems. Those problems were addressed and  
12 corrected, and the overall condition of the system  
13 would be monitored as part of these inspections we  
14 just talked about to make sure that any shortcomings  
15 in the layup program did not adversely affect the  
16 system.

17 Moving on to 15, you see some examples  
18 there of the systems that were in layup, both dry and  
19 wet. Not much really to talk about there other than  
20 just to list the systems.

21 In all cases, our results of the layup met  
22 or exceeded the EPRI guidelines. We saw very good  
23 results in terms of the systems when you go and take  
24 them back out of layup and do internal inspections of  
25 them. The condition, the piping was in very good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condition. We did not see any kind of unexpected  
2 degradation in any of these systems.

3 We performed visual examinations, surface  
4 examinations such as PT or MT. We have done  
5 ultrasonic examinations and remote inspections using  
6 things like boroscopes to asses the condition of Unit  
7 1. Even though we did all of this layup, both wet and  
8 dry, we have not relied upon the fact that we've put  
9 it in layup as the sole basis for saying that a system  
10 is good prior to returning it to operation.

11 We have performed these inspections as we  
12 talked about to go and reverify that our layup was  
13 successful such that the systems will be capable of  
14 performing their intended design function during the  
15 current period of operation, and then we have assessed  
16 that for the ability to extend on into the extended  
17 period of operation.

18 CHAIRMAN BONACA: For the record, you use  
19 the words that I liked, "as the sole basis." I agree  
20 that you didn't do that, because I'm saying that you  
21 did take some credit for the layup. Clearly, it was  
22 in layup. You are reusing the component. Now you are  
23 refurbishing, as you used the expression before, which  
24 means OCB testing and all that kind of thing. But I'm  
25 saying that, you know, there is some dependency on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 layup. That's why you are doing periodic inspections.

2 MR. CROUCH: Oh, we depend upon it from an  
3 economic standpoint. But our point here is not that  
4 we didn't depend upon it to maintain the viability of  
5 the plant, but when get ready to restart this plant,  
6 we will not stand up and say this system has got to be  
7 good solely because it was in the proper kind of  
8 layup.

9 CHAIRMAN BONACA: I agree, and you said  
10 "solely," and I like that. It's different in the  
11 bullet here.

12 DR. BARTON: Question: The secondary side  
13 of the main condensers -- how were they maintained?  
14 Was there a dryer or something involved with them?

15 MR. MOLL: Basically, the condenser -- The  
16 steam side of the condenser was open. The air for the  
17 layup would have been circulated through it as well as  
18 up through the feedwater, that whole chain through the  
19 feedwater heater on the steam side.

20 DR. BARTON: What did you do, block it off  
21 at the top at the expansion joint or something? Was  
22 it pulled through the turbine? I'm trying to figure  
23 out if there is any degradation on the steam side of  
24 the main condenser? How did you maintain that?

25 MR. MOLL: Well, mostly the condenser was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 open to the atmosphere. We've had the low pressure  
2 turbine and the casings apart on Unit 1. We have re-  
3 tubed the Unit 1 condenser, and there will be  
4 inspections of the condenser internals as part of Unit  
5 1 restart.

6 MR. CROUCH; So the steam side of the  
7 system was open to the atmosphere. The raw water  
8 side, the tubs, they have all been replaced.

9 DR. BARTON: I understand. Put stainless  
10 steel tubes in there.

11 MR. CROUCH: Stainless steel tubes.

12 DR. BARTON: I was wondering about the  
13 steam side and what kind of corrosion you might have  
14 had going on there in the last 20 years. That was my  
15 concern.

16 MR. CROUCH: Any other questions about the  
17 layup? We can give you more detail if you want to  
18 know about specific systems or whatever.

19 The question that came up last time about  
20 operating experience and the fact that there is  
21 nothing documented in the SER basically about why the  
22 operating experience for Units 2 and 3 is applicable  
23 to Unit 1: This slide here is basically the same one  
24 as what we talked about last time, talking about the  
25 requirement for 20 years of operation and that Unit 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 meets this requirement, and it's 20 years since our --  
2 more than 20 years since our original license was  
3 granted to us, and that, therefore, we meet the  
4 requirement 50.71.

5 The Unit 2 and 3 operating experience  
6 being applicable to Unit 2 and 3: We talked about  
7 that some last time, and I have been in the process  
8 with my staff preparing a paper, and I've got the  
9 draft here that we will be working with the NRC staff  
10 to add into the SER. That basically goes through and  
11 talks about how we took the lessons learned from Units  
12 2 and 3, both operation and layup, and applied them to  
13 Unit 1 in terms of what had to be replaced, what had  
14 to be inspected, what we have seen after operation,  
15 that kind of stuff that we have incorporated into  
16 this.

17 CHAIRMAN BONACA: And I understand. I  
18 mean, I don't -- We are not taking here a legal  
19 position. We are talking about the intent of the  
20 rule. The statement of consideration of very clear  
21 about not so much he 20 years. I mean, we have seen  
22 exceptions taken before, and we have supported them.  
23 But the substance, which is the intent of the rule,  
24 having substantial plant specific operating  
25 experience. The statement of consideration is very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clear about that.

2

3

4

5

6

7

8

9

10

11

You know, again, what we asked for was identified to us. Those compensatory steps that you have made where you think that it may not cover. I mean, you yourself in, if I remember, Appendix B, you are stating that during the performance of the aging management activities, the operating experience of Unit 1 may not be the same as the operating experience of Unit 2 and 3 due to the layup program implemented on Unit 1 during the extended outage.

12

13

14

15

So there is an issue and, to the degree to which you are addressing it, you know, that is satisfactory to us. I would like to read what it is coming out to be.

16

17

18

19

20

21

MR. CROUCH: So we will provide information to the staff of our basis and justification for why we have taken the information from 2 and 3 and used it to come up with the scoping for Unit 1 restart, as well as the scoping for all the future inspections as we talked about.

22

23

24

25

CHAIRMAN BONACA: And you talk about, I imagine, the periodic inspections that are also a compensatory step in license renewal. I mean, we cannot ask for more than the inspections. That is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really what license renewal ends up being. You are  
2 taking care of equipment by looking at it, identifying  
3 aging mechanisms, and fixing them.

4 So to me, that is a significant step you  
5 are taking toward complying with this requirement.

6 MR. CROUCH: That's correct.

7 DR. SHACK: I think it goes the other way.  
8 I mean, I don't think anybody denies that industry  
9 experience in Unit 2 and 3 experience and applicable  
10 to Unit 1, and you can take all those into  
11 consideration. The question is, is there something  
12 plant specific about Unit 1 that isn't covered by  
13 that? You know, to me, you've tried to address that  
14 with the periodic inspections, you know, that there  
15 was something different there.

16 CHAIRMAN BONACA: Right.

17 DR. SHACK: But it is really is -- I am  
18 all for applying all the experience that you have  
19 learned everywhere else, not just on 2 and 3, but  
20 every BWR in the United States, and taking that into  
21 account. But it's that other converse statement that  
22 I thought was sort of indicated by the 20 -- you know,  
23 is there something plant specific. So that's really  
24 the focus of where the question arises.

25 MR. CROUCH; Obviously, if we knew up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 front what these other unknown aging mechanisms were,  
2 we would have put them into programs right now, but --

3

4 DR. SHACK: As far as you can tell, all  
5 the piping materials are the same -- you know, you  
6 haven't --

7 MR. CROUCH: We have not introduced any  
8 new types of materials into Unit 1 that's not already  
9 existing in 2 and 3. Now there may be a slightly  
10 bigger scope of it or slightly smaller scope of it,  
11 depending on what was replaced, like we talked about  
12 on the recirc piping.

13 We will replace all of the recirc piping  
14 with 316 MG, whereas Units 2 and 3 have a mixture of  
15 304 and 316, but we've got both materials in 2 and 3,  
16 316 and 304, which are the same as what we will see in  
17 Unit 1. We haven't put any new materials in Unit 1  
18 that don't already exist, at least to some extent, in  
19 2 and 3, in the same application and the same  
20 operating environment.

21 On page 17, it's kind of a summary of what  
22 we were just talking about, in that Unit 1 has 10  
23 years of operation. Unit 3 was shut down for 10  
24 years. During that shutdown period, we did a layup  
25 very, very similar to what we've got or had in Unit 1.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So we know what the expected results of that layup  
2 would be. We know what the post-restart results of  
3 that layup would be.

4 During the 10 years of operation that  
5 we've had on Unit 3 since the 10 years of shutdown, we  
6 have seen no new layup induced aging effects. So we  
7 haven't gotten into the period of operation and  
8 suddenly discovered something that was a direct result  
9 of having been laid up in whatever manner it was.

10 We took the experience from the layup of  
11 Unit 3 and applied it over into Unit 1. A couple of  
12 examples we have here are the examples like we talked  
13 about before on the RHR service water piping, which is  
14 a raw water system. It comes from the intake  
15 structure. It is underground piping. It comes up  
16 into these RHR service water tunnels that you talked  
17 about, which is basically an underground tunnel that  
18 the piping is -- It's not buried in the tunnel. It is  
19 running above grade but inside the tunnel. Then it  
20 goes through the wall into the reactor building.

21 We saw in Unit 3 that the piping just  
22 inside the reactor building was severely degraded.  
23 You could go and take wall thickness measurements on  
24 it, and the pipe basically had holes in it everywhere.

25 When we went and cut the pipe off and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked from the reactor building side into the  
2 tunnels, you could look down the pipe about 100 feet  
3 or so, and the piping was perfectly intact down  
4 through there. We asked ourselves what's the  
5 difference.

6 The difference is that inside of the  
7 reactor building the temperature is up. You know,  
8 normal reactor building type temperature is 65 to 95  
9 degrees, where over in the tunnel it is an underground  
10 type environment, a cave. So it is maintained much  
11 cooler. So you did not see this aging mechanism  
12 occurring over there.

13 When we found this problem in Unit 3, we  
14 immediately went and did UT measurements on the piping  
15 in Unit 2 that was currently in operation to make sure  
16 that this wasn't a phenomenon in the Unit 2 piping  
17 that was inside the building. We didn't see the  
18 phenomenon there at all.

19 The difference is that during Unit 2 layup  
20 -- or during Unit 2 shutdown that piping was  
21 maintained full of water the entire time. So it was  
22 not in a moist air environment. It was totally liquid  
23 filled during the entire time.

24 When we went over to Unit 1 and looked at  
25 it, you saw there we have two sets of pipe that were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in operation for Unit 2 support and two that were in  
2 the drained type condition. They followed exactly  
3 what we saw over in Unit 2 in that the pipes that were  
4 full of water looked very good.

5 We have since gone and cut those as part  
6 of Unit 1 recovery, replacing valves. I looked down  
7 those pipes, and they do not have any degradation like  
8 what we saw in Unit 3.

9 Over on the other loop, which was the loop  
10 that was drained, it was in the same condition as what  
11 we saw in Unit 3. It was severely degraded, and the  
12 material was basically nonexistent. It had corroded  
13 from the inside out and was gone.

14 So we took that lesson learned on Unit 3  
15 when we went into the Unit 1 scoping, and applied it  
16 directly. We also saw the same kind of thing on some  
17 small bore piping in the EECW or raw cooling water  
18 systems. We had these lines. They were isolated, but  
19 some of the isolation valves leaked through.

20 So we didn't have the exact same geometry,  
21 but you set up the same conditions by having basically  
22 an air filled line with a small amount of water in a  
23 warm environment, and the piping degraded, and we are  
24 having to replace that.

25 As we talked about, Unit 1's licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basis will be the same as Unit 2 and 3 at restart by  
2 virtue of the items that are in Appendix F. We didn't  
3 re-include a list of the items in Appendix, but  
4 there's 13 basic design feature type things in here,  
5 such as adding in the hardwell vent, replacing the  
6 IGSEC susceptible pipe, different things. It's a  
7 whole list of things. We've gone down through there.

8 DR. LEITCH: While we are talking about  
9 licensing basis, there was a note that intrigued me  
10 that I didn't understand. There is actually a  
11 footnote to page 2.1-2 of the license renewal  
12 application that says, "Licensing action is planned to  
13 change the license basis from 10 CFR Part 100.11 to 10  
14 CFR 50.67."

15 I don't know what that is all about. I  
16 don't understand the significance of that. Does that  
17 apply to all three units? What is the story on that?

18 MR. CROUCH: Henry?

19 MR. JONES: This is Henry Jones from  
20 Browns Ferry. I believe that refers to AST transition  
21 we made just recently where you go to 10 CFR 50.56, I  
22 believe it is.

23 DR. LEITCH: Sixty-seven.

24 MR. JONES: Sixty-seven? That's what it's  
25 referring to, AST.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. LEITCH: And that licensing action has  
2 been approved?

3 MR. JONES: That's correct, for all three  
4 units.

5 DR. LEITCH: Okay.

6 MR. CROUCH: Approved for all three units,  
7 and has been implemented on Units 2 and 3, and will be  
8 implemented as part of restart for Unit 1.

9 DR. LEITCH: Okay. Thank you.

10 MR. CROUCH: Once we get ready to restart  
11 Unit 1, we will have the same basic design,  
12 configuration, operating procedures, technical  
13 specifications, and UFSAR that will be identical to  
14 Units 2 and 3, obviously with this discussion like we  
15 have already had about EPU, which will affect the  
16 UFSAR in some places. It doesn't affect tech spec  
17 things, but as far as the basic operation of the  
18 plant, Unit 1 will be operationally identical to Units  
19 2 and 3.

20 We have incorporated our internal and  
21 external plant operating experience into the Browns  
22 Ferry Corrective Action Program, so that if we have a  
23 problem that we know of related to license renewal,  
24 some type of an aging mechanism, that is entered into  
25 our Corrective Action Program. There is an action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assigned for all three units.

2 Moving on to page 18, as part of the  
3 process of going through the license renewal and  
4 discussions back and forth with the staff, we have  
5 made various commitments. These commitments are made  
6 in the application and in the subsequent request for  
7 additional information.

8 Once we have made the commitment, we have  
9 consolidated all of these into one letter so that they  
10 are all in one place. Each one of these commitments  
11 is also tracked in two places on site. We have a  
12 system that we use to track our licensing commitments.  
13 We refer to it as TROY.

14 We also have entered it into the  
15 Corrective Action Program as what we call a PER, and  
16 each one of these databases has individual steps for  
17 each commitment for each unit. There's approximately  
18 114 commitments made to date.

19 By entering it into the two different  
20 tracking systems, we will ensure that the actions get  
21 tracked and get implemented on their due dates.

22 As part of the --

23 DR. LEITCH: I keep jumping ahead to the  
24 inspection report, which we are going to hear about.  
25 But there was an indication there that there seemed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not to be a good turnover process to the permanent  
2 plant staff. In other words, I got the feeling that  
3 there was a license renewal organization, and then  
4 there was the permanent plant staff that kind of was  
5 a little bit insulated from the license renewal  
6 effort.

7 I just wonder. These commitments -- are  
8 these ongoing commitments to carry out the various  
9 inspections? Do you plan -- Let me ask the question  
10 this way. Do you plan to continue to have a license  
11 renewal organization or will all this activity be  
12 integrated with the plant staff?

13 MR. CROUCH: No. All of these aging  
14 management programs have a site owner. Every one of  
15 the site owners that we have for these aging  
16 management programs were involved in this very recent  
17 review and comment process for the draft aging  
18 management programs that the project team developed,  
19 but they are mine. I own them. So I'm in front of  
20 you today.

21 All of those aging management programs are  
22 owned by the station, by the operating staff.

23 DR. LEITCH: Okay. Good. Good. I think  
24 that's almost the way that it has to be. There has to  
25 be that sense of ownership.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH; Absolutely. These are  
2 ongoing -- Almost all of them are ongoing programs  
3 that we will manage through the extended operating  
4 period. So they are clearly mine, and I own them.

5 DR. LEITCH: Thanks.

6 MR. CROUCH: Moving on to page 19. As  
7 part of going through the license renewal application  
8 and the RAI, we have currently three open items, the  
9 first two related to core plate hold-down bolts and  
10 the drywell shell corrosion. Those are talked about  
11 in the SER. We are in the process right now of  
12 talking with the staff to come up to a resolution on  
13 these two items.

14 The third one, the inspection of the RHR  
15 service water piping -- that's a new item that came up  
16 during this recent inspection when the Region II staff  
17 was in. Once again, we are in the process of  
18 discussing it with the Region II staff as to how to  
19 resolve this open item.

20 DR. BARTON: What is that one about?

21 MR. CROUCH: In the intake pumping station  
22 the water that is going to the RHR service water pumps  
23 -- it comes in through the traveling screens into a  
24 set of sumps that the condenser circulating water  
25 pumps take suction off of.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Coming out of that sump, there is three  
2 pipes that go -- They are embedded pipes that go  
3 through the structure back to another set of sumps  
4 where the RHR service water pumps take suction from.

5           The pipe is embedded. So you can't get to  
6 it from an external. During the December time frame,  
7 the statement was made that we would perform an  
8 inspection of that piping. Our staff interpreted that  
9 or intended that to be an external inspection of the  
10 piping.

11           They later realized that the piping was  
12 embedded and could not be inspected. The Region II  
13 staff would like to have a visual inspection of the  
14 internals of the piping. We have been providing  
15 justification for them of why we do not think a visual  
16 internal inspection is required.

17           Basically, the system is designed such  
18 that immediately upstream of the piping, the piping  
19 gets a chemical injection for both corrosion  
20 inhibitors and biocides, and the water that has this  
21 high concentration of corrosion and biocide goes  
22 immediately through that piping, and our basic  
23 position is that the injection of the chemicals along  
24 with the configuration ensures that that piping  
25 remains open, that it will not get blocked up, and it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will continue to pass the water to the circulated RHR  
2 service water pumps. So that is still under  
3 discussion right now.

4 MR. SUBBARATNAM: Bill, this is Ram  
5 Subbaratnam. While we are on the topic of the open  
6 items, because of the enormous interest in this Unit  
7 1 periodic inspection program, we are going to call it  
8 an open item, and we will track it that way. I wanted  
9 to let you know that. So it is going to be four open  
10 items on this now.

11 MR. CROUCH; Okay.

12 DR. LEITCH: I suppose, during the staff's  
13 presentation, we are going to hear more about these  
14 open items?

15 MR. SUBBARATNAM: That's right.

16 MR. CROUCH: Page 20, summarizing what we  
17 have talked about. We've got a three-unit application  
18 at current licensed thermal power, and it takes some  
19 understanding of what that means at current licensed  
20 thermal power, since we are in the process of  
21 transitioning to a new licensed thermal power for all  
22 three units.

23 When we prepared our license renewal  
24 application, we used the generic Aging Lessons Learned  
25 document, Rev. 0. We used this for preparing our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 aging management reviews and programs, and we also use  
2 it as a basic guidance for how to do your TLAAs.

3 The Appendix F, which is the list of the  
4 Unit 1 programs where -- programs and modifications  
5 that we are making to ensure that Unit 1 will be  
6 consistent with 2 and 3. This way we can tell you  
7 that the application will be consistent for all three  
8 units. And as we talked about, the unit 2 and 3  
9 operating experience is applicable to Unit 1.

10 So we are comfortable that, when we get  
11 ready to restart Unit 1, that we know how this plant  
12 is going to operate, and we know how it is going to  
13 age, based upon what we have already seen in Units 2  
14 and 3.

15 Any other questions?

16 DR. LEITCH: Just a comment. I found two  
17 things particularly helpful in the license renewal  
18 application. One was Appendix F, and the other was  
19 the bold border highlighting to attract attention to  
20 the differences between Unit 1 and 2 and 3. I thought  
21 both those things were helpful in the review.

22 DR. BARTON: I have one question. I'm not  
23 too clear on -- The maintenance rule has not been  
24 implemented on Unit 1, but it will implemented prior  
25 to restart. Correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: That is correct.

2 DR. BARTON: So what's been done with  
3 respect to how maintenance was performed and the  
4 records? What's been done that you could compare it  
5 to kind of the maintenance rule requirements for  
6 systems on Unit 1?

7 MR. CROUCH: The Unit 1 systems prior to  
8 restart -- we will have gone through for systems that  
9 are not being replaced, either components being  
10 replaced or piping replaced -- we will have gone  
11 through and brought it up to current standards on  
12 preventive maintenance, any kind of inspections that  
13 have to be done, all the systems will be calibrated,  
14 and at that point in time, once we get ready to turn  
15 the system back on, then it will be entered into the  
16 maintenance rule program for the accumulation of  
17 operating experience.

18 DR. DeLONG: I think there is another  
19 aspect, too. There are, certainly, some Unit 1  
20 systems, electrical distribution, for instance, RHR  
21 service water, raw cooling water, that are shared in  
22 common systems that are in operation today and are in  
23 scope.

24 DR. BARTON: Yes. Those aren't the ones  
25 I'm worried about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. DeLONG: And also there is a -- A  
2 portion of our transition includes establishing the  
3 performance criteria for those systems. We will  
4 certainly use our experience in Unit 2 and 3 to assist  
5 with that, and of course, the PSA results for Unit 1  
6 operating to establish that performance criteria for  
7 those systems.

8 The scoping for Unit 1 is primarily  
9 identical to Unit 2.

10 DR. BARTON: Okay.

11 CHAIRMAN BONACA: Any other questions for  
12 TVA? If not, we will take a break now, and meet again  
13 at 2:30 for the staff presentation.

14 (Whereupon, the foregoing matter went off  
15 the record at 2:14 p.m. and went back on the record at  
16 2:32 p.m.)

17 CHAIRMAN BONACA: Okay. Let's resume the  
18 meeting, and now we have the staff presentation of the  
19 SER.

20 MR. SUBBARATNAM: Thank you. My name is  
21 Ram Subbaratnam. I am the Project Manager for the  
22 Browns Ferry license renewal application. I am being  
23 assisted by Yoira Diaz, who is also a PM, and she will  
24 be presenting her findings on Chapter 4 following my  
25 presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           TVA has got three major licensing action  
2 requests currently under review with the NRC, namely  
3 Unit 1 restart, an extended power uprate request,  
4 including this license renewal request.

5           The ACRS Subcommittee was kind enough, and  
6 had previously accepted, TVA's request and toured the  
7 plant and the Region II in the month of August of  
8 2005. TVA also appeared to make the presentation to  
9 the Subcommittee on September 21, 2005, on all the  
10 licensing actions.

11           As the record with the Subcommittee, this  
12 presentation is only related to the safety review  
13 matters of the license renewal application. As  
14 previously recently stated, this license renewal  
15 application request is at the currently authorized  
16 power level and does not include the extended power  
17 uprate. Next slide.

18           DR. BARTON: How come you only have two  
19 open items on your slide?

20           MR. SUBBARATNAM: Yes. I think that was  
21 -- That is an error. We are going to correct it.  
22 There's going to be four open items. In fact, there  
23 are only three open items related to the SER. Another  
24 inspection had added the fourth one. So we will  
25 officially have four open items on this SER which we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will have to close before they come to the final one.

2 Section 2.1, scoping and screening  
3 methodology - seismic anchorage. The applicant  
4 performed a detailed review of the seismic  
5 qualification documentation to identify the non-safety  
6 related piping, supporting heat coolant anchors or  
7 other components within the scope of license renewal  
8 for 54.4(a)(2) for the cases where the non-safety  
9 related piping or components are directly connected to  
10 safety related piping or components.

11 This review included the identification of  
12 each seismic class boundary identified in the current  
13 licensing basis. As a result, from the expanded scope  
14 to satisfy the refined criteria, the applicant brought  
15 two new portions of piping, components of existing  
16 systems, and two additional structures were added to  
17 the scope of license renewal. These structures were  
18 the rad waste and service buildings. Next slide,  
19 please.

20 DR. LEITCH: I don't think this is  
21 necessarily a TVA matter, but I was wondering about  
22 the turbine electrohydraulic control system, as far as  
23 scoping. I guess we generally consider that to be  
24 active, and so that's the reason it is not in scope.  
25 I notice the TVA application indicated that it was not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the scope, but there are things that can happen to  
2 the turbine EHC system that certainly affects safety  
3 related equipment.

4 I am thinking about not so much the  
5 electronics, which are clearly active, but the  
6 hydraulic portion of those systems. I guess they have  
7 always been excluded, have they not?

8 MR. SUBBARATNAM: That's right. I think,  
9 typically, they are excluded, but I can ask staff for  
10 mechanical scoping if they would like to take that.

11 DR. KUO: Any staff member has anything on  
12 it or have knowledge about that? We will take this  
13 under advisement. We will get back to you on that.

14 DR. LEITCH: It's not really related to  
15 this application. It's more just a general curiosity  
16 question.

17 DR. KUO: Okay.

18 DR. LEITCH: But there can be significant  
19 plant transients caused by -- and have been  
20 significant transients caused by rupturing of that  
21 piping or vibration in that piping, the piping hangars  
22 not properly set and so forth.

23 MR. SUBBARATNAM: So why could not be  
24 included in the (a)(2) classification of NSR affecting  
25 safety related components? Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LEITCH: Yes. That's the essence of  
2 the question.

3 DR. BARTON: Browns Ferry -- does 1 have  
4 an EHC system or does it have a mechanical system?

5 DR. LEITCH: No, they do have an EHC  
6 system.

7 DR. SIEBER: Yes, that's the right age for  
8 it. The insurance company pays a lot of attention to  
9 the EHC systems, but the safety function is performed  
10 by the main steam isolation valves.

11 DR. LEITCH; Well, if the bypass system  
12 fails. I mean, when I'm saying the EHC system, I'm  
13 including the turbine bypass system and so forth.

14 MR. SUBBARATNAM: Okay. Section 2.1:  
15 Scoping and screening methodology secondary,  
16 containment integrity: This item pertains to seismic  
17 qualification of containment penetration seals and the  
18 associated piping and supports outside of the  
19 secondary containment.

20 The staff wanted information how Browns  
21 Ferry assured these seals remain seismically qualified  
22 and remain functional if a potential age-related  
23 degradation occurred on the non-safety related piping  
24 attached to it.

25 After the plant walkdown, the applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 verified that the few mechanical systems required  
2 system boundary changes that affected either the  
3 scoping and screening or AMR review results, and that  
4 there were no new components added. These boundary  
5 changes were duly incorporated because of this  
6 walkdown.

7 Section 2.4 --

8 DR. LEITCH: Just before you move on,  
9 something I read indicated that the containment  
10 atmospheric dilution system was just a post-LOCA  
11 system. I was wondering, were the Browns Ferry  
12 containments required to be inerted at power or is it  
13 indeed only post-LOCA?

14 MR. SHACK: I think they are. Aren't all  
15 BWR?

16 DR. LEITCH: Far as I know they were.  
17 That's why I was surprised. It doesn't really affect  
18 the scoping. It's just some of the wording there, and  
19 maybe I was just misreading it, but it had the  
20 implication -- It didn't clearly state, but it had the  
21 implication that it was only a post-LOCA requirement.  
22 It's just a curiosity question. Thank you.

23 MR. SUBBARATNAM: Section 2.4 on scoping  
24 and screening of containments, structures and  
25 supports: Open item 2.4-3 on drywell shell corrosion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           During the review of this system, the  
2 staff identified a concern that any water leakage  
3 resulting from a potential failure of the drywell to  
4 reactor building refueling cavity seal leakage  
5 potentially degrades the inaccessible surface of the  
6 drywell.

7           In discussing this issue with the  
8 applicant, the staff reports two options to the  
9 applicant: One, to include the aging of the refueling  
10 cavity seal into the scope of license renewal, so that  
11 that will assure that the potential degradation of the  
12 inaccessible side of the drywell is monitored and  
13 managed; or, alternately, the staff would also like to  
14 return an option to periodically monitor the  
15 degradation, if any, of the inaccessible side of the  
16 drywell by some suitable testing matters, such as  
17 ultrasonic testing.

18           This item is still open. We are still in  
19 dialogue with the applicant how to approach the  
20 solution for this item.

21           DR. LEITCH: Reading between the lines, it  
22 sounds like this is kind of a hard spot. Right? I  
23 mean, I think we are at sort of an impasse here, are  
24 we?

25           MR. SUBBARATNAM: Well, actually, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing is that the licensee is arguing the refueling  
2 cavity seal strictly is used only for doing the pool  
3 transfer. It is not --

4 DR. LEITCH: Well, that's where they leak.

5 MR. SUBBARATNAM: Yes. Well, even the  
6 leak, yes, that is true. So that's why we are still  
7 working with them, but we will resolve one way or the  
8 other, and we will get it in the scope, unless the  
9 applicant will like to make a solution right here.

10 Section 2.5: Scoping and screening of  
11 electrical and I&C systems. The applicant performed  
12 scoping and screening of I&C components using the  
13 spaces approach. The applicant had excluded the  
14 source vent monitor and the intermediate monitor  
15 instrument cables from the scope of license renewal,  
16 because these systems were designated non-safety  
17 related in the plant specification.

18 After dialogue with the staff, since the  
19 intermediate monitor circuits were part of the  
20 surveillance specification, they were eventually  
21 brought back into the license renewal scope. The  
22 applicant also agreed to bring the IRM circuits to be  
23 managed by appropriate aging management program.

24 MR. LEITCH: That same discussion also  
25 referred to the APRMs?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. SUBBARATNAM: The discussion was only  
2 about SRMs and IRMs. SRMs clearly were not in the  
3 plant spec. So we couldn't get it in. The IRM also  
4 was disconnected as not in the tech spec, but we could  
5 go back in the surveillance specifications where we  
6 found a linkage where the IRMs were required, and the  
7 licensee had to agree to bring it into scope or at  
8 least to put them in.

9 2.6: Integration of Browns Ferry Unit 1  
10 restart activities and license renewal activities:  
11 The element unique to Unit 1 is that the restart  
12 activities include modifying the Unit 1 licensing  
13 basis to make consistent with the current licensing  
14 basis at Units 2 and 3.

15 The applicant identified 13 Unit 1  
16 differences that will be eliminated when restart  
17 activities are completed. The license renewal  
18 application review is performed under a regulatory  
19 framework that ensues as each activity item defined in  
20 the license renewal application Appendix F is  
21 completed. The corresponding highlighted or the bold  
22 bordered text in the license renewal application will  
23 apply to Unit 1.

24 The only change to the application will be  
25 to the bolded border. No changes are required to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scoping and scanning results, the aging management  
2 review results or the TLLS.

3 The staff reviewed all the bold bordered  
4 items in the LRA as they will exist when Unit 1  
5 restarts. That is focusing on the material, the aging  
6 effect, and the aging management program of components  
7 and piping as they exist in Units 2 and 3. This  
8 answers to an earlier question.

9 DR. LEITCH: Yes. Thank you.

10 MR. SUBBARATNAM: Next slide, please.

11 2.7: Conclusion for scoping and screening: ON the  
12 basis of its review, the staff concluded, pending  
13 resolution of the open item 2.4-3, that the applicant  
14 had adequately identified those systems and components  
15 that are within the scope of license renewal, as  
16 required by 10 CFR 54.4(a), and those systems and  
17 components that are subjected to an AMR, as required  
18 by 10 CFR 54.21(a)(1).

19 Section 3.0 on aging management program:  
20 Basically, it is a same repeat of the slide what the  
21 TVA projected. There are 39 aging management  
22 programs. Thirty-eight of them are common for all the  
23 three units. One is specific to Unit 1, which is the  
24 Unit 1 periodic inspection program. There are six new  
25 programs, and four plant specific programs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We will talk about a few highlights or the  
2 exceptions which staff agreed during review of these  
3 aging management programs. This is an exception to  
4 the inspection of overhead heavy load and light load  
5 handling systems program.

6           The applicant requested an exception to  
7 the overhead heavy load and light load handling  
8 systems program, such that it may not monitor for  
9 crane fatigue. The staff evaluated the reactor  
10 building crane fatigue as a TLAA.

11           This TLAA analysis remains valid for the  
12 60 years with 7,500 cycle estimate, which is a very  
13 small fraction of a 100,000 cycle design. Hence, the  
14 staff concurred with the applicant that the fatigue  
15 monitoring program is not required for the extended  
16 duration of operation.

17           Section 3.0 on buried piping and tanks  
18 inspection program: The applicant relies solely on  
19 opportunistic inspection to check buried piping. If  
20 there are not any opportunity inspection, the buried  
21 piping will not be inspected. However, staff  
22 deliberated with the licensee, and finally the  
23 applicant agreed to inspect the buried piping within  
24 the 10 years after entering the period of extended  
25 operation, unless conclusive opportunistic inspections

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that provide that a representative sample have  
2 occurred within the 10 year period. If that didn't  
3 happen, then the licensee agreed, they committed to  
4 perform a focused inspection.

5 If no inspection is conducted, then we  
6 will pull up a little of those piping, and they are to  
7 come back and show us. We do a focused inspection to  
8 see why the piping was not inspected.

9 CHAIRMAN BONACA: Consistent with GALL.

10 MR. SUBBARATNAM: Yes. Section 3.0:  
11 Aboveground carbon steel tanks program: The staff  
12 identified the aging management program does not  
13 perform thickness measurements of fuel oil tanks'  
14 bottom surfaces. We identified this to the applicant,  
15 and finally the applicant revised the one-time  
16 inspection programs to require ultrasonic thickness  
17 measurements of the fuel oil tank bottom surfaces to  
18 ensure that significant degradation is not occurring.

19 This is again one of those GALL  
20 confirmations.

21 Confirmatory Item 3.3.2.35-1 on auxiliary  
22 systems. Loss of preload and cracking of bolting in  
23 the aux system.

24 This confirmatory item pertains to the  
25 loss of preload due to stress relaxation and cracking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of carbon steel bolting of used in auxiliary system.  
2 The staff required an inspection team confirmation  
3 through the plant regards the results of any self-  
4 assessments, inspections or maintenance activities on  
5 proper bolting and procedures.

6 Staff requested the Region II AMR  
7 inspection team to verify this is a part of the AMR  
8 inspection confirmation. I am sure Cahill will make  
9 a reference to this in his presentation. The team  
10 verified the confirmatory item in a recently concluded  
11 inspection, and this will be dispositioned in the  
12 inspection report to be issued in November 2005.

13 Section 3.5, the aging management review  
14 of civil structures and components: Inspection of  
15 inaccessible concrete structures, primarily of the  
16 intake structures, are not performed due to hazardous  
17 conditions for the divers.

18 Staff needed historical site groundwater  
19 chemistry test results, groundwater sampling, and  
20 testing frequency to conclude if indeed the  
21 environment at Browns Ferry was nonaggressive. As  
22 seen from the table of data, TVA verified this  
23 conclusion and provided the data as shown in the table  
24 and, as you can see, it is nonaggressive.

25 Section 3.7 on aging management review of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Unit 1 systems in layup: In describing the wet layup  
2 methodology, the applicant stated that TVA did not  
3 solely rely on Unit 1 layup program, like Bill Crouch  
4 described, during the extended outage. Staff,  
5 however, in reviewing this, especially in Section 3.7  
6 of the SER, needed additional information from the  
7 applicant to conclude that no new degradation have  
8 occurred in the extended outage.

9 Specifically, the staff wanted to find out  
10 that (1) severe aging did not occur during the  
11 extended outage; (2) additional aging properly  
12 identified, evaluated and managed; and to report the  
13 aging management can distinguish the aging due to the  
14 extended period from the aging due to future  
15 operations. They wanted that confirmation.

16 The result was that Browns Ferry committed  
17 to the Unit 1 periodic inspection which will be  
18 conducted through the extended period of operation.

19 CHAIRMAN BONACA: Now before you move on,  
20 is this going to be a confirmatory -- No?

21 MR. SUBBARATNAM: No. To open item  
22 category, no, because we have too many items to be  
23 resolved on this, and staff is going to need more  
24 expanded scope of the elements. So we are going to  
25 basically an open item, because also we don't have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff evaluation per se in the aging management  
2 program part of the section of the SER. So we think  
3 it is proper we can make it an open item.

4 CHAIRMAN BONACA: And if I understand it,  
5 to try to have it in the final SER.

6 MR. SUBBARATNAM: Yes, we will have it in  
7 the final SER.

8 Section 3.7. This is the Unit 1 periodic  
9 inspection program. Browns Ferry submitted the Unit  
10 1 periodic inspection program. The staff needed  
11 additional information of the program elements, which  
12 involved scope, the sampling basis, detection of aging  
13 effects, monitoring and trending, and suitable  
14 operating experience.

15 So once we complete all of this  
16 information and when we update our SER, we will bring  
17 it back to the Committee again.

18 DR. KUO: Now this is an open item, is it?

19 MR. SUBBARATNAM: Yes, this is an open  
20 item.

21 DR. KUO: No longer confirmatory?

22 MR. SUBBARATNAM: No, it is no longer a  
23 confirmatory item.

24 Section 3.8: Conclusion of the aging  
25 management reviews and the aging management programs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           On the basis of its review of the AMR  
2 results and the AMPs, with the exception of the open  
3 item on the Unit 1 periodic inspection program, the  
4 staff concludes that the applicant had demonstrated  
5 the aging effects will be adequately managed so that  
6 the intended functions will be maintained consistent  
7 with the current licensing basis for the extended  
8 period of operation, as required by 54.21(a)(3).

9           DR. BARTON: Got a question for you. In  
10 the SER on fire protection programs, the applicant  
11 proposed 18-month inspection interval on carbon  
12 dioxide fire suppression systems?

13           MR. SUBBARATNAM: Right.

14           DR. BARTON: GALL suggests or recommends  
15 12-month, and you gave in to the 18-months. Is the  
16 GALL wrong, or what?

17           MR. IQBAL: I think that 18 months is the  
18 licensing basis. That's why we accepted that  
19 frequency. GALL recommends 12 months. Right. But  
20 their licensing basis is 18 months.

21           DR. BARTON: So are you guys going to fix  
22 GALL? Has this come up? I don't remember this coming  
23 up before.

24           DR. KUO: We will take this as a takeaway  
25 action here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. BARTON: Pardon?

2 DR. KUO: I say we will take this away for  
3 action, because it has to be consistent. Right.

4 DR. BARTON: Recommended 12, and their  
5 basis is 18. You are going to accept the 18, and you  
6 got to do something to GALL.

7 DR. KUO: We will have to go over this.  
8 GALL is our standard requirements -- not the  
9 requirement, the recommendations, but the guidelines  
10 for the staff unless they are citing a justification.  
11 So we are going to look at it.

12 DR. BARTON: Okay. Thank you.

13

14 MR. SUBBARATNAM: Is there any other  
15 question on this section?

16 Well, then Yoira will present the Section  
17 4 on the time limited aging analyses.

18 MS. DIAZ SANABRIA: Yes. Good afternoon.  
19 I am Yoira Diaz Sanabria. I started working as  
20 project manager for the Browns Ferry license renewal  
21 application since January 2004. Today I will be  
22 discussing the time limited aging analyses, known as  
23 TLAAAs, contained in Section 4 of the Safety Evaluation  
24 Report.

25 These TLAAAs included reactor vessel and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       internals neutron embrittlement, metal fatigue,  
2       environmental qualification, primary containment, and  
3       other plant specific analyses.

4               The applicant provided the analysis of the  
5       upper shelf energy thermal shock and adjusted  
6       reference temperature contained in the reactor vessel,  
7       internal neutron embrittlement TLAA. No open issues  
8       were identified in these sections.

9               For open shelf energy, the applicant  
10       performed a plant specific analysis that satisfied 10  
11       CFR 50, Appendix G criteria of 50 foot-pounds. The  
12       applicant evaluated the fracture analysis by using the  
13       equivalent margin analysis methodology, which is based  
14       on copper and fluence values.

15               In our independent review --

16               DR. SHACK: Why would they assume it to be  
17       less? I mean, did they calculate them to be less when  
18       they did the upper shelf?

19               MS. DIAZ SANABRIA: Ganesh?

20               MR. CHERENKI: I am Ganesh Cherenki from  
21       the Materials Branch. The upper shelf, actually, they  
22       used because they don't have the original upper shelf  
23       background materials. So they have to use the --  
24       report which is approved by staff, BWR Reactor 74, and  
25       based on that, we did the analysis, and all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis in the background region involvement were  
2 bounded by the topical report.

3 DR. SHACK: Hasn't there been some dispute  
4 recently about how fluences are computed in BWRs?

5 MR. IQBAL: Lambros.

6 DR. SHACK: That's Lambros? Okay.

7 MR. IQBAL: I'm not quite sure what the  
8 dispute was about.

9 DR. SHACK: I just thought there was some  
10 dispute over how the fluences were calculated, that  
11 the codes were under discussion. Maybe I'm just  
12 wrong.

13 MR. IQBAL: Okay. There were some  
14 limitations in the code, but G has been approved about  
15 three years ago, four years actually, and we were  
16 trying to resolve those issues, which have been  
17 successfully resolved. I'm not sure the thing has  
18 gone out, but at least we have it on my desk.

19 DR. SHACK: Okay. So everybody agrees on  
20 the fluence now?

21 MR. IQBAL: Yes. Yes. Actually, there  
22 was never a disagreement.

23 DR. SHACK: There was never a  
24 disagreement.

25 MR. IQBAL: -- on the specific steps in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the methodology, which we have resolved.

2 MS. DIAZ SANABRIA: In an independent  
3 review, the staff found that all building materials  
4 met the acceptance criteria specified in the staff  
5 approved boiler water reactor vessel and internals  
6 project, BWR VIP 74, and confirmed the applicant's  
7 conclusion, answering your question.

8 The analysis projected through the end of  
9 the extended period of operation remains valid in  
10 accordance with 10 CFR 54.21(c)(1)(ii).

11 Continuing with Section 4.2, here is the  
12 data for the adjusted reference temperature parameter  
13 and the use factor value for each unit. The ART for  
14 Unit 1 is 159 Fahrenheit. For Units 2 and 3 it is  
15 157. The corresponding USE factor is 45 foot-pound  
16 for each unit.

17 Section 4.3 of the SER discussed the  
18 reactor coolant environment effects TLAA, among  
19 others. I am just going to point out one of the  
20 TLAA's.

21 The applicant stated that cumulative usage  
22 factor, CUF, of some components are projected to  
23 exceed the ASME Section III Class 1 limit before the  
24 end of the period of extended operation. The staff  
25 found the applicant's environmental fatigue effects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessment acceptable, and also the applicant's  
2 commitment to use the fatigue monitoring program to  
3 assure that the CUF of the critical locations will not  
4 exceed the limiting CUF value in accordance with 10  
5 CFR 54.21(c)(1)(iii).

6 Section 4.7 of the SER included other  
7 specific plant -- other plant-specific analyses for  
8 reactor building crane load cycle, dose to seal rings,  
9 radiation degradation of drywell expansion gap foam,  
10 irradiated assisted stress corrosion cracking, stress  
11 relaxation of core plate holddown bolts, which we have  
12 an open item, emergency equipment cooling water weld  
13 flaw evaluation.

14 DR. LEITCH: Where are these seal rings in  
15 the HPCI and RCI? Just go back to that previous  
16 slide, please, the second bullet that says dose to  
17 seal rings. What seal rings are we talking about  
18 there, HPCI and RCI?

19 MS. DIAZ SANABRIA: On the high pressure,  
20 yes.

21 DR. LEITCH; I'm not sure I understand  
22 what seal rings are involved there.

23 MS. DIAZ SANABRIA: David Jeng.

24 MR. JENG: This is not the one -- That's  
25 the expansion gap form. This is the dose to seal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rings. I am David Jeng. The seal ring I am covering  
2 is the one up by the containment in the building seal.  
3 This is for the high pressure coolant ejection and  
4 vessel core.

5 MR. SUBBARATNAM: TVA would like to  
6 address this? Ken?

7 MR. BRUNE: Yes. That particular item,  
8 according to the SER also, is no longer a TLAA,  
9 because that portion basically has tests on it to  
10 check to make sure there is no unacceptable  
11 degradation. So there was originally a calculation  
12 which was used for the design purposes, but it is not  
13 the -- the calculation is not relied upon for  
14 operation.

15 MR. SUBBARATNAM: Okay.

16 DR. LEITCH: This is more fundamental than  
17 that.

18 DR. BARTON: Pump seal rings or something?

19 MR. SUBBARATNAM: No, it's not a pump seal  
20 ring. These are the valve seal rings, basically.

21 DR. BARTON: Valves?

22 MR. SUBBARATNAM: Yes, valves. As a  
23 matter of fact, then what we did, the licensee  
24 proposed it, and then we went back to the staff and  
25 checked with them. They said that we don't do -- the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 old system typically is not one of those plant-  
2 specific TLAAs. Staff had previously done it. So  
3 this was probably a little bit of an overcautious  
4 inclusion. This is the valve seals, basically, valve  
5 seal rings.

6 DR. LEITCH: Valve seal rings. The HPCI  
7 and RCI?

8 MR. SUBBARATNAM: Yes.

9 DR. SHACK: But are they elastomers?

10 MS. DIAZ SANABRIA: Actually, this TLA  
11 was withdrawn by the applicant.

12 MR. SUBBARATNAM: This was not a typical--

13 MS. DIAZ SANABRIA: Section 4.7.7 provides  
14 the stress relaxation analysis of the core plate  
15 holddown bolts. The loss of preload of the core plate  
16 holddown bolts due to thermal and irradiation effects  
17 was evaluated in accordance with the requirements of  
18 10 CFR 54.21(c)(1)(ii).

19 The applicant specifies that the analysis  
20 was evaluated at the assumed expected loss of preload  
21 of 20 percent which bounds the original BWRVIP-25  
22 value.

23 The applicant indicated that core plate  
24 holddown bolts will maintain sufficient preload to  
25 prevent sliding of the core plate by friction under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normal or accident conditions. The bolts also meet  
2 the ASME Section III, Class 1, Level D service limits  
3 at the end of the period of extended operation.

4 After the staff reviewing the method of  
5 analysis based on the General Electric's plant-  
6 specific stress relaxation analysis on irradiated  
7 stainless steel materials, requested additional  
8 information to address the following: Horizontal and  
9 vertical loads for all operating conditions; sliding  
10 of core plate from core plate rim; axial and bending  
11 stresses.

12 The staff has not yet received the  
13 information above-mentioned. However, the applicant  
14 is still ongoing on its review. Therefore, this issue  
15 remains unresolved, and identifying the SER as open  
16 item 4.7.7.

17 DR. BARTON: This has to do with the  
18 holddown bolts. Has the applicant found any cracks in  
19 this plate -- core plate? Are there any cracks in the  
20 Browns Ferry upper core plates?

21 MR. DeLONG: This is Rich DeLong. The  
22 answer is no.

23 DR. BARTON: Thank you.

24 MS. DIAZ SANABRIA: Based on the staff's  
25 review and subject to resolution of open item 4.7.7,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 concluded that the applicant has provided an adequate  
2 analysis of the TLAAs.

3 If you don't have further questions, I  
4 would like to turn over the presentation to Caudle  
5 Julian and Steve Cahill.

6 CHAIRMAN BONACA: Any questions from the  
7 members? No questions. So we will move on to the  
8 inspections. Thank you. Appreciate it.

9 DR. LEITCH: Just a question about that  
10 core plate and your hydrogen water chemistry program.  
11 You do have hydrogen water chemistry on the two units  
12 and plan to have it on the third, but is your hydrogen  
13 water chemistry program aggressive enough that it  
14 protects the core plate?

15 MR. BRUNE: My name is Ken Brune. I'm  
16 with TVA, Browns Ferry Engineering.

17 Currently, we are using noble metals with  
18 hydrogen water chemistry. So we maintain a certain  
19 level of noble metals deposition to protect the core  
20 plate. We are also implementing the BWRVIP-2.0  
21 program to be able to show that we are keeping the ECP  
22 values below the -230 millivolt level to mitigate  
23 IGSEC for the core plate and the other vessel internal  
24 components.

25 DR. LEITCH: Okay, good. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BARTON: You guys are trying to  
2 protect all the core internals then. Right?

3 MR. BRUNE: Yes, sir. That is correct.

4 DR. BARTON: Got you.

5 MR. JULIAN: Good afternoon. My name is  
6 Caudle Julian. I work with NRC in Region II, and I  
7 have been the team leader on many of the license  
8 renewal inspections, including the Browns Ferry  
9 inspection which we just completed here a couple of  
10 weeks ago.

11 This slide you have seen before. So I  
12 won't dwell on it. It tells you that we have written  
13 a manual chapter and inspection procedures for doing  
14 license renewal inspections. Site-specific inspection  
15 plans are developed, and we are scheduling our  
16 inspections to support NRR's review.

17 We try to keep a consistent team of the  
18 same five inspectors, and the training program to  
19 replace any that fall out due to retirement, which has  
20 happened to us a couple of times.

21 DR. LEITCH: Caudle, now this inspection  
22 that has just been completed -- has a report been  
23 issued? I don't think we have seen it yet.

24 MR. JULIAN: Not yet. Not yet. We are  
25 writing the report, but I will give you the results in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just a moment of what we have done.

2 DR. LEITCH: Okay. Thanks.

3 MR. JULIAN: Briefly, the scoping and  
4 screening inspection -- We won't cover this ground  
5 again. It is to confirm that the applicant has  
6 included the appropriate SSCs in scope.

7 CHAIRMAN BONACA: Let me ask a question,  
8 because this is the Region. I mean, you are the front  
9 line, and you have all these activities coming  
10 together. How do you separate -- This seems to be a  
11 very focused scoping and screening inspection for  
12 license renewal. I'm sure you are conducting  
13 inspections right now for startup or for  
14 requalification of components.

15 MR. JULIAN: Are you speaking Browns Ferry  
16 specifically?

17 CHAIRMAN BONACA: Yes.

18 MR. JULIAN: Only Browns Ferry?

19 CHAIRMAN BONACA: Yes.

20 MR. JULIAN: We have a group of inspectors  
21 in the Division of Reactor Safety which I have taken  
22 with me on all the license renewal inspections, and  
23 they were used to do the Browns Ferry license renewal  
24 inspections.

25 Separate from that, Steve Cahill will tell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you all about his inspection program, which includes  
2 the Division of Reactor Projects and support from DRS.

3 MR. CAHILL: I'll get into what our folks  
4 do. What Caudle does is a niche, and he deals with  
5 the same subset of licensee personnel at each site.  
6 So, really, I mean the residents help him out to give  
7 him some insight into the things that are going on,  
8 but generally, he really doesn't -- We don't cross  
9 paths too much.

10 CHAIRMAN BONACA: Okay. Very focused on  
11 the license renewal.

12 MR. CAHILL: Because he is inspecting  
13 programs mostly.

14 CHAIRMAN BONACA: Okay.

15 MR. JULIAN: Right. The only thing on  
16 this slide to note is that we have made a revision to  
17 cut back on the scoping and screening inspection and  
18 focus primarily on the (a)(2) situations as far as  
19 scoping and screening goes, and Browns Ferry was used  
20 -- we did use that process at Browns Ferry.

21 The aging management programs inspections:  
22 The objective here is to confirm that AMPs are working  
23 well, the existing ones, and to examine the  
24 applicant's plans for establishing new AMPs.

25 The slide is pretty much standard. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 told you what we had done before. We examined records  
2 of past tests, verified inclusions of future tasks in  
3 established site task tracking system, and verify the  
4 material condition of the plant is being adequately  
5 maintained by going out and looking at equipment.

6 If we need it, we have in our procedures  
7 the option to do a final wrap-up inspection. That  
8 usually has been two to three days in length, and we  
9 perform -- look at any open items from previous  
10 inspections, any items requested by NRR, and verify  
11 again that the applicant has loaded future actions  
12 into their tracking system, and we are looking for a  
13 transition plan of some sort where, as was discussed  
14 earlier, the efforts of the license renewal aging  
15 management programs are transferred to someone to own  
16 them at the plant in the future.

17 The first inspection we did at Browns  
18 Ferry, the aging management program inspection, was  
19 November 29 through December 27. We concluded that  
20 the existing programs to be credited as aging  
21 management programs for license renewal were generally  
22 functioning well, based on looking at past results.

23 The inspectors observed the applicant had  
24 not yet begun the implementation process for new and  
25 enhanced aging management programs, and some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AMP procedures have yet to be defined and composed.  
2 Next slide, please.

3 For existing programs, the identification  
4 and selection of which particular existing procedures  
5 constituted AMP had yet to be done. Region II  
6 concluded that the NRC would perform another  
7 inspection when the applicant had progressed further  
8 with AMP implementation. But we did conclude that,  
9 while walking down plant systems and examining plant  
10 equipment, the inspectors found no significant adverse  
11 conditions, and it appears to us that the plant  
12 equipment was being maintained adequately.

13 DR. BARTON: Is there a significant  
14 difference in the material condition in the power  
15 block versus outbuildings?

16 MR. JULIAN: No. We did not see that. We  
17 thought that things were well maintained everywhere we  
18 went at Browns Ferry.

19 DR. BARTON: Good. Thank you.

20 CHAIRMAN BONACA: On the second bullet.  
21 Don't skip yet.

22 MR. JULIAN: I'm sorry?

23 CHAIRMAN BONACA: Go ahead. I had a  
24 question later on, on this slide. So I wanted to keep  
25 it up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN: On this slide?

2 CHAIRMAN BONACA: Yes. My question was:  
3 What is your expectation? I mean, when are you  
4 expecting to have to perform an additional inspection?  
5 Bullet Number 2, I am left with the question, is it  
6 going to be six months from now? Is it going to be  
7 six years from now before they walk into license  
8 renewal?

9 MR. JULIAN: This slide is perhaps a  
10 little misleading. We went to do the aging management  
11 program inspection in November-December time frame.  
12 It was two weeks in length, and we anticipated that  
13 would be the major portion of our work.

14 We found that they really weren't ready  
15 for that inspection. So we went back for an  
16 additional week, the week of September 19, and we  
17 still have some issues. So we have decided we are  
18 going to do still another inspection down the road.

19 CHAIRMAN BONACA: So that would be before  
20 the SER is issued?

21 MR. JULIAN: Yes. The timing of that will  
22 support the schedule for issuing the SER. I'm not  
23 sure -- We haven't decided whether, before the SER is  
24 issued versus after, but it will certainly before the  
25 end of the process, certainly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: I mean, we approve these  
2 applications -- from previous applications we have  
3 some expectation of what you expect to see by the time  
4 you have to report an SER. I mean, you cannot just  
5 have empty shells of programs. You have to have  
6 something more than that.

7 MR. JULIAN: That is correct. Well, let  
8 me tell you what we saw this time, and I'll tell you  
9 where we are at.

10 CHAIRMAN BONACA: Okay.

11 MR. JULIAN: The next slide. The second  
12 inspection we did September 19-23. We reviewed a  
13 sample. I've counted 40. They say 39, a discrepancy  
14 in the number of implementation packages, and they  
15 contain marked-up procedures, proposed procedure  
16 changes to be made, changes to be made to the plant --  
17 or the operating procedures or maintenance procedures  
18 for the plant.

19 The packages contained some errors and  
20 were not meticulously reviewed, in our opinion. We  
21 could find some errors in these packages, and the  
22 applicant initiated a problem evaluation report, a  
23 corrective action document, a PER, for this corrective  
24 action.

25 We took a look at -- Let me stop there and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 amplify a little bit on the question you asked. They  
2 have something now. They have an implementation  
3 package for each aging management program. It  
4 contains the basic elements we think would do the job.

5 They have got marked-up procedures the way  
6 the propose to change them. There are details in some  
7 places that are not there yet. We found a couple of  
8 errors in things. We think that some of the dates  
9 that were in there were wrong. There were things that  
10 were marked as needing to be done prior to the period  
11 of extended operation when indeed they need to be Unit  
12 1 restart items.

13 They are going to fix that as a result of  
14 the PER that they initiated, and we think that, going  
15 back through these packages again and correcting  
16 errors in it, that they will look broader than we  
17 looked. We looked at a sampling. If they will look  
18 broader than we looked and look at them all again and  
19 get them shaken out, we think that they will be  
20 acceptable.

21 DR. LEITCH: These programs theoretically  
22 don't have to be implemented until just prior to  
23 entering the period of extended operation.

24 MR. JULIAN: That is correct.

25 DR. LEITCH: But, hopefully, an applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have a schedule for more prompt implementation  
2 of these programs. But in the material I have, the  
3 only commitment is the one that is required. It says  
4 they will do them before the period of extended  
5 operation. Is there any informal schedule for when  
6 these programs might be implemented? Maybe that's not  
7 a question for you, Caudle, as much as it is for the  
8 applicant.

9 MR. DeLONG: This is Rich DeLong. The  
10 schedule for implementation for the AMPs is in  
11 development. It's not complete. Matter of fact, it  
12 is not even ready for my review yet, but the intent  
13 is, in fact, to use a schedule to support dealing with  
14 all the 114 commitments that we have made that are all  
15 related to implementing the aging management program,  
16 to make sure we get it all done in the right refueling  
17 cycles. There's a lot of inspections to do. In fact,  
18 all of that will be back-reflected in our long range  
19 planning process, not only for on-line activities but  
20 for outage activities.

21 DR. LEITCH; Yes. We have been concerned  
22 with a few applicants where the commitment is  
23 basically only to do it prior to the beginning of  
24 extended operation, and we are concerned about the bow  
25 wave of work, the high peak load of work that that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would push forward, plus the fact we think it's just  
2 good practice to begin the implementation of some of  
3 these AMP programs as soon as you possibly can.

4 MR. JULIAN: I think that's a valid  
5 concern, and it is certainly a management concern  
6 also, not only because of the amount of workload but  
7 also because of the cash flow issue that comes along  
8 with that big workload. But you know, we also believe  
9 that it makes sense for a more staged implementation  
10 around the refueling, as we have between now and the  
11 beginning of the extended operating period, and  
12 factoring that in with the workload associated with  
13 other initiatives.

14 DR. LEITCH: That high peak workload is  
15 not only for the applicant but also for the NRC staff  
16 to inspect those activities and so forth. So we are  
17 just concerned with flattening that peak as much as we  
18 possibly can.

19 Do you think, when we come back for the  
20 final meeting, you could give us some indication as to  
21 what that schedule might be?

22 MR. DeLONG: It depends on when that final  
23 meeting is you referred to. March of 2007?

24 MS. DIAZ SANABRIA: The full Committee  
25 meeting is March '06.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DeLONG: By March of 2006 we ought to  
2 be able to certainly provide you with some -- a draft  
3 of that. It may not be final at that point.

4 DR. LEITCH: I realize that is not a  
5 commitment. I'm just looking for some kind of a  
6 signal as to what your plans are in that area.

7 MR. DeLONG: We'll do that. We will bring  
8 a draft schedule to give you some sense for how we are  
9 going to lay these out within our own long range  
10 planning process.

11 DR. LEITCH; Okay, good. Thank you.

12 MR. JULIAN: Let's see. Next slide  
13 concerning future actions. We reviewed their plans  
14 for tracking future actions using their TROI system.  
15 It is a computerized system they have used for years  
16 and years to keep up with licensing commitments, I  
17 believe, primarily, at TVA. It is used throughout  
18 TVA.

19 When we got there to the site, the aging  
20 management program implementation packages, their  
21 record number essentially, was not linked to the  
22 tracking system and TROI, but they quickly corrected  
23 that within a day or so.

24 The inspection samples that we selected,  
25 the commitments were indeed included in TROI, and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 could find them, but it was hard. There was much  
2 duplication within the package that we got from TROI,  
3 and varying format of putting things in. There were  
4 examples where they had an entry for Unit 1, entry for  
5 Unit 2, entry for Unit 3, and then examples where they  
6 said implement the aging management program for all  
7 three units with just one item, and it was a random  
8 search, flipping through a stack of paper, and it was  
9 hard for us to figure out if they had captured  
10 everything.

11 We did not find anything missing, but it  
12 wasn't a user friendly effort. We were told at the  
13 exit interview that, to back this up, the applicant  
14 has decided to track the future actions using their  
15 standard corrective action program system to write a  
16 PER on this, which is what many of the applicants are  
17 doing. Nearly everyone we have seen is doing that,  
18 because that is a system that will stay with us and,  
19 if it needs to change, it will change, and everything  
20 will go with it. It won't be lost anywhere.

21 We have decided that Region II will follow  
22 upon these issues during a future inspection, as we  
23 have discussed. We would like to go back and see the  
24 further implementation of the corrective actions on  
25 the aging management program packages. We would like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to see the results of loading things into the PER  
2 system, and generally get a feel that everything that  
3 needs to be tracked is tracked.

4 DR. LEITCH; Now, Caudle, your inspection  
5 report of January 27, '05, the one that you have been  
6 -- the original one -- indicated that there was no  
7 implementation plan to transition responsibility for  
8 implementing license renewal of the plant operating  
9 staff.

10 I talked to the applicant earlier about  
11 that. They seemed to feel that that was coming along  
12 pretty well. Did you confirm that in this inspection?

13 MR. CAUDLE: No, we did not. We did not.  
14 That is one thing we would like to go back and look  
15 at. We didn't have a good understanding of that  
16 program, and so we would like to do that during the  
17 next inspection to understand what the transition  
18 program is.

19 When you talk to people, the system  
20 engineer for service water system, they are aware of  
21 license renewal. They are aware that they will catch  
22 the load for the program down the line, but they are  
23 not sure what it is yet. That was our experience  
24 during the first inspection, certainly.

25 DR. LEITCH; Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN; And we didn't take the time  
2 to go sample that again two weeks ago. We are going  
3 to do that during the third inspection.

4 DR. LEITCH: Okay. So that it is not  
5 that you looked at that area and found it deficient on  
6 the second inspection. You just didn't really  
7 concentrate on that area.

8 MR. JULIAN: We didn't have the time to  
9 look. We kept ourselves busy looking at the  
10 implementation packages and the commitment tracking  
11 aspects. So that is something that we have to do down  
12 the line.

13 DR. LEITCH: Because our experience  
14 indicates that that plant staff ownership of the  
15 program is a very important comment -- a very  
16 important component, I should say, to the long term  
17 viability of the program.

18 MR. JULIAN: We certainly agree with that.  
19 That's one of the criteria that we are looking for in  
20 each of the inspections, as I have shown on the slide  
21 earlier.

22 DR. LEITCH: Good.

23 MR. JULIAN: Two issues -- we'll just stay  
24 with this slide, if you would, please. Two issues  
25 that came up that I ought to cover. Ram mentioned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the confirmatory item, I believe, that NRR had,  
2 the bolting issue. This had to do with concern that  
3 there would be high strength bolts in use out in the  
4 plant, in the balance of plant that could crack over  
5 time.

6 We looked at -- We had some extensive  
7 discussions with TVA about their efforts here, and  
8 they have gone to great lengths to show that these  
9 type of high strength bolts could not be in the plant,  
10 because they were not purchased for Browns Ferry.

11 In addition, they showed us a PER that  
12 they had worked a couple of years ago on a Diablo  
13 Canyon issue, I believe it was, where they had done a  
14 similar, earlier search of that records to find this  
15 out, and we think we have the information to close  
16 that item here to NRR's satisfaction. We are working  
17 with NRR staff to make sure that we've got all the  
18 stuff we need.

19 The issue that Bill Crouch brought up on  
20 RHR service water piping is one that we need to  
21 resolve. During the first inspection we did, we  
22 looked at the construction of the intake structure and  
23 recognized that there are three pipes that are 24  
24 inches in diameter and about 40 feet long. I think it  
25 says it's cast iron, I believe, and they are cast into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the concrete structure. So you end up with  
2 essentially three pipes that provide the safety  
3 related water supply for the RHR service water pump.

4 This is different than most intake  
5 structures. Most intake structures would have the  
6 safety related pumps taking suction some way on an  
7 unobstructed ultimate heat sink source.

8 We raised the question of wouldn't it be  
9 a good idea to do an inspection on these pipes to see  
10 that they have not corroded away or they have not  
11 corroded or fouled to the point that they are choking  
12 down, the surface area is going down, or any other  
13 aging effects are happening on it.

14 We thought we had an agreement that they  
15 would do a one-time inspection. They have widely  
16 used, as you've noticed, one-time inspection at Browns  
17 Ferry, many, many things to be done, more than most  
18 people have.

19 When we came back this time, we understood  
20 that they have changed their mind when they recognized  
21 what we were asking to be done. They are saying that  
22 they don't want to do it, because they don't think it  
23 needs doing, and it is too hard. That's what it comes  
24 down to.

25 They have a good point, that one way would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be to send divers into the pit behind where the  
2 safety related pumps are continually working. They  
3 can't do that without shutting -- They can't shut all  
4 the pumps down without taking a three-unit outage, and  
5 the divers have been in there before cleaning up  
6 debris and so on, but it's very hazardous, and we  
7 agree. We don't want to put people in jeopardy.

8 Our point is that we think that there are  
9 now remote inspection techniques, TV cameras, things  
10 that can be done to take -- use best efforts to take  
11 a look at the piping as a one-time inspection.

12 Right now, TVA has written a PER on this.  
13 The way out of this quandary is they have written a  
14 PER to say that we had a misunderstanding, and the NRC  
15 thought we are going to do this inspection, but we are  
16 not. And they are working now on their explanation,  
17 written explanation for this, and we will continue to  
18 work that in the future and, when we come back for the  
19 third inspection, surely we can be at some point for  
20 settling that.

21 DR. SIEBER: Are you working on your  
22 rebuttal?

23 MR. JULIAN: Yes. I'm going to get Ram to  
24 help me.

25 Let's go ahead. We put here the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance indicators, since you all usually ask for  
2 them. But as they have said earlier -- go ahead to  
3 the next one, please -- they are green for Browns  
4 Ferry Units 2 and 3 as of right now. The next slide,  
5 please.

6           Region II concluded that the NRC will  
7 perform another inspection when the applicant has  
8 progressed even further with AMP implementation. And  
9 in walking down plant systems and examining plant  
10 equipment, the inspectors found no significant adverse  
11 conditions, and it appears to us that the plant  
12 equipment was being maintained adequately as of today.

13           That concludes what I have to say. Any  
14 questions for me?

15           DR. LEITCH: There was one intriguing  
16 thing. I'm not sure that it is a license renewal  
17 issue. Perhaps it's a current operating issue where  
18 the emergency equipment cooling water -- sounds like  
19 some grate or something was plugged with debris.

20           I guess I'm having trouble understanding  
21 what was the significance of that? Are we doing  
22 something to prevent recurrence of that situation?

23           MR. JULIAN: When we were there the first  
24 time, we got involved in this thing about the  
25 emergency equipment cooling water catch basins. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are three of these things, one for each unit, and the  
2 water -- a portion of the water coming out of the  
3 plant after it has done its function, headed back to  
4 the river, goes into these catch basins, and they look  
5 just like a storm drain. They look like a cast  
6 concrete box with a steel grate over the top of it.

7 The water comes into the basin, and then  
8 exists the basin in a -- I think it's a clay-type, I  
9 believe, and the issue of concern was that the goes-  
10 out pipe might be crushed, might be affected by an  
11 earthquake or something of that nature.

12 So these basins are there, such that the  
13 EECW water coming into the basin could overflow the  
14 basin and just run across the asphalt. So we went  
15 looking for these things, and we had a tough time  
16 finding them, because they haven't been looked at for  
17 years back then.

18 They were partially plugged. Unit 2  
19 particularly was kind of bad. It had plastic that had  
20 been pushed over it, and a lot of gravel and stuff on  
21 it.

22 We concluded that they would have still  
23 done the job. There's enough driving head, we think,  
24 in the water coming into the basin that the water  
25 would have found its way out. So we didn't think it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was an operability issue.

2           TVA wrote a PER on it and was going to get  
3 it corrected. When we went back this time, we  
4 followed up on that matter, and we found that the  
5 corrective actions -- they had listed several  
6 corrective actions, one of which is very effective,  
7 that the young lady who is a system engineer for that  
8 system goes out weekly and walks it down and, if she  
9 sees excessive buildup of gravel and debris, she calls  
10 the maintenance folks to come clean it off, and she is  
11 still doing that forever. I guess there is no end to  
12 that commitment. She has other things to do, but  
13 that's one that she does.

14           One thing that we didn't see was that  
15 there was a corrective action that said post these  
16 things. Put a sign out there. It says this is a  
17 safety related thing; do not block. That had not been  
18 done. They had written a work order back in December,  
19 but they hadn't done it.

20           So we pointed that out to them, and they  
21 had the sign up within a couple of days. So it now  
22 has a sign, and those basins are still there. They  
23 have not changed the configuration of them any, but we  
24 think that they continue to be operable.

25           DR. LEITCH: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN: Any other questions for me?

2 DR. LEITCH: You are not discussing the  
3 audit report, are you? That's a separate  
4 presentation?

5 MR. JULIAN: No. Do you have a  
6 presentation for the audit?

7 DR. KUO: Audit report -- We have the  
8 audits leader here, if you have questions. I think  
9 Mr. Greg Cranston can answer the question.

10 DR. LEITCH: Okay. I have a couple.

11 MR. CAHILL: My name is Steve Cahill. I  
12 am the Division of Reactor Projects Branch Chief down  
13 at Region II. I have the routine oversight for the  
14 TVA sites, which includes the Browns Ferry Unit 1  
15 recovery.

16 I was originally going to talk about our  
17 routine oversight of all three units, but as you saw  
18 by the performance indicators that Caudle had up  
19 there, there is really not much to discuss on Units 2  
20 and 3.

21 Ever since we implemented the revised  
22 reactor oversight process in the year 2000, the  
23 operating units 2 and 3 have never had anything  
24 greater than a green finding or performance indicator.  
25 So they have been, in our mind, relatively a good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performing site that has not really gotten any  
2 increased regulatory attention.

3 So I am going to focus mostly on Unit 1,  
4 and I have talked to most of the ACRS members here  
5 before on our visit to the site and when they were in  
6 Atlanta in August. So I'll try not to be too  
7 redundant in some of the stuff that I talked to you  
8 about before.

9 I just want to give you a little  
10 perspective when we set up the framework for oversight  
11 of Unit 1. This was back when Luis was running the  
12 region. This is the third unit TVA was recovering,  
13 and they had pretty good success in recovering the  
14 other two. So there's some credibility and a good  
15 track record in our mind.

16 It was a very similar effort. I mean,  
17 TVA's approach has been this is a unit that's  
18 licensed; it's been in the shutdown; we've just to get  
19 it back up to current licensing and design basis.  
20 They were very quick to lay out their approach to be  
21 essentially operationally identical. That term has  
22 been around since they first talked to us.

23 TVA had a desire to do this in a  
24 predictable manner. They actually came in originally  
25 asking us to do this using the ROP, because of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predictability nature of that.

2 DR. SHACK: Now when Unit 3 came back on  
3 line, they did that same thing? So they came back  
4 with identical units? That was a goal for that  
5 restart?

6 MR. CAHILL: Yes. They never wanted to  
7 have anything different between the units other than  
8 just the normal out of sequence things you are going  
9 to get with the outages. I mean, that's in their best  
10 interest, too, and it make sour job a lot easier,  
11 because you are not trying to -- It's almost like  
12 dealing with separate plants if you do it any other  
13 way.

14 DR. SIEBER: Well, the driving force is  
15 the operator licenses. If the plants are different,  
16 then the operators have to be licensed for each plant.

17 MR. CAHILL: At the Browns Ferry units,  
18 the operators have always been licensed -- They have  
19 one license which is good for all the units.

20 DR. SIEBER: For all three units.

21 MR. CAHILL: It's always been that way,  
22 and there is nothing that we have seen that is going  
23 to make that change.

24 So anyway, our perspective is that we did  
25 not perceive the need for the same significant scope

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of oversight that we had done for the first two  
2 recoveries. I mean, we were doing individual SERs on  
3 the Unit 2 recoveries for every program, and that was  
4 pretty labor intensive, and there was a lot both in  
5 the region and the headquarters working on it.

6 So we launched an approach on what we are  
7 going to do with Unit 1. We realize there's a lot of  
8 stuff, though, that is different now, and Unit 1 did  
9 present some challenges, because of things that had  
10 changed, most significantly the reactor oversight  
11 process.

12 That had been implemented in 2000, and  
13 that was after the Unit 2 and 3 recoveries. So we did  
14 not have that challenge with them.

15 TVA, like I said, initially requested that  
16 we use the ROP. They were using their normal design  
17 change process, which we were used to in the operating  
18 units, and they tried to lay out the concept that this  
19 is just a long refueling outage. We are just going to  
20 be doing a bunch of modifications to get everything up  
21 to current speed.

22 Now that was a bit of a simplification,  
23 and I think they knew that, but I can understand why  
24 that they would want to use the ROP, because of the  
25 predictability. But it also complicated a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things on our side.

2 The enforcement basis for the ROP is based  
3 on the significance of termination process or risk  
4 informed process. When you are looking a de-fueled  
5 unit that is basically in a somewhat construction  
6 state, that is not really applicable. So that gave us  
7 the challenge as far as how we would be able to follow  
8 up on any findings we had.

9 Also the report documentation: The ROP  
10 has a very high threshold for report documentation.  
11 You basically don't write about anything other than  
12 the scope of what you did unless you have a finding,  
13 and that did not suit our needs either.

14 There's a lot of effort that was done with  
15 all the operating units that rolled them into the  
16 reactor oversight process in 2000. There's a lot of  
17 verification inspections and establishment of  
18 performance indicators, which again had never been  
19 done for Unit 1.

20 The whole basis for our assessment  
21 program, the action matrix, really -- you couldn't  
22 apply that to a shutdown, de-fueled unit like Unit 1  
23 was. So we came to the conclusion very early that we  
24 needed to device a unique oversight process, and we  
25 were going to do it via authoring a manual chapter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           One tool that was available to us that we  
2 have used, and you have probably heard this many other  
3 times with Davis-Besse and others, is the manual  
4 chapter 0350 process, which is the oversight.

5           We decided very early that that was not  
6 something that we were going to use. One, there is a  
7 stigma associated with that. It's only done for  
8 plants that are in trouble and down, and TVA had long  
9 since gotten past the 1985 issues that shut them down.  
10 Also, there is a lot of onerous oversight that is  
11 required with that, that the five-year project TVA was  
12 laying out, we did not want to apply those resources  
13 early in the project. We didn't feel that it was  
14 warranted.

15           Also one other consideration we had was  
16 they had fixed a lot of these special programs, the  
17 things that were applicable to all TVA and all Browns  
18 Ferry. They had fixed those programs on the Unit 2  
19 and 3 recovery. We know we didn't need to reverify  
20 the fixes to those programs. The programs were fixed.  
21 All we really needed to do was check on implementation  
22 of those in the Unit 1 recovery.

23           Also one other consideration we had when  
24 looking in the manual chapter: I mentioned before the  
25 documentation. We knew we needed to have a clear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documentation trail for anything we did on Unit 1,  
2 just to be able to resolve things at the end, be able  
3 to respond to questions like you folks might ask, as  
4 I've noticed you like to do, and basically be able to  
5 track down anything that -- you know, that there was  
6 nothing, no loose ends, that we didn't touch for Unit  
7 1 aside from what TVA laid out for us.

8 We wanted to incorporate the lessons  
9 learned. We had a lot of core staff, like Caudle  
10 said. He uses the same group of folks for license  
11 renewal. We had a lot of folks that were involved in  
12 Unit 2 and 3 recovery in the region. They were very  
13 familiar with what the issues were, what TVA's  
14 corrective actions were, and there's some efficiencies  
15 to be gained from that. So we wanted to take  
16 advantage of that.

17 So we developed a manual chapter, Manual  
18 Chapter 2509. It was issued in August of 2003. It  
19 was jointly developed by folks in the region and the  
20 Inspection Program Branch up here in NRR. It is a  
21 specific manual chapter specific to just the Unit 1  
22 recovery effort.

23 There was a conscious decision we had in  
24 the beginning not to test out new construction  
25 approaches. Once headquarters got wind that Unit 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was going to be coming back up and we were going to be  
2 doing something like this, I'll be honest, my door was  
3 getting beaten down with everybody trying to figure  
4 out how to test out all the different ways we had for  
5 possibly inspecting construction of new power plants,  
6 and we would use Browns for Unit 1 recovery as a test  
7 pilot for that.

8 That really -- With the perspective I laid  
9 out before, that was not compatible with what we  
10 needed to do, and we did not go down that path.

11 The one thing also -- I mean, that would  
12 have required a lot more, I guess, onerous and system  
13 specific oversight that we did not plan to do, and  
14 that would have been a significant impact on TVA,  
15 which they obviously were trying to avoid.

16 DR. SIEBER: It looks to me like there's  
17 a lot of construction either going on or will go on.  
18 So why is this different than building a new plant?

19 MR. CAHILL: From my perspective as a  
20 person that's dealing with operating reactors, TVA is  
21 using their normal modification process. Now,  
22 granted, this is a very long outage, but their  
23 argument that this is a long refueling outage has some  
24 merits, because they are using the process that my  
25 residents and the regional inspectors look at every

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 day when they go out for inspections. They are just  
2 using them for a more significant scope of activity.

3 They are mostly staying within the  
4 original design basis. With construction, you are  
5 looking at a lot of things for the first time, and you  
6 are looking at them against their design basis and  
7 doing verifications.

8 We are looking more that they are just  
9 doing modifications which are a small subset of a  
10 system, not an entire system, even for things as major  
11 as some of the piping replacements that they have  
12 done, and we are just verifying they are staying  
13 within their design criteria that already existed.

14 So it's a lot less of a scope of  
15 inspections from our point of view. There's a lot  
16 less to verify. I'm not that familiar with all the  
17 new construction, possible oversight approaches, but  
18 I heard some pretty novel concepts on how we were  
19 going to do it, and we just didn't have the resources  
20 to be doing it in a whole different way.

21 We've done this two times before, and Luis  
22 painted a clear picture that, you know, we had tested  
23 out our processes for overseeing TVA, and we wanted to  
24 stick with what was tried and true.

25 DR. SIEBER: Okay.

1 DR. LEITCH: Did you feel any differently  
2 about that with respect to the reactor water cleanup  
3 system? I guess that one system seems like it is  
4 almost -- almost completely new.

5 MR. CAHILL: Reactor water cleanup? The  
6 recirc? Talking about the recirc?

7 DR. SIEBER: No, the reactor water  
8 cleanup. It's different.

9 DR. LEITCH: Pumps are in a new location.  
10 The heat exchanger is new.

11 MR. CROUCH; Steve, this is Bill Crouch.  
12 On reactor water cleanup, we did replace a major  
13 portion of piping, but there was another major portion  
14 of that system that was not replaced, and the portion  
15 that we did replace we put it in, in the same  
16 configuration, same materials as what we had already  
17 done on Units 2 and 3.

18 So we were just implementing the same kind  
19 of mod on Unit 1 as what we had already done on 2 and  
20 3, just like Steve was talking about, the sequences  
21 and mods from unit to unit.

22 DR. LEITCH: Unit 2 and 3 already has the  
23 cold pumps?

24 MR. CROUCH; Yes. Already has the same  
25 material, cold pumps, everything.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAHILL: We have looked at the new  
2 heat exchangers they put in, and from my resident's  
3 perspective, it wasn't a whole lot different. I  
4 really didn't get into much discussions with them,  
5 because TVA just recently did the turnover of that  
6 system, and we were looking as they went through that  
7 process, and it really was really straightforward from  
8 our perspective.

9 So to answer your question, no, I wouldn't  
10 change my mind based on that system.

11 DR. LEITCH: Okay. Thank you.

12 MR. CAHILL: Anyway, the final draft of  
13 the manual chapter was issued as a public document.  
14 We had had some interactions with TVA. We put a draft  
15 out there for public comment so we could also interact  
16 with TVA, so they understood the approach we were  
17 using.

18 Just some key attributes I am going to  
19 point out in this manual chapter that's very germane  
20 to our oversight.

21 We had a different open item closure  
22 criteria. We are basically allowing our inspectors to  
23 close a restart item if the identical solution that  
24 was done on Units 2 and 3 is being done by TVA. In  
25 other words, we are not going to wait and keep the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 thing open until the very, very end, until the last  
2 bolt is tightened and the last thing is in there.

3 We have inspected their processes, and we  
4 will do spot checks on their processes, have  
5 confidence in TVA's processes; and if there is nothing  
6 different that they are doing on Unit 1 from the other  
7 ones, we are not going to basically give that same  
8 level of onerous oversight all the way until the very  
9 end. That was a conscious decision that was laid out  
10 in the beginning.

11 The other thing the manual chapter laid  
12 out was a lot of public communication expectations,  
13 very similar to the stuff that would be on an 0350  
14 type process, public meetings that we were going to  
15 have interactions with TVA and let the public observe  
16 and comment.

17 It kept oversight at the regional level  
18 until about the final 12 months before restart. So we  
19 are not going to establish a formal restart oversight  
20 panel until approximately 12 months before TVA's  
21 startup date.

22 So that kept the restart oversight at my  
23 level and another branch chief, Mark Lesser in the  
24 Division of Reactor Safety, responsible primarily for  
25 keeping track and scheduling all the inspections and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the activities associated with Unit 1.

2 Also, this was very important to me, that  
3 it allows us to use the pre-ROP report documentation  
4 guidance. It allows us basically to write whatever we  
5 want. We can have a very detailed discussion of what  
6 we looked at, what we found, what we thought, and it  
7 should be very easy for somebody to come back and  
8 follow our paper trail to understand the basis for why  
9 we closed something out and said it was okay for  
10 restart.

11 Having been involved in an 0350 plant at  
12 Crystal River and previously at Watts Bar with Caudle  
13 when they were coming up and getting initially  
14 licensed, I knew that was very important to be able to  
15 recreate that decision making process. So our reports  
16 -- I know some of you have read them -- are,  
17 hopefully, very conducive for that.

18 Another thing that I mentioned before, the  
19 ROP was a challenge, and we came up with a framework  
20 on here that -- This might have some applicability to  
21 new construction, because we have had people asking  
22 about it, but figuring out how you are going to  
23 transition this plant into the ROP, there's a lot of  
24 challenges about getting all the different  
25 cornerstones and all the things that are -- you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the inspection procedures we normally use, the  
2 performance indicators, getting those established.

3 It's not something you can just say, when  
4 the plant starts up, that it is instantly in effect.  
5 There has to be a transition, and we laid that out in  
6 the manual chapter. As Bill mentioned before, we  
7 actually did it the end of last year.

8 So actually, effective the beginning of  
9 2005 four of the seven ROP cornerstones were  
10 transitioned over and are basically being monitored,  
11 as Bill said, under the ROP. So emergency  
12 preparedness, the two health physics areas, and  
13 security -- we give Browns Ferry one just baseline  
14 inspections just like the other two units get, because  
15 there is nothing left unique to the Unit 1 recovery in  
16 those areas.

17 We are also using traditional enforcement,  
18 like I said. The STP isn't really conducive. So we  
19 are using the traditional enforcement and the  
20 construction supplements, where they are applicable.  
21 Next slide. I'm sorry, you are on the right one.

22 TVA established a regulatory framework  
23 with us early. They submitted a series of letters in  
24 2002 and '03 to update their Unit 1 restart scope.  
25 This is something that they had done before with Units

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2 and 3, and they just wanted to update it for the  
2 lessons learned and the current status of where they  
3 were on all the items that they had on their plate  
4 that they considered that they had to have resolved  
5 for Unit 1 to start up.

6 So in August of 2003, we issued a final  
7 regulatory framework agreement, which basically, after  
8 some interaction, agreed with what TVA had submitted  
9 as far as what the scope of list of items was for  
10 restart. It includes their special programs that I  
11 mentioned before that they laid out back in the  
12 Eighties from when they were shut down, and it also  
13 included a lot of generic items, things that had come  
14 up since the '85 shutdown of Unit 1 that had to be  
15 resolved before Unit 1 could start up.

16 Another thing we also did in the region  
17 was do a very thorough scrub of all the databases  
18 we've had, all the inspection reports going back  
19 particularly to Unit 2 and 3 ones, to make sure we  
20 didn't miss anything. I like to use the phrase, we  
21 looked under every rock to make sure that there is no  
22 open item out there that was not really actually  
23 resolved for Unit 1.

24 Typical of these is that you find  
25 something that was -- Unit 1 was discussed, but it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really actually closed for 2 and 3, and you can't  
2 really discern from reading the report write-ups  
3 whether Unit 1 was addressed or not.

4 If there was any doubt, we would throw it  
5 on our list, and we resolved it and closed it clearly  
6 in the report, to make sure it was clearly resolved  
7 for Unit 1. So I am optimistic that nobody is going  
8 to find any open item or generic issue out there that  
9 we haven't addressed.

10 Manual chapter 2509 required us to lay out  
11 an inspection plan, and this is a key point. I sort  
12 of made this before, but this is a question. We were  
13 getting some questions from the ACRS about the  
14 construction applicability to the Unit 1 recovery.

15 A key point of difference in our  
16 inspection plan versus a construction one is our  
17 inspection is primarily based around the regulatory  
18 framework, the list of items that need to get resolved  
19 for them to be able to recover and restart this  
20 already licensed unit.

21 So it's based on the regulatory framework  
22 and our recovery issues list. Those are what drive  
23 our inspection plan; whereas, a construction plan  
24 would be more on a system by system basis. So there's  
25 a different framework we are working off of as we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going forward.

2 Our inspection plan -- I'll give you the  
3 main parts of it. The schedule right now is primarily  
4 being driven by the recovery issues list status. Our  
5 original inspection focus was to look at things like  
6 the demolition of equipment that TVA was doing and the  
7 initial engineering they were doing. But now that  
8 we've got -- They are in a closeout items mode, and so  
9 are we.

10 So we issued our recovery issues list as  
11 a public document after the last restart meeting we  
12 had with TVA in July of this year. It was a public  
13 meeting in Atlanta. That's a detailed list, and it  
14 has a lot of inspection scheduling information.

15 TVA issues us a quarterly update report  
16 where they go through every single item on their  
17 regulatory framework. There's a few extra things that  
18 we have thrown onto ours that were not in their  
19 initial one, but they give us their update, and we  
20 compare that against our list, and that's a key basis  
21 for our scheduling.

22 When TVA considers themselves pretty much  
23 done with a special program or an issue, we try to lay  
24 out the schedule of the inspections to coincide with  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we issue a detailed schedule to TVA  
2 every six months. We do that along with our reactor  
3 oversight process assessment schedule that we send out  
4 for all the plants in the country. We just include  
5 Unit 1 in that for efficiency. So TVA knows what our  
6 schedule is.

7           To be honest, a lot of this -- With the  
8 activities and the nature of what is going on with  
9 Unit 1, the schedule is somewhat fluid. So we do move  
10 things on Unit 1 around a lot just as their activities  
11 change to be as efficient as we can, and to deal with  
12 the limited resources that we have.

13           Our preliminary work-off projects are --  
14 They are shaping up well now, because we are on a good  
15 track. This year we have been closing a lot of items,  
16 particularly over the last couple of months. So we  
17 are looking to get the items closed ahead of TVA's  
18 projected restart date.

19           So right now we don't see that as a  
20 challenge, and TVA has not expressed it as a  
21 challenge.

22           Another primary thing that is driving our  
23 schedule is TVA's systems turnover process. They call  
24 it SPAE for System Plant Acceptability Evaluation, and  
25 SPOC, System Plant Operability Checklist. That's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process that they use to take each system on a system  
2 by system basis to basically verify that it's been put  
3 back together, everything is in the appropriate  
4 condition for its design licensing basis, and they do  
5 the appropriate testing to actually get it ready to  
6 go, make sure the procedure is in place, and they turn  
7 it over to the operating side of the staff.

8 It is the same process TVA has used for  
9 Watts Bar licensing and Unit 2 and 3 recoveries. So  
10 we are very familiar with it, and it's a system that  
11 we understand and have some confidence in.

12 TVA has tested out the system on a couple  
13 supports systems, and we have inspected that already.  
14 But this is a primary job that has fallen to my  
15 resident inspectors. As TVA starts turning over some  
16 more safety significant systems through this process,  
17 we are going to be following along.

18 Like I said, we already inspected to  
19 validate the process. We are not going to look at  
20 every single system. We are going to do a risk  
21 informed sampling.

22 Obviously, if we found problems with the  
23 process that we hadn't identified before, our risk  
24 informed sampling would go up. But we are going to,  
25 obviously, pick the most safety significant systems,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and those will be the ones high on our list to verify  
2 this process. But it's not going to be every single  
3 system.

4 TVA has given us a detailed list for when  
5 they are going to be doing all their system turnovers,  
6 and we are arranging that schedule now. But the  
7 approach for this, we are going to look at the package  
8 that TVA lays out that has all the design licensing  
9 basis in it, all the modifications, and we are going  
10 to verify that that system does fall within its  
11 licensing and design basis.

12 We are going to do a walkdown, and we are  
13 going to really focus a lot on the end results. We  
14 are going to do a lot of observation of the testings  
15 and the reviews that they do before they turn the  
16 system over. We are going to verify that the  
17 procedure is in place. That is a standard approach we  
18 have used for the other units and the Watts Bar  
19 recovery.

20 There's been a question a couple of times  
21 and, for those that haven't heard before, people ask  
22 what consideration we give to the layup process. I'll  
23 say just what TVA did. There is no credit given to  
24 anything that was layup.

25 Going through this process, TVA doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 credit it, and it doesn't really impact our  
2 inspections. We are still looking to make sure that  
3 it meets all the requirements, that the system is  
4 functional, and that it is going to go through the  
5 testing that's going to verify that all these design  
6 basis assumptions are valid, and we are going to make  
7 sure it meets that.

8 After that is all done, we have high  
9 confidence that it is operable and ready to perform  
10 its safety function.

11 Another main thing that drives our  
12 inspection plan is the ROP cornerstone transition.  
13 I'm not going to go through the details of this. I  
14 mentioned before that we transitioned the four  
15 cornerstones already, but we do have a detailed matrix  
16 that we have laid out for each of the cornerstones.

17 I guess the primary thing I wanted to  
18 point out was we do transition inspections. Those are  
19 driving a lot of our current upcoming inspections. We  
20 are looking at program areas that we normally do that  
21 ROP based our inspections on, and making sure that the  
22 Unit 1 programs are up to the same speed.

23 A good example, I think, before that was  
24 mentioned about maintenance rule. We have a  
25 maintenance rule inspection coming up. It is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 first time we are going to look at maintenance rule on  
2 Unit 1, very similar in scope to what we did when we  
3 initially implemented the maintenance rule, which was  
4 never done on Unit 1. But that is not driven by  
5 anything on our restart list. It's not driven by  
6 something on the regulatory framework. It is being  
7 driven primarily because we know we need to have a  
8 maintenance rule implementation in effect, and we are  
9 going to be doing routine inspections on that.

10 The final transition of the Unit 1 to the  
11 ROP and the other remaining cornerstones will not  
12 happen until after startup and after the performance  
13 indicators get established.

14 The last part of our plan is just  
15 significant modifications or verifications, the term  
16 I used. We are looking for any design work that they  
17 have done that doesn't fall under one of the special  
18 programs. It is not being driven by something that is  
19 already on our list. We are including those design  
20 change modifications on our list to take a look at.

21 Similarly, when they do verifications such  
22 as the reactor vessel in-vessel inspections that they  
23 are doing -- they have been doing all summer -- that  
24 is not something that is specifically driven by  
25 anything on our list, but obviously it is important.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Obviously, it is something that the NRC should have an  
2 understanding of what they do, what the results are.  
3 So we put those things on our schedule.

4 Often those things partially overlap with  
5 some of the things on the restart list, but we have  
6 been able to work that stuff out pretty well.

7 So the picture I wanted to paint here was  
8 our inspection plan and the approach we are taking to  
9 Unit 1 is somewhat of a patchwork. I mean, there's  
10 different things. We are working off of a list. We  
11 are looking at the design work that they have done.  
12 We are looking on a system by system basis at the  
13 important ones that they are turning over, and we are  
14 looking at how we are going to get this plant rollover  
15 into the ROP. Next, inspection approach.

16 The last thing I just wanted to talk about  
17 was the inspection approach. The ownership of the  
18 recovery items: Every issue that is on our list,  
19 everything that we have scheduled for inspection, has  
20 an inspector assigned as a lead owner.

21 We are trying to factor in new inspectors  
22 to get them up to speed, because a lot of our folks  
23 are close to retirement. So we want to basically have  
24 another core group of people with this knowledge for  
25 the next time we need something like this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The owner develops the inspection plan.  
2           I've had some questions from some of the ACRS members  
3           about how we go about doing this, and it does vary.  
4           It depends on what the issue is.

5           The owner looks at what the issue is.  If  
6           it's a special program that the TVA has resolved long  
7           ago,  there's probably only some very basic  
8           verifications to look at what was different from Units  
9           2 and 3, and maybe not a lot of paper review.  
10          Sometimes if there is a new approach they are taking,  
11          it is going to take more.

12          So each plan varies, but it is reviewed by  
13          either myself or Mark Lesser before the inspector goes  
14          out and does it.

15          Is there any questions?  You did ask some  
16          before, and people were wondering how we did it.

17          We issue quarterly integrated reports.  
18          I'm glad to see some of you are reading them.  We  
19          started issuing those in the second quarter of 2003.  
20          So all the Unit 1 inspection efforts are contained in  
21          the quarterly integrated report with the lower  
22          documentation threshold that I mentioned.

23          The focus of our inspections -- It's not  
24          really a cookie cutter process either, as I mentioned  
25          before.  We are going to look at all of the procedures

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we have for reference.

2 The Manual Chapter 2509 I laid out lists  
3 a lot of procedures, and a lot of them go back to the  
4 old engineering procedures, old construction  
5 procedures, old restart test procedures. We use those  
6 for reference to make sure that we understand all the  
7 insights that would have been done back then, and use  
8 those on a case by case basis to apply any applicable  
9 things to the activity that we are inspecting to make  
10 sure that we have the plan that the inspector lays out  
11 covers all the bases for what we need to look at.

12 We are going to review any differences in  
13 detail on the site. So this is not just paper review.  
14 Inspectors look at the packages TVA puts together,  
15 looks at the differences, but then there is always on-  
16 site inspection to sample TVA's implementation in a  
17 final form.

18 This is the last bullet up here. I  
19 mentioned the final phases of recovery. As we get  
20 through closing a lot of the items, we are going to be  
21 looking primarily at the system adequacy testing. We  
22 are going to be looking at risk informed sample to  
23 make sure that we understand everything that TVA is  
24 doing to turn over their systems and make sure that we  
25 are as confident as they are that they are ready to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perform their safety function.

2 At the end we are going to be doing fairly  
3 standard oversight. We are going to be having an  
4 operational readiness assessment team inspection. The  
5 scope of that is yet to be determined, and we will  
6 probably be applying our normal oversight, because the  
7 plant has been shut down for a while, some 24-hour  
8 coverage, some constant oversight and review of the  
9 self-assessments that TVA is doing on themselves.

10 The current plans we've got going forward:  
11 The restart oversight panel that I mentioned wasn't  
12 going to be established until the last year is just  
13 about to be formed. The charter is drafted. It is  
14 ready for final signature, and our intent was to have  
15 it in place at the beginning of this fiscal year.

16 So the next time I would anticipate that  
17 there will be a restart panel formally established.  
18 It really should be any day now. Then there is  
19 planning already in progress for the initial meeting  
20 of that panel.

21 We are still planning for the sampling  
22 inspections, like I mentioned, of the SPAE-SPOC  
23 process. So the TVA system recoveries, now that we  
24 have their detailed schedule, we are trying to lay out  
25 our resources.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This next bullet is an important one. We  
2 are still working closely with Ram and the project  
3 managers. If there's anything that comes out of their  
4 Unit 1 reviews on license renewal or the extended  
5 power uprate that is something that they need to have  
6 resolved to have before the Unit starts up, something  
7 they are basing their decision on, we laid out in the  
8 beginning years ago when we started planning meetings  
9 for these that we would take anything from them and  
10 put them on our restart recovery list to make sure  
11 that it was resolved before the unit starts up, if it  
12 is important to their efforts.

13           TVA formally submitted a restart test  
14 program to us, and review of that is underway, both in  
15 the region and in headquarters, to understand the  
16 scope of what TVA plans to do and what oversight we  
17 are going to have for that.

18           That was the end of what I had to talk  
19 about. Any questions?

20           CHAIRMAN BONACA: Very good.

21           DR. LEITCH: It may sound like I am going  
22 to ask about EPU, but I'm not. You were just coming  
23 up to the current license power level on number 1.  
24 Are there any large transient testing? Is there any  
25 large transient testing planned?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CAHILL: Planned?

2 DR. LEITCH: Yes.

3 MR. CAHILL: If they were just coming up?

4 DR. LEITCH: Yes.

5 MR. CAHILL: No. It's a licensed unit.

6 All that has been done, and they are not changing  
7 anything.

8 DR. LEITCH: I mean, I know we may have  
9 some discussions beyond that point, but what I'm  
10 saying is up to the current licensed power level.

11 MR. CAHILL: There is nothing from what I  
12 know that would warrant us trying to get TVA to do  
13 that.

14 DR. LEITCH: Okay. Another question I  
15 had: It just rattled through my mind as you were  
16 talking there. It may not be directly on the point,  
17 but what is the source of the fuel for Unit 1 restart?  
18 Is it all new fuel?

19 MR. CAHILL: It's not.

20 DR. LEITCH: Equilibrium core?

21 MR. CAHILL: You want to talk to that,  
22 Bill? He can give you the specifics.

23 MR. CROUCH: Yes. The Unit 1 core is  
24 going to be G.E. fuel type. A large majority of it is  
25 G-14 new fuel. However, we are reusing some once and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some twice burned fuel that comes from Unit 2, you  
2 know, to round out the core.

3 DR. LEITCH: Okay. So it would kind of  
4 approach an equilibrium core then with some new, some  
5 once burned, some twice burned?

6 MR. CROUCH: That's correct.

7 MR. CAHILL: They are switching fuel  
8 vendors on the other of the operating units, and they  
9 can use the old fuel that they used with G.E.

10 CHAIRMAN BONACA: I am surprised, because  
11 I thought that to support the power uprate, you needed  
12 to have the new fuel with a larger number of rods.  
13 You can use the old fuel?

14 MR. CROUCH: You can use the G.E. fuel.  
15 That was not the reason for the fuel switch. The EPU  
16 was not the reason for the fuel switch.

17 CHAIRMAN BONACA: Okay.

18 MR. CAHILL: Okay. Anybody else?

19 CHAIRMAN BONACA: Well, thank you for the  
20 presentation. Yes, questions? Okay. No questions.  
21 So we will thank you for the presentations. They have  
22 been informative.

23 What I would like to do now is to do two  
24 things, actually. One is to go around the table and  
25 get some views and thoughts after the presentation we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had today, and the second is talk about tomorrow's  
2 presentation to the main Committee and the issues that  
3 we should recommend to put on the agenda.

4 DR. LEITCH: Mario, just before we get  
5 into that summary, I had a couple of questions for  
6 Greg.

7 CHAIRMAN BONACA: Please go ahead. Good.

8 DR. LEITCH: Greg, I was wondering, on  
9 page 13 of the audit report it speaks about operating  
10 experience.

11 MR. CRANSTON: Yes.

12 DR. LEITCH: And it says a review of the  
13 prior five to 10 years of operating and maintenance  
14 history should be sufficient.

15 I guess I was just wondering how you did  
16 that with Browns Ferry Number 1, what was done.

17 MR. CRANSTON: My name is Greg Cranston.  
18 We looked at what they had there for each of the aging  
19 management programs that we looked at. We looked at  
20 26 of the 39 programs, and they prepared design basis  
21 books and information for each of those.

22 Included in that was operating experience  
23 for each of the systems where they had collected  
24 information, either based on just in-plant operating  
25 experience or even outside operating experience. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we had those books available to us to go back and look  
2 at those. We could also look at their PERs or  
3 whatever we thought that was appropriate to look into  
4 that deeply to see --

5 CHAIRMAN BONACA: Would you speak into the  
6 microphone? It's hard to listen.

7 MR. CRANSTON: We also looked at their  
8 PERs to determine -- in some cases, to determine what  
9 type of corrective action they might have taken or  
10 what they may be doing in conjunction with the  
11 operating experience they have gained. So that was  
12 our main source of information.

13 In some cases, we followed up with  
14 conversations with the engineers at the audit.

15 DR. LEITCH: Okay. The other question --  
16 Well, I guess we sort of heard the answer to this one.  
17 It says -- I guess, on page 253 talking about  
18 commitments, it says "Any AMP credited for license  
19 renewal that is also required to comply with the  
20 current licensing basis for Unit 1 at restart will be  
21 in place at restart."

22 I guess I was concerned about whether that  
23 would really happen, based on what we heard about the  
24 AMPs not coming along as fast as we might have  
25 thought. But I guess in the meantime we've heard now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that this more recent inspection indicates sufficient  
2 or at least significant progress in that area.

3 So, you know, that statement, I guess, was  
4 just kind of worrying me, whether that would really  
5 come to pass or not, but it sounds like we are on  
6 track -- the licensee is on track to make that happen.  
7 That's really all I had.

8 CHAIRMAN BONACA: Okay. Any other  
9 questions for the staff? If not, I will go around the  
10 table. We will start with you, Graham.

11 DR. LEITCH: Well, I think, as has been  
12 said before and a number of people have made this  
13 comment, we need better justification as to the  
14 applicability of Unit 2 and 3 experience to Unit 1.

15 My own feeling is that that justification  
16 can be made. I just don't think that case has been  
17 made as strongly as it could have been made, and we  
18 have talked about that ad nauseam, I guess. So that's  
19 not really a new issue.

20 I think it is important to understand more  
21 clearly -- and I think again it would help to clarify  
22 -- which version of the plant we are really approving  
23 when we approve the license renewal application,  
24 because it is kind of a dynamic thing.

25 We have talked about it before here, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we have talked about it a couple of times at this  
2 meeting, and it is not that I have a serious concern  
3 about it. But I think it does need some  
4 clarification, because the plant design is changing as  
5 we speak, and it has changed considerably since the  
6 license renewal application freeze state in July of  
7 2003.

8 CHAIRMAN BONACA: And we see that very  
9 much in the SER. I mean, you can see from the REI,  
10 etcetera, that there is an evolution of changes in the  
11 plant also.

12 DR. LEITCH: And the last point I had was  
13 I still have concern, and Caudle mentioned it, but I  
14 think we need to take a hard look at the plan to  
15 transition this license renewal program to the  
16 permanent plant staff.

17 I think TVA feels that that is well  
18 underway, and we got a good positive answer from TVA.  
19 I think the staff just has to follow up and confirm  
20 that that is indeed the case; because I think that is  
21 very, very important.

22 If the plant staff doesn't really own this  
23 thing, if it is like somebody else off on the side is  
24 telling the plant staff, well, this is a good idea,  
25 you ought to do this, why those kind of commitments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't really get carried out near as enthusiastically  
2 as ones where there is a real sense of ownership, and  
3 I think we just have to be sure there is that sense of  
4 ownership, and I sense that from TVA today, but I  
5 think the staff just needs to -- the regional staff  
6 just needs to confirm that.

7 CHAIRMAN BONACA: And it is a legitimate  
8 concern, because assuming that they got an SER early  
9 next year in March or whatever, from that point to the  
10 moment of restart everybody will forget about license  
11 renewal. I mean, it's life. They are going to have  
12 something so much more massive in front of them.  
13 That's going to happen.

14 DR. SHACK: Except that a lot of those  
15 programs are needed for restart.

16 CHAIRMAN BONACA: Well, not really.  
17 License renewal program?

18 DR. SHACK: Your aging management  
19 programs.

20 CHAIRMAN BONACA: Okay, yes.

21 DR. SIEBER: For a restart? Not all of  
22 them.

23 CHAIRMAN BONACA: Not all of them.

24 DR. LEITCH: Well, you know, TVA is still  
25 working on a schedule for when to bring those programs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to implementation, and so we hope to hear more about  
2 that.

3 CHAIRMAN BONACA: Any other comments?

4 DR. LEITCH: No, that is basically it.

5 CHAIRMAN BONACA: Do you want to comment  
6 now on what we should talk about tomorrow?

7 DR. LEITCH: Tomorrow there is -- what? --  
8 an hour on the agenda, an hour and a half or  
9 something?

10 CHAIRMAN BONACA: One and a half.

11 DR. SIEBER: Talk faster.

12 CHAIRMAN BONACA: Well, clearly, we know  
13 some of the issues here today for the members. I  
14 mean, you know, we talked about them. One is the  
15 applicability of operating experience, and then the  
16 program modifications. So those will have to be on  
17 the table, I would say, to the level or to the degree  
18 to which we saw a presentation today.

19 They were addressed by the licensee, and  
20 they can be presented with the same slides there, but  
21 simply a condensed version of what we have seen today?

22 DR. LEITCH: I think so. I think there  
23 are a number of the Committee members who may not have  
24 heard what I would call the strategic discussion about  
25 how this whole thing is going to proceed -- that is,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the restart, the power uprate, the license renewal.

2 I think it is going to be -- I think we  
3 have to focus tomorrow's discussion on license  
4 renewal, but I do think a preamble, a very brief  
5 preamble perhaps, to bring those on the Committee who  
6 have not participated in these discussions to bring  
7 them up to speed with the interrelationship between  
8 these various licensing activities. But we cannot let  
9 that dominate tomorrow's meeting, because that is not  
10 the purpose. I mean, we are dealing with license  
11 renewal tomorrow.

12 CHAIRMAN BONACA: Well, let's remember  
13 that if we didn't have the uniqueness of the combined  
14 actions, the issue of restart and operating  
15 experience, we would not be having a meeting tomorrow.  
16 Normally, we don't have a meeting like that. We would  
17 just bring this to the final Committee at the time of  
18 the SER, final SER.

19 So we have to focus on really the reason  
20 why we have this committee, is to address all the  
21 concerns of the Committee, with the fact that the  
22 plant did not run for 23 years and, therefore, there  
23 are issues of layup, how are they being addressed.  
24 Operating experience is one issue, and the initiative,  
25 particularly the inspection program, that are supposed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to compensate for those issues.

2 So those should be the emphases of the  
3 meeting tomorrow, or at least be prepared to answer  
4 the questions in those areas.

5 DR. SHACK: Now who is presenting  
6 tomorrow?

7 CHAIRMAN BONACA: That's another question.

8 DR. SHACK: Just the licensee or the staff  
9 and the licensee?

10 CHAIRMAN BONACA: I would say that we  
11 probably should have the staff.

12 DR. SIEBER: Yes, that is what I would  
13 recommend.

14 CHAIRMAN BONACA: Because they have the  
15 SER. The licensee is going to be present and, if  
16 there is a need, then you can get up and give your  
17 view.

18 DR. SHACK: And straighten things out,  
19 right.

20 CHAIRMAN BONACA: Yes.

21 DR. SIEBER: I don't want to jump in out  
22 of turn, but I heartily agree with what Graham said,  
23 that you have to start right off making the  
24 distinction that there's three different things going  
25 on: License renewal; the restart; and a potential

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power uprate. And the only thing we are going to deal  
2 with is license renewal.

3 I would think that the key document that  
4 explains everything that is going on is the SER, and  
5 any letter we write will be written against the SER.

6 CHAIRMAN BONACA: That's right.

7 DR. SIEBER: So that is what we ought to  
8 talk about tomorrow.

9 CHAIRMAN BONACA: Okay. Let's move on to  
10 Tom.

11 DR. KRESS: I agree with the statements  
12 already made in terms of what we should cover  
13 tomorrow. I particularly think it is important to get  
14 the regional view on the inspections. I thought that  
15 was very useful to me, and I do think we need the  
16 discussion that talks about those three things going  
17 on, and we are concentrating now on license renewal.

18 I suppose issues with respect to license  
19 renewal -- I don't think there are any showstoppers.  
20 I think we are in pretty good shape with respect to  
21 license renewal.

22 Now I think they have identified the right  
23 aging management programs and followed the GALL  
24 report. So I don't have any real issue there right  
25 now to bring forth.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay, thank you. Jack?

2 DR. SIEBER: Contrary to what I just said  
3 about the focus being on license renewal, I feel this  
4 tremendous impulse to talk about the restart, because  
5 I've thought a lot about it, and what's the right way  
6 for the licensee to do it, what's the right way for  
7 the staff to do it. I have really wrestled with it  
8 and tried to keep my mouth shut.

9 There's a good reason for that, because I  
10 really looked at the various kinds of inspection  
11 programs and construction programs that licensees have  
12 used in the past, for one reason or another.

13 For example, new construction which has  
14 a lot of inspection effort going into verifying the  
15 craft skills, verifying designs and so forth, is that  
16 appropriate? Pieces of it are. Other pieces of it  
17 are not.

18 If I look at the 350 process, Browns Ferry  
19 I didn't end up where they are under a 350 kind of a  
20 situation. So the 350 process is overkill and really  
21 doesn't address a lot of these modifications. It  
22 addresses programmatic improvement, which apparently  
23 is already in reasonable condition, and a restart  
24 conducted under the ROP, to me, particularly with the  
25 plant shut down and all these modifications going on,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is inappropriate, too.

2 So after having wrestled mightily with my  
3 personal decision as to what to do, I conclude that  
4 what Region II is doing is the right thing. So that's  
5 a lot of words to say that I think that all of that is  
6 appropriate.

7 As far as license renewal is concerned, I  
8 agree that there does not appear to be showstoppers  
9 involved, but I also agree with the issues that Graham  
10 brought up. How do you establish the degree of  
11 operating experience, which to me means experience  
12 with the materials and construction of the plant as  
13 far as aging is concerned? How do you do that for  
14 Unit 1 when Unit 1 has such little operating time?

15 From the standpoint of the SER, that needs  
16 to be strengthened, as far as I'm concerned. And I  
17 think that is important.

18 I think the SER has to be consistent with  
19 the state of what is being done right now and, in some  
20 cases, that is probably not fully the case.

21 I would concentrate tomorrow's  
22 presentation on, not exclusively but to some extent,  
23 the open items, explaining what they are and why they  
24 are important, so there is a decent understanding of  
25 those kinds of issues.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. I wouldn't worry  
2 too much about all the list of items and scoping and  
3 other things.

4 DR. SIEBER: No.

5 CHAIRMAN BONACA: Some of that will be  
6 sufficient. I think the important thing is to say  
7 what open items remain, to recognize that some of them  
8 have grown. The numbers actually go up from two to  
9 four, dealing with some of the issues we raised, and  
10 put them in context.

11 Any other comments, Jack?

12 DR. SIEBER: Well, I said I wasn't going  
13 to talk about EPU, and I'm not. On the other hand, it  
14 is lurking in the grass out there, and when we get  
15 there, it will be, I think, demanding on all of us to  
16 get it right. So that's it. That's my opinion, but  
17 overall I think everyone has done a pretty good job.

18 CHAIRMAN BONACA: Bill?

19 DR. SHACK: You know, the uniqueness of  
20 this license renewal again is the fact that we are  
21 dealing with a plant that was shut down and doesn't  
22 have the amount of operating experience.

23 I thought they made a pretty good case of  
24 the applicability of the operating experience from 2  
25 and 3 and the fact that they had the restart

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experience from the one unit that is, in many ways,  
2 not quite as extensive here, but it's been laid up for  
3 quite sometime. They have had an experience with that  
4 restart and aging and experience with it.

5 So I think they can make a pretty good  
6 case out of that, and I'm sort of like Tom. I really  
7 don't see any showstoppers to the license renewal.

8 CHAIRMAN BONACA: It has to be developed.

9 DR. SHACK: I would disagree. Tomorrow,  
10 you know, this presentation until we get up to  
11 Steve's, which isn't really related to license  
12 renewal, looks like every other license renewal  
13 presentation from the staff. You know, they are going  
14 through their thing.

15 The picture, to me, that gives you a  
16 better picture of what is different about this is  
17 actually the licensee's presentation, although --

18 DR. BARTON: Thank you. I agree.

19 DR. SHACK: You know, if I was looking at  
20 somehow giving the big picture to the Committee  
21 tomorrow, I think the licensee's presentation gets  
22 closer to it, although as Jack says, we write our  
23 letter based on the SER, but you know, if I had to  
24 pick 15 slides to give tomorrow --

25 DR. BARTON: If we want a crisper

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation that's going to lead to a lot less  
2 questions, if you don't understand what's going on, I  
3 would have the licensee do it.

4 DR. SIEBER: I agree with that.

5 CHAIRMAN BONACA: Yes. You may be right.  
6 I mean, I wasn't intending that the staff would have  
7 the same presentation they gave us today.

8 DR. SHACK: I don't think they really want  
9 to rewrite it.

10 CHAIRMAN BONACA: I think you are right.  
11 Browns Ferry can go through this, and then the staff  
12 could simply address the issues that we have -- which  
13 have the open items, including the ones of the  
14 operating experience and the periodic inspections.

15 MR. CROUCH; Dr. Bonaca, what if we  
16 offered to make the presentation tomorrow, basically  
17 using this same package, and we will skip some pages  
18 as we go along, but present the package for all the  
19 members so that, if they have some questions, they can  
20 ask them. But we will pick out the salient points  
21 through here to get through this in much less than an  
22 hour so that, if there are questions that we need to  
23 bring in the staff or the region, we'll do that.

24 CHAIRMAN BONACA: Yes. I think it's good  
25 to do that, and then the staff could just simply

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 address the open issues, open items, among the open  
2 items, you know, and there I go back on operating  
3 experience. That is an issue that the whole Committee  
4 has raised. They want to hear about that. And of  
5 course, the periodic inspections.

6 DR. SHACK: One thing I think we should  
7 hear -- and it is a bit disturbing -- is the fact that  
8 the inspections sort of show the slow coming up to  
9 speed in the AMPs. I think that point -- You know, I  
10 was feeling pretty good up until the presentation, and  
11 then things went south again a little bit. I think it  
12 is sort of important to bring that up.

13 CHAIRMAN BONACA: Good comment, Bill,  
14 actually, about tomorrow. That's good.

15 Okay. John.

16 DR. BARTON: Having screwed up your whole  
17 train of thought, what you want to do tomorrow --

18 CHAIRMAN BONACA: No, actually, it was a  
19 good suggestion.

20 DR. BARTON: I think it makes sense to  
21 have the applicant to do it, because the points I made  
22 like what's different about this application -- you  
23 got restart, EPU, license renewal -- and how is it  
24 being handled, I think it's best for the applicant to  
25 handle.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What are the issues to close open items?  
2           You know, anybody can do that. Maybe the staff can do  
3           that, but I think for the overall Committee, I think  
4           the committee needs to hear that. All right? What  
5           are the open issues?

6           Now I guess I counted up to five now. We  
7           started out the day with two. I think we got five.  
8           So what are they and, you know, what is it going to  
9           take to close?

10           The aging management programs, the status  
11           and --

12           CHAIRMAN BONACA: What is the question  
13           here? What do you see as the fifth one? Something  
14           new that they have just added?

15           DR. BARTON: What's that? I counted five  
16           when we were all done here. Now there's only four?  
17           All right.

18           MR. CROUCH; There's the core plate  
19           holddown bolts, the drywell steel, the drywell shell  
20           corrosion, inspection of the RHR service water piping,  
21           and then the Unit 1 periodic inspection program.

22           CHAIRMAN BONACA: Yes.

23           DR. BARTON: That's five. That's five.  
24           No, it's four.

25           DR. CROUCH: Core plate holddown bolts,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 drywell shell inspection, RHR service water  
2 inspection, and the Unit 1 one-time inspection. And  
3 the periodic inspection?

4 DR. BARTON: Yes, okay. There's five.  
5 All right, aging management program status and what  
6 they are, Graham's issue on operating experience,  
7 inspection programs, one-time and periodic -- describe  
8 that -- and I'm hung up same as Graham is. I just  
9 heard the NRC say no transient testing either, and I  
10 am baffled.

11 You know, they did it all before going up  
12 to this power level, etcetera, etcetera, but now I got  
13 new feed pumps, I got new equipment, I got new  
14 instrumentation, la-de-da, la-de-da. Why aren't I  
15 doing any SCRAMs and runback transients?

16 You know, I had an old plant. It was  
17 built in '69, and we changed that kind of stuff out,  
18 and we did transient testing up the ying-yang, but we  
19 had been up and down a zillion times from zero to 100  
20 percent. We had new equipment, new procedures. You  
21 got to prove that this thing is going to run back like  
22 it's supposed to or, you know, it's going to scram  
23 from a higher power level and fall apart. I don't  
24 know how the hell you are not going to prove that.  
25 That, to me, is basic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: Did you do your transient  
2 testing intentionally?

3 DR. BARTON: Did we do a what?

4 DR. SIEBER: Your transient testing  
5 intentionally?

6 DR. BARTON: Intentionally? Yes. It was  
7 laid up in the startup program.

8 DR. SIEBER: Well, the point is -- That  
9 sounds funny, but the point is, if you are going to do  
10 it, the question is are you going to do it --

11 DR. BARTON: Well, you should do it  
12 intentionally, because then you are planning for it.

13 DR. SIEBER: Or is it going to happen?

14 DR. BARTON: And if it happens? You don't  
15 want it to happen. You want to plan for it.

16 DR. SIEBER: That's right.

17 CHAIRMAN BONACA: Okay.

18 DR. BARTON: That's my input. So far as  
19 tomorrow's presentation, we already agreed to what it  
20 is going to contain.

21 My views: You know, I think what we have  
22 seen -- I think we raised the right issues. We are  
23 going to hear about those. The reason why it is so  
24 important is that the gut reaction of everybody who  
25 looked at the plan was, hey, I mean, what would you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do, first of all, in the power uprate, your restart  
2 power uprate, and then license renewal. That seems to  
3 be the right order.

4 That is why it is important for the  
5 members who are not here today and were not here on  
6 the 21st to understand the context in which there is  
7 alternatives, and they are being presented.

8 I tend to agree that I don't see  
9 showstoppers if the program inspections, periodic  
10 inspections, are properly developed in a way that  
11 satisfied the need for those systems which are not  
12 being replaced.

13 So with that, you know, I think we pretty  
14 much saw the significant issues, and I don't have  
15 anything else to add, really, to whatever has been  
16 said already here.

17 So with that, I'll go around here asking  
18 if there are any further comments from the staff or  
19 the licensee or the public. No further questions?

20 DR. KUO: We don't have any comments right  
21 now.

22 CHAIRMAN BONACA: Okay. If not, then the  
23 meeting is adjourned, and we will see you tomorrow.

24 (Whereupon, the foregoing matter went off  
25 the record at 4:26 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

