

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Future Plant Designs Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, November 30, 2006

Work Order No.: NRC-1342

Pages 1-236

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

FUTURE PLANT DESIGNS SUBCOMMITTEE

+ + + + +

DRAFT REGULATORY GUIDE DG-1145

+ + + + +

THURSDAY, NOVEMBER 30, 2006

+ + + + +

The Subcommittee convened at 8:30 a.m. in Room T-2B3 of the Headquarters of the Nuclear Regulatory Commission, 11545 Rockville Pike, Rockville, Maryland, Thomas S. Kress, Chairman, presiding.

MEMBERS PRESENT:

THOMAS S. KRESS, Chairman

SAID ABDEL-KHALIK (via teleconference)

J. SAM ARMIJO

MICHAEL CORRADINI

MARIO V. BONACA

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 STAFF PRESENT:

2 DAVID FISCHER

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

| | C-O-N-T-E-N-T-S | |
|----|-------------------------------------|------|
| | AGENDA ITEM | PAGE |
| 1 | | |
| 2 | | |
| 3 | Opening Remarks | 3 |
| 4 | Staff Introductory Remarks | 6 |
| 5 | DG-1145 Overview | 13 |
| 6 | Member Comments | 59 |
| 7 | PRA/RTNSS/RAP | 92 |
| 8 | Operational Programs | 148 |
| 9 | ITAAC/DAC | 157 |
| 10 | COL Action Items | 164 |
| 11 | Workshop Issues | 171 |
| 12 | Characterization of Public Comments | 193 |
| 13 | Industry Comments | 207 |
| 14 | Summary/Plans for Full Committee | 216 |
| 15 | | |
| 16 | | |
| 17 | | |
| 18 | | |
| 19 | | |
| 20 | | |
| 21 | | |
| 22 | | |
| 23 | | |
| 24 | | |
| 25 | | |

P-R-O-C-E-E-D-I-N-G-S

8:29 A.M.

CHAIRMAN KRESS: The meeting will come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Future Plant Designs. I'm Tom Kress and I'm Chairman of this Subcommittee. Members in attendance are San Armijo, Mario Bonaca, Michael Corradini, William Schack, Jack Sieber and Graham Wallis. Dr. Abdel-Khalik is participating by way of video conference just to show that we can do high tech stuff.

The purpose of this meeting is to summarize and discuss the technical content of draft regulatory guide DG-1145, titled Combined License Applications for Nuclear Power Plants, DLWR edition and to discuss the public comments that the staff has received on this document and finally, to summarize how the staff plans on resolving these public comments.

The Subcommittee will hear presentations by and hold discussions with representatives of the NRC Staff, the Nuclear Energy Institute, and other interested persons regarding this matter. The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 actions as appropriate for deliberation by the full
2 committee. Mr. David Fischer is the designated
3 federal official for this meeting. The rules for
4 participation in today's meeting have been announced
5 as part of the notice of this meeting, previously
6 published in the Federal Register on September 25th,
7 2006. A transcript of the meeting is being kept and
8 will be made available as stated in the Federal
9 Register notice.

10 Therefore, it's requested that speakers
11 first identify themselves and then speak into a
12 microphone with sufficient clarity and volume so that
13 everybody can hear what they say. We have received no
14 written comments or request for time to make oral
15 statements from any members of the public regarding
16 today's meeting. This Draft Regulatory Guide 1145 is
17 a formidable document and it's hard to review. One
18 person can't read all of this, so what we did as a
19 subcommittee, is assign different chapters to
20 individual members that may have some knowledge of
21 that particular chapter.

22 So this may seem a little disparate when
23 we try to bring those comments out but we have taken
24 the trouble to take each individual's comments and put
25 them together in a written form which should make it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 easier.

2 I view this as a pretty good document. It
3 seems to be a compendium of good past practices for
4 LWRs and it even looks like it would be usable for
5 other designs. Right after the -- the way I plan to
6 proceed with this meeting, right after the staff gives
7 us an overview of the whole document, then I'll ask
8 those committee members that are here to bring out
9 their comments and questions on their particular
10 chapters and see if -- what sort of response we might
11 get from staff.

12 That will be after -- if you have an
13 agenda, I guess it's the final theme on the agenda.

14 MEMBER WALLIS: I'm puzzled by that, Mr.
15 Chairman, because we seem to have half an hour for all
16 of our comments. The only thing on the agenda which
17 is our comments is the bottom of Item 3 and it says we
18 have half an hour.

19 CHAIRMAN KRESS: Oh, yeah, that's right.

20 MEMBER WALLIS: How are we going to have
21 all our member comments in one-half hour?

22 CHAIRMAN KRESS: That's a good question
23 and we'll get the member comments in no matter how
24 long it takes. Yeah, that's when the member comments
25 are. I was looking for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As part of the chapter-by-chapter comments
2 from the committee members, I would also encourage
3 attendees at today's meeting, members of the public or
4 industry representatives, to feel free to offer their
5 comments on that specific chapter or those specific
6 agenda items. And -- but please remember to come up
7 a microphone and identify yourself first. We will now
8 proceed with the meeting and I'll turn it over to Mr.
9 David Matthews of the NRC staff to begin with the
10 introductions.

11 MR. MATTHEWS: Thank you very much for
12 those introductory comments, Dr. Kress. Welcome, good
13 morning to members of the Subcommittee. My name is
14 David Matthews. I'm the Director of the Division of
15 New Reactor Licensing in the newly-formed Office of
16 New Reactors. The Division is not newly formed, but
17 the Office of New Reactors is newly formed. The
18 Division has been in existence since November of 2005
19 and it was preceded in many of its activities through
20 a program that I was also the Director of in the
21 Regulatory Improvement Program Division.

22 So we've been at this for quite awhile
23 even though we've recently reconstituted as part of
24 the Office of New Reactors. One of the activities
25 that we've been undertaking for the duration of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time has been the development and preparation of this
2 Regulatory Guide which you have in draft form and have
3 had an opportunity to review. The need for this guide
4 became very obvious as the interest in the level of --
5 the level of interest in licensing new reactors rose.
6 This guide is a companion piece to the revised 10 CFR
7 Part 52. The revised 10 CFR Part 52 was most recently
8 issued for public comment in the early -- earlier this
9 year. It is now in front of the Commission for
10 decision.

11 We have made a commitment that this Reg
12 Guide will be issued on a time frame that would be
13 compatible with that rule being responded to by
14 potential applicants and applications being prepared.
15 The tsunami, as it's sometimes referred to of
16 applications is expected to number on the order of 13
17 starting in the beginning of fiscal year `08.
18 Possibly by the end of fiscal year `09, we will have
19 20 applications in house if we believe current
20 projections of the industry.

21 So consequently, there is a great deal of
22 interest and need for this guide because those
23 applications have already started to be prepared which
24 I'm sure the industry participants today will be
25 reminding us all of. It is developed in response to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 external stakeholder need therefore, for timely
2 guidance in order to translate the requirements in 10
3 CFR Part 52 into concrete applications, and we're
4 holding a high standard for the acceptance of those
5 applications in that they be complete, high quality
6 and applications that would have the potential of
7 containing sufficient information to complete reviews
8 by the NRC staff as opposed to applications which
9 would just justify the beginning of reviews.

10 All of this is consistent with the program
11 we've undertaken to develop a guidance that is focused
12 upon certain design centered review activities. The
13 Reg Guide is formatted in such a way to facilitate
14 applications being prepared under all of options that
15 are outlined in 10 CFR Part 52, prepared in a way that
16 would allow somebody who is choosing a particular
17 option, and when I discuss options, I'm talking about
18 a combined license supported by a design
19 certification, a combined license supported by an
20 early site permit, both or neither.

21 And we've attempted to structure the
22 regulatory guidance document associated with the
23 preparation of those applications along those same --
24 along those same lines. We've had a high level of
25 stakeholder participation during the development of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these activities. I can't number and recall the
2 number of workshops we've had but Eric can summarize
3 it for you in his overview remarks. It's been an
4 intensive effort, as you might imagine. Dr. Kress
5 remarked upon the size of this document. Just it's
6 mere size would indicate to you just how intensive an
7 effort it's been to get to this point.

8 It's been expedited in that the Commission
9 provided emphasis with regard to our schedule by
10 encouraging us to be sure that this guidance is
11 available as applications are beginning to be
12 prepared. We do understand that there has to be close
13 conformance of this guidance with the rule that will
14 guide the development of those applications and that
15 rule is expected on the current schedule to be
16 available for use as a final rule hopefully, in the
17 February time frame and we're looking to have the
18 guide out weeks following that.

19 There's an enormously high level of
20 intensive support by the NRO and NRR management team
21 to this activity both in terms of resource and our
22 attention to the document itself. And you might
23 imagine that there's a high level of Commission
24 interest. In the interest of the concerns that were
25 raised in the opening remarks, with regard to schedule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the time for us to hear questions and comments
2 that might be offered by the subcommittee members,
3 one, I'm going to suggest that Eric move through his
4 overview quickly with the potential that we might save
5 some time there. Then there also is a subject listed
6 under Roman Numeral Four, that was a regulatory
7 treatment of non-safety systems. That's an issue that
8 was originally envisioned to be important by virtue of
9 the way that the requirements were going to be laid
10 out in Part 52. There is not a requirement in Part 52
11 and that's been eliminated for addressing those non-
12 safety systems. So I'm going to suggest that that's
13 a part of the schedule that we could eliminate and
14 maybe gain another maybe half hour for the --

15 CHAIRMAN KRESS: I think that's a good
16 suggestion.

17 MR. MATTHEWS: -- for the benefit of the
18 interaction. So if I could suggest that and then --

19 MEMBER SHACK: Could you explain why you
20 don't need to consider that?

21 MR. MATTHEWS: I don't think I'm in a
22 position to explain that but Mr. Colaccino can.

23 MR. COLACCINO: The -- this is Joe
24 Colaccino of the staff. The RTNSS section that's in
25 DG-1145 is a mimic of what's in NUREG 1793, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- a portion of that which is the AP 1000 Safety
2 Evaluation Report. I believe it's Chapter 22. We did
3 that at the time when we put out the draft work in
4 progress for completeness and this was a variation of,
5 you know, for the passive safety system plants, and in
6 AP600, AP100, ESBWR.

7 The RTNSS requirements were not codified
8 in the revised version of Part 52. That's just gone
9 up to the Commission. And so because those are not
10 codified and we've already got -- you know, those
11 requirements were out, they were pulled in because of
12 completeness and they're just really taken almost
13 verbatim from what was in 1793. So there's nothing
14 new that's in the piece and that's why you know, we've
15 already -- it was done in AP600. There are two SECY
16 papers that are associated with that. The numbers are
17 not jumping out at me right now.

18 MEMBER SHACK: I mean, the guidance isn't
19 going to disappear from 1145.

20 MR. COLACCINO: You know, it doesn't have
21 to, no, I don't think so. Our point is, is that the
22 reason why we can take it out, we can skip it here in
23 the discussion is, is that we -- you know, this is
24 something that's already been covered in a staff Final
25 Safety Evaluation Report and the ACRS has had a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion on this.

2 CHAIRMAN KRESS: Yeah, we've reviewed that
3 in the past and --

4 MR. COLACCINO: Right, right.

5 CHAIRMAN KRESS: -- since there's no
6 change in it --

7 MR. COLACCINO: Right, and I hear some
8 sentiment that we'll go back and take -- I mean, it's
9 in the draft and, you know, we had not decided whether
10 it was going to be put into the final or not. I mean,
11 I actually don't know what those discussions are, so
12 that's why we thought that that would gain some time
13 for the members to have more discussion about the
14 individual questions that they have.

15 MEMBER BONACA: We are not discussing it,
16 but I think it should stay in 1145.

17 MEMBER SHACK: And I want to make sure
18 that the whole concept isn't going away.

19 MR. COLACCINO: No, the whole concept is
20 not. As a matter of fact, there was a meeting either
21 yesterday or the day before yesterday with General
22 Electric on who they're treating RTNSS, Regulatory
23 Treatment of Non-Safety Systems for the ESBWR. So the
24 concept is not going away.

25 MEMBER SHACK: Well, then if it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going away, I think there should be some guidance --

2 MR. COLACCINO: And that was the original
3 thinking, is that it was put in the guide for
4 completeness.

5 MR. MATTHEWS: Okay, with that, that
6 concludes my opening remarks. I'd like to now turn it
7 over to Eric Oesterle, who is the lead project manager
8 in this activity to give you this overview and start
9 the day's discussion.

10 MR. OESTERLE: Thank you, Dave, thank you
11 for the introductory remarks and thank you, Dr. Kress
12 and Subcommittee members. We appreciate the
13 opportunity to come to you and provide you information
14 on DG-1145 and provide you with an overview and status
15 of where we are with 1145. Dr. Kress, I couldn't
16 agree with you more on your characterization of DG-
17 1145. It is rather formidable and it was a rather
18 formidable effort to put it together. No one person
19 could. The entire staff chipped in to put this
20 document together.

21 My name is Eric Oesterle. I'm one of the
22 Project Managers in the Division of Reactor Licensing
23 in the Infrastructure Branch and as David said, I am
24 the lead PM on DG-1145. Today I'm going to provide
25 you all with an overview of DG-1145 and the status of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where we are today with respect to resolution of
2 public comments. There won't be any presentation on
3 each and every section of DG-1145 as that could
4 probably take a couple of days but as Dr. Kress
5 mentioned, there is time at the end of this overview
6 to ask question on specific sections and we have staff
7 members available today to address any technical
8 issues that come up.

9 Some staff, unfortunately, are not
10 available today as they are supporting the Grand Gulf
11 ESP hearing. So if there are questions that come up
12 with respect to those sections, we'll be happy to take
13 those down and get back to you with answers later. As
14 David mentioned, the Part 52 Rule was issued as a
15 proposed rule in March of this year and went up to the
16 Commission in October.

17 DG-1145, as drafted, was based --

18 MEMBER WALLIS: I'm a little puzzled. I
19 thought the whole purpose of this meeting was for you
20 to get feedback from this committee and if you're just
21 going to have a monologue, that's not going to help
22 the feedback process.

23 MR. OESTERLE: What we've done is follow
24 Mr. Fischer's instructions and limited our time to
25 approximately half the time allotted on the agenda to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 allow for discussion by subcommittee members.

2 As I was saying, DG-1145 was prepared
3 based on the draft proposed Part 52 rule that was
4 issues in March of this year and as it went up to the
5 Commission in October, there had been some changes
6 made, so some of the presentations that you hear today
7 may, in fact, reflect some of the changes that have
8 already been identified as being needed to DG-1145 as
9 a result of the changes to the Part 52 rule.

10 The purpose of DG-1145 was to provide
11 guidance to potential applicants for combined
12 construction and operating licenses pursuant to Part
13 52. The structure of this guidance document was such
14 that it could provide guidance to COL applicants that
15 did not reference a certified design, COL applicants
16 that referenced a certified design but not an ESP and
17 COL applicants that referenced both a certified design
18 and an ESP. For several years, prior to the
19 development of DG-1145, the staff was engaged with the
20 industry and NEI in their effort to develop a guidance
21 document for COL applicants and that was NEI 04-01.

22 The guidance that was developed in NEI
23 0401 was considered guidance for the base case
24 applicant. That is the base case was a COL applicant
25 that referenced a certified design and an early site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 permit. In addition, the guidance was focused
2 predominantly on one standard design, the AP 1000
3 which had yet to be certified at that time. During
4 the last quarter of 2005, the following approval of
5 the Energy Policy Act, the NRC increasingly engaged in
6 interactions with external stakeholders that included
7 the potential COL applicants. The increase in the
8 number of potential COL applicants resulted in the
9 possibility for several different COL application
10 scenarios. That is the staff heard about potential
11 plans for COL applications referencing a certified
12 design, COL applications referencing design
13 certifications in progress, COL applications
14 referencing an ESP, COL applications referencing an
15 ESP and a design certification in progress.

16 As --

17 MEMBER CORRADINI: Did you hear any
18 possibilities of the first category which you listed
19 which was, I guess you'd call it a customized design?

20 MR. OESTERLE: We did not. However, the
21 intent with providing that information was two-fold.
22 One was that it would provide guidance to applicants
23 for certified designs. Although this was not intended
24 to be guidance for those types of applicants, much
25 guidance could be gleaned from this section by an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant for a certified designed. In addition, we
2 felt that it would provide guidance for a COL
3 applicant that would be referencing a design
4 certification in progress.

5 MEMBER CORRADINI: So just so I understand
6 so if -- pick an example, so if Utility A is
7 referencing a potentially certified design, you will
8 treat it as a customized design. I'm trying to
9 understand -- I'm sorry, I'm trying to take a lot of
10 pages into a little chart in my mind and say if the
11 EPR wants to go in this location, it will be treated
12 as a customized design or you will hold off everything
13 as the design certification process proceeds. That's
14 what I'm kind of asking myself. Am I making sense?

15 MR. OESTERLE: Yes, I understand what your
16 question is. There is some guidance in one of the
17 later sections in this document. I believe it's
18 C.III.6 on COL application timing, okay? And it
19 discusses various scenarios. However, this guidance
20 document does not tell the staff or the public how the
21 NRC plans on or even intends on prioritizing the
22 review of applicants. Okay.

23 As a result of the numerous interactions
24 that the NRC had with external stakeholders, it became
25 increasingly clear to the staff that a more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comprehensive guidance document for COL applicants was
2 needed. At that time, there was not one potential
3 applicant that would be considered a base case and
4 that was late 2005.

5 The development basis for DG-1145 was Reg
6 Guide 1.70 and that was the standard format and
7 content Regulatory Guide for applicants that received
8 their construction permits and licenses and operating
9 licenses in the Part 50 process. To develop DG-1145,
10 we went back to Reg Guide 1.70 and used it as the
11 basis. And that being said, I need to point out that
12 1145 only applies to light water reactors as did Reg
13 Guide 1.70. It does not apply to high temperature gas
14 cooled reactors or any other type of non-LWR reactor.

15 Project managers were assigned the heavy
16 lifting, if you will, by taking individual sections
17 and drafting those sections based on Reg Guide 1.70
18 based on updated SRP revisions including the Draft 96
19 updates and including information that was developed
20 in the NEI 04-01 guidance document. Although that
21 remains as a draft, there was much usable guidance in
22 that document and we commend the efforts of the
23 industry and NEI in putting that together. In
24 addition, the project managers utilized experience
25 that the NRC had gained from design certification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviews and from reviewing ESPs. Also policy issues
2 and positions that the Commission established in SECYs
3 and their associated SRMs were included in the
4 guidance document.

5 The proposed Part 52 rule upon which DG-
6 1145 is based was issued in March of this year. The
7 development of DG-1145 took place in the public forum.
8 The planning for the development took place in the
9 latter part of 2005 and actual development of 1145
10 began in earnest in January of this year. Upon
11 completion of the draft work in progress sections of
12 DG-1145, they were placed on the NRC's public website.
13 Monthly public workshops were held beginning in March
14 of this year to discuss the draft work in progress
15 sections that had been completed and public comments
16 and feedback were solicited during those workshops.

17 The public workshops continued through
18 September of this year even though all draft work in
19 progress sections were posted on the NRC's public
20 website by June 30th. It was an extraordinarily
21 intense effort and took place in the public domain.
22 External stakeholder participation and involvement was
23 consistently high and very constructive. The public
24 workshops resulted in over 500 comments which the
25 staff reviewed, resolved and discussed with external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stakeholders and included in an appendix to DG-1145,
2 the staff's responses to those comments. These
3 comments and their dispositions were discussed during
4 the workshops as well. Incorporation of these public
5 workshop comments took place during July and August,
6 a challenging time for any major work effort, and the
7 draft position for a 45-day public comment period on
8 September 1st, 2001.

9 Going onto the structure of DG-1145, the
10 format, Part C.I was intended to provide guidance for
11 a COL applicant that references a certified design --
12 neither a certified design, excuse me, nor an ESP and
13 it was intended to be consistent with the requirements
14 of Part 52.79 as published in the proposed rule in
15 March of `06. As I mentioned before, although it was
16 not intended to be issued as guidance for applicants
17 for design certification, much guidance can be gleaned
18 from that section for those types of applicants. It
19 was anticipated that a COL applicant referencing a
20 certified design in progress could also obtain
21 guidance from this section.

22 Consistent with the requirements of Part
23 5279, this section included the major FSAR chapters.
24 Section C.II was developed to be consistent with the
25 requirements of proposed Part 5280.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Can you explain something
2 to me? How does this fit in with -- we were each
3 given -- I wasn't on the list but there's a list of
4 Chapters 1 to 22 that the members were asked to
5 review. How does that relate to these parts that
6 you're talking about here?

7 MR. MATTHEWS: C1.

8 MEMBER WALLIS: Is it all C1?

9 MR. OESTERLE: It's all in C1.

10 MEMBER WALLIS: I thought it was all C1.

11 MR. OESTERLE: In fact, my next --

12 MEMBER WALLIS: Are we not reviewing the
13 rest of it at all, that you're only reviewing part C1?

14 MR. OESTERLE: No, I believe Dave sent out
15 other sections as well.

16 MEMBER WALLIS: Did he ask us to review
17 the other parts as well?

18 MR. FISCHER: The list of chapters you got
19 was the standard list of chapters in an FSAR and it
20 includes all of C.I and parts of C.II and C.III as
21 well. It really includes all four of these sections.
22 C1 only goes through like Chapter 13 of the --

23 MR. OESTERLE: Yeah, the next few slides
24 will identify the --

25 MEMBER WALLIS: So some of these chapters

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I've got on my list are in Part C.II?

2 MR. FISCHER: They're in C.II, III or IV.

3 MEMBER WALLIS: They are? Okay, that was
4 not the first answer I got.

5 MR. OESTERLE: The next few slides will
6 help to clarify.

7 MEMBER WALLIS: Okay. Thank you.

8 MR. OESTERLE: Part C Roman numeral II
9 again, was consistent with the requirements with
10 proposed Part 5280 and that was considered additional
11 information --

12 MEMBER WALLIS: I don't understand. Part
13 C.IV.10 is Non-safety Systems for example. That says
14 10, that's Chapter 10 of C.IV. What's that got to do
15 with this list of 1 to 22 that's in front of me?

16 MR. OESTERLE: That's Section C.IV.10.
17 It's not considered a chapter of the FSAR. And I'll
18 get to that with the next slide.

19 MEMBER WALLIS: Okay.

20 MR. OESTERLE: Just let me go through
21 these last couple of bullets here and we'll get there.

22 C.III was intended to provide --

23 MEMBER BONACA: I thought C.II is for
24 applicants that reference a custom design.

25 MR. OESTERLE: C.I on the slide here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identifies all of the chapters that are applicable to
2 a custom COL applicant. And as you can see, they are
3 consistent with traditional FSAR chapters with the
4 exception of Chapters 1 and 19 but these chapters are
5 consistent with what we had -- what the staff had
6 prepared for final safety evaluation reports for the
7 AP 1000 and are consistent with the ECDs.

8 MR. COLACCINO: Eric, if I could add just
9 one more thing here, just for the Members, this is Joe
10 Colaccino of the staff. One important thing to
11 remember about Part 1 is that it's aligned with the
12 Standard Review Plan, so that we have consistency
13 within the Standard Review Plan. And what you'll see
14 is in C.III, is that -- and especially, I know Eric is
15 going to talk about that, is that the information will
16 cascade down from the chapters in Part 1, so
17 especially in C.III.1. And so you did Part 1. We did
18 Part 1 first in order that we could build C.III.1 and
19 so there is information in Part 1. And Part 1 is
20 really the basis of the document that gives you all
21 the information requirements and Parts 2 and 3 give
22 you information on the different scenarios that Eric
23 described before. And Part 4 is a series of series
24 topics. If you let Eric get through this, I think his
25 slides will explain all of that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: No, I think just the way
2 it's been communicated to us Part 1, it says
3 applicants who are not referenced certified designs
4 and Part 2 is applicants referencing custom designs.
5 So I'm saying, one must offer the question, what's the
6 difference between a custom design and the design that
7 is not referencing a certified design. And so that's
8 why I was asking the question.

9 MR. OESTERLE: That instruction was not
10 quite right. For any applicant C.II, information in
11 C.II applies. That's additional information --
12 additional technical information required by --

13 MEMBER BONACA: Exactly, that's why I was
14 asking the question.

15 MR. OESTERLE: -- the application.

16 MEMBER BONACA: That's what you show in
17 your slides, okay. So it's just additional --

18 MEMBER WALLIS: Look, I'm not really
19 interested in what Eric is getting through. I'm
20 interested in the interaction between Eric and the
21 Committee and what are we doing here, that's what I'm
22 trying to grasp. And what is the assignment that's
23 been give to the ACRS and it's not just a question of
24 him getting through something. It's the interaction
25 between you guys and us that I'm interested in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: We were requested to come
2 and provide a presentation to the subcommittee to
3 provide information on this guidance document.

4 MEMBER WALLIS: But we are supposed to
5 write a letter or something on this?

6 CHAIRMAN KRESS: I don't think there will
7 be a letter.

8 MR. OESTERLE: That's not my
9 understanding.

10 CHAIRMAN KRESS: I don't think so. What
11 I think our product will be, will be just the written
12 list of comments from each member that we'll just hand
13 over to them in written form and then they can treat
14 them like public comments of individual members. It's
15 not an ACRS position at all and they can take them and
16 apprise them and do what they want to with them.

17 MEMBER WALLIS: Okay, so if we want to
18 influence anything we have to write it down.

19 CHAIRMAN KRESS: Yeah. We'll we've taken
20 what you've supplied to us already and put them
21 together to hand to them in written form. Now, if you
22 have additional comments after this meeting, we'd like
23 to have those in written form also. And so I don't
24 envision a letter and I don't envision even -- I don't
25 see there is any need for a presentation to the full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committee.

2 MEMBER WALLIS: So if there's a section,
3 let's say on the safety systems, if some member
4 doesn't do anything, that doesn't necessarily give
5 consent. It just means that he didn't do anything.

6 CHAIRMAN KRESS: That's right, that's
7 exactly right.

8 MEMBER WALLIS: Okay, all right.

9 MEMBER BONACA: A comment I have, I mean,
10 the comments you receive, Tom, are not all the
11 comments because for people who were trying to attend
12 the meeting, we said we'd just bring the comments in,
13 so --

14 CHAIRMAN KRESS: And we'd like to get
15 those in written form.

16 MEMBER BONACA: Yeah.

17 CHAIRMAN KRESS: Okay, that's what I'm
18 going to charge you guys with. If you've got
19 additional comments over what you sent already, please
20 put them down in writing and we'll make that part of
21 the product.

22 MEMBER BONACA: I didn't send them in. I
23 was planning to be here.

24 MR. OESTERLE: In order to make this
25 guidance document a better product, we are certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 receptive and appreciative of any comments that the
2 subcommittee members will have.

3 MEMBER WALLIS: This is very different
4 from the usual way we operate. Usually we operate as
5 a committee and we reach some kind of consensus on
6 things and anybody can comment on anything. This way,
7 apparently, it isn't that. It's just individuals
8 commenting on individual chapters and that's it.

9 MEMBER SHACK: You can comment on
10 anything.

11 CHAIRMAN KRESS: Yeah, you can comment on
12 anything, the whole document, if you've read it and
13 you have comments.

14 MEMBER SHACK: The purpose of those
15 assignments were just to focus your attention and we
16 make sure that somebody covered that chapter, but you
17 were then free to roam at will.

18 MEMBER WALLIS: That's very --

19 CHAIRMAN KRESS: I'm sorry, if I didn't
20 get this --

21 MEMBER WALLIS: No, that's okay. I'm just
22 trying to clarify what we're doing here, that's all
23 right.

24 MEMBER CORRADINI: I have a question about
25 that slide. So I'm back to my big picture. I'm sorry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I can't get off of this. So what you're kind of
2 telling me is that everybody that did a design
3 certification already did C.I.

4 MR. OESTERLE: Parts of it.

5 MEMBER CORRADINI: Well, the way you said
6 it is everybody that did a design certification and
7 it's through AP1000 did C.I.

8 MR. OESTERLE: All of the information
9 that's included in a certified design would be
10 included in C.I, that's correct.

11 MEMBER CORRADINI: Okay, so now I'm
12 jumping to comments that I have read, this big thick
13 thing that we were given, so if I was in the industry,
14 what are they going to say to you, just go back and
15 see the design certification and they will not repeat
16 this for you?

17 MR. OESTERLE: The guidance, the way it's
18 structured was in Part C.III.1, that provides specific
19 guidance for a COL applicant that references a
20 certified design. So the intent was to provide
21 guidance on what additional information a COL
22 applicant that does reference a certified design needs
23 to provide in their application.

24 MEMBER CORRADINI: Thank you. Okay, thank
25 you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: So C.III contains
2 information for COL applicants that reference both
3 certified designs and early site permits and
4 additional information associated with those two
5 applications or those two types of documents. Part
6 C.IV includes information on miscellaneous topics; for
7 example, limited work authorizations, submittal
8 guidance and RTNSS.

9 MEMBER ARMIJO: Let me ask a question
10 about C.III. Now, that -- the way I envision it is
11 you've got an issue or a certified design. You've got
12 an ESP so as far as Part C.II it's a cover letter with
13 copies or something that states, "This is already
14 done, here's -- please send me a combined license"?

15 MR. OESTERLE: Not exactly.

16 MEMBER ARMIJO: "Here's your check", or
17 whatever.

18 MR. OESTERLE: A certified design as well
19 as an ESP includes COL action items and the applicant
20 that references both a certified design and an early
21 site permit will need to address and resolve those COL
22 action items as part of the application. So it's not
23 simply a matter of slapping a cover letter on and
24 sending in both of those two documents.

25 MEMBER ARMIJO: There's still issues that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to be resolved.

2 MR. OESTERLE: There are still issues
3 including designs for -- site specific designs, for
4 example, security features. There may be sites that
5 require intake cooling water structures depending upon
6 what reactor technology they choose, intake cooling
7 water piping and things of that nature.

8 MR. MATTHEWS: One comment I might make in
9 just a simplified form of this process is that Part
10 C.III would in effect, identify for you which -- what
11 information is needed to reflect how you combined the
12 certified design that you have and the early site
13 permit that you've already received, in such a way as
14 to reflect its union or its integration, okay, with
15 the specific circumstances, in fact, marrying that ESP
16 and site to that design.

17 And so there are -- I've used the phrase
18 before, there are gaps and C.III is intended to
19 identify how you fill those gaps for the benefit of
20 the staff in advance of us having to ask how they're
21 filled. Eric is right, we've already identified where
22 some of those gaps exist because when we've issued the
23 early site permit, we identified that this site permit
24 is necessary but not necessarily sufficient, okay, to
25 reflect the union of that design and that particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site and the COL action items, as we've referred to
2 them as, are identification from the staff's
3 standpoint ahead of time, "These are the areas that
4 you're going to need to -- these are the gaps that
5 you're going to need to fill in order for this to be
6 a complete application". Okay?

7 MEMBER SIEBER: I think there's one aspect
8 that everyone needs to keep in mind. When you get a
9 certified design, there are certain areas within that
10 design where the work isn't done. For example, the
11 AP1000, the I&C portion is an ITAAC item. The design
12 isn't done. It's not approved in the certified design
13 and so for the FSAR application that goes in, all of
14 that has to be covered. And I think there's a lot of
15 instances like that within the certified design where
16 you have to really understand what the certified
17 design provides and then match it up to these
18 documents to fill in the empty spaces.

19 MR. MATTHEWS: The only thing I might add
20 to that assessment, which is generally correct, is
21 that those portions of the certified design that are
22 reflected in something called design acceptance
23 criteria, what you're referring to, the certified
24 design is approved. The INC portion is approved but
25 it's approved in consideration that certain criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will have to be met by the INC portion.

2 MEMBER SIEBER: But the design is not done
3 yet.

4 MR. MATTHEWS: Right.

5 MEMBER SIEBER: And so, you know, a lot of
6 these sections say, "Describe all the codes and
7 standards, provide single line diagrams, grounding
8 diagrams," and all this kind of stuff. If you don't
9 have a design, you can't provide any of that and so
10 all that still has to come and it's through that that
11 you meet acceptance criteria that are either provided
12 here, in some other code or standard, some other
13 regulatory guide or the regulations themselves.

14 MR. MATTHEWS: We're going to attempt to
15 walk you through this in IV on the agenda to address
16 the integration of this ITAAC/DAC concept associated
17 with its translation from certified design to
18 application.

19 CHAIRMAN KRESS: Is there anywhere in the
20 guidance document, for example, the environmental
21 report that requires a Level 3 risk assessment at all?

22 MEMBER SIEBER: No.

23 MR. MATTHEWS: No.

24 MEMBER SHACK: Well, the RTNSS section
25 does.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: The current Part 52 rule
2 does not require a PRA to be submitted with the
3 application. And there will be a presentation on PRA
4 later this morning, so we can get into those details
5 at that time. For right now, just to put things in a
6 nutshell, there are Design Acceptance Criteria and
7 ITAAC associated with certified designs that need to
8 be completed by the COL applicant and in a nutshell,
9 Design Acceptance Criteria contain approved design
10 completion processes and design implementation as part
11 of that DAC. And we'll go into --

12 MEMBER SHACK: That's the one thing that
13 confuses me. You don't really have to complete the
14 design to get the COL. When do you have to complete
15 the design, when you build the sucker?

16 MR. OESTERLE: Well, I'll get into that in
17 the ITAAC and DAC presentation but to give you a short
18 answer to your question, because DAC is an ITAAC, the
19 regulatory requirement for completing that is prior to
20 operation.

21 MEMBER SIEBER: You have to complete the
22 design before decommissioning.

23 (Laughter)

24 UNIDENTIFIED SPEAKER: Let's let that one
25 lie.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: This slide shows a
2 breakdown of Part C.I and identifies all of the
3 guidance in the traditional FSAR chapters. Chapter 19
4 is a new one because it talks about PRA and severe
5 accidents. Chapter 1 is an expansion to what's
6 included in Reg Guide 1.70 and it's based on the
7 information that was provided in design certification
8 documents and in the final safety evaluation reports
9 for certified designs.

10 CHAIRMAN KRESS: Is that why those have
11 the asterisk?

12 MR. OESTERLE: Yes, sir, that's why they
13 have the asterisks in, so I can remember. Format and
14 structure for Part C.II was intended to be consistent
15 with the requirements of proposed Part 52 that was
16 issued in March of 2006. This will change. We had it
17 organized as C.II.1 being the PRA and Mr. Donald
18 Harrison will talk about that in the next
19 presentation. That's going to change.

20 C.II.2 is on ITAAC. C.II.3 is guidance on
21 the environmental report. The format and structure
22 for Part C.III is information for a COL applicant
23 referencing certified designs and ESPs. C.III.1 is
24 information needed for a COL applicant and references
25 a certified design. It's consistent with the format

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of C.I in that the guidance within that section is
2 laid our chapter by chapter. The same thing with
3 C.III.2. That provides guidance for a COL applicant
4 that references both the certified design and an early
5 site permit. And again, the format is consistent with
6 C.I in that the guidance is laid out chapter by
7 chapter and it conforms with the SRP sections, so that
8 the reviewers can make a one-to-one match.

9 C.III.3 has guidance on finality of an EIS
10 associated with an ESP, meaning an Environmental
11 Impact Statement. And that guidance will be changing
12 based on the Part 52 rule that went up to the
13 Commission. C.III.4 is guidance on COL action items.
14 Those are items that were included in certified
15 designs and ESPs that the COL applicant needs to
16 complete. C.III.5 is on Design Acceptance Criteria.
17 C.III.6 is on COL application timing and it addresses
18 the situations where you have a COL applicant that may
19 be referencing a design certification in progress.
20 C.III.7 is additional guidance in ITAAC but specific
21 to COL applications referencing a certified design and
22 an early site permit.

23 C.IV includes guidance on --

24 MEMBER SHACK: Who else would have ITAAC?

25 MR. OESTERLE: A custom -- well, everyone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would have ITAAC. Everyone had ITAAC, a requirement
2 of the regulations.

3 MEMBER CORRADINI: Custom or no?

4 MR. OESTERLE: Custom or no, everybody.

5 C.IV includes miscellaneous topics, operational
6 programs, limited work authorizations, regulatory
7 treatment of non-safety systems, et cetera.

8 MEMBER SIEBER: This is the place where
9 items like fire protection would appear?

10 MR. OESTERLE: No, that would be Chapter
11 9.

12 MEMBER SIEBER: Chapter 9, all right.

13 MR. OESTERLE: With respect to status on
14 DG-1145, PM's that were assigned DG-1145 sections for
15 coordination and resolution of public comments also
16 have the same SRP sections to update, so we're
17 achieving some coordination there and conformance
18 between DG-1145 and the SRP sections. The process for
19 resolution of public comments on DG-1145 also includes
20 looking at the SRPs. The comment period for DG-1145
21 did close in October of this year. We receives
22 approximately 700 public comments. The staff is
23 currently working to resolve those public comments and
24 revise DG-1145 as appropriate and to insure that it
25 conforms with the revised Part 52 rule that went up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Commission.

2 MEMBER CORRADINI: I have a question about
3 that. I'm looking at the comments now. The NEI
4 comments are in Appendix 1?

5 MR. OESTERLE: No, Appendix 1 included the
6 comments that came up during the public workshops that
7 we used in the development of the draft that was
8 issued in September for public comment.

9 MEMBER CORRADINI: Whereas, these are
10 following that time period.

11 MR. OESTERLE: That's correct. Those are
12 the public comments on the formal draft that was
13 issued in September.

14 MEMBER CORRADINI: Okay, all right. Okay,
15 and then -- all right, that's fine, thank you.

16 MR. OESTERLE: Okay. So we have a process
17 in place to insure that DG-1145 conforms with the SRP
18 updates and also with the Part 52 rule. The plan with
19 1145 is to publish it after the Part 52 rule goes
20 final and after we achieve resolution of all the
21 public comments. In addition, the staff is
22 considering additional venues or forums to provide
23 information to the public on the status of DG-1145 and
24 resolution of various technical issues that came up as
25 a result of the public comment. And just a time line

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to show everyone going back to the Energy Policy Act
2 and the various time lines for issuance of proposed
3 Part 52 rules; in June of '06 we put all the draft
4 work in progress sections of DG-1145 on the web. The
5 Part 52 rule went to the Commission in October. And
6 we currently are looking at revising or publishing DG-
7 1145 as Reg Guide 1.206 final after the Part 52 --

8 MEMBER WALLIS: To go back to my original
9 question, what we're doing here, this isn't -- this is
10 really an important Reg Guide. I mean, this
11 influences all future designs and some parts of it are
12 good enough that they could apply to non-water
13 reactors and some parts are written so generally that
14 you could branch off and expand to take care of other
15 sorts of reactors. Yet, there's nothing in here where
16 you're actually sort of seeking ACRS approval. It's
17 all you're just telling us what you're doing. And
18 this seems a little strange to me.

19 This is one of the more important Reg
20 Guides that might require us to actually think about
21 it in some depth.

22 MR. MATTHEWS: Let me answer that as the
23 principal manager responsible for this activity.
24 Let's keep in mind that this Reg Guide, while it is
25 regulatory guidance, it stands apart from the kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory guidance that is usually captured in reg
2 guides. This is a process document. It's not a
3 technical requirement document. It is important in
4 that it is connective of all our other regulatory
5 documents and technical requirements and directs
6 people to those portions that need to be addressed,
7 but it in itself, does not provide any requirements or
8 regulations or technical guidance.

9 MEMBER WALLIS: It's extraordinarily
10 detailed in its description of what should be and if
11 you look at any one of these chapters, the detail is
12 immense.

13 MR. MATTHEWS: And that's why, you know --

14 MEMBER WALLIS: But it's not important.
15 It's --

16 MR. MATTHEWS: I hope I didn't imply it's
17 not important. I'm going to suggest to you that it's
18 one of the most important documents that we're putting
19 out in preparation for these applications we expect to
20 see in the fall and I think you'll hear from the
21 industry, they view it as critically important as
22 well. However, I'm going to suggest that it does not
23 have safety implications associated with it. They are
24 process implications for efficiency and effectiveness.

25 MEMBER WALLIS: But it's the most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extraordinary detailed compendium of all the things
2 that you've got to do, it implies you've got to do
3 them, in order to insure safety, so the place where
4 you find all these things.

5 MR. MATTHEWS: I don't want to denigrate
6 its importance by calling it a convenience, but it is
7 a convenience document. All the requirements exist in
8 our requirements. They exist in the standard review
9 plan as identifying criteria.

10 MEMBER WALLIS: Let's just pick something.
11 You say something about spray nozzles and testing the
12 drop size from spray nozzles and so on. Is that
13 somewhere else than in this guide?

14 MR. MATTHEWS: Yes, sir.

15 MEMBER WALLIS: It is somewhere else.
16 Everything that I see in this guide is somewhere else?

17 MR. MATTHEWS: If it isn't, then we've
18 made a mistake.

19 MEMBER BONACA: I view really this as a
20 compendium of all the experience we have accumulated
21 over 40 years and the document that you have behind
22 that. I mean --

23 MR. OESTERLE: It vectors the applicant to
24 the items that he needs to get an answer for.

25 MEMBER SIEBER: In fact, that was one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the difficulties of reviewing this document is if you
2 go to the NRC website, half of the reference
3 regulatory guides aren't there. And so if you want to
4 see how it fits into the grand scheme and you're
5 forced to use the web, forget it. You just can't do
6 that unless you have all of those reg guides already
7 in your head.

8 MEMBER CORRADINI: You mean, you can't
9 find them or it's difficult to navigate.

10 MEMBER SIEBER: Well, it's in the index
11 but if it's just in black print, there's no associated
12 document that lies behind it. So the query just
13 fails.

14 MEMBER SHACK: But you can typically find
15 them in ADAMS.

16 MEMBER WALLIS: You can find it in ADAMS?

17 MEMBER SHACK: At least the ones I looked
18 for I found in ADAMS.

19 MEMBER SIEBER: Well, I found about half
20 of them, but I used ADAMS, too, and some of these old
21 ones, like 1.23 and 1.26, have not even been scanned
22 in yet. You know, all you have is the title and the
23 number.

24 CHAIRMAN KRESS: I thought you had them
25 all memorized. I thought you had them all memorized.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Well, you know, I was
2 practicing engineering 20 years before the first one
3 come out.

4 MEMBER BONACA: No, but one of the
5 criteria I used to review this document was that the
6 document imposed no requirements which are not in the
7 regulation. That's one of the questions I had myself
8 and because there are some locations where it was
9 general enough that one could ask that question, okay,
10 is there some new requirements that shouldn't be there
11 and --

12 MR. MATTHEWS: I can summarize, Dr.
13 Bonaca. There's no new technical requirements created
14 by this document.

15 MEMBER BONACA: At least as far as I can
16 see, there wasn't.

17 MR. OESTERLE: It's a road map and
18 provides pointers in many different directions to
19 those documents that do provide the technical
20 requirements, including other regulatory guides.

21 MEMBER SHACK: So it's -- I'm sorry.

22 MEMBER SIEBER: I think if you applied
23 this document to an existing late model plant, you
24 would end up with the same application that already
25 exists for that plant and the standards would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty much the same, too, except to the extent that
2 from IEEE or ASME standards have been updated since
3 the last `90s.

4 MR. OESTERLE: That would be true --

5 MEMBER SIEBER: And that's where it
6 reflects itself, but otherwise, it's just a roadmap as
7 to what to apply.

8 CHAIRMAN KRESS: Said, did you want to say
9 something?

10 MEMBER ABDEL-KHALIK: Yes, I have a
11 question about the overall structure of the document.
12 Conceptually, regardless of which option an Applicant
13 has, whether it's a custom design or someone
14 referencing a certified design or an ESP, there is a
15 body of information that the applicant has to provide
16 to NRC. And that body of information is the same
17 regardless of which option. And presumably, that body
18 of information is elucidated in a great deal of detail
19 for Option 1 which is the custom design option and
20 therefore, it would seem to me that the document would
21 be far better structured if everybody who is making
22 application regardless of which option it might be,
23 have exactly the same outline as far as information to
24 be provided and wherever information had already been
25 provided in some other place, whether it is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certified design or early site permit, that they would
2 just simply reference or provide the location where
3 that information had already been provided, rather
4 than dividing it into different options and allowing
5 room for things to fall through the cracks.

6 MR. OESTERLE: Yeah, that's what we
7 attempted to do with section C.III.1 and C.III.2 for
8 COL applicants that reference a certified design.
9 The intent was for them just to go to Section C.III.1
10 to look for guidance on the additional information
11 that they needed to provide with their application.
12 The same thing with C.III.2. The intent there was to
13 provide guidance to COL applicants that reference both
14 the certified design and an ESP for what additional
15 information they needed to provide as part of the
16 application.

17 MEMBER BONACA: Well, I have a comment
18 still. As I said before, as I was reviewing it, I was
19 looking at whether or not this was imposing new
20 requirements. One that came to mind was the ALRF in
21 the PRA. You know, according to regulation it doesn't
22 impose a large release frequency. Isn't that a new
23 requirement? I just bring it up as an example of
24 something that comes to mind and maybe you can comment
25 on that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: That will come up in the
2 next presentation on PRA.

3 MEMBER CORRADINI: Because if I look at it
4 -- I think Mario has hit upon one I was looking for.
5 Since this is a road map or like a meta-document, that
6 supposedly it's somewhere, somewhere else, somehow, I
7 think the way to look at it is, can I understand the
8 meta-document? It's kind of hard, first, that's
9 comment one, kind of hard.

10 Comment two is, there are certain things
11 that seem to be glaring and the NEI think particularly
12 this one, I was struck by the fact they were concerned
13 about it. They ranked it number one and they don't
14 even have a suggestion other than they don't
15 understand why this seems to appear as a new
16 requirement that isn't referencible from past, unless
17 I understand it wrong.

18 MEMBER BONACA: I don't disagree with
19 that. I'm only saying however that, yeah, it looks
20 like a new requirement and so I'm saying, the comment
21 was made before by Dr. Matthews that there will be a
22 problem with the rules and requirement. Well, that
23 seems like it will be a new requirement introduced by
24 the Reg -- by 1145.

25 MR. OESTERLE: Let me just say this about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that issue; the probability that that issue will be
2 discussed during the next presentation is very good.

3 MEMBER WALLIS: Well, can I give you a
4 perspective --

5 MEMBER BONACA: Wait a minute now, just as
6 an example, okay, and again, I want to go back to the
7 discussion we had before, does it impose new
8 requirements? And here is one, there may be others.

9 MR. MATTHEWS: Well, let me -- I would
10 suggest that Eric did mention this but I'll repeat it.
11 There are two or three portions of this document that
12 have not yet been conformed to the revised Part 52 in
13 final form that we have in front of the Commission for
14 a vote, okay? My statement was based upon the fact
15 that when DG-1145 in its final form is issued, there
16 will be no requirements expected in that -- I mean, to
17 be responded to in that document that aren't backed up
18 by a regulatory requirement. The difficulty is, that
19 at one point in the proposed Part 52, if we can speak
20 to PRA, okay, there were requirements associated with
21 the submission of information with regard to your PRA
22 as opposed to just the results of your PRA. And this
23 is an issue that has been an issue for debate among
24 the industry, the Commission and the staff as to just
25 what constitutes the level of information that needs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be reflected in the application, okay, relative to
2 PRA results.

3 And that's an issue that has been in
4 controversy. At such time as the Commission issues
5 their vote sheet and their final SRM on Part 52,
6 immediately this document will be reconformed to that
7 requirement. So I should have been a little more
8 careful. The document you have in front of you might
9 identify an expectation for submission backed up by
10 requirements and a proposed rule. It will not reflect
11 the need for information to be provided to the staff
12 that goes beyond the requirements that will be
13 reflected in the final rule.

14 MEMBER BONACA: I appreciate it.

15 MR. MATTHEWS: Okay, and I'm sorry for
16 that confusion. I probably contributed to that.

17 MEMBER WALLIS: Well, I'm going to get
18 back to my point here now. I see this totally
19 differently. You seem to look at this as some kind of
20 a bureaucratic thing which just has to be done, but I
21 look at it as a compendium of the NRC's technical
22 knowledge and questions to be asked about new
23 reactors, and it's a very important public document.
24 And if I look at say Section 6 on safety features, I
25 look at it and say, "Does the NRC really understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what it's doing? Is this comprehensive? Is it
2 complete? Have they missed something and so on? This
3 is a statement by the agency about how it's going to
4 look at new reactors, a very important thing. It's
5 not just something where you just refer to other Reg
6 Guides or you don't have to do it because it's not
7 necessary in the regulations. It's a very important
8 document.

9 Have I got something wrong here? Is this
10 for public consumption? And if it's not a good
11 document, if it's not convincing to the technical
12 public, then it's not fulfilling its function. So my
13 concern was, is it a convincing document, is it
14 complete and all that sort of thing, you know. That
15 doesn't seem to be a concern with you guys at all.

16 MR. MATTHEWS: Oh, I think it's very much
17 a concern of ours.

18 MEMBER WALLIS: It's all tangled up in
19 some sort of bureaucratic structure.

20 MR. MATTHEWS: Okay, I hope I didn't imply
21 that I thought it was bureaucratic. My view is that
22 this is a very important document.

23 MEMBER WALLIS: That's what I thought we
24 were doing. I thought we were looking at this at ACRS
25 and saying, "Well, is this good enough to go out as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this statement by the agency that shows that it's
2 really competent and knows what it's doing?

3 MR. MATTHEWS: And I think comments on its
4 usability, on whether it meets our expected goals of
5 being able to provide sufficient guidance are welcome
6 with regard to this document. The only clarification
7 I was --

8 MEMBER WALLIS: You're on a different
9 level here. I mean, maybe I'm off on something that's
10 inappropriate but I thought that's what we ought to
11 really focus on is not all this history of stuff and
12 so on but you know, does it have the quality, if it
13 will pass muster when it's reviewed by the technical
14 community out there.

15 MEMBER SIEBER: I think the overall
16 reliance on the safety of whatever plant you build
17 hinges basically on the codes to which it was built.
18 In other words, if there were no NRC, you would go to
19 ASME and IEEE and the concrete industry --

20 MEMBER WALLIS: You do in some of these
21 sections, they do that.

22 MEMBER SIEBER: You know, you could apply
23 a set of codes and end up with plants that are built
24 essentially the way current plants are built. This
25 document tells applicants which of the codes apply

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based the year of construction and other features,
2 plus what they need to send into the staff in order to
3 describe what it is they did and any anomalies that
4 showed up in the process of either design or
5 construction. And so the whole safety of the facility
6 does not necessarily rely on this document. It relies
7 on every document that's referenced and most
8 importantly the codes of standards.

9 MEMBER WALLIS: I don't think the codes of
10 standards help much with the safety features part of
11 it.

12 MEMBER SIEBER: Yeah, that's right.

13 MEMBER WALLIS: They don't say anything
14 about how you work out the minimum containment
15 pressure, for instance, and all that sort of stuff
16 that's in there. It's very much specific.

17 MEMBER SIEBER: The code speaks to that
18 but the code does allow some of the exceptions that
19 the staff and we have considered and allowed. For
20 example, in the I&C world where the codes actually do
21 say this, when you talk about redundancy and defense
22 in depth and those kinds of features, that actually
23 appears in the codes, but how a designer interprets
24 that is -- it can be interpreted and put into design
25 space in a lot of different ways. Some ways embody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those features more so than others.

2 MR. OESTERLE: One thing I think that's
3 important to note here is that this Reg Guide provides
4 guidance to the applicants on the information that
5 they need to submit as part of their application.
6 When a reviewer looks at that application, he doesn't
7 -- he or she does not take this Reg Guide and compare
8 the information against the Reg Guide. They have a
9 set of SRPs that they review the information against
10 which contains acceptance criteria --

11 MEMBER WALLIS: Why do you list all these
12 things here unless you expect to review them? I mean,
13 it seems to me that all these details are very
14 important. You put them in there because they're
15 going to have an influence on what happens.

16 MR. OESTERLE: And it matches up with the
17 Standard Review Plan. That will be reviewed by the
18 staff to insure that it meets the acceptance criteria.

19 MEMBER CORRADINI: If we're into
20 individual questions, I kind of want to jump off of
21 where Graham's asking. So he picked unfortunately a
22 section I reviewed but Section 6 is incredibly
23 detailed. So let me just rephrase what you just said,
24 which is if I go -- which I didn't maybe I should
25 have, gone to a Reg Guide, that level of detail we saw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in that chapter is reflective of a level of detail
2 either in a Reg Guide or a Standard Review Plan about
3 it's got to be this graph, it's got to be these units,
4 it's got -- to you know what I'm getting at?

5 There was some detail there that was
6 pretty awesome. And I'm -- and so I think to push the
7 point what Grahame is asking is there is somewhere
8 else that I would find exactly that level of detail.

9 MR. OESTERLE: Either the SRPs or the
10 Technical Reg Guides that provide guidance on how to
11 address some of those areas.

12 MEMBER CORRADINI: Okay.

13 MR. MATTHEWS: Let me take another
14 approach, maybe, to explaining or putting this
15 document in context. At such at time as an
16 application arrives at the NRC, this document will be
17 used, along with other checklists to determine whether
18 or not the application is sufficient for us to conduct
19 our review. It will be contrasted against this Reg
20 Guide to insure that each portion that we've asked the
21 information to be provided in is provided and it's
22 provided at the level of detail that's identified in
23 this Reg Guide.

24 We will then send a letter back, based
25 upon that review that will identify that we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accepted the application for docketing and at that
2 point in time, the review will start and the review
3 will be of that application against regulations,
4 standard review plans and Reg Guides. All right, and
5 SERs will start to be written on individual sections.

6 Once we reach that point, and by the way,
7 when we sent that letter back, we're also going to
8 send a letter back, I mean, a companion piece to that
9 letter which will be our proposed review schedule.
10 And that review schedule will take any number of
11 months. It might be as many as 30 or so, for us to
12 complete this review. That review schedule will be
13 predicated upon the degree of conformance that the
14 applicant has made to the information we've requested
15 in this Reg Guide, okay?

16 MEMBER WALLIS: So it's pretty close to
17 being regulation.

18 MR. MATTHEWS: Well, let me be clear. At
19 such time as that letter is sent back, this Reg Guide
20 will have served its purpose and it will not be
21 referred to again. You will not see anything in the
22 Safety Evaluation Report reflecting whether they did
23 or didn't conform to some information that was asked
24 for in this Reg Guide. It will be that they did or
25 did not provide information sufficient to satisfy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory requirements as reflected in the Standard
2 Review Plan. So this document serves a purpose, a
3 very important purpose, in anticipation of these
4 applications and their preparation but as such time as
5 that application is received for review, this Reg
6 Guide for all intents and purposes, for that
7 application goes on the shelf and isn't referred to
8 again. So I just want to be clear about that. It is
9 a very important document because it is going to
10 facilitate the efficient and timely review of these
11 applications by insuring that the information is
12 provided to us that we believe is necessary in order
13 for us to complete our review to its conclusion.
14 Okay, we're never going to avoid the need for, as I
15 say, request for additional information. We're trying
16 to minimize the amount of times that we're going to
17 have to request additional information by virtue of
18 saying up front what it is that you're expected to
19 provide in order to have us conduct our review.

20 So I'm just trying to put this in context
21 in terms of the role or the stepping stone that this
22 document provides and by no means, by stating it that
23 way do I mean to offer that -- or diminish its
24 importance. It is critically important but it serves
25 a purpose and no more than that, namely, its purpose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is to allow for the timely and efficient preparation
2 of the application in the hopes that it can meet our
3 new policy related standard is that we won't start
4 working until we have a full, complete and high
5 quality application. We've demonstrated our
6 willingness to return applications in the past in the
7 license renewal program.

8 We've also delayed acceptance of
9 applications for design certifications by virtue of
10 the fact that applications have been made who have
11 been incomplete. Okay, and we're not opposed to in
12 effect, sending them back if they don't meet these
13 criteria. In order to establish a basis for that
14 return, so to speak or sending an application back, we
15 had to be very fair with the industry in terms of what
16 our criteria was for our rejections or our delay in
17 acceptance.

18 And the criteria for rejections or our
19 delay in acceptance is this criteria. This is going
20 to determine the entry condition for us starting a
21 review. That's its purpose and frankly, that's its
22 sole purpose.

23 MEMBER WALLIS: So all these tremendous
24 level of detail about safety features really indicates
25 all the things that you're going to expect to see in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an application.

2 MR. MATTHEWS: Absolutely.

3 MEMBER WALLIS: So it's getting pretty
4 close to a requirement.

5 MR. MATTHEWS: No.

6 MEMBER SIEBER: Well, I mean, I reviewed
7 all this with just the opposite twist. For example,
8 I considered what it would take for me to be able to
9 make a determination that such and such a system
10 performs its function and will operate as designed and
11 installed. And then I looked at the draft guide and
12 it's underlying documents to see if the information
13 necessary to make that determination is requested,
14 asked for in this document and in a couple of places,
15 I had difficulty finding where there was sufficient
16 information to be able to make that determination and
17 you can't do that all through RAIs; otherwise you
18 would be in a sea of RAIs forever asking for
19 additional information.

20 So this sets a -- both a minimum and a
21 maximum amount of information that you could
22 legitimately ask a licensee to provide and I think
23 that we need to look at it both from the standpoint do
24 we ask for the minimum and are we excessive in
25 deciding what should be in there and what should not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Well, I mean, I looked at
2 it -- I reviewed it as a guidance document and it
3 seems to me that if I were somebody who wanted to
4 build a plant, it would provide a lot of guidance
5 well-focused. I like the document. I thought that it
6 is a good document. I was looking specifically at
7 some sections. One of them that was assigned to me
8 was Human Factor Engineering, and it clearly
9 identifies all the requirements that you would expect
10 with all that we know today about human factors and
11 the requirements coming from post-TMI accident and so
12 on and so forth. It would provide a complete list.

13 Now, when I was looking at completeness,
14 you know, it's hard to figure completeness and that's
15 why we go through this review processes, to see that
16 somebody identifies that we haven't covered something
17 or we have excessively covered something else. But I
18 thought that was a good document and I think that it's
19 a helpful document.

20 CHAIRMAN KRESS: I agree, Mario. And
21 surely an applicant won't just use this Reg Guide.
22 He'll have in mind the acceptance criteria and
23 standard review plan. He'll have -- he knows what the
24 regulations are he has to meet. So, you know, this
25 makes sure he looks at all those things and makes a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complete presentation. I think it's --

2 MEMBER SIEBER: It's basically a map.

3 CHAIRMAN KRESS: It's a map, and, so, you
4 know, he won't use this the absence of knowing about
5 all the other things. Did you have something to say,
6 Said?

7 MEMBER ABDEL-KHALIK: I was going to say
8 that the way I looked at this document is, it's just
9 nothing more than a fancy checklist. The function of
10 this document can be achieved if you have a detailed
11 checklist. It's just guidance for the Applicant to
12 know what information to provide and by looking at
13 that checklist, the NRC can decide whether or not they
14 have all the information that they need to make a
15 determination. Is that a fair sort of assessment of
16 what this document is all about?

17 MR. OESTERLE: At the very minimum, yes.

18 MEMBER SIEBER: Well, it doesn't establish
19 any new regulation or position.

20 MR. OESTERLE: No, it doesn't establish
21 anything new. It's a facilitation document.

22 MEMBER SIEBER: But it is a checklist.

23 MR. OESTERLE: A facilitation document is
24 a very good characterization, yes. Mr. Chairman, at
25 this point, it's 9:45. And we're scheduled to move

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 onto another presentation but we haven't come to the
2 point yet where committee members have asked any
3 questions on specific sections.

4 CHAIRMAN KRESS: Why don't we go ahead and
5 do that first, because we can always --

6 MEMBER WALLIS: You're going to go through
7 them from one to 22? How much time are you going to
8 spend on each one?

9 MEMBER SIEBER: Thirty seconds.

10 MR. OESTERLE: And I would ask that any
11 staff members that have any information on the
12 questions that do come up, please come up to the mike
13 and identify yourself and help me out with a response.

14 CHAIRMAN KRESS: We need to do that now,
15 while all your staff members are here. And I think
16 some of these questions have already been asked. Now,
17 in order to proceed, I guess we ought to just go
18 through the chapters in numerical order and so that
19 first one is -- well, it's mine and you know, my only
20 comment was this was -- this seemed sufficient to me.
21 It's such a high level description that it really --
22 I really didn't have any comments on my Chapter 1. I
23 did have a question, which I've already asked, which
24 is, is there a requirement anywhere for a Level 3?
25 And I think there ought to be somewhere but I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know where -- it may show up in the Environmental
2 Impact Statement but I don't know. But I really
3 didn't have any comments on Chapter 1.

4 And Chapter 2 is Dana powers. Dana is not
5 here and we didn't actually receive any comments from
6 him yet. They may come later in written form, so
7 we'll skip that and you'll get written comments on
8 that. So we go to Bill Shack, Chapter 3.

9 MEMBER SHACK: What is Chapter 3 again?

10 CHAIRMAN KRESS: That's Design of
11 Structures, Components, Equipment and Systems.

12 MEMBER SHACK: Okay, yeah, I guess I had
13 a number of comments, but mine were all sort of, of
14 nits really. One of the things I was interested in
15 was , you know, reference to the guidance, you know,
16 you bring up Reg Guide 156 on BWR Water Chemistry
17 which is an obsolete Reg Guide. I'm not sure why it's
18 been deleted and replaced in this discussion. It
19 basically provides quality -- you know, you have a
20 discussion of PWR water chemistry because you don't
21 happen to have a Reg Guide on it. You just provide
22 general consistent discussion because there's an old
23 out of date Reg Guide on BWR water chemistry that's
24 brought in, but as far as I'm concerned, that Reg
25 Guide would not be an acceptable treatment of BWR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water chemistry and it probably ought to be discarded,
2 would be my recommendation. I see no reason to update
3 it but I also see no reason to pretend that it's an
4 acceptable treatment of BWR water chemistry.

5 MR. KOENIG: This is Steve Koenig and on
6 the Standard Review Plan side we have addressed Reg
7 Guide 1.56 and in this subsequent consistency
8 conformance check, that is one of the things that we
9 will address, that Reg Guide in particular. And we're
10 going to replace it with, I believe it's EPRI water
11 chemistry guidelines.

12 MEMBER SHACK: The other thing is there's
13 no references in this -- well, I could only find one,
14 you reference the EPRI document on flow assisted
15 corrosion. So you've established a precedent that you
16 can cite non-NRC documents but that's the only one.
17 I would have thought there'd be some reference to, for
18 example, to PWR and BWR water chemistry guidelines.

19 MR. KOENIG: Right, and I believe that
20 consistency check when we were developing these
21 guidance document, obviously, we wanted to get a
22 product out on DG-1145 first. When we're going
23 through the Standard Review Plan, we are picking up
24 some of those areas. And then the conformance check
25 in the next three months will address those type of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DO's and make sure they're consistent.

2 MEMBER SHACK: And then I guess my other
3 comment was that actually, you had a good discussion
4 of leak before break in there and I just wondered why
5 there wasn't a Reg Guide on this. I mean, everybody's
6 going to be doing it, I think and, you know, we should
7 have, after 20 years have formalized the requirements
8 into a Reg Guide, I would think. I thought you had
9 one like two or three years ago and it never quite
10 made it.

11 MR. CHAN: Terrence Chan, I'm Chief of the
12 Piping and NDE Branch. I used to have responsibility
13 for LBB a couple of years ago. The staff had embarked
14 on the development of the Reg Guide and a draft had
15 been developed by the Office of Research. Because of
16 developments related to PWSCC and our need to rethink
17 the basis for the position of two mitigated methods
18 that need to be present, in light of active
19 degradation in piping that might be candidates for
20 leak before break, we decided to put that Reg Guide in
21 abeyance because of concerns related to our
22 understanding of PWSCC.

23 Recent examples of PWSCC or in-service
24 cracking that's attributed to potential PWSCC at Wolf
25 Creek has resulted in us taking a additional looks as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to whether or not the guidance that's currently out
2 there for PWSCC is applicable and it's for that reason
3 that the Reg Guide is not yet finalized.

4 MEMBER SHACK: Okay, so we're going to
5 march ahead making leak before break decisions but we
6 haven't formalized any guidance on which to do it.

7 MR. CHAN: The current guidance that's out
8 there is still current as far as we've determined to
9 date. We're looking to see whether it needs to be
10 changed and that's what the Reg Guide would do is to
11 reflect any changes to current requirements. We've
12 not made any decisions on that yet.

13 MEMBER SHACK: I guess the other comment
14 I would have is not so much on this chapter. It goes
15 back and forth. That is, there seems to be some
16 inconsistency between the chapters which is not
17 surprising, since they're all written by different
18 people. But you know, the guy doing the feedwater
19 piping system I thought had a very good suggestion on
20 ISI. He's got some section that says, you know, what
21 are you doing to make sure that cast stainless steel
22 is volumetrically inspectable? You know, what
23 requirements are you going to do on it? And so he
24 does that on the secondary piping system, the Class 2
25 piping system. The Class 1 piping system makes no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment on that and merely reflects you back to the
2 ASME code. And so I would think there needs to be
3 some cross-check here to make sure that the
4 requirements within the document seem roughly
5 consistent and at the right level. But I'd take the
6 one from the feedwater piping and use it for the Class
7 1. I thought it was a pretty good idea myself.

8 MEMBER SIEBER: Yeah, but the code
9 requires inspectability, the code by itself.

10 MEMBER SHACK: Yes, well, but this one had
11 an additional statement focusing on cast stainless
12 steel and just what measures you were going to make to
13 make the casting which seemed to me a good question.
14 And again, I'm not up to date on the latest
15 requirements in the code, in terms of a more specific
16 suggestion, but it just -- if it's a good suggestion
17 in one chapter, it ought to be a good suggestion in
18 another chapter.

19 MEMBER WALLIS: Now, isn't it a suggestion
20 that came out as a result of writing this document?
21 It's something new?

22 MEMBER SHACK: Well, I think it's
23 experiential. You know --

24 MEMBER WALLIS: Experiential, gathering
25 together experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: Now that people have tried
2 to inspect cast stainless steel piping, they find that
3 they --

4 MEMBER SIEBER: It's not easy.

5 MEMBER SHACK: -- it's not easy.

6 MR. COLACCINO: This is Joe Colaccino of
7 the staff and that's not the first time we've heard
8 that comment and we think it's an excellent point.
9 When we go to final, those are some of the things
10 we'll try to rectify.

11 MEMBER SIEBER: On the other hand, in
12 order to get around the problems of defining
13 indications of the cast piping, you almost have to
14 switch to some other kind of piping.

15 MEMBER SHACK: It might not be such a bad
16 idea.

17 MEMBER SIEBER: Well, yeah, okay.

18 CHAIRMAN KRESS: Okay, Sam, your turn,
19 Armijo.

20 MEMBER ARMIJO: I had Section 4 or Chapter
21 4, the Reactor and I reviewed that. I found it to be
22 very complete, the sort of things that we've always
23 addressed in preparing FSARs, a long list of things to
24 worry about and -- but what I had problems is, I
25 couldn't find and I expected to find in the reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 section, a really solid chapter in materials and
2 materials degradation issues and I couldn't find it
3 there, but I found more information in the following
4 Section 5, Reactor Coolant System and Connected
5 Systems which Jack was reviewing.

6 And it just struck me that this industry
7 has had such a terrible problem with materials
8 degradation and choices of materials, you know. If
9 any of these new reactors have stress corrosion
10 cracking, we ought to fire ourselves. Something --
11 and what I'm worried about is that the corporate
12 memory in the industry on these materials issues may
13 not exist unless we make it part of this Reg Guide in
14 some way where there's a focused attention to the
15 issue of material selection, materials fabrication,
16 environmental issues or all the phenomena that we know
17 of are identified and where the applicant says, "I
18 know about this problem, here are the solutions to
19 this problem. This is how they're going to be
20 incorporated in our design". And rather than having
21 it sprinkled all over the Reg Guide, I just thought
22 there's -- it's justifiable to have it as a special
23 materials and environmental section somewhere. That's
24 really my comment.

25 And there are some inconsistencies as Bill

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pointed out, on the water chemistry, a lot of
2 information on obsolete BWR water chemistry, which is,
3 you know, nobody uses any more. So I think it could
4 be improved, but as far as the amount of information
5 requested, it's clearly an enormous amount of
6 information but the industry is used to that. We know
7 how to get this stuff. So basically, that's my
8 comments. I had some other minor comments that I sent
9 to Dave on typos and wording, but that's about it.

10 MR. OESTERLE: Yeah, I would suggest that
11 your comment on the materials degradation is a good
12 one. Just by the very nature of the way this document
13 was organized and structured on a chapter by chapter
14 basis in accordance with the FSAR, the discussions of
15 materials degradation would be -- would show up in the
16 systems and component sections as they apply to rather
17 than say a centralized location. And I would suggest
18 that, perhaps, a more technically based reg guide
19 rather than a roadmap like this would be the
20 appropriate place to put all of that industry and
21 corporate knowledge with respect to material
22 degradation.

23 MEMBER ARMIJO: I may have an additional
24 agenda because traditionally the material selections
25 in the existing fleet of plants were made by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mechanical engineers designing to code. The
2 metallurgists and the water chemists were only brought
3 in after things started to crack. And what I'd like
4 to do is in this Reg Guide is put the cart before the
5 horse. You know, let the people who have experienced
6 and solved -- had to solve a lot of environmental
7 cracking problems, material selections, the proper
8 materials selections, let -- force that up to the
9 front.

10 It's been a chronic problem in this
11 industry and we should address it with this Reg Guide
12 and the designers, whether it's the GE's or the
13 Westinghouses or the AREVAs, those guys, perhaps, will
14 put the right kind of design team together so that the
15 application really -- and the design really reflects
16 the knowledge that's out there as opposed to repeating
17 the same mistake we made the first time around.

18 MR. COLACCINO: This is Joe Colaccino
19 again. Eric, we have a real advantage. We've got all
20 250 SRP sections here in front of us and Section 452
21 certainly covers materials degradation and so it's a
22 good comment again, and I think we'll take that back
23 and look at that.

24 MEMBER SIEBER: On the other hand, I don't
25 think that by regulation or regulatory guide, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agency ought to be in the business of selecting
2 materials for the licensee.

3 MR. OESTERLE: No, but the --

4 MEMBER SIEBER: All you have to do is list
5 the properties and how you're going to examine them
6 and what criteria you're going to use.

7 MEMBER ARMIJO: But, Jack, the applicant
8 should say, "Here are the phenomena that can degrade
9 the performance of the materials and we understand it
10 and this is how we're going to treat it and we don't
11 expect to see any stress corrosion cracking, IAFCC,
12 PWFCC." My gosh, if we can't do that in a new set of
13 reactors, something is wrong and I think the NRC
14 should put that at the forefront, that we don't expect
15 -- we want a complete, thorough treatment of the
16 materials and the environment together so that these
17 plants run reliably.

18 I just -- because I'm afraid that some of
19 these things people have -- the knowledge just might
20 disappear over time and we'll slip back into the same
21 kind of problems we've had in the past. That's all
22 I've got.

23 CHAIRMAN KRESS: Okay, moving on, Jack,
24 you're next, Cooling System.

25 MEMBER SIEBER: Yeah, I read through this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several times and went to a lot of the -- some of the
2 reference documents to make sure I understood what was
3 in various places. I ended up starting off with some
4 questions which by the time I got to the end, those
5 questions were answered. It's mainly because it was
6 in a different order than I would have written it, had
7 I written it. On the other hand, I do have some
8 questions.

9 First of all, when you describe the
10 reactor coolant system, one of the things I was
11 looking for is foundations, hangers, supports, seismic
12 restraints, things like that. And I didn't find
13 discussion of those and then I got an e-mail from Bill
14 telling me where to look for it and to me, that
15 description did not seem real complete.

16 In the early days there was difficulties
17 with PWR steam generator supports. There's a lot of
18 changes in seismic snubbers and how one analyzes for
19 the motion and the stresses there. And I think there
20 needs to be more description of what the licensee
21 proposes to do as far as hangers and supports are
22 concerned.

23 I did not find too much of a reference to
24 fatigue life and the potential for description of the
25 fatigue analysis that went -- that the licensee is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supposed to do. I also would like to have seen a
2 description of the design limitations for hydros of
3 the reactor coolant system pressure boundary. I think
4 that they are part of the tech specs when the plant is
5 finally licensed but the basis for that probably
6 should be in the FSAR.

7 With regard to describing the materials
8 content and the configuration of the reactor coolant
9 system, including all of its components and the
10 piping, I thought that discussion was pretty good even
11 though it appeared in a couple of different places.
12 On the other hand, a concern of mine revolves around
13 one instance would be the Oconee Reactor Coolant
14 System Well problem where a well repair was made
15 during the construction phase. The geometry of that
16 repair, while it existed someplace, would have been
17 better described in the application so that everybody
18 was aware of what had been done there, which code
19 cases applied to make it acceptable under the ASME
20 code and as we know, it, ultimately, began to leak.

21 If I were to try to do an analysis, I
22 would like to have some geometric cross-section
23 drawings of how some of these wells were made,
24 particularly feritic to osonitic (phonetic) wells
25 where buttering is used and what those compositions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are. Actually you do ask for that. You ask for all
2 the chemical compositions of the metals in the reactor
3 pressure vessel and I thought all of that was
4 adequate.

5 So I'm not suggesting that you need to
6 make a change there but I think it's something you
7 ought to look at again to make sure it satisfies your
8 needs and the reviewer's needs because the reviewer
9 has to make a determination based on what the licensee
10 presents. And so I would be satisfied with that.
11 Otherwise, I thought the section was pretty good and
12 I think that if you use just that and the reference
13 codes and standards and other Reg Guides, you could
14 build a 1980 style plant right from that.

15 MR. OESTERLE: Thank you.

16 UNIDENTIFIED SPEAKER: That was a
17 compliment.

18 MEMBER SIEBER: Yeah, and the FSAR would
19 look just like the ones that are out there.

20 MR. OESTERLE: Okay, thank you for those
21 comments. For detailed responses, I'll defer to the
22 appropriate staff members but I will make an
23 observation that perhaps, some of the details that you
24 are looking for may be verified during the
25 construction phase by ITAAC or by engineering design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 verification efforts or first of a kind engineering
2 inspections.

3 MEMBER SIEBER: Yeah, a lot of these
4 questions arose during the construction phase but the
5 idea here in making this whole process more efficient,
6 is to foresee where the problems are and do the
7 analysis up front before you've invested money in
8 fabrication and materials and labor and so forth. So
9 I think that's also a consideration rather than to
10 say, "Well, you build it and I'll tell you whether
11 it's any good or not".

12 MEMBER SHACK: Moving on --

13 MEMBER WALLIS: Can I -- this is one
14 section I looked at, just randomly looked. I assumed
15 it was my job to look at something.

16 CHAIRMAN KRESS: All right, why don't you
17 start?

18 MEMBER WALLIS: I wasn't quite sure what
19 I was looking at because the CD simply has a whole lot
20 of numbers on it and it didn't tell me which chapter
21 I was -- I just picked one, and said, "I'll read that
22 and see what it". I couldn't make connection. Didn't
23 -- none of us had a problem with -- 060440351 is
24 Section 8, how am I supposed to know that? So I -- I
25 thought it was a pretty good section. I did notice

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the -- in some of these sections, in this one, there
2 are some interesting typos. Here you're talking about
3 the extent of insolubility of a fluid system has
4 provided by isolation valves. Now presumably it's not
5 insolubility, it's isoloability if that's a word.

6 CHAIRMAN KRESS: Isolatability?

7 MEMBER WALLIS: If there is such a word
8 but you don't make in insoluble by closing a valve.

9 UNIDENTIFIED SPEAKER: That's a mechanical
10 engineering word.

11 MEMBER WALLIS: So I'll move on from that.
12 It was a pretty short section, really, so it was --
13 compared with the next section.

14 CHAIRMAN KRESS: Yeah, well, let's go onto
15 the next section, then.

16 MEMBER CORRADINI: I want to talk about
17 PRA and severe accidents. So I -- other than the fact
18 it's incredibly detailed, I did two things. I went
19 back and looked at the Kewanee FSAR and everything
20 you're requiring the folks to do is in some old --

21 MEMBER WALLIS: You're jumping to Section
22 19?

23 MEMBER CORRADINI: Huh?

24 MEMBER WALLIS: You're talking about
25 Section 19 now?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: No, 6. 6, I got two
2 assignments, so I want to save my fire for --

3 MEMBER WALLIS: Save your fire for that
4 one, okay.

5 MEMBER CORRADINI: So other than the fact
6 it's very detailed, everything -- if I were to go back
7 to an old -- my way of checking is to go back to an
8 old FSAR and just kind of do a cross-comparison and it
9 was all there. So other than that, I'm still struck
10 by you need a checklist in that amount of detail. If
11 you want it, that's fine. If you will turn back the
12 applicant because he doesn't have it, okay, but other
13 than that, I would say the NEI comments, they found a
14 lot of really fun typos and so I agree with theirs.

15 CHAIRMAN KRESS: Okay.

16 MEMBER WALLIS: Can I say something about
17 this section?

18 CHAIRMAN KRESS: Sure.

19 MEMBER WALLIS: Again, I was struck by the
20 extraordinary level of detail. Everything that you
21 could possibly think of that you have to worry about
22 with safety features. Just a couple of things. There
23 is one section to analyze the effects of small
24 particles that penetrate the sump screen and I just
25 don't know if they know how to do that because, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean, this whole sump business, they're asked to do
2 things but we don't really know if they know how to do
3 it. We don't even know if the staff knows how to
4 evaluate what they've done.

5 On the subject --

6 MR. COLACCINO: We want that to be
7 considered.

8 MEMBER WALLIS: The subject of fan
9 coolers, there was a whole safety issue on the
10 draining of fan coolers and subsequent water hammer
11 effects. It doesn't appear here at all. There's no
12 concern -- I think there ought to be something here
13 about what happens to fan coolers during accidents and
14 when they drain and refill. I've found this was
15 missing completely from this and among all the
16 extraordinary level of detail, it wasn't there and so
17 I expected it should be there.

18 MR. OESTERLE: If the designs include
19 those, then --

20 MEMBER WALLIS: Well, you talk about fan
21 coolers in your RG-1145, then you need to make it
22 complete. What was this design leakage rate of
23 secondary containment greater than 100 percent a day?

24 MEMBER CORRADINI: That wasn't primary
25 containment. That's what our e-mail back and forth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was --

2 MEMBER WALLIS: So what do you mean by
3 that? What is primary and secondary containment? Am
4 I just confused about --

5 MEMBER SIEBER: Pressure boundary is
6 primary.

7 MEMBER CORRADINI: Yeah, pressure boundary
8 is primary at .1 percent per day.

9 MEMBER WALLIS: So what is secondary
10 containment then?

11 MEMBER SIEBER: Keeps the rain off the
12 primary.

13 MEMBER WALLIS: Now, wait a minute, wait
14 a minute, be serious about it. What do you mean by
15 secondary containment and why is the leakage rate
16 allowed to greater than 100 percent a day?

17 MR. OESTERLE: Any staff want to take a
18 crack at that?

19 MEMBER SIEBER: I could give you an idea.
20 I worked in a plant that had primary and secondary
21 containments. The secondary containment was there in
22 case a leak developed in the primary containment that
23 you could do something with it as opposed to allowing
24 it to escape to the atmosphere and so it had filter
25 banks on it and charcoal absorbers and things like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that but it was not designed to be leak tight.

2 MEMBER CORRADINI: Can I try another
3 thing, Graham? My interpretation, when you e-mailed
4 me, I thought you were talking about primary
5 containment. Then I found that same sentence.

6 MEMBER WALLIS: It is secondary
7 containment.

8 MEMBER CORRADINI: Yeah. I found that
9 sentence. My interpretation -- the staff knows better
10 than I but 10 CFR 100 has no requirement on a
11 secondary containment. It's primary containment at .1
12 percent per day based on a certain pressure
13 temperature evolutionary history. Right, from TID,
14 whatever it is.

15 MEMBER SIEBER: Right.

16 MEMBER CORRADINI: So that's it. Am I off
17 base?

18 MEMBER SIEBER: No.

19 MR. COLACCINO: This is Joe Colaccino. I
20 don't think we have the staff here to support a
21 discussion on this comment, so we'll take it back and
22 appreciate it.

23 MEMBER WALLIS: Yeah, I just saw 100
24 percent of the day. I wonder where did that come fro.
25 It seemed a strange number, that's all. When you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about ice condenser, ice condenser was called
2 a fission product. Ice condenser is not a fission
3 product.

4 MR. OESTERLE: That was a typo.

5 MEMBER WALLIS: Something is really
6 strange. Okay, that's another one of those strange
7 things. Again, when you're talking about
8 effectiveness of the sump for moving products, these
9 sentences don't go anywhere. There are some typos or
10 some missing text or something on page C165.5.5.1(1),
11 got all that. There's some incomplete sentences
12 talking about the effectiveness of the sump.

13 I guess we're supposed to read at this
14 level of detail if that's provided. Generally
15 speaking, I thought I was impressed with the level of
16 detail that was covered in this, in this section,
17 which is why I viewed it as sort of a statement as I
18 said earlier, by the agency of, "These are the things
19 that we consider when we're evaluating a submission,
20 a submittal". And in a way you're trying to do two
21 things. One is to prevent there being a lot of RAIs
22 because you already asked for the stuff and the other
23 is, I think for public consumption, you're letting the
24 world know that these are the things you really do,
25 and I don't think you want to underestimate that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 CHAIRMAN KRESS: All right, Said, are you
3 prepared to talk about your chapter?

4 MEMBER ABDEL-KHALIK: Yes. My questions
5 on Chapter 7 center mostly on Appendix C17A which deal
6 with digital instrumentation and control system
7 application guidance. Specifically, Item 6 and 7 of
8 that appendix deal with the life cycle process
9 requirements and software life cycle design outputs.
10 And in those two items, for example, Item Number 6, it
11 says that the computer system functional requirements
12 should be documented using a systematic process and
13 then it goes on to say that a statistically valid
14 sample of system requirements should be selected to
15 confirm that the applicant licensee's life cycle
16 activities have been implemented as planned. What
17 bothers me is the next sentence where it says that,
18 "The sample size should be such that the staff can
19 conclude with at least 95 assurance that the quality
20 of the design has been validated."

21 The question then is, why 95 percent? Is
22 that adequate even for safety systems? Is that
23 requirement spelled out somewhere else? Does that 95
24 percent confidence level come from somewhere else?

25 MR. LI: This is Hulber Li,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Instrumentation Control Branch. We had similar
2 comment from industry so we plan to --

3 MEMBER ABDEL-KHALIK: I'm sorry.

4 MR. LI: We have similar comment from
5 industry so we're going to revise the guidance.
6 Basically, we try to require the applicant provide a
7 index of the documentation to demonstrate they have
8 complied with the high tech requirements. So we would
9 go from the index list and pick the documentation
10 we're going to audit. The original intent is try to
11 give through a screening process so give more
12 confidence but you are right, you know, we don't have
13 really specific 95 percent this criteria. So we
14 change our wording on that.

15 MEMBER SIEBER: Maybe one thing I would
16 comment on, too. I actually looked at this section,
17 not because it was assigned but I was interested in
18 it, and one thing that I noticed there was a meeting
19 with the commissioners, between the staff and the
20 commissioners that talked about digital instrument and
21 -- instrumentation and controls and part of that
22 discussion had to do with independence of protection
23 systems versus control systems and what 3Ds mean, you
24 know, redundancy, diversity and defense in depth. How
25 does one translate that into a design and there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some mention in the IEEE codes that are referenced
2 here but those references are pretty vague to me. And
3 as a former instrument and control designer, which I
4 did years ago, there isn't enough here to tell me you
5 know, to what extreme should I apply the design to
6 achieve diversity and redundancy and so forth and it's
7 sort of left up to the beholder.

8 I could see a lot of different systems
9 that have varying degrees of these attributes fitting
10 the definitions of the Codes of Standards in this
11 Regulatory Guide and to me I don't think that this
12 document and its reference documents are up to date
13 with respect to the thinking of the Commission right
14 now.

15 MR. OESTERLE: You're absolutely right.
16 There has been some discussion with the Commission and
17 in fact, the staff and the industry are looking at
18 ways to resolve these types of issues and when that
19 happens, the results of those discussions between
20 staff and industry will certainly inform this guidance
21 document and we'll update it to reflect --

22 MEMBER SIEBER: Yeah, but in order to do
23 that, you're going to have to increase the amount of
24 regulation that you apply and I'm not -- I don't know
25 whether that's a back-fit or not or how one interprets

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that but right now, everything seems to me to be so
2 loose that once you become more specific in the
3 minimum requirements that you expect to see, that
4 means more rigorous regulation. I'm not sure how
5 you're going to do that.

6 MR. OESTERLE: We'll make sure that our
7 guidance document conforms with the regulations.

8 MEMBER SIEBER: I'm sure that you will.

9 MEMBER WALLIS: I read this section, too,
10 and compared with the previous section, it is vaguer.
11 And the previous section, obviously represents a lot
12 of history, maybe RAIs on safety features and you know
13 what you're doing there. In the case of I&C it was
14 vague. A lot of things are to be addressed and then
15 were was some sort of discussion about how one might
16 address them, but it's nowhere near as specific as
17 safety systems.

18 And one particularly I picked up was they
19 should address cyber-security requirements but there's
20 no indication of what these are or if the agency knows
21 what they need to be, if the applicants know what
22 cyber-security requirements need to be. It just
23 simply says they should be addressed. So this
24 probably is an important area.

25 MR. LI: This is Hulbert Li.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: I was going to say
2 certainly this chapter does not include as much detail
3 as many of the other chapters in the document.

4 MEMBER WALLIS: Are you going to get some
5 guidance on cyber-security?

6 MR. LI: Yes, the Reg Guide 1.152 Revision
7 2 has specific some guidance on the cyber-security and
8 industry have a meeting with NRC in October 19th and
9 then going to another meeting December 12th, where
10 touch on this subject also. So we're still in the
11 communication with industry to resolve this concerns.

12 MEMBER WALLIS: It's not quite like sort
13 of thermo-hydraulics where you can build a test rig
14 and see if it works. Cyber-security, you've got an
15 active enemy there and I presume you can do tests but
16 they're different kind of tests. It's almost a game
17 you have to play and an active enemy trying to break
18 in.

19 MEMBER SIEBER: On the other hand, if you
20 close all the doors where the active enemy can get
21 there, for example, don't have data links or
22 networking outside the site --

23 MEMBER WALLIS: Yeah, you can do that sort
24 of thing, right, make it impossible to get in, that's
25 right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yeah, so that only your
2 friends can get in, some insider threat.

3 CHAIRMAN KRESS: Let's move on to your
4 Chapter 8.

5 MEMBER SIEBER: Okay, electrical, I
6 probably shouldn't say this, but electrical to me the
7 regulations have been around for a long time. They're
8 quite specific. They're pretty cut and dry. They're
9 properly referenced in this document. The only area
10 that caused me to scratch my head a little bit was the
11 expectation that the document has regarding grid
12 stability. For example, station blackout or loop
13 events are really an abnormal occurrence and the way
14 the document, this Regulatory Guide asks for the
15 licensee to submit an analysis and to describe the
16 means for having real time analysis performed by the
17 system operator, I think that was okay in a vertically
18 integrated utility where you could do that, but not
19 all system operators out there do real time analysis
20 all the time in support of nuclear plants at least
21 where I live they don't do that.

22 And so that may be a requirement that a
23 licensee can't meet. Also, the analysis that's to be
24 submitted is supposedly a probable worst case analysis
25 but in effect, it is not a worst case analysis. A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worst case analysis, the grid would fail and you would
2 be isolated and all your emergency systems would take
3 over. I think it's okay to ask those questions and
4 because it prompts licensees to maintain a
5 relationship with the system operator which I think is
6 essential and, perhaps, cause the industry to develop
7 the tools that are necessary to comply with what the
8 NRC staff is asking for.

9 On the other hand, right now, I don't
10 think that's available in every case for all plants
11 and as long as that understanding is in everybody's
12 mind when they review submittals, I think it's okay.
13 But otherwise, this chapter was done very well. The
14 regulations are quite specific. I guess one other
15 area where it talks about protection, electrical
16 protection schemes are pretty standard. You get a
17 copy of the Silent Sentinel and follow what it says in
18 there, you'll end up with everybody's standard
19 protection scheme.

20 It talks about microprocessor control
21 devices which to me means things like timers and other
22 kinds of relays that use solid state controls. You
23 have to be careful of the quality of the power supply
24 to those and I learned that through bitter experience,
25 because if you have surges in your DC power system, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can knock out micro-processor timers, reset them to
2 zero. Things like diesel generator sequencers will
3 not work that way. You may not get breaker openings
4 and closings as you want. I think the standards now
5 have adequately addressed power conditioning and power
6 controls but it's an area for the staff to pay
7 attention to in their review. That's it for
8 electrical power.

9 MEMBER WALLIS: I also read this. I agree
10 with Jack, it was well done. I liked it because it's
11 technology neutral and you could have any reactor and
12 this is one of those things you could carry forward to
13 any system.

14 MEMBER SIEBER: You could even have a cold
15 fire plant.

16 MEMBER WALLIS: That's right.

17 CHAIRMAN KRESS: Okay, let's Auxiliary
18 Systems is not here, so we'll skip that.

19 MEMBER WALLIS: What are you going to do
20 with those? I note Ballinger (phonetic) for instance,
21 had quite a bit of comment but he's not here. Are we
22 just going to skip all those things or --

23 CHAIRMAN KRESS: We're just going to give
24 them the written comments.

25 MEMBER WALLIS: You're going to give them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the written comment and there's going to be no
2 resolution or no response here?

3 CHAIRMAN KRESS: They can just treat them
4 like public comments and do what they want with them.

5 MEMBER WALLIS: Okay, fine.

6 CHAIRMAN KRESS: Sorry, I don't know any
7 other way to do that. I don't want to paraphrase
8 them.

9 MEMBER WALLIS: That's just fine. I was
10 just wondering how we were going to do it.

11 CHAIRMAN KRESS: Okay, so Chapter 10,
12 Said, that's yours again.

13 MEMBER ABDEL-KHALIK: Yes. In Chapter 10,
14 perhaps the current reflects the fact that different
15 chapters of this document were written by different
16 people and there was no attempt to sort of cross-link
17 all these different chapters and sort of make sure
18 they're consistent. For example, Chapter 10 has a
19 small section on water chemistry for PWRs and from
20 what we heard earlier, Chapter 3 has a section on BWR
21 water chemistry, albeit, it refers to an obsolete reg
22 guide. And the question is, you know, shouldn't there
23 be sort of the cross-correlation between the different
24 chapters just to make sure that, number 1, there is no
25 duplication of material and if there is duplication,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at least that the material is consistent?

2 MR. OESTERLE: I think the information in
3 Chapter 10 on the PWR water chemistry was related to
4 the secondary side and the BWR information was related
5 to the primary.

6 MEMBER ABDEL-KHALIK: Yes, I understand
7 that but so you feel that the fact that this is put in
8 Chapter 10 versus the other material that's included
9 in Chapter 3 is appropriate.

10 MR. OESTERLE: It depends on what the SRP
11 sections are looking for and I'm seeing nods of
12 agreement from the staff that, yes, Chapter 10 is the
13 appropriate place for that information.

14 MR. KOENIG: And, yes, during this
15 conformance and consistency check we will try to pick
16 up what's in water chemistry to make sure it's handled
17 consistently.

18 MEMBER ABDEL-KHALIK: Okay, thank you.

19 CHAIRMAN KRESS: Okay, thank you. Chapter
20 11, 12 and 13 we'll have to skip because those people
21 aren't here.

22 MEMBER WALLIS: Chapter 11 comes after you
23 operate it for awhile.

24 CHAIRMAN KRESS: Yeah, but there needs to
25 be some discussion there. Chapter 14 is mine. I thought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the description of the initial test program and ITAAC
2 was very good and I had no particular comment.

3 Chapter 15, Banerje (phonetic) is not
4 here. He had extensive comments, which we'll include
5 in the written section. 16 and 17 for Maynard is not
6 here, so that brings us down to 18. Mario Bonaca,
7 it's yours.

8 MEMBER BONACA: Yeah, I reviewed this
9 section and I think it's an excellent section. I
10 think it's very detailed. It goes from planning and
11 analysis to effect on design, procedural development,
12 training program, VNV, and I think that it's an
13 excellent guidance. I reviewed the industry comments
14 and I think they're good comments. Most of them ask
15 for some clarification or expansion and I don't see
16 that there is any staff -- I mean, actually, I believe
17 there is already a commitment of the staff during some
18 of those meetings to bring closure on those issues.
19 So I think it is very good.

20 CHAIRMAN KRESS: Thank you. Chapter 19.1
21 is Apostolakis but he's not here. But I wondered if
22 -- Mike Corradini has left. He implied that he may
23 have some -- we'll get back to him.

24 MEMBER WALLIS: Yeah, when he gets back.

25 CHAIRMAN KRESS: His is also the next one,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is severe accident. Seismic margins was Dana
2 Powers and Mike may have some comments on that one
3 also, which brings us down to 20, which is Generic
4 Issues. That was fine, I had no comments on that.
5 Banerjee is not here and Apostolakis is not here.

6 MEMBER WALLIS: Yeah, if we get into
7 computer code validation, that might take a whole day.

8 CHAIRMAN KRESS: Yeah, where is that?

9 MEMBER WALLIS: That's number 21, too,
10 computer code validation.

11 CHAIRMAN KRESS: Yeah, that was one that
12 may take awhile but we'll just have to wait until we
13 see Banerjee's written comments. So that leaves us
14 waiting for Mike to come back and talk about his
15 sections. Since he's not here, would you like to take
16 a break?

17 MEMBER WALLIS: Yes.

18 MR. OESTERLE: Mr. Chairman, the next
19 presentation does talk about PRA as well, so perhaps
20 that might be a good segue for Mr. Corradini's
21 comments.

22 CHAIRMAN KRESS: Yeah, that would be a
23 good time for it. Yeah, okay, that's great. So I
24 suggest now that we take a 15-minute break to -- be
25 back at 10 minutes till 11:00.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (A brief recess was taken at 10:29 a.m.)

2 (On the record at 10:48 a.m.)

3 UNIDENTIFIED SPEAKER: Well, since we
4 don't seem to have Mike -- where did Mike go? He
5 disappeared again. So why don't we just to on to this
6 discussion that's next on the agenda which I guess is
7 the PRA discussion?

8 MR. HARRISON: Can I ask how we get the --
9 back up?

10 CHAIRMAN KRESS: You want, what, slides?

11 MR. HARRISON: I want the slides. Thank
12 you.. My name is Donny Harrison. I'm with the NRR,
13 Division of Risk Assessment and I'm going to discuss
14 the Chapter 19 of the FSAR or I think in the guidance
15 it's C.I.19, as well as the supplemental information
16 that was to be provided in C.II.1. We'll talk about
17 some recent changes that have occurred to the proposed
18 rulemaking on Part 52 and the impacts of that change,
19 the basis for the guidance that's in the Regulatory
20 Guide, the overall objectives of the PRA and severe
21 accident evaluations, and then just an outline of what
22 the Chapter 19 regulatory guidance requires.

23 Okay, the first thing is the recent change
24 to the proposed rulemaking. In the initially issued
25 draft rulemaking that went out for public comment,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a Part 52.80(a) requirement that required
2 the submitted of the plant-specific PRA. This is what
3 fed into Section C.II.1. There were public comments
4 on this section while we were completing -- after we
5 completed the draft guidance based on the staff's
6 original comment resolutions. The NRC's position
7 changed in regard to the need for the submission of
8 plant specific PRA for the COL application.

9 MEMBER WALLIS: If it's available, why
10 can't they just mail it to you? It seems sort of
11 ridiculous to do it this way. I mean, if you want it,
12 you could have it. If you want to look at it, you can
13 look at it. But having them have it in their office
14 and it's ridiculous. They can just send you a copy.

15 MR. HARRISON: Well, except the NRC -- and
16 I'll defer to maybe legal counsel but if someone sends
17 us something that's part of an application, then we
18 would docket it. This would be supplemental
19 information that would not be docketed as part of the
20 license application.

21 MEMBER WALLIS: So you only get it if you
22 ask for it?

23 MR. HARRISON: We'll get to the --

24 MEMBER WALLIS: Ask for it, then you'll
25 get it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: We'll get to the impacts of
2 this change in position on the next slide.

3 CHAIRMAN KRESS: Is the implication that
4 if they required this submittal, then it would be part
5 of the licensing basis; whereas, if they leave it like
6 this, it's not really part of the licensing basis?

7 MR. RUBIN: This is Mark Rubin, Branch
8 Chief in the PRA Branch. I have only very limited
9 information in this area. I'll share what little I
10 know and then it can be supplemented by the new
11 reactor projects folks. Late in the concurrence
12 process, there was a decision by senior management to
13 remove the requirement that the PRA be submitted as
14 part of the FDA or COL application process. Even
15 within the original context of Part 52, the PRA was
16 not going to come in as part of the FSAR so it would
17 have been supplemental information and would not have
18 been part of the plant's licensing or design basis.

19 But it would have been in to the staff, it
20 would have been available to the technical reviewers.
21 All the material would have been here for technical
22 review. That is not the case now. It will only be
23 available at the vendor for staff audit if that's felt
24 necessary.

25 MEMBER WALLIS: You have to go to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vendor to see it?

2 MR. RUBIN: That is my current
3 understanding.

4 MEMBER WALLIS: You can still see it? You
5 can still see it?

6 MR. RUBIN: Yes.

7 MEMBER WALLIS: So this is, again,
8 ridiculous.

9 MR. RUBIN: If we go to the vendor.

10 MEMBER WALLIS: You have to see it anyway,
11 why have to travel to go and look at it?

12 MR. RUBIN: Would the --

13 MEMBER WALLIS: It makes no sense.

14 MR. RUBIN: -- projects people have
15 something?

16 MR. COLACCINO: Again, this is Joe
17 Colaccino of the staff again. Again, this is a late-
18 breaking change in the Part 52 and something that has
19 to be reconciled within the DG-1145 guidance.

20 CHAIRMAN KRESS: And it's not your guys'
21 issue. It's the Part 52 issue, right?

22 MR. COLACCINO: That's right.

23 CHAIRMAN KRESS: You have to make this
24 guidance consistent with the Part 52.

25 MR. COLACCINO: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN KRESS: So we shouldn't be
2 fussing at you. We should be fussing at the Part 52
3 people, right?

4 MR. COLACCINO: And I should be
5 explaining, there are three -- there are three major
6 activities that are moving in parallel; the Standard
7 Review Plan update, the revisions to Part 52, and this
8 COL application Reg Guide DG-1145. And so when one
9 gets ahead, the other two have to conform.

10 MEMBER SHACK: The rule rules.

11 MR. COLACCINO: The rule always rules.

12 MEMBER CORRADINI: So one point of
13 clarification then. So let me put an example. So
14 let's say applicant comes in under following C-3.
15 That is they have a design certification. Whether or
16 not they have an ESP, I don't think matters just yet
17 for my question, but they have a design certification.
18 That design -- that certified plant design has a PRA.

19 MR. HARRISON: Yes.

20 MEMBER CORRADINI: So that if one were to
21 be curious about the PRA of the COL, one would
22 probably see that PRA extended to the particular site.

23 MR. HARRISON: Correct.

24 MEMBER CORRADINI: And therefore, I
25 wouldn't expect to see any changes in internal events.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would probably expect to see changes in external
2 events.

3 MR. HARRISON: You might see some internal
4 events because there's some parts of the design, even
5 at design certification stage, that aren't complete.
6 So you could have a balance of plant related
7 transients. You could have switch yard interface
8 issues with the --

9 MEMBER BONACA: I would expect that the
10 PRA would change continuously as you build a plant.

11 MR. HARRISON: And it's supposed to be as
12 well in the processes as design changes are made.

13 MEMBER BONACA: Who is going to -- yeah,
14 who's going to maintain it and how do you update it,
15 you know?

16 CHAIRMAN KRESS: Is that the reason the
17 industry doesn't want to submit it, so they can keep
18 it as a living and update and not have a frozen
19 version?

20 MR. HARRISON: I think it's more a
21 convenience issue.

22 MR. RUBIN: Let me provide a little
23 additional information on what the legal requirement
24 is. Part 52 does require a COL applicant to update
25 the PRA with site specific characteristics that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 necessary to make it an accurate risk assessment,
2 including any changes to the portions that were
3 originally done by the FDA applicant and so
4 incorporate them into the PRA but no longer submit the
5 entire document to the staff.

6 However, there is no requirement that it
7 be maintained as a living document or be updated. So
8 I wanted to be clear because I heard that mentioned.
9 That it's not a requirement in Part 52.

10 MEMBER CORRADINI: So let me get to my
11 selfish question. So if I wanted to look at it, how
12 could I?

13 MR. HARRISON: As a member of the public
14 you mean, as an ACRS member?

15 MEMBER CORRADINI: Start with a member of
16 the public. I guess what I'm kind of reflecting in
17 Graham's question is scrutability (sic) and
18 auditability. I mean, if everything else is available
19 to a member of the public, can a public member ask to
20 see it?

21 MR. HARRISON: No.

22 MEMBER CORRADINI: Can an ACRS member ask
23 to see it?

24 MR. HARRISON: You could probably arrange
25 to have that done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: We would then have to
2 travel to the site?

3 MR. HARRISON: If you want to see the full
4 PRA, including the thermohydraulics and the data, yes,
5 you would have to --

6 MEMBER WALLIS: In the electronic age,
7 that's ridiculous.

8 MEMBER CORRADINI: Well, that's planned
9 then.

10 MEMBER WALLIS: But it's not -- it's
11 putting barriers in the way of accessibility of a PRA,
12 even to the staff.

13 MEMBER CORRADINI: But more than that, it
14 puts barriers in the way of auditability or what I
15 would consider to be an open environment. That seems
16 very unusual, at least.

17 MR. HARRISON: Well, I guess as a
18 perspective though, I may be speaking out of turn
19 here, but I don't think our current generation PRAs
20 for the plants that are currently there are available
21 to the public either right now.

22 MEMBER WALLIS: But even for staff
23 inspection. If the staff wants to see it, they can't
24 say, "E-mail it to me". They have to go there and
25 look at it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: But, you know the point I
2 want to make is that everything that supports the
3 design and construction of this plant, for example,
4 the accident analysis, the LOCA analysis, the staff
5 does not expect to get the LOCA models from the vendor
6 inside here and put them in a computer and maintain
7 them and run them, et cetera. They're available, they
8 can be audited. I would expect you would treat the
9 PRA the same way.

10 MR. HARRISON: Right, now, I guess the one
11 caveat I would say is most of your design basis
12 analysis have topical reports that have approved
13 methodologies that follow the guidance that is
14 established. Within the PRA arena, that's an
15 evolving area where we're trying to establish PRA
16 standards that we can follow and we're not there yet.

17 MEMBER BONACA: Rather the location, I had
18 more a problem with not being regulatory requirements
19 imposed on the maintenance of the PRA. For example,
20 take the human factor section here, it relies heavily
21 on the PRA inputs to determine procedures, which
22 procedures, the priorities, the importance and so on
23 and so forth. And so it is, in fact, for the human
24 factor portion a design support document, and it seems
25 to me that to say that there is no specific regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirement on that, that troubles me.

2 MR. HARRISON: Yeah, that --

3 MR. RUBIN: Excuse me, Donny.

4 MR. HARRISON: Yeah, go ahead.

5 MR. RUBIN: Mark Rubin again. There is
6 the dichotomy of reality versus a legal regulatory
7 requirement that is properly worth mentioning. Many,
8 if not all of the plants use the PRA as a maintenance
9 rule tool to implement A4, which requires that the
10 assess and manage risk but you don't have to. Or you
11 could use an old version of the PRA, perhaps, using
12 insights where there have been plant changes since the
13 last validated update. There's no regulation that
14 requires that the plant even have a PRA, per se.

15 Consequently, there's no regulation that
16 says the PRA must be updated. All I wanted to point
17 out to you is that Part 52 is the first place in our
18 regulations that actually requires that a PRA be done,
19 but -- and it is used during the licensing process but
20 it does not require that it be maintained or updated.
21 I just wanted to be clear on that.

22 MR. HARRISON: And from a practical
23 standpoint, you need to maintain the PRA for its uses.
24 So if I have -- and you'll see this in the RTNSS
25 process and the RAP process for human factors, how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PRA is being used, that aspect has to have -- meet the
2 PRA quality technical adequacy requirements to --
3 that's needed for that application.

4 MEMBER CORRADINI: Further inquiries
5 should be addressed to whom? We keep on asking you
6 questions that you don't -- really shouldn't answer.
7 Where should we address these inquiries?

8 MR. RUBIN: I would -- Mark Rubin again.
9 I would suggest you start with the New Reactors
10 Projects Group and they'll direct you to the proper
11 location if they're not the ones.

12 MEMBER WALLIS: Can I ask you something
13 here. It says that the applicant doesn't have to
14 submit the PRA but keeps it available for review at
15 his office or something. Suppose you have a reason
16 sensible applicant who wants to give it to you; is he
17 not allowed to do it now? He can't send it to the
18 agency if he wants to be open?

19 MR. OESTERLE: The rule does not prohibit
20 the applicant from giving it to you.

21 MEMBER WALLIS: Doesn't prohibit him from
22 giving it to you, okay, that's a good thing.

23 MEMBER SIEBER: On the other hand, if you
24 get one, I'm not sure what you're getting because it's
25 a living document and it's changing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: It depends on how live it
2 is.

3 MR. HARRISON: It might be, it might be
4 living, it could be dead.

5 MEMBER SIEBER: Well, it can be under the
6 current rules for current plans.

7 MR. HARRISON: The other aspect I want to
8 mention is with the change in NRC position on that
9 public comment to remove the requirement, there were
10 conforming changes made throughout the rule that --
11 and I'll just point out that the design certification
12 requirement to submit a design specific PRA was also
13 removed. So for design certification, we have a
14 parallel requirement that they submit a PRA. That
15 requirement is not there as well. That's been
16 deleted.

17 MEMBER CORRADINI: You're getting to this,
18 I'm sure, so how does that relate to physical
19 phenomena that would occur in PRA space but not in
20 design space, like severe accidents?

21 MR. HARRISON: The severe accident
22 requirements are still there. So in addressing the
23 issues that have come up through SECY papers and SRMs
24 regarding severe accidents are still required to be
25 addressed --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Separately.

2 MR. HARRISON: -- separately, within --
3 and we'll see there's a separate section within the
4 FSAR that has --

5 MEMBER SIEBER: This document has a
6 separate chapter.

7 MR. HARRISON: No, we've integrated it now
8 so that you have PRA and severe accidents so it's a
9 separate subsection within this section.

10 MEMBER SIEBER: Yeah, but there is also a
11 PRA section.

12 MR. HARRISON: Right, there's a PRA
13 section and then there's a severe accident --

14 MEMBER SIEBER: There's a PRA and severe
15 accident section.

16 MR. HARRISON: Right, right.

17 MR. RUBIN: But there is no significant
18 change in the way we're assessing PRA and severe
19 accidents as compared to the previous advance reactor
20 reviews.

21 MEMBER WALLIS: Let me get back to the
22 public. I mean, the PRA, a good PRA is the best
23 statement of the risk level of a reactor of an
24 installation, it's the best we have, otherwise meeting
25 the regulations doesn't really mean anything in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of a measure of how risky the thing is and yet it's
2 not available to the public. It seems to me
3 extraordinary. Here's the best measure we have of
4 public safety and it's not available.

5 MR. HARRISON: Right, and I would say the
6 specific analysis aren't available. In Chapter 19,
7 you will have the results and the insights from that
8 analysis document.

9 MEMBER WALLIS: But the document could be
10 garbage.

11 MR. HARRISON: And that's the job of the
12 staff to make sure it's not.

13 MEMBER WALLIS: And they have to go to the
14 plant and look at it.

15 MR. HARRISON: You're correct and that's
16 the implication of that change in staff position is
17 that the staff will -- to be able to implement this
18 correctly, the --

19 MEMBER WALLIS: I'm very surprised the
20 industry takes this. They ought to put their best
21 foot forward and say, "This PRA is our statement of
22 how safe our plant is and here it is, put it in the
23 New York Times."

24 MEMBER SIEBER: They won't do that.

25 MR. HARRISON: Well, and there's other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implications with the PRA analysis that would make --

2 MEMBER SIEBER: You can take the same
3 statement and say, "Look at how dangerous this plant
4 is, look at these numbers".

5 MEMBER CORRADINI: So if I might ask --
6 well, you said to address it -- is this an appropriate
7 time, Mr. Chairman, that we ask somebody in NRO about
8 the rationale for this?

9 CHAIRMAN KRESS: No, I don't think so.

10 MEMBER CORRADINI: Okay. Thank you.

11 CHAIRMAN KRESS: But we might want to --

12 MEMBER CORRADINI: I thought I'd ask
13 permission first.

14 CHAIRMAN KRESS: Well, we might want to
15 put that on our agenda because that seems to be an
16 issue that we ought to deal with.

17 MEMBER CORRADINI: Okay.

18 MEMBER BONACA: I still believe that, you
19 know, the implications of making the full PRA
20 available to anybody who can come in and begin to
21 question every single --

22 CHAIRMAN KRESS: Yeah, I think you have a
23 good point, Mario.

24 MEMBER BONACA: You're putting the owner
25 of the plant and the PRA in a defensive position and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they will have to continue to defend anything and now
2 the NRC reviews these PRAs. In fact now with the SPAR
3 (phonetic) models they go in and compare. So
4 therefore, the reason -- the assumptions are generally
5 reasonable within these PRA within the context of the
6 technology and so on. And that's a different process
7 than the one of making these available to anybody who
8 has whatever intention and goes in and it's just --

9 MEMBER WALLIS: Is it a proprietary thing
10 that you might reveal something that's proprietary
11 that would give your competition an advantage?

12 MEMBER BONACA: No, no, you could question
13 any member there is inside the PRA. You can start
14 right away to raise questions and say, "Oh, you see
15 now how risky it is", or, "This assumption" --

16 MEMBER WALLIS: Well, look at the
17 hydraulic codes, we look at thermohydraulic codes. We
18 look equations and we look at assumptions.

19 MR. RUBIN: I can respond to Dr. Wallace's
20 question directly. In the past, vendors have come in
21 with proprietary claims on various portions of the PRA
22 from claiming everything including some high school
23 physics equations to being proprietary to selected
24 portions of the PRA being proprietary. And when they
25 do that, we go through and make appropriate agreements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or disagreements with the claims. I usually don't
2 accept the high school physics equations.

3 And there are also potentially safeguard
4 issues to some degree that might come into play though
5 not necessarily. It would have to be considered on a
6 case-by-case basis. But that doesn't -- that doesn't
7 necessarily restrict the staff from having it because
8 we deal with material that we can withhold for those
9 two reasons all the time.

10 MEMBER SIEBER: On the other hand, the
11 regulatory basis is if you aren't required to have the
12 document, there should be no requirement to have the
13 document you aren't required to have public.

14 MR. OESTERLE: The is Eric Oesterle from
15 Division of New Reactor Licensing. I just want to
16 expand upon that comment. That's true and what we're
17 doing with DG-1145 is we're trying to conform with the
18 rule and so if the rule does not require submittal of
19 the PRA by the applicant, DG-1145 will not ask for it.
20 However, the Part 52 rule does ask the applicant to
21 describe how the insights and the results of the PRA
22 have been used and that's what the guidance document
23 does also.

24 CHAIRMAN KRESS: I think if and when there
25 is a technology neutral regulatory framework, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PRA will probably then become part of the licensing
2 basis and I think that's an area where we might want
3 to bring this subject up again; is it going to be part
4 of the licensing basis; is it going to be required
5 that it be made public and submitted to NRC? I think
6 that's where it's going to come up.

7 MEMBER SIEBER: But that would require
8 rulemaking.

9 CHAIRMAN KRESS: Oh, yeah, but technology
10 neutral regulatory framework would be a new rule.

11 MR. OESTERLE: The rule is under review by
12 the Commission as we speak. So whatever they decide,
13 that's what we'll go with.

14 CHAIRMAN KRESS: Yeah, so I think that's
15 where we, as a committee, might want to readdress this
16 question.

17 MR. HARRISON: And I think it's worth
18 repeating Eric's caveat there is the proposed rule as
19 it is right now where 5280(a) that required the PRA
20 submission is with the Commission. Things can change.
21 I would not say this is, you know, a definite result
22 at this point. Things could change during the
23 Commission review to reinstate it. So this is to let
24 you know that this has occurred and the impact of that
25 revision in staff position is that we're going to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to look at what we wrote in C.II.1 which was the
2 guidance for the PRA submission information.

3 CHAIRMAN KRESS: Once again, our argument
4 is not with you guys. You have to conform with --

5 MR. HARRISON: This will be a conforming
6 change. It's just reality.

7 MEMBER WALLIS: This bullet you have here,
8 this second bullet, sort of implies that the staff has
9 to look at the PRA, doesn't it?

10 MR. HARRISON: Well, what this is saying
11 is that you need to recognize that Chapter 19 of the
12 FSAR on PRA and severe accidents is qualitative
13 descriptive material that describes the results and
14 the insights on how the --

15 MEMBER WALLIS: Well, we understand review
16 and confirm the basis for the results really means you
17 have to look at the PRA.

18 MR. RUBIN: Yeah, let me -- this is Mark
19 Rubin, let me respond to that, Dr. Wallace. I mean,
20 that's an outstanding point. Yes, the various
21 requirements were compiled to result in a synergistic
22 final conclusion in both risk and severe accident.
23 And when we make the conforming changes to comply with
24 whatever the final version of Part 52 ends up being,
25 we'll relook at the individual pieces of 1145 to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if maybe we need to shift some emphasis into some of
2 the other sections to provide a little more detail or
3 maybe a little more quantitative information, some of
4 the summary sections to help us get some more basis
5 from the stuff that comes in on the record.

6 MEMBER WALLIS: So this TG should or the
7 final Reg Guide should say the staff should travel to
8 the applicant's offices and examine the PRA.

9 MR. RUBIN: That would be in the staff's
10 set of review plan guidance rather than the Reg Guide,
11 yes, sir.

12 MEMBER WALLIS: Yes. But it will be --

13 MR. HARRISON: Yes, as a matter of fact
14 it's in the draft version.

15 MR. RUBIN: That happens to be one of my
16 review notes, Dr. Wallace.

17 MEMBER WALLIS: But he's not allowed to
18 get it to come to his office and read it here. He has
19 to go there and look at it.

20 MR. HARRISON: Yes, sir.

21 CHAIRMAN KRESS: They probably ought to go
22 anyway because they need to see if it conforms to the
23 plant actually as built.

24 MR. RUBIN: We'll have to wait a long time
25 for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN KRESS: Yeah.

2 MEMBER SHACK: But just to come back to
3 this design certification, so the AP1000 submitted
4 their PRA but the ESBWR won't.

5 MEMBER CORRADINI: I just read the --

6 MR. HARRISON: That I'm not sure, I don't
7 know what ESBWR --

8 MR. RUBIN: Yes, I can tell you, the ESBWR
9 to the best of my belief, did submit the PRA because
10 it was -- it came in prior to this proposed change to
11 52.

12 MEMBER SHACK: EPR will not then.

13 MR. RUBIN: EPR potentially will not. And
14 the interesting thing about EPR is it's a combined FDA
15 COL application rather than predicated on a previously
16 approved design certified plant.

17 MR. HARRISON: It makes the review more
18 difficult for the staff, just a personal rationale.

19 MEMBER CORRADINI: Just to -- we're off
20 topic a bit but so what you just said is they're
21 custom.

22 MR. RUBIN: No, sir, if they were custom
23 they'd be coming in under Part 50. They're coming in
24 under Part 52 with --

25 MEMBER CORRADINI: Well, but C.1 of Part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- of 1145 is for a custom design. So it's a custom
2 design by the way you just described it.

3 MR. KOENIG: It's not a custom design but
4 the review, in essence, you're going to be reviewing
5 this information at the same time and it will be a
6 unique first time doing the review in that process.

7 MEMBER SHACK: But it's not a custom
8 design because they're planning to come in for a
9 design certification.

10 MR. KOENIG: Yes.

11 MEMBER SHACK: So if they were just
12 submitting this plant, it would be a custom because
13 they're going for both.

14 MEMBER CORRADINI: So they're a C.I/III?

15 MR. HARRISON: Something like that because
16 it's a parallel review.

17 MR. RUBIN: It's just a standard design
18 that has not been certified yet.

19 MEMBER BONACA: Standard design not
20 certified yet.

21 MR. HARRISON: Okay, this was probably the
22 most important part of the presentation because I
23 wanted to make sure you all were aware of the change
24 and the implications of that, so to understate my
25 comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay, for what's in the Regulatory Guide,
2 again the ramification of that change is that the
3 guidance that's currently in C.II.1 some of that
4 information, if not a lot of it, will need to be
5 transitioned over into C.I.19 as needed for the FSAR.
6 So if we thought we needed something and we were using
7 the submittal guidance for the PRA as a basis to get
8 the information, if we truly think we need that
9 information submitted to us, we're going to have to
10 incorporate it directly into our FSAR requirement.

11 MEMBER CORRADINI: So I have a question.
12 I can wait if it's not right. On page 3 of C.II, top
13 paragraph, it says, "Determine how the risk
14 associated", blah, blah, blah and it then quotes
15 SECYs, SRMs and gives a containment failure
16 probability. Is that going to move to 19? Is that
17 going to be discussed later? I'm willing to wait.

18 MR. HARRISON: Actually, that's listed as
19 one of the objectives of the use of the PRA in severe
20 accidents and one of the guidance that's already in
21 C.I.19 is a section called -- there's an introduction
22 section and then there's a conclusion section. Within
23 our guidance, we said that in the conclusion sections,
24 we expected applicants to explicitly state how they've
25 addressed the objectives. So within at least 19.1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they would talk about the objectives, these nine
2 objectives we've listed. In 19.6 they would then
3 discuss it -- if they haven't discussed it before
4 that, explicitly how they met the objective.

5 MEMBER CORRADINI: And these objectives
6 are enumerated in this paragraph.

7 MR. HARRISON: So they will address --
8 that's 1 of 9.

9 MEMBER CORRADINI: Excuse me.

10 MR. HARRISON: I think there's nine
11 objectives in that section.

12 MEMBER CORRADINI: Yeah.

13 MR. HARRISON: So they'll have to address
14 how they -- again, the information they provided
15 didn't make an explicit conclusion as to how that
16 objective has been met.

17 MEMBER CORRADINI: Thank you.

18 MR. HARRISON: Okay, and again, this gets
19 to the basis of what's in the Regulatory guidance.
20 The Reg Guide Chapter 19 is based on existing
21 experience, if you will. It's the policy statements
22 that have been written since the mid-'80s through
23 '90s, the SECY papers and SRMs that have been taken
24 and approved by the Commission in response to the
25 reviews that have been done. So some of these SECYS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal directly with passive plants for AP600 for
2 example. It's -- the guidance is derived from the
3 experience with the CE System 80 plus, the ABWR and
4 the two AP's, the AP600, AP1000 reviews of design
5 certification.

6 There's also the requirements within 10
7 CFR 52.79 that requires PRA and severe accidents.
8 Again, there's about four requirements, five
9 requirements within the rule. The one we've been
10 talking about mostly is currently proposed 52.79(A)46,
11 which is to provide a description of the plant's
12 specific PRA and its results. There's other
13 requirements dealing with Three Mile Island, action
14 items that deal with severe accidents and description
15 and analysis of design features or prevention and
16 mitigation that are severe accident issues that are
17 within 52.79.

18 MEMBER WALLIS: This is probably the most
19 important part of the whole guidance from the public
20 point of view because it's only severe accidents which
21 present a threat to public safety. Other accidents,
22 I mean, design basis accidents, they don't cause any
23 release of radiation and all that sort of stuff. It's
24 severe accidents. This is the most important part of
25 this whole guidance from the public's point of view.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Right.

2 MEMBER WALLIS: Isn't it?

3 MR. HARRISON: Well, I personally would
4 agree but that's because I'm in this section.

5 MEMBER WALLIS: So it ought to be as open
6 and transparent as possible.

7 MR. RUBIN: That's our intent. Unless a
8 design basis accident has some complexities, you're --

9 MEMBER WALLIS: Then it becomes a severe
10 accident.

11 MR. RUBIN: -- then it becomes a severe
12 accident. Now, of course, the assumed source term
13 that's used even the alternate source term, is
14 essentially a severe accident source term and the Part
15 100 dose limits and all are much higher than what
16 probably would really happen when a design basis
17 accident occurs. But yeah, the early fatalities,
18 latent cancers from the severe accidents is what
19 really controls risk but that doesn't mean that the
20 design basis accidents and all the criteria you're
21 seeing in especially Section 6 on the ECCS is
22 unimportant, because as you well know, those
23 requirements is what has resulted in the excess
24 margins and defense in depth that gives us the severe
25 accident capability that results in --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Is it important because
2 they reduce the severity of severe accidents.

3 MR. RUBIN: Yes, sir.

4 MEMBER WALLIS: But otherwise they have no
5 importance whatsoever.

6 CHAIRMAN KRESS: Well, yeah, the reason
7 they're not important is because you deal with them in
8 regulatory specs. You have requirements. You design
9 them out of it.

10 MR. HARRISON: Yes.

11 MEMBER WALLIS: But now is your
12 opportunity with these new reactors to put more
13 emphasis on things that really effect public safety
14 which is namely the severe accidents.

15 MR. RUBIN: One of the key things we're
16 asking the new reactor submitters to demonstrate is
17 that they use the PRA as part of a design tool. And
18 ask them to document it.

19 MEMBER WALLIS: Do they have design
20 objectives with this PRA like --

21 MR. RUBIN: They look for opportunities to
22 reduce risk.

23 MEMBER WALLIS: All right.

24 MR. RUBIN: And also during our review, we
25 look for places where we think risk can be reduced.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I can give you a couple of examples. During ABWR
2 review, the staff identified a couple of areas they
3 thought could be enhanced. One was to change the base
4 mat from limestone to basaltic concrete to reduce the
5 non-condensable generated, the other was to increase
6 the structural strength of the knuckle region, in
7 fact, Mr. Fischer might have some knowledge of that,
8 and as a consequence, the ultimate failure capability
9 of the drywell was definitely increased.

10 MEMBER CORRADINI: Is this the right time
11 to ask a question about the nine things you mentioned
12 or should I wait?

13 MR. HARRISON: You can bring them up on
14 this slide. This is going to touch on that and if
15 that's in the proper context.

16 MEMBER CORRADINI: Okay, so since at its
17 minimalist form, this is a checklist, there is a place
18 somewhere else in the regulation that essentially says
19 a probabilistic goal that the conditional containment
20 failure would be less than one in 10 for all the
21 composite core damage sequences. So if it's a
22 checklist, that means it's somewhere else. Can you
23 point to me where else that requirement is?

24 MR. HARRISON: That comes out of a SECY
25 paper that was approved by the Commission in an SRM,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think it's 93.

2 MEMBER CORRADINI: It's the 93 SRM?

3 MR. HARRISON: -087, I believe is the --

4 MR. RUBIN: Probably 90-016.

5 MR. HARRISON: Right, it started there, it
6 was reconfirmed 93-087, I believe.

7 MEMBER CORRADINI: Okay, and the next one
8 is, the one times 10^{-6} per year for large release
9 frequency versus large early release frequency,
10 because that one kind of popped up on the NEI hit
11 list.

12 MR. HARRISON: Right. The large release
13 frequency is also in a SECY paper and again, it was
14 reconfirmed in another SECY paper that was approved by
15 the -- actually, I think it was explicitly stated by
16 the Commission that the probability of a large release
17 should have a frequency of less than one in a million,
18 that's 10^{-6} . So that's where that's derived from.

19 MR. RUBIN: This is Mark Rubin again. I
20 can give you a little additional history. I was
21 unfortunately one of the usual suspects when those
22 reviews were being done and the staff was seeking
23 guidance from the Commission. In fact ACRS was
24 heavily involved and there probably are some members
25 who were here then though, I'm not sure they're here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today. Since these were the first time that PRAs were
2 being really used as part of the design review
3 process, we didn't have acceptance criteria so we
4 wanted to develop some acceptance guidelines and we
5 proposed a number of them in a number of SECY papers
6 which ACRS was a party to reviewing and giving us
7 feedback. We went to the Commission with some
8 proposals, including a rather low CDF for the new
9 reactors so that they would be noticeably less risky,
10 safer than current operating reactors and the
11 Commission disagreed. And they gave us a different
12 set of metrics.

13 MEMBER WALLIS: Try again, you keep
14 trying.

15 MR. RUBIN: Keep trying, yes, sir, will
16 do. In fact, the reactors that came in, came in much,
17 much safer than the metrics the Commission gave us as
18 regulatory review guidelines. So I think we actually
19 achieved more than the staff had suggested. But the
20 guidance that came back from the Commission was quite
21 different than what the staff set up and as part of
22 it, we were given a CDF guideline. We were given a
23 Conditional Containment Failure Guideline that we had
24 not originally proposed to insure containment
25 integrity and I believe the staff thought that was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valuable addition to the review guidance. And they
2 also imposed a large release frequency guideline and
3 this is the only place in our review that large
4 release rather than LERF, large early release, is used
5 and industry has, as you pointed out, commented on
6 this but it was a Commission directive. The
7 difference is it is timing independent. The issue of
8 evacuation doesn't come into play.

9 MEMBER WALLIS: Very important.
10 Containment failure matters a lot when it happens.

11 MR. RUBIN: It does but this metric
12 accounts for both early and late failures. The
13 conditional containment failure metric accounts for
14 containment integrity and CDF, a low CDF value
15 controls latent effects also. So taken all together,
16 it's a good set of metrics. It's actually more
17 inclusive than what the staff originally sent up and
18 it's what the Commission wants.

19 MEMBER CORRADINI: So just to interpret it
20 just to see if I've got it right, so one might come in
21 with an advanced design, one of these that you've been
22 speaking of, and the CDF would be significantly lower
23 than 10^{-4} . Nevertheless, they must demonstrate by some
24 method in their PRA and this is one of the question,
25 PRA or severe accident analysis, that the containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still would have a conditional probability failure of
2 one in 10 even though they may have a CDF of 10^{-6} .

3 MR. RUBIN: This is in the Level 2, severe
4 accident part of the PRA assessment, not the Level 1
5 evaluation. Yes, but I have to caveat it with these
6 are severe accident guidelines, not legal acceptance
7 criteria meaning the .1 is an objective goal and as
8 you see in the 1145 page C.111-3 at the top of the
9 page, there's a note that says --

10 MEMBER CORRADINI: "It should be noted
11 that these are goals and not regulatory requirements.

12 MR. RUBIN: "And applicant should not
13 artificially or intentionally increase PRA results
14 associated with one metric simply to meet the goals
15 associated with another metric. And let me explain
16 what that means. As you drive CDF further and further
17 down, you're left with residual sequences that are
18 nastier and nastier, that have a higher likelihood of
19 failing containment. Does that mean the plant is
20 getting less safe? No, the plant is getting safer.

21 And we don't wish to penalize a designer
22 because of that. We want them to still maintain a
23 robust containment capability and come as close to
24 meeting that Plant 1 guideline as possible but we --
25 for example, when one of the advanced reactors was in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for submittal for review, I think they had a 12
2 percent conditional containment failure probability.
3 Well, they could have changed their design and driven
4 their CDF up higher so that when you looked at all the
5 sequences you weighted them by their likelihood. The
6 conditional containment failure was nine percent but
7 the CDF was higher, so the plant was less safe but
8 they met the metric. They met all the metrics. Does
9 that make sense, no, of course, not.

10 So what we're saying is do the right
11 thing, be good engineers and these metrics are
12 guidelines. They should be applied in a rational
13 smart way and not in a dogmatic way but to the extent
14 that is feasible, they should be achieved.

15 CHAIRMAN KRESS: I thought the .1
16 conditional containment failure guidelines already had
17 a weighting factor on the CDF in it that automatically
18 took care of that issue.

19 MR. RUBIN: It has a weighting factor, but
20 it doesn't -- it doesn't eliminate --

21 CHAIRMAN KRESS: It's weighted by the
22 percent of that particular frequency to the overall
23 CDF and that -- you know, if you've got a very low
24 CDF, it's not -- the weighting factor automatically
25 seems to take care of that issue to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: It biases it towards the
2 higher frequency sequences but it doesn't ignore the
3 lower frequency, high conditional containment failure
4 sequences.

5 CHAIRMAN KRESS: Yeah, but it's weighted
6 by the percent of that frequency -- of that sequence
7 to the CDF which would seem to me like, you know,
8 would seem to take care of that particular issue.

9 MEMBER CORRADINI: Are you saying, Tom,
10 that if you pick a particular sequence that is one
11 percent of all the CDF but it dominates the
12 containment failure probability --

13 CHAIRMAN KRESS: But you multiply that
14 containment failure by that percentage before you add
15 it into the conditional and, you know, that's a way to
16 handle it. I don't know if it properly does it or
17 not.

18 MEMBER CORRADINI: But that is how it's
19 handled.

20 CHAIRMAN KRESS: Yeah. Yes, sir.

21 MR. RUBIN: Yes, it is and it resulted in
22 a very safe design that slightly exceeded the .1
23 metric.

24 CHAIRMAN KRESS: The other thing, the
25 comment on LRF versus LERF, if you put the say 10^{-6} on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the LRF instead of the LERF, it only drops the LERF
2 down a little bit because you're adding up all the
3 frequency of all the containment release frequencies.
4 You just add them all up. You don't get many
5 contributions from the late. I mean, it's the
6 earliest that -- it doesn't drop your LERF down much
7 lower than 10^{-6} .

8 MR. RUBIN: Instead of hearing from
9 someone of my limited knowledge, let me invite Dr.
10 Palla up here to really give you the good information.

11 DR. PALLA: Well, just looking back at,
12 for example, AP600, what you would find is
13 predominantly, I think you'll -- many -- you'll still
14 pick up late failures. There's -- if you use the LERF
15 -- the LRF metric, you're -- as Westinghouse
16 implemented it, they did not really define large in
17 the sense that we think of it in the LERF context,
18 where we're looking at early fatalities, for example.
19 Westinghouse simply took all frequency that did not
20 result in an intact containment to contribute to LERF.

21 So they said it's CDF minus --

22 CHAIRMAN KRESS: There's wasn't a large in
23 the definition then.

24 DR. PALLA: They did not use a large.
25 They called it large but they did not try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distinguish between the magnitudes that would cause
2 fatalities and that which would not.

3 CHAIRMAN KRESS: See, most of the late
4 containment failures are not large. If they had a
5 proper definition event, it would not --

6 DR. PALLA: That's right, the later it
7 gets, the smaller it gets.

8 CHAIRMAN KRESS: -- your LERF would be the
9 major contributor to the LRF.

10 DR. PALLA: Right.

11 CHAIRMAN KRESS: Well, you're right, if
12 they didn't have a definition of large in that, well,
13 then --

14 DR. PALLA: They had the luxury that the
15 numbers were so low, they didn't have to slice it and
16 dice it.

17 CHAIRMAN KRESS: That may be true, too.

18 MEMBER CORRADINI: So one last question;
19 so everything you just said, I think I got. Where
20 will I find it if I want to verify that I believe it,
21 in the PRA, where?

22 MR. RUBIN: That they meet the criteria?

23 MEMBER CORRADINI: No, it's a guideline
24 that I want to check them out relative to the 10
25 percent. Where do I look?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: You'll see the documentation
2 in the staff safety evaluation report. You'll see --

3 MEMBER CORRADINI: It won't be reported in
4 the FSAR or the COL?

5 MR. RUBIN: In 19.1 there will be a
6 summary that they meet the severe action and the PRA
7 guidelines.

8 MEMBER SIEBER: That's all they have to
9 say. They don't have to give you a number. They just
10 say that --

11 MR. HARRISON: Right, they may not tell
12 you the number there, however --

13 MEMBER SIEBER: They were good.

14 MR. HARRISON: But again, in doing that,
15 then the staff would under the current system, would
16 do an audit at the vendor or the applicant's site.

17 MEMBER CORRADINI: And that's where we
18 would see that.

19 MR. HARRISON: And at that point, we would
20 verify that the calculation was done to show that they
21 meet the requirements, or if they don't meet it, that
22 they've addressed it. And again, that's -- this goes
23 into the second bullet on this slide about the first
24 tick. The whole purpose of doing that calculation, at
25 least my perspective, is that you're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify and assess the balance of preventive and
2 mitigated features such that the plant demonstrates
3 that it's an improvement over the current generation
4 of operating reactors and again, based upon the
5 issuance of the policy papers and that would be
6 reactors of the 1985 vintage.

7 So that's one aspect. Again, when you
8 look at the nine objectives that we identify, six of
9 the objectives go after that first sub-ticked item of
10 identifying assessed balance to show that you're an
11 improvement. You use it as a design tool, you do
12 these calculations on CDF and large release frequency
13 and conditional containment failure probability. You
14 specifically addressed how you balanced it so if
15 someone comes out at 12 percent as opposed to .1 for
16 the conditional containment failure probability, they
17 tell you why that's still okay. They're going to have
18 to give you the story. That's six of the nine
19 objectives.

20 The other three objectives that we
21 identified, deal with the use of that PRA and the use
22 of the PRA results and insights. So this would be
23 examples of using the PRA in support of the RAP
24 program, in support of the RTNSS program, in support
25 of ITAAC, development of ITAAC, COL action items,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interface requirements.

2 To address Dr. Shack's question about
3 RTNSS and the disconnect between this chapter and that
4 chapter, you're right, it's an error. When you look
5 at the metrics that we judge against, the CDF, the
6 large release frequency, none of those require you to
7 go to a Level 3 PRA where you're doing dose
8 calculations. So there's not a necessity for a Level
9 3 PRA to meet our metrics, and therefore, the RTNSS
10 guidance needs to be revised. I think what happened
11 there, what was really meant was the analysis needs to
12 cover the full scope. It went beyond that and took it
13 from full scope to level 3. And it really needs to
14 address all the initiators but it doesn't have to do
15 Level 3 analysis.

16 MEMBER SIEBER: In fact, you don't have to
17 use PRA techniques for your seismic analysis either.
18 You can use seismic margins, fire protection.

19 MR. HARRISON: And again, just to clarify,
20 yeah, for seismic analysis, you can do what they call
21 a PRA base seismic margins analysis. It's not -- it's
22 more than what you get in seismic margins analysis for
23 the current generation plants but because at design
24 stage in particular, you don't have a site. You can't
25 put a site specific seismic hazard curve to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis. Once you have a site, you could do that but
2 they're not required to perform that integration.
3 What they are required to do is show that the design
4 specific seismic margins analysis was bounded so the
5 site parameters that they're at are bounded by the
6 generic site parameters that were used in the design
7 basis or design cert. If that's not the case, they
8 would have to do a site specific upgrade of that
9 analysis.

10 MEMBER SIEBER: If the certified design
11 assumed hard rock site, then you would have to have a
12 hard rock site to make that determination that the
13 seismic margins analysis applied to your COL.

14 MR. HARRISON: Right, or you'd have to do
15 a site specific update of that analysis. Again that's
16 within the rule, the 5279 --

17 MEMBER SIEBER: But that's almost like
18 redesigning the plant because if you had a soil
19 liquidification, that applied to that which amplified
20 the seismic response, you may have to change hangers,
21 supports, building structure, what have you, which
22 sort of takes you out of bounds as far as certified
23 design is concerned.

24 MR. RUBIN: Let me clarify the Level 3
25 issue where the confusion came from. There's no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirement that a Level 3 analysis be provided. And
2 we have no review guidance for a Level 3 analysis in
3 our review material, though some of the licensees may
4 submit a bounding Level 3 evaluation. So it's not
5 part of the safety review.

6 However, as part of the NEPA requirements,
7 our evaluation of the FDA requires that a SAMDA
8 assessment, Severe Accident Design Alternative Study
9 be conducted. It's similar to the SAMA assessment
10 that's done for license renewal and for that you need
11 to do a risk benefit calculation, you need it in the
12 max code. Obviously, without a site, you can't do a
13 real Level 3 but what a lot of the vendors have done
14 is sort of a bounding Level 3 assessment.

15 They do the SAMDAs assessment, look at
16 possible improvements, and either they're worth doing
17 or they're not, and then it's incumbent on the COL
18 applicant to show that whatever input assumptions that
19 went into the SAMDA assessment, myrology and
20 population density, are bounding for their site and if
21 so, there's closure, because the SAMDA only has to be
22 done once and if it's done during the FDA phase,
23 they're finished as long as it truly applies to the
24 site.

25 MEMBER WALLIS: When they're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SAMDAs, the AP-600 is a SAMDA analysis?

2 CHAIRMAN KRESS: Yes.

3 MEMBER WALLIS: And I think one of the
4 things in there was whether or not they should have a
5 stronger containment. I'm trying to remember the
6 details of this, and if you actually followed that
7 analysis, you could conclude that the present
8 containment that they had was worth something like 600
9 bucks a year. You know, if you actually logically
10 took their analysis of what the containment was worth
11 in terms of the SAMDA analysis, in terms of public
12 safety and then they were saying, "Do we need a
13 stronger one and so on", well, they could just
14 extrapolate and they're back to having none at all.
15 You found out that it was worth a few hundred bucks a
16 year, which is extraordinary --

17 MR. RUBIN: Well, you --

18 MEMBER WALLIS: -- because their CDF was
19 so low.

20 MR. RUBIN: Well, you looked at the -- the
21 way a lot of the analyses were started was based on
22 you do a bounding analysis assuming that the function
23 or the component is -- essentially has zero
24 availability and so what is its risk worth?

25 MEMBER WALLIS: The risk of not having a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment turned out to be essentially nothing.

2 MR. RUBIN: Right, right.

3 MEMBER WALLIS: So you don't need a
4 containment at all.

5 MR. RUBIN: No, sir, we need a
6 containment.

7 MEMBER WALLIS: Well, the -- if you
8 believe the risk analysis, you believe the SAMDA
9 analysis. If you believe the SAMDA analysis, it's not
10 worth spending much money to upgrade the robustness of
11 the containment as presented in the initial design.
12 However, for defense in depth and margins reasons --

13 MEMBER WALLIS: Other reasons, for other
14 reasons, yes.

15 MR. RUBIN: Yes, yes, yes.

16 MEMBER WALLIS: But not based on risk
17 analysis.

18 MR. RUBIN: Well --

19 MEMBER WALLIS: You're going to face this
20 some time down the road about whether or not a
21 containment itself is needed and that's a different
22 question.

23 MR. RUBIN: I'll make one comment and then
24 shut up. It served us well at TMI.

25 MEMBER WALLIS: Oh, no, if there had been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no containment, he'd have looked out the window and
2 seen the seam leaking and would have fixed the valve
3 right away.

4 MEMBER BONACA: I have a question.

5 MR. RUBIN: I stand corrected.

6 MEMBER BONACA: You made a comment
7 regarding the lack of a requirement for a Level 3 PRA.
8 Now, if we go to the COL stage, we have a site and the
9 question I have is, in the '80s for high population
10 density sites, there was a requirement placed on
11 licensees to perform a Level 3 PRA. So I imagine that
12 there would be some similar requirements here for
13 power plants in heavy or in high population density
14 sites.

15 MR. RUBIN: There is nothing in the
16 regulations requiring that. Such a requirement, I
17 believe, could result from the hearing process, the
18 licensing process.

19 MR. HARRISON: I think what you're
20 referring to though is coming out of 10 CFR 100 and
21 again, it doesn't say you have to perform a PRA. It
22 talks about addressing the risk to the members of the
23 public from siting of a reactor.

24 MEMBER BONACA: Most -- all the reactors
25 up north, northeast, I mean, they had the -- they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requested to have a PRA as part of the construction
2 process. I mean, Seabrook, Indian --

3 MR. HARRISON: I'll be honest, I don't
4 know of a PRA requirement --

5 CHAIRMAN KRESS: Isn't it part of the
6 requirements for the Environmental Impact Statement?

7 MR. HARRISON: You're required to address
8 in the EIS or EA the risk to the public. And again,
9 that's part of the SAMDA effort that does a Level 3
10 PRA or a generic level PRA to support that analysis.
11 But again, it's an assessment of risk and severe
12 accidents. If Dr. Palla wants to help me out.

13 DR. PALLA: I guess all that I'd say is
14 within environmental space, there's the requirement to
15 look at severe accident mitigation alternatives, so
16 the Level 3 PRA would support that. There could be
17 ways to develop the same kind of information. What
18 you're trying to do basically, is assess -- assign a
19 population dose to accidents at the site so that you
20 can convert the risk into dollars essentially. So
21 when you get to the levels of risk that you see with
22 these kinds of plants, you know you're dealing with
23 very small numbers and there may be ways to kind of
24 bound these effects without actually doing a Level 3
25 assessment. You might be able to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I think you guys are too
2 young, you see. You don't remember, I mean, but these
3 were very specific requests on the docket for those
4 plants that said either you develop this and provide
5 a PRA or else you're not going to get your operating
6 permit. I mean, it was as simple as that.

7 MR. RUBIN: Unfortunately, I'm not too
8 young to forget those periods. Those were the late
9 near-term operating license plants as you said, in the
10 high population areas. They were required to do PRAs
11 but they were not an integral part of the safety
12 review process.

13 MEMBER BONACA: I agree with that.

14 MR. RUBIN: And see, that's the difference
15 here. But they were done to generally show that there
16 weren't overwhelming risk outliers and excessive
17 severe accident risk to the public. It was like sort
18 of a high level demonstration. And it was a useful --

19 MEMBER BONACA: Yeah, there were
20 statements in writing that said that they were based
21 on the results of the PRA would determine what else
22 needs to be done to the plant. I mean, so there was
23 a linkage being made there. Now, I'm only saying this
24 because I'm surprised that you come up with a new
25 design with a very low CDF out there and that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 allow you to justify a new power plant, maybe two in
2 high population density site as we know now.

3 CHAIRMAN KRESS: Well, the question is,
4 are the guidelines on population density and distance
5 to population centers sufficient to prevent that? Are
6 those guidelines sufficient?

7 MR. HARRISON: And there are some SECY
8 papers and SRMs that were written mid-'90s discussing
9 the idea of would you exclude based on population
10 density certain sites. The Commission did not approve
11 that approach if I recall right.

12 CHAIRMAN KRESS: Well, the problem I have
13 with it is the population densities are restricted to
14 certain distances and you know, if you really looked
15 at a severe accident, those distances to me are not
16 inclusive to the total impact and you really ought to
17 have a Level 3 but you know, that's another issue. I
18 don't think that -- my problem is, I don't think the
19 guidelines on population density are sufficient but
20 you know, other people may disagree.

21 MR. HARRISON: Okay, just moving on to the
22 guidance that's in Chapter 19 is broken out into these
23 six subsections. Again, 19.1 is an introduction. It
24 should be the place where the applicant identifies the
25 objectives. They should be similar to the objectives

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've stated in the Reg Guide. 19.2 is where the
2 discussion of the PRA results and insights are. This
3 would also identify their uses and applications of
4 that PRA for other things. For example, if someone
5 came in, in parallel with asking for a COL, also
6 wanted to implement a risk informed ISI program or
7 risk informed IST or wanted to implement 10 CFR 5069,
8 which is a risk informed treatment process, they would
9 identify those applications here.

10 Those applications may require a Level 3
11 PRA or it may require a fire PRA analysis whereas for
12 the COL itself, they may have been able to do just the
13 five analysis. So those applications may actually put
14 additional requirements on a submittal.

15 MEMBER SHACK: Should he use 5069 then as
16 part of his COL?

17 MR. HARRISON: He can submit a COL
18 application that identifies that he's going to
19 implement 5069 as part of the procurement process,
20 yes. That is allowed by the regulation, specifically
21 called out in 5069 that you can do that. 5069 does
22 not allow you to do that at the design certification
23 stage. So a vendor cannot propose it but a plant
24 applicant can.

25 The rationale for part of that is, is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design certification, you don't know the siting
2 aspects. Therefore, external event phenomena wouldn't
3 be known and the impacts that that would have on your
4 risk ranking of components could be important. So
5 that's why it's not in the design cert, but it is
6 allowed at COL stage.

7 Section 19.3 addresses the severe accident
8 evaluations. These date from the SECY papers and SRMs
9 in the `90s on preventive and mitigated features for
10 severe accidents. You'll have the in-vessel, ex-
11 vessel containment analysis. You'll have out with
12 station blackout, IS LOCA evaluations incorporated in
13 19.3.

14 MEMBER CORRADINI: All this will be moved
15 from C.II.

16 MR. HARRISON: This is the current 19.1.
17 This is what's in the --

18 MEMBER CORRADINI: There's nothing --

19 MR. HARRISON: Well, this is the guidance
20 that's right now in FSAR that says this is the
21 information that needs to be there. What we have to
22 do is look at the detail guidance that we have over in
23 Part 2, if I can call it that, CIII.1.

24 MEMBER CORRADINI: Seventeen pages?

25 MR. HARRISON: However many pages it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Yeah.

2 MR. HARRISON: How much of that
3 information needs to be actually brought into the
4 FSAR. This is actually what was thought of as the
5 Chapter 19 FSAR applicant submission. So this would
6 have been what we get in C.I, but yes.

7 MEMBER CORRADINI: But what I'm reflecting
8 on is what -- the draft, at least I was looking at,
9 there was a lot of titles.

10 MR. HARRISON: Right, a lot of topics.

11 MEMBER CORRADINI: A lot of topics.

12 MR. HARRISON: Right.

13 MEMBER CORRADINI: Nothing there.

14 MR. HARRISON: No discussion, right.
15 There's -- well, to be fair, it may say, "Internal
16 events evaluation", and it would say, "Here's what I
17 want to know. I want to know your risk significant
18 initiators, I want to know your risk significant
19 sequences. I want to know your important sensitivity
20 uncertainly analyses results". So it's bulletized, if
21 you will, of the information we're seeking under each
22 of those topics. Some of that information that's in
23 Part II needs to be brought into the FSAR now because
24 we're not going to have that information available
25 because the NRC also has uses for the PRA information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in helping us in doing our reviews. So some of that
2 information we need. And again, you have one of two
3 options. Either you bring it into Part 1 or the day
4 you get your application, you put a team on a plane
5 and send them to the site to go get that information
6 so that we can actually do our review.

7 MEMBER CORRADINI: Okay, thank you.

8 MR. HARRISON: The fourth subsection is
9 PRA maintenance. Again, depending on the uses and
10 applications of the PRA, you have to tell how you're
11 maintaining the PRA so it reflects the plant that's
12 being -- to be built, to be designed so that you have
13 to -- that part of the PRA maintenance needs to be
14 done for its uses and applications.

15 The last one is the identification of just
16 ITAACs, COL action items, commitments that are needed.
17 You're going to find that at the COL stage, you've
18 done your fire analysis or fire PRA and you've made
19 assumptions about the routing of cables and at some
20 point before operation, you're going to need to
21 confirm that information. So you're probably going to
22 have a walk-down commitment that says, "I'm going to
23 walk down my cables and walk down the plant to verify
24 the assumptions and the fire PRA are accurate." So
25 this section is going to capture those commitments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the applicant needs to make to -- prior to
2 operations.

3 And the last section again, is a
4 conclusion section. This is where they need to wrap
5 it all up, coming back to the objectives that were
6 proposed and discuss how those objectives have been
7 met. This would be a good time for any other
8 questions on this section.

9 CHAIRMAN KRESS: I think we've asked
10 enough. I suggest at this time we break for lunch and
11 start right after lunch at 1:00 o'clock with the
12 Reliability Assurance Program presentation. Does that
13 sound good? Okay. So let's be back at 1:00 o'clock.

14 (Whereupon at 11:53 a.m. a luncheon recess
15 was taken.)

16

17

18

19

20

21

22

23

24

25

AFTERNOON SESSION

1:02 P.M.

1
2
3 CHAIRMAN KRESS: Let's come back into
4 session, please. We're at the point on the agenda
5 where we're going to talk about the Reliability
6 Assurance program and then one slight change in the
7 agenda, I can't find my agenda. We're going to move
8 the Operational Programs up and have it right after
9 the Reliability Assurance Program.

10 Okay, you're on.

11 MR. TINGEN: I can start now. My name is
12 Steve Tingen. I'm with NRR and the Quality Assurance
13 Branch. What this presentation is on, the Reliability
14 Assurance Program, and we call that RAP and I think
15 you saw that mentioned in Donny Harrison's before me.
16 He mentioned RAP in there also. And we're covering --
17 we're in DG-1145. It would be Section C.I.17.4 and
18 C.III.117.4. Those are the sections where I'm kind of
19 summarizing what we have in.

20 The Reliability Assurance Program is based
21 on the Commission directives in a SECY paper and it
22 happens to be Item E Reliability Assurance Program,
23 and the purpose of this program is -- one, is to
24 design reliability into the plant and then the second
25 part of it is, is to maintain reliability. And it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 includes safety and non-safety related systems. And
2 as I mentioned before, there's a design phase that
3 really goes up until fuel load and after, during
4 operations there's an operational phase where they
5 maintain the reliability.

6 Scope includes plant, the plant type, the
7 particular reactor plant type and site specific SSCs
8 and reliability assurance activities for operational
9 phase are integrated into existing programs. And this
10 was on the comments we got from NEI and the public on
11 DG-1145. They're very touchy about that. They want
12 it clear that there's not a new separate program for
13 the operational phase. We use existing programs to
14 implement it. So we're going to make some changes to
15 DG-1145 just -- that was our intent all along, but
16 we'll make changes to make sure that there's no
17 question there.

18 And DG-1145 kind of asks for the
19 information that we need to do reviews per our SRP
20 chapters and the particular sections we're using the
21 SRP that would -- to review the Reliability Assurance
22 Program would be Section 17.4 which is Reliability
23 Assurance Program, and Section 19 which is the PRA
24 section of the SRP. And I mentioned before, but Donny
25 Harrison was in here before and RAP was on one of his

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slides. And so just I'll summarize this on the next
2 slide but we get the PRA group to look at the PRA
3 stuff that's associated with the Reliability Assurance
4 Program.

5 Okay, what we're really specifically
6 asking for in DG-1145 is the scope and the purpose and
7 the objective of the RAP. And the second thing we're
8 looking for is the SSCs that are within the scope of
9 the Reliability Assurance Program and there's three or
10 more methods you can use to determine what SSCs are in
11 the scope of your Reliability Assurance Program. You
12 can use probabilistic and if they do use
13 probabilistic, then we would -- our SRP section is set
14 up so we would get the PRA group to evaluate that.

15 Also they can use deterministic or other
16 methods to put components in the program and if they
17 use those, then our section would look at that. If it
18 was a real technical type analysis, then we would ask
19 for -- you know, we'd get the technical branch and RR
20 to look at it.

21 CHAIRMAN KRESS: Any guidance on how to
22 use the probabilistic methods? How to use it?

23 MR. TINGEN: Yes, there is.

24 CHAIRMAN KRESS: Is importance measures?

25 MR. TINGEN: Yes, that's in 19, but yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN KRESS: Is there a fixed cutoff
2 on importance measures?

3 MR. TINGEN: I really need Donny Harrison
4 here. We originally -- there was a cutoff.

5 CHAIRMAN KRESS: We had a problem with
6 that when we reviewed it and I don't know if that's --

7 MR. TINGEN: There's a story there and
8 what's confusing is they're using -- it gets confusing
9 and I'm not prepared to speak on that, but I was
10 hoping Donny Harrison would be here and he could speak
11 on it, but he didn't meet it. That would be in
12 Chapter 19 so the PRA group would make that
13 determination. Also the quality control -- we asked
14 for the quality controls they used for the development
15 of the design part of the program. And we asked for
16 like organization, design control procedures,
17 instructions, corrective action, and audit plans.
18 And for the design phase there's also an ITAAC and we
19 asked for the ITAAC so we can review that with the COL
20 application.

21 And I believe that's all I have. Any
22 questions?

23 CHAIRMAN KRESS: I guess now we'll go to
24 the operational programs.

25 MR. COLACCINO: Good afternoon, my name is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Joe Colaccino and I'm here to talk to you about
2 operational programs. I'm the staff member who worked
3 on the resolution of the operational programs and so
4 I came back here to just discuss that a little bit.
5 Just to give you some background and -- of what this
6 issue is and how it came to be resolved and then
7 integrated within DG-1145.

8 What it really is, it's -- the SECY is the
9 result of two previous SECYs by the Commission where
10 there was an issue of whether operational programs
11 should have ITAAC associated with them, and so the
12 staff had submitted a couple of SECY papers, 020, 67,
13 04, 0032, associated with, you know, their plans for
14 having ITAAC for operational programs. The
15 Commission in a couple of instances, in both of those
16 instances, asked the staff to go back and relook at
17 that. And so in parallel with the staff's meeting
18 with the Nuclear Energy Institute on their initial COL
19 application guideline document, NEI 0401 we also
20 embarked on a parallel effort to look at operational
21 programs and there's a list further on in this
22 presentation.

23 During that, we looked at each of these
24 operational programs to see if, in fact, those
25 programs could be fully described in the application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If they could and we could put in the then COL
2 applicant need not include an ITAAC associated with
3 those operational programs.

4 So ultimately, we issued SECY-05-0197 and
5 we laid that process out. You'll note that it's a
6 generic emergency planning ITAAC. By statute, EP has
7 ITAAC and so we acknowledge that in the SECY paper and
8 actually included generic emergency planning ITAAC.

9 CHAIRMAN KRESS: What's a generic
10 emergency planning, I mean, as opposed to a site
11 specific one.

12 MR. TINGEN: That's a good question and
13 the staff and the Nuclear Energy Institute worked
14 together to arrive at a set of ITAAC, initial ITAAC
15 for emergency planning. Now, granted there are site
16 specific aspects to emergency planning but within the
17 SECY paper, they put out a template, if you will, of
18 what they thought could be a set of emergency planning
19 ITAAC that would be included in a combined license
20 application.

21 MEMBER CORRADINI: So is this what
22 eventually now is in the SRP, there's a Table 1, 2,
23 that says essentially each of the particular items and
24 then the allowable --

25 MR. TINGEN: And the answer is, yes, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe that the information that was included in 05-
2 0197 is now included within Part 1, C113.

3 MR. OESTERLE: Yeah, the SRP on emergency
4 planning is being updated and I'll ask Bruce Musico,
5 who is one of the principal authors for that update to
6 address your question.

7 MEMBER CORRADINI: This is really semi-
8 unfair, since we're going to talk about this next week
9 anyway, but since Tom, the Chairman brought it up, it
10 becomes allowable, I guess.

11 CHAIRMAN KRESS: Yes, in fact, nothing is
12 off limits in this. Anything you want to bring up.

13 MR. MUSICO: To answer your question with
14 respect to the ITAAC that was approved -- oh, I'm
15 sorry, I'm Bruce Musico. I'm the Senior Emergency
16 Preparedness Specialist with the Office of Nuclear
17 Security and Incident Response, NSIR. We used to be
18 in NRR. We were absorbed. The ITAAC that is in SECY-
19 05-0197 was developed after about a period of a year
20 in consultation with NEI, other interested
21 stakeholders and the Department of Homeland Security.

22 The thrust of NEI's and industry's efforts
23 were to -- was to minimize the number of ITAAC that
24 existed for EP. We weren't quite sure what was behind
25 that. It may have been to reduce the exposure to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 litigation. However, we accepted their desire and
2 worked with them. We came up with what we viewed as
3 a minimal list of ITAAC, generic ITAAC meaning not
4 site specific that is reflected in SECY 05-0197. That
5 particular document, which went up to the Commission,
6 was the first time that anybody outside EP officially
7 had seen the proposed ITAAC that our group came up
8 with and the SRM that came down from the Commission
9 basically said it was acceptable.

10 Now, to answer your question further, the
11 ITAAC that currently exists in DG-1145 as well as the
12 Section 13.3 of the Standard Review Plan, has
13 additional proposed ITAAC in it, which goes slightly
14 beyond what's in SECY-05-0197. And the basis for that
15 was that the concept of expanding the use of ITAAC
16 beyond COL to ESPs, to allow EP ITAAC for ESPs was
17 conceived after the SECY went up.

18 In essence, for combined license
19 application, ITAAC had always been associated with a
20 COL. ITAAC, specifically EP ITAAC, had never been
21 associated with early site permits, ESP applications.
22 We found that for an early site permit application
23 where an applicant may propose complete and integrated
24 emergency plans, it was impossible for us to come up
25 with a reasonable assurance finding because the plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is physically not there. They cannot possibly submit
2 a complete and integrated emergency plan at the ESP
3 stage equivalent to a COL stage where the plant is
4 physically not there. Hence, you need ITAAC as so-
5 called place holders. So we thought it was a good
6 idea to expand the concept of ITAAC from allowable at
7 a COL to be allowable at an ESP.

8 Initially, when we looked at that, we sort
9 of scratched our head and we wondered is that an
10 appropriate thing to do? And the short answer was,
11 there is nothing in the current regulations that
12 precludes doing that and being well-versed on the
13 basis for the EPI tech in the first place, we were not
14 aware of anything that prohibited that extension. So
15 the supplemental ITAAC table, which, again, is in the
16 SRP, and DG-1145 currently reflects the original
17 minimal set of EPI tech that we negotiated with NEI
18 and DHS, FEMA, and we augmented that with additional
19 proposed ITAAC that had not been fully vetted or
20 discussed with industry and hence, you saw a comment
21 from NEI regarding the augmentation of the ITAAC table
22 and we had some comments on that, some thoughts on
23 that.

24 MR. COLACCINO: Thanks a lot, Bruce,
25 appreciate that detail.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MUSICO: Sure.

2 MR. COLACCINO: When we talk about fully
3 describing operational programs in a COL application,
4 we're talking about and FSAR level description and the
5 application guideline, you know, that's consistent
6 with the DG-1145 philosophy that we're looking at,
7 FSAR level information in the application. With the
8 exception of EP, operational programs are defined --
9 I say with the exception because EP have ITAAC. They
10 have -- we agreed on three criteria. That these are
11 required by regulation, they're reviewed in a COL
12 application, and then inspected to verify its
13 implementation.

14 And so that's reflected in the SECY paper.
15 If you could fully describe the operational program in
16 a COL application, you didn't need ITAAC for
17 implementation if you could describe the
18 implementation in the application also. Again, we
19 noted that EP contains programmatic ITAACs so you
20 don't have to describe the implementation of ET in
21 your application. Of course, since, you know, we're
22 in Part 52 process, Part 52 licensing process, these
23 operational programs are going to be fully described
24 before a plant is built and that hasn't been done
25 previously, you know, when we were under Part 50. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a lot of the details of these programs are going to be
2 developed after the COL -- after the license is
3 issued. So we wanted to -- one of the things that
4 will be included in the application is the
5 implementation, and the implementation, and
6 specifically the implementation milestones of when
7 certain pieces of the operational programs are going
8 to be implemented in phases in particular.

9 I believe this is the final list of
10 programs that we came up that are included within DG-
11 1145 and if I can point you back to slide -- the
12 second slide of this, we say that guidance is
13 contained in C.I.13.4 which should be a table pointing
14 to where all these operational programs are located.
15 So you'll see within Part 1 and within C.III.1 of DG-
16 1145, the actual information needs that will fully
17 describe the operational program and its
18 implementation.

19 Some of these programs have been lumped
20 together. For instance, you'll see a number of
21 programs that are associated with security, such as
22 physical security, safeguards, contingency. There's
23 fitness for duty in here someplace. Those have been
24 -- I think there are five or six security programs
25 that are together and those are all included in 13.6.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 After the license is issued, the NRC
2 intends to inspect the implementation of the
3 operational program. In the -- in Part 52, one of the
4 things that we try to do is in the final Part 52 rule,
5 was codify as many of the implementation requirements
6 as we could, implementation milestones as we could
7 within the regulations. We just didn't have the time
8 to do all of them. Many of them are now implemented
9 in the latest version of Part 52.

10 One of the things that wasn't covered and
11 is covered in the SECY paper is there's what's called
12 an implementation license condition. There's two
13 licensing conditions that are referred to and two sets
14 of licensing conditions in 52.70 in SECY 05-0197, and
15 it's a schedule and an implementation condition,
16 license condition. Two of the operational programs in
17 particular, security and fire protection, already had
18 implementation license conditions within current
19 operating reactor licenses and so -- and so we just
20 brought them forward there.

21 We also had a scheduling license condition
22 where we wanted the licensee at that point to report
23 on when these programs were, in fact, implemented.
24 And it's a periodic reporting requirement and that's
25 so that the NRC would know when they could go out and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspect them, inspect the implementation.

2 That's all I have in operational programs.

3 Any questions? Thank you.

4 CHAIRMAN KRESS: Thank you.

5 MEMBER SHACK: What kind of milestones are
6 going to be incorporated in the rule?

7 MR. COLACCINO: Have been -- what kind of
8 implementation? I don't know. I'm trying to think of
9 an example. Do you know of an example, Jerry?

10 MR. WILSON: Jerry Wilson, Office of New
11 Reactors. We'll pick an operational program. Let me
12 pick security. What you're going to find is that
13 certain programs you may want to have different timing
14 on when the program should be fully implemented or
15 perhaps partially implemented. So back to security,
16 in the past, we have required utilities to have their
17 security program partially implemented at the time
18 fuel is brought on site, but fully implemented at the
19 time that we load the fuel into the reactor.

20 Now, those milestones may change under
21 current environment but that's an idea of what we
22 would do. Operational training is another one that
23 you have to have that program up and running. I think
24 it's -- thank you, 18 months before fuel load. So
25 those are the kinds of things that we're talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about.

2 MR. COLACCINO: The SECY paper does talk
3 about one. I don't think this one was codified for
4 radiation protection. That's Section 12.5. And it
5 gives the phased implementation of that program. We
6 talk -- we use four milestones; sources on site, fuel
7 on site, fuel load and first shipment of waste. And
8 those were logical milestones where certain aspects of
9 the program would have to be implemented. And note,
10 in that particular example, one of those can happen
11 well after operation and so this -- the licensing
12 condition, the schedule license condition we have is
13 in existence, is a condition on the license until all
14 the implementation milestones have been met.

15 Any other questions? Thank you.

16 MR. OESTERLE: If you could remind me
17 what's on the schedule next.

18 MR. FISCHER: I think you have the next
19 agenda item as ITAACs and DACs.

20 MR. OESTERLE: Okay. All right, good
21 afternoon. I'm still Eric Oesterle and I'm still with
22 the Division of New Reactor Licensing. Around here
23 that --

24 MR. FISCHER: I thought there was a
25 reorganization.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: Around here things can
2 change quickly. For the next few minutes, I'll talk
3 about ITAAC and DAC. I wanted to provide this
4 presentation before we talked about operational
5 programs because I wanted to introduce the concept of
6 ITAAC before that but I think everyone is reasonably
7 familiar with that and we wanted to make sure that Joe
8 got out of here on time. ITAAC is required by 52 --
9 10 CFR, Part 52.80(a) in the revised rule that went up
10 to the Commission last month. Previously it was
11 required by 52.80(b). ITAAC was first mentioned way
12 back when in 1986 in a Atomic Industrial Forum Report
13 on Standardization of Nuclear Power Plants in the US.
14 So this concept has been around for quite some time.

15 The requirements for ITAAC have been
16 codified in 1989. For DG-1145, we provided generic
17 guidance on ITAAC in Section C.II.2. All of the
18 certified designs are also required to include ITAAC
19 and we have included guidance on ITAAC for COLs that
20 reference certified designs in another section of the
21 guidance document. Guidance on ITAAC development and
22 the methodology by which the applicant determines
23 which structure, systems and components they're going
24 to include in the ITAAC are supposed to be included in
25 the application. We had talked about putting it into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chapter 14 of the FSAR.

2 As part of that information, we were
3 looking for cross-references between key aspects of
4 analyses and PRA, safety analyses and features of the
5 design, including risk significant structure systems
6 and components to be included in ITAAC. The COL
7 applicant must include ITAAC for the entire facility.
8 And the reason I say it that way is because if a COL
9 applicant references a certified design, that
10 certified design includes ITAAC just for that
11 certified design. There may be additional ITAAC that
12 are required for site specific portions of the design
13 and there's ITAAC required for emergency planning as
14 we had discussed earlier.

15 Also, not included as part of the
16 certified design in full blown detail are ITAAC for
17 security design features. Those could be considered
18 as site specific design features that aren't
19 necessarily included in certified designs. ITAAC are
20 not created equal. There are some very complex ITAAC
21 and there are some very simple ITAAC. And here's a
22 table that demonstrates some of the differences in the
23 ITAAC going from complexities like developing an
24 engineering analysis or an ASME code report, all the
25 way down to a simple inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This slide also shows the agreed to format
2 for ITAAC, the first column requiring the design --
3 identifying the design commitment, the second column
4 identifying the inspection, test or analysis that the
5 licensee intends to perform to demonstrate that the
6 SSCs meet the acceptance criteria which are identified
7 in the third column.

8 We've also included specific guidance on
9 ITAAC for COL applicants referencing a certified
10 design and/or early site permit. And that's included
11 in Section C.III.7. It's important to note that the
12 ITAAC are proposed by the licensee and they're
13 reviewed and approved by the NRC and either as part of
14 the design certification effort, as part of the early
15 site permit effort and definitely as part of the COL
16 application review. Completion of ITAAC is, as Joe
17 mentioned, part of a license condition. All of the
18 ITAAC get lumped in under one license condition and
19 all of the ITAAC need to be successfully completed
20 before the Commission can make a finding on allowing
21 the plant or the licensee to operate.

22 For design areas that included rapidly
23 changing technology or required as-built or as-
24 procured information, a concept called Design
25 Acceptance Criteria was agreed to, I think as early as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the ABWR certification review stage. We refer to it
2 as DAC and it is part of ITAAC and as such, Design
3 Acceptance Criteria are not required to be completed
4 until prior to operation, so licensees or applicants
5 that reference a certified design that include DAC are
6 not required to complete those designs until after the
7 license is issued. However, our guidance tells
8 licensees and applicants that it is very prudent on
9 their part to do as much as they can to complete these
10 designs included in DAC prior to submitting the
11 application or during the application review phase.

12 Some of the areas that DAC was applied to
13 included digital I&C as an example of one of the
14 rapidly changing technologies that you wouldn't want
15 to, you know, pinpoint at a specific point in time
16 because you ran the risk of implementing some outdated
17 methodology by the time you got around to building
18 your plant. The control room design was also included
19 in DAC. Leak before break was included in DAC and
20 radiation shielding for certain plants was included in
21 DAC. DAC is not approved across the board. It's
22 approved on a case-by-case basis and goes up to the
23 Commission for approval and there are a number of SECY
24 papers and associated SRMs the document these
25 approvals.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Design Acceptance Criteria is limited to
2 certified designs at this point. The staff expects
3 that for COL applicants that do not reference a
4 certified design and we don't think there's going to
5 be many of those, we expect that there won't be any
6 DAC associated with those applications. And as such,
7 DAC has unique treatment in light of that because it
8 includes two elements. One element is completion or
9 verification of completion of the design and then the
10 other element is similar to the other ITAAC and that
11 is verification of the implementation of the design
12 and insuring that the as-built conforms with the
13 design.

14 The first element includes an approved
15 design completion process. The second element, as I
16 mentioned, includes verification of the design
17 implementation and as indicated before, DAC are
18 approved on a case-by-case basis. The certified
19 designs that we currently have, ABWR, System 80 plus,
20 AP6000 and AP1000 all include DAC.

21 MEMBER SHACK: Again, do you get to review
22 the design after or it's the completion process that's
23 reviewed and approved?

24 MR. OESTERLE: That's a good question and
25 that gets into my next slide. Both the completion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process gets reviewed as part of the post-licensing
2 inspection, okay. And that's the last bullet on this
3 slide. The NRC will inspect completion of all DAC,
4 both the design and the implementation, as opposed to
5 other ITAAC which our construction inspection program
6 will employ what we call a smart sampling inspection
7 methodology. DAC will not fall into that category. We
8 expect to inspect all of the DAC.

9 As I mentioned before --

10 MEMBER SHACK: Okay, but this will be
11 limited to essentially seeing that they meet the
12 criteria that were set out.

13 MR. OESTERLE: Yes, that's correct.

14 MEMBER SHACK: So there's no additional
15 review. It really is an inspection.

16 MR. OESTERLE: Right, it's a verification
17 that the design has been completed in accordance with
18 the approved design process. And as part of that
19 design process there are certain standards, industry
20 standards, like IEEE standards that are committed to
21 as part of that design process.

22 As I mentioned before, it's prudent for
23 the applicant to close out as many DAC as possible as
24 part of the application, but by regulation, it's not
25 required because DAC are part of ITAAC. Certain areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are governed by DAC are being worked on by the
2 certified reactor design vendors right now. We've
3 tried to close these out and they are submitting
4 topical reports or technical reports for us to review
5 on those.

6 And as I said, DAC is included in ITAAC.
7 NRC will inspect completion of DAC. I think that's
8 all I had on DAC. Any questions?

9 CHAIRMAN KRESS: Well, seeing none, you're
10 still on the program it looks like.

11 MR. OESTERLE: I'm still on the program.
12 I'm still Eric Oesterle and I'm still with the
13 Division of Nuclear --

14 CHAIRMAN KRESS: You're going to be here
15 for awhile, it looks like, so you're going to do that
16 COL action items now?

17 MR. OESTERLE: Yes, I'll do COL action
18 items next.

19 MEMBER SIEBER: You're right, you're the
20 same guy.

21 (Laughter)

22 MR. OESTERLE: It says so on the slide, I
23 must be.

24 MEMBER SIEBER: I'd better right that
25 down.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: The next topic is on
2 Combined License Action items and the guidance that we
3 included in DG-1145 on these items is contained in
4 Section C.III.4. Also it's discussed in Section
5 C.III.1 which as you recall from this morning, is
6 guidance for a COL applicant that references a
7 certified design and in Section C.III.2, which is
8 guidance for a COL applicant that references both a
9 certified design and an early site permit.

10 COL action items are specific items that
11 have been deferred to COL applicants that reference
12 either the certified design and/or the ESP. They may
13 include operational aspects which are the purview of
14 the licensee but may have also included certain
15 aspects of design that are site specific. COL action
16 items are included in both certified designs and early
17 site permits. As mentioned, these items are
18 associated with items that are outside of the scope of
19 the certified design and outside the scope of the ESP.
20 They are typically always documented in the final
21 Safety Evaluation Report for the certified design and
22 the ESP. For the AP1000 the staff may have taken some
23 of those action items and split them up into a number
24 of different information items so at times we use the
25 terminology Information Items and Action Items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interchangeably.

2 COL applicants referencing a certified
3 design are required by Section 4.A.2 of the applicable
4 Part 52 appendix which codifies a certified design to
5 provide information that addresses those COL action
6 items. It is anticipated that for early site permits
7 that the terms and conditions for an ESP will include
8 the need to address COL action items. And I say
9 anticipated because that language is still under draft
10 and being finalized as we speak.

11 Here's some examples of COL action items
12 from the AP1000 FSER. Applicant will provide site
13 specific information on soil bearing capacities,
14 information on mobile and temporary equipment used for
15 storing or processing liquid rad waste, making sure it
16 conforms to Reg Guide 1.1.43. That was too many ls.
17 And a very complicated one with respect to DNBR. But
18 like ITAAC COL action items range in their level of
19 complexity.

20 CHAIRMAN KRESS: Can we go back to that
21 one?

22 MEMBER CORRADINI: That one we might know
23 something about.

24 MR. OESTERLE: Just provided as an example
25 to demonstrate the varying levels of complexity of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these action items. In addition, here are some
2 examples of action items, COL action items from the
3 Clinton early site permit FSER, typically dealing with
4 environmental parameters and the interaction of the
5 proposed facility with the environment.

6 The COL action items must be addressed by
7 COL applicant referencing a certified design and/or an
8 ESP. It's prudent for COL applicants to provide
9 resolutions for COL action items as part of their
10 application. In addressing these COL action items,
11 resolution is not necessarily required. So COL -- in
12 the process of addressing a COL action item, the
13 applicant may identify that the resolution to the
14 action item cannot be completed until after the
15 license is issued. So we -- in the guidance, we have
16 identified a number of mechanisms by which completion
17 or resolution of these action items can be carried out
18 or verified and those are either by ITAAC, by a
19 license condition or via operational program. At the
20 very end, COL action items must be resolved prior to
21 operation.

22 When we began developing Sections C.III.1
23 and C.III.2, again, these are the guidance sections
24 for COL applicants referencing certified designs and
25 ESPs. The development of those sections were informed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in large part by the COL action items because for
2 those sections we were trying to identify, what
3 additional information a COL applicant would need to
4 provide if they did reference a certified design, or
5 an ESP. Now, in these sections, we provide guidance
6 on where the applicant should identify where they have
7 addressed the COL action items. So there will be, we
8 expect a table to be included in the FSAR section
9 which will identify where say for example, COL Action
10 Item 3.6-1 could be found.

11 And that concludes my remarks on COL
12 action items. Are there any questions?

13 CHAIRMAN KRESS: I don't see any, so you
14 may continue. This is public workshop is next.

15 MR. OESTERLE: Public workshop is next.

16 CHAIRMAN KRESS: Yes, we have a question.

17 MR. FISCHER: Can I ask a question about
18 COL action items. Is there any clear way in knowing
19 which COL action items need to be completed by the COL
20 applicant or which ones can be deferred until prior to
21 operation? You say they all needed to be completed
22 obviously before operation, but are some of them, like
23 -- you know, need to be done by the COL applicant?

24 MR. OESTERLE: It's either the COL
25 applicant or the licensee and they're going to be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same party. It just depends -- the timing and
2 issuance of the license.

3 MR. FISCHER: My question wasn't with
4 regard to timing. Are there any that are clearly --
5 you know, you have a COL action item that's part of
6 the design certification. Are those due by the COL
7 applicant or can they be -- or are some of them going
8 to be deferred by the COL applicant until prior to
9 operation? That's really the question.

10 MR. OESTERLE: Yeah, there's doing to be
11 some that can be deferred to after -- or prior to
12 operation, sure.

13 MR. WILSON: Eric, this is Jerry Wilson,
14 again. What you'll find is that the COL action items
15 aren't categorized in the manner in which Mr. Fischer
16 is pointing out. But all of the applicants for a
17 combined license have to address them. Now, what
18 you'll find when we get into the details of looking at
19 them, there may be some of them that can't be
20 completed until you have as-built information and
21 obviously, those are going to have to be deferred
22 until the construction period. So they will reveal
23 themselves as the staff looks at them during the
24 combined license review period.

25 MR. FISCHER: So am I to understand that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those are still under negotiation between the staff
2 and the applicants which ones, you know --

3 MR. WILSON: Yes, and we'll resolve that
4 during the COL review.

5 MR. OESTERLE: So the COL applicant will
6 have to take, for example, that set of action items
7 from a certified design that they reference and
8 identify where they're addressed in the application
9 and how they're -- whether they're resolved or not,
10 and if not, when they're going to be resolved. Does
11 that help?

12 MR. FISCHER: I think it would be nicer if
13 it was clear where, you know, when they were due to
14 the staff so that everybody understood, so the COL
15 applicants all understood that this item needs to be
16 addressed at the COL applicant stage versus this one
17 we can all defer until you know, prior to operation,
18 so that the staff and the industry knew what the
19 information requirements were specifically at the COL
20 applicant stage. That was my --

21 MR. OESTERLE: I think maybe I'm splitting
22 hairs between addressing the action item versus
23 resolving the action item. The applicant is required
24 to address all the COL action items at the application
25 stage. Resolution may occur after -- on some of them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may occur after issuance of the license. But we would
2 expect that to be identified in the application.

3 (Pause)

4 Okay, the next topic is Public Workshop
5 Issues. As I mentioned earlier this morning, the
6 development of this Reg Guide began in earnest in
7 2006. Draft work in progress sections were posted on
8 the NRC's website following completion to facilitate
9 public workshop discussions. And I want to emphasize
10 that there was a very high level and consistent
11 involvement and engagement of the industry and NEI in
12 these workshops to assist in developing the guidance.

13 MEMBER WALLIS: Were these public
14 workshops merely negotiating sessions between the NRC
15 and industry?

16 MR. COLACCINO: This is Joe Colaccino. I
17 wouldn't characterize them that way at all. They were
18 Category 3 public meetings. It's where the staff
19 would present -- would first roll out draft work in
20 progress sections of individual sections. For
21 example, the first one we had in March was C.I.12 on
22 radiation protection. And so the staff would come out
23 and present the information that was included in that
24 section and then the industry would come and have
25 questions. Actually, I think that first one we got it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out only a couple of days before the meeting but we
2 got better as we got further on in the process where
3 we had the sections out when the meeting notice went
4 out, so the industry had a couple of weeks and I
5 emphasize the industry. It's not just NEI because we
6 did them in Category 3 workshops so it was anyone that
7 attended could provide input to the workshops.

8 So but the industry combined, they used
9 NEI and they would send us advanced questions, which
10 was actually quite helpful because it allowed us to
11 premeet with the staff, discuss what their issues --
12 you know, discuss amongst ourselves what our the
13 issues were and then come out in the public workshops.
14 This is an extraordinary effort I would -- by the
15 staff to really present very, very high -- you know,
16 draft information that we normally wouldn't put out in
17 the public but in consideration of the schedule that
18 we were -- that we did meet, you know, that we were
19 striving for, we felt that this was the only way that
20 we could serve the industry. And quite frankly, it
21 served as an early feedback loop for information that
22 we would subsequently include in the guide.

23 MEMBER WALLACE: But you were serving
24 industry. It wasn't really -- was there public
25 participation or was it really just you and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry worked --

2 MR. COLACCINO: We had workshops of up to
3 100 people that were there and so we certainly had the
4 vast majority of the individual COL applicants there.

5 MEMBER WALLACE: Did you get any useful
6 input from non-industry people?

7 MR. COLACCINO: Useful input from non-
8 industry people.

9 MEMBER WALLACE: Well, you always talk
10 about public workshops and it turns out that the
11 people who go there are from industry.

12 MR. COLACCINO: These were Category 3
13 meetings. They were noticed appropriately 10 days
14 beforehand. The public certainly --

15 MEMBER WALLACE: I'm just wondering if
16 anybody came except industry.

17 MR. COLACCINO: Well, and I don't remember
18 -- I can't tell you. Some consultants came certainly
19 that were not associated with any COL applicants. We
20 saw some individual utilities sent people who were not
21 even COL applicants but were coming to observe the
22 process. And the workshop wasn't the only method by
23 which they could provide feedback to us. We also had
24 a public website which we had these sections out there
25 and we had a "Contact Us" page and we go lots of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments from people that did not even attend the
2 workshops on the -- you know, from the website.

3 MR. OESTERLE: We started these workshops
4 in March of `06 and continued with multi-workshops all
5 the way through September of `06 which was even after
6 the draft was issued for comment. So some of the
7 major issues that were discussed at the public
8 workshops we have an opportunity to discuss here as
9 well. The first bullet is called Design Finality.

10 Workshop discussions focused on areas of
11 the guidance document, in particular, C.III.1 where
12 additional information was requested in the guidance
13 document for designs that had been certified. For
14 example, in the radiation protection area where design
15 acceptance criteria had been applied, and the issue
16 was that the staff was requesting information on
17 design on a design that had already been certified and
18 the issue was that it was not something that the staff
19 had an opportunity to re-evaluate during the COL
20 application phase.

21 We had worked through some of those issues
22 and some are still yet to be resolved. This is one of
23 the most challenging areas for the staff in terms of
24 being able to negotiate the paradigm shifts from the
25 Part 50 licensing process to the Part 52 licensing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process, as many of the tech reviewers were used to
2 having the level of detailed information that was
3 available during the Part 50 licensing process which
4 is not available during the Part 52 licensing process.

5 Part 52 relies upon a lot of design
6 information and the verification program largely
7 contained within ITAAC. One of the other major areas
8 of discussion included COL information availability.
9 Due to the use of Reg Guide 1.70 as the basis for DG-
10 1145, and the predominant experience in licensing
11 plants using the Part 52 or Part 50 process, excuse
12 me. Workshop discussions also focused on areas of the
13 guidance document in which information was requested
14 that would not be available at the time of COL
15 application submittal. These included things like
16 material properties, as-built piping designs, things
17 of that nature.

18 That type of information would normally
19 have been available during the operating license
20 review under the Part 50 process and staff would have
21 had a chance to go out and kick the tires of a plant
22 that was under construction at that time, but under
23 Part 52, we have a different process. We largely rely
24 upon ITAAC as a verification program to insure that
25 the as-built plant conforms with the licensed design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the plant.

2 Another area that we had some major
3 discussions on and the workshops included verification
4 activities. And these included inspections,
5 construction inspections, as opposed to ITAAC. There
6 were certain levels of activities where industry and
7 staff did not mutually agree upon in terms of what
8 activities rose to the level of ITAAC versus what
9 activities would remain within the construction
10 inspection program. And as we've seen earlier, when
11 things get -- when activities get included in the
12 ITAAC verification program, there is a higher level of
13 regulatory focus on those.

14 Another area of discussion in the
15 workshops included first of a kind engineering. These
16 discussions focused on the definition of first of a
17 kind engineering which we intended to be the
18 translation of high level design in design
19 certification documents and COLs to construction and
20 procurement documents and the timing for these type of
21 inspections and whether or not issuance of the COL
22 license was dependent upon the results of these FOAKE
23 inspections.

24 Another area of discussion in the
25 workshops included engineering design verification.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These discussions also focused on the definition of
2 EDV and that included COL applicants and their QA or
3 QC programs to insure quality engineering.

4 MEMBER WALLACE: Could you define first of
5 a kind engineering a bit better for me? I mean, all
6 these reactors are first of a kind.

7 MR. COLACCINO: Eric, this is Joe
8 Colaccino. I would define that and I don't know if
9 Eric's got a figure. We included a figure in the
10 discussion part of the guide and it's a multi-color
11 figure and I don't know if you have it, but first of
12 a kind, how we look at that is that our translation
13 from the FSAR level information that the staff has
14 reviewed into the detailed design and construction
15 documents. That first time that that's done for this
16 new design is what we look at.

17 I think what the vendors would look at is
18 their first of a kind engineering and the issue, if I
19 can go on, is that the -- and this is a level of
20 detail question and Eric characterizes it very
21 correctly when he talks about what level of design
22 information did the staff need to see in order to make
23 their reasonable assurance finding that's codified in
24 Part 52? And so obviously some issues require a lot
25 more design information than other issues and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, if we're going to look at the thermohydraulic,
2 you know, characteristics of the AP1000, we need some
3 -- we need a certain level of design information
4 versus if we're going to look at a simple safety
5 system or simple system that's required by regulation.

6 So in working through, I don't know if
7 negotiation was the right -- the term that I would use
8 but certainly coming to an understanding between both
9 sides on what the staff needed to see in order to make
10 its safety findings. And the information beyond that,
11 what the vendors would be doing and when NRC, how we
12 would look at that. We would look at that as we would
13 do any construction. That's what we've always said
14 about our construction inspection program. We're not
15 going to do it any differently than we did before, but
16 we're going to have ITAAC as part of it and when it
17 comes to design, we're going to look at the process of
18 translating that FSAR level information into the
19 detailed design documents and then we'll look at
20 certain products of that process. So that's -- you'll
21 see it as FOAKE inspection if you look at NRC Manual
22 Chapter 2503, I believe it's called FOAKE.

23 If you look at 2504, it's engineering
24 design verification. They're really the same thing
25 and the only thing was the timing of it because those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC manual chapters focus on ITAAC inspections and
2 non-ITAAC inspections. Hopefully, that helps you
3 understand that a little better.

4 MEMBER WALLACE: What is the first of a
5 kind part? Do you treat things differently in some
6 way when they're first of a kind? That's what I'm not
7 quite sure about. What does this qualification, first
8 of a kind imply about what you do, because what you've
9 just described seems to be what you do about almost
10 any engineering.

11 MR. COLACCINO: But once we'll do that,
12 once we do -- if there's no change when we're looking
13 at the next plant, we won't go back and look at that
14 design if there isn't any change from the first one.
15 So that was an important point that I missed, thank
16 you.

17 MEMBER WALLACE: That makes a difference.

18 MR. COLACCINO: That's right.

19 MR. OESTERLE: The first one on FOAKE
20 really looks at the new designs whereas EDV is more
21 like a QA check of the applicant's design engineering.

22 MEMBER CORRADINI: So you would do more of
23 a contrast and compare after Utility X had a
24 particular AP100 and Utility Y had an AP1000. Then it
25 was contrast and compare on a number of systems; is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that your point?

2 MR. OESTERLE: Yeah, that would be part of
3 it. Yeah, to insure that there was standardization
4 also in translation of those designs. We would
5 expect that it would be the same.

6 MR. COLACCINO: In standardization, you
7 expect it to be the same but if the reference plant
8 was of one configuration, and then the subsequent COL
9 came in with a design that had a slightly different
10 configuration, then we would only look at the
11 differences between the two configurations.

12 MEMBER WALLACE: So FOAKE would be a large
13 item on the first plant and then not on the next one.
14 How much would this make a difference? Would this
15 make a big difference in the review work?

16 MR. COLACCINO: No, and that's the
17 important point here is that this is not part of what
18 -- this is an activity that's taking place -- that's
19 going to take place by inspection and that's really
20 what the industry's issue was is that our inspection
21 activities would have an impact on our licensing
22 activities; whereas, the inspection activity that we
23 were doing was beyond what the certification required.
24 And so we -- and there's a figure in there that it's
25 like our license would be based on what -- you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a certain level of information, whatever we needed.

2 Now, having said that, if we obviously,
3 found something during inspection, you know, while the
4 license was still being evaluated that impact
5 licensing, you know, we're not going to unknot what we
6 find out and you know, it's just in the timing of
7 whether it's the license or not. And you know, so
8 that's just -- and it would be a matter of timing.
9 And quite frankly, now, with the acceleration, I mean,
10 the vendors are well into much of this work now, and
11 so much of this work is, you know, is available for us
12 to go and inspect. I don't think we would have any
13 plans to do it.

14 I asked once in a public meeting of one of
15 the vendors if they would be ready, you know, next
16 year to do these type of inspections and they said,
17 yes, they would be.

18 MR. OESTERLE: So moving on to Slide
19 Number 4, to talk about some of the other issues that
20 come up during the public workshops, the first bullet
21 on Slide Number 4 is guidance for passive designs, for
22 example, offsite electrical power. The intent of DG-
23 1145 always was to provide generic guidance for all
24 LWRs and there was some discussion about how detailed
25 it should get with respect to specific guidance for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 AP1000 versus ESBWR or APR. The discussion on
2 guidance for passive designs brought it back up to
3 another level, so to speak of generic guidance where
4 it was requested that we provide guidance in certain
5 areas where the passive nature of a plant design would
6 significantly impact the requirements for certain
7 systems and equipment, for example, electrical power.
8 AP1000 --

9 MEMBER WALLACE: You're talking here about
10 passive safety designs?

11 MR. OESTERLE: Passive safety systems,
12 correct, where a plant design would not rely upon a
13 safety related Class IE emergency diesel generators,
14 and instead would rely upon 72-hour capacity batteries
15 with non-safety related backup diesel generators. And
16 this issue of guidance on passive designs extended into
17 other areas of the guidance document as well. So the
18 staff is taking a look at including some generic
19 guidance in some of those areas.

20 MEMBER BONACA: It is already clear what
21 the NRC requirements would be for offsite electrical
22 power for passive designs? I mean, is the regulation
23 that far established already? I don't think so.

24 MR. OESTERLE: I don't think there is a
25 change in the regulations and our electrical group is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluating what type of guidance to provide in this
2 section with respect to offsite power. Obviously,
3 there is some limited control over the offsite power
4 system designs for plants and so the focus is more on
5 reliability and redundancy.

6 MR. COLACCINO: This is Joe Colaccino
7 again. I just wanted just to point out that for the
8 AP1000, they had a partial exemption, I believe, from
9 GDC-17 for offsite power. The extent of what that is,
10 I couldn't describe to you. Maybe you know a little
11 bit more, Jerry.

12 MR. WILSON: Jerry Wilson. Yes, it's
13 specified in the Design Certification Rule and in
14 detail discussed in the FSAR for AP600 and 1000.

15 MEMBER BONACA: And so the requirements
16 are already established.

17 MR. WILSON: Yes.

18 MR. COLACCINO: Again, it was an
19 exemption, exemption to the current regulations, so
20 when the application came in, they requested an
21 exemption from the regulations.

22 MEMBER BONACA: I understand the
23 exemption. I'm trying to understand what the
24 requirement is right now.

25 MR. COLACCINO: I think it's two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 independent sources of offsite power.

2 MEMBER BONACA: Yeah.

3 MR. WILSON: Well, that's the requirement.
4 They're not fully meeting it.

5 MR. COLACCINO: The requirement, that's
6 what they requested the exemption from.

7 MR. WILSON: You'd have to get back and
8 read the details of the exemption to understand
9 exactly what the requirement is now.

10 MR. OESTERLE: And the staff is doing that
11 as part of going back to take a look at developing
12 generic guidance, more generic guidance for passive
13 plants in the electrical power system chapter.

14 One of the other areas that had some
15 significant discussion during the workshops was the
16 maintenance rule. In fact, we had a breakout session
17 separate from the main workshop in which external
18 stakeholders could discuss the maintenance rule
19 specifically. One of the issues that was expressed or
20 one of the concerns that was expressed was that we
21 provided way too much guidance on the maintenance rule
22 in DG-1145. In fact, it was a -- we virtually included
23 everything we knew about the maintenance rule and what
24 operating plants would need to do to maintain their
25 maintenance rule after they got the license. And so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based on some discussions with industry, we feel that
2 we have reached a mutually agreeable point where we
3 can incorporate and resolve industry comments and come
4 out with a good guidance on the maintenance rule.

5 Another area that had some considerable
6 discussion in the workshops was the environmental
7 report format and content. The guidance document
8 really just focused on the format and content that was
9 discussed in the Reg Guide 4.2 and the -- it was noted
10 that 4.2 was rather dated, similar to Reg Guide 1.70
11 and so that format and content for an environmental
12 report was not up to speed and up to date. So we are
13 working on that to try to improve the guidance and
14 bring it up to speed.

15 Another area that had some considerable
16 discussion was related to the environmental report was
17 the finality of an Environmental Impact Statement
18 associated with an ESP that a COL applicant chooses to
19 reference. And the big ticket item there was new and
20 significant issues. At the time we issued the
21 guidance document as a draft, there was significant
22 discussion and development of new criteria and
23 requirements as part of the Part 52 rule-making
24 update. Actually, this is part of Part 51. And so
25 the guidance document at that point really was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 required to wait until the Part 52 rule-making got
2 issued and sent up to the Commission. So we have a
3 clear direction on finality of an Environmental Impact
4 Statement associated with an ESP now and we are
5 improving -- updating the guidance of DG-1145
6 accordingly.

7 The last bullet on this topic, certainly
8 this didn't end all of the workshop discussions but
9 this is one of the major ones as well was on PRA.
10 Again, the workshop discussions focused on the format
11 and content of the PRA. At the time, this guidance
12 document was written to reflect the requirements in
13 the proposed Part 52 rule issued in March of this year
14 and that proposed rule required a PRA to be submitted,
15 so the question was, well, what should be the format
16 and what should be the content. So significant
17 discussions came up regarding that issue.

18 Also, some issues with respect to the
19 timing of the PRA submittal with respect to COL
20 application submittal, whether or not there could be
21 a lag time in submittal of the PRA due to the
22 requirements for peer review of the PRA. Now that the
23 proposed rule that has gone up to the Commission has
24 deleted the requirement to submit a PRA, some of those
25 issues are -- have gone by the wayside. One of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 larger ones that remain was discussed earlier with
2 respect to the metrics in the PRA that would be
3 included considering large release frequency and
4 conditional containment failure probability.

5 And that concludes my remarks on public
6 workshop issues. Any questions?

7 CHAIRMAN KRESS: Well, let's see. This
8 would probably be a good time to take a 15-minute
9 break. You have another one called --

10 MEMBER WALLACE: You've gained a lot of
11 time.

12 CHAIRMAN KRESS: -- characterization.
13 Yeah, I think we're gaining lots of time. This would
14 be a good time to finish your section on
15 characterization of public comments.

16 MR. OESTERLE: Oh, excuse me, I had one
17 more slide on public workshop issues. I was getting
18 hopeful. We had some discussions on human factors
19 engineering and they focused on the 12 elements of the
20 human factors engineering being addressed as part of
21 design acceptance criteria in a certified design and
22 how and when these design acceptance criteria get
23 completed. The concern there was that some of those
24 elements are design elements and some of those
25 elements are implementation. Also in human factors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering some of the discussions focused on
2 insuring that the guidance in DG-1145 did not extent
3 what was already provided in NUREG 0711.

4 Another item that included some discussion
5 was the definition of the concept of minimum
6 inventory.

7 MEMBER WALLACE: This rad waste treatment,
8 I would think the public would have something to say.
9 It used to be that you had a spent fuel pool with the
10 expectation that you then -- the government would take
11 it away. And now it looks as if you having
12 essentially indefinite storage on the site of rad
13 waste. Is this used fuel or just is this rad waste of
14 the low level --

15 MR. OESTERLE: No, this is like low level
16 waste.

17 MEMBER WALLACE: Low level, okay, so it's
18 not used fuel?

19 MR. OESTERLE: It's not spent fuel.

20 MEMBER WALLACE: -- spent fuel, but what
21 is the spent fuel approach for these new reactors?
22 Are they just going to store it on site indefinitely?

23 MR. OESTERLE: The certified designs that
24 we have seen so far have included, you know, certain
25 number of years of capacity of spent fuel storage and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the options available to new plants are the same
2 options that are available to existing plants.

3 MEMBER WALLACE: How many years capacity
4 do you ask for?

5 MR. OESTERLE: We don't -- I don't think
6 we ask for any minimum capacity to my knowledge.

7 MEMBER WALLACE: You'd think you'd ask for
8 them to be able to handle the used fuel for the period
9 of the entire license, since that's what they're
10 probably going to have to do.

11 MR. COLACCINO: Yeah, this is Joe
12 Colaccino. I don't think that we have that
13 information here today.

14 MR. OESTERLE: Yeah, I don't --

15 MEMBER WALLACE: If there's anything that
16 the public is interested in, this would be one, I
17 should think, the fuel. It's not on your slide but --

18 MR. OESTERLE: The issue of spent fuel
19 storage and capacity for spent fuel storage never
20 really came up as an issue during the public
21 workshops.

22 MEMBER WALLACE: Never came up at all.

23 MEMBER SIEBER: Well, that's a different
24 license, too.

25 MR. OESTERLE: Right. They have -- like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I was saying, the same options are available for new
2 reactors as existing reactors and that is if you
3 wanted to, if the licensee wanted to, they can apply
4 for a license for an independent spent fuel storage
5 facility.

6 MR. COLACCINO: Dry cast storage.

7 MR. OESTERLE: Dry cast storage. But
8 that's a different license. This issue on rad waste
9 treatment was really with respect to bringing in
10 mobile or temporary rad waste treatment equipment,
11 skid mounted stuff and how you insure that use of that
12 equipment remains within the bounds of the license in
13 terms of offsite dose exposures and leakage.

14 One last area to talk about was digital
15 INC. We had some separate breakout sessions on
16 digital INC. We've had two so far. We even had some
17 presentations to the Commission with respect to
18 digital INC and those discussions and work are still
19 going on. Those discussions included updates proposed
20 by the staff to SRPs and inclusion of this info in DG-
21 1145. Other items included discussions on bi-
22 directional communication between computers and
23 different safety channels or between computers and
24 safety channels and non-safety channels. Refinement
25 of cyber security guidance in Reg Guide 1.12 and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adjustment of technical specification surveillance
2 based on self-testing or monitoring for this type of
3 equipment.

4 So as we come to resolution on some of
5 these digital INC issues the guidance will be updated
6 to reflect resolution of those issues.

7 MEMBER SIEBER: But how will you do that
8 unless you go to the code committees and have then
9 revise their codes? I mean, you can't do that by
10 regulatory guide. It's either by rule-making or code
11 and standard, right? I mean, that's not a simple
12 process.

13 MR. COLACCINO: This is Joe Colaccino. I
14 agree it's not a simple problem and, you know, it's
15 been -- I should remind everybody that instrumentation
16 and control is DAC for all the certified designs that
17 we have right now and it's being recommended for DAC
18 for ESBWR. I do not know what extent that AREVA will
19 be asking for DAC for the EPR but it's clearly an
20 elevated issue as was mentioned earlier about the most
21 recent Commission meeting on it just a couple of weeks
22 ago. And it's one that the staff is working very
23 hard.

24 MEMBER SIEBER: I think one of the
25 critical questions that involves preliminary design is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the degree to which one requires separation between
2 protection channels and control channels and between
3 accident instrumentation and protection channels. You
4 know, do you use the same sensor and run different
5 wires or do you run everything through a single
6 processor and then branch off? Where do you draw the
7 line or do you have a Christmas tree on a pipe that
8 has a bunch of different detectors on it for pressure
9 sensors and each one feeds a different part of the --
10 a different system? Those are fundamental questions
11 that you've got to answer right up front.

12 MR. OESTERLE: And we have members of the
13 staff here from INC if you'd like to make a response
14 to the comment or not. No?

15 MEMBER SIEBER: Well, I think there are so
16 many issues involved in INC that if you answered this
17 one, I could come up with 200 more and by the time
18 we're done, we would all be old men and we would have
19 a fine set of regulations.

20 MR. OESTERLE: I appreciate that. And so
21 now, I'm done with my prepared remarks on public
22 workshop issues.

23 CHAIRMAN KRESS: Now, do you want to talk
24 about characterization and public comments and then
25 we'll have a break?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: Oh, okay, sure. Okay, this
2 is my last presentation for today. I know you're all
3 thankful for that.

4 CHAIRMAN KRESS: No, we're glad you caught
5 us up in time.

6 MR. OESTERLE: Yeah, we've done very well
7 this afternoon in getting back on time. This
8 presentation is more or less a characterization of the
9 comments that we received on DG-1145. Following an
10 intensive and open effort to develop the many sections
11 of DG-1145 and to respond to approximately 500 public
12 workshop comments, the staff formally issued DG-1145
13 for a 45-day public comment period on September 7th of
14 2006. Prior to that, we made DG-1145 available to the
15 public electronically on the NRC's public website and
16 that was on September the 1st.

17 The public comment period closed on
18 October 23rd, 2006 and we received approximately 700
19 public comments. The bulk of comments came from NEI
20 as they acted as the focal point for compilation and
21 consolidation of industry comments. In addition, we
22 received public comments from AREVA, General Electric,
23 Burns and Rowe, ANS and a few nuclear industry
24 consultants. Among the many other new reactor efforts
25 in which the staff is currently engaged, including

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ESBWR design certification review, review of AP1000
2 technical reports and the Vogle ESP review, the
3 Clinton ESP hearing, and pre-application meetings with
4 AREVA and Mitsubishi on their certified designs, SRP
5 updates and Part 52 rule-making, the staff is also
6 working on resolving the 700 public comments on DG-
7 1145 and conforming DG-1145 with the updated SRPs and
8 the proposed final Part 52 rule.

9 Characterization of public comments may
10 sound a little bit redundant to the previous
11 presentation because we have some of the same issues
12 that came up during the public workshops that were
13 submitted as public comments. Part of the reason for
14 that is because we had another workshop in September
15 after DG-1145 was issued for draft, but that is only
16 a small set of the reason.

17 So the first item -- the first type of
18 comment that we received which I'll discuss is what I
19 call the COL information availability comment. This
20 comment was made in several areas where the guidance
21 document requested information that would not be
22 available at the time of COL application submittal or
23 even during the COL application review phase. For
24 example, the guidance in Section C.I.1.8.3.2 for
25 onsite DC power systems requested battery

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristic curves. These battery characteristic
2 curves will not be available until after batteries
3 have been procured which will be after submittal of
4 the COL application and could likely be after issuance
5 of the license.

6 As another example, the guidance in
7 Section C.I.3.6.2 for determination of pipe ruptured
8 locations and dynamic effects associated with the
9 postulated rupture of piping requested that applicants
10 provide in addition to their design criteria detailed
11 information on containment penetrations and protective
12 assemblies or guard pipes to be used for piping
13 penetrations in the containment areas. This detailed
14 information is not expected to be available at the
15 time of COL application submittal.

16 MEMBER WALLACE: We know the guidance to
17 the batteries, why don't you just have specifications
18 of the functional performance required and then you
19 get the appropriate battery?

20 MR. OESTERLE: Our thinking was in line
21 with yours and that was one of the ways we discussed
22 resolving this issue. Another characterization of the
23 comments is what I'll call the passive plant comment.
24 This type of comment requested specific or additional
25 guidance in areas where the requirements for structure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems and components in plant designs that
2 incorporate passive safety systems differ
3 significantly than those plant designs that
4 incorporate the traditional active safety systems.
5 For example, the guidance in Chapter 8 did not provide
6 any specific requirements for offsite AC power systems
7 for passive plant designs that rely on Class 1E
8 batteries for emergency power and non-safety related
9 diesel generators for battery recharging.

10 Likewise, the guidance in Chapter 9 did
11 not provide any specific requirements for the diesel
12 generator support systems such as the fuel oil storage
13 and transfer system, cooling water systems, starting
14 air system, lubrication system, air intake and exhaust
15 systems for passive plant designs that rely on Class
16 1E batteries for emergency power.

17 MEMBER SIEBER: But diesels are not
18 safety-related, right?

19 MR. OESTERLE: Right, right, but the
20 discussion that was included in the guidance document
21 reflected the assumption that the diesels were safety-
22 related and that was the comment, that they were non-
23 safety related diesels.

24 MEMBER SIEBER: Yeah, safety-related
25 diesels and safety-related building and there's a ton

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of money goes into building and redundant auxiliaries
2 and all kinds of stuff.

3 MR. COLACCINO: This is Joe Colaccino.
4 Part of the challenge of putting this guide together,
5 one of the things that we wanted to do is make it as
6 generic as possible. And so it was a conscious choice
7 not to distinguish between active and passive safety
8 systems because if you look at our certified designs,
9 they are a combination of both active and passive
10 safety systems. So for instance, for an AVWR which
11 does have safety-related diesels, that information is
12 needed. For a passive safety system plant, that
13 information wouldn't necessarily need to be provided
14 necessarily during the certification. So there's a
15 couple of ways, I think, that the team is going to
16 look at how they do this. And you know, it's either
17 -- you know, one thing you could do is to either
18 provide guidance, that's separate guidance in these
19 areas on passive and segregate, you know, bifurcate
20 and provide parallel guidance for passive safety
21 system plants, you know, in parallel with the guidance
22 that you have there.

23 Another way would be to define a process
24 for if you don't -- if you have a passive safety
25 system plant and how you don't need to provide certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 types of information. The industry is looking for
2 more detail which, you know, in some ways, I think is
3 a good thing because they're trying to facilitate the
4 staff review. I think that's their ultimate goal.

5 MEMBER SIEBER: I think the whole thing
6 should hinge on what the QA classification is. For
7 example, Category 1A diesel is safety-related
8 obviously and therefore, it gets all the bells and
9 whistles and if you write the requirement, you have to
10 provide this information for Class 1A diesels or Class
11 1A equipment, then you're automatically making the
12 distinction between passive safety systems and active
13 safety systems, and also the civil works that go with
14 it and auxiliaries. That's one way to do it.

15 MR. COLACCINO: Yeah, I agree. I think
16 there are -- you know, it's like how the distinction
17 is made and in their comments, the industry expressed
18 that they wanted specific guidance on where -- in
19 certain areas and I believe they gave us a number of
20 those areas and so the staff is going to go back and
21 look at what's the best way to do that in the limited
22 time that we have.

23 MEMBER SIEBER: Well, if you adopt the QA
24 category method, then the argument becomes is it 1A or
25 not 1A as opposed to does a passive system require a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety-related diesel or not. You can deal with more
2 individual pieces of equipment by the categorization.
3 Your choice is whatever you choose to do.

4 MR. OESTERLE: Okay, moving on, the next
5 bullet is on design finality and that was a similar
6 issue as previously discussed. This type of comment
7 was specific to Sections C.III.1 and C.III.11 which
8 provide guidance to COL applicants that reference a
9 certified design in ESP. The design included in the
10 scope of the certified design achieves finality in
11 accordance with 10 CFR 52.63. However, the guidance
12 document requested in certain areas, design
13 information from the COL applicant, for some areas
14 that had already been certified.

15 For example, guidance in Chapter 9 of
16 Section C.III.1 requested information that should
17 already have been addressed in the certified design
18 for -- such as diesel generator certification.

19 MEMBER ARMIJO: On that issue of design
20 finality, that works both ways. What does the
21 applicant have to do in the event that he wants to
22 change something substantive in a certified design?

23 MR. OESTERLE: There's a design change
24 process that has been codified in the regulations in
25 what we call the design certification rule and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are included in the appendices to Part 52 that
2 identified the process that an applicant has to go
3 through to make a change to information included in
4 the certified design.

5 MEMBER SIEBER: You have to modify the
6 application then because you can't have a safety
7 evaluation that reflects something that you actually
8 didn't build. You built something else and so for the
9 application to be valid, it would seem to me you have
10 to modify it to match what it is you actually bought
11 and installed in the plant.

12 MR. OESTERLE: The next item again, you've
13 heard before, it's on inspections versus ITAAC. This
14 comment was associated with Section C.I, which
15 contained guidance for a COL applicant that does not
16 reference a certified design or an ESP. In areas
17 where the guidance document requested information that
18 was either not available at the time the COL
19 application was submitted or required an update to
20 verify that as-built or as procured information to
21 conform with the design, the guidance document also
22 requested the applicant to insure or identify that
23 appropriate ITAAC existed or was proposed.

24 Commentors suggested that construction
25 inspections rather than ITAAC were the more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate verification mechanism for that
2 information.

3 The last bullet on this slide is the
4 plant-specific PRA which we heard a lot of discussion
5 on earlier. Several comments were related to the
6 guidance provided on plant specific PRAs. As
7 discussed earlier today, the guidance on plant
8 specific PRAs will be revised based on the changes in
9 the Part 52 rule that was sent to the Commission. By
10 and large, the guidance provided in DG-1145 on PRAs is
11 consistent with Commission policy with respect to
12 those areas that we heard about on the large release
13 frequency and conditional containment failure
14 probability.

15 We had numerous comments on ITAAC, the
16 guidance provided in Section C.II.2. These comments
17 generally focused on the use of ITAAC for verification
18 of items that were considered more detailed than top
19 level performance requirements or design requirements
20 that ITAAC were originally intended to verify. Many
21 ITAAC comments were focused on the guidance provided
22 for development of ITAAC for instrumentation and
23 control systems.

24 The next bullet is on the Environmental
25 Report and finality of an EIS. The comments that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 received, again, focused primarily on the outdated
2 nature of Reg Guide 4.2 and that we needed better
3 guidance on the use of NUREG 1555. Other comments
4 focused on the importance of resolving the issue of
5 finality of an Environmental Impact Statement
6 associated with an ESP. And we have more definitive
7 language that was part of the Part 52 rule that went
8 to the Commission now which included a clarification
9 on the new and significant information issue with
10 respect to EIS'.

11 The last comment that I'll discuss is what
12 I call the buried guidance comments. During
13 development of the draft work in progress guidance
14 document which was posted on the NRC's public website,
15 as I mentioned before, we received approximately 500
16 public workshop comments. The staff developed
17 responses to these comments and included these
18 responses in Appendix I to DG-1145 or Appendix 1,
19 however you want to look at it.

20 And the reason for doing that was to
21 include those as a historical record of the
22 development of the guidance document. In areas where
23 the staff agreed with the comment and agreed to change
24 the guidance documents, either the document failed to
25 get revised or the basis for the staff agreement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failed to get incorporated into the document or both.
2 And example of this is as follows.

3 The guidance in Section C.I.2.3.3 on
4 meteorological data requested at least two years of
5 data to be submitted with the COL application.
6 Workshop questions requested whether it was acceptable
7 for an applicant to provide one year's worth of
8 meteorological data at the time of COL application
9 submittal and supplement that data with an additional
10 year's worth of data from the same site after it had
11 been collected and prior to issuance of the license.

12 This was intended to apply to a Greenfield
13 site that did not have a meteorological tower and a
14 meteorological program comparable to the Reg Guide
15 1.23 program in place for a sufficient period of time
16 to acquire all this data. The staff agreed with the
17 comment and -- but failed to provide the flexibility
18 in the guidance document for allowing the supplemental
19 submittal with the additional year's worth of data.

20 And that concludes my prepared remarks on
21 characterization of public comments on DG-1145.

22 CHAIRMAN KRESS: Thank you very much. Are
23 there are questions?

24 MEMBER WALLACE: Well, I don't have a
25 question. I just read -- I didn't read all the public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments, there are too many but I read some of the
2 replies and my general sense was that you were being
3 very responsive and professional in the way that you
4 replied to these comments. That was my general sense.
5 I just wanted to say that.

6 MEMBER CORRADINI: There's two sets of
7 comments, though. Somebody clarified that for me, the
8 ones in the appendix is from the workshops and then
9 the big thick thing we got --

10 MEMBER WALLACE: The big thick thing we
11 got --

12 DR. SAGGESE: -- is after -- is post-
13 September.

14 MEMBER WALLACE: Those are the ones, have
15 they been responded to or not? Not at all, no.

16 MR. COLACCINO: No, we're still working on
17 them.

18 MEMBER WALLACE: So I'm looking at the
19 other responses then.

20 MR. COLACCINO: Yes, the public workshop
21 comments.

22 MEMBER CORRADINI: As you said, a lot of
23 them are coordinated from something that they saw
24 there and then it still stayed in the draft and they
25 essentially again --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: In addition, one of the
2 timing issues that we had to deal with was the
3 workshop that we had in September was held after the
4 draft had already been issued. So any comments that
5 came up during that public workshop, we requested that
6 the commentors submit those as public comments, during
7 the public comment period on 1145.

8 MR. COLACCINO: This is Joe Colaccino.
9 Another point, you know, with regards to the two sets
10 of comments, we used those comments initially in our
11 development of the draft work in progress comment, the
12 product that ultimately became the draft. We didn't
13 stop working after we issued the draft. Eric put
14 together a team and they went through and they read
15 1145 cover to cover. And my last number that I heard,
16 is they -- it was about one-third of the comments out
17 of the 700 that you identified, those typos and things
18 that were wrong.

19 And so we appreciate -- I mean, we can't
20 -- you know, we work with the industry on -- this was
21 a collaborative effort, if you will, on helping us
22 produce a high quality document, but we kept right on
23 working and you know, we caught a lot -- a fair amount
24 of what the industry had highlighted. So I look at
25 that you know, the 700 is probably comments that, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Eric said, were not able to be resolved in September
2 that we weren't able to address, plus some additional
3 things, things that we've heard throughout the seven
4 public workshops. So in all, you know, 700 sounds
5 like a pretty big number and if you add 700 and 500
6 it's 1200 and that's a lot, but I mean, actually, you
7 know, we really were pleased with the public
8 participation in this whole development process.

9 MEMBER SIEBER: You were able to boil down
10 500 comments --

11 MR. COLACCINO: Major ones in lots of
12 little areas.

13 MR. OESTERLE: Five groups of 100 each.

14 MR. COLACCINO: Yeah, I mean, yeah, that's
15 right, and that -- you know, and we like that level of
16 detail, too, because I think it's really important as
17 we go forward and review this application section by
18 section, that we have discussions. One of the purposes
19 of having these public workshops also was to engage
20 our COL applicants well in advance of receiving an
21 application. Initially, what they were telling us one
22 year ago was that each applicant wanted to have a
23 meeting with the NRC staff on each chapter. So if you
24 multiplied 19 times 19, that becomes a big number of
25 meetings. And so we were able to gain some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficiencies by developing the guide and having public
2 workshops at the same time.

3 CHAIRMAN KRESS: So at this time I propose
4 we take 15 -- let's take a break until 3:00 o'clock
5 and then we'll hear the industry comments at that
6 time.

7 (A brief recess was taken at 2:38 p.m.)

8 (On the record at 3:00 p.m.)

9 CHAIRMAN KRESS: We will now hear the
10 industry comments. Ms. Kass?

11 MS. KASS: Yes, good afternoon. I am
12 Leslie Kass with NEI. Russ Bell sends his apologies
13 he could not be here and sends me in his stead. And
14 as you can tell, we appreciate the opportunity to be
15 here to address you today because we do love to
16 comment. I will thank Eric Oesterle for doing such a
17 good job describing our comments. I feel I have very
18 few things to tell you this afternoon but first I
19 wanted to start with, we really appreciate that
20 efforts of the staff. To push out an 1100-page guide
21 in nine months is a tremendous effort. We also
22 appreciate the workshops along the way because when
23 you're doing something that quickly, I think it
24 certainly benefitted us and benefitted them to have
25 the feedback to make a better product and we really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worked together to do that.

2 Also, you know, on our side we had the
3 industry participants from several utilities, vendors.
4 We tried to do our best and this has been an effort
5 that brings us all towards standardization. We
6 appreciate the guidance because it's something that we
7 needed to help us to form these applications but
8 anything that we can do to make them more standard, of
9 course, is going to make the whole process go smoother
10 and help us all to focus on the critical areas of
11 safety as opposed to being bogged down by the
12 administration of so many thousands of pages of work.

13 So with that, we just had a few comments
14 for today. I wanted to clarify what Mr. Matthews said
15 this morning regarding no new regulatory requirements
16 in DG-1145. We would agree with that because it is
17 guidance. It's not a rule, therefore, it can't be a
18 new regulation. However, we did find that in some
19 areas there were items requested that extended beyond
20 the current regulation. I think, as Eric mentioned,
21 Chapter 18 was a classic example of that where we went
22 beyond 0711. However, they're aware of it. We've
23 provided extensive comments on that and would expect
24 to see that probably come around in the next version.

25 Also with all of the comments and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information, I wanted to let you know, don't let the
2 size of this think in any way it mars the quality of
3 DG-1145. These comments range from everything as an
4 extra spell-checker, as you mentioned, to some of the
5 issues that were probably addressed in workshops but
6 didn't get a chance to get in there, just by its size
7 and the amount of information. This reflects our
8 commitment to a thorough review and our commitment to
9 adopt this and use this guidance.

10 So we feel like this is a lot of hard work
11 we've put into this to try to help. It's not a
12 criticism of what was provided. Other than that,
13 anything, as they mentioned today in several cases and
14 our ears were perked, that there were things that are
15 being changed. Anything, of course, that we can see
16 in advance, we are always begging for. We have people
17 right now working on their COL applications in real
18 time and have been adjusting to these changes as they
19 come but anything that they can see in advance to help
20 them get in the right direction would be appreciated.

21 But we are looking forward -- I believe
22 you're planning a workshop once the final guidance
23 comes out with Russ where --

24 MR. OESTERLE: Yeah, we've had some
25 discussions with Russ and the staff is considering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some additional public forums to share information on
2 our progress on DG-1145. And initially we had talked
3 about a possible workshop in January, but those plans
4 have not been finalized at this point.

5 MS. KASS: Anything like that, we are
6 always happy to work on and participate. So with that,
7 are there any questions for --

8 MEMBER ARMIJO: Yeah, on the part of the
9 industry, what are the remaining major issues,
10 contentious issues that you have with the current
11 guide?

12 MS. KASS: Actually, I'll have to say
13 Eric's presentation addressed them point for point.
14 I can't think of anything else that was big. There
15 were -- if you look back, I believe it was related to
16 some of the things relative to finality of EIS,
17 finality of the DCD. We have a few areas where we're
18 looking for clarification of the language where we've
19 agreed on something in a workshop that just didn't
20 make it into the final guidance or into this current
21 draft, not to be confused with the other drafts that
22 they've been kind enough to share. The information --
23 a big thing for us, of course is information that
24 we're just not in a position to provide at the time of
25 COL, which makes perfect sense and then some of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passive versus active plant systems, you know, those
2 just need to be clarified. And then the PRA, again,
3 I think we've dealt with here and with the new rules
4 coming out some things changing, but that, of course,
5 we had three big comments in that area. And then the
6 ITAAC, that will be ongoing. We're working on some
7 language in Part 52 for ITAAC right now as a matter of
8 fact, just trying to make sure that that process,
9 everyone is aware of what's happening, preparing for
10 it so that we kind of get to the end and once we're
11 building and it all makes sense and fits together.

12 MEMBER WALLACE: Your comments are so
13 friendly, I think we'll have to have you back here
14 again as a representative of NEI.

15 MEMBER ARMIJO: Yeah, there's no
16 contention, everybody is happy.

17 MEMBER SIEBER: It seems to me that in the
18 preparation of the first COL application and the
19 staff's review of that, there's going to be a lot of
20 lessons learned out of that and I would encourage both
21 the industry and the staff to write down the lessons
22 that are learned and pass that on so that we only make
23 mistakes one time and as opposed to having everybody
24 make it and then everything slow down and a lot of
25 extra work. I think that would be something that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to think about doing as you move forward.

2 MS. KASS: And then I think --

3 MEMBER BONACA: The bigger issue, I think
4 is going to be the amount of information available at
5 the time of COL and, you know, you can make a big
6 effort right now to figure it out but I think there
7 will be still surprises out there and you know, I
8 don't know how flexible the process is going to be to
9 accommodate those issues.

10 MS. KASS: I think our best defense with
11 that will be that we are trying to work very closely.
12 One of the benefits we do have is some of the
13 consortia participating in the first COL application
14 so we have multiple utilities participating in those
15 which gives us a little broader exposure so that
16 everyone can kind of learn together as opposed to one
17 utility learning in isolation and then trying to share
18 those lessons.

19 MEMBER SIEBER: Actually, that process
20 worked very well, I think in the plant license renewal
21 programs because they now appeared to me to be pretty
22 efficient they way they're done and I think you can do
23 the same thing with this kind of a program.

24 MR. OESTERLE: Yeah, this is Eric Oesterle
25 from the staff again. The staff is already having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some internal discussions about future revisions to
2 Reg Guide 1.206 which is what DG-1145 will become, you
3 know, in anticipation of lessons learned and other
4 guidance that may need to be incorporated into it as
5 a result of rules becoming finalized. Currently,
6 there are a number of rulemakings that are going on
7 out there that are in various stages of the process.
8 So we recognize that there are going to be some
9 revisions required to Reg Guide 1.206 and we don't
10 plan on letting that solidify and stay stagnant like
11 Reg Guide 1.70 did for so many years.

12 MEMBER BONACA: Have the vendors commented
13 through NEI or independently?

14 MS. KASS: I'll let Andrea --

15 MS. STERDIS: I'm Andrea Sterdis and I'm
16 the AP1000 licensing manager from Westinghouse. We
17 have been very involved with the NEI review process.
18 We have supported all of the workshops as Eric will
19 tell you, and we're continuing to work on the issues
20 and I have to commend Eric. The list of hot topics
21 that he gave you are definitely the topics that
22 Westinghouse and the utilities through NEI have
23 focused on.

24 MR. JOHNSON: Now that we've focused on
25 them, are we coming to resolution?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: Yeah, I guess I wanted to
2 get that --

3 MEMBER ARMIJO: Are you at an impasse or
4 is it kind of converging to --

5 MEMBER CORRADINI: You identified them.
6 Let's just take the PRA ones here. So on page 67, 68,
7 69 there is an extended discussion of the NEI comments
8 and the staff response. So do you agree to disagree?
9 Do you agree? Where is the commonality, that's what
10 I think Bill is wondering about.

11 MS. STERDIS: I think that you know,
12 Leslie is relatively new on the scene so I'm going to
13 try and help just a little bit here. I think, and
14 Eric and I were kind of chatting a little bit about
15 this at the break, we know that we're coming to a
16 convergence on several of these issues. I don't know
17 if Charlie is still here. He's not. Chapter 12 was
18 the very first chapter that we discussed in one of
19 these workshops and we went ballistic because we felt
20 there was no respect for design certification
21 finality.

22 In the revision that came out in
23 September, that issue was resolved favorably. We had
24 no additional comments on Chapter 12 regarding design
25 certification finality. We have not seen yet the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revisions that Eric eluded to reflecting the comments
2 that we've put in since -- in the October time frame,
3 so we're anxiously trying to work through these
4 additional public forums so that we know where we
5 still have problems and then you will hear from us or
6 the staff and the staff management will hear from us
7 on those issues.

8 MEMBER WALLACE: Well, it's not as if you
9 have to converge. It seems to me in the final
10 analysis, the staff decides. It's not as if
11 convergence is always necessary.

12 MEMBER CORRADINI: I didn't expect that
13 convergence is necessary. I'm just curious what are
14 the remaining --

15 MEMBER WALLACE: I just don't want to give
16 the impression that convergence is something which has
17 to happen.

18 MEMBER BONACA: No, my reason for asking
19 if the vendor participated is that you know, just
20 seeing comments from NEI subsumes that everything has
21 been filtered through and yet, I appreciate this
22 answer from you, Westinghouse AP1000, rather than
23 somebody else because you're going through the
24 process. You know what you put on the table and you
25 are -- I know what you're going to try to defend. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think it would be worthwhile at times to know, you
2 know, who generated also the comments.

3 MS. KASS: I think in the case of, for
4 instance, Digital INC, that's something where we are
5 still working very hard with the staff to find some
6 common ground but there have been -- we had a very
7 good interaction, I think, at the Commission briefing
8 where now there's a common project plan that they're
9 going to be putting together and creating a path
10 forward that we would do that in any area where we
11 still have issues.

12 MR. OESTERLE: This is Eric Oesterle and
13 I might add to that, that again remember that Digital
14 INC is included in designing acceptance criteria on
15 certified designs. So the focus for getting those
16 design issues resolved appears to be driven by the
17 potential COL applicants. It's in their, you know,
18 vested interest to get some resolutions of those
19 design issues and they're working closely with the
20 reactor vendors and engaging the staff in trying to
21 come to resolution on some of these design issues.

22 I don't want to say that we have plenty of
23 time out there because we don't. One of the
24 benchmarks or milestones, if you will, that we -- that
25 was identified to us was that COL applicants need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 begin ordering their simulators in 2009, so at least
2 that's one driver to getting these issues resolved.

3 CHAIRMAN KRESS: Thank you very much. We
4 have one more item on the agenda and that's our
5 summary and plans for the full committee. I wish to
6 have you disregard my earlier comment that we won't
7 have a presentation to the full committee. I've been
8 told also that we probably ought to have a letter
9 because this is the last we'll hear of this one and we
10 need some sort of sign-off on it or other.

11 So in order to have a letter, we will have
12 a full presentation to the committee. So our role,
13 our problem right now is to decide how much and what
14 part of this extensive discussion we'll bring forth to
15 the full committee, which includes five other people,
16 I guess. So my thought is, we've got two hours
17 scheduled on the agenda for it and my feeling is we
18 still want that overview that we had for about a half
19 an hour and although it's not too much a part of this,
20 I thought the discussion on the PRA parts was pretty
21 interesting and George wasn't here and it would be a
22 good chance to -- I thought also -- well, we have two
23 hours but we have a half an hour for that and then I
24 thought we ought to -- and I thought we ought to leave
25 a half an hour for the industry comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLACE: How about all the people
2 that weren't here today that have comments on those
3 sections? And is Sanjoy going to talk about his
4 comments on accident analysis and computer codes or
5 not at all?

6 CHAIRMAN KRESS: I think we could have
7 that on there, too.

8 MEMBER WALLACE: That may take forever
9 though.

10 CHAIRMAN KRESS: Yeah, we may not -- yeah.

11 MEMBER BONACA: I think somehow, you know,
12 the four major comments from the industry should be
13 presented.

14 CHAIRMAN KRESS: Oh, yeah, I think that
15 would be --

16 MEMBER BONACA: That's in the concern with
17 whatever is generated there. I mean, one is --

18 CHAIRMAN KRESS: I definitely what that
19 one on there.

20 MEMBER BONACA: Do you have anyone coming
21 in or --

22 MEMBER WALLACE: The same person, too.

23 CHAIRMAN KRESS: Yeah.

24 MEMBER BONACA: And then a mountain of
25 information available at COL. You know, is this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 representing that properly. So those are big issues
2 that seem to be have to be dealt with, you know, to
3 converge and the other thing I would like to
4 communicate again, the impression that at least I got
5 that this is a quality effort which really it's almost
6 a compendium of all requirements that have been
7 developed for close to 40 years.

8 CHAIRMAN KRESS: Yeah, I think when we
9 write the letter, we'll write the letter, that that
10 may be a comment that goes in the letter. I think the
11 letter will be a favorable one. I don't think it will
12 have any of our comments.

13 MEMBER WALLACE: It will be short. None
14 of the comments, okay.

15 CHAIRMAN KRESS: No, it will just be a
16 short thing.

17 MEMBER WALLACE: Okay, because if you put
18 the comments in, it may be very long.

19 CHAIRMAN KRESS: Oh, yeah, I don't think
20 we'll do that.

21 MEMBER ABDEL-KHALIK: If I may make a
22 comment, Tom.

23 CHAIRMAN KRESS: Yes.

24 MEMBER ABDEL-KHALIK: You know, as others
25 have said, of course, the staff is to be commended for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 developing this massive document in such a short and
2 timely manner but by necessity, the development of the
3 document has been done piecemeal. Different people
4 developed different parts and also the review of the
5 document has been done piecemeal. Simply different
6 people reviewed different pieces, whether it's on the
7 industry part or on ACRS part. And therefore, it
8 would seem to me that before a final document is to be
9 issued, there needs to be two things.

10 Number one, a consistency check so that
11 you know, somehow a process has to be done so that the
12 different parts of this document are internally
13 consistent. And the second part that needs to be done
14 is a completeness check because there are several
15 options, whether it's a custom design or a certified
16 design or an ESP and presumably at the end of the day,
17 each one of these options has to provide the same
18 totality of information to the NRC in order for them
19 to make a decision. And therefore, you know,
20 regardless of whether that information is provided
21 through this mechanism or had already been provided
22 earlier through the certified design or the SP
23 process.

24 But somehow we need a consistency check
25 and a completeness check.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN KRESS: I think you've just
2 supplied me with a couple of bullets for a possible
3 letter that we're going to have.

4 MEMBER SIEBER: You could task him with
5 writing the letter.

6 MEMBER SHACK: Just so you don't have to
7 do the completeness check.

8 CHAIRMAN KRESS: So that's where those
9 sort of comments, I think will belong in a possible
10 letter.

11 MEMBER ARMIJO: Yeah, top level.

12 MEMBER WALLACE: The completeness is
13 difficult to assure, isn't it?

14 CHAIRMAN KRESS: Oh, yeah, that's always
15 a tough problem, the completeness check.

16 MEMBER CORRADINI: But I guess from the
17 standpoint of just -- if we're just in open
18 discussion, Said's point I think is well-taken, but I
19 guess you could use, Said, an empirical way of doing
20 this. You can take -- I can't remember, I think it
21 was Jack that said it is you can take, what did you
22 call it, a 1980s plant and their FSAR and do a mapping
23 to make at the very least that the guide and I'll use
24 your terminology, checklist, that the guide has a kind
25 of one-to-one correspondence of the things you'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect to see in that FSAR on top of that, the
2 requirements relative to the PRA.

3 CHAIRMAN KRESS: You guys are discussing
4 what should be discussed in the full committee.

5 DR. SAGGESE: Sorry.

6 CHAIRMAN KRESS: Well, that's all right,
7 we can make recommendations to the full committee but
8 this is what we would discuss when we talk about
9 making recommendations for a letter.

10 MEMBER BONACA: But we really are
11 presuming that they didn't do this. I mean, we should
12 ask at least a question to the staff whether or not
13 this verification was done. I mean, clearly we -- we
14 did the review and so we've done done it and give
15 something away but we were looking at general
16 characteristics and not completeness. I don't think
17 we were doing that.

18 CHAIRMAN KRESS: Oh, yeah, we didn't do
19 that.

20 MEMBER SIEBER: Well, I looked at it from
21 the standpoint of completeness because you recall some
22 of my earlier e-mails, I started to identify what I
23 thought was missing and then people were writing me
24 back, "Well, it's not missing, it's in this other
25 section". And so in order to be able to do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 completeness check, somebody's got to understand the
2 entire document, where everything is.

3 MEMBER BONACA: One of the things that the
4 ACRS should be involving itself in performing this, we
5 should verify that the effort done, okay, is a quality
6 effort which is the question, have you done a
7 completeness check?

8 CHAIRMAN KRESS: Yeah, but we shouldn't do
9 the check ourselves.

10 MEMBER BONACA: But I think we should at
11 least ask the staff because they may say to us, "Yes,
12 we did". So why should we put the recommendations to
13 do it when they've done it.

14 CHAIRMAN KRESS: Yeah, we don't want to
15 recommend they do something they've already done.

16 MEMBER SIEBER: Well, they started off
17 with the base document and just updated it, right?

18 MR. OESTERLE: Well, we started off using
19 Reg Guide 1.70 as the basis, right, and updated that
20 with a lot of other information.

21 MEMBER SIEBER: I don't think that they
22 approached it from the standpoint of completeness the
23 way -- and there's a variety of ways that one could do
24 it. The question is, you know, for example, you can
25 take an old FSAR and compare it and say, do I end up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the same kind of application out of the new set
2 of rules that I got out of the old set of rules.

3 CHAIRMAN KRESS: I think the trouble with
4 that is, you can take the old set of rules and end up
5 with a wide range of FSARs.

6 MEMBER SIEBER: That's right.

7 CHAIRMAN KRESS: And so it doesn't really
8 tell you anything.

9 MEMBER SIEBER: Well, you'd have to take
10 a late model as opposed to an early model, because the
11 late models are about twice the size of the early
12 ones.

13 MR. OESTERLE: This is Eric Oesterle from
14 the staff. One thing that I'll expand upon that Joe
15 Colaccino mentioned earlier was that while the draft
16 DG-1145 was out for public comment, the staff
17 initiated its own internal review. We call it the DG-
18 1145 reading team, and we started in early October and
19 our purpose was to read each chapter, each section of
20 DG-1145 from cover to cover and do exactly what you
21 were recommending to do and that is to review it for
22 consistency from section to section, review it for
23 completeness. In fact, we have -- as Joe mentioned,
24 we have identified some of the same comments that NEI
25 submitted to us and we have also identified additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments that they did not submit to us that will go
2 towards making this a more complete and consistent
3 document and, in fact, the instructions that I wrote
4 up for the team to review this thing recognized that
5 a lot of different people contributed to writing this
6 document on a section by section basis and so we need
7 to review it as -- holistically, if you will, as a
8 whole document but the fact of the matter is, when an
9 application does come in to get reviewed, it will be
10 reviewed on a section by section basis in accordance
11 with the SRPs.

12 MR. JOHNSON: You might add a view graph
13 to that effect to your overview.

14 CHAIRMAN KRESS: Yeah, that might be --

15 MEMBER BONACA: Because the point that
16 Said raised was a good point. But I think we want to
17 give you the chance to address it and I think what
18 you're saying is that it was done. So you might want
19 to put it in a view graph.

20 MR. OESTERLE: We're still working on it.

21 MEMBER ARMIJO: I'm less concerned about
22 completeness than I am about redundancy because I
23 think there's going to be the same information or
24 similar information requests in different chapters.

25 CHAIRMAN KRESS: Redundancy is a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing.

2 MEMBER ARMIJO: Well, not if the -- not if
3 the applicant prepares it the same way. A bunch of
4 guys submit these material properties, a bunch of
5 other guys working on another section submit this
6 stuff and it's not the same.

7 MEMBER SIEBER: That's the way I would do
8 it.

9 MEMBER ARMIJO: Yeah, but if you're not --

10 MEMBER SIEBER: As an applicant, I would
11 take it piece by piece and --

12 MEMBER SHACK: He's going to do his
13 consistency check. That's a consistency check.

14 CHAIRMAN KRESS: That's a consistency
15 check.

16 UNIDENTIFIED SPEAKER: You think so.

17 MEMBER SHACK: Well, I mean, you know,
18 that's part of the team's effort is completeness and
19 consistency. I mean, you know, clearly when you've
20 got people doing different things you do have to come
21 back and make sure that they're consistent and again,
22 they may not be perfect but I'm sure after -- first
23 you have to have the total document together before
24 you can make the --

25 MEMBER ARMIJO: Oh, that's true, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 true.

2 CHAIRMAN KRESS: So far I've got
3 suggestions for the full committee on overview,
4 discussion of the amount of information available at
5 the COL stage, perhaps we'll talk about the PRA part
6 and definitely the industry comments. And there was
7 a suggestion about missing comments from our committee
8 members that weren't here. I would not be in favor of
9 having those.

10 MEMBER WALLACE: If there's anything
11 significant, I think they ought to be able to bring
12 them up.

13 CHAIRMAN KRESS: Well, they ought to have
14 them on the record and written. We're still going to
15 give the staff our written comments and those can be
16 appended --

17 MEMBER WALLACE: If anybody has a real,
18 real hangup about some area, then it should come
19 through, shouldn't it? I mean --

20 CHAIRMAN KRESS: Well, what I'm thinking
21 is we will have a letter and if somebody has a real
22 problem, a real issue then they ought to come out and
23 say --

24 MEMBER WALLACE: Well, I want reassurance.
25 I've heard from people here about maybe 40 percent of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everything, but I haven't heard anything about these
2 other areas, so I have no idea about how good they
3 are. I'd like some reassurance from these people who
4 we haven't heard from, that their areas are okay. It
5 doesn't have to be a long statement.

6 CHAIRMAN KRESS: Powers and Sanjoy?

7 MEMBER WALLACE: Well, Maynard has quite
8 a few. Maynard has a lot, Powers has a lot, Sanjoy
9 has several, Aposrolakis.

10 CHAIRMAN KRESS: Well, my feeling is not
11 to fit those into the two-hour period that we have
12 allocated to the full committee but we have that as
13 part of the discussion period right at the end.

14 MEMBER WALLACE: At the end, you could do
15 that, you could do that.

16 MR. JOHNSON: Actually, though, we seen
17 responses from both of those people.

18 CHAIRMAN KRESS: Yeah, that's why I think
19 it's unnecessary to do it during the July period.

20 MEMBER BONACA: Because, I mean, some of
21 the issues we're dealing with content of existing
22 regulation. The question, you know, we discovered
23 today that there's nothing new here. Okay, we're
24 referencing existing regulations. In fact, a central
25 point of debate has been, hey, don't generate new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements here because there is nothing new. And
2 some of the comments I saw that came from some of the
3 members, we're arguing about some issues which are
4 really in the regulations right now. They're only
5 referenced here, so you might want to change it but
6 that's not really the place to do that.

7 MEMBER CORRADINI: Meaning the comments.

8 MEMBER BONACA: Comments, yeah, in the
9 comments, that's right. When I think about some of
10 the comments, were more comments about the regulation
11 which is referenced here in this document than the
12 document itself which is nothing else but, you know,
13 a guidance document based on existing regulations.

14 MEMBER WALLACE: Well, Banerjee, I think,
15 one of his comments said one of the areas should be
16 rewritten. Now, that's a major comment. Now, is
17 there going to be any response from the staff to that
18 at this meeting so we know --

19 MEMBER SIEBER: If he never gets a chance
20 to present it, he'll never get a response.

21 MEMBER WALLACE: This is just going to be
22 an open-ended thing. We don't really know whether
23 Banerjee is right or not. No response from the staff?

24 MEMBER SHACK: Well, since they haven't
25 seen his comments, yet, if they put them in, they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to have -- the staff will respond to them.

2 MEMBER SIEBER: They haven't seen them so
3 they can't reply.

4 MEMBER SHACK: If they put them in, the
5 staff will respond to them.

6 MEMBER CORRADINI: I'm sure they've seen
7 them. They printed up some of the things I thought I
8 was just sending an e-mail, so I'm sure they saw
9 Sanjoy's too.

10 MR. FISCHER: Yeah, we just got Mr.
11 Sanjoy's comments yesterday, so we really haven't had
12 time to look at them.

13 MEMBER WALLACE: So you don't have a
14 response to that yet, okay.

15 MEMBER SIEBER: You've got a lot of time.

16 MEMBER WALLACE: I'm just concerned about
17 a show-stopper.

18 CHAIRMAN KRESS: I don't think that Sanjoy
19 and Powers and Maynard comments, we'll talk about
20 that.

21 MEMBER SIEBER: If you put in a slide on
22 completeness and consistency, you could avoid a
23 recommendation.

24 (All speaking among themselves.)

25 MEMBER WALLACE: You'd have to restrain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 George on the PRA.

2 MR. FISCHER: Eric, did you get the four
3 items that you wanted covered during the meeting?

4 MR. OESTERLE: Yeah, just let me read this
5 back to you. The first item I have is the DG-1145
6 overview. PRA is what I have as the second item. COL
7 information availability, industry comments and then
8 I have the last one as the 3Cs, completion consistency
9 and conformance with the Part 52 rule.

10 CHAIRMAN KRESS: Yeah, that may only take
11 one bullet on a view page.

12 MEMBER BONACA: Just a view graph to show
13 what you did.

14 MEMBER SIEBER: Now, let me understand.
15 PRAs are not required, right? So what is --

16 CHAIRMAN KRESS: They're not, but they
17 are.

18 MR. OESTERLE: Well, again, a PRA -- and
19 I apologize if I sound like I'm splitting hairs but a
20 PRA is still required. It is not required to be
21 submitted.

22 MEMBER SIEBER: All you have to have is
23 the bottom line number. Right.

24 MR. OESTERLE: You have to have something
25 that the staff can come and inspect and audit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You need some of the
2 shortcuts.

3 MEMBER WALLACE: It's available for audit.

4 MEMBER BONACA: You look at the human
5 factor for example, there are a lot of requirements
6 there which are based on PRA results and insights.

7 MEMBER CORRADINI: Can I ask a question
8 now, since I thought I knew the definitions, Mr.
9 Chairman? So Level 3 implies accident sequence
10 analysis, containment analysis, consequence analysis.
11 Full scope implies internal and external.

12 CHAIRMAN KRESS: Yes, sir, and shutdown.

13 MEMBER CORRADINI: And shutdown sequences.

14 CHAIRMAN KRESS: Yeah, and --

15 MEMBER CORRADINI: Shutdown events, I
16 should say.

17 CHAIRMAN KRESS: You got it right.

18 MEMBER CORRADINI: Thank you. So a three
19 by three matrix -- so what's required for the
20 application since I just developed in my mind that way
21 and that way.

22 CHAIRMAN KRESS: Just Level 1 and Level 2
23 without fission problems.

24 MEMBER CORRADINI: So Level 1, Level 2
25 that is accident sequence analysis. Some --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN KRESS: I don't think a full
2 Level 2 is required.

3 UNIDENTIFIED SPEAKER: Enough to get you
4 to alert.

5 CHAIRMAN KRESS: To alert which doesn't
6 really --

7 UNIDENTIFIED SPEAKER; I don't understand
8 how they do it, but that's okay.

9 CHAIRMAN KRESS: They set up the
10 frequencies of large early failures which doesn't
11 involve fission problems.

12 MEMBER SIEBER: It doesn't have to be
13 early.

14 MEMBER CORRADINI: I've got that row quasi
15 filled. And the role of internal/external, it's
16 internal events, external events but not necessarily
17 shutdown.

18 MEMBER BONACA: Yes, there is a shutdown.

19 MEMBER SHACK: It's full scope.
20 Typically, you have detailed internal events less
21 detailed external and even less detailed shutdown.

22 MEMBER SIEBER: You have --

23 MEMBER CORRADINI: Since it's not in here
24 and it's referenced somewhere, where does the
25 detailed, less detailed and kind of detailed -- how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific does that get because I still feel there's a
2 lot of mushiness in those boundaries.

3 CHAIRMAN KRESS: The only place you'll see
4 those is in the PRA standards for license -- changes
5 to the licensing basis. They're not requirements in
6 any other part of the regulations.

7 MEMBER SIEBER: And it's been taken out of
8 the rules.

9 CHAIRMAN KRESS: It's been taken out of
10 the rules. So you don't really see those. There's no
11 reg guides on those yet. They're part of the ongoing
12 -- they're part of the ongoing discussions on risk
13 informing the regulations and changes to the licensing
14 basis.

15 MEMBER CORRADINI: Well, I mean, I'm
16 partly teasing. I want to make sure, if it's not part
17 of a reg guide and it's not a code standard, then
18 there must be some sort of acceptable process. Where
19 does that code found? How do you know when you're
20 doing it wrong?

21 MEMBER SIEBER: Your peers tell you.

22 MEMBER WALLACE: They tell you.

23 MEMBER SHACK: Yeah, I mean, you sort of
24 go to what seem like good practices, you know, but
25 there's not -- there's not standards for parts of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those yet. They're still working on those.

2 MEMBER SIEBER: Right.

3 CHAIRMAN KRESS: They're still working on
4 the standards.

5 MEMBER BONACA: There are standards for
6 some parts.

7 MEMBER SHACK; Yeah, there are standards
8 for some parts.

9 MEMBER SIEBER: And that's why the
10 regulations are sort of mushy is they aren't far
11 enough along yet to make it solid.

12 CHAIRMAN KRESS: Okay, I mean, those are
13 good questions for a new member to ask.

14 MEMBER SIEBER: Yeah, one slide ought to
15 do it, Mike.

16 MEMBER WALLACE: An old member would never
17 have thought of them actually.

18 CHAIRMAN KRESS: Yeah, we forgot about it
19 long time ago. I am about to bang the gavel. I am
20 about to bang the gavel. Any other comments? Okay,
21 I declare this subcommittee session adjourned.

22 (Whereupon, at 3:33 p.m. the above-
23 entitled matter concluded.)

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701