

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, December 6, 2007

Work Order No.: NRC-1898 Pages 1-168  
Closed Session: Pages 1-41

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

548<sup>TH</sup> MEETING

+ + + + +

THURSDAY, DECEMBER 6, 2007

+ + + + +

The meeting was held in Room T-2B3, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., William J. Shack, Chairman, presiding.

MEMBERS PRESENT:

- WILLIAM J. SHACK            Chairman
- MARIO V. BONACA           Vice Chairman
- SAID ABDEL-KHALIK        Member
- JOHN W. STETKAR           Member
- OTTO L. MAYNARD           Member
- DENNIS C. BLEY            Member
- MICHAEL CORRADINI        Member
- GEORGE E. APOSTOLAKIS   Member
- DANA A. POWERS            Member
- J. SAM ARMIJO             Member
- JOHN D. SIEBER            Member-At-Large

1        NRC STAFF PRESENT:

2        SAM DURAISWAMY, Designated Federal Official

3        ROBERT LEE TREGONING

4        LEE ABRAMSON

5        NILESH CHOKSHI

6        KHALID SHAUKAT

7        RICHARD DUDLEY

8        TIM COLLINS

9        GREG CRANSTON

10       TAI HUANG

11       ROBERT PRATO

12       FAROUK ELTAWILA

13       JIMI YEROKUN

14       MIKE CHEOK

15       JOCELYN MITCHELL

16       DON DUBE

17       RICH SHERRY

18       ALSO PRESENT:

19       DOUG FRUITT

20       YOUSEF FARAWILA

21       EDWIN LYMEN

22

23

24

25

TABLE OF CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

Opening Remarks . . . . . 4

Draft Final NUREG-1829:

Dr. George Apostolakis .. . . . 9

Robert L. Tregoning . . . . . 9

Nilesh Chokshi .. . . . 43

AREVA Enhanced Option III Long-Term Stability

Solution:

Said Abdel-Khalik . . . . . 77

Tai Huang . . . . . 78

Dr. Yousef Farawila . . . . . 90

P R O C E E D I N G S

(8:28 a.m.)

CHAIRMAN SHACK: The meeting will come to order.

This is the first day of the 548th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following:

Draft final NUREG-1829, estimating loss of coolant accident frequencies through the elicitation process;

And a draft NUREG on seismic considerations for the transition break size;

The AREVA enhanced Option III long-term stability solution;

The state-of-the-art reactor consequence analysis, SOARCA, which will be a part open and part closed meeting;

A draft ACRS report on the NRC Safety Research Program;

And preparation of ACRS reports.

A portion of this meeting may be closed to discuss safeguards and national security information related to the SOARCA project.

This meeting is being conducted in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accordance with the provisions of the Federal Advisory  
2 Committee Act. Mr. Sam Duraiswamy is the Designated  
3 Federal Official for the initial portion of the  
4 meeting.

5 We have received no written comments from  
6 members of the public regarding today's session. We  
7 have received a request from Dr. Edwin Lyman, Union of  
8 Concerned Scientists, for time to make oral statements  
9 regarding the SOARCA project.

10 A transcript of portions of the meeting is  
11 being kept, and it is requested that the speakers use  
12 one of the microphones, identify themselves and speak  
13 with sufficient clarity and volume so that they can be  
14 readily heard.

15 I will begin with some items of current  
16 interest. The members are scheduled to interview a  
17 candidate today during lunchtime. We'll be handing  
18 out a resume. It's one candidate so we'll do it as  
19 group.

20 Other information. Ms. Barbara Jo White,  
21 who has been with the ACRS office for almost 40 years  
22 is retiring on January 3rd, 2008. All of these years  
23 she has provided outstanding administrative support to  
24 the members. She has always ensured that the members  
25 have a good place to stay when they attend ACRS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meetings in town or out of town.

2 She has been exceptional in assuring that  
3 the federal register notices for the subcommittee and  
4 full committee meeting have been issued consistent  
5 with FACA requirements.

6 Her outstanding administrative support to  
7 members, hard work, dedication, professional attitude  
8 in dealing with no only the members and staff, but  
9 also the public are very much appreciated.

10 Thank you, and good luck in your future  
11 endeavors.

12 (Applause.)

13 CHAIRMAN SHACK: In addition to a retiree,  
14 we have some new additions to the ACRS staff. Dr.  
15 Harold Vander Mollen will be joining the ACRS staff as  
16 a senior staff engineer on December 24th. He will be  
17 the responsible engineer for the Subcommittees on  
18 Reliability and PRA and Regulatory Policies and  
19 Practices.

20 He came to the AEC regulatory staff from  
21 the National Bureau of Standards in 1974. He spent 13  
22 years in several technical branches in NRR working on  
23 reactor physics, accident and transient analysis,  
24 technical specifications, generic issues program, and  
25 PRA issues.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In 1987, he and his section were  
2 transferred from the PRA branch in NRR to the PRA  
3 branch in the Office of Nuclear Regulatory Research,  
4 just in time to work on the NUREG-1150 project.

5           When it was finished, he was put in charge  
6 of PRA methods development. In 1999, after 12 years  
7 in the PRA branch in RES, he took over the generic  
8 program issues program again.

9           Welcome aboard.

10           (Applause.)

11           CHAIRMAN SHACK: Ms. Kendra Freeland  
12 joined the ACRS/ACNW&M staff on October 22nd as an  
13 administrative assistant. She will be handling travel  
14 authorization, vouchers and compensation for the  
15 members, one of our most important concerns.

16           (Laughter.)

17           CHAIRMAN SHACK: Prior to joining the ACRS  
18 ACNW&M staff, she served as secretary for the Division  
19 of Contracts in the Office of Administration.

20           Kendra received a Bachelor of Arts degree  
21 in corporate and broadcast communications from Elon  
22 University, Elon, North Carolina, and a Master's  
23 degree in communications from Hawaii Pacific  
24 University, Honolulu, Hawaii.

25           She knows how to pick a graduate school.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (Laughter.)

2 CHAIRMAN SHACK: Welcome aboard.

3 Ms. Guita Irani joined the ACRS/ACNW&M  
4 staff on November 13th, 2007, as an information  
5 technology specialist. She is a new member of the  
6 NRC.

7 Guita started her career in information  
8 technology working as a DOD contractor for the Joint  
9 Spectrum Center in 2000. In 2003, she moved to the  
10 Pension Benefit Guaranty Corporation to support their  
11 federal contracts.

12 Guita holds a Master's degree in  
13 information technology from the University of Maryland  
14 and has been involved with software development and IT  
15 support throughout her career.

16 Welcome aboard.

17 MR. DURAISWAMY: Janet is not here. So  
18 you can do that tomorrow.

19 CHAIRMAN SHACK: Okay. We'll hold.  
20 Sounds good.

21 Well, then we can move to our business  
22 today, and our first item of business is the draft  
23 NUREG on estimating loss of coolant accident, LOCA,  
24 frequencies through the elicitation process, and Dr.  
25 Apostolakis will lead us through that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Thank you, Bill.

2 We had a subcommittee meeting on the 27th  
3 of November when we heard from the staff on both  
4 studies. One is on the expert judgment elicitation  
5 process and results, and the other one was more  
6 focused studies on seismic issues.

7 There were no issues that were raised by  
8 the subcommittee. The members appear to be -- well,  
9 actually they were -- pleased with what they heard.  
10 The staff also presented their responses to public  
11 comments on the elicitation process. So we asked them  
12 to come back today and give a shortened performance so  
13 that the members will form an opinion.

14 And we are expected to write a letter at  
15 this meeting. So with that, I should turn to you,  
16 Rob?

17 MR. TREGONING: Yes.

18 MEMBER APOSTOLAKIS: Okay.

19 MR. TREGONING: Thank you, Dr. Apostolakis  
20 and Mr. Chairman.

21 My name is Rob Tregoning from the Office  
22 of Research, and to my right is Lee Abramson, and we  
23 will be leading you through the first abridged  
24 presentation on the development of NUREG-1829, on  
25 passive system LOCA frequency development for risk-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 informed revision of 10 CFR 5046.

2 Why did we get into this work? Well, our  
3 bosses essentially told us we needed to do this. So  
4 this work was done in response to Commission direction  
5 provided by SRM-02-0057, and a couple of quotes there.  
6 "The staff should provide the Commission a  
7 comprehensive LOCA failure analysis and frequency  
8 estimation that is realistically conservative and  
9 amenable to decision-making with appropriate margins  
10 for uncertainty."

11 So that was our edict. That was our  
12 direction. Also, in the same SRM, the Commission said  
13 the staff should use expert elicitation to converge  
14 whenever possible service data and PFM results. So  
15 those are our marching orders. That's what we set off  
16 to do.

17 And we're here today, as Dr. Apostolakis  
18 had indicated, requesting a letter or an ACRS  
19 recommendation to publish the study, NUREG-1829. Our  
20 opinion is it sufficiently meets the Commission  
21 direction, satisfies that and should be published as  
22 a result.

23 A brief executive summary. We used the  
24 formal elicitation process to develop estimates of  
25 generic BWR and PWR passive system LOCA frequencies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 associated with material degradation. We had a group  
2 of 12 panelists. They provided us with quantitative  
3 estimates supported by qualitative rationale. They  
4 did this individually in individual elicitations for  
5 underlying technical issues that were developed as a  
6 group.

7 We had very good or generally good  
8 agreement on the qualitative LOCA contributing  
9 factors. However, as you've seen in the report, there  
10 was large individual uncertainty and also large panel  
11 variability in actually quantifying the estimates. So  
12 coming up with frequency estimates associated with the  
13 phenomena that they were predicting.

14 That wasn't surprising, of course. We  
15 expected that, and that was the reason that we chose  
16 to do elicitation to begin with, to provide a  
17 framework and a mechanism for dealing with the  
18 expected large uncertainty in panel variability.

19 The bottom line, we developed group  
20 results. So we aggregated the individual estimates  
21 for the LOCA frequency distribution parameters. So we  
22 didn't determine distributions per se, but we  
23 determined certain parameters of the distribution, the  
24 50th, 95th and the mean. We used a number of  
25 different aggregation schemes. One scheme we used was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the geometric mean. We thought those results were  
2 consistent with the elicitation objective in structure  
3 and they're also generally comparable with the NUREG/  
4 CR-5750 estimates.

5 That study was the prior study that was  
6 used to develop LOCA frequency estimates back in the  
7 mid-'90s. It was not done using elicitation. It was  
8 done by just simply evaluating service experience.

9 As mentioned in this last bullet, we  
10 looked at other aggregation schemes and other  
11 aggregation schemes can give you quite a bit different  
12 results, and typically these other schemes that we  
13 looked at did result in higher LOCA frequency.

14 We show the results here. These are the  
15 bottom line results for BWR and PWR. Generic  
16 frequencies, you see three curves on each of those.  
17 The black curves are the medians, the reds are the  
18 mean, and then the green are the 95th.

19 The center points are what we're  
20 considering the best estimate, and then their  
21 confidence bounds, the error bars represent 90 percent  
22 confidence bounds. So a five percent and a 95 percent  
23 upper and lower confidence bound about that best  
24 estimate.

25 These particular results, we did a modest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adjustment for overconfidence. We adjusted error  
2 factors or uncertainty ranges in some expert opinions  
3 to coincide with a well-known elicitation. I don't  
4 want to call it a fact, but a finding in many  
5 elicitation studies that experts tend to be  
6 overconfident.

7 We didn't see as strong a bias for  
8 overconfidence in these results. So that's why a  
9 correction ended up only being relatively modest in  
10 this case.

11 These 90 percent confidence bounds, it  
12 says 95, but it's really 90 percent -- they're used to  
13 represent or reflect the diversity or the differences  
14 among individual panelists' opinion, and then the  
15 difference between the medians and the 95th really  
16 reflect the individual panelists' uncertainties. So  
17 there's two types of uncertainty or variability that  
18 we're trying to capture.

19 MEMBER CORRADINI: Could you repeat what  
20 you just said? You said that the very -- could you  
21 repeat, please?

22 MR. TREGONING: The confidence bounds  
23 about any individual value here, either about the  
24 mean, median or 95th percentile, they represent the  
25 spread or the difference among the individual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 estimates that we got from the panel. For each  
2 panelist, we asked for them for each answer that they  
3 provided, we asked for a best guess, essentially a  
4 median value, and then we asked high and low  
5 estimates, which we interpreted as fifth and 95th  
6 percentile estimates about that mid-value.

7 MEMBER CORRADINI: Thank you.

8 MR. TREGONING: I guess this is the only  
9 new slide that the subcommittee hasn't seen. It was  
10 put in at a request from Professor Apostolakis at the  
11 subcommittee meeting. He wanted to see what the  
12 distribution shape looked like. So we did a very  
13 simple exercise to create these, and these are  
14 essentially -- all I did was take a simple, lognormal,  
15 not split or anything, just the full lognormal, and I  
16 fit them to the 95th and the mean because those are  
17 the two parameters that we're most interested in  
18 using.

19 So I forced it to go through the mean and  
20 the 95th, and then the question was, well, how well  
21 does it estimate the median and the fifth. And the  
22 fifth, really a lot of extrapolation to get down to  
23 the fifth.

24 And both Lee and I were quite surprised at  
25 how well the fits tended to be. So in the medians in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all cases, there was less than 30 percent error, which  
2 again, for LOCA frequencies, considering the  
3 variability we have, is pretty darn good. And even in  
4 the fifth percentile it was less than 50 percent  
5 error, except in one case where we had a percent error  
6 of 200.

7 And I've picked four plots here. The blue  
8 plot and the red plot are actually the worst fit of  
9 all the distributions that we fit to this thing. So  
10 these are the worst, and the green and the black are  
11 more representative of the types of fits you would  
12 see.

13 And I just summarized the percent error  
14 there.

15 MEMBER APOSTOLAKIS: So what does this  
16 mean? Let me understand the curve. So the blue curve  
17 is for BWR-5; is that what you're saying?

18 MR. TREGONING: Yes. So that's the BWR  
19 LOCA frequency at LOCA Category 5. So --

20 MEMBER APOSTOLAKIS: So you are only  
21 showing mean curves. All of these are mean curves?

22 MR. TREGONING: No, these are  
23 distributions. So plotted on these are all of the  
24 percentiles of the fit distribution.

25 MEMBER APOSTOLAKIS: Oh, I'm sorry. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. TREGONING: And then the points are  
2 our actual values.

3 MEMBER APOSTOLAKIS: The means.

4 MR. TREGONING: Those are our values. I  
5 identified where the means are because the other thing  
6 you can see here is that the means in all cases are a  
7 relatively high percentile, not surprising, but the  
8 means vary anywhere from about the 70th to even as  
9 high the 85th percentile on the distribution,  
10 depending on which parameter you're looking at.

11 MEMBER CORRADINI: So what you're plotting  
12 here is a fit shape to the three points that we saw in  
13 the previous curve on some break sizes.

14 MR. TREGONING: Right, right. If I go to  
15 the previous one --

16 MEMBER CORRADINI: That's fine.

17 MR. TREGONING: -- where we didn't show  
18 the fifth, that was the four points that we developed.

19 MEMBER CORRADINI: Got it.

20 MEMBER APOSTOLAKIS: Now, the scale, I  
21 guess, distorts a little bit what is happening because  
22 they rise too steeply, don't they? I mean the curves.

23 MEMBER BLEY: Goes over about four orders  
24 of magnitude.

25 MEMBER APOSTOLAKIS: The green one is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only one.

2 MEMBER BLEY: And the other one goes over  
3 at least two orders of magnitude.

4 CHAIRMAN SHACK: There's a good spread in  
5 those curves, and the spread is sort of what you  
6 think. For small breaks it's narrow, where for big  
7 breaks, it's very wide.

8 MR. TREGONING: So the black one is the  
9 small break. So you can see they're in order of  
10 increasing break size, obviously.

11 MEMBER APOSTOLAKIS: So if I did a PRA  
12 tomorrow and I needed the frequency of various LOCAs,  
13 I could use this one, although this is based -- these  
14 curves are based on what you call a baseline approach,  
15 right?

16 MR. TREGONING: These were geometric mean  
17 aggregated results. Yes, they were.

18 MEMBER CORRADINI: So I guess since I  
19 didn't read in detail the report, I interpret the  
20 difference between the Ps and the Bs as primarily a  
21 pressure effect, not a materials effect and not a  
22 chemistry effect.

23 What do the experts say relative to that  
24 in terms of their -- because if I remember this  
25 process, you have to elicit not just a number, but a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reason for the number.

2 MR. TREGONING: Yes, and I didn't overlay  
3 in this presentation Ps with Bs, but what you see is  
4 the Ps have higher small break frequencies.

5 MEMBER CORRADINI: Right. I was looking  
6 at that just from the numbers.

7 MR. TREGONING: Right. Well, it's not  
8 clear from this because I show two Ps. I show two  
9 small Ps and then I show two large Bs.

10 MEMBER CORRADINI: Right. It's just the  
11 previous one I was looking at.

12 MR. TREGONING: Right. So the Ps are  
13 higher at small break, and then they're actually lower  
14 in intermediate breaks, and then at the biggest breaks  
15 the Ps get higher again.

16 The Ps are higher at small break primarily  
17 due to the fact steam generator tube rupture failures  
18 and concern for PWSCC issues related to CRDM, other  
19 small tube piping.

20 The Bs tend to get higher in the  
21 intermediate break because of largely driven by  
22 remaining IGSCC issues just due to the fact that BWRs,  
23 a lot of the large piping still retains flaws that  
24 were generated earlier under normal water chemistry  
25 the documents you see.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And while the experts believe that they  
2           have been mitigated to the sense that the frequencies  
3           were relatively low, they still raised up or rose up  
4           to be one of the highest risk contributors. So even  
5           though they have been mitigated, they still were the  
6           largest risk contributor.

7           And then when you get down to the highest  
8           frequencies, PWRs dominate, again, and that's more of  
9           a population issue. PWRs have larger pipes, more,  
10          bigger non-piping components that could fail and lead  
11          to a LOCA. So there wasn't anything unique that was  
12          driving that other than the increased population.

13          CHAIRMAN SHACK: But these frequencies  
14          still include the steam generator tubes --

15          MR. TREGONING: Yes.

16          CHAIRMAN SHACK: -- for the PWRs which  
17          will --

18          MR. TREGONING: But even if I take the --

19          CHAIRMAN SHACK: It's still true.

20          MR. TREGONING: -- I don't show it here.  
21          If I take the steam generator out, Ps are still  
22          higher.

23          CHAIRMAN SHACK: Now, you said the  
24          lognormal plots were the baseline or are they the  
25          error factor corrected?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: These are error factor  
2 corrected.

3 CHAIRMAN SHACK: Corrected. Okay. That's  
4 sort of your best estimate curve.

5 MR. TREGONING: That's what we would call,  
6 yes.

7 MEMBER APOSTOLAKIS: Now, if you included  
8 in this the multiple distribution, what do you call  
9 that?

10 MR. TREGONING: The mixture distribution?

11 MEMBER APOSTOLAKIS: Yes, mixture  
12 distribution. How would these curves change? Would  
13 they be broader?

14 MR. TREGONING: Yes. Yes.

15 MEMBER APOSTOLAKIS: They would be broader  
16 on the high side especially or --

17 MR. TREGONING: They would be broader  
18 high, broader to the high.

19 CHAIRMAN SHACK: And the means would be  
20 higher.

21 MR. TREGONING: They would be broader high  
22 and low.

23 MEMBER APOSTOLAKIS: And low.

24 MR. TREGONING: And low, and then the  
25 means would be shift obviously.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Medians would be about the  
2 same probably?

3 MR. TREGONING: No. Again, it's a totally  
4 different way to aggregate. So, no, the medians would  
5 be -- I'm not sure how the medians would work out.

6 CHAIRMAN SHACK: They're higher. I mean,  
7 that's the way they work out when you look at the  
8 numbers.

9 MR. TREGONING: Okay.

10 CHAIRMAN SHACK: I mean, just looking I  
11 can read the table.

12 MR. TREGONING: Yes, I haven't looked at  
13 that.

14 MEMBER APOSTOLAKIS: You could develop  
15 curves like this using that other method.

16 MR. TREGONING: Yes. Yes, you could.

17 MEMBER APOSTOLAKIS: But then ultimately  
18 you might want to combine the curves.

19 MR. TREGONING: But the mixture  
20 distribution, you come up with the distribution  
21 itself. So you wouldn't turn around and fit it as we  
22 have here.

23 MEMBER APOSTOLAKIS: I understand that,  
24 but you can always change those distributions based on  
25 insights you got here. I mean, ultimately what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 matters is what you learn from the whole exercise,  
2 right?

3 I would make an analogy with licensing a  
4 reactor. We have been told many times in this room by  
5 the staff our decision is not based on a single  
6 analysis. It's the result of a process.

7 So here, you know, you might say at the  
8 end I want a distribution which says, you know, I've  
9 been through this. I've done it ten different ways.  
10 This is what I think it is.

11 Now, that takes guts.

12 (Laughter.)

13 MEMBER APOSTOLAKIS: Anyway, it's okay.  
14 I did want to inquire, but this is the biggest problem  
15 Bayesian methods have.

16 MR. TREGONING: Okay. I think George  
17 could give this presentation at this point. I think  
18 he already has. So we'll --

19 (Laughter.)

20 MR. TREGONING: -- spend the rest of the  
21 time -- we'll continue to move through.

22 MEMBER APOSTOLAKIS: And you still don't  
23 believe me.

24 MR. TREGONING: I believe you, you know,  
25 with all of my heart.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we did a number of sensitivity  
2 analyses, and Professor Apostolakis alluded to one of  
3 those, and all I'm going to touch on is one because  
4 it's the one that's the most interesting. It's the  
5 one that's the most controversial, and that's looking  
6 at different ways to aggregate individual results.

7           So what I had shown before is essentially  
8 the blue curves here, and these are the means. So if  
9 I go back to this plot, those blue curves correspond  
10 to the red curves on this plot. I apologize for  
11 changing colors on you guys.

12           And the red curves here, they represent  
13 using either arithmetic mean to aggregate the  
14 individual expert estimates or analogously, at least  
15 for determining the mean, actually creating a mixture  
16 distribution from the result.

17           MEMBER APOSTOLAKIS: Wait a minute now.  
18 Isn't it true that they can be an arithmetic mean  
19 where the percentile is not the same as the mixture  
20 distribution.

21           MR. TREGONING: Right, but when you're  
22 looking at the mean it is.

23           MEMBER APOSTOLAKIS: Oh, you may be right  
24 there.

25           MR. TREGONING: Yes, yes. For that one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 parameter.

2 MEMBER BLEY: I'd have to think real hard  
3 about that one.

4 MR. TREGONING: Well, the way we did  
5 arithmetic mean aggregation, we just took the  
6 arithmetic mean of all the percentile estimates of the  
7 estimates.

8 So for the mean estimates that they gave  
9 us, it's just the arithmetic. It's just the mean of  
10 the mean. So the mixture distribution, when you work  
11 through it, that mean is also the mean in the middle.

12 MEMBER APOSTOLAKIS: The mean is a funny  
13 quantity.

14 CHAIRMAN SHACK: It is.

15 MEMBER ARMIJO: I don't understand why  
16 there's such a big difference between the mean and the  
17 mean of the mixture for LOCA Category 4 on the BWR.  
18 I mean, those two curves are very different compared  
19 to the PWR. What go that?

20 CHAIRMAN SHACK: Essentially we had one of  
21 the panelists that if you look at the red curves,  
22 they're weighted by one panelist result. So  
23 essentially one panelist was very much higher than the  
24 rest in their predictions for BWRs. So that's why the  
25 curve shape looks like that, and that's why it's so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different than the geometric mean aggregate.

2 Now, that one panelist, his model was --  
3 again, his biggest risk driver was IGSCC, and this was  
4 a PFM approach, and the PFM model was essentially  
5 giving him the result that, you know, a large break  
6 LOCA has about the same frequency as a much smaller  
7 LOCA in that large piping.

8 So that's why his results look so flat,  
9 but they were very different. They were different  
10 than everyone else's results, and that's one of the  
11 reasons for the big difference between or the primary  
12 reason driving the big difference between the  
13 arithmetic mean and the geometric mean aggregated  
14 results.

15 MEMBER ARMIJO: But that same person, when  
16 you got to the Category 5 and 6s was pretty much  
17 consistent with the rest of the --

18 MR. TREGONING: Yes, they go back down,  
19 right.

20 CHAIRMAN SHACK: If you see a six it's not  
21 a pipe break anymore, you know.

22 MR. TREGONING: This isn't a pipe break.  
23 So it's apples and oranges, and five for BWR. You  
24 really needed a complete rupture of the prime recirc.  
25 piping to get that. So when it came down to complete,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, these guys are balancing for all the pipes.  
2 They have to consider complete ruptures of smallest  
3 pipes leading up to that LOCA category, as well as  
4 partial ruptures of bigger pipes.

5 MEMBER MAYNARD: Well, they all didn't  
6 provide data for every category either, did they?

7 MR. TREGONING: They were consistent in  
8 that they didn't all provide us BWR and PWR  
9 information. Some of the experts only felt qualified  
10 to give us BWR information. But once they gave us  
11 information, they gave us information from all the  
12 categories from one plant type, and that was required  
13 because of the way we structured the elicitation. We  
14 needed that to be so that they could develop self-  
15 consistent estimates.

16 Now, some of their estimates were very  
17 like if their qualitative response said I don't think  
18 the pump casings are a significant risk driver, right,  
19 they didn't necessarily need to give us quantitative  
20 estimates at that point. You know, we can take that  
21 information and say, okay, I just need to make sure  
22 that these don't contribute to your final risk  
23 profile.

24 MEMBER ABDEL-KHALIK: What is the smallest  
25 size sample in all of these categories?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: We had eight BWR estimates  
2 and nine PWR estimates. So of the 12 we had one  
3 expert that didn't provide any estimates for anything.  
4 So then we had 11 that gave us estimates, and eight of  
5 those gave us BWRs, and nine of them gave us Ps. So  
6 we had two people that didn't give us Ps and three  
7 that didn't give us Bs.

8 I wanted to talk a little bit about the  
9 review. We've had quite a bit of review. We started  
10 with the panel itself. We did a lot of Q&A and  
11 feedback on the individual responses that they gave  
12 us. They gave us pieces. To develop one set of  
13 frequencies for an expert it took about 100, 200  
14 questions that they had to answer. So they didn't  
15 necessarily see what their final outcome was when they  
16 were giving us a testimony.

17 So when they were giving us the testimony,  
18 we were checking to make sure their rationale and the  
19 numbers they were giving us makes sense, and that was  
20 actually the most extensive part of the process  
21 because quite often those things didn't match up. So  
22 we had quite a lot of feedback of each of the  
23 individual experts to make sure that their  
24 quantitative numbers did support their qualitative  
25 rationale.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           They also reviewed the calculations and  
2 analysis that we did on their individual results to  
3 make sure it was accurate within the framework that we  
4 had provided them, and again, as I mentioned here,  
5 once the draft NUREG was put together, they also  
6 reviewed the general qualitative and quantitative  
7 findings and conclusions.

8           Did you have a question?

9           MEMBER CORRADINI: Well, I was going to --  
10 I was looking through the -- so they provided their  
11 analyses or their bases for their judgments and they  
12 spoke with each other and discussed it as part of it.  
13 Was there interplay between the experts? I guess  
14 that's what I'm asking.

15           And then did they reevaluate it and give  
16 you another set of numbers?

17           MR. TREGONING: There was, and there were  
18 chances for them to do the reevaluation. The way we  
19 structured it is we brought them together as a group  
20 to develop all of the issues and brainstorm and  
21 identify the things they were going to be evaluating.

22           Then we did some background analyses which  
23 I'm not going to go into, but essentially the base  
24 case analyses, and we brought them together again and  
25 discussed that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Then they went off and did their  
2           elicitations individually. Then, once we got all of  
3           the results, we brought them back together as a group  
4           again and said, "Here are your individual results and  
5           here are your results with respect to the group, and  
6           we focused on that meeting and that was about a three-  
7           day meeting. We were looking at differences because  
8           you're always looking for, you know, if one expert is  
9           different than the other. You're looking to see if  
10          there's qualitative reasons that the other ones hadn't  
11          thought about.

12                   And they were given the opportunity after  
13          that meeting if they so chose to revise their  
14          estimates, but to be honest, nobody did. So even  
15          though they were informed, no one felt strongly enough  
16          about the new information that they thought they  
17          needed to go back and redo their estimates.

18                   Again, we've had a lot of group exchange  
19          prior to that as well.

20                   MEMBER CORRADINI: On the flow chart, I'm  
21          sorry. I didn't mean to take -- but that was very  
22          helpful. I was looking for the flow chart in the  
23          document.

24                   MR. TREGONING: Okay.

25                   MEMBER CORRADINI: I'm sorry. Thank you.

1 MR. TREGONING: So, again, we had a lot of  
2 feedback with the panel. We also had a small external  
3 peer review. We had two people with decision analysts  
4 and a statistician, and we asked them to look at the  
5 structure of the elicitation, the analysis procedure  
6 framework, how we did aggregation, and those review  
7 reports are publicly available.

8 The external peer review was quite  
9 helpful. It helped us refine our analysis technique.  
10 We've had a large number of ACRS interactions that we  
11 thank you. I think this is our 13th or maybe 14th at  
12 this point.

13 And then we've had internal staff review,  
14 NRR as well as people in the Office of Research, and  
15 finally we went through public review and comment.

16 I'll briefly touch on here in the next few  
17 slides the public comments that we got. We issued  
18 draft NUREG-1829 in June of 2005. We opened the  
19 public comment period, and then we closed it on  
20 November 2005.

21 We had 29 comments from the public. We  
22 had nice diversity of comments. We actually had one  
23 of the elicitation panelists himself that felt  
24 compelled to comment. That was interesting. We got  
25 some comments from academia and --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Did he ever explain  
2 to you why he didn't raise his concerns during the  
3 elicitation process?

4 MR. TREGONING: Oh, he did.

5 MEMBER APOSTOLAKIS: Oh, he did?

6 MEMBER CORRADINI: He just wanted to put  
7 it on the record.

8 MR. TREGONING: Yes, he did.

9 (Laughter.)

10 MR. TREGONING: You know these group  
11 dynamics. We discussed his comments and issues as a  
12 group, and then the group --

13 CHAIRMAN SHACK: Didn't see the light.

14 MR. TREGONING: No, no one, but that's  
15 okay.

16 MEMBER APOSTOLAKIS: That's good.

17 MR. TREGONING: And, in fact, I encourage  
18 them to do that. I said, you know, there is an  
19 opportunity and just the fact that you were an  
20 elicitation panelist, that shouldn't stop you from  
21 commenting as well as it shouldn't stop anybody from  
22 commenting. So he did that.

23 MEMBER APOSTOLAKIS: It would be funny if  
24 you commented though.

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: Right? Or Lee.

2 MR. ABRAMSON: We're a united team.

3 MR. TREGONING: I don't know if that would  
4 be unprecedented, but probably close to it.

5 And then we've got a number of comments  
6 from industry, owners groups, individual licensees.

7 At the same time that we went out for  
8 public comment we were anxious to get this out and get  
9 some comment, but the document was being reviewed  
10 internally by NRR as well, and so we got a large  
11 number of comments from the NRR staff, and in fact,  
12 the document we provided to you has the NRR comments  
13 commingled with the public comments, and we grouped  
14 the comments topically just so ACRS -- we would be  
15 able to avail you of that information so you could  
16 consider all the comments that we got, and in total we  
17 got about 101 separate comments.

18 So in general, to summarize the public  
19 comments, you know, public comments were generally  
20 useful. They identified some additions and  
21 clarifications, that we went forward to hopefully  
22 improve the exposition, as well as facilitate the use  
23 of these results. None of the comments certainly in  
24 the author's mind, and hopefully the responses  
25 document that, presented a significant challenge to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the appropriateness of the objective approach,  
2 analysis or results.

3 With the public comments as well, you can  
4 see the most passionate controversy is still the  
5 proper method for aggregating individual estimates to  
6 produce group estimates.

7 MEMBER ARMIJO: Was there any particular  
8 -- and I would know this, I guess -- from the BWR  
9 owners on that discrepancy, was that a big, big issue?

10 MR. TREGONING: You mean on the  
11 discrepancy between the one expert and the others?

12 MEMBER ARMIJO: Right.

13 MR. TREGONING: No, we didn't get a  
14 comment on that. The comment that we got from the BWR  
15 owners groups or at least one comment, and you've  
16 heard these, is they were concerned that we didn't  
17 appropriately credit mitigation of IGSCC. And we did  
18 change some of the language in the report, but it  
19 didn't change any of the estimates, and you know, we  
20 documented in the report as well as in the response  
21 about how we considered mitigation, not just of IGSCC,  
22 but for all of these mechanisms that people were  
23 considering.

24 IGSCC was probably the most unique case  
25 because a lot of the service experience that you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for BWRs is colored by that IGSCC experience and then  
2 anything --

3 MEMBER ARMIJO: Anything prior to water  
4 chemistry, pre-mitigation and all of that.

5 MR. TREGONING: Anything before 1983, you  
6 know, and we had a lot of discussion with the group  
7 about that. In fact, a lot of the service history  
8 estimates showed pre-1983 precursor events, post-1983,  
9 and we actually then did sensitivity studies, both  
10 from a service history perspective and then a PFM  
11 perspective on the effect of different IGSCC  
12 mitigations on the failure frequency.

13 So it was something that we had discussed  
14 quite a bit in the elicitation.

15 So I just wanted to give you an example of  
16 one public comment here, recognizing that we don't  
17 have time to go into a lot of them. Of course, I'll  
18 be happy to take questions on any.

19 But there was one comment that our SB LOCA  
20 estimates were too high and that they weren't  
21 representative of operating experience. The comment  
22 said, you know, that approximately one order of  
23 magnitude and then the NUREG/CR-5750 results.

24 The implication is that we should be  
25 having one SB LOCA every four years and that using

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these estimates, at least the small break LOCA  
2 estimates in existing PRAs would lead to unwarranted  
3 impacts that are not supported by operational  
4 experience.

5 MEMBER CORRADINI: So your thought about  
6 that would be?

7 MR. TREGONING: Yes, so we thought about  
8 that and responded, and I think the main thing that we  
9 thought was a good idea is we didn't have a comparison  
10 within 1829 on how the results compared with service  
11 experience. So we added this section.

12 We had a section on how it compared with  
13 prior studies, and a lot of those prior studies had  
14 shown how they compared with service experience, but  
15 we thought a fresh look at service experience would be  
16 useful.

17 And when we say "service experience,"  
18 we're really limiting it to the small break LOCAs  
19 because that's where we have -- you can actually argue  
20 that we've had a couple of events. Certainly we've  
21 had steam generator events, and we've had a few pipe  
22 breaks in Class 1 systems that border on the small  
23 break LOCA threshold. So we actually had some data  
24 other than zero events. So we felt most comfortable  
25 making those comparisons.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is the basis or sort of the basic  
2 response or the fundamental points in the response  
3 that we made to this one. It's at least the author's  
4 opinion that the SB LOCA and the 5750 estimates are  
5 generally consistent. The steam generator tube  
6 rupture estimates are virtually identical. In fact,  
7 they're actually a little bit lower, and that mainly  
8 is reflective of the fact that we've had additional  
9 service experience since 5750 came out, but there are  
10 about --

11           MEMBER APOSTOLAKIS: What was the year of  
12 5750? I don't remember.

13           MR. TREGONING: It was published, I think,  
14 in '97 or '98, but a lot of the events, most of the  
15 events were analyzed up to about '96.

16           MEMBER APOSTOLAKIS: That's about ten  
17 years.

18           MR. TREGONING: About ten years now.

19           The BWR SB LOCA estimates are actually  
20 quite similar to 5750, within about 20 percent. The  
21 big discrepancies are the PWR SB LOCA estimates.  
22 They're higher than the 1829 study, about a factor of  
23 five, and again, the experts supported that with,  
24 again, there was a lot of concern at the time about  
25 the effects of PWSCC on small break LOCAs. So their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concern was reflected in this increase.

2 We also --

3 MEMBER APOSTOLAKIS: Excuse me, Rob. So  
4 this is the estimate that would lead to one small  
5 break LOCA per four years? I mean they made a  
6 statement of that nature --

7 MR. TREGONING: Right.

8 MEMBER APOSTOLAKIS: -- in your slide,  
9 right?

10 MR. TREGONING: Well, there were a couple  
11 of things. When we published the draft NUREG, we had  
12 the steam generator estimates separately. Then we  
13 just had the LOCA estimates that had combined the  
14 steam generator and the small break LOCA estimates.  
15 Okay?

16 So when they did their estimates, they did  
17 a simple subtraction, and the way we aggregated, you  
18 can't really do a simple subtraction to get the  
19 results. So what we did is we went back and looked at  
20 each individual set of results and for each of those  
21 individual results, we subtracted their steam  
22 generator risk contribution from all the others, and  
23 then we re-aggregated.

24 So we analyzed in a way that was  
25 consistent with how we analyzed the rest of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results, and because it's not a linear analysis, you  
2 don't get the same answer as you would if you simply  
3 subtract them. So in the new 1829, we actually  
4 published the small break LOCA estimates without steam  
5 generator contributions as well so that people can see  
6 what they are.

7 So that's in addition. We added those, as  
8 well as we did --

9 MEMBER APOSTOLAKIS: But what is the  
10 answer to this?

11 MR. TREGONING: What do you mean?

12 MEMBER APOSTOLAKIS: Is it a true  
13 statement that your estimate leads to an average of  
14 one small break LOCA every four years? A simple --

15 MEMBER ARMIJO: It doesn't make sense.  
16 Sanity check.

17 MEMBER APOSTOLAKIS: Are you still doing  
18 that?

19 MR. TREGONING: It's not quite as high as  
20 that, but you know, you're one in four, one in five,  
21 but, again, you have to look at -- these are not  
22 average. These frequencies are never intended to  
23 represent averages over the entire operating fleet,  
24 right? They were meant to be snapshots of where we  
25 are now, given concerns, and they were concerns about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the effect of PWSCC and PWRs on what those frequencies  
2 were.

3 We looked at all of the pipe breaks that  
4 we had and Lee helped us. We did a Poisson-type of  
5 analysis, and you might want to, and you might want to  
6 comment on this, and showed that the estimates that we  
7 had as well as the uncertainty about those estimates,  
8 even though they were elevated, they were still  
9 consistent with operating experience or they weren't  
10 inconsistent with operating experience.

11 MEMBER APOSTOLAKIS: So is operating  
12 experience telling us then that we have something we  
13 can call a small break LOCA once every four or five  
14 years? Is that what you're saying?

15 MR. TREGONING: No, that's not what I'm  
16 saying. I'm saying the current frequencies that we  
17 have are higher for PWR SB LOCAs.

18 MEMBER CORRADINI: But if I could just  
19 read on page 750 of the report, specifically the  
20 paragraph here that you guys have is that you point  
21 out that for small breaks, the current elicitation is  
22 lower than the pilot, but it is higher than -- as you  
23 state, "However, the current elicitation concerns for  
24 PWSCC cracking and BWR CRDM nozzles results in  
25 additional increases."

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Is that -- I'm looking for a physical  
2 reason why, if the expert judgment is larger than the  
3 service experience, does it come down to those sorts  
4 of --

5           MR. TREGONING: Yes.

6           MEMBER CORRADINI: Okay, all right.

7           MR. TREGONING: Yes, that was the  
8 qualitative rationale driving it, and the expert said  
9 even though, again, when we did the study, when we did  
10 the results or when we did the elicitation, it was  
11 2003. So you know, we had had Davis-Besse. We had  
12 Ocone, We had V.C. Summer. We were still in the  
13 process of attempting to develop mitigation strategies  
14 or we hadn't even started it yet, to be honest with  
15 you, for PWSCC. We're really starting that now.

16           And many of those same experts said while  
17 it's elevated now, the expectation is that once  
18 mitigation has been fully implemented, that those  
19 frequencies will decrease again.

20           MEMBER CORRADINI: Okay. That's fine. I  
21 just wanted to understand because this is not my area.  
22 It's a material. So I'm always looking for the  
23 physical reason underlying why an estimate might be  
24 different than the service experience.

25           CHAIRMAN SHACK: Just Lee's Poisson

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis gave him a resulting range of .7 to five  
2 breaks, and you've had one basically.

3 MR. TREGONING: Yes.

4 MEMBER APOSTOLAKIS: So the third red  
5 bullet, BWR small break LOCA estimates are higher by  
6 approximately a factor of five, but because NUREG-5750  
7 is kind of old, they think this is reasonable. That's  
8 the implication there?

9 MR. TREGONING: Yes.

10 MEMBER APOSTOLAKIS: Okay.

11 MR. TREGONING: And it's not the fact that  
12 NUREG/CR-5750 is old. It's the fact that, again, the  
13 elicitation -- these estimates were supported by, you  
14 know, expectations for higher frequencies due to PWSCC  
15 cracking.

16 So that's the third bullet. You know, the  
17 differences that do exist are supported by qualitative  
18 rationale, and we made a number of modifications. We  
19 have provided the separate steam generator tube and  
20 small break LOCA estimates as I mentioned. We have a  
21 much more extensive comparison between 1829 and  
22 historical results, and then we also have these  
23 operating --

24 MEMBER APOSTOLAKIS: So that frequency  
25 then is roughly two or so, ten to the minus three, an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 average number?

2 CHAIRMAN SHACK: Five times ten to the  
3 minus four for small break LOCAs.

4 MEMBER APOSTOLAKIS: Five, ten to the  
5 minus four we mean by it.

6 CHAIRMAN SHACK: Which in 5750 is one.

7 MEMBER APOSTOLAKIS: Is what?

8 CHAIRMAN SHACK: A one times ten to the  
9 minus four.

10 MEMBER APOSTOLAKIS: So if you have five  
11 ten to the minus four and you have how many PWRs?

12 MR. TREGONING: Sixty-nine.

13 MEMBER APOSTOLAKIS: Multiply that by 69.  
14 Do I get this number of four or five per year? I  
15 guess I --

16 MR. TREGONING: No, no, no, no, no. You  
17 get one every four years is what the commenter --

18 MEMBER APOSTOLAKIS: One every four years.  
19 So 69 multiplied by four.

20 MEMBER MAYNARD: Well, another factor is  
21 you want this to be a tool that's useful in the  
22 future, not necessarily reflecting exactly where we  
23 are today. It completes aging, and so the numbers  
24 that you're giving and the tools that you're putting  
25 out there need to be a good five or ten years from now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as well as today.

2 MR. TREGONING: Right. We did ask for  
3 estimates. We asked for three time periods. We asked  
4 for current snapshot. Then we asked for 15 years from  
5 now and then we asked for another 20 years past that.  
6 So we did provide multiple estimates, but you know,  
7 there's a realization, too, that you know, your  
8 epistemic knowledge state is changing as you go along,  
9 too. So certainly the further you asked people to  
10 prognosticate, you know, we had enough uncertainty  
11 with the current day. So when you try to  
12 prognosticate out further, you have more uncertainty,  
13 more variability.

14 MEMBER APOSTOLAKIS: All right, fine.  
15 Let's go on.

16 MR. TREGONING: That's it.

17 MEMBER APOSTOLAKIS: Any questions before  
18 we move on to seismic? That's the next one, right?

19 (No response.)

20 MEMBER APOSTOLAKIS: Okay. Nilesh, are  
21 you taking over?

22 MR. CHOKSHI: Yes.

23 MEMBER APOSTOLAKIS: Thank you very much,  
24 by the way, as an afterthought.

25 Tell us who you are and why you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 qualified to address this distinguished group.

2 MR. CHOKSHI: Yes, I will.

3 CHAIRMAN SHACK: He drew the short straw.

4 (Laughter.)

5 MR. CHOKSHI: Okay. Good morning. My  
6 name is Nilesh Chokshi. I'm Deputy Director of the  
7 Division of Environmental and Site Reviews, Office of  
8 New Reactors.

9 And if you wonder why I'm here giving this  
10 presentation, I was in Research when this study was  
11 conducted two years back. So that's the reason I'm  
12 here, and as you see from the list of names, this was  
13 an interoffice team, including seismic expertise,  
14 piping design, fracture mechanics, seismic risk, and  
15 also the people involved in the rulemaking. So this  
16 was, you know, a substantial and also very large  
17 contractor support.

18 In fact, Dr. Gery Wilkowski and I and his  
19 organization, EMC<sup>2</sup>, made the floor piping analysis,  
20 and he was here at the subcommittee presentation, and  
21 I think he's available on the phone also. So that's  
22 good for me. He can answer some of the questions.

23 So with that, let me --

24 MEMBER APOSTOLAKIS: Who's the gentleman  
25 on your right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOKSHI: No, Gery is not here. Oh,  
2 sorry. This is Mr. Khalid Shaukat. He's from  
3 Research, and you'll see him again when we move  
4 forward with this study, but he was the project  
5 manager of this study.

6 Okay. So now what I intend to do is to  
7 cover the basic objective. At the subcommittee  
8 meeting we did discuss in detail the technical  
9 approach and rationale behind this. I think during  
10 the short time here I'm going to focus on some of the  
11 key research and findings and not as much on the  
12 methodology.

13 And then what I want to do is towards the  
14 end I'll summarize the response from the industry on  
15 specific questions where we are asking the proposed  
16 rulemaking and where we are and what factors we need  
17 to consider as we move forward in this rulemaking  
18 process, but as pertains to this particular issue.

19 So let me start with the objective.  
20 Instead of directly estimating the seismic and use  
21 break frequencies as it was done for the expert  
22 elicitation, we decided to concentrate on a different  
23 question, and the question was: what are the  
24 conditions and likelihood which would, under the  
25 seismic-induced loading, which would be incompatible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the proposed TBS?

2 In other words, would the seismic-induced  
3 breaks, would they be larger than the TBS and would  
4 have frequencies of ten to the minus five or more?

5 And I think that's a very germane  
6 question, given, though, that the object was to  
7 provide this information so people can comment and  
8 respond to questions. In the context of the proposed  
9 rule, this was a direct question and also within the  
10 time period it's something you can do, you know,  
11 estimating absolute frequencies given seismic events.  
12 It's a much larger undertaking.

13 In order to answer this question we took  
14 six activities. We looked at unflawed piping; flawed  
15 piping, piping that has cracks or degradations;  
16 indirect failures; review of past earthquake, past  
17 PRAS; and then there was a study conducted in the  
18 early '80s in connection with GDC4, which was to  
19 answer the question whether the LOCA and the  
20 earthquake load seems to be combined, and this was a  
21 full-blown probabilistic fracture mechanics analysis.

22 The first three are the different --  
23 mechanisms, how the piping and piping system can fail  
24 and would have, you know, an impact on TBS.

25 The review of past earthquake experience

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and past PRAs were to get additional insight; also to  
2 calibrate system level analytical study CRD, what we  
3 see in the earthquake experience, and what we find  
4 analytically; is this consistent or not; and then  
5 this, the last, was an important study, and a lot of  
6 decisions were based on this study. It also provides  
7 a direct way for us to calculate the mean direct  
8 failures.

9 So we used the modified history to build  
10 a short current-day hazard and use that for the  
11 indirect figures.

12 Now --

13 MEMBER ARMIJO: Were these analyses only  
14 done for the transition break size pipes?

15 MR. CHOKSHI: No.

16 MEMBER ARMIJO: Just for that size or  
17 for --

18 MR. CHOKSHI: No. How long we'll talk  
19 about that, the next slide, the scope of the study.

20 And we used basically a combination of  
21 deterministic and probabilistic approach. For the  
22 unflawed piping and indirect failures, it's pretty  
23 much probabilistic approach, and we did not estimate  
24 the four distributions, but it was a probabilistic  
25 approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           On the flawed piping, the seismic loading  
2 was based on the probabilistic hazard, but the rest of  
3 the calculations were deterministic.

4           To address some of the variabilities, we  
5 did a large number of samples, and I'll try to tell  
6 you about how many piping systems we looked at, and we  
7 also conducted some additional sensitivity analysis to  
8 look at the effects of key assumptions.

9           Here is, I think, to answer your question,  
10 I'll move on to this viewgraph.

11           One of the biggest challenges in  
12 performing this type of analysis is the availability  
13 of the design information because that was our  
14 starting point. We needed normal operating stresses,  
15 seismic stresses. I'm talking about design stresses,  
16 material properties, and a few other things so we can  
17 do our calculations.

18           One of the databases which had captured  
19 this information is the leak before break application  
20 database, and which basically applies to PWRs. So we  
21 had these data available for PWRs, and that's why one  
22 of the reasons was material evaluations for BWRs.

23           Having said that, there's nothing inherent  
24 in these matters or conclusions which does not apply  
25 to BWRs or other situation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, the tool I mentioned about, that we  
2 wanted to look at a large sample to cover the range of  
3 materials properties, range of the seismic stresses,  
4 and the site conditions. We selected 27 PWRs, 24 on  
5 the large side, three on the small sides. Large size  
6 from the seismic perspective is not critical. We  
7 generally get higher stresses.

8           The second issue was what hazard curve to  
9 use, and this was a question because, two years back,  
10 this is when the Early Site Permit applications were  
11 coming in, and they were using new estimates. Without  
12 considering all factors, we thought that for the 27  
13 sites the research we had available was that Livermore  
14 has those, and we will study the sensitivity of  
15 alternate hazard in a different way. So we decided to  
16 use the Livermore hazard curve.

17           Now, I think to answer your question,  
18 because we see what's the effect on TBS, we selected  
19 piping systems larger than the TBS. We did examine  
20 one or two cases with the TBS diameter, but more as a  
21 calibration, but which meant that we were looking at  
22 hot leg, cold leg, and crossover leg, and we selected  
23 52 systems from 27 PWRs. We tried to capture the  
24 highest trace locations and materials. Okay?

25           Now, one of the key, in this kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation, you need to do a realistic estimate of  
2 seismic stresses. The design stresses is a starting  
3 point, but as you go up in the earthquake, it's  
4 difficult; to seismic PRA, you have to do more  
5 realistic estimate of seismic stresses at the higher  
6 level, and we used basically an approach commonly used  
7 in the seismic PRA and seismic margin to estimate  
8 those spaces.

9 So that was a common approach, I would  
10 say, in all three, that we were trying to estimate  
11 realistic estimates at higher level of earthquakes,  
12 and for the flawed piping we selected two discrete  
13 levels, ten to the minus five probability of accidents  
14 and ten to the minus six probability of accidents.  
15 For direct and indirect, we can basically use, then,  
16 the entire probabilistic hazard code.

17 So this is what I'm talking about matters  
18 and not too much more. In flawed piping and indirect,  
19 I'll do a little bit more, but at the subcommittee we  
20 showed some quantitative research on the unflawed  
21 piping, but I think other cases are a lot more  
22 interesting. So I'm going to --

23 The key finding is that unflawed piping,  
24 in order to get a seismic-induced failure, you have to  
25 have a lot of flaw. It just doesn't happen. In fact,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our numerical results would be an order of mean  
2 failure ten to the minus nine or less, okay, for the  
3 cases we looked at.

4 I think it's important to a little bit  
5 talk about now earthquake experience. We have looked  
6 at a number of industrial facilities and fossil power  
7 plants, most of the data come from, but all of the  
8 welded piping systems which are engineered actually  
9 behave very well in the earthquakes. We are looking  
10 here at experience data up to .5g ground acceleration,  
11 and where we see failure, there's a severe  
12 degradation, either support failure, again, associated  
13 with severe degradation; there is missing anchor bolts  
14 or corroded plates.

15 We see relative motion. When you have an  
16 inflexible pipe and there is a support, and in fact,  
17 at a recent earthquake in Japan, we saw, I think, all  
18 seven plants. There was a vent. Vent was connected  
19 to a stack, which was in a different foundation, and  
20 other support was in a different foundation. All six  
21 identically failed because of this anchor motion.

22 And then things falling over the piping.  
23 So I think this result is consistent. So I think this  
24 case, that unflawed piping, unflawed piping is  
25 basically a piping which meets the assumptions used in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design and would fail by a particular shutting down  
2 than a collapse or a tear-through.

3           Okay. Now, the flawed piping, I think  
4 that's the more interesting. Again, I have been  
5 conducting, you know, crude probabilistic analysis.  
6 We decided to look at design conditions and the  
7 conditions at the higher level. We wanted to look at  
8 what are the critical flaws at ten to the minus five  
9 or ten to the minus six seismic range, and either  
10 they're large or small compared with the crude  
11 allowable flow evaluation.

12           So we performed all the normal operating  
13 conditions and earthquake, ASME inspection/evaluation  
14 criteria for circumferential surface flaw, and we also  
15 used the LBB procedure. What would be the through-  
16 wall flaws and how they would compare with the  
17 critical flaws at ten to the minus five up rate and  
18 ten to the minus six up rate?

19           And this was basically to answer two  
20 questions. Will ASME surface flaw criteria at normal  
21 stresses find flaws that are smaller than the ten to  
22 the minus six or ten to the minus five? Because this  
23 implies some inherent safety.

24           And would the LBB procedure find the  
25 through-wall flaws that are smaller than the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particular flaws?

2 And also I think, as I mentioned with the  
3 experience data, the question itself, how large these  
4 flaws have to be, is important. So that was the  
5 parameter, you know, how large these flaws have to be.  
6 Because if you were really looking at the total  
7 probabilistically, then you will have to look at  
8 probabilities of existing flaws, probabilities of  
9 detecting flaws were they to link before. So I think  
10 this information was very -- that's why I said that in  
11 the right context, the proposed TBS, this information  
12 was germane.

13 So I'm going to now go to the resource.  
14 All right. Let me first -- these are the two results  
15 for the surface flaw evaluation. This is the two  
16 systems from the 52 systems we examined, large, and  
17 the plot on the left, I believe it's in a hot leg  
18 looking at a ten to the minus five earthquake stresses  
19 from a Westinghouse PWR. But let me first explain  
20 what you are looking at.

21 The X axis is the flaw length. Okay? And  
22 as you go from the extent of circumferential flaw  
23 length. On the ordinate is the flow depth ratio, is  
24 the ratio of through-wall to the pipe thickness. So  
25 as the flaws get smaller, circumferentially you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to have a larger depth for them to become critical.

2 As you move toward the right with the  
3 larger flaws, then you know, these critical depth  
4 ratios are becoming smaller. An interesting thing is  
5 that you see that after a certain .5 or something or  
6 .6, you start approaching basically asymptotic value.

7 You are also seeing the ASME code limit,  
8 that basically this requires evaluation of flaw. If  
9 it's smaller than that, I think you can continue  
10 operation. In no case, you can go tolerate more than  
11 .75 here.

12 This is a typical case. In the report  
13 this is called Category A. The red line is the  
14 critical ten to the minus five critical flaw length.  
15 Yellow is using the ASME code strength and procedure,  
16 and this is the same as the ASME procedure, but using  
17 actual strength. The code allows that. In this case  
18 the critical flaws associated with the earthquake,  
19 large earthquake traces, is much larger and this is a  
20 typical ten to the minus five.

21 Now, we also have what we call Category C,  
22 a few cases, and I'll show you the overall. In this  
23 case, the critical flaw is smaller than what the ASME  
24 code would allow, but I think the one important thing  
25 is that in all cases there are very high -- issues.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The cracks have to be pretty great.

2 Now, what I'm going to show you now, the  
3 results for the ten to the minus six in a little  
4 slightly different form. This is the calculation  
5 performed for a large earthquake. The ten to the  
6 minus five was sort of a starting point for the TBS,  
7 but we also wanted to look at what happens at larger  
8 earthquakes. One of the things, it answers the  
9 question of an alternate hazard as well as whether  
10 there is a sharp transition somewhere, you know.

11 And what you are seeing here is that upon  
12 a very large flaw, for a different seismic -- for ten  
13 to the minus six seismic stresses, what are the  
14 critical flaw depth values? And you see that .3 is  
15 the smallest value. It's somewhat material-dependent,  
16 but in many cases, you wanted this stress level is  
17 much larger. So you have to have a very significant,  
18 large cracks in the pipes before you get to the  
19 seismic in these breaks.

20 Here is the summary of the 52 cases, and  
21 as I mentioned, for eight times ten to the minus five,  
22 yes, 48 cases the critical crack sizes will be larger  
23 than the ASME code. In one case it was larger than  
24 the core evaluation using the core values, but smaller  
25 using the actual strength values, and in three cases

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 was the second case I showed that's called Category C.

2 But, again, I think to me the -- well,  
3 I'll come back to the final message. So this was the  
4 results of the surface flaw evaluation.

5 The second thing we wanted to look at, the  
6 leak-before-break behavior, and we wanted to see that  
7 if you applied LBB analysis as currently with the  
8 factors of safety of ten on the leak rate and on the  
9 flow size factor of safety of two, and how would that  
10 compare when you do the same calculations, but using  
11 higher seismic stresses and also examine the  
12 sensitivity to different factors of safety and also  
13 maybe different assumptions on the leak detection  
14 capabilities or the leak rate.

15 So I'll show you the results from the  
16 sensitivity studies. This is also a factor of the  
17 crack morphology, and I'm going to -- so we looked at  
18 three crack morphologies, one with a very smooth  
19 crack, a PWSCC type crack, and corrosion-free.

20 Okay. So here are the results. On the X  
21 axis side is the ratio of normal to normal plus higher  
22 side mixed traces at ten to the minus five. So as you  
23 go left implies higher seismic stresses.

24 This is the leakage over critical flow  
25 size, the leakage flow size using the current

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 procedures, and get the design basis stresses, SSC  
2 stresses, and this is the critical flaw sizes at ten  
3 to the minus five.

4 These are the results of fire systems for  
5 all different plants. What it shows, that if you  
6 consider the factor of safety of 1.5 instead of two,  
7 in the report there are other results, but if you do  
8 these calculations, you keep the liquid requirement  
9 the same as factor of safety of ten on the detection  
10 capability of one gpm. You will find some cases where  
11 the critical flaw size would be smaller than the LBB.

12 But if you look at an alternate leak  
13 detection capability, and I understand that some LBBs  
14 use this, of .5 gpm, keep the same factor of safety,  
15 you can see that there.

16 And you know, this was not to draw the  
17 conclusions, but to provide information so people can  
18 evaluate in all of the proper contexts.

19 MEMBER ARMIJO: You said .5, but the chart  
20 says five.

21 MR. CHOKSHI: Well, yes. The five gpm,  
22 you calculate your break size and the flaw size based  
23 on the certain rate. Okay? Five gpm is used in this  
24 calculation, but the current procedure requires that  
25 if you have a flow liquid of five gpm, your detection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 capability should have a factor of ten safety, safety  
2 factor of ten. So detection to be .5 gpm. Okay?

3 Basically this is a sensitivity study on  
4 two different detection capabilities. So this is the  
5 results from the leak before break. So here is the  
6 summary of the flawed piping. I think to me these two  
7 viewgraphs really are critical. The critical crack  
8 slips are larger than 40 percent for the ten to the  
9 minus five and larger than the 30 percent thickness  
10 for ten to the minus six. So you're talking about  
11 substantial, large flaws. Again, I think to me it  
12 seems to be consistent with what we are seeing.

13 On the LBB flaw size, again, we see in  
14 many cases that the LBB flaw size will be smaller than  
15 the critical, and for the better appreciation of under  
16 what conditions the LBB could be, you know, at least  
17 a viable consideration, we need some sensitivity  
18 studies.

19 Now I am going to move to the indirect  
20 failure, and this is the failure mechanism which PRAs  
21 include. Seismic PRAs traditionally, and I think for  
22 good reasons, have not included piping failure as an  
23 initiator of LOCAs, other than small LOCAs, but some  
24 of the PRAs have included this, and to give an  
25 example, the 1150 study plant, there was a failure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mode where the steam generator support failed, and  
2 what happens is that those sequences occur in very  
3 large earthquakes. They dominate the release  
4 contributions, but they are not dominating the  
5 contributing core damage because you make an  
6 assumption that if I'm going to feel a support of a  
7 steam generator that is going to allow movement, I'm  
8 going to fail containment also at the same time, and  
9 I'm going to have a LOCA which probably is not  
10 possible to mitigate.

11 And so this is the assumption also. The  
12 assumption is that the failure frequency of support is  
13 the same as if we left concealed break.

14 Now, let me now talk a little bit about  
15 the original Livermore study we just conducted in the  
16 early to mid-'80s. They grouped the plants in various  
17 renderings. They are Westinghouse, CE, BMW, and then  
18 they also looked at one BWR plant.

19 They selected the one pilot case, and then  
20 they looked at data across the fleet. They used the  
21 generic hazard curve for east of the Rockies. What we  
22 had to do was to primarily update the hazard  
23 information.

24 Now, we have a plant specific or site  
25 specific hazard information. So that was the major

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modification to the work they did. They had a number  
2 of studies. We selected two cases. One was what was  
3 in the bounding case in their analysis of a  
4 Westinghouse, and another was CE, and I'll show these  
5 in a minute, but in Livermore study they had estimate  
6 of the fragility of the support, and we modified that  
7 to reflect the site specific information.

8 CHAIRMAN SHACK: Now, did you look at  
9 IPEEE-2 to see if those fragilities from the Livermore  
10 study were still -- you know, when people looked at  
11 them presumably at their individual plant they did a  
12 little better job.

13 MR. CHOKSHI: And I think what happened  
14 when IPEEE, that seismic sequences were basically  
15 governed by other failures. So there was little  
16 inside, but when we did the seismic margin  
17 development, we had looked at this, and I think only  
18 two components from the seismic margin you examined  
19 below .5g is the pressurizer support and the vessel  
20 support for the BWRs.

21 Most of the other components are very high  
22 capacity, and the results reflect that. So basically  
23 we completed the failure probability of the support  
24 with the site specific hazard and modification of the  
25 Livermore study.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER:     How detailed is the  
2     calculations involving support fragility for large  
3     components like --

4                   MR. CHOKSHI:    It says --

5                   MEMBER SIEBER:   -- steam generators?

6                   MR. CHOKSHI:    It's fairly significant  
7     because Unit 2, you know --

8                   MEMBER SIEBER:   Not just examination of  
9     the beams, cradles and so forth, you know. My  
10    experience is that bolting is a critical issue in  
11    those large supports.

12                  MR. CHOKSHI:   Right. Yes, we need to look  
13    at a variety of failure modes and see. You know, they  
14    have combined them so that you could arrive at those.

15                  MEMBER SIEBER:   I guess you can draw the  
16    same conclusion about pipe supports. It's the bolts  
17    that fail first.

18                  MR. CHOKSHI:   Yes, yes. And in the Diablo  
19    Canyon PRA, that was the mechanism they included, and  
20    it's more than one support in order to fail a pipe.  
21    You need to fail --

22                  MEMBER SIEBER:   You get a cascading  
23    effect.

24                  MR. CHOKSHI:   Cascading, right. You have  
25    to have at least I think, if I remember right, in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Diablo, we looked at five supports.

2 MEMBER SIEBER: Thank you.

3 MR. CHOKSHI: Now, maybe if I show you the  
4 results from the Livermore regional study, and here  
5 you can see that -- let me concentrate on, let's say,  
6 median values. These are ten to the minus six, ten to  
7 the minus seven order, and what they had on the mean  
8 perspective, this was the lowest capacity plant.  
9 Ninety percent was two times ten to the minus five.

10 Making corrections to the fragility and  
11 using the site specific casuals, two times ten the  
12 minus six. That's so we wanted to compare that, and  
13 when I look at the -- and I believe for the  
14 Westinghouse, the lowest capacity, three time ten to  
15 the minus six. So it was still an order of less than  
16 ten to the minus five.

17 Now, EPRI, as a part of the response to  
18 questions, did some additional calculations using the  
19 EPRI latest hazard coverage, and they examined three  
20 cases, and I'm going to report on the results, but we  
21 haven't reviewed. They're basically the same  
22 approach, modified fragility, but they do add some  
23 additional factors, and their results range from six  
24 times ten to the minus six to five time ten to the  
25 minus eight, and one of them was a BWR. I think five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 times ten to the minus eight was BWR.

2           Anyway, so the bottom line, I think is  
3 that you still are away from the ten to the minus five  
4 type of pressure. So now let me go to the overall  
5 summary of the story.

6           Unflawed piping systems have very -- you  
7 know, seismic frequencies are small. Critical  
8 suppressed floor and through-wall, you know, LBB, you  
9 have to have large flaws to have seismic induced  
10 failures.

11           And then indirect piping failure, the  
12 things we looked at, it still seems like an order of  
13 ten to the minus six per year. So this was the  
14 overall summary.

15           Now, I'm going to switch to the approval  
16 and questions associated, which are included in the  
17 draft code, and responses. The proposed rule  
18 contained extensive discussion. You know, it observed  
19 that the expert elicitation had not included explicit  
20 consideration of seismic induced failure, and here is  
21 a large uncertainty, and there was still a question  
22 whether a plant specific assessment would be required  
23 or not, and there were three specific questions that  
24 were posed. One was to comment on the evaluations of  
25 the study and, you know, if any comment they had on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that; effects on the five-day degradation on seismic  
2 in the LOCA frequencies and, you know, from their own  
3 information; and then also the other one was to  
4 potential policies and options to address this issue  
5 other than what, you know, we have put forth.

6 The comments primarily were from the  
7 industry, and I'll summarize quickly. Basically they  
8 had no really comments on the study itself. They said  
9 we agree with the study's findings and that TBS is not  
10 adversely affected from the seismic consideration.

11 And I'll go to the next slide.

12 This is important. This data risk or the  
13 change in the risk due to seismic is considered low,  
14 and our basic argument was that components in the  
15 piping in the primary loop and supports generally have  
16 a much large capability or capacity. It's a lower  
17 fragility compared to the rest of the plant, and so  
18 the risk is general dominated by the other previous  
19 scenarios, and so the seismic to be that.

20 And then I mentioned within that failure,  
21 EPRI gave us additional resource which we'll have to  
22 look at, and then their bottom line conclusion was  
23 that plant specific assessment cannot be required.

24 This is now my last slide. I think moving  
25 forward we have an ACRS recommendation. There is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SRM requirement, and to address this issue we need to  
2 consider a number of things before we you know.

3 First, I think we need to look at the  
4 response to questions, and I think my three bullets  
5 actually. The next two of those, one of the response  
6 only.

7 Changing the risk, I think probably that's  
8 important, that we fully understand that.

9 One of the important, I think,  
10 considerations will be from Commission SRM and ACRS  
11 recommendations, how this will get -- addresses the  
12 defense-in-depth and mitigation recommendations.  
13 Because that will have an effect on any of the risks  
14 under any risks.

15 We need to understand fully whether the  
16 seismic -- is that under what conditions the seismic  
17 risk could be affected, and I think it is my -- this  
18 is mine now -- that if the seismic risk comes from the  
19 structure type failures, unless plant modifications  
20 are made.

21 Now, what the rule and mitigation plays  
22 and nonseismic failure plays, we need to look at and  
23 we need to better understand what we do here, but I  
24 think unless, you know, there is a significant change  
25 to the supports or something, I think I -- and then --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I didn't get that.

2 MEMBER CORRADINI: We don't understand  
3 you. I 'm trying to understand you.

4 MEMBER APOSTOLAKIS: Your conclusion you  
5 don't state.

6 MR. CHOKSHI: Okay.

7 MEMBER APOSTOLAKIS: Unless -- keep going.

8 MR. CHOKSHI: Okay. What I was trying to  
9 say, that unless somebody modifies the supports or  
10 something, unless there are physical changes to the  
11 seismic capacities are less. You know, I don't see  
12 that occurring, you know.

13 Now, there may be a system and operating  
14 condition changes which we have to evaluate after we  
15 understand what defense-in-depth and mitigation.

16 Structural changes I think is, you know,  
17 somebody's postulating. Then it will have an impact  
18 on seismic risk.

19 And then finally also I think, you know,  
20 this has to be reviewed to understand what the  
21 Commission has asked that we develop guidance on the  
22 issue of applicability of 1829, and I think to me this  
23 has some of the things which we may think  
24 independently in the seismic, you know, some of the  
25 regulatory considerations and things like that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So at this point I think we have to wait  
2           and see how these things go before we make the  
3           decisions or, you know, how do we deal with these  
4           issues. So that's the end of my presentation.

5           VICE CHAIRMAN BONACA: Yeah, I repeat what  
6           I said during the subcommittee. You know, I would  
7           like to see sensitivity of the results that you are  
8           presenting to that multiplier you used to eliminate  
9           the excess conservatism, as they call it, associated  
10          with the design stresses.

11          I agree that we have to use a reduction,  
12          and I'm not proposing that you would use the design  
13          values, but that's a significant multiplier. I mean  
14          you are using a .6 or something like that if I  
15          remember now that was in the report, and I would like  
16          to understand the sensitivity and its conclusions to  
17          that multiplier.

18          MR. CHOKSHI: I think it's a good -- you  
19          know,, and what drove us to the looking, also the ten  
20          to the minus six, you know, a number of things, what  
21          happens with automatic hazards, what happens in the  
22          seismic stresses, you know.

23          It does not answer fully the question I  
24          think you asked, but --

25          VICE CHAIRMAN BONACA: Well, I mean, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 made the point that, you know, you cannot tolerate the  
2 design values. They're excessive.

3 MR. CHOKSHI: Right.

4 VICE CHAIRMAN BONACA: So there is some  
5 place between the design value and the reduced value,  
6 and the approach you're using to scale it down seems  
7 to be pretty empirical. I mean, it just --

8 MR. CHOKSHI: I think maybe the one thing  
9 I didn't mention, I think I agree with you, but there  
10 are a number of factors one can consider, and we  
11 basically selected adjustment of the seismic spaces  
12 using the concentrator on the site specific hazard  
13 information.

14 We were, I would say, considerably biased  
15 in that selection. We did not use all of the factors,  
16 but you are right. It was qualitative, but we could  
17 have examined it quantitatively.

18 VICE CHAIRMAN BONACA: Yeah, to get a  
19 sense again of the sensitivity, what is the margin it  
20 should have and --

21 MR. CHOKSHI: Absolutely, we can do that.  
22 Thank you.

23 MEMBER APOSTOLAKIS: We were also told at  
24 the subcommittee, a member of NRR, that this rule, the  
25 priority of this rule has been reduced, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOKSHI: Well, then you have person.

2 MR. DUDLEY: Yes. When the Commission  
3 reviewed the staff's paper that addressed the ACRS  
4 recommendations, the Commission agreed with the  
5 staff's recommendation that the priority of this rule  
6 should be reduced from a high priority rule to a  
7 medium priority rule.

8 So we are proceeding forward with a rule,  
9 but on a little slower basis and our next due date is  
10 to provide a schedule to the Commission for completing  
11 this rule, and the schedule is due by March 31st,  
12 2008.

13 MEMBER APOSTOLAKIS: At the subcommittee  
14 you told us that the reason or one of the reasons, I  
15 guess is that there are insignificant safety benefits  
16 of this rule, but the benefits really are negativities  
17 because they won't be able to raise the power. Is  
18 that a correct statement of what you said?

19 MR. DUDLEY: Well, that was the ACRS,  
20 included in the ACRS' letter. The staff pretty much  
21 agreed with that, and that was included in the  
22 Commission paper.

23 MEMBER APOSTOLAKIS: But isn't part of  
24 risk informing the regulations to remove unnecessary  
25 regulatory burden?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUDLEY: Yes, it is.

2 MEMBER APOSTOLAKIS: And wouldn't this  
3 rule remove such burden?

4 I mean we are not looking for safety  
5 benefits that haven't been risk informed.

6 MR. COLLINS: This is Tim Collins of the  
7 staff.

8 We agree with that, and that's why I think  
9 the rule was not killed as a whole.

10 MEMBER APOSTOLAKIS: Oh, okay.

11 MR. COLLINS: I mean, it was initially  
12 considered high priority because of the potential for  
13 safety benefits. That's got its high priority. Now,  
14 when we seem to come to the realization that there  
15 wasn't a whole lot necessarily there, then its  
16 priority got reduced to medium because there was still  
17 the potential for reducing unnecessary burden.

18 MEMBER APOSTOLAKIS: Yeah, that's helpful.

19 MEMBER ARMIJO: If I recall, some of the  
20 industry people were negative because the transition  
21 break size values were too high and implied that they  
22 wouldn't use a rule or they didn't expect too many  
23 people to want to use that rule. Is that still the  
24 case?

25 MEMBER SIEBER: It doesn't make any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difference.

2 MR. COLLINS: Well, I think the industry  
3 folks are here. Maybe they could answer that for  
4 themselves. I think that's still true.

5 MR. DUDLEY: Right. We haven't heard any  
6 indication from industry.

7 MEMBER ARMIJO: So the priority, it's not  
8 high priority for the Commission for safety benefit,  
9 and it's not much value to the industry. I think it's  
10 a good study, but I think the medium of priority for  
11 pursuing it is probably the right thing to do or even  
12 less.

13 MEMBER MAYNARD: I think the value to the  
14 industry or to a reduction in burden depends on what  
15 the form of the final rule comes out to be. What are  
16 the transition break sizes and what are the mitigating  
17 requirements?

18 I think it's something that can be of  
19 benefit and a reduction, or it can be something that  
20 provides really no benefit or no reduction, depending  
21 on really those two primary things, transition break  
22 size and what's required for mitigation.

23 MEMBER SIEBER: Well, it allows more  
24 realistic calculations in 5046 space, and to me that's  
25 a significant benefit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: So if it's of medium  
2 priority, that means when are we going to see you  
3 again.

4 MR. DUDLEY: I guess it will depend on the  
5 schedule that we provide to the Commission on March  
6 31st.

7 MEMBER APOSTOLAKIS: Okay. Your schedule.

8 MR. DUDLEY: That's correct, and some of  
9 that depends on the work that you're hearing today.  
10 So we really can't provide you a schedule at this  
11 point in time.

12 CHAIRMAN SHACK: Nilesh, did you think of  
13 asking the NDE people for what they think the  
14 detectable crack size. You know, you've given me ASME  
15 code limits. You know, that's wonderful. I can't  
16 find a ten percent crack very reliably.

17 MR. CHOKSHI: I'm looking, but what I can  
18 tell you is that there was extensive discussion about  
19 that issue.

20 CHAIRMAN SHACK: I would expect there  
21 would be.

22 MR. CHOKSHI: And a number of people,  
23 including NRR resources. The best way to summarize is  
24 that we were starting basically can we put it, say,  
25 probability of detection, dealing directly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: And so what you're really  
2 relying on is the probability that you're not going to  
3 have a 30 or 40 percent deep, long crack, which, you  
4 know, is pretty small.

5 MR. CHOKSHI: Implicitly I think that's  
6 why I think it's a good way to present this  
7 information, so people think about those factors. You  
8 know, what's the probability of having this size? How  
9 will it grow into the service, you know. So I think  
10 to me it brings the focus.

11 We were trying not to draw conclusions  
12 because it's hard to come to without any kind of  
13 probability.

14 CHAIRMAN SHACK: You still have to make  
15 that judgment on how likely those cracks are.

16 MR. CHOKSHI: And the report says that,  
17 you know, that given this, you know, that's why we  
18 looked at ten to the minus five but actual probability  
19 of failures, you know, but if you consider all of  
20 these factors, you know, it's obviously small.

21 MEMBER SIEBER: I think there's some  
22 comfort if you take something like centrifugally cast,  
23 austenitic stainless steels, it's pretty hard to find;  
24 it's not as easy to find flaws in that as other --

25 CHAIRMAN SHACK: That's a mild statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: It's not a curiosity. On  
2 the other hand, for the large pipes made of that  
3 material, it usually before a break, which tells us  
4 you something, too, and so I don't think that we are  
5 left without assurance.

6                   CHAIRMAN SHACK: Oh, no, no, no. Those  
7 are big cracks under any circumstance.

8                   MEMBER SIEBER: Absolutely. Well, this is  
9 what you want to avoid.

10                  MR. CHOKSHI: And I think then there are  
11 many recent studies will even look in a few more  
12 insights into what's more likely, but when we were  
13 doing it, I think, this was to present the information  
14 so people can make an informed judgment.

15                  MR. TREGONING: This is Rob Tregoning from  
16 staff.

17                  I would almost view those as a  
18 demonstration requirement. They tell you the  
19 performance that you have to have and then it would be  
20 up to maybe the reg. guide or even licensees that want  
21 to use 5046 to provide some sort of demonstration that  
22 their piping will meet that performance. It's not  
23 flawed, you know.

24                  CHAIRMAN SHACK: But I think they're going  
25 to have to make that argument not on NDE, but on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fact that they have water chemistry and materials that  
2 are not suspectable to this kind of --

3 MR. TREGONING: Well, there are a variety  
4 of ways that you can make that argument.

5 CHAIRMAN SHACK: But I agree. They have  
6 to make that.

7 MR. TREGONING: NDE is a piece of it, but  
8 I would agree that you probably don't want to --  
9 that's not your sole argument.

10 CHAIRMAN SHACK: I keep losing my argument  
11 that you actually have to demonstrate leak before  
12 break for these piping systems before you can take  
13 credit, but I still think that's a good idea.

14 MR. CHOKSHI: But to me I think for a risk  
15 informed rule, this is really a key question, and we  
16 need to understand the potential changes and will they  
17 have an effect on seismic risk.

18 Seismic risk is different than anything  
19 else and its common cause effects and are you really  
20 affecting this, you know? It may be dominated by some  
21 other things, and may not have a really -- you know,  
22 the redundance doesn't have the same effect from a  
23 mitigation point of view of difference in depth point  
24 of view on the seismic. If you put tow identical  
25 systems it doesn't buy you much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we, I think, need to ultimately be able  
2 to answer this question, you know.

3           MEMBER APOSTOLAKIS: Any other comments or  
4 questions from the members?

5           (No response.)

6           MEMBER APOSTOLAKIS: Well, thank you very  
7 much.

8           MR. CHOKSHI: Thank you. Thanks, Gery.  
9 I hope he's there.

10          MR. WILKOWSKI: Yeah, I'm here.

11          (Laughter.)

12          MEMBER APOSTOLAKIS: And, Mr. Chairman, 25  
13 minutes early.

14          CHAIRMAN SHACK: Twenty-five minutes  
15 early, George.

16          MEMBER APOSTOLAKIS: I want to use that up  
17 in future meetings.

18          CHAIRMAN SHACK: A credit.

19          MEMBER SIEBER: Eliminate one of them.

20          CHAIRMAN SHACK: I think we will take a  
21 break now until 10:45.

22          (Whereupon, the foregoing matter went off  
23 the record at 10:05 a.m. and went back on  
24 the record at 10:46 a.m.)

25          CHAIRMAN SHACK: It's time to come back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into session.

2 Our next topic will be on the AREVA  
3 Enhanced Option III long-term stability solution, a  
4 topical report, and Said will be leading us through  
5 that.

6 MEMBER ABDEL-KHALIK: Thank you, Mr.  
7 Chairman.

8 The Thermal Hydraulics Subcommittee held  
9 a meeting on November 14 to review AREVA's detect and  
10 suppress stability solution and methodology. We heard  
11 presentation by AREVA and the staff regarding two  
12 licensing topical reports, ANP-262P, Rev. 0, entitled  
13 "Enhanced Option III, Long-term Stability Solution,"  
14 and BAW-10255P, Rev. 2, entitled "Cycle Specific DIVOM  
15 Methodology Using the RAMONA5 Code."

16 Subsequent to the subcommittee meeting,  
17 the staff issued revised draft safety evaluation  
18 reports on November 27th.

19 At this time we will hear presentations by  
20 AREVA and the staff. Parts of this presentation will  
21 be closed because of the proprietary nature of the  
22 material to be presented, and at this time I'd like to  
23 call on Dr. Tai Huang of the NRC staff to begin the  
24 presentation.

25 MR. CRANSTON: Let me interject just

1 quickly. My name is Greg Cranston, Reactor Systems  
2 Branch Chief.

3 Before we introduce Tai, I also want to  
4 point out that Jose March-Leuba from Oak Ridge  
5 National Laboratory also participated in preparing  
6 this, is unable to attend today, and Dr. Tai Huang  
7 will be making the presentation.

8 Thank you.

9 DR. HUANG: Okay. I'm Tai Huang from  
10 Reactor System Branch, and I'm the original reviewer,  
11 technical reviewer for the AREVA BWR Owners' Group  
12 long-term stability solution, including ATWS LOOP and  
13 instability, and like today the Chairman says that we  
14 have two topic reports, and these regarded to  
15 stability. One is Enhanced Option III and second  
16 would be the cycle-specific DIVOM methodology using  
17 RAMONA5-FA code. These two topical reports are really  
18 interrelated, to support each other.

19 And as you see today, because the industry  
20 demand on that extended operating domain, so you see  
21 these three because of this demand for this extended  
22 operating domain which pose new challenges to  
23 stability as shown in this power flow map there. In  
24 this, back in the old day, we starting with the  
25 original licensing thermal power, and now into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MELLLA EPU condition, and beyond that, they have a  
2 MELLLA+ region here because this stability boundary  
3 over here, and during that, the two pump trip  
4 situation, either here or they end up at these  
5 endpoints. In this region it would be up there, and  
6 this would be much thicker beyond this stability  
7 boundary region.

8           So that instability, why they post these,  
9 the new kind of instability, as you see in this power  
10 flow map, and then what to do then. You know, the  
11 staff and industry has developed and reviewed, and  
12 under this committee approved that they are generic  
13 solution for the BWR Owners" Group solution and to  
14 handle this region, and then after review, extended  
15 good up to the region here they're called BW owners  
16 group long-term stability solutions.

17           However, in this region there are two  
18 measure authority. One of them has been approved.  
19 The other one is today's, the under committee review.  
20 So you see this is a BW owners group approved  
21 solution right there, that neither Document 319608,  
22 and give us all kind of solution.

23           There are three options, E1A, 1B and  
24 Option 2 and 3, and these are approved and documented  
25 in this document there or the U.S. BWR reactors have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 implemented one of these solutions depend on their  
2 need today.

3 And now because, like in the previous  
4 slides there to handle the MELLLA region, there are  
5 two methodologies. It's under review, and one of  
6 them, GE DSS detect-suppress solution, density has  
7 been reviewed and approved for MELLLA+, and today one  
8 of their topical reports on AREVA, they're called EO-  
9 III, under review right now.

10 So what is what they call EO-III and what  
11 is difference between EO-III and enhanced Option III,  
12 and as you see previously, the owners group provision,  
13 they have an Option III. So the difference would be  
14 still keep the Option III features and plus some are  
15 different from AREVA so that they become enhanced  
16 Option III.

17 So enhanced Option III really is an  
18 evolutionary step, rely on existing methodology and  
19 hardware for Solution III and what the difference is  
20 that EO-III introduced measures for addressing the  
21 review of stability associated with extended flow in  
22 all conditions and the higher probability of single  
23 channel hydraulic instability excitation.

24 So the enhanced Option III have this kind  
25 of features over there. So the new element to use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enhancement to existing Option III solutions are such  
2 as they introduced, introduction of a calculated  
3 exclusion region on the power flow mat designed to  
4 preclude single channel instability.

5 Also, they have a calculation procedure,  
6 how to do it. So this is different from the regular  
7 Option III.

8 Yes.

9 MEMBER CORRADINI: Can you show us on the  
10 diagram where the exclusion region is?

11 DR. HUANG: Okay. That would be in the  
12 closed session.

13 MEMBER CORRADINI: Okay.

14 CHAIRMAN SHACK: Can you show us on the  
15 cartoon though?

16 DR. HUANG: You want to show on cartoon?

17 CHAIRMAN SHACK: Yeah. I think that's all  
18 he's asking.

19 MEMBER APOSTOLAKIS: Two slides back,  
20 three slides back.

21 DR. HUANG: This one?

22 MEMBER APOSTOLAKIS: Yeah.

23 DR. HUANG: Basically I would say most  
24 likely similar with this concept, but the detail be in  
25 the process, you know, to show you one the slides.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: I think we just need to  
2 deal with this in the closed session.

3 MEMBER CORRADINI: Okay. Thank you.

4 DR. HUANG: Okay. So now because you have  
5 EO-III and you have to have the way to apply it, EO-  
6 III, so they need something they call Option III. If  
7 you're aware of the Option III, they have OPRM system  
8 using the OPRM input to get the set point. So they  
9 need a DIVOM curve.

10 So the second topical cycle specific DIVOM  
11 methodology from AREVA, and this time on curve really  
12 is a relationship between the hot bundle relative  
13 oxidation magnitude and the limiting fractional change  
14 in critical power ratio, and this is really a document  
15 in BW owners group solution, Needle 32465 document,  
16 and details go in there.

17 And our review will be a trace, you know,  
18 like capability of the RAMONA5-FA system core to model  
19 neutron oxidation of the regional mode pipe and also  
20 that range of input data defined that set points  
21 within the reload cycle for which diamond curve is  
22 generated, and to the end they have to summarize what  
23 is the result of these calculations and come out with  
24 a time on curve. So that would be, you know, the  
25 start review coverage area for that time on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodology.

2 And our conclusion under EO-III, we said  
3 EO-III is an acceptable authority to detect and  
4 suppress oscillation should they occur, which means a  
5 DVC-12 design criteria, design criteria 12. So the  
6 EO-III solution features provide protection up to and  
7 including the end of MELLLA conditions. The detail  
8 will be included in cross-section.

9 Now, let's go into the conclusion for the  
10 time on curve. The time on category called there,  
11 this is AREVA mass authority, is consistent with  
12 previous approved BWR owners" group mass authority  
13 document in Needle 32465 document.

14 RAMONA5 is an integral part of AREVA time  
15 on methodology, and they're using RAMONA5 and the  
16 staff review, and RAMONA5 is capable computing power  
17 flow and void oxidation with consistent phase lag and  
18 of a frequency that presented the unstable oxidations,  
19 and they can estimate the loss of critical power radio  
20 induced by this oxidation, and also AREVA has commit  
21 to support the staff review of RAMONA5-FA for time on  
22 calculation, and on top of this because the staff only  
23 make these limited reviews for this limiting  
24 application for time on calculation, the detailed  
25 review will be filed in the future.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And because this, so there is staff in the  
2 SER that has revised. They say RAMONA5-FA limitation  
3 there. The first was in the MELLLA+ region, if you  
4 want to apply this mass authority. One condition is  
5 the application of RAMONA5-FA to calculate time on  
6 curve under extended flow window operating domain,  
7 such as MELLLA+, it restricted true stability  
8 solution, having a scram protected exclusion region  
9 that substantially reduced the potential severity of  
10 power oxidation and why they have relieved that one  
11 there. In the cross-section we have a curve which  
12 shows that region always protected, you know.

13           And also, there's a penalty of ten percent  
14 must be added to time on slope calculated by RAMONA5-  
15 FA for extended flow window operating domains, and  
16 this penalty is equivalent to penalty of ten percent  
17 added to calculated relative CPR response for even  
18 power oxidation magnitude, which means that they put  
19 more margin there. You cannot rely on this, you know.  
20 The endpoint would be the calculation of whether your  
21 final MCPR compared to the stability limit. So  
22 there's penalty like equivalent to about close to ten  
23 percent because here is, say, from here and ten  
24 percent on top of that calculated there, and you put  
25 the same oxidation magnitude. You come out with CPR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over initial MCPR. So there's a penalty over there  
2 and ten percent would be penalized for that.

3 Then, you know, like a reason for this  
4 being important is because today's power operation,  
5 you need a higher radio power peaking. Also, your  
6 power flow ratio is higher. So that means in the  
7 MELLLA+ region you're exposed to this and start really  
8 quicker and then the probability is higher. So that's  
9 why, you know, start will be review these and fit  
10 these.

11 If they want to get this ten percent  
12 penalty out, you have to review this line by line for  
13 the core.

14 MEMBER ABDEL-KHALIK: I'd like to point  
15 out that these two conditions were imposed by the  
16 staff after the subcommittee meeting on November 14th.  
17 So these were two new conditions that were included in  
18 the revised safety evaluation report that was issued  
19 on November 27th.

20 MEMBER SIEBER: Let me ask a question.

21 MEMBER ABDEL-KHALIK: Yes.

22 MEMBER SIEBER: Has RAMONA5-FA been  
23 approved by the staff on its own merit as opposed to  
24 in conjunction with this application?

25 DR. HUANG: Actually staff haven't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approved this. However, in that application portion  
2 of the staff review, we review some of this, but not  
3 fully review for this RAMONA5-FA.

4 MEMBER SIEBER: Okay. So RAMONA5-FA just  
5 as a computer code has not been staff approved.

6 DR. HUANG: Yes.

7 MEMBER SIEBER: And when you use RAMONA5-  
8 FA for this application without that blanket approval,  
9 what alternate methods did the staff want to assure us  
10 and everyone else that RAMONA5 will give reasonably  
11 accurate results?

12 DR. HUANG: Oh, okay. Ask staff.

13 MEMBER SIEBER: You don't have a code that  
14 will do that as far as I know.

15 DR. HUANG: Yes. Staff really looked at  
16 the RAMONA5A, what it can do for this limited use for  
17 the time on calculation, is try to learn that where  
18 the time on -- RAMONA5A, they can confirm that  
19 oxidation, you know, to that extent. Also they can  
20 confirm what the loads of CPR are, you know, how  
21 they're protected within the range of the uncertainty  
22 there. So staff looked at that and see this can  
23 perform this limited application up to the MELLLA  
24 region, not MELLLA+, yeah.

25 MEMBER SIEBER: Now, the restrictions that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff has recently proposed, ten percent and so  
2 forth, I take it somewhere along the line you're going  
3 to explain how those penalties somehow are related to  
4 the use of RAMONA5 and why that penalty is good enough  
5 to say that stability can be detected and suppressed.

6 DR. HUANG: AREVA can support this one.  
7 The staff looked at proposed idea. They say five  
8 percent, for example, at beginning, and we say, well,  
9 this five percent penalty probably not good enough,  
10 and then we say, well, twice this five percent -- if  
11 we draw that line from that generic time on curve  
12 slope, it's about .05 slope.

13 Now, we say ten percent penalize that one.  
14 We see about .5. You know, it's ten percent. If .5  
15 sit up over there, equivalent to about ten percent of  
16 energy released and ten percent of CPR margin you  
17 lose. That's a lot of penalty. You know, you look at  
18 and you compare that initial MCPR versus later CPR to  
19 come out with the set limit. It's kind of a big  
20 penalty from this operation.

21 So staff say, well, ten percent should  
22 cover these conditions.

23 MEMBER SIEBER: I presume that some place  
24 in the presentation you will elaborate on that.

25 DR. HUANG: Yes.



1 MEMBER SIEBER: Because it looks to me  
2 like there's some pulling of numbers out of the air  
3 and saying we don't think this is good enough, but  
4 there is no basis. But this ought to be okay.

5 DR. HUANG: Yes.

6 MEMBER SIEBER: And that may be because of  
7 my lack of full understanding. On the other hand,  
8 that's the way it appears.

9 DR. HUANG: Yeah, okay. I will think  
10 about --

11 MEMBER ABDEL-KHALIK: This remains as a  
12 major concern inasmuch as it appears to be -- you  
13 know, the adequacy of this penalty has not been fully  
14 justified and/or documented, and hopefully we'll hear  
15 some information as to why this gives us adequate  
16 assurance that this is okay until the staff completes  
17 its review of RAMONA5-FA.

18 MEMBER SIEBER: Well, the staff doesn't  
19 have the analytical tools to do that right now I don't  
20 think.

21 MEMBER ABDEL-KHALIK: You know, we would  
22 like to wait and hear what they have to say as to  
23 justification for the adequacy for such a penalty.

24 MEMBER ARMIJO: But in effect, if this  
25 goes through, this would be a limited approval of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code with some penalties that we get to determine  
2 whether it's justified, which seems to be a little bit  
3 backwards. It seems like you're going to approve the  
4 entire code and then address its applicability to  
5 different problems. We're doing it backwards.

6 MEMBER SIEBER: The problem you've solved  
7 now in the total review has to wait until additional  
8 analytical tools are available.

9 DR. HUANG: Yeah, we're taking into  
10 consideration it's ten percent penalty equivalent to  
11 MCP and they say .02, .01, some kind of number like  
12 that. So we justify why this ten percent is, you  
13 know.

14 MEMBER ABDEL-KHALIK: We'll probably get  
15 more information in the closed session. So perhaps  
16 what we ought to do is just move on with the  
17 presentation.

18 Thank you, Dr. Huang.

19 At this time we'd like to move on to the  
20 AREVA open part of the presentation before we get to  
21 the closed session.

22 (Pause in proceedings.)

23 MEMBER ABDEL-KHALIK: Let's proceed with  
24 the hard copies until visual aids are returned.

25 MEMBER ARMIJO: We're working off of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for this session?

2 MEMBER ABDEL-KHALIK: Yes.

3 MR. FARAWILA: And I will be giving you  
4 the slide numbers.

5 MEMBER APOSTOLAKIS: Sure. We can manage  
6 that.

7 (Laughter.)

8 MEMBER APOSTOLAKIS: Well, you know, it's  
9 single digits.

10 DR. FARAWILA: Okay. Chairman, members of  
11 the ACRS Committee, my name is Yousef Farawila. I  
12 will be presenting an overview of AREVA's Enhanced  
13 Option III long-term stability solution and associated  
14 DIVOM methodology using RAMONA5-FA.

15 Slide 3.

16 Just a quick road map of the presentation.  
17 First, I present a quick overview of the original  
18 Option III detect and suppress solution and talk about  
19 Part 21 report against it and the recovery from the  
20 Part 21 both in the short term and in the long term.

21 And after that in closed session we will  
22 present enhanced Option III solution, which depends on  
23 excluding single channel hydraulic instability, and we  
24 will also mention the codes and methods that support  
25 that option, and then welcome your questions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In page 4, you will see a sketch  
2 summarizing the original Option III, which is detect  
3 and suppress solutions. So if you look to your left  
4 where the core sketch is, you will see a closely  
5 spaced LPRM strings and signals coming from them at  
6 different elevations.

7           MEMBER APOSTOLAKIS: LPRM, OPRM? I don't  
8 know.

9           DR. FARAWILA: Oh, OPR, local power range  
10 monitors.

11          MEMBER APOSTOLAKIS: Say it again.

12          DR. FARAWILA: Local power range monitors,  
13 LPRMs. They are closely spaced so that they can  
14 detect regional oscillations, not only core-wide, and  
15 for the sake of redundancy, you have several of these  
16 composite signals, and for each one of them, you  
17 collect signals from different LPRM elevations.

18               When you sum them up, you get a signal  
19 that is called OPRM for oscillation power range  
20 monitor. That signal can be oscillatory, noisy, and  
21 before you process it first, it is filtered to remove  
22 high frequency noise, and it's also normalized. And  
23 the filtered and normalized signal goes to a period  
24 based detection algorithm, the PBDA.

25               The function of the period based detection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 algorithm is to examine the periodicity of the signal.  
2 If the periodicity is confirmed by having several  
3 successive periods within a tolerance range, then you  
4 suspect that you have an oscillation and you want to  
5 examine the amplitude of that oscillation against a  
6 preset set point.

7 If that is the case, if passed that test  
8 as well, that means you will get a trip signal. There  
9 is a trip logic that requires more than one trip  
10 signal order to actually scram and protect the  
11 reactor.

12 Next page.

13 MEMBER CORRADINI: Let me make sure I  
14 understand. And then not only is it the amplitude,  
15 but the number of times it crosses, right? You look  
16 for a number, not just --

17 DR. FARAWILA: Okay. I have two tests  
18 here. One is the periodicity, and so you see a number  
19 of confirmations. It could be 12. It could be --

20 MEMBER CORRADINI: That's where the N is.

21 DR. FARAWILA: Right.

22 MEMBER CORRADINI: Okay.

23 DR. FARAWILA: The second one is an  
24 amplitude, not periodicity.

25 MEMBER CORRADINI: Don't worry. You're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fine.

2 (Laughter.)

3 DR. FARAWILA: A big effort making this  
4 part.

5 (Laughter.)

6 MEMBER CORRADINI: Easier to see than the  
7 fancy new ones.

8 DR. FARAWILA: Okay. Next page.

9 All right. Because the system is designed  
10 to suppress the oscillation to protect the CPR safety  
11 limit, so inherently there is required a relationship  
12 between that oscillation and the CPR response. That  
13 relationship is called the DIVOM curve. It is based  
14 on time domain code calculation of a regional mode  
15 oscillation and the output is closest -- for each  
16 oscillation you get the relative oscillation  
17 magnitude, and you see the corresponding loss of CPR  
18 margin, and you plug these against each other to  
19 generate a DIVOM curve.

20 Originally, in the original Option III,  
21 that DIVOM curve is generic. It's calculated once,  
22 and it covers all plans and all cycles and all field  
23 designs.

24 Next slide.

25 We come to mention, as the agenda

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requires, the Part 21 report against the Option III  
2 solution and how it was resolved. General Electric  
3 filed for a Part 21 report in August of 2001, which  
4 states that the generic DIVOM curve is not always  
5 conservative, and not conservative meaning higher than  
6 stated CPR response, which is equivalent to saying  
7 that it has higher DIVOM slope.

8 And that condition occurs at high radial  
9 peaking or high power-to-flow ratio, and the change  
10 was not always in the smallest steps. It can be  
11 sometimes rather high, up to probably doubling the  
12 generic value.

13 The way this issue was resolved in the  
14 short term was through the BWR owners group collective  
15 efforts and the procedure was revised in order to  
16 prescribe cycle specific DIVOM calculations. So with  
17 DIVOM being cycle specific, if such higher slopes are  
18 present, they would be taken into account.

19 However, this short solution was not good  
20 enough for most severe conditions that could be  
21 expected from MELLLA+ and also the accounting for much  
22 higher DIVOM slopes would result in low setpoints,  
23 which makes the system more susceptible to noise, and  
24 you have a probability of spurious scrams. That's a  
25 very undesirable thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So in the long term, a solution that takes  
2 care of this DIVOM problems that's not susceptible to  
3 it would be also applicable to MELLLA+. So if we  
4 focus on application to MELLLA+, it automatically  
5 covers the other operating regimes that are minor in  
6 comparison.

7           AREVA's long-term stability solution is  
8 enhanced Option III. I will just give you a quick  
9 example of what a well-behaved DIVOM curve is. You  
10 see it's fairly linear and very well defined slope.  
11 This one we calculated with RAMONA5-FA. We wanted to  
12 examine what is that elevated slope DIVOM curve.  
13 We'll go in closed session very shortly.

14           So if you want to look at the other side,  
15 the ill behaved ones, you probably want to borrow  
16 progressing by focus from your neighbor. Then you  
17 will see like on the next page, you will see how a not  
18 well defined DIVOM curve could look like, and in the  
19 next two or three viewgraphs we are looking at the  
20 same exact reactor state. Just we changed the initial  
21 perturbation to show you that the calculated DIVOM may  
22 not just simply have a sometimes higher slope, but  
23 it's not really that well defined.

24           Can we show the next one? Another one,  
25 another one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Okay.    So you could see there that  
2   DIVOM -- last time when we were here addressing the  
3   subcommittee we presented something similar with a  
4   reduced order model.  This one we are actually showing  
5   the RAMONA calculations.  The rest of the presentation  
6   should we go to the closed session.

7           MEMBER ABDEL-KHALIK:   Okay.   For the  
8   reporter, we are now switching to a closed session.

9           (Whereupon, the foregoing matter went off  
10   the record at 11:23 a.m. to reconvene in  
11   closed session and went back on the  
12   record at 1:15 p.m. in open session.)

13          CHAIRMAN SHACK:   We can come back into  
14   session.  Our next topic is the State-of-the-Art  
15   Reactor Consequence Analysis, the SOARCA project.  We  
16   met with the staff in a subcommittee meeting and  
17   discussed, essentially, their approach to the problem,  
18   and some preliminary results that they'd received.  
19   And they're now going to update the Full Committee on  
20   the process, and their current status.

21          MR. PRATO:   My Division Director will open  
22   up.  Farouk.

23          MR. ELTAWILA:   Good morning.  I have a  
24   slight cold.  I got it from Bill Shack, that he  
25   invited us to Oregon, and just blasted us with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 winds over there that we could not survive.

2 As you know, the State-of-the-Art  
3 Consequence Analysis, I'm going to call it SOARCA for  
4 brevity from now on, is a voluntary effort, so we have  
5 to rely on the involvement of the industry. So I  
6 would like to start by thanking Surry and Peach Bottom  
7 for their cooperation, and providing us with the  
8 information that enabled us to do this analysis.

9 We met with the ACRS in the summer of  
10 2006, and we met with the Subcommittee last week. And  
11 we have completed the baseline calculation for both  
12 Surry and Peach Bottom.

13 We started the SOARCA, because as you are  
14 aware, that has been the -- the Sandia Siting Study  
15 has been called into a different arena, and people are  
16 using it out of context, so we decided to do this  
17 analysis to try to update and replace the Sandia  
18 Siting Study. And we were motivated by a lot of  
19 things, among them, improvement in plant operation and  
20 maintenance; all the accomplishment that has been  
21 gained, or the insight that has been gained over the  
22 past 20 years from severe accident research, and  
23 additional regulatory requirement that was either  
24 imposed by NRC, or voluntarily implemented by the  
25 utility that improved plant operation and performance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If you look at all the study, you find  
2           that there were many driven, particularly the early  
3           fatality, mainly driven by scenario that lead into  
4           early containment failure. And if you look at our  
5           history of dealing with this issue, we have resolved  
6           the main two or three issues that deal with early  
7           containment failure for pressurized water reactor  
8           containment heating. We're concluding that's a very  
9           low probability. Alpha mode failure, we concluded  
10          that is low probability, and physically impossible.  
11          So if you look at it from a phenomenological point of  
12          view, we have eliminated all the early containment  
13          failure. By that, that by itself, you can conclude  
14          that there will be no early fatalities, because there  
15          are enough time to allow for the evacuation and  
16          implement emergency preparedness. So we are --  
17          although, the analysis, we are still doing the  
18          sensitivity analysis right now, we're confident that  
19          the result at the end, there will be no early  
20          fatalities. And I venture to say that even for latent  
21          cancer fatality, the result will be significantly  
22          improved over previous analysis.

23                        With that, I would like to ask Bob Prato  
24                        to start the discussion. Thank you.

25                        MR. PRATO: Good afternoon. I'm Bob

1 Prato. I'm the Program Manager for SOARCA, and I want  
2 to thank you for this opportunity. As Farouk  
3 mentioned, the last time we were in front of the Full  
4 Committee was more than a year ago, and a lot of work  
5 has been accomplished over this past year and a half.  
6 And the team is looking forward to your feedback.

7 As we discussed with the Subcommittee we  
8 are basically going to be covering process. But as  
9 requested by the Subcommittee, we do have a  
10 demonstration, a high-level demonstration of a  
11 sequence that we began the SOARCA process with,  
12 exercising the process itself.

13 If you turn to the agenda, we're going to  
14 start with a project overview, and one of the slides  
15 for the project overview is a full diagram of the  
16 process, and we're going to get into great detail for  
17 each one of the boxes in that flow diagram. So we're  
18 going to cover accident sequence selection,  
19 containment system states, mitigative measures,  
20 MELCOR, MACCS2, emergency preparedness, and peer  
21 review in relatively good detail, hopefully to give  
22 the Full Committee an understanding of the SOARCA  
23 process, itself. And then we're going to cover a  
24 sample sequence, and we're going to update you on the  
25 status of reporting latent cancer fatalities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The SOARCA objective; it's really two-  
2           fold. We are developing a State-of-the-Art, more  
3           realistic evaluation of progression, radiological  
4           release, and off-site consequences for frequency  
5           dominated core damage accident sequences. And we are  
6           going to provide a more accurate assessment of  
7           potential off-site consequences to replace previous  
8           consequence analysis, such as NUREG-2239, which is  
9           entitled, "The Technical Guide for Citing Criteria  
10          Development", which was issued more than 25 years ago,  
11          in November of 1982. That cite is more commonly  
12          referred to as the Sandia Siting Study.

13                   MEMBER APOSTOLAKIS: You did change the  
14          first objective.

15                   MR. PRATO: Yes, sir, as you requested.

16                   MEMBER CORRADINI: Suggested.

17                   MR. PRATO: Suggested.

18                   MEMBER APOSTOLAKIS: Suggested.

19                   MR. PRATO: And is it more accurate?

20                   MEMBER APOSTOLAKIS: I think it's more  
21          accurate.

22                   MR. PRATO: Anybody have any questions on  
23          that specifically?

24                   CHAIRMAN SHACK: Just you are still moving  
25          ahead now with the study on Sequoia as the next step

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the process?

2 MR. PRATO: We are going to be contacting  
3 -- we've contacted them previously. They have agreed  
4 to volunteer. They went into a refueling outage, so  
5 we are going to contact them again next week and set  
6 up a schedule, and we plan to start somewhere in the  
7 February time frame, interacting with them. Okay?

8 MR. ELTAWILA: Again, it's a voluntary  
9 effort. We don't know if they are going to -- so we  
10 are negotiating with different utilities, too.

11 MR. PRATO: Severe accident -- sir?

12 MEMBER APOSTOLAKIS: I guess we have  
13 discussed this ad nauseam, but why aren't you doing a  
14 Level 3 PRA? Is there a short answer for that?

15 MR. PRATO: There isn't a short answer to  
16 it.

17 CHAIRMAN SHACK: We keep asking it again  
18 and again.

19 MR. PRATO: As you well know, Charlie  
20 presented the staff's view on that. Charlie has the  
21 most integrated knowledge of all the pieces. Charlie,  
22 unfortunately, is not here, but he did make several  
23 key points.

24 MEMBER APOSTOLAKIS: What's his last name?

25 MR. PRATO: Tinkler.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Yes, we know him.

2 MR. PRATO: Okay? The key points, and  
3 I'll cover the key points first. We believe that the  
4 Level 1 PRA has done an outstanding job at this point  
5 of identifying what is important with regards to  
6 sequences, both from a CDF perspective, and from a  
7 LERF perspective. Second, and one of the underlying  
8 premises of the project is that the Level 2 and Level  
9 3 deserve more attention, and more rigorous  
10 quantification.

11 It is also our view that the use of an  
12 integrated method, such as MELCOR and MACCS, together  
13 with an uncertainty analysis, was a better approach  
14 for this application, versus trying to quantify  
15 thousands of sequences, and it would help to shed some  
16 insights on risk.

17 The other thing is, is that with MACCS and  
18 MELCOR, if there is a problem with the analysis, we  
19 can attack the particular model in a more direct  
20 manner. And in Charlie's words, "the information is  
21 no buried in a sea of numbers for which it is  
22 difficult to extract this kind of information."

23 So why are we using CDS as our screening  
24 criteria? Well, from the start, there is a historical  
25 emphasis at the NRC on CDS, as well as an abundance of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information on CDS. We have our updated benchmark  
2 SPAR models as an internal source for CDF information.  
3 And, remember, we have a high confidence in the Level  
4 1 PRAs, as well, so --

5 CHAIRMAN SHACK: Internal events.

6 MR. PRATO: Excuse me?

7 CHAIRMAN SHACK: Internal events.

8 MR. PRATO: For internal events, correct.

9 CHAIRMAN SHACK: At full power.

10 MR. PRATO: Yes, sir.

11 MEMBER APOSTOLAKIS: Too many.

12 MR. PRATO: In addition, the NRC uses CDF  
13 as its criteria for risk-significance in Reg Guide  
14 1.174. This Reg Guide uses a CDF of 10 to the minus  
15 6, and a LERF of 10 to the minus 7. We use the same  
16 Reg Guide 1.174 criteria for CDF, and if you believe  
17 that the conditional containment failure probability  
18 is approximately 0.1, then we meet the criteria for  
19 LERF, as well. And, therefore, we captured the risk  
20 significance based on that criteria.

21 The only other question remaining is, are  
22 we capturing all the significant contributors to LERF  
23 by using CDF, as opposed to using LERF. Again, for  
24 PWRs, there really shouldn't be any significant  
25 dispute that early conditional containment failure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 probabilities are less than or equal to .01. As for  
2 BWRs, in other studies initial results for station  
3 blackout events indicated that vessel failure does not  
4 occur for more than eight hours into the event. And  
5 the customary definition for early is four hours, so  
6 we believe that we're on the right track for BWRs, as  
7 well. And although it's site-specific and sequence-  
8 specific, we are paying very close attention to the  
9 timing of the release, and we are making sure that it  
10 is beyond the early criteria.

11 MEMBER APOSTOLAKIS: Now NUREG-1150 and  
12 some other studies that are done by the industry, they  
13 did go all the way to Level 3. Have you compared what  
14 you have found with the findings of those studies?

15 MR. PRATO: Not yet, sir.

16 MEMBER APOSTOLAKIS: But you will do that?

17 MR. PRATO: I'm not sure if that's our  
18 plan right now, but the results are relatively  
19 preliminary.

20 MEMBER APOSTOLAKIS: It would add  
21 confidence.

22 MR. PRATO: Mike Yerokun.

23 MR. YEROKUN: Let me try to -- a direct  
24 response to the question of do you plan to compare  
25 your results with NUREG-1150, I mean, yes, whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comes out from SOARCA, we definitely will see what  
2 insights we can derive compared to all the previous  
3 studies. Obviously, the Siting Studies, but also  
4 NUREG-1150 to see what knowledge we gain from the  
5 approach we've used for SOARCA, and what that really  
6 means for the risk approach that was used for NUREG-  
7 1150.

8 MEMBER APOSTOLAKIS: Level 3 results.

9 MR. YEROKUN: I'm sorry?

10 MEMBER STETKAR: Well, even full scope  
11 Level 2.

12 MR. ELTAWILA: I'm going to jump here and  
13 say I don't know what benefit we will gain out of  
14 comparing the SOARCA study with NUREG-1150 study. I  
15 think we believe that these previous studies are very  
16 conservatively done, and did not represent the plants  
17 as operated, and design, and improvement that have  
18 been to the plants, so we will not be comparing apples  
19 with apples. I think that -- I appreciate your  
20 question, but I will prefer to do a Level 3 for a  
21 plant and compare it to a SOARCA study, but to try to  
22 compare the SOARCA with the NUREG-1150, it's not going  
23 to be a viable comparison.

24 MEMBER APOSTOLAKIS: It would be nice to  
25 know why there are differences. If you find different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- if I go to the Peach Bottom evaluation in 1150,  
2 they give me -- well, all five plants, actually. They  
3 give me fatality curves, latent cancer curves, and so  
4 on, and they give me the dominant contributors. I  
5 mean, even if it's not part of your objective,  
6 wouldn't you be curious to know whether your results  
7 are different? And if they are different, why they  
8 are different? You may come back and say because we  
9 did a better job, but to say I'm not even going to  
10 look at it, it's kind of -- doesn't make sense to me.

11 MR. PRATO: Well, there was one other  
12 point Charlie wanted to make, or Charlie made at our  
13 last meeting. And he said, "With MELCOR, we do  
14 believe that additional large benefit is derived in  
15 looking at mitigating measures that has not yet been  
16 addressed in PRA, such as SAMGs, and other severe  
17 accident mitigation guidelines."

18 MEMBER APOSTOLAKIS: Well, you can always  
19 say those things when you compare. I'm not saying  
20 don't say it, but at least, I mean, tell us how the  
21 results are different.

22 MR. PRATO: And I think as you see -- as  
23 we go through the sample analysis, you'll see how it  
24 becomes obvious how considering the mitigative  
25 measures, all the mitigative measures have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant benefit to the outcome.

2 MR. CHEOP: This is Mike Cheop. Let me  
3 try to address that. I think as part of the peer  
4 review process, as we are looking at accident  
5 sequences, we do ask ourselves why are we different  
6 from, let's say, 1150. And if you're different, what  
7 the reasons are. And we will convince ourselves what  
8 the differences are. And as we go forth into the  
9 Level 2 and Level 3 space, again, we do introduce a  
10 lot more, as Bob said, mitigative equipment. And we  
11 can't explain a lot of the differences through the  
12 different strategies that we're using, and the  
13 differences. We may not make a formal comparison, but  
14 we do, as part of the peer review, and our internal  
15 review process, try to convince ourselves as to what  
16 the differences are, and what's causing the  
17 differences.

18 MEMBER CORRADINI: Could I just ask for  
19 clarification.

20 MS. MITCHELL: This is Jocelyn Mitchell  
21 from the Office of Research. I just wanted to remind  
22 you that the Level 2 part of 1150 was done using the  
23 EXOR codes, like the PBSOAR, and the SRSOAR code,  
24 where they took a tiny handful of source term code  
25 package runs and spread them out into hundreds of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sequences, and then subsequently collapsed into 17 for  
2 Surry, and I don't know the number for Peach Bottom,  
3 of release categories. I think it would be an  
4 exercise in futility to try to go back and say here is  
5 this integrated MELCOR analysis, and why did it change  
6 from expanding, collapsing, and basing on just a few  
7 runs.

8 MEMBER CORRADINI: Just to expand, I  
9 guess, what George is saying, make sure I understand  
10 the staff's position. So I think my way of saying it  
11 in some sense coming up with the same result that  
12 George is, if you took, and I'm going to pick Peach  
13 Bottom and Surry because they have an interesting  
14 historical, you can essentially take that and explain  
15 the differences. And I think that's kind of what I  
16 get from George is after, is explain the evolution of  
17 your insights, both in terms of modeling, in terms of  
18 additional measures that have been taken care of, and  
19 you can go all the way from WASH-1400 through 1150,  
20 through - and I was going to ask something about that,  
21 through a current, if they had, or if they do have a  
22 Level 3, and really then show what you've done, both  
23 in terms of methodology, models, and improvements.  
24 And that, I think, would help drive home the  
25 improvements that you have with SOARCA. I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's the way I view --

2 MEMBER APOSTOLAKIS: That's part of it.

3 MEMBER CORRADINI: That's another  
4 motivation to do it, as George is suggesting.

5 MEMBER SIEBER: But how does that benefit  
6 the overall science of what it is they're doing here?  
7 For example, methods and codes have changed,  
8 reliability data has changed, assumptions have  
9 changed, scope has changed. And to make the  
10 comparison, you're going to list a lot of changes.  
11 And it's not going to -- you aren't going to be able  
12 to draw a conclusion from it, other than this one is  
13 liberal, this one is conservative, not liberal,  
14 realistic versus conservative, and methods have  
15 changed over the years.

16 MEMBER APOSTOLAKIS: Well, there are two  
17 questions that come to mind. First of all, I don't  
18 even know why we're discussing this. Is this such a  
19 big effort that the staff is resisting, too many  
20 resources? It wouldn't look like that to me. But  
21 second, and what you're saying is that the curves that  
22 I see in terms of public consequences in NUREG-1150,  
23 and other Level 3 PRAs, have been completely  
24 invalidated, that this SOARCA thing now says don't  
25 believe any of that any more?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That's how I took it.

2 MEMBER BLEY: If that's true, I guess I'd  
3 really want to understand why.

4 MEMBER APOSTOLAKIS: Me too. I really  
5 want to understand why. I mean, they have very nice  
6 curves there, kind of smooth. They tell you what  
7 dominates. It would be nice to say yes, we are  
8 consistent with those guides, but we're doing a better  
9 job.

10 CHAIRMAN SHACK: I mean, we do have this  
11 bifurcation where we select what we examine by looking  
12 at frequency, and then we examine the risk-  
13 significance of what's left. Why don't we just look  
14 at risk-significance in the first place?

15 MEMBER APOSTOLAKIS: Right.

16 MEMBER STETKAR: Well, that has to do with  
17 ----- having gone through a few recent, not 25 years  
18 old, not 15 to 20 years old, but within the last 10  
19 years, full scope Level 2 risk assessments sponsored  
20 by the industry, not the NRC, that have included  
21 things like SAMGs, that have concluded that the most  
22 important contributors to off-site releases, and I'll  
23 stop it there, because these were not Level 3 risk  
24 assessments, are Level 1 core damage sequences that  
25 are in the noise level for core damage frequency. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most important contributors to off-site releases are  
2 sequences that are a small percentage, very small  
3 percentage in total of the core damage frequency.

4 In other words, it probably wouldn't even  
5 make the pie chart when you look at contributors to  
6 core damage. However, that has been the result of  
7 detailed analyses using reasonably refined Level 2  
8 codes, taking credit for existing SAMGs, existing  
9 whatever you want to call them, beyond core damage  
10 operating procedures. And the concern, I think --  
11 part of George's concern is, is the 10 to the minus  
12 6 screening criterion basically missing most of the  
13 things that current studies, current industry-  
14 sponsored studies show, indeed, are most important to  
15 the issues that, indeed, you're examining, the Level  
16 2, Level 3-type issues. In other words, are you  
17 missing those sequences by your screening process?

18 MEMBER SIEBER: Well, if you divide it up  
19 enough, you're going to miss a lot in the aggregate  
20 that are going to mean something.

21 MEMBER APOSTOLAKIS: That is additional  
22 evidence from that EPRI report that concluded that you  
23 go to very low frequencies in order to --

24 CHAIRMAN SHACK: Well, even if you look in  
25 1150 and you cut it off at 10 to the minus 6, not a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 whole lot happens.

2 MEMBER APOSTOLAKIS: It's an unusual  
3 situation in the sense that you have -- say you went  
4 to go to some end state, and you have in-between some  
5 important stuff, like core damage frequency and  
6 release. In traditional PRA when you say dominant  
7 contributors to something at the end, you calculate  
8 that something, and then you identify the dominant  
9 contributors. Here we are using an intermediate  
10 state, core damage, to identify what we call dominant  
11 contributors, and then we see what their consequences  
12 are. It's a little different thing, which is useful  
13 by itself, by the way. I'm not saying it's not  
14 useful. It's very useful, but the question remains,  
15 why not go all the way, and bring into an additional  
16 dimension. When you communicate to the public now,  
17 when you say there are zero deaths, what does that do  
18 to your credibility?

19 CHAIRMAN SHACK: It's no worse than a bus  
20 accident.

21 MEMBER APOSTOLAKIS: You do have deaths.  
22 So what you are doing is fine. It sheds a lot of  
23 light into what can happen for these sequences, and so  
24 on. But it's a mystery to me why there is such  
25 resistance to go all the way. I mean, are we talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about doubling the effort or what?

2 MR. ELTAWILA: I don't think it's an  
3 effort, George. I think it is just if you keep  
4 refining the sequence further and further, and go down  
5 to a lower frequency event, I think that all what  
6 you're generating is number, but they don't mean  
7 anything. And because in most of these situations,  
8 you know what you can -- how we can deal with these  
9 scenarios, so it always will become to an accident  
10 management and improvement in evacuation, and  
11 improvement in the plant operation. So by just going  
12 down in the frequency domain to a very low frequency,  
13 yes, you can get an answer, yes, you can get -- that  
14 answer might show you that it's risk dominant, but  
15 what is the meaning of that?

16 MEMBER STETKAR: The meaning is that at  
17 those lower frequencies, there may be initiating  
18 events and consequential failures that also completely  
19 disable all of those mitigating systems, and operator  
20 actions that you're talking about. The nature of the  
21 consequences changes at those very low frequencies.

22 MR. ELTAWILA: Very low frequency, 10 to  
23 minus 9, but are --

24 MEMBER STETKAR: Or 10 to the minus 7.

25 MR. ELTAWILA: No, I don't think you -- we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked at 10 to minus 7, and we --

2 MEMBER STETKAR: In the context of the  
3 limited models that you had to deal with, in the  
4 context of that, those limited models, but did not  
5 look at very clearly external events, seismic events,  
6 things like that.

7 MR. CHEOP: Well, I think that's not quite  
8 correct. I mean, in the 10 to the minus 7 range, we  
9 did look at the external events, the seismic and the  
10 fire events, so in that sense, those are included in  
11 our 10 to the minus 7 look. And I guess in addressing  
12 Dr. Sieber's earlier comment, we actually have not  
13 tried to parse out the sequences to such a point where  
14 we can eliminate them from the screening process. We  
15 did try to keep groups together, so that we do not  
16 parse them out so that they are below the screening  
17 criteria, but I guess, to answer the broader question  
18 as to why we don't do a risk analysis versus a  
19 frequency dominant cutoff, that would be, I would  
20 imagine, changing the objective of the study. I mean,  
21 the objective of the study is to look at CDF dominant  
22 sequences, and that's the way they're going at this  
23 point.

24 MEMBER CORRADINI: I mean, if I could just  
25 - if I might. But I understand you've been directed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a certain way. And I understand when one is directed,  
2 one follows the directions, but I'm asking --

3 MEMBER APOSTOLAKIS: Did the Commission  
4 say this?

5 MEMBER CORRADINI: Yes.

6 MEMBER APOSTOLAKIS: The Commission  
7 directed you to look at --

8 MEMBER CORRADINI: Yes. So that I  
9 understand. That's why I guess in some sense why I'm  
10 just suggesting for you to consider the staff to think  
11 of it from the historical perspective, and use the  
12 fact of the historical perspective to at least lay the  
13 explanation out as to what you're seeing, and the  
14 insights you're getting.

15 MR. ELTAWILA: Yes. If my answer at the  
16 beginning sounds like we're not going to do that, I  
17 apologize for that.

18 MEMBER CORRADINI: I sensed that you  
19 wanted to.

20 MR. ELTAWILA: We are going -- but if  
21 anybody asked me to try to quantify every single  
22 differences, this will be impossible, but we will try  
23 to -- what are the plant improvement that led into the  
24 lowering of the frequency? What is the  
25 phenomenological understanding that help us addressing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this issue? That's part of the SOARCA report, so  
2 there is no doubt about that.

3 MEMBER SIEBER: I agree with Dr.  
4 Apostolakis, that this has to be -- this comparison  
5 needs to be done to a certain extent because this will  
6 be an important public document, and a lot of  
7 questions are going to be asked. And for sure, they  
8 will point out the differences, and if you aren't  
9 prepared to answer that in a public forum, then you  
10 haven't done the job right.

11 CHAIRMAN SHACK: I think we'd better move  
12 on. We have other things to cover, which will  
13 undoubtedly lead to discussion.

14 (Off the record comments.)

15 MR. PRATO: We got past this question. I  
16 think we can move forward in a reasonable --

17 MEMBER SIEBER: Do every other slide.

18 MR. PRATO: Okay. We're on slide, severe  
19 accident improvement, slide 4. Severe accident  
20 improvements that is, in part, the motivation behind  
21 SOARCA project, included improvements such as the 25  
22 years, and literally millions of dollars that have  
23 been spent on national and international research that  
24 provides a better understanding of severe accidents,  
25 and the basis to conclude that some presumed early

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment failure modes have been shown to be  
2 phenomenologically not feasible, or other severe  
3 accidents that are feasible, but that have been  
4 demonstrated to be preventable by accident mitigation.

5 Second item, regulatory improvement that  
6 reduced the likelihood of severe accidents, rules such  
7 as ATWS, Station Blackout Rule, and the Maintenance  
8 Rule, all of these have contributed to improved  
9 accident management, improved computer modeling  
10 capabilities, such as MACCS and MELCOR. Keep in mind  
11 that in 1982, when the 1982 study came out, there was  
12 nothing like MELCOR that was used or available at the  
13 time. And for MACCS, there was a much more primitive  
14 model, and there has been significant improvements,  
15 not only in the modeling, but in the computer  
16 technology that allows us to use computer modeling.

17 Enhancements in plant design, such as the  
18 TMI initial modifications, and the modifications that  
19 continued beyond the post-TMI modifications during the  
20 early 80s and late 90s, things that resulted in the  
21 installation of additional emergency diesels, for  
22 example.

23 Other plant improvements that have  
24 contributed to reducing the likelihood of severe  
25 accident include general improvement in plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance. In the early and late 80s, capacity  
2 factors were in the 60s and the 70s, today they're in  
3 the 80s and the 90s. Emergency preparedness  
4 guidelines are available. They've been developed, and  
5 evolved, and tested very frequently. And mitigative  
6 measures, as you will see, will play a big role.

7 This next slide is an overview of the  
8 process. We're going to cover each one of the boxes  
9 in a lot more detail, but this just shows how the  
10 process flows, and how we come to -- how the SOARCA  
11 process works, in general.

12 The SOARCA approach. SOARCA is the only  
13 kind of accidents we're considering of full power  
14 operation. We are not considering low power,  
15 shutdown, or spent fuel pool-type of accidents. We  
16 are using a plant-specific sequence truncation of CDF  
17 of greater than or equal to 10 to the 6<sup>th</sup>, and a CDF  
18 greater than or equal to 10 to the 7<sup>th</sup> for bypass  
19 events.

20 MEMBER CORRADINI: Minus you mean, right?

21 MR. PRATO: Yes, minus. I'm sorry.  
22 They're in there. I apologize. We did consider  
23 external events. We considered all of the mitigative  
24 measures that were available to the licensees. We did  
25 and we're doing sensitivity analysis to assess the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effectiveness of the different safety measures. A  
2 State-of-the Art Accident Progression Modeling based  
3 on 25 years of research to provide a best estimate of  
4 accident progression, containment performance, time of  
5 release, and fission product behavior. We are using  
6 a more realistic off-site dispersion model, and we are  
7 doing site-specific evaluation of public evacuation  
8 based on site-specific updated emergency plans.

9 MEMBER CORRADINI: Can I repeat something  
10 that you guys said in the question and answer earlier,  
11 just so I put it in this context for the second  
12 bullet? So even though your cutoff, as directed, was  
13 that, you went down another order of magnitude and  
14 surveyed what you saw at the 10 to the minus 7 cutoff.

15 MR. PRATO: We're going to get into that.

16 MEMBER CORRADINI: Okay.

17 MR. PRATO: We'll show you how the  
18 sequence selection was --

19 MEMBER CORRADINI: The answer is yes.

20 MR. PRATO: But the --

21 MEMBER CORRADINI: Okay. That's fine.  
22 I'll wait.

23 MR. PRATO: SOARCA insights. Okay.  
24 Sequences are dominated by external events, primarily  
25 large seismic events that play out similar to a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 station blackout. We also identified two additional  
2 PWR bypass events that were within the scope of  
3 SOARCA.

4 Previously used sequences have  
5 significantly lower probability of occurrence, or are  
6 not considered feasible, and that includes the alpha  
7 mode, the high pressure melt injection, and ATWS. The  
8 first two are considered not feasible, and the ATWS is  
9 a much lower CDF than was considered in 1982.

10 Mitigative measures are proven to be  
11 effective at preventing core damage or containment  
12 failure.

13 MEMBER SIEBER: Did you examine the effect  
14 of large seismic events on the effectiveness of the  
15 emergency planning?

16 MR. PRATO: No, sir, we have not.

17 MEMBER SIEBER: Bridges knocked down,  
18 roads closed, flooding, whatever.

19 MR. PRATO: We are doing sensitivity  
20 analysis to address that, sir.

21 Sequence screening process. Okay. It's  
22 important to mention at this time that SOARCA was  
23 never intended to be a risk study. However, the staff  
24 wanted its initial focus for SOARCA to include  
25 sequences of greatest interest. Therefore, as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 initial input into SOARCA, the staff used the enhanced  
2 SPAR model to identify the sequences that are most  
3 likely to occur. Using SPAR, we applied a screening  
4 criteria for the sequences included within the scope  
5 of SOARCA to identify those sequence or sequence  
6 groupings that have a CDF of greater than or equal to  
7  $1.0 \text{ E to the minus } 6$  to identify those sequences which  
8 are most likely to occur.

9 In addition, we wanted to pay more  
10 attention to those sequences that are potentially more  
11 severe, but that have a little lower likelihood of  
12 occurring. For example, interface system LOCAs that  
13 bypass the containment. Therefore, we lowered the  
14 screening criteria for inter-system LOCAs to a CDF of  
15 greater than or equal to  $1.0\text{E to the minus } 7$ .

16 These are the steps that are used to  
17 implement the screening criteria. We started with an  
18 initial screening. We used enhanced SPAR model to  
19 screen out low CDF sequences with an overall CDF of  
20 less than or equal to  $1.0\text{E to the minus } 7$ , and  
21 sequences with a CDF of less than  $1.0\text{E to the minus } 8$   
22 for bypass events. This step we estimated eliminated  
23 less than 10 percent of the overall CDF, approximately  
24 5 percent is what it typically ended up being.

25 CHAIRMAN SHACK: Typically for two cases.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: For the two plants, correct.  
2 The sequence evaluation, we identified and  
3 evaluated dominant cut sets for the remaining  
4 sequences, and we determined systems and equipment  
5 availability, unavailability, and accident sequence  
6 common to those sequences. We grouped the sequences  
7 together that had similar times to core damage, and  
8 similar equipment availability. And then we selected  
9 bounding sequences based on the most limiting  
10 mitigative measures available.

11 For external events, we performed limited  
12 reviews of existing external event studies, and data  
13 to identify dominant externally initiated event  
14 sequences for each plant of interest. And where  
15 available, we specifically identified the dominant  
16 accident sequences for those plants using the  
17 following steps.

18 First, we identified dominant externally  
19 initiated event sequences for external events, such as  
20 fire, seismic, flooding, wind. And based upon  
21 available probabilistic assessment documentation, like  
22 NUREG-1150, the IPEEE submittals, as well as any  
23 additional available supporting documentation. We did  
24 not use seismic margins assessment because it lacked  
25 the risk information necessary.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We identified potential mapping between  
2 dominant external events, and internally initiated  
3 events identified by the SPAR analysis. Where mapping  
4 between external and internal events are not possible  
5 or appropriate, a unique external initiating event or  
6 sensitivity study was recommended, and the resulting  
7 limit --

8           CHAIRMAN SHACK: You need to click your  
9 slide.

10           MR. PRATO: Oh, I'm sorry. The resulting  
11 limited set of scenarios obtained for each SOARCA  
12 plant was used for subsequent accident progression and  
13 consequence analysis.

14           Containment system states. The objective  
15 of this process is to identify the availability of  
16 engineering systems that can impact post-core damage  
17 containment accident progression, containment failure,  
18 and radionuclide release using the following steps.  
19 We determined the anticipated availability of  
20 containment and containment support systems not  
21 considered in the Level 1 core damage analysis. We  
22 did this by determining the availability of front line  
23 systems using cut set information. If all support  
24 systems were considered in the Level 1 analysis,  
25 availability was determined based on the cut set

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information alone. If they were not, we constructed  
2 a system dependency table showing the support systems  
3 for performance of the targeted front line system.

4 We then determined the availability of the  
5 front line system using engineering judgment. For  
6 example, if the necessary support systems were  
7 determined to be available or unavailable based on  
8 engineering judgment, then the availability or  
9 unavailability of the front line system was  
10 determined.

11 MEMBER APOSTOLAKIS: This may be a little  
12 bit misunderstood. When you say determine the  
13 availability, I believe what the study did was assume  
14 that the system was working or not. Right?

15 MR. PRATO: That's correct, sir.

16 MEMBER APOSTOLAKIS: Depending on what has  
17 been lost.

18 MR. PRATO: That's correct, sir.

19 MEMBER APOSTOLAKIS: In PRA space, the  
20 availability will be a probability.

21 MR. PRATO: That's correct.

22 MEMBER APOSTOLAKIS: And you didn't do  
23 that.

24 MR. PRATO: That's correct, because we  
25 weren't doing that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Okay. So that's  
2 another thing that's different from traditional PRAs.  
3 The containment systems are either there or they are  
4 not, and you have some logical criteria to decide  
5 that.

6 MR. PRATO: That's correct.

7 MEMBER APOSTOLAKIS: But there is always  
8 a possibility of a random failure, or whatever the PRA  
9 does to come up with the unavailability number.

10 MR. PRATO: We did not do an HRA.

11 MEMBER APOSTOLAKIS: They didn't do that.  
12 I mean, that's --

13 MEMBER SIEBER: That may be more --

14 MEMBER APOSTOLAKIS: Determine the  
15 availability can be interpreted in different ways.  
16 Okay. That's just a clarification.

17 CHAIRMAN SHACK: But, again, their  
18 argument is their additional random failures would be  
19 lowering the frequency.

20 MR. PRATO: That's correct.

21 MEMBER APOSTOLAKIS: Yes. This cutoff is  
22 always running our lives here.

23 MR. PRATO: Okay. In addition --

24 MEMBER APOSTOLAKIS: Wait a minute now.  
25 The cutoff is for core damage frequencies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: But it's an overall  
2 sequence. The cutoff is really on releases, and they  
3 -- well, that's the directive of the SECY.

4 MEMBER APOSTOLAKIS: Wait a minute now.

5 MR. PRATO: It was release frequency.

6 CHAIRMAN SHACK: Release frequency.

7 MR. PRATO: 10 to the minus --

8 CHAIRMAN SHACK: Right. And the staff  
9 took a conservative approach by going to the --

10 MR. PRATO: Core damage.

11 CHAIRMAN SHACK: -- core damage, because,  
12 again, you're not going to get a release without core  
13 damage.

14 MEMBER APOSTOLAKIS: That's what was done.

15 CHAIRMAN SHACK: That's what was done.

16 MR. PRATO: Okay. In addition, the  
17 availability of containment systems determine the  
18 availability of systems such as the low pressure  
19 injection, and that can potentially impact containment  
20 accident progression. For example, cooling debris in  
21 the reactor cavity, or cooling reactor vessel after  
22 the core damage, or prior to vessel failure. Those  
23 are the systems we also considered for containment  
24 system states, as well.

25 Mitigative measures analysis. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mitigative measure analysis that we performed were  
2 qualitative sequence-specific system and operational  
3 analysis based on licensee identified mitigative  
4 measures from EOPs, SAMGs, and other severe accident  
5 guidelines that were determined to be applicable to  
6 and available during a specific sequence, whose  
7 availability, capability, and timing were utilized as  
8 inputs into the MELCOR analysis.

9 CHAIRMAN SHACK: What does it mean by the  
10 qualitative part, since you really used these to set  
11 the boundary conditions for your MELCOR analysis, as  
12 I understand.

13 MR. PRATO: In other words, we didn't  
14 quantify it, and we didn't assign a risk to it. That  
15 was the --

16 CHAIRMAN SHACK: You mean a probability  
17 that it would be done.

18 MR. PRATO: That's correct, sir.

19 CHAIRMAN SHACK: You assumed if it was in  
20 the procedure --

21 MR. PRATO: Well, we did more than that.  
22 We verified that the equipment was available. We  
23 verified that there was no reason to believe that it  
24 was not accessible. We insured that we took  
25 consideration for communications, resources. We did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a very extensive --

2 CHAIRMAN SHACK: Okay. You just didn't  
3 assign numbers to those.

4 MR. PRATO: That's correct. That's  
5 correct.

6 The process that we used to do this, for  
7 those dominant sequence or sequence groups within the  
8 scope of SOARCA, we determined the potential  
9 availability of mitigative measures. We performed a  
10 system and operational analysis based on the initial  
11 condition, and the anticipated subsequent failures.  
12 We determined the anticipated availability,  
13 capability, and time to implementation. And we put  
14 all of that information into MELCOR to determine the  
15 effectiveness of those mitigative measures. We never,  
16 as part of the mitigative measures, assessed its  
17 effectiveness. We let MELCOR determine that as part  
18 of the modeling.

19 MEMBER BLEY: Let me back you up to that  
20 last question, just make sure I'm following. So you,  
21 essentially, or as you said earlier, you did no HRA.  
22 You, essentially, said if the equipment - this  
23 scenario, if the equipment is there that could work,  
24 and the procedures would make it work. We'll say it  
25 works and put it into the MELCOR analysis. You've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 essentially assumed people perform perfectly given the  
2 equipment's available.

3 MR. PRATO: In general. However, we  
4 assign very conservative times to the implementation.  
5 We did try to consider accessibility, availability in  
6 not only support systems, but support equipment that  
7 was needed. Was it on hand, was it pre-staged? We  
8 looked at a lot of the parameters that you would  
9 consider in an HRA.

10 MEMBER BLEY: If there's time to do it,  
11 and if the equipment works, it will be used and it  
12 will work.

13 MR. PRATO: That's correct. We looked at  
14 availability of capacity. Are the storage tanks  
15 available, the bottom of the storage tanks.

16 MR. DUBE: Don Dube, NRO. I want to just  
17 add that for most of these sequences, the MELCOR  
18 analysis was done with and without the mitigative  
19 measure. Right?

20 MR. PRATO: That's correct. We are doing  
21 sensitivity analysis both with and without --

22 MR. DUBE: I know probability was  
23 assigned, and it failed to --

24 MEMBER BLEY: But we have both results.

25 MR. PRATO: Yes, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER BLEY: Before you got here, I want  
2 to understand the statement you made earlier. When  
3 you did the basic scenario, did you look at -- you  
4 didn't do an HRA there, either. Is that right?  
5 Effectively, the same thing, if the equipment is  
6 there, you assume the equipment will --

7           MR. PRATO: CDF you include --

8           MR. CHEOP: To get to the CDF portion of  
9 the analysis, we did HRA as part of the CDF  
10 calculation.

11          MEMBER BLEY: Okay.

12          MEMBER STETKAR: What there isn't, isn't  
13 a conditional dependent HRA for the Level 2, Level 3  
14 mitigative functions. They're -- HRA ends at Level 1,  
15 basically.

16          MR. PRATO: The structural analysis. The  
17 objective of the structural analysis was to evaluate  
18 the behavior of containment structure under  
19 unmitigated severe accident conditions and to predict  
20 the following criteria; and that is, functional  
21 failure due to pressure, the structural failure due to  
22 pressure, and to develop leak rates, and leak areas as  
23 a function of internal pressure.

24                 As a result of the structural analysis,  
25 the dominant cause for containment failure at Peach

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Bottom is the -- we determined to be the head flange  
2 bolts strained under gradual increasing internal  
3 pressure. And for Surry, it was cracking around the  
4 equipment and personnel hatch.

5 MELCOR analysis. As stated earlier,  
6 MELCOR or a similar model wasn't available in 1982.  
7 MELCOR, since that time, has been developed, and it  
8 has evolved, and we have implemented significant  
9 improvements to get it to where it is today, which we  
10 believe is the state-of-the-art. More recently, and  
11 specific to SOARCA, we improved the MACCS output  
12 interface. We implemented fuel collapse model logic.  
13 We updated MELCOR defaults, and we added approved  
14 model.

15 For each of the analysis that have been  
16 completed, we developed a site-specific model, and we  
17 performed the accident progression for each plant  
18 using MELCOR computer code to determine source term,  
19 potential containment failure states, and time of  
20 release as an input into the MACCS analysis.

21 Similar with MACCS-2, MACCS was around in  
22 1982. It has evolved significantly. For the purposes  
23 of SOARCA, we implemented a significant number of  
24 improvements to bring it up-to-date, and to make it  
25 state-of-the-art. I'll go over just a couple of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these. We increased the number of evacuation cohorts  
2 from three cohorts, which was previously, up to 20.  
3 We have the capability of dividing up into 20  
4 different cohorts. We increased angular resolution  
5 from the typical 16 compass points up to 64 segments.  
6 We added more plume segments, and we included KI  
7 ingestion model, as well. And these are just a  
8 couple.

9 MEMBER BLEY: What do you mean when you  
10 say "more plume segments"? Can you describe that?

11 MEMBER SIEBER: It is finer.

12 MR. PRATO: Jocelyn, do you want to --

13 MEMBER BLEY: Are you letting them move as  
14 the weather changes?

15 MR. PRATO: No.

16 MS. MITCHELL: We usually break it up. In  
17 previous analyses, there were usually one puff  
18 release, and then a long tail, so you had two plume  
19 segments. And now we take this very long, drawn out  
20 release, and break it up into typically one-hour  
21 releases, and MACCS will pick up for the release of  
22 the second plume. If the weather has changed, the  
23 wind speed has changed, then it will pick up a new  
24 weather sequence, so it's --

25 MEMBER BLEY: Opens up then.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MITCHELL: Yes, right. Right. But it  
2 is a one-hour, typically one-hour releases.

3 MR. PRATO: We performed the consequence  
4 analysis for each plant and each sequence using the  
5 MACCS-2 computer code to determine early fatalities  
6 and latent cancer effects.

7 Some of the MACCS-2 assumptions that we  
8 used, we assumed that no contaminated food or water  
9 would be consumed. We used the latest federal  
10 guideline dose conversion factors in Federal  
11 Guidelines 12 and 13 for specific isotopes, to  
12 specific organs, given different specific pathways.

13 We assumed KI ingestion by half of the 10-  
14 mile population, and we used sub-optimal timing. That  
15 sub-optimal timing results in a fraction efficacy and  
16 if you do the KI ingestion at just the right time,  
17 it's approximately in the mid-090s range. We used 70  
18 for the efficacization.

19 We used medium values from the U.S. and  
20 European study for uncertainty for non-site-specific  
21 parameters. This study used expert elicitation for  
22 approximately 140 different points important to off-  
23 site calculations, and resulted in the distribution of  
24 the response for each of those inputs. And we used  
25 the mean as the input into MACCS for these things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And it includes things, such as the dry deposition  
2 velocity, the wet deposition velocity, some of the  
3 parameters in the food chain model, a set for those  
4 type of parameters are included in those 140 different  
5 inputs.

6 MEMBER BLEY: Who were your experts for  
7 that?

8 MR. PRATO: That was a separate study done  
9 for not only our modeling applications, but for the  
10 Europeans, and the Asians, as well. It was a  
11 combination of U.S. and --

12 MEMBER APOSTOLAKIS: It was years ago,  
13 wasn't it?

14 MR. PRATO: Yes, sir.

15 MEMBER BLEY: Oh.

16 MS. MITCHELL: This is Jocelyn Mitchell.  
17 The study was done about 10 years ago, and had six  
18 different panels that worked on different disciplines  
19 that were necessary, and they had usually eight  
20 experts on the panel, four from the U.S., and four  
21 from the EC countries.

22 MEMBER BLEY: George just reminded me.  
23 This is the one using Roger Cook's approach.

24 MEMBER APOSTOLAKIS: Yes.

25 MEMBER BLEY: Where it calibrates the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experts.

2 MS. MITCHELL: The expert elicitation  
3 itself was conducted by the U.S., and the European  
4 part of it was to take the discrepant distributions  
5 that come out of it, and evaluate them. We have  
6 redone that, because we found some problems with how  
7 it was done, and so we have re-sampled it, and have a  
8 distribution that encompasses the eight expert views,  
9 and we take the median, the 50<sup>th</sup> percentile from that  
10 resulting distribution.

11 MR. PRATO: Okay?

12 MEMBER BLEY: Just a quick question,  
13 because two or three slides earlier you talked about  
14 -- you ran -- I thought I saw uncertainties on the  
15 parameters, but I'm not so sure I'm hearing that any  
16 more. You looked at the uncertainties, and then you  
17 picked mean values or medians, and ran them through  
18 the --

19 MS. MITCHELL: The difference is that the  
20 MACCS code itself now has a user-friendly front end  
21 that enables a relatively easy parameter uncertainty  
22 consideration, so you could put in a range of values,  
23 and a degree of belief, and it would sample out of  
24 that range and degree of belief, and construct  
25 multiple MACCS decks, run them sequentially, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 evaluate the grand averages when you get finished.  
2 That model is available for what -- and we intend to  
3 exercise it, but we have not, as yet. We intend to do  
4 it, but for a point estimate for the stuff that we  
5 have done to-date, we have taken that range of values  
6 and degrees of belief, and have taken the 50<sup>th</sup>  
7 percentile, and put it in as our point estimate.

8 CHAIRMAN SHACK: But you do the  
9 meteorological stuff statistically, and take a mean  
10 value.

11 MS. MITCHELL: The meteorological stuff is  
12 sampled in a stratified random sampling method. This  
13 would be for other things, like the dry deposition  
14 velocity, and a whole bunch of other things.

15 MR. PRATO: For each site, we use site-  
16 specific population meteorological data. We use an  
17 assumed projected relocation dose, and time for the  
18 area beyond the evacuation zone during the seven-day  
19 emergency period of 5 rem and one day for relocation,  
20 and for 2 rem, two days for relocation. Return  
21 criteria at Peach Bottom we use .5 rem, which is EPA-  
22 specific, and for Surry we used 4 rem and five years,  
23 which is EPA-specific. In general, releases are  
24 divided into one-hour plumes, as Jocelyn explained  
25 previously.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Emergency preparedness. We modeled the  
2 protective response afforded by current site-specific  
3 emergency preparedness programs to improve realism.  
4 We used site-specific evacuation time, time estimates  
5 for evacuation of the EPZ. We used a new program  
6 called OREMS, which is Oak Ridge Evacuation Model, to  
7 model evacuation of the 10 to 20 mile area.

8           We modeled cohort data, such as  
9 population, evacuation time, travel speeds, and  
10 roadway networks. And the data was used in MACCS-2 to  
11 develop consequence estimates. Peer review.

12           MEMBER APOSTOLAKIS: So there was no  
13 uncertainties.

14           MR. PRATO: Excuse me, sir?

15           MEMBER APOSTOLAKIS: Were there any  
16 uncertainties in these evaluations?

17           MR. PRATO: That's coming up, sir.

18           MEMBER APOSTOLAKIS: Coming up.

19           MR. PRATO: Yes, sir.

20           MEMBER APOSTOLAKIS: Good.

21           MR. PRATO: Okay.

22           MEMBER APOSTOLAKIS: The discussion, or  
23 the answer?

24           MR. PRATO: Just a high level discussion.  
25 We plan to do an uncertainty analysis, and a peer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review in the next calendar year. Okay?

2 Peer reviews. Internal, we've done a  
3 couple of staff peer reviews, including the PRA  
4 aspects that's used within SOARCA. We have recently  
5 went to ACNW and given them an overview of SOARCA, as  
6 well as discussed the dose threshold issue. And we've  
7 been here a number of times.

8 MEMBER APOSTOLAKIS: Who are the national  
9 and international experts? Can you give us a few  
10 names?

11 MR. PRATO: We're working on that right  
12 now as we speak.

13 MEMBER APOSTOLAKIS: Oh, you haven't done  
14 this?

15 MR. PRATO: No, we're working on it. We  
16 plan to do it in the next calendar year.

17 MEMBER SIEBER: We are here.

18 MR. PRATO: For Peach Bottom, Peach Bottom  
19 accident sequences. The PRA model --

20 MEMBER APOSTOLAKIS: But, you see, when  
21 you select the experts, I mean, an expert can come in  
22 there. He's an expert say on MACCS. He will look at  
23 what you've done. He'd probably say it's very good.  
24 Would any of these experts dare question your  
25 objectives, the same way this committee is doing? I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't know. I doubt it. It's okay. You don't have  
2 to answer.

3 MR. PRATO: I have no answer.

4 CHAIRMAN SHACK: Many of George's  
5 questions you don't have to answer.

6 MEMBER SIEBER: We are available.

7 MEMBER POWERS: But all of George's  
8 questions should be appropriately considered.

9 MEMBER APOSTOLAKIS: It's one of the rare  
10 occasions where the fact that I can't hear you is  
11 good.

12 (Laughter.)

13 CHAIRMAN SHACK: That's the nicest thing  
14 you said about him, George.

15 MEMBER CORRADINI: He's not going to  
16 repeat it, either.

17 MEMBER SIEBER: But George didn't hear any  
18 of it.

19 CHAIRMAN SHACK: Onward.

20 MR. PRATO: The PRA models indicate a core  
21 damage frequency is dominated by seismic events, which  
22 functionally work this way out as a long-term station  
23 blackout. We did consider fire and flooding, as well,  
24 but when we looked at the general damage, the general  
25 availability of other systems to be able to mitigate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it, the seismic event had much more widespread damage,  
2 and we determined that the seismic -- we evaluated the  
3 seismic event, we would bound the other two.

4 MEMBER BLEY: From your statement there,  
5 it's functionally a long-term station blackout. It's  
6 an earthquake big enough to cause that, but not to  
7 damage equipment in the plant?

8 MR. PRATO: The only thing we considered,  
9 we assumed that was undamaged was containment and the  
10 RCS, initially. Okay? If we had questions about  
11 mitigative measures, we did an additional evaluation  
12 to determine if the seismic event would result in  
13 that, and damage of that equipment.

14 MEMBER STETKAR: Let me follow-up on it,  
15 because I was in the Subcommittee meeting, and this  
16 was one -- this follows up on something Jack brought  
17 up earlier, and something you brought up earlier. We  
18 don't have the details of this sequence, but it was  
19 described in the Subcommittee meeting. First of all,  
20 this frequency seismic event corresponds to something,  
21 I think I remember something in the 1g acceleration  
22 rate, so this is a 7 to 8 magnitude on the Richter  
23 scale earthquake.

24 The analysis of this scenario from the HRA  
25 perspective takes full credit for operators manually,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 locally, mechanically controlling RCIC flow at the  
2 RCIC turbine. Think of that. And it does not include  
3 possible seismic effects on population evacuation,  
4 emergency response. Is that correct, both of those?

5 MR. PRATO: Correct.

6 MEMBER STETKAR: Okay. Now on the HRA  
7 perspective, it seems somewhat optimistic to say that  
8 the operator, under these conditions --

9 MEMBER BLEY: It does not take advantage  
10 of what people have -- unusual behavior we've seen in  
11 people under very, very large earthquakes. And for  
12 these people, that are very, very large earthquakes.

13 MR. PRATO: Can I caution us not to get  
14 into the details of any of the results from this  
15 meeting? It's too preliminary.

16 MEMBER BLEY: Okay. Not results, but do  
17 you model people?

18 MR. PRATO: Do we model people, sir?

19 MEMBER BLEY: The thing John was pointing  
20 out is, if one did an HRA of human performance after  
21 this earthquake, one had better understand the  
22 psychological impact of such an earthquake on people.  
23 It's not something you can look up in THERP, or SPAR-  
24 H, or any of the existing HRA methods. That's what  
25 he's saying.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: Understand.

2 MEMBER CORRADINI: I think that point was  
3 made at the Subcommittee.

4 MEMBER SIEBER: Not only the operators,  
5 but also the people who live around the plant. They  
6 go --

7 MEMBER BLEY: They're not living in houses  
8 any more.

9 MEMBER APOSTOLAKIS: The impact of the  
10 earthquake on the evacuation itself.

11 MEMBER SIEBER: Yes, bridges down, holes.

12 MEMBER APOSTOLAKIS: Not only just people,  
13 but also damage to bridges.

14 MEMBER BLEY: And I think I saw something  
15 about half the people taking --

16 CHAIRMAN SHACK: I think we better move  
17 on.

18 MR. PRATO: Internal events were all less  
19 than 10 to the minus 6, and bypass events were very,  
20 very low frequency, much less than 10 to the minus 7.

21 For Surry, the events included a long-term  
22 and a short-term station blackout initiated by a large  
23 seismic event. And in addition to that, we had an  
24 inter-system LOCA, a LOCA on a low pressure injection  
25 system, and we had a steam generator tube rupture.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SBO events are due to seismic, flood, and fire  
2 initiators, and are modeled as seismic events, again  
3 for the same reason, because there was much more  
4 widespread damage, and a lot more equipment that was  
5 unavailable.

6 MEMBER CORRADINI: So in a similar fashion  
7 as you said in Peach Bottom, the seismic encompasses  
8 what might have been a fire or flood event?

9 MR. PRATO: That's correct. It bounds it.  
10 The IS LOCA and steam generator tube rupture are due  
11 to random equipment failure, and then by a number of  
12 operator errors.

13 This is a sample of sequences high level,  
14 but hopefully it will give you a feel for how this  
15 process was implemented. This sample sequence is a  
16 loss of a vital AC bus. This sequence was selected  
17 and assessed for demonstration purposes only.

18 MEMBER BLEY: Can I reflect back on your  
19 last two view graphs? If I got it right, in general,  
20 we're saying we're using, although you're not doing it  
21 here, a cutoff of 10 to the minus 6 per year on  
22 sequences, and yet our dominant sequence is about 10  
23 to the minus 6 per year. Is that right?

24 MR. PRATO: That's correct.

25 MEMBER BLEY: Have I got the story right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. PRATO: Rich, that's correct, isn't  
2 it?

3 MR. SHERRY: Yes.

4 MEMBER BLEY: That seems troublesome, but  
5 go ahead.

6 MR. SHERRY: I guess I don't understand  
7 your question. In what sense were you referring --

8 MR. PRATO: I understand his point.

9 MEMBER BLEY: If the biggest thing there  
10 is is about one times 10 to the minus 6, and you don't  
11 look at anything else, it makes me uncomfortable that  
12 there might be other things that would add up to  
13 substantially more than that.

14 MR. SHERRY: In the external events, or  
15 internal events, or across the board?

16 MEMBER BLEY: Any events.

17 MR. SHERRY: I think I can say fairly  
18 confidently for the internal events, that we probably  
19 captured the risk dominant sequences for the PWR for  
20 Surry. Okay? And I suspect -- well, I really can't  
21 make that statement for Peach Bottom.

22 For external events, it's harder to make  
23 that claim because we, essentially, obtained our  
24 sequences by looking at older studies. We really  
25 didn't use up-to-date -- we didn't have up-to-date

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seismic PRA or other external event PRA results for  
2 these plants, so we essentially looked at past  
3 studies, like NUREG-1150, whatever information we  
4 could get from the IPEEEs, and made judgments about  
5 what the dominant sequence characteristics would be.  
6 And, typically, station blackout was a typical  
7 frequency dominant sequence for seismic events.

8 CHAIRMAN SHACK: There's references to  
9 SPAR external events models. Just what are they?

10 MR. SHERRY: For a limited number of  
11 plants, there have been a number of SPAR models which  
12 have been upgraded to include, to a limited extent,  
13 external events. Seismic --

14 CHAIRMAN SHACK: Does that include Surry  
15 and Peach Bottom?

16 MR. SHERRY: Yes.

17 CHAIRMAN SHACK: So you do have a seismic  
18 PRA of some sort.

19 MR. SHERRY: Except that these haven't  
20 really been validated in any sense. Okay?

21 MR. PRATO: Okay?

22 MEMBER BLEY: Go ahead.

23 MR. PRATO: As I said, sequence was  
24 selected and assessed for demonstration purposes as  
25 not within the scope of SOARCA, because the CDF is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really less than 10 to the minus 6. The MELCOR  
2 analysis showed that this event can be mitigated.  
3 Okay? So even though the sequence indicated that core  
4 damage can be achieved, we were able to mitigate this  
5 event.

6 MEMBER APOSTOLAKIS: I don't understand  
7 this. You're showing us an analysis of a sequence  
8 that should have been screened out?

9 MR. PRATO: Correct, sir.

10 MEMBER APOSTOLAKIS: And the purpose of  
11 this is?

12 MR. PRATO: It's just for demonstration  
13 purposes. When we first started up SOARCA in the  
14 process, and working with MELCOR, we selected a  
15 sequence, and we performed some analysis on it. And  
16 we kept it because we felt that it had demonstration  
17 value.

18 MEMBER APOSTOLAKIS: But this is not going  
19 to convince us that --

20 MR. PRATO: It's not intended to try to  
21 convince you of anything, sir. Okay?

22 MEMBER CORRADINI: Well said.

23 MEMBER STETKAR: Nor could it ever.

24 (Laughter.)

25 MEMBER APOSTOLAKIS: Very well put, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. YEROKUN: If I may try to fend that  
2 off. For the purpose of this discussion, we said  
3 earlier we're not prepared to discuss the preliminary  
4 results of this, sorry. So we've gone through the  
5 process, and all these technical steps. By the way,  
6 my name is Jimi Yerokun. But for the benefit of the  
7 Full Committee, we thought it would be appropriate to  
8 at least give you some demonstration of how this  
9 process works through, some hypothetical sequence, and  
10 go through the whole analysis. And this is one  
11 example where it's not within the scope of the  
12 analysis, but it portrays how we step through using  
13 some other sequences.

14 MEMBER APOSTOLAKIS: But you have produced  
15 results of this sequence?

16 MR. PRATO: Yes, sir.

17 MEMBER APOSTOLAKIS: And you're not going  
18 to show them?

19 MR. PRATO: Well, we show you generally  
20 what the outcome is. I'm going to go through that,  
21 but we don't have the graphs, and the slides, and  
22 everything that went with it. No, sir.

23 MEMBER APOSTOLAKIS: Okay.

24 MR. PRATO: Okay?

25 MEMBER APOSTOLAKIS: All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: The initiator was a loss of  
2 Division IV DC power resulting in a scram, MSIV  
3 closure, and containment isolation, a RCIC auto-  
4 started, and one CRD pump was active and still  
5 available. The initial operator actions, the load  
6 shed to maximize duration of the DC power, they  
7 maximize the flow of the single CRD pump. The CRD  
8 pump at this facility has a range of 110 to 180  
9 gallons per minute depending on RCS pressure, but that  
10 110, there is some throttling involved, so they go  
11 down and they open it up, and that 110 basically turns  
12 into 140 at normal RCS pressure.

13 They depressurized the RCS in about an  
14 hour and a half, which with the CRD and RCIC flow they  
15 had to secure the CRD from four to seven hours to  
16 prevent reactor pressure vessel over-fill. The  
17 capacity of make-up was sufficient to prevent core  
18 damage, even though core damage was predicted by the  
19 Level 1 PRA.

20 MEMBER BLEY: I take it this plant's Level  
21 1 PRA did not take advantage of the CRD pumps?

22 MR. PRATO: Sir, I'm -- that's right on  
23 the next slide.

24 MEMBER BLEY: Oh, sorry.

25 MR. PRATO: Sufficient injection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 capability, there was sufficient injection capability  
2 to prevent core damage. The SPAR didn't credit the  
3 CRD for coolant makeup. Reactor pressure vessel  
4 depressurization, and maximization of CRD flow are  
5 important to operator actions to optimize recovery.  
6 One other thing that we didn't consider, that wasn't  
7 considered was standby liquid control, was also  
8 available for high pressure injection at about 50  
9 gallons per minute. And battery duration was  
10 determined to be important for RCIC operation and  
11 instrumentation.

12 MEMBER BLEY: Let me interrupt you again.  
13 I'm sorry for so many. You thanked the utilities for  
14 cooperating. Did they cooperate in the performance of  
15 the analysis, or in allowing their plant and their PRA  
16 to be used?

17 MR. PRATO: They were involved in the  
18 performance analysis. We did make a site visit. They  
19 did review our sequence truncation and verified it,  
20 and we had some exchanges on that. We added one or  
21 two, and they've taken one away.

22 MEMBER BLEY: This one had a lot of human  
23 actions. Were they involved in the quantification of  
24 the human actions?

25 MR. PRATO: They were involved in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mitigative measures analysis. They provided a lot of  
2 input and insights.

3 MEMBER BLEY: I mean, on things like  
4 whatever you came up with on -- or is that as shedding  
5 load and that sort of thing on the DC part of what  
6 you're talking about?

7 MR. PRATO: We had a lot of procedures for  
8 this facility, and we, basically, assessed -- yes.

9 MEMBER BLEY: And I know you said this  
10 earlier, I just want to confirm. For the Level 1  
11 PRA, you used the SPAR PRA. Is that right? I mean,  
12 you used that as the basis for coming up with your  
13 scenario.

14 MR. PRATO: That's correct.

15 MEMBER BLEY: Okay. Do those now really  
16 have a thorough coupling of all the dependencies among  
17 systems in those models? I know not too long ago they  
18 did not.

19 MR. CHEOP: We have the full set of fault  
20 trees, and event trees to couple all different  
21 dependent failures, and human errors.

22 MEMBER BLEY: So that is pretty thorough  
23 and the utilities will have --

24 MR. CHEOP: That's correct.

25 MEMBER BLEY: Okay. Thanks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: Okay. And that brings us to  
2 the conclusion on the sequence sample. The only other  
3 thing left is the report on the status of the latent  
4 cancer fatality reporting. The history behind this is  
5 one of the key objectives of SOARCA is risk  
6 communication, and for the non-NRC staff, risk  
7 communication in this context does not refer to  
8 communicating PRA information. It's more general.  
9 It's a methodology of reporting very technical  
10 information, and coming up with a unified  
11 understanding of the information, coming up with a  
12 single outcome of the information. And, initially, we  
13 proposed to do a range of doses, and we felt that a  
14 range of doses conflicted with the risk communication  
15 aspect of SOARCA, which is one of our more important  
16 criteria, so what we decided to do is we decided to  
17 take a look at other options for reporting latent  
18 cancer fatalities. And we're putting together a  
19 Commission paper to inform the Commission, and right  
20 now what you see here is we have three options. Very  
21 recently, we had other considerations thrown at us.  
22 The three options we are considering on this slide is  
23 range of threshold, linear no-threshold, or an  
24 estimated point value based on a Health Physics paper.  
25 We are also looking at other things, like just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reporting dose. We are looking at potentially  
2 truncating distance. There's a number, a variety of  
3 variations, and our overall objective is to come up  
4 with one single answer for each sequence at each site,  
5 instead of coming up with multiple.

6 MEMBER SIEBER: These are very  
7 conservative. Right?

8 MR. PRATO: Yes. This process is still  
9 ongoing. We believe that it's going to come to  
10 conclusion relatively in the near future, but right  
11 now, we're still in the final development stage of the  
12 Commission paper.

13 MEMBER SIEBER: I was thinking if these  
14 are realistic, I'm in trouble.

15 MR. PRATO: Excuse me, sir?

16 MEMBER SIEBER: If these are realistic,  
17 I'm in trouble after of SCAT scans.

18 MR. PRATO: Me too. Me too. That  
19 completes the presentation. Any other questions?

20 MEMBER BLEY: As you left that last one,  
21 what kind of a point value are you leaning toward?

22 MR. PRATO: We are not leaning towards  
23 anything. The staff is working out the options, and  
24 we will probably evaluate the options. And we may  
25 make a recommendation, we may let the Commission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decide. The final form of this Commission paper has  
2 not been decided yet.

3 MEMBER BLEY: Have you got a  
4 recommendation from the other Committee?

5 MR. PRATO: The ACNW?

6 MEMBER BLEY: Yes.

7 MR. PRATO: The ACNW did not give us a  
8 formal recommendation. They asked us to consider  
9 dose, and they asked us to consider risk. We are  
10 looking at them as potential options.

11 MEMBER BLEY: Thank you.

12 CHAIRMAN SHACK: Any more questions?

13 MR. PRATO: Any questions, anybody? Thank  
14 you.

15 CHAIRMAN SHACK: Thank you very much. Mr.  
16 Lymen, I think you wanted to make some remarks.

17 MR. LYMEN: Yes, if I may.

18 (Off the record comments.)

19 MR. LYMEN: Can you hear me? I  
20 appreciate, as usual, the opportunity to make a few  
21 remarks here. And, actually, when I walked in and  
22 heard the opening discussion, I was wondering if it  
23 was even necessary, because I think many of the  
24 comments I heard from the Committee already reflect a  
25 lot of our concerns.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'd say the bottom line is that my  
2 organization, the Union of Concerned Scientists, is  
3 very supportive of an authoritative and independent  
4 study that would approve the technical credibility and  
5 accuracy of analyses of consequences of severe  
6 accidents. And two issues, in particular, is one, can  
7 protective actions be improved based on better  
8 information, and can better siting decisions be made  
9 in the event that new reactors are actually located  
10 around the country, which is going to become  
11 increasingly important. But our view, at this point,  
12 is that SOARCA is not on track to fulfill this role,  
13 and that's because the political goals from the outset  
14 threaten to overwhelm the technical part.

15 What is the real point of SOARCA, it seems  
16 to be knocking down a strawman, which was the 1982  
17 CRAC2 study. And as you already discussed, a lot of  
18 the public rationale for SOARCA seems to ignore the  
19 fact that NRC staff, and contractors, and licensees  
20 have been severe accident analyses for more than 20  
21 years in the interim, including NUREG-1150, source  
22 term is based on MELCOR, at least its initial  
23 formulation, and are commonly used in regulatory  
24 applications. So there is a whole body of work since  
25 then, and to say we haven't done anything since 1982

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really makes -- exaggerates the importance of this  
2 project. It's really an incremental improvement over  
3 what's already been done.

4 And looking at some of the statements that  
5 have been made about it, the SOARCA project may show  
6 that a large early release may not credibly exist, for  
7 example, raises the concern that the real point is to  
8 rehabilitate severe accident analysis to eliminate the  
9 most risk-significant sequences on the basis that  
10 they're low probability.

11 Now one concern we have is the  
12 inappropriate focus on risk communication. That has  
13 been part of this project, in the forefront from the  
14 beginning. Results will be presented documented risk  
15 communication techniques to achieve public  
16 understanding, which is a little Orwellian in my view.  
17 The fact is, a risk communication plan has already  
18 been developed for this project years before the  
19 study's results are even going to be available, and  
20 that raises suspicions if the PR aspects of this  
21 project are predominant. And we say really, "Just the  
22 facts, ma'am." If you really want to achieve public  
23 understanding, the best way to be clear about all your  
24 assumptions and arguments in a step-wise fashion, so  
25 that the impacts of the various changes to previous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 studies, like CRAC2 or NUREG-1150, can be readily  
2 observed and understood. And we would strongly advise  
3 against bundling everything you're doing to a black  
4 box and spitting out a best estimate, and forcing the  
5 public to unravel, to the extent we can, exactly  
6 what's been going on here. And I think the discussion  
7 earlier makes clear that there is a lot going to this  
8 recipe, and it would be better if we did understand  
9 those changes incrementally so we can see what are the  
10 significant differences.

11 Now with regard to risk communication,  
12 going into a little history, there's a reason why  
13 CRAC2 made the front page of the "Washington Post" in  
14 1982, was not because it was necessarily so  
15 frightening, it was because NRC was originally only  
16 planning to release the mean values across the  
17 meteorological distribution that is generated by these  
18 codes, and someone leaked the files that showed the  
19 maximum, or peak consequences for in worst case, where  
20 the scenarios were evaluated, and it was that fact, I  
21 think, that led to the reason why it got as much press  
22 as it did, which should be a lesson, that if you're  
23 open about what you're doing, you don't try to parse  
24 the results for public perception that you're going to  
25 be better off in the long run.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This excessive secrecy marking this  
2 project, which is a concern. The original SECY and  
3 SRM are still being withheld from the public in their  
4 entirety, despite the objection of one of the  
5 Commissioners. And many of the meetings discussing  
6 SOARCA have been closed, in some cases with,  
7 apparently, inappropriate rationales. And one example  
8 was the ACNW meeting a few weeks ago where I was  
9 closed on the basis that it would be pre-decisional,  
10 meaning it would have a severe impact on a regulatory  
11 decision, except that SOARCA, by definition, has no  
12 regulatory application, and is a project plan, so it  
13 looked pretty ridiculous to say that that was pre-  
14 decisional with regard to any regulatory decision, and  
15 the meeting was opened after that was challenged.

16           MEMBER APOSTOLAKIS: The SRM is not  
17 public?

18           MR. LYMEN: No. And I asked for it. I  
19 sent a letter and was told it's sensitive.

20           Now with regard to SOARCA, there are good  
21 things. And to the extent MELCOR, accident  
22 progression and source term development can be updated  
23 using reactor-specific data, input decks and  
24 experimental insights that have been achieved through  
25 Phebus and other severe accident studies, that's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 good thing. And understanding, if there is more data  
2 to better understand containment performance, and I'm  
3 not sure there actually is, but to the extent there  
4 is, and that can be fed in, that seems to be a big  
5 uncertainty in my review of NUREG-1150, and the way  
6 expert elicitation was used to gloss over things that  
7 weren't known about containment performance. That  
8 would be very beneficial.

9           And, again, if you can model protective  
10 actions better and with more accuracy, and you can  
11 come up with better results in what you do, those are  
12 good. But one of the bad things is what appears to be  
13 a totally inconsistent way of truncating these low CDF  
14 sequences, and I think if you're screening out five,  
15 or even 10 percent of a CDF, that is not an  
16 insignificant chunk. In fact, if you look at what the  
17 LERF would be for those plants, you can see that it  
18 would be less than 10 percent, usually, so you would  
19 be clearly taking a big bite out of a LERF. And it  
20 seems like external events are being treated  
21 inconsistently, low powering shutdown risks are being  
22 treated at all, which is absurd, because it's the  
23 shutdown risk that may dominate early releases if the  
24 containment is open. And it just seems like the way  
25 the truncation is being done, you're introducing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 round-off error that will round-off and eliminate  
2 exactly the things that you should be looking at, and  
3 it's absurd, circular reasoning. If you take out the  
4 events that would lead to most severe consequences and  
5 you find the consequences are less than you thought,  
6 that's circular reasoning.

7 Also, credit for unregulated measures,  
8 like SAMGs, seems to be inappropriate. I think that  
9 what I heard earlier is that these have been  
10 demonstrated, accidents have been demonstrated to be  
11 preventable where containment failure or whatever  
12 through SAMGs. I don't think SAMGs have ever  
13 demonstrated anything. Those are voluntary measures,  
14 and they're not regulated, not tested in any  
15 verifiable way, and they should not be credited, at  
16 least, to the extent they are. If, again, as I heard  
17 earlier, both the results with and without SAMGs have  
18 been evaluated, and present both of those to the  
19 public, and explain why you believe the SAMG one is  
20 more credible.

21 Finally, the "ugly" is the use of dose  
22 thresholds in direct contradiction to recommendations  
23 of the BIER VII Committee, among others, and I won't  
24 belabor this point, but NRC is going to have to do a  
25 lot of work to justify why this recommendation should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be ignored in the study, if it goes in that direction.  
2 And I think that would severely undermine its  
3 credibility.

4 Now what was so bad about CRAC2? Well, I  
5 went back and looked at CRAC2, and it seems like it,  
6 obviously, isn't applicable today, but the reasons are  
7 different from what we've heard. For instance, CRAC2  
8 uses 1970 census data. It actually assumed the entire  
9 EPZ would be completely evacuated within six hours  
10 after the warning was issued, when current evacuation  
11 time estimates are generally much longer than that, so  
12 it was actually more conservative than appropriate in  
13 some cases. It assumed medical treatment for all  
14 victims of acute radiation exposure would be  
15 aggressive. It used a BIER III correlation for cancer  
16 fatalities, which is out of date, and underestimates  
17 by a factor of four, compared to ICRP-60. And it only  
18 sampled a handful of weather sequences, because it at  
19 that time, it took a long time to run a weather  
20 sequence. Today, you can run an entire year's worth  
21 of weather times 16 wind directions in a matter of  
22 minutes, so there's no reason to use sampling any  
23 more. You can use the entire year's worth of weather  
24 data, and you get a much larger number of results for  
25 your consequence distribution. I found comparing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sampling only 100 weather sequences compared to the  
2 full year underestimates peak consequences by about 30  
3 percent.

4 So we've been using MACCS-2 for a long  
5 time, and find, in particular for Indian Point, the  
6 CRAC2 was -- actually gives fairly good results  
7 compared to what you can do with NUREG-1465. And we  
8 used NUREG-1465 as a starting point for source terms,  
9 because it is recommended, has been vetted, expert  
10 panel reviewed it for applicability to high burn-up  
11 fuel only a few years ago, and basically confirmed it  
12 was appropriate. It's being used for design-basis  
13 applications by a number of licensees, but it's not  
14 being used for any severe accident applications, even  
15 though it does actually cover severe accidents. And  
16 the question is why? That's generally because if you  
17 use it for design-basis applications, it gives the  
18 licensees a benefit, while actually make things worse  
19 if you look at the full severe accident term, so just  
20 showing the source term that I used based on NUREG-  
21 1465 truncated after about two hours, so there's a  
22 tail that we need to consider, comparing that to,  
23 let's say, what Entergy used derived from MAAP for  
24 Indian Point in their license renewal application, a  
25 source term which has a lot of odd things about it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 22.9 hour duration, and release fractions which are  
2 generally lower in most categories than for NUREG-  
3 1465. And the consequences are dramatic in  
4 comparison, and so the results within 50 miles, the  
5 mean consequences for Indian Point using the 2034  
6 population density are 860 early fatalities, mean  
7 latent cancer is 38,500, the peak early fatalities  
8 70,800, peak latent cancer is almost 700,000. So  
9 since NUREG-1465 corresponds to a low pressure event  
10 like large break LOCA, you can see why staff from  
11 these results may not want to consider large break  
12 LOCAs, if they can avoid it.

13 So my conclusions are if the main impact  
14 of SOARCA is to reduce severe accident consequences by  
15 eliminating consideration of large early releases,  
16 that's circular reasoning. The more reasonable  
17 approach would be to group sequences, not to truncate  
18 at the CDF level, to truncate at the Level 2 so that  
19 you have the frequencies of the various release  
20 classes, and then do your screen at that point, which  
21 was an approach that was rejected from the beginning.  
22 The inclusion of thresholds without authoritative  
23 technical justification is going to undermine the  
24 credibility of the results.

25 And finally, to get an apples-to-apples

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comparison, the way to do that is when changes are  
2 made, that people understand the impact of each  
3 particular change, and not simply the entire package  
4 handed to you without a clear understanding of what  
5 went into it. So without that, we can't understand  
6 what's due to better data, improvement of the codes,  
7 better technical understanding, what's due to simply  
8 changing the ground rules by what accidents or  
9 sequence are and aren't considered. So my  
10 recommendation, I'm glad to hear there's going to be  
11 an external peer review, that is one of my  
12 recommendations, and I believe the best way to -- for  
13 the credibility of the study to be insured is to  
14 publish the results in a peer review journal. So with  
15 that, I thank you.

16 CHAIRMAN SHACK: Any questions for Mr.  
17 Lymen?

18 MEMBER STETKAR: Can we get a copy of the  
19 slides?

20 MR. LYMEN: Absolutely.

21 MEMBER POWERS: Ed, let me ask a question.  
22 The Health Physics Society seems - and I'm being  
23 cautious in what I say - try to reproduce what they've  
24 said, but, in effect, they've said look, you get doses  
25 below about 100 millirem per year, don't try to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything with it, because it's difficult to calculate  
2 down there, it's hard to measure things and whatnot.  
3 So for the purposes of assessing risk, cut it off at  
4 100 millirem for something like that. I mean, what's  
5 your take on all that?

6 MR. LYMEN: Well, my take is that if  
7 you're going to make a radiation protection  
8 recommendation, that it has to be based really on the  
9 most authoritative sources. And the Health Physics  
10 statement is not really supported by peer review  
11 references, as was BIER VII. BIER VII had the  
12 opportunity to consider, and they did at length, the  
13 literature supporting the notion for thresholds, and  
14 like you said, it wasn't. But the other thing to  
15 consider is that well, if you're talking about  
16 uncertainties and low dose, that actually does  
17 coincide with the uncertainties in doing atmospheric  
18 modeling beyond a certain radius, so to avoid having  
19 to say you're using a dose threshold, a better  
20 approach would simply be to say that we don't think  
21 the MACCS-2, the validity of the code is really -- is  
22 that useful beyond 50 miles radius, correspondence  
23 between lower doses and longer distances, so that  
24 would be a way to dance around what the actual --

25 MEMBER POWERS: Yes, but that's another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take. By the time you get out there, but I was just  
2 interested in the view on the Health Physics.

3 The other thing they emphasize in BIER VII  
4 in their view, is there is a wide perception that  
5 somehow linear no-threshold comes from people not  
6 knowing how you draw a straight line, they know it's  
7 based on a biochemical model. And you really can't  
8 contest it unless you have a contesting biochemical  
9 model. And you struggle heroically to come up with a  
10 biochemical model that for low LET radiation could  
11 yield a threshold, because it involves double breaks  
12 to the DNA strands, which are not easily repaired.  
13 And the analogy drawn to chemical effects is  
14 inappropriate, because chemical effects are all single  
15 breaks to DNA strands. And so, yes, BIER VII is a  
16 fairly authoritative, but now you get down to the  
17 practicality of doing calculations. And like you say,  
18 I mean, it seems to me the argument to make, one  
19 argument certainly you could appeal to Health Physics,  
20 but the other one is, there's a point where MACCS just  
21 breaks down as a useful computation --

22 MR. LYMEN: Right. And that may not  
23 coincide with the dose threshold you're talking about.  
24 That's the only thing. But right, I mean the  
25 conclusion of BIER VII was that a single DNA lesion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can lead to cancer, and on that basis, there is no  
2 model that would justify --

3 MEMBER ARMIJO: Well, that kind of flies  
4 in the face of a lot of research at the cell level  
5 that directly refutes that assumption, that one single  
6 lesion instantly leads, or without doubt will lead to  
7 cancer. And I've been trying to read up on this work  
8 by --

9 MEMBER POWERS: BIER VII didn't say that.

10 MEMBER ARMIJO: Well, that's what I heard  
11 from the --

12 MEMBER POWERS: It's a probabilistic  
13 argument.

14 MEMBER ARMIJO: Well, I think the -- I  
15 guess I'm more impressed by experimental work. I've  
16 been reading some of the work of Dr. Mitchell of AECL  
17 and others, and I think there's just a preponderance  
18 of information that tells us that a threshold does  
19 exist. And I think it's -- to say we mustn't think  
20 about it, we mustn't talk about it, because that's  
21 perhaps politically incorrect, just bothers me.

22 MR. LYMEN: No, that's not what I'm  
23 saying. Think about it, talk about it, but support it  
24 with argument. And in the context of radiation  
25 protection, it really has to be weight of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evidence, and if you don't -- to those who believe the  
2 data reads that radiation protection standards and  
3 models should be changed, there simply isn't enough of  
4 a coherent body of evidence to support that change.  
5 And BIER VII, had the opportunity to say that, and  
6 they rejected it, so at this point, it does not make  
7 sense to include a threshold in these models, and it  
8 is going to undermine the credibility of the result,  
9 a three-year study and all the effort that's going  
10 into all the various aspects of it should not be  
11 undermined on that point.

12 CHAIRMAN SHACK: Further questions or  
13 comments?

14 MEMBER POWERS: It's also fair to say that  
15 BIER VII did a comprehensive examination of the  
16 biochemical evidence. And, interestingly, they came  
17 back saying that there's pretty good evidence that  
18 there's no threshold in the case of neutron damage.  
19 And it's only the LET, Low Energy Transfer, radiation  
20 where this uncertainty exists.

21 MR. LYMEN: Right, because high LET  
22 radiation, high LET particle can cause multiply  
23 damaged sites.

24 CHAIRMAN SHACK: Okay. Well, thank you  
25 very much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. LYMEN: Thank you. I appreciate it.

2 CHAIRMAN SHACK: We're going to take a  
3 break now. Thank the staff again for their  
4 presentation. Good discussion. Take a break until  
5 3:15. We're off the record.

6 (Whereupon, the proceedings went off the  
7 record at 3:01:19 p.m.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25