

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PUBLIC MEETING  
BETWEEN U.S. NUCLEAR REGULATORY COMMISSION O350 PANEL  
AND FIRST ENERGY NUCLEAR OPERATING COMPANY  
OAK HARBOR, OHIO

---

Meeting held on Wednesday, November 13, 2002, at  
2:00 p.m. at the Oak Harbor High School, Oak Harbor, Ohio,  
taken by me Marie B. Fresch, Registered Merit Reporter, and  
Notary Public in and for the State of Ohio.

---

PANEL MEMBERS PRESENT:

U. S. NUCLEAR REGULATORY COMMISSION

- Mr. John "Jack" Grobe,  
Chairman, MC 0350 Panel
- Anthony Mendiola,  
Section Chief PDIII-2, NRR
- Christine Lipa, Projects Branch Chief
- Douglas Simpkins, NRC Resident Inspector
- Christopher Scott Thomas,  
Senior Resident Inspector  
U.S. NRC Office - Davis-Besse
- Jon Hopkins, Project Manager Davis-Besse
- Sam Collins, Director of the Office  
Of Nuclear Reactor Regulation
- Marty Farber, System Health Inspector

FIRST ENERGY NUCLEAR OPERATING COMPANY

- Lew Myers, FENOC Chief Operating Officer
- Robert W. Schrauder,  
Director - Support Services
- J. Randel Fast, Plant Manager
- James J. Powers, III  
Director - Nuclear Engineering
- Steven Loehlein,  
Manager - Quality Assessment
- Michael J. Stevens,  
Director - Nuclear Maintenance
- Mike J. Ross  
Manager - Operations Effectiveness
- John J. Grabnar,  
Manager - Design Basis Engineering

---

1 MS. LIPA: Good afternoon.  
2 I would like to extend a welcome to the public and to  
3 FirstEnergy for coming to this public meeting.  
4 I'm Christine Lipa, and I'm a member of the NRC's  
5 Oversight Panel and I'm also Branch Chief in NRC's Region  
6 III Office; and I have overall responsibility for NRC's  
7 Inspection Program at Davis-Besse.

8 We'll go through the rest of the introductions in a  
9 few minutes. I want you to refer to our agenda that we  
10 have over on our left. The purpose of today's meeting is  
11 to discuss recent NRC oversight activities and  
12 FirstEnergy's progress on their Return to Service Plan.

13 This meeting is open to the public, and there will  
14 be opportunities before the end of the meeting for the  
15 public to ask questions of the NRC. This is considered a  
16 Category One meeting in accordance with NRC's policy on  
17 conducting our public meetings. And like I said, before  
18 the meeting is adjourned, we will make opportunities for  
19 questions.

20 We're also having this meeting transcribed to  
21 maintain a record of the meeting, and the transcription  
22 will be available on our web page. It's usually about 3 to  
23 4 weeks after the public meeting.

24 In the foyer today, you probably received an agenda  
25 and some handouts. And, you will also see one of the

1 handouts is the November edition of our monthly  
2 newsletter. We've been doing that for three times in a row  
3 now. Also, there are meeting feedback forms that you can  
4 use to provide feedback to us on the format and the content  
5 of the meeting.

6 I would like to start off with introductions on the  
7 NRC panel here today. On the far left, we have Doug  
8 Simpkins, who is the Resident Inspector of the Davis-Besse  
9 Plant.

10 And, next to him we have Jon Hopkins. He is the  
11 Project Manager in Headquarters Office in NRR for Licensing  
12 Activities.

13 Next to Jon is Tony Mendiola. He's Supervisor at  
14 NRR for Licensing Activities of Davis-Besse.

15 Next to Tony is Sam Collins. Sam is the Director of  
16 the Office of Nuclear Reactor Regulation at Headquarters.

17 On my left is Jack Grobe, and he's the Senior  
18 Manager in the Region III Office, and he's also the  
19 Chairman of the Oversight Panel.

20 To my right is Scott Thomas. And Scott is the  
21 Senior Resident Inspector at the Davis-Besse facility.

22 And, next to Scott is Marty Farber. And Marty  
23 Farber was the lead for the System Health Inspection, one  
24 of the inspections that we recently completed at the  
25 facility.

1       Also, from the NRC in the audience we have Viktoria  
2 Mitlyng. She's our Public Affairs Officer. There is  
3 Viktoria.

4       And, we have Jay Collins. He is General Engineer on  
5 rotation at the Davis-Besse facility and he's offering the  
6 slides for us today.

7       We've also got Nancy Keller, who is out in the foyer  
8 greeting everyone with the handouts, and she's the Office  
9 Assistant for the Davis-Besse Inspector Office.

10       And also Rolland Lickus. Who is our state liaison  
11 from Region III.

12       And the transcriber is Marie Fresch from Norwalk,  
13 Ohio.

14       Okay. Before I turn it over to the FirstEnergy  
15 folks, I wanted to see if there are any representatives or  
16 public officials in the room. I know I saw Jere Witt. Do  
17 you want to stand up and introduce yourselves.

18               MR. WITT:           Jere Witt, County  
19 Administrator.

20               MS. LIPA:           Jere.

21               MR. ARNDT:           Steve Arndt,  
22 County Commissioner.

23               MR. KOEBEL:           Carl Koebel,  
24 County Commissioner.

25               MS. LIPA:           Okay. Thanks.

1 And, if you would like to introduce your staff,

2 Lew.

3 MR. MYERS: Yes, thank you.

4 We have some people in the audience. Bob Saunders,

5 the President of FENOC. Also, Gary Leidich, our Executive

6 VP is here. Bill Pearce is also in the audience, Vice

7 President of Quality.

8 There is, our first slide, there has been some

9 change. Remember when we first started on the public

10 meetings, we talked about the senior management changes

11 that were made at Davis-Besse, and also at FENOC. This

12 first slide up here, I want to talk a little bit today.

13 We have a new position with Fred Glese. He's not

14 with us today I don't think, but Fred is the Manager of

15 Human Resources. And he's very much involved with, in our

16 Leadership in Action Programs, the Management Programs that

17 we use to develop our supervisors' management skills across

18 our site. So, that position has been added.

19 Additionally -- next slide. And, Fred also reports

20 to Debbie Sergi, our new Manager in FirstEnergy that I

21 didn't show, that's called Talent Resource Manager. And

22 that's a new position at FirstEnergy. We think it's very

23 important.

24 Also some other people that I show on the next slide

25 is, we have, I talked about Fred Glese.

1 Steve Loehlein is with us today. Steve is at the  
2 end of the table, will be presenting. You know Steve  
3 Loehlein, you know already from the Root Cause  
4 Investigation, and Technical Investigation. He did such a  
5 good job, we decided to make him Quality Manager. So, he's  
6 now part of our team.

7 And Randy, who is in the office audience. We brought Randy  
8 in to focus on Safety Conscious Work Environment. We  
9 talked some about Safety Conscious Work Environment at our  
10 other meetings. We know that's very important, so we have  
11 Randy to really focus in on the Safety Focus Work  
12 Environment on our site.

13 Dave Gudger is here. And Dave is over from our  
14 Perry Plant. Has a Bachelor in Science Degree. Six years  
15 experience. I think 14 years at Carolina Power and Line Light.  
16 He's also certified. He's running our Corrective Action  
17 Program. And, you know, that was one of the programs that,  
18 that we had real concern about, and the AIT letter.

19 And then Greg Dunn is with us today also. Greg  
20 holds a Bachelor of Science Degree. He's from our Perry  
21 Plant. He's also an SRO for them. He has 22 years of  
22 experience in Operation and Outage Management and we're  
23 really happy to have Greg with us.

24 And Jean Ringle Rinkle is next to him. Jean is our field fuel  
25 person, does all our nuclear fields fuels.

1 One of the people not with us, gentleman named Pete  
2 Roberts. We brought him in to be, he's on the night shift,  
3 that's the reason he's not here. The Manager of  
4 Maintenance. And, that's a change also. So, Pete comes to  
5 us. He has a Bachelor of Science Degree in Nuclear  
6 Engineering. He was a System Engineering Manager at  
7 another station. Has 18 years of experience in SRO;  
8 certified from our Perry Plant. So, he left our company,  
9 went to another company and we brought him back. So, we're  
10 happy to have him back at this time.

11 So, that's some recent change we have made in the  
12 management level. I wanted to fill you in on some of those  
13 areas before we got started today.

14 To my left, at the end of the table is John  
15 Grabnar. John came to us by Perry Plant. He was an SRO,  
16 went through the SRO training, came over in charge of  
17 Design Engineering. Glad to have him here also. He'll be  
18 talking about -- as you know, we had some issues with the  
19 reviews of, System Reviews; and we want to talk to you  
20 about some of the issues we found there. He'll be doing  
21 that today.

22 Jim Powers is next to him. You know Jim. Jim is  
23 going to talk about System Reviews.

24 I'll discuss some of the Management Reviews, how  
25 that's going. We've talked about that before.

1 Randy doesn't really have a part today, so we're not  
2 sure what he's doing up here. No, we wanted him up here.

3 And Mike Ross is with us, supporting Randy. We  
4 brought Mike Ross in, because he's an operational expert.  
5 And that's what we consider him. He's really focusing on  
6 the operational ownership of our plant. We'll let him give  
7 you the status of that.

8 Mike Stevens is last on the schedule.

9 Steve Loehlein, the last thing we wanted to talk  
10 about Value-Added from our Quality Group; and he's in that  
11 position. I think they've taken some really good steps.  
12 He's going to brief you on that.

13 And finally, Bob Schrauder, who will talk to you  
14 about the reactor vessel head, so we'll hear more from  
15 him.

16 Let me get started with the desired outcomes.

17 MS. LIPA: Lew, I was going  
18 to go through the rest of the agenda before turning it over  
19 to you.

20 MR. MYERS: Okay.

21 MS. LIPA: If that's all  
22 right.

23 Just one question on that slide, on the dark  
24 blue "New to Position". Is that since a certain date? The  
25 next slide, up one.



1           MR. MYERS:        You know, some of  
2 those, the last time, and I just sort of described the new  
3 ones since then.

4           MS. LIPA:         Okay.

5           MR. MYERS:        So, the FENOC  
6 Organization continues to change somewhat. And, the focus  
7 on the issues that we had at the Davis-Besse Plant to  
8 strengthen us there, and FENOC also at the management  
9 level, bringing people in.

10          When we were here the last time, I know you talked  
11 about the changes we made in the senior managers. I'm just  
12 updating on the changes we made in management level, some  
13 of the actions we've had. Just a continuing process.

14          MS. LIPA:         Okay, thank you.

15          The next thing I would like to cover on the next  
16 slide is just a summary of what we talked about at last  
17 month's public meeting on October 16th.

18          During this meeting, the Licensee FirstEnergy  
19 presented and we discussed a variety of topics. I want to  
20 go through some of the highlights.

21          We talked about the, FirstEnergy gave a discussion  
22 of the restart progress, including some major milestones  
23 and some projects that have been completed. Their  
24 integrated schedule for completion of activities and  
25 performance indicators to measure performance in various

1 areas.

2 The next item was the Reactor Vessel Head  
3 Resolution. And they updated us on the containment vessel  
4 and shield building restored and the vessel head was in  
5 place.

6 On the Containment Health Assurance. FirstEnergy  
7 provided updates on work going on in containment. A lot of  
8 work going on in containment, including the containment air  
9 cooler refurbishment and redesign and a big project on  
10 emergency sump.

11 On System Health Assurance, last time they discussed  
12 the results of their ongoing reviews of various systems,  
13 and that they had identified numerous discrepancies that  
14 would be screened through the process and needed to be  
15 evaluated and most have been corrected before restart.

16 The next building block that they updated us on was  
17 the Program Compliance Reviews, and they gave us brief  
18 updates on the progress in this area.

19 And then probably the biggest part of last month's  
20 meeting was the Management and Human Performance  
21 Improvement Plan, and FirstEnergy discussed that there are  
22 several specific reviews and investigations and root causes  
23 that have been completed. And one of those is outstanding,  
24 not yet completed. And that the results of all those  
25 various activities still need to be integrated to show the

1 complete picture, and improvement initiatives are taking  
2 place in parallel with this work.

3 They also updated us on their plans to address  
4 Safety Conscious Work Environment concerns.

5 The next slide that I have that I want to update  
6 everybody on was some recent NRC, well, Restart Checklist,  
7 which has been revised on October 30th. And there are  
8 three pages of the Restart Checklist. This is also in your  
9 handout.

10 And then the other thing I wanted to spend a little  
11 more time on today was the results of some recent NRC  
12 inspections as they relate to specific checklist items.  
13 So, you may have to flip back and forth a little to follow  
14 along, but let's go first to the slide that says, "Results  
15 Of Recently Completed NRC Inspections" and we'll start  
16 there.

17 Now, the results of these inspections are also  
18 summarized in the November monthly newsletter. So, that  
19 has more details than what I have in your packet today.

20 The first item that I want to cover is Reactor  
21 Pressure Vessel Head Replacement Activity. And that covers  
22 checklist item 2.a. And this inspection exited on October  
23 24, which is when the NRC completes their inspection and  
24 has a formal exit meeting with the FirstEnergy officials.  
25 And that report will be 2002-07 and we estimate that that

1 will be out about 30 days from the exit.

2 And findings from that inspection were that the  
3 replacement head met the applicable codes and it was an  
4 acceptable replacement. And the NRC also reviewed the  
5 Technical Root Cause that FirstEnergy submitted and  
6 concluded that the Licensee's analysis was plausible.

7 There is an item that's still remaining before that  
8 checklist item can be closed, and that is the post  
9 replacement pressure test of the pressure vessel. And this  
10 is an ASME Code related test that would be required just  
11 before restart. So, that's established as checklist item  
12 2.a.

13 The next item is Checklist item 2.b, and this is  
14 Containment Vessel Restoration, and this is really the work  
15 that they did to open up the concrete part of the  
16 containment and the metal part of containment to get the  
17 new head in and the old head out.

18 This inspection exited on October 24th, and that  
19 also will be in a Report 2002-07, which will be about 30  
20 days from that exit date, and these reports will be  
21 available on our web page.

22 And this inspection reviewed the concrete repair and  
23 the welding of the containment vessel, and reviewed the  
24 welding records and radiographs of the welds. And the  
25 inspectors found that the activities were well controlled

1 and implemented.

2 One item that's remaining on that checklist item is  
3 the ~~ORT~~ ILRT of the containment. This is a pressure test to  
4 ensure the vessel meets the requirements.

5 The next item is checklist item 2.c. This is  
6 Structures, Systems and Components Inside Containment. And  
7 this exit was held on October 24th. That inspection report  
8 will be 2002-12. This is actually part two of a  
9 Containment Extent of Condition Inspection. We provided a  
10 summary of part one a couple months ago.

11 During this inspection that just exited on October  
12 24th, the inspectors found that plant personnel were  
13 properly trained and qualified and used quality standards  
14 in identifying components that could be affected by boric  
15 acid. The main purpose of this activity was to verify the  
16 adequacy of the Licensee's activities to walkdown all the  
17 systems and components in containment to see if there were  
18 any that could be affected by boric acid.

19 The Licensee identified several items and entered  
20 those items into the Corrective Action Program or Work  
21 Control Process to resolve them. There are several items  
22 that remain before this checklist item can be closed; those  
23 include, there is an issue on the lower vessel nozzles. We  
24 discussed that at length at the last public meeting. That  
25 will be an unresolved item. Another item is the

1 containment air coolers. There is an unresolved item on  
2 the power cables for those coolers. And also there is an  
3 unresolved item on conduit conductivity.

4 Then there are several other open items that  
5 FirstEnergy is tracking on their Corrective Action Program;  
6 and those include the ~~codings~~ coatings in containment, the sump  
7 modification, and there is some environmental qualification  
8 questions on some junction boxes. So, those are the open  
9 issues that remain before that checklist item can be  
10 closed.

11 The next item, which is checklist item 2.d, which is  
12 Systems Outside Containment, I'll let Marty Farber, who has  
13 the lead for that inspection, give you some results.

14 MR. FARBER: Good afternoon.

15 As Christine said, my name is Marty Farber. I'm a Senior  
16 Reactor Inspector in the Division of Reactor Safety in  
17 Region III; and I'm here to discuss the NRC's inspection of  
18 the System Health Assurance Building Block.

19 System Health Assurance is one of the seven Building  
20 Blocks that was developed by FirstEnergy as part of their  
21 Return to Service Plan. This was intended to ensure that  
22 the systems in the plant are in a condition that can  
23 support safe and reliable operation.

24 The program was comprised of two fundamental  
25 approaches. The first part, there were five very important

1 systems that were examined in detail, including looking at  
2 their design basis to identify any latent issues and to  
3 provide reasonable assurance that these systems could in  
4 fact perform their safety and accident mitigation  
5 functions.

6 The second portion of it was called System Health  
7 Readiness Reviews, and there were 31 other important  
8 systems that were examined, but in this case, they did not  
9 go into that design basis or calculation portion of the  
10 inspection.

11 The question would be, why did the NRC choose to  
12 inspect System Health to the depth that we did? First and  
13 foremost, it was important for us to know that if the  
14 behaviors that caused the degradation of the reactor vessel  
15 head, whether these may have led to degradation of other  
16 reactor plant systems.

17 Second, we can tell something about how well  
18 Management and Human Performance corrective actions are  
19 taking hold by how well the Licensee FirstEnergy executes  
20 the program. To this end, we had six fundamental  
21 inspection areas that we were looking at.

22 First, review and evaluate the Licensee's Building  
23 Block, Program Plan, and applicable parts of FirstEnergy's  
24 Return to Service Plan and some other documents that I have  
25 up there. In this case, the Building Block is the System

1 Health Assurance Program.

2 We wanted to take a look at a risk informed sample  
3 of their implementation efforts for the program. What this  
4 would include, we'll be examining all five of those  
5 detailed reviews and a selection from the 31 less detailed  
6 reviews.

7 We had an area to assess the Licensee's independent  
8 oversight for the program. What this entailed was  
9 examining the monitoring that was done by Davis-Besse  
10 Quality Assurance Organization and to examine the  
11 independent system reviews that were performed by  
12 FirstEnergy's Corporate Oversight Department.

13 We wanted to evaluate the adequacy of FirstEnergy's  
14 performance indicators, for this particular System Health  
15 area. We wanted to review the things that they learned  
16 from implementation in these performance indicators, and  
17 review the actions taken in response to the data.

18 FirstEnergy elected to monitor data, such as review  
19 completion and the rate of closing issuing condition  
20 reports. What we did is we evaluated that information. We  
21 watched how FirstEnergy interpreted it and what actions  
22 they took as a result.

23 We wanted to perform an independent inspection to  
24 verify FirstEnergy's results of one of their Latent Issues  
25 Reviews, that's the detailed reviews, to examine three



1 significant systems; service water, high pressure  
2 injection, and high voltage electrical distribution, the  
3 4160 volt system.

4 We also wanted to classify, see how the Licensee  
5 classified, and see if we agreed with sampling of issues  
6 that came out of their reviews from the discovery portion  
7 of the System Health Assurance Plan.

8 The Licensee has a classification scheme. We have  
9 examined that. And what we want to do is assure that they  
10 properly classify the issues that they find and how they  
11 resolve them.

12 To accomplish all of this, we staffed the NRC team  
13 with nine people that had a wealth of design and  
14 operational experience. We drew from within Region III.  
15 We got inspectors from Region IV, which is based out of  
16 Arlington, Texas, and we had two experienced design  
17 consultants who were part of this effort.

18 Where we stand right now. We began this inspection  
19 on September the 3rd and completed the actual inspections  
20 on November the 8th. We held a formal exit this morning  
21 with FirstEnergy. Four of the six inspection areas that I  
22 talked to you of are done. The remaining two areas will be  
23 inspected after the System Health Review Reports are  
24 completed and reviewed, and then we'll come back another  
25 time to examine corrective actions that they take for

1 issues that they discovered.

2 The results of our inspection to-date are that we  
3 determined that FirstEnergy's process for doing these  
4 System Health Assurance Reviews is acceptable. FirstEnergy  
5 identified that there were problems in calculation and  
6 design basis information.

7 We did closely monitor their implementation. I want  
8 to make sure you understand there is a differentiation. We  
9 examined the process and concluded it was adequate. Then  
10 we also examined how well they implemented. We determined  
11 that they did an adequate job of implementation.

12 With regard to their oversight activities, we  
13 reviewed them and we concluded that those were also done  
14 acceptably.

15 The corporate self-assessment was thorough and  
16 identified some deficiencies. Our own team identified a  
17 large number of issues in the area of design basis,  
18 testing, and corrective actions.

19 At the meeting this morning, we informed FirstEnergy  
20 that there were multiple examples of failure to ensure that  
21 the plan's design bases were accurately reflected in  
22 drawings, specifications and procedures.

23 There were several examples of failure to properly  
24 test systems. And there were several examples of failure  
25 to take corrective actions for identified deficiencies.

1       There was also one technical specification violation  
2 for failure to test the high pressure injection system  
3 after the modification that was made.

4       Having gone through all this, what remains in front  
5 of us looking forward on System Health Assurance;  
6 FirstEnergy is evaluating their review results and the  
7 results of the NRC inspections for possible expansion of  
8 the System Health Assurance Program, especially in the area  
9 of design basis and calculations.

10       The NRC will return to further examine System  
11 Health, at the very least when all of the detailed review  
12 reports are approved. We will also return at a later date  
13 to examine corrective actions when enough of those actions  
14 have been completed that we can select the most significant  
15 ones for inspection.

16       That's all. Thank you.

17             MS. LIPA:             Okay, great.

18       Thanks, Marty.

19       Then, the last inspection I would like to update is  
20 the recent Resident Inspection results. And this is from,  
21 mostly from Scott Thomas and Doug Simpkins; and this is the  
22 daily inspection of activities on the site, such as  
23 testing, engineering reviews and temporary plant  
24 modifications.

25       The recent exit, and these occur approximately every

1 6 or 7 weeks, was on October 4th. And that inspection  
2 report is 2002-10; and that was issued on September 30 --  
3 November 30, and that is available on our web page.

4 The results of that was one non-cited violation of  
5 inadequate procedure for building scaffolding and the  
6 scaffolding blocked safety related ventilation for the  
7 emergency diesel generator.

8 And, also observations in that report of minor  
9 significance, but they were still observations of ongoing  
10 weaknesses in engineering, operations and maintenance that  
11 FirstEnergy is correcting. So, that inspection report was  
12 issued October 30, excuse me, and it is available on our  
13 website.

14 The next slide, what I would like to cover is some  
15 continuing NRC inspections. Most of these have already  
16 started. I'm just giving an update. There is a summary of  
17 these on the front page of our November newsletter.

18 The first one is Organizational Effectiveness and  
19 Human Performance Inspection. And, that inspection is  
20 evaluating FirstEnergy's Root Cause Analysis associated  
21 with management organizational effectiveness and human  
22 performance factors that led to the degradation of the  
23 vessel head. And that is an ongoing inspection and hasn't  
24 exited yet.

25 The second activity is the Program Effectiveness

1 Inspection, and that inspection is reviewing the plant's  
2 progress in creating more effective programs for certain  
3 safety significant programs, such as corrective actions,  
4 boric acid, corrosion control, modification control and  
5 others.

6 And then the final continuing NRC inspection are the  
7 two resident inspectors that continue daily inspections,  
8 and that is always underway.

9 There are also some upcoming activities that I  
10 wanted to brief you on. On November 20, the Lessons  
11 Learned Task Force will be holding a public meeting here at  
12 7 p.m., on November 20, to present their findings and to  
13 receive comments from the public.

14 Also, right now a tentative date, November 26, we're  
15 looking to set up two public meetings at headquarters, and  
16 we're planning to have phonelines available for people who  
17 wanted to call in and participate. And those two meetings;  
18 the first one will be a meeting in the morning to discuss  
19 the extensive modification to the containment sump that  
20 FirstEnergy has been designing, and then in the afternoon,  
21 the second meeting in the afternoon will be to discuss the  
22 lower nozzles. And, we discussed this issue last time.  
23 There is a lot of things that the Licensee has been looking  
24 at, plans for testing, and they've been investigating and  
25 coming up with some options. So, that afternoon meeting

1 would be an opportunity to share those with us and with the  
2 public.

3 So, that's all I have for now. I would like to turn  
4 it over to FirstEnergy for your presentation.

5 MR. MYERS: Thank you.

6 We have several Desired Outcomes today. The first  
7 one is to demonstrate, as we discussed last time, the  
8 value-added by our Quality Assessment Organization.

9 I told you what Steve Loehlein is in that position.  
10 Steve came to us from our Beaver Valley Plant. Improved  
11 performer there. Has experience in operations,  
12 engineering, is SRO certified. He'll talk about our  
13 quality efforts today. We think we're very proactive with  
14 that.

15 Then, we want to demonstrate the progress of some of  
16 our key Building Blocks, specifically, we want to talk  
17 about the head, reactor head, and that's ready to go.

18 Some of the System Reviews. We sort of talked about  
19 that. As we did the System Reviews, we found we always  
20 said we'd do the five ~~line~~ latent issues reviews and then come  
21 back and do an assessment with those totals. We need to  
22 change the scope that we would; and, we have decided we  
23 need to look at some other things.

24 And then we're going to brief you on the status of  
25 some of our management actions. As I told you awhile ago,

1 we changed the senior team quite a bit when we first came  
2 here. We're really working hard now. We have a very  
3 strong technical team, who many of them are down below, we  
4 shared with you awhile ago and we're taking a lot of other  
5 management actions.

6 Finally, we want to talk to you about our plans on  
7 the lower vessel penetration. We talked about that in the  
8 last meeting. Since that time, we've met with our vendors  
9 a couple times. Had a very large meeting about a week  
10 ago. Looked at all the alternatives and have come up with,  
11 decided on a game plan going forward that we will share  
12 publicly here and with the NRC on the 23rd of this month, I  
13 believe. So, we have a game plan going forward there not  
14 only of inspection, but repair if we need to.

15 Finally, we're going to talk to you about our, we  
16 told you awhile ago, sort of, as we did the System Reviews,  
17 we came to, the Davis-Besse Plant is a very old plant.  
18 Going back and looking at accounts and stuff like that is  
19 difficult. So, we're still looking for some accounts, we  
20 find. We think we have some issues in calculation areas,  
21 and we're developing a game plan to go forward with that  
22 now, basically a new approach. John Grabnar will share  
23 that with you today.

24 Finally, we'd like to talk about our schedule review  
25 or scheduled milestone, if that's okay. If we don't make

1 it, that's okay also.

2 I would like to get started with Quality Assessment  
3 Value-Added.

4 Steve.

5 MR. LOEHLEIN: Thank you, Lew. I'll  
6 try to speak up until this microphone comes up. I'm really  
7 happy to be here today on behalf of the Quality Assessment  
8 Organization, and the work we're doing. And I wanted to  
9 speak just for a minute about the nature of the business,  
10 Quality Assessment.

11 What we do is really a lot like what the NRC does,  
12 we find problems, and this is a tendency to perceive as  
13 negative. So, we talk about Value-Added Quality  
14 Assessment. I think we can really look at it as something  
15 we want to do, since we want to find problems and resolve  
16 them before they impact nuclear safety. That's really our  
17 role in the organization; to be a barrier, independent  
18 barrier, whose only job is to assess the organization.

19 Specifically -- the next slide please. At this  
20 time, we've got three major responsibilities. We've got to  
21 ensure the plant is ready to restart and operate safely for  
22 the long term. We've got to ensure the staff is ready to  
23 restart and sustain safe performance. And we've also got  
24 to ensure our own effectiveness of the Quality Assessment  
25 Organization.



1       So, in my presentation today, I'll be talking to you  
2 about how our assessment activities are organized in  
3 relationship to the site's Building Block Plans. I'll give  
4 you some examples of our performance to date in the Quality  
5 Assessment area. And I would like to discuss what our  
6 organization is doing to demonstrate the strengthening of  
7 our own effectiveness.

8       Next slide, please.

9       First, in Assessing the Plant and Staff Readiness.  
10 What we have done is we've aligned ourselves with the  
11 Building Blocks. What we're applying is really a  
12 three-step approach. First is confirm the acceptability of  
13 Building Block Plans itself. And we've completed that  
14 assessment in six of the seven plans.

15       Next in the phase that we're really active in right  
16 now is the oversight of the plans as they are being  
17 conducted. And the key to this area is the independent  
18 parallel efforts that we're doing to measure the  
19 effectiveness of those plans. I'll show you the examples  
20 of some of the things we've done.

21       And finally, the last phase would be evaluate the  
22 effectiveness of the plans based on the results that come  
23 out of them.

24       As I said earlier, most of our three-step process  
25 has been in step two of the process, which is the oversight

1 process. I'll take you through a number of the individual  
2 Building Block Plans and report on an item of interest in  
3 each one of them.

4 Next slide, please.

5 The first is as it relates to Reactor Head  
6 Resolution Plan. We had an issue develop out of the Direct  
7 Field Observation of contractor qualification activities  
8 for the containment rebar cad-welding. In this case, we  
9 found issues with inadequate documentation to support the  
10 activity in the field, and we had issues with the  
11 contractors through NRC oversight of that activity. Took  
12 those issues to the contractor, who immediately stopped  
13 work. We directly observed his plan for remediation and  
14 provided heavy oversight to ensure that that activity went  
15 off correctly, which it did.

16 MR. GROBE: Steve, before  
17 you go on, did you have any observations regarding the line  
18 organization's oversight of that contractor work?

19 MR. LOEHLEIN: The supervisor  
20 alignment, you mean the supervisors in maintenance?

21 MR. GROBE: FirstEnergy,  
22 whoever had responsibility for project management of that  
23 activity in FirstEnergy.

24 MR. LOEHLEIN: Yes, as a matter  
25 of fact, project manager was the person who we went to for

1 his resolution of the issue when we first identified it,  
2 and he was involved with our contacting the contractor. At  
3 the time the contractor didn't happen to be there at the  
4 time that we spotted these particular deficiencies. QA was  
5 when we identified them. He was notified and participated  
6 in the, in the reaction we took with it.

7 MR. GROBE: For contractor  
8 quality, the first lines of defense are the contractor  
9 organization itself and its quality assessment; seemed the  
10 second line of defense would be FirstEnergy's Project  
11 Management Oversight; then the third line of defense would  
12 be your oversight assessment.

13 MR. LOEHLEIN: That's correct.  
14 That's exactly right. That's what we would expect.

15 We also know that the site right now is carrying on  
16 a number of parallel activities, which tends to stress the  
17 organization. So, we don't, we'd be unrealistic to expect  
18 they would be there on top of every activity at every  
19 moment. So we, you know, I think we all work together in  
20 assuring the quality. I must have misunderstood the  
21 question.

22 MR. SCHRAUDER: Jack, we did have  
23 line management oversight of that. Our project managers  
24 had identified certain issues, quality issues with the work  
25 that was going on. We were addressing them on a case by

1 case basis. The QA observation of training activities and  
2 that was what I'll call the straw that broke the camel's  
3 back, essentially making sure the stop work was replaced.  
4 That had to do with the Quality Assurance Oversight of the  
5 project, but our project managers were on the job and were  
6 identifying deficiencies and correcting them on the spot.

7 MR. LOEHLEIN: This issue really  
8 was, to clarify this, was a qualification issue, which  
9 meant the actual field activities were not being  
10 conducted. That was the reason why we at QA were in  
11 particular interested, because it's an item we like to look  
12 at before it results in any actual field work; the place we  
13 want to be in terms of preventing issues.

14 MR. MYERS: We did have some  
15 issues we think with contractors during this issue, made  
16 some changes there; is that not correct?

17 MR. LOEHLEIN: That is correct.  
18 The contractor himself took direct action with some of the  
19 people involved in terms of their standards, and took  
20 corrective action.

21 MR. GROBE: I don't want to  
22 diminish the value of the Quality Assurance Organization's  
23 identification of these issues, but a couple meetings ago  
24 we heard about a contractor who was working on the polar  
25 crane, and deficiencies were identified by several levels

1 of management above the project manager; and, heard that  
2 same discussion of stressed organization, lots of  
3 contractors.

4 I think you're finding on cad-welding was probably  
5 several weeks ago, but I was wondering, maybe you can give  
6 me the answer later if you don't have it now, but what  
7 actions FirstEnergy is taking to strengthen its contractor  
8 oversight?

9 MR. STEVENS: I can answer  
10 that. We've gotten together with the project managers  
11 group, taken a look at how we have the organization  
12 structure put together to implement the work. We just last  
13 week revamped and reorganized our work support center, the  
14 project manager structure, as well as integrated some of  
15 the projects into the maintenance organization and made  
16 sure that we had correct ratio, if you will, of FirstEnergy  
17 Davis-Besse employees with the contractors.

18 In addition to that, I've met with each of the  
19 leads, the superintendents and the supervisors of our  
20 contracted work force to make sure we understand what the  
21 standards are for working at the plant, and the expectation  
22 for work quality.

23 We also, to prevent putting the work force in a  
24 situation where they may have been pressed for time or  
25 trying to execute the work without it being ready, which

1 would maybe set up an event, we've instituted ready  
2 meetings during the day pretty much every day of the week  
3 to watch all the major projects to make sure we understand  
4 what the level of readiness is, what the needs are; and  
5 then in addition to that, we've scheduled the managers some  
6 field observations, as well as tightened up our  
7 observations of work activities in the plant.

8 I've personally talked with several of the project  
9 managers, who I felt like we weren't meeting the standard  
10 in every case. In other words, we've gotten some  
11 indication looking at the observations that we're not where  
12 we need to be with foreman groups or work packages.

13 And got some feedback from the project managers,  
14 toured the area with the project managers, visited with the  
15 supervisors that are responsible for that work, corrective  
16 behavior in the field.

17 And got to the point now, where I go out and I look  
18 and I see the right behavior, can reinforce the positive  
19 behavior and start reinforcing, looks like we're doing  
20 correctly, and it's changed.

21 I'm not saying, this is the skeptical side, the  
22 oversight, we still have to manage that, but it is  
23 changing; the performance is improving as a result of  
24 that.

25 MR. GROBE: Okay, thank you.

1           MR. FAST:           Jack, just to  
2 reinforce that, what I'll term an anecdotal piece of this;  
3 I made a tour on Saturday morning visiting all the major  
4 projects. In every case, there was a supervisor and  
5 project manager on the scene. Those were in the  
6 containment projects.

7           But just to reinforce what Mike is telling us, I  
8 have seen that we have much better oversight. So, as I  
9 visited the containment sump and decay heat valve pit,  
10 containment air coolers, the refueling machine  
11 modifications underway; every project had a supervisor,  
12 direct supervisor oversight, something I look for when I do  
13 field walkdowns and observations, as well recognizing  
14 direct project management support.

15           MR. GROBE:           Okay, thanks,  
16 Randy.

17           MR. LOEHLEIN:       Ready to move on  
18 to next slide.

19           Under Containment Health, I would like to point out  
20 Independent Field Walkdowns. This is where the QA people  
21 went out on their own, not as part of an engineering team  
22 with anyone else, find the criteria we were looking for,  
23 for conditions in containment or extended condition.

24           And the results of that, what we found is that the  
25 containment health walkdowns were fully effective. We

1 found nearly duplicate reports on each of the areas from us  
2 in line. So, we found that to be an effective thing that  
3 was done. Some of the minor differences we found were  
4 mainly cosmetic; differences in opinions of what is  
5 cosmetic and things to do now.

6 We also, point out below, it identified some issues  
7 in qualification and work packages area related to the  
8 valve contractor. And this is a case where there is a  
9 lineup with what some of the other managers were saying,  
10 when this was first revealed, there might be some issues  
11 here with qualification of work packages. And the line  
12 organization got involved with this right away, and this  
13 was taken care of before it resulted in kind of issues with  
14 plant components.

15 MR. MYERS: That same  
16 contractor is pretty much involved with the valve work  
17 after the draindown. And we've met with them, I met with  
18 the person, made sure we got good integration of our  
19 maintenance group with that team. We believe that's why  
20 it's going to go very well. We were assigning each and  
21 every valve to one of our managers to look at, because we  
22 don't want to come back up and have problems.

23 MR. LOEHLEIN: That's another  
24 reason we took a hard look when we did, we knew the  
25 contractor was going to do a lot of the valve work and



1 important valve work and the deep drain while we're in  
2 this. We wanted to make sure we had any issues  
3 straightened out before we did that work.

4 MS. LIPA: Steve, did you  
5 have any examples of the design basis issues that you  
6 identified?

7 MR. LOEHLEIN: Yeah, kind of  
8 things that come to mind that I recall is that we had  
9 identified an issue with a containment air cooler fan flow  
10 and questioned the design basis for that flow rate.  
11 Another is air temperature is measured down in the air  
12 coolers, and some question whether that properly identified  
13 the possibilities of stratification in containment. There  
14 were a few others, but they were identified on future  
15 reports. I've given you the details on that, that we  
16 have.

17 MS. LIPA: Thank you.

18 MR. LOEHLEIN: I'm sure  
19 Mr. Farber is ready to say he's already seen them.

20 Next slide, please.

21 Under the Program Compliance Plan, here we've been  
22 very active in observing the operation of the Program  
23 Review Board, and we have confirmed that that board has  
24 been both intrusive and effective in their reviews. In the  
25 concept of independence, we identified six selective

1 programs to reviewing independently, so we can compare our  
2 results against what the line organization reports in that  
3 review.

4 Now, the six we've selected, none of those have yet  
5 been reported as complete by the line organization, so we  
6 issued no formal report on a finding on those yet.

7 Next slide.

8 System Health Assurance. Once again, I would point  
9 out the independent reviews we're doing. We selected three  
10 independent systems to look at, using the process that's  
11 established to do it. And, one of those three has been  
12 completed by the line. It's 125 volt, 250 volt VC, which  
13 Mr. Farber I think commented on as well.

14 We did find generally that that review was  
15 successfully done. We found a number of conditions that  
16 were not especially significant, that we did put on our  
17 condition reports.

18 MR. GROBE: Before you go on,  
19 Steve, the last bullet or the last dash, I guess on that  
20 slide; could you expand on that just a little bit?

21 MR. LOEHLEIN: That really represents  
22 what showed up on many condition reports when the QA  
23 Evaluator originally went through the process. We tended  
24 to go a little deeper and evaluated our responses to  
25 commitments and to condition reports historically, and

1 aligned them when we went through the same process.

2       So, we wrote down on a condition report. Would not  
3 evaluate what that means in total yet. We are going to do  
4 three systems, and write a report on what we think of all  
5 this. Preliminarily that was our assessment of that  
6 particular review. So, those aspects will be more  
7 extensively done. That was just between us and them.

8       Next slide, please.

9       Under Management and Human Performance, key thing  
10 that's happened in recent weeks has been in the case  
11 study. I thought I would share with you how Quality  
12 Assessment Organization got involved with this. From the  
13 beginning, we made sure we were involved with all of the  
14 developmental activities that were conducted over in  
15 training, and participated in lots of feedback on what we  
16 saw in the train the trainer type of classes, and content.

17       I went to several of them myself, having done the  
18 root cause, to make sure that root cause was accurately  
19 portrayed as related to the lessons we needed to learn.

20       Then, what we did, when it came time to roll it out,  
21 the day before the site had the roll out, QA had a live  
22 presentation conducted by Dave Eshelman, who did the video  
23 assisted by others. We wanted to do a couple things with  
24 that. We could then assess the significant difference in  
25 the value of the live presentation and videotape that

1 people would see. It also gave us a chance to prepare for  
2 the presentation that would be done the next day; what we  
3 would be looking for at various site groups.

4 Then, we did an observation of divide and conquer,  
5 basically, the entire QA organization. And there is very  
6 few of these case study presentations that we do not  
7 participate in or let's say observe. And then, when we  
8 were done observing, we got together as a team and  
9 discussed what future communication activities we thought  
10 would be useful for the site.

11 What we found was that case study was effectively  
12 done; effective in that most of the employees seemed to be  
13 really embrace the opportunity to understand the case study  
14 and move forward from it. We provided a condition report  
15 that as a result of that recommends some additional  
16 communication in and management might take on to build on  
17 those, what was done in case study.

18 We also have taken the case study results to the  
19 other two sites. I myself, I went to Perry and Beaver  
20 Valley to participate in case study discussions with the  
21 Employee Assessment Organization.

22 I might also mention on here, we did a case study of  
23 the Management Observation Program and that was ruled out.  
24 Once again, quality assessment tried to get out there  
25 early, see what the issues might be there, in the early

1 days.

2 Initially we found with the observations, there  
3 times when their issues deserved a condition report to be  
4 generated for the organization to deal with, and there were  
5 times we found that they were not being reported that way.  
6 We wrote that up, reported that to the line. We were  
7 already starting to see some improvement in that area in  
8 the observations that we're looking at now.

9 Next slide.

10 Outside of these Building Blocks Plan work that we  
11 do, we still have our normal Quality Assessment activities  
12 that we conduct, and we report on these on a quarterly  
13 basis. I'll point out a few bullets of noteworthy issues  
14 we had on the most recent report.

15 Maybe the second one here is a good one to talk  
16 about, Radiation Protection Area. We had an issue  
17 identified on a condition report which a high radiation  
18 area is protected by a floor plug had, nearby had a lift  
19 ring available for use, had not been secured, that  
20 theoretically someone could have used to lift the floor  
21 plug and violate the high radiation area. Did not occur,  
22 but potential was there.

23 The QA Evaluator through his investigation found  
24 that, that had happened some months back, a similar thing,  
25 with a lift ring in an area like that. So, we wrote a

1 condition report requiring a higher level evaluation to  
2 find out why the action we took some months ago did not  
3 prevent this action or this thing from happening again.

4 My final slide.

5 MR. MENDIOLA: Before you leave  
6 that slide, slide 14 there, can you characterize that  
7 fourth dash a little more for our understanding.

8 MR. LOEHLEIN: The non-destructive  
9 examination. That was a case where we found that the field  
10 welds had been installed on these flow meters that  
11 incorrectly did not call for a radiograph. We found that,  
12 pointed that out.

13 MR. MENDIOLA: Okay. So, the  
14 response of the closeout of that item has been done?

15 MR. LOEHLEIN: What's happened is  
16 the line has responded to that and since found that was a  
17 case where they actually should have been called for,  
18 taking care of, I don't recall if they have been done yet.

19 MR. COLLINS: Steve, I have one  
20 question about the overall trend on your slide 14. How  
21 many of these would you expect in an ideal situation to be  
22 part of the poor planning process rather than being found  
23 during the work processes? In other words, there are two  
24 stop works and one last item here, as Tony mentioned, that  
25 appears to be, that's probably a department modification,

1 right?

2 MR. LOEHLEIN: Right.

3 MR. COLLINS: So, part of a  
4 modification package. Is it your expectation that as part  
5 of a job process and work order, modification package, that  
6 that would include promulgating experience that you would  
7 go back and look at the trends of corrective action. You  
8 indicated a concern about QA issues. You can't ask perhaps  
9 QA to bring that to the table as a part of the preparation?

10 MR. FAST: The field would be  
11 responsible, the line organization would be responsible for  
12 ensuring that that's do-able. So, that's available by our  
13 report management. We didn't catch that in process.

14 MR. COLLINS: Is that data  
15 available? In other words, I know you're revamping your  
16 Corrective Action System looking at your trends, looking at  
17 historicals. These are historical issues perhaps. You're  
18 changing your processes. Is that type of information  
19 available to your staff to build a work package?

20 MR. STEVENS: Yes. The  
21 information associated with issue reports that are  
22 documenting this?

23 MR. COLLINS: Right.

24 MR. STEVENS: And corrective  
25 actions to be evaluated, corrective actions will fall into

1 it, and we'll look to improve.

2 The stop work order for the fuel work went as a  
3 result of direct observation where we had grid strip damage  
4 and its effects. We understand that violation, and issued  
5 a stop. I thought that was pretty good.

6 The stop work order for the inadequate work with the  
7 feedwater heater. We had a contractor subcontracted to  
8 replace that heater and build it in place, like if it was  
9 in their shop. We took the documentation, married it with  
10 the work order, had him working to his document and ours.  
11 We got oversight, looked at that and said, hey, this isn't  
12 in accordance with our control work procedure. We stopped.  
13 We got the work documents. Married together. And  
14 proceeded on, so.

15 And, we don't, we didn't have a procedure for that.  
16 We didn't intend to finish that work order to the field  
17 that way without the vendor's instructions with it. And  
18 project manager and supervisor overseeing that intended to  
19 build the heat shield to do that, and incorporate their  
20 documentation at the end. That was a misunderstanding of  
21 how we would be working on a piece of equipment.

22 So, we corrected that; and we did a review cursory,  
23 didn't see any other areas where we had that kind of  
24 situation where we're relying on vendor information to do  
25 the work actually in the field and have shelter where



1 you're trying to control it, in that case.

2 The non-destructive examination was right out of the  
3 retest. Take that off of the design, either comes from our  
4 retest procedure, retest requirements, or it's part of the  
5 design change package. And what was recognized was we  
6 didn't specify the radiograph for the weld.

7 We have to do that, and it got missed through the  
8 review. More of a, that being part of the modification,  
9 that was more of a human performance review to  
10 specification, than it was a procedure compliance or work,  
11 work issue. You had to know that at some level of  
12 technical knowledge the type of weld and specification.

13 We took that and reviewed that back through the  
14 Quality Control Organization, I believe, who went and  
15 reviewed all the other welding that we were making to make  
16 sure that we didn't have any others out there without  
17 adequate retest.

18 MR. MYERS: I really believe,  
19 you know, that it's one of these, you can't win. If  
20 Quality Assurance finds anything, or we find something, you  
21 know. What's good is, I think, is fixing the problems you  
22 find.

23 You know, we want our quality group in the field.  
24 We want them to do things. We stop the work and take  
25 corrective action. We did that when we found the vendor

1 problems in training. We found our own problems on the  
2 crane. We took the two weeks to make sure that crane was  
3 in good stead before we went forward. And we probably  
4 could've justified some of that stuff. We didn't. We made  
5 sure it was in good stead until we were satisfied.

6 Then, on the containment you know, we're the first  
7 company I think in the country to take a big reactor vessel  
8 head across the state, wash away your concrete, cut your  
9 containment, put your new head in, then plug it back up.  
10 If I had to go back and analyze how we did that, it's not  
11 problem free. We had problems on the vendor procedures.  
12 We had problems with the welding. I can tell you a number  
13 of problems. But when I stand back and look at it, we did  
14 a quality job. We did a pretty quality job, you know.

15 MR. COLLINS: I would agree, but  
16 you would acknowledge there is a difference between first  
17 in technology and routine work.

18 MR. MYERS: Yeah. And we had  
19 about 1200 or 1300 contractors in there. The more we were  
20 in the field watching, we know what's going on. And I  
21 expect our quality group to find some things. I feel bad  
22 every time they do, we didn't find it ourselves. But in  
23 general, with all the work going on, really have going on,  
24 I think hopefully concerned about any of the things we  
25 find.

1 MR. COLLINS: Thank you.

2 MR. LOEHLEIN: I would also like  
3 to point out that one of the reasons we are mentioning stop  
4 work orders is because I want to make clear to everyone we  
5 won't hesitate to exercise an authority to stop work if we  
6 think the timeliness of the situation demands we do so, on  
7 something that would affect quality. So, that's, this is  
8 an authority we take seriously, we have to exercise.

9 MR. MYERS: Once again, I  
10 think most important is when our quality group finds  
11 something, they have management support to take the actions  
12 they need. I don't think you'll find anybody at this table  
13 that you wouldn't have that. That's the environment we're  
14 looking for.

15 MR. LOEHLEIN: Next slide.  
16 My final slide, to wrap up what we discuss today;  
17 Strengthening Quality Assessment. What we've done so far,  
18 as we've said at prior meetings, that we have done  
19 organizational changes. We comment today about management  
20 changes.

21 The part we're in right now is we're, we're taking  
22 action, for instance, stop work orders, if that's what it  
23 calls for; we're conducting independent intrusive  
24 assessments; we're participating in ensuring that case  
25 study is well done and presented and the work went out to

1 all those that needed to have that information.

2 In terms of wrap up, I would like to share with you  
3 something we're doing right now, is the Quality Assessment  
4 Program Review. We brought in about six outside experts.  
5 It's their job to evaluate the Quality Assessment Process  
6 that we have right now, so it will be the best it can be  
7 when we restart the plant. Thank you.

8 MR. GROBE: Do you have  
9 questions?

10 MR. MENDIOLA: Yes. Steve, my  
11 question is actually kind of simple. Basically, Quality  
12 Lessons Learned has to be Quality Lessons, and clearly,  
13 you're looking at things across the board, whether it would  
14 be a hardware issue or software issue and you're getting a  
15 lot of input into your organization.

16 MR. LOEHLEIN: Right.

17 MR. MENDIOLA: So, it will surely  
18 filter back out to the processes to make them better.

19 My concern quite clearly is, is if you can kind of  
20 estimate the size and scope of the work; is it too much out  
21 there to do; do you have enough staff to do it all or?

22 MR. LOEHLEIN: Yeah, I would like  
23 to answer it this way. We've gotten really great support  
24 from our other sites. We have several people from each of  
25 our other sites rotate on assignment to us, and they're

1 helping us through the Building Block Assessments. We also  
2 have several contractors, give us a lot of experience there  
3 on this restart.

4 We have apprised the need to augment staff to do  
5 these, what I call, nuts and bolts of the assessments. The  
6 long term things that we want to do with our organization,  
7 we're taking on primarily with our normal staff. They are  
8 involved in case studies, for example, and observation of  
9 those. And they will be involved quite a bit on this heat  
10 drain work, provide a lot of the oversight on that. But,  
11 yes, we would recognize that we have a lot of work to do,  
12 and lot of staff reporting.

13 MR. COLLINS: Steve, I had a  
14 comment perhaps you might want to respond to it. When you  
15 look, if you're able to, but I'll point you to slide 7,  
16 Responsibilities. Quality Assessment. And focusing on the  
17 word ensure. And I guess I'm contrasting that with the  
18 responsibilities of the line organization, who own these  
19 processes and programs.

20 I really am wondering if you have a view of the  
21 division of responsibilities between the implementers, if  
22 you will, people that work with the processes, own the  
23 systems, operate the systems, and quality assessment; and  
24 how you would define quality assessment?

25 It appears to me that the value here is, as

1 indicated by your examples taking them at face value, that  
2 you're exerting yourself in these processes, finding good  
3 issues, corrective actions are implemented and we can move  
4 on. That's success perhaps for the stage of programs and  
5 processes at Davis-Besse as we sit here today.

6 Contrast that with the fact that you look, but you  
7 don't find, because things are going well; and, value-added  
8 is more confirmatory rather than ensuring; and what that  
9 message is to the line organization. Do you have a comment  
10 on that?

11 MR. LOEHLEIN: Yeah, I think it's  
12 interesting. My staff is probably chuckling right now,  
13 because I've had a lot of discussion in staff meetings  
14 about the difference in the role of the real people that  
15 ensure quality are the line organization, because they all  
16 had a chance to be in the line.

17 We are an assessment group. Our job is to have a  
18 single-minded focus, not having distraction of schedule and  
19 cost and those types of things, only going out and  
20 independently assess how effective the organization is  
21 implementing the Quality Assurance Program.

22 So, I guess I would chastise myself for having used  
23 the word ensure, and I'm sure they're getting a little bit  
24 of a chuckle out of that, because I've chastised them for  
25 not recognizing the difference.

1           So, clearly our job is assess, to provide  
2 recommendations where we can do so for improvement. And  
3 the line organization's job to internalize that they are  
4 quality, they are a quality organization, as implementers.

5           So, I agree with that a hundred percent.

6           MR. STEVENS:        I can provide an  
7 anecdotal example. Last week, week before, we had all of  
8 our maintenance supervisor go through a qualification board  
9 at the end of completing the practical facts, if you will,  
10 for qualification.

11          Steve sat on one of the meetings, boards I chaired,  
12 we have managers and we ask questions. And the probing  
13 questions; it's not an easy board to get through. Steve's  
14 questions center around line ownership to ensure that we're  
15 meeting X and in accordance with.

16          And one of the questions he asked was, to one of the  
17 electrical supervisors was, how does 10-CFR-50 apply to you  
18 in your everyday job. And, when you first hear that, it  
19 was, it's a little bit, it's not something you talk about  
20 every day, but it brings home that ownership and that  
21 understanding. We implement. Quality assurance is  
22 providing the oversight to make sure that we're  
23 implementing it. That becomes very clear.

24          MR. COLLINS:        Thank you.

25          MR. LOEHLEIN:       I'll turn it over

1 to Bob Schrauder.

2 MR. GROBE: I have one more  
3 question, if you don't mind. First an observation just to  
4 echo something that Sam, observation that Sam made.

5 The findings that you've highlighted today, and  
6 certainly not your only findings, just a sampling of your  
7 findings; these are not superficial issues, and it takes  
8 capable people to find these type issues. I compliment you  
9 on that.

10 Do you have within your structure a process where  
11 you determine whether or not an item that you identify is  
12 something that you're going to follow-up on, an additional  
13 focus audit?

14 MR. LOEHLEIN: Really, I don't  
15 know if you finished the question; are you finished?

16 MR. GROBE: Go ahead.

17 MR. LOEHLEIN: How we decide to  
18 focus on? I will tell you this, Jack, that is part of the  
19 program review we're doing, because right now what we rely  
20 on is sort of inscribed. If we see issues in certain  
21 areas, we ask ourselves, is that telling us something and  
22 that's how we decide to do a focus assessment in a given  
23 area.

24 The trouble with that, we think, is that may not be  
25 as objective as it needs to be based on the informational



1 criteria to really look at the right things. So, as part  
2 of the program review as it is now, is one of the  
3 challenges we have for our team is to try to advise us on  
4 criteria based assessment decision-making which we do,  
5 because right now we do rely on exactly what you describe.

6 We like to discuss it with the supervisors, myself,  
7 for example, overseeing this area, that area, and focus on  
8 that. And there's nothing wrong with that, but it's not  
9 the criteria base. It may not be the best way to focus our  
10 resources. So, we're looking at that.

11 MR. GROBE: Our inspection  
12 program includes a broad set of baseline inspections,  
13 which I describe as a criterion basis inspection program,  
14 as well as when we find something that appears to be more  
15 substantive to specific targeted inspections, call those  
16 supplementals.

17 The issue of contractor control concerns me. Is  
18 that something that you consider doing an additional  
19 assessment? I've heard from Mike and Randy, that  
20 additional emphasis is being placed on the organization to  
21 provide contractor oversight, but had you considered it?

22 MR. LOEHLEIN: I have to admit right  
23 now, Jack, I don't know that the status of our, obvious  
24 status of the contract issue. We have had different issues  
25 with different contractors, we discussed that. And so far,

1 our sense is that they are just that, they have been  
2 different issues. And it's been more along the lines of  
3 the managers here talk about that we've not perhaps as a  
4 management team been involved as we need to be, and that's  
5 where the actions are going right now.

6 I don't think we've drawn conclusions to do a  
7 separate audit in that area yet.

8 MR. GROBE: Okay. Okay.

9 Very good.

10 Any other questions from the NRC. Great. Thank  
11 you.

12 MR. LOEHLEIN: I'll switch spots  
13 here, so Bob can be well heard.

14 MR. SCHRAUDER: Thank you,  
15 Steve.

16 I'm Bob Schrauder, the Director of Support Services  
17 Organization, and management oversight for the reactor head  
18 replacement.

19 Very brief update on where we're at with that. I  
20 stated last time that our service structure was in place on  
21 the reactor vessel head. It is welded on now. All the  
22 touch-up paint is done. That job is virtually complete.  
23 We have a few cables to reconnect yet, the position  
24 indication groups, the control rods. The control rod drive  
25 mechanisms are reinstalled on the reactor vessel head and