

1 components hardware in the plant. We've added some  
2 programs.

3 This is, our restart checklist is to a large extent  
4 going to mirror your restart plan. Adequacy of  
5 organizational effectiveness in performance.

6 As I mentioned a few moments ago. I personally  
7 strongly believe that the first line supervisor is the key  
8 to the long term exceptional performance. And this is  
9 written a little bit different than what yours is,  
10 management effective. We've structured this more I think  
11 broadly organizational factors. And, sub items we're going  
12 to get into in a little detail.

13 Readiness for restart, what we're going to be  
14 looking at in several areas, both the hardware as well as  
15 the people, and licensing issues. And, as this restart  
16 checklist involves, and I'm going to talk about a couple of  
17 these sections in more detail; Christine is going to talk  
18 about one or two; Bill is going to be talking about one of  
19 the sections.

20 But as the checklist gets formulated, and is issued  
21 by the NRC, it's important that we have a clear  
22 understanding of the specific items. And I think as you've  
23 gone through your structuring and restart plan, you can  
24 find a very close alignment. We can provide you with a lot  
25 of feedback. And I think it's going to naturally meld

1 together, because the issues that are important to us,  
2 we've been identifying the issues that you've identified or  
3 reports have been good.

4 So, I expect there will be a clear alignment. One  
5 of the purposes of publishing the restart checklist. There  
6 is actually two purposes. One is a very clear  
7 communication between us of what the expectations are. I  
8 would say minimum expectations on prior to restart. We  
9 would like to go far beyond these specific activities in a  
10 number of areas. And secondly, to clearly indicate to the  
11 public what the NRC expectations are prior to restart.

12 Let me talk a little about bit root cause. We've  
13 received documents from you regarding what I'll call  
14 technical recalls. And Steve, you mentioned that earlier.  
15 It was called something different. I think it was actually  
16 called root cause analysis, but didn't go into the level of  
17 detail that Steve's team is using today, more to his  
18 industry recognized processes at this point, which many of  
19 our staff do.

20 It's very solid approach to identifying all the  
21 organizational factors in the problem, so I'm certainly  
22 looking forward to that. The technical response is  
23 specifically focused in two areas, that's cracking,  
24 penetration, corrosion, what caused that, what contributed  
25 to it. That was presented, I believe, on May 7th at

1 headquarters, public meeting to the NRC staff and other  
2 folks. I think that's very well understood and we were  
3 completing our evaluation of that part of the root cause  
4 and that would be published and when we complete our  
5 review, we will provide that to you.

6 The second area of the reconnaissance, what I refer  
7 to as the software side, that's the organizational  
8 programmatic and people, and obviously, you haven't had  
9 your review yet, so we haven't performed our formal review  
10 of the facility; and we'll be doing that.

11 Christine, I think, has some scope of the advocates  
12 of the systems out, to go over there.

13 MS. LIPA: Sure, let me just  
14 talk a little bit in general about the checklist we have.  
15 I don't know if you guys got a copy of it. It was in our  
16 handouts and we can't see the projector.

17 But this is, we're calling this a framework for the  
18 checklist. This is not the checklist. And the panel is  
19 working to develop the checklist based on some of the  
20 things Jack referred to in root cause, AIT Inspection  
21 results and other items.

22 Then, once the checklist is developed and approved  
23 by the panel, it would be reviewed and approved by agents  
24 and management. So, this is the framework for today.  
25 We'll get you a handout.

1           The first item that I have on here, 2 A, is the  
2 Reactor Pressure Vessel Head Replacement. John gave you  
3 some details earlier on some of the inspections that have  
4 already been started. The inspections will continue.

5           The second item is Containment Vessel Restoration  
6 Following The RPV Head Replacement and obviously opening  
7 the containment and reclosing and testing as part of that  
8 inspection that we'll be doing.

9           The third one are Structures, Systems and Components  
10 Inside Containment; and it's really similar to the  
11 presentation you gave earlier. The things that we're  
12 interested in are some of the things you're interested in.  
13 What damage might have been done to various components  
14 within the containment head as a result of the boric acid.

15           That includes equipment, electrical equipment,  
16 mechanical equipment, environmental qualification for some  
17 of that equipment, the containment air coolers and the  
18 radiation monitors. We'll also be taking look at the  
19 monitor plan on the sump and fibrous insulation issue.

20           And then the final supplement in this area, our  
21 Systems Outside Containment. Specifically systems that  
22 contain borated water and also some of your important  
23 systems determined by your managerial criteria.

24           That's how we intend to approach this area.

25           Jack?

1           MR. GROBE:        I just wanted to  
2 comment. These are broad categories. When we describe as  
3 framework; specific inspection, the scope of inspection in  
4 each of these areas will be different. They will be  
5 dependent upon the root causes of what resulted in the head  
6 degradation issue at Davis-Besse.

7        The reason we haven't presented this checklist  
8 earlier is that I didn't want to be in a position to find  
9 what was necessary. You've been working through a number  
10 of these areas. You've evolved over the last month, month  
11 and a half, and I want to be sure there was, you had a  
12 clear vision of what you thought was important.

13       We've provided feedback already in a number of these  
14 areas. Also done a variety of inspection activities; Mel  
15 Holmberg on the structure systems and components; John and,  
16 Don Jones have done a number of inspections regarding  
17 vessel head replacement in the area, nondestructive  
18 examination; and we've already laid out the inspection plan  
19 for the, what we're planning on looking at with respect to  
20 the, the code records for the necessary vessel head.

21       Shortly after we finalized this checklist, which I  
22 expect in the next week or two, we'll be finalizing our  
23 inspection plans, and get that schedule to you as well as  
24 some detail on the scope of the inspection.

25       Schedule obviously is dictated by you. We can't

1 inspect anything until you've completed work. And, we may  
2 be able to do some, or some inspections have to be done in  
3 process. For example, nondestructive examination  
4 inspection had to be done in process and that's already  
5 been completed.

6 So, as we begin to develop the inspection scopes at  
7 least, we will be clearly communicating that to you. The  
8 leaders in each of these areas will be working closely with  
9 your staff. I understand your schedule and my staff's,  
10 watch the progress in those areas and be able to step in  
11 and do our inspection at the appropriate times.

12 I think Bill was next going to talk about  
13 problematic areas.

14 MR. DEAN: Very briefly. I  
15 think it would probably seem a pretty good matchup here in  
16 terms of programs that we're interested in looking at are  
17 relative to the ones that you identified yourself here  
18 today. Clearly, the basis of looking at these is that we  
19 need to assure ourselves that the Licensee are assessing  
20 your programs and they are in a self-critical manner; and  
21 putting in place effective corrective actions which would  
22 ensure those programs are effective in the future.

23 You will participate in assessment of the accuracy  
24 of some of the programs. The one there that is a bit of a  
25 delta is items received as audit and self-assessment

1 programs. And our intent there is that, we believe that we  
2 can look at organizationally how do you put in place, say,  
3 a process by which you have independent and organization  
4 itself critical process, and that the results that emanated  
5 from that process are treated appropriately.

6 So, that's one that's a bit of a delta that you have  
7 to provide us here today.

8 MR. GROBE: Thanks. I think  
9 that's a real good point. We view corrective action  
10 program, an operating experience program, a self-assessment  
11 program as really part of the corrective action program;  
12 and, to be completely effective, it requires a number of  
13 components, and we've separated that out in our checklist.

14 You're taking actions in all of these areas. It's  
15 just that you haven't specifically defined in your  
16 programmatic reviews things quite the same way as we have  
17 here.

18 I was going to talk a little bit about  
19 organizational effectiveness. This is the area you  
20 probably won't get a lot of specificity from our checklist  
21 at this point, but there are no NRC requirements in this  
22 area. The organizational effectiveness and human  
23 performance are actually critical safe operations. The  
24 detailed look at this is going to be driven by, to a large  
25 extent, by what you choose to do in this area.

1       The results of this activity, of your effectiveness  
2 in this area would be directly reflected in all of the  
3 other inspections. And, organizational effectiveness,  
4 human performance, will be measured by your performance in  
5 all these other areas.

6       So, I will be closely monitoring activities, as well  
7 as the outcomes of those, as the organization performs  
8 during its approach to the restart.

9       The next area is Readiness for Restart, and I would  
10 expect that the Systems Readiness for Restart is different  
11 than your System Reviews. That's more akin to what you may  
12 call a checklist. It's part of the systems in an  
13 operational configuration for operations.

14       Operations Readiness for Restart is an operational  
15 organization of people. Operations, are they ready to make  
16 the transition from shutdown plant to operating plant. And  
17 obviously, test program, a number of activities that are  
18 going to be accomplished both prior to restart as well as  
19 during restart process, accomplish testing.

20       So, those are the three focus areas or the framework  
21 for the restart.

22       I'm going to ask Doug Pickett to talk a little about  
23 the licensing issues, and I'll wrap it up.

24       Doug.

25       MR. PICKETT:     Okay, regarding the new



1 reactor vessel head, there is a number of licensing  
2 issues. This is where we require approval prior to  
3 restart. And all the issues under item 6 are basically  
4 documentation issues of paperwork, if you will. They  
5 shouldn't require any modifications or plant repairs.

6 The first four items are basically requests from the  
7 NRC code. The next are the spec requirements, and they  
8 allow us --

9 (Requested speaker to repeat)

10 MR. PICKETT: The regulations  
11 allow the staff to accept alternatives to the ASME Code,  
12 providing the staff is convinced there is an equivalent  
13 level of safety. Staff makes at times findings on all  
14 plants.

15 The item 6e, is documentation of the reconciliation  
16 between ASME Code, the new Midland Reactor Pressure Vessel  
17 Head.

18 And the final item is additional documentation  
19 provided on Verification of Technical Specification  
20 Pressure/Temperature Curves for New Vessel Head.

21 And, your staff is aware of these issues, and it's  
22 my understanding that you're preparing letters for the  
23 staff's review, and we should see those shortly.

24 MR. SCHRAUDER: That's  
25 correct.

1 MR. GROBE: Okay.

2 Thanks, Doug.

3 I believe that -- well, all of these areas are  
4 fluid. We're going to shortly tie down what we believe to  
5 be the restart checklist in the NRC perspective.

6 As Christine mentioned a few moments ago, once the  
7 panel finalizes what it thinks should be on the restart  
8 checklist, that will be by Jim Dyer, Regional Administrator  
9 in Region 3 in Chicago, as well as Sam Collins, the  
10 Director of the Office of Nuclear Reactor Regulations.

11 And, not until they approve it will we issue it to you and  
12 to the public.

13 I wanted to go into some detail today just to give  
14 you a scope and framework for what we're looking at from  
15 the restart checklist perspective.

16 One area that may have the most validity is the  
17 Licensing Issues Resolution. There may be other activities  
18 that come up that require either substantial safety  
19 regulations, or licensing actions as you go through all  
20 your system reviews. And certainly licensing actions are  
21 something we would have to take a significant safety  
22 evaluation, and complex safety evaluations, we'd likely  
23 take a look at also.

24 So, that area is going to be somewhat fluid as  
25 things evolve over the last couple of months. The other

1 areas likewise can also have issues added to them. It  
2 depends on the significance of the issue. We're going to  
3 be identifying a lot of things. I wouldn't expect many of  
4 them to appear on this checklist, but if it's something of  
5 particularly significance, the checklist would be updated  
6 and they would be added to the checklist.

7 This is the first time I've shown this to you. I  
8 wanted to get it out on the table and make sure you had a  
9 clear understanding and respond to any questions you may  
10 have regarding this framework.

11 Any questions from your side?

12 MR. BERGENDAHL: Give an example,  
13 like something that is systems outside containment.

14 MR. GROBE: Sure. The one  
15 specific issue, again restart checklist should be driven  
16 from issues that result in the shutdown. So, clearly  
17 systems containing boric acid. Water has boric acid in  
18 it. I want you to focus for those constant factors.

19 But in addition, many of these areas; the  
20 organizational effectiveness on human performance  
21 characteristics that were, that resulted in head  
22 degradation, may have resulted in other system  
23 degradation. And so, we're going to have to see in that  
24 area also.

25 I can't give you scope of the inspection at this

1 point, but I can tell you that we would be scanning a  
2 variety of the work that you're doing in the area of your  
3 system reviews, as well as some independent work. Areas  
4 that you may not have done to benchmark the quality of work  
5 that you have completed.

6 So, does that help out?

7 MR. BERGENDAHL: Yeah, I understand  
8 that.

9 MR. GROBE: Other questions?

10 Okay. Very good.

11 Lew, do you have any concluding remarks before we  
12 finish the business portion of the meeting?

13 MR. MYERS: Well, I thought  
14 this was a productive meeting. I think we accomplished our  
15 desired items. What I heard was next time we will have  
16 Bill Pearce here to talk about oversight; Clark Ross will  
17 give us performance indicators and work off curves and what  
18 we're doing and what we're identifying, have that at the  
19 next meeting. And finally, on a management issue, focus on  
20 the actions we're going to take and how we're going to, the  
21 amount of the effectiveness of the actions. Okay?

22 MR. GROBE: Sure.

23 MR. MYERS: Okay.

24 MR. GROBE: Let me add one or  
25 two things to that, just to make sure you have a complete

1 list.

2 MR. MYERS: Okay.

3 MR. GROBE: I think we talked

4 about the oversight boards. And, did you mention that,

5 value, they're adding what their function is?

6 MR. MYERS: Right.

7 MR. GROBE: And also, I would

8 like to hear specifically about some of the more

9 substantive issues that your activities have identified.

10 So, that's more of a specific finding focus discussion.

11 So, not only the performance indicators, or how many things

12 that you're finding and how many things you're working on,

13 that sort of thing, but also some specifics on more

14 specific issues.

15 And, as we go through and inspect those activities,

16 we'll also be presenting these meetings on special

17 findings. So, we'll be discussing results of our

18 inspections.

19 So, I think that's kind of a healthy going-forward

20 spectrum for these meetings. Performance indicators, work

21 progress, specific findings that you have, value added

22 oversight boards, value added from Bill Pearce's staff and

23 oversight, and then we'll give you our feedback as we have

24 from the results of our inspections.

25 MR. MYERS: You know, I think

1 if you look at the event, and we had our first meeting,  
2 this is our third; I think we made good progress for the  
3 last meeting, and this meeting I think, I believe we've  
4 moved into implementation, and now we're going to go into  
5 really good monitoring of some of these things we're  
6 talking about. We'll be ready to do that the next time. I  
7 don't see any problem.

8 MR. GROBE: Just a final  
9 thought. I've, over the last couple of months, I've seen  
10 an evolution in your approach towards this project.  
11 Clearly, what you've articulated here today is a more  
12 comprehensive and more thorough evaluation than what might  
13 be the minimum mandated by the, the issues contributed to  
14 the head degradation. And I think also clearly what you've  
15 articulated today is commitment to go beyond those issues  
16 as far as improving not only the reliability of the plant,  
17 but safety of the plant and margins to safety.

18 So I think those are good, good indicators. And,  
19 you also presented today some, in the area of the head,  
20 specifically head replacement and substantive problems.  
21 And we've been inspecting those activities and found good  
22 results from your work, as far as the work that you've  
23 done.

24 So, I think this meeting has been helpful to us.  
25 It's been fairly comprehensive. It's been giving us a good

1 benchmark where you're at, and going. And we look forward  
2 to our next meeting, which I expect would be around the  
3 middle of the month, next month. And we'll work out that  
4 schedule with your staff.

5 MR. MYERS: Thank you.

6 MR. GROBE: At this point, why  
7 don't we take a eight minute break, which I expect will be  
8 ten by the time everybody gets back in their seats; give  
9 Marie a break; and then we'll convene the public portion of  
10 this meeting where we can receive questions from the  
11 public; NRC staff can receive questions from the public, as  
12 well as any feedback that you may have that you want to  
13 share with us.

14 So, we will be convened. I have five minutes  
15 until. Let's convene at three minutes after. Thank you.

16 (Off the record.)

17 MR. GROBE: This portion of the  
18 meeting is particularly focused on the NRC staff receiving  
19 input and feedback from the public. And there is a pad of  
20 paper on the podium up here, as well as the microphone.

21 And I would like to begin with any local members of  
22 the community in the Oak Harbor area, in the areas  
23 surrounding the Davis-Besse Plant as well as any local  
24 officials that have thoughts or questions that they want to  
25 ask, and then move into any other individuals that have

1 thoughts or questions.

2 So, anybody that's interested in providing us some  
3 thoughts or comments or has a question, please come up to  
4 the podium, and we're available to answer those.

5 I didn't think you'd miss a chance at this.

6 HOWARD WHITCOMB: I guess I have to  
7 lead it off, Jack.

8 In follow-up to your comment that you made about  
9 first-line supervision, I would offer the following  
10 observation. This afternoon, I've heard essentially two  
11 prongs, if you will. One is a technical fix to the  
12 corroded reactor vessel head and then the other is the  
13 software fix or management fix involving the root cause  
14 analysis determination, so forth.

15 What's been provided by First Energy this afternoon  
16 is a time frame for the technical fix. What has not been  
17 provided is a time frame for the management fix. Clearly,  
18 the technical issue is probably the least significant, but  
19 I haven't this afternoon, Mr. Grobe, heard First Energy's  
20 first prioritization of the management issues.

21 In other words, what are the root cause  
22 determinations? Why did they occur? And how is First  
23 Energy going to address them to prevent recurrence? And  
24 this afternoon, we haven't heard anything with respect to  
25 what priority First Energy has attached to that aspect and



1 how that's going to essentially factor into restart of the  
2 Davis-Besse Plant.

3 MR. GROBE: Okay. Excellent  
4 question. I think I heard two parts. I think both  
5 Christine and I had asked very similar questions today.

6 You're correct that the root cause analysis is not  
7 complete. The specific structure of what activities need  
8 to be taken by the plant has not yet been decided by the  
9 plant. And, we're here to get those also and look forward  
10 to those more detailed specifics at our next meeting next  
11 month.

12 The other question I think is also a fair question,  
13 and it's not one for me to answer, but I would ask Lew or  
14 Howard if they want to comment on what priority you place  
15 on the, addressing the causal factors of more on the human  
16 performance organization effectiveness as contrasted with  
17 the priority placed on the hardware fixes?

18 MR. MYERS: Well, in my mind,  
19 the management issues, I'm sponsor to the management  
20 issues, is pretty high priority. That's the reason I am  
21 the sponsor, because we realize we've had, we've made some  
22 pretty significant organizational changes already at the  
23 upper levels. We've improved the senior team at the  
24 station, has changed considerably.

25 As we go through finish up with the work processes,

1 we'll probably find some additional insights of training  
2 and standards that we need to take. And then finally the  
3 programs reviews.

4 As you go through these program reviews, we've got  
5 to make sure we've got good industry standards on our  
6 programs, that we have good ownership of our programs, and  
7 we have to go on to monitor implementation of each and  
8 every program. We're going to do that. I don't know that  
9 every one of those is required before restart, but we're  
10 certainly going to look at our programs very hard for  
11 restart.

12 And the final thing is our independent review board  
13 that I talked about. We won't restart the plant until that  
14 board thinks we're ready to go.

15 MR. GROBE: Okay. Anything  
16 else, Howard?

17 HOWARD WHITCOMB: No, that should do  
18 it.

19 MR. GROBE: Okay, thank you.

20 I did realize that I had forgotten to introduce one  
21 NRC staff member that is here today. And, I thought he had  
22 left. So, I was really feeling badly, but I just noticed  
23 that he came back in the room. So, let me take this  
24 opportunity to introduce Marty Farber.

25 Marty, where did you go? There he is over in the

1 back.

2 Marty is a very experienced inspector in the Region  
3 3 office. Outstanding performer for us. And he has taken  
4 on the responsibility to be a leader on the, what we call,  
5 the AIT follow-up inspection. He's been working in  
6 Regional office for several weeks and is on-site this week  
7 bringing focus on the AIT findings, as far as the, whether  
8 those findings or which of those findings represent  
9 regulatory violations and what the significance of those  
10 violations are.

11 So, over the next couple of weeks, I expect Marty  
12 and possibly some other staff from Region 3 support will be  
13 completing the AIT follow-up inspection.

14 I didn't want to miss the opportunities to introduce  
15 Marty. So, I apologize Marty for not catching you earlier.  
16 You were on my list and I missed you.

17 Are there other members of the Oak Harbor community  
18 that have questions or comments?

19 Any elected officials that have questions or public  
20 officials that have questions?

21 Okay. Very good.

22 Are there other members in the audience today that  
23 have questions for us or comments that they want us to  
24 consider?

25 Yes, sir?

1                   JOHN MILLER:       My name is John  
2 Miller. I'm a reporter.  
3       Mr. Grobe, if you were king, what would you do about  
4 the notion of the safety culture of the emphasis you put  
5 today on first line supervisors having the kind of safety  
6 attitude so that they catch problems as they arise rather  
7 than pinning the safety of the plant only on the senior  
8 management in some kind of bureaucratic process of CRs that  
9 would, that would find problems?

10       In other words, what do you think ought to be  
11 happening, not only at this plant, but around the industry  
12 in this matter of training or evaluating safety culture?

13                   MR. GROBE:       That's a big  
14 question. First off, let me take a step back. Our  
15 inspection program is built upon a number of fundamentals.

16       And, Bill, maybe you can, as I go through a couple  
17 things, maybe you can think through this and provide some  
18 additional thoughts.

19       We have characteristics in our inspection program,  
20 which we call cross-cutting issues. And what cross-cutting  
21 issue means is, it's something that affects safety  
22 performance across the plant in any of the various safety  
23 cornerstones, is what we're calling them.

24       One of the cross-cutting issues is Human  
25 Performance, and it's the focus of our inspection program.

1 Second cross-cutting issue is the Corrective Action  
2 Program, and safety culture of the plant. What we  
3 sometimes refer to as the safety conscious work  
4 environment.

5 These issues are underpinning issues for our entire  
6 inspection program, and we have a number of activities that  
7 we conduct that focus on those. One of them has to do with  
8 periodic, what we refer to as problem identification and  
9 resolution inspection. And, that is specifically, focuses  
10 on the activities it takes to evaluate problems, identify  
11 problems, evaluate them, resolve them. It's a risk-focused  
12 inspection, meaning take the highest risk significant  
13 issues and ensure that those issues are being identified  
14 and resolved.

15 We also have periodic activity where we go into  
16 depth. Some people refer to it as drilling down into an  
17 issue. Where an issue of particular, what appears on the  
18 surface to be more significant than other issues that come  
19 up on a day-by-day basis, we will drill down into the  
20 issue; not at the same extent, but similar to what Steve  
21 Loehlein has done with respect to this issue, and make sure  
22 that the Licensee is going to do a good job identifying the  
23 causal factors and correct it.

24 The last aspect of what we do currently focusing on  
25 safety, but I think you used the word safety culture, is

1 each of our inspectors when they go out to a site, whether  
2 they're health physicists, security inspectors, engineering  
3 inspectors, whatever different flavor of technical  
4 expertise they have, spends a certain period of their  
5 inspection time on site looking at the effectiveness of the  
6 Licensee's programs to identify problems and fix problems.

7 Bill, do you have, any thoughts that you have?

8 JOHN MILLER: Maybe if I could  
9 rephrase the question, because I think, I think I did  
10 confuse you. You said to Mr. Myers; Mr. Myers, you know,  
11 I'm frustrated, I don't believe you have done enough in  
12 telling me about how anybody at the plant below high level  
13 management is going to be operating in a sufficiently  
14 safety-minded mode; and you told him you want to see next  
15 time what he's going to do about that.

16 So, I'm asking you, what do you think he ought to  
17 do?

18 MR. GROBE: I appreciate,  
19 maybe I misunderstood your question. I apologize.

20 JOHN MILLER: It wasn't clear,  
21 I'm sorry.

22 MR. GROBE: It's certainly not  
23 my place to tell Mr. Myers how to fix his problems, it's my  
24 place to evaluate how effectively he does it. And there  
25 are many ways to choose to address these kinds of issues.

1 And they've been addressed at a number of plants around the  
2 country. And, outside of nuclear power, there are  
3 organizational effectiveness experts, and they're applied  
4 in big corporations, small companies across the country.

5 So, it's, Mr. Myers and his team's responsibility to  
6 bring to the table what they plan, and we make sure that to  
7 our satisfaction that it is comprehensive, and then we'll  
8 make sure from a planning prospective and make sure to our  
9 satisfaction that, that it's been effectively implemented.

10 And, we'll be presenting to you the results of our  
11 inspections at these types of meetings in the future.

12 JOHN MILLER: Okay. If you  
13 would humor me just one more time.

14 Back to the first question. If you were king, if  
15 you were the NRC Commission, you would be safe to saying  
16 something more generic than I would just let all of the  
17 utility managers around the country find their own way to a  
18 program that ensures that first level supervisors are all  
19 safety minded enough. What would those generic  
20 requirements be?

21 MR. GROBE: Again, it's, in  
22 the organization, as well as any other organization, there  
23 is all kinds of different ways. Each organization has, has  
24 a character to it; and one solution in one organization  
25 might not apply. Different parts of the country have

1 different characteristics of people and how they, what  
2 motivates them. What brings focus to their work. There is  
3 no cookie cutter solution to this kind of a problem.

4 And, what's important is for Mr. Myers to define  
5 what it is that he thinks is going to fix the issue here at  
6 Davis-Besse, and then we'll evaluate his implementation.

7 And, as I mentioned earlier, the results are going  
8 to be in the performance in the other areas of the restart  
9 checklist. Whether his activities are successful or not  
10 would be clearly evident, not only in the performance  
11 indicators that he develops to evaluate human performance  
12 and organizational effectiveness, but also the results of  
13 the specific activities that are undertaken to improve the  
14 plant, to accomplish the work.

15 Randy Fast talked about replacing the air coolers.  
16 That's a fairly large work activity that involves  
17 engineering, involves maintenance workers, involves maybe  
18 construction workers, depending on the scope of the work.  
19 And, you know, we'll be inspecting those sorts of  
20 activities in the plant.

21 And so, there is a number of ways that we're going  
22 to be evaluating the effectiveness, not only through the  
23 specific limitation actions under that cornerstone -- I'm  
24 sorry, building block, but also in looking at the  
25 performance of the staff and the organization.



1           JOHN MILLER:        Could I ask one  
2 more question on a different point?

3           MR. GROBE:            Certainly. That's  
4 what we're here for.

5           JOHN MILLER:        One could make a  
6 case that this is an example of something, that  
7 Davis-Besse's situation is an example of something that the  
8 NRC hopes never to see.

9           MR. GROBE:            I'm sorry, what?

10          JOHN MILLER:        NRC hopes never to  
11 see. What's that, given that you don't have enough  
12 resources to inspect everything, you have a kind of  
13 sampling inspection program; you inspect some things, not  
14 others. You have a risk base analysis. Hopefully, it's  
15 what appears to be the most important things.

16          But we now have a plant that by your annual  
17 inspection performed quite adequately, but under new  
18 management you say, it's clear over perhaps a decade or  
19 more, numbers of individuals missed what in hindsight would  
20 seem to be very simple indications of problems.

21          And the last time on June 12th at the public  
22 meeting, at least, I think you and your assistant both  
23 agreed that, that the local inspectors priorities on what  
24 to inspect would not have this kind of a situation, boric  
25 acid on the reactor head, anywhere near the top of the

1 list; it would be way down on that person's radar screen.

2 Given that, what would you say to the argument that  
3 maybe this inspection team doesn't work; and, if NRC wants  
4 to be able to prove to its own satisfaction and to the  
5 satisfaction of the public that such a thing is never going  
6 to happen again, given that it was such a near miss to a  
7 LOCA, that the only solution would be a much larger  
8 inspection program, inspecting many more things than are  
9 required, many more financial on the human resources.

10 MR. GROBE: I apologize, I've  
11 forgotten your name.

12 JOHN MILLER: John Miller.

13 MR. GROBE: John, there is a  
14 number of things that are ongoing. You ask very good  
15 questions, and Bill is itching to add to my response. I'll  
16 pass the microphone to him in a moment.

17 I'm sure you've heard the old adage, don't throw the  
18 baby out with the bath water. I'm certainly not willing to  
19 condemn the entire inspection approach or other, any of the  
20 other broad statements that you've made, but what the NRC  
21 has undertaken, is ongoing right now, here last month, if  
22 you had an opportunity to hear Art Howell and Ed Hackett  
23 present publicly what we refer to as a Lesson Learned Task  
24 Force.

25 And the Executive Director, the head guy of the

1 Regulatory Commission has chartered a group of people  
2 completely independent of anybody that's involved at  
3 Davis-Besse to take a real hard look at inspection  
4 programs; how we handled generic safety issues, our  
5 interrelationship with the international community, and  
6 lessons to learn. And I think there were a couple other  
7 items on the charter for Lessons Learned Task Force.

8 I can't remember all of them off the top of my head,  
9 but that task force is working. They have spent a good  
10 deal of time at the Davis-Besse site talking to Licensee.  
11 They've talked to an incredible amount of NRC staff.  
12 They've collected a wealth of documents.

13 The task force is fairly broad, and as far as  
14 numbers and scope or perspective individuals that come from  
15 a variety of parts of our organization, technically as well  
16 as geographically. So, I'm looking forward to the results  
17 of their assessment, things that we can follow on a  
18 inspection program.

19 Bill, did you have additional comments?

20 MR. DEAN: John, I just want  
21 to point out two things. One is, that if you looked at  
22 nuclear industry as a whole, and where performance was ten,  
23 fifteen years ago, and where performance is today as an  
24 industry, there has been a lot of benefit gained from the  
25 collective experience, and our inspection program has been

1 designed relative to that collective experience.

2 And, what we have here at Davis-Besse is a new  
3 experience. And I would offer that our inspection program  
4 has the flexibility to be able to be modified, if  
5 appropriate, to address new phenomenon and new issues that  
6 might emerge.

7 And, relative to your comment about boric acid on  
8 the vessel head not being important. I guess I would like  
9 to point out that over the past couple of years, as we have  
10 learned more as an agency and as an industry about issues  
11 associated with CRDM nozzle cracking and learning about the  
12 different types of phenomenon and so on and so forth, I  
13 think there is a fairly significant track record over the  
14 last couple of years that indicates the significance and  
15 the seriousness with which the agency has considered and  
16 asked and required Licensees to take specific action,  
17 quote, for the vessel head degradation which occurred at  
18 Davis-Besse as well as on the aftermath of that.

19 So, I think that, that provides an example of the  
20 fact that any, any industry is not a static situation.  
21 That things change. That we continue to learn. That's one  
22 of the important things that we have to have that comes out  
23 of this, that we as an agency, Davis-Besse as the Licensee,  
24 and the nuclear industry as a whole, learns from this, so  
25 that the factors that led to this don't repeat themselves

1 in the future.

2           JOHN MILLER:       One follow-up, if  
3 I could. Accepting that your comment that performance is  
4 better now we have experience; and accepting Mr. Grobe's  
5 comment that in general, throwing the baby out with the  
6 bath water is not a good idea. But we have the convenience  
7 of not having had the LOCA that we avoided only by what is  
8 fair to say, dumb luck, because stainless steel is put in  
9 there only for corrosion resistance, not for structure.

10        If we were now having this meeting in front of a  
11 congressional committee examining why there was this LOCA;  
12 do you really believe they would be convinced by the  
13 argument don't throw the baby out with the bath water?

14           MR. GROBE:        I apologize.  
15 There was so many premises to that question, I'm not sure I  
16 can answer it effectively.

17        What I would suggest is that you and I have a chance  
18 to talk and go privately after this meeting, and we can get  
19 into a bit more detail on this, because I think it is  
20 important for you to understand in a little more detail the  
21 scope of our programs, the activities that occurred prior  
22 to Davis-Besse, the activities that have occurred after  
23 Davis-Besse.

24        And, I think I don't want to give you the impression  
25 that I feel any differently than this. I think a number of

1 managers, the agency, including myself, has stated this  
2 should never happen. And it's the Licensee's  
3 responsibility to make sure these types of issues don't  
4 happen.

5 It's our responsibility to have an inspection  
6 program that provides a high level assurance that what  
7 they're doing is the right thing. And, our inspection  
8 program did not disclose this as early as it should have,  
9 and certainly the Licensee did not perform in a manner that  
10 was appropriate, and it resulted in the head degradation.

11 So, with that said, let's get into this separately  
12 after the meeting, because I don't want to tie everybody  
13 else up with an extended discussion of this topic. Okay.

14 MR. MYERS: Can I make a  
15 comment?

16 MR. GROBE: Sure, Lew.

17 MR. MYERS: Let me make a  
18 comment; a couple. Most likely, from an engineering  
19 standpoint the situation we had would have caused leakage  
20 that would have shut us down before it broke. One gallon  
21 would shut it down. So, that was really first in there.  
22 It shouldn't have happened. We should have found this.

23 But what I do think is healthy, I never thought I  
24 would say this, but I've been in this industry for over 30  
25 years, and the performance improvements that we see are due

1 to some of our oversight reviews and nuclear power  
2 operations and processes that we go through like we're  
3 going through here when we find something new.

4 I think they're right. We've learned something new  
5 that we need to share with the industry about this  
6 particular program. And I think that this is not, this is  
7 not a fun process, but it's healthy. And these processes  
8 that plants have gone through over the years to improve the  
9 material condition of our plants, the air operated valve,  
10 the leak rate programs; boric acid program, we should have  
11 had in place better, have made this industry perform well  
12 over the years.

13 And that's the reason for these type of things that  
14 we go through with the institute of nuclear power, because  
15 assessments of those every 18 months. And you're own  
16 internal self-assessments; if we do find a problem, there  
17 is going to be problems with any industry, that it gets to  
18 this level of detail, has really improved the performances  
19 of our plants; not only from an operation standpoint, but  
20 from a safety standpoint, that the NRC monitors.

21 You know, I really do believe that. This is not a  
22 fun process sitting up here on this stage, talking about  
23 this issue, but it's probably healthy.

24 MR. GROBE: Are there any  
25 other members of the public that have a question or

1 comment?

2 Let me ask, before we get started, Mr. Stucker, can  
3 you turn on the house lights?

4 BEATRICE MIRINGU: My name  
5 is Beatrice, B E A T R I C E, and Miringu, M I R I N G U.

6 I just want to get an indication from First Energy.  
7 You said that you have an independent panel that select  
8 people different experiences for different knowledge and  
9 from different areas, but you also said that you have  
10 brought in somebody who will help in facilitating  
11 communication between you and First Energy.

12 It's my understanding that you have, NRC has two  
13 staff members at every nuclear department. And indeed, the  
14 problem that you would be having with Davis-Besse  
15 especially with the boric acid problem has nothing do did  
16 with communication between you and NRC.

17 So, if you could elaborate on what you mean by some  
18 real facilitating or making it easier for you to  
19 communicate to First Energy, to NRC, or NRC communicating  
20 to you?

21 MR. GROBE: Ma'am, the portion  
22 of this meeting is to help the NRC with questions for us  
23 and comments for us. I would suggest if you have a  
24 specific question with First Energy, visit with those folks  
25 after the meeting and you can get feedback from them



1 directly, okay?

2 BEATRICE MIRINGU: Well, I thought  
3 since it was mentioned at this meeting that probably they  
4 could bring it like that.

5 MR. GROBE: I understand it.  
6 Outside of the context of the specific portion of the  
7 meeting, this section of the meeting is for us to hear from  
8 the public, us meaning the NRC staff. So, please feel free  
9 to direct your question to them after we complete this part  
10 of the meeting.

11 MR. BERGENDAHL: We'll gladly be  
12 available.

13 BEATRICE MIRINGU: Okay.

14 MR. GROBE: Thank you.

15 BEATRICE MIRINGU: Then the question  
16 I have also for, First Energy. You say at this meeting  
17 that you have moved from the planning phase and going into  
18 the implementation phase. And I understand that inspection  
19 is an ongoing process, but from what you presented today,  
20 there seems to be more inspections that need to be done;  
21 and therefore, I think that you really are not in a  
22 implementation state, and you're in the planning state.  
23 Thank you.

24 MR. GROBE: Okay, thank you.

25 Are there any other members of the public that have

1 a question or comment for the NRC staff?

2 By the way, if it's reporters that have questions;  
3 myself, the staff, and First Energy staff will be available  
4 to discuss specific questions. So, we can do that in a  
5 more informal way, after the meeting, if you prefer that.

6 Yes, sir?

7 WILLIAM BRUML: Yeah. My name is  
8 William Bruml, B R U M L.

9 First, I was going to comment that I am rather  
10 relieved to see at this meeting that management is the  
11 major cause issue here. Clearly, when you have a ten year  
12 train wreck, the question isn't why didn't the brakes work;  
13 it's a question of why didn't someone set the brakes. I'm  
14 glad to see that, seeing you here, and I hope it continues  
15 to, to be there.

16 Also in response to one remark Lew made about, that  
17 he expected that if the situation had continued, they would  
18 have had leakage rather than, rather than a LOCA.

19 Does the NRC have any intention to publish the  
20 results of the inspections that it's been doing on the  
21 sections of the reactor head, so other members of the  
22 general public might kind of have more of a sense of what  
23 you guys are seeing?

24 MR. GROBE: That's an  
25 interesting question. I think you're talking about the

1 detailed analysis of the materials head; is that correct?

2 WILLIAM BRUML: Yes. Something as  
3 simple as a cross section of what, you know, of how the  
4 condition of the hole in the head; and, how the degradation  
5 that was going on in the stainless steel. So, that the  
6 rest of us can understand what people are talking about.  
7 Someone from either side here says, well, gee, this doesn't  
8 look like it's going to perform a full blown LOCA effect.  
9 And I hear about all this steel that's corroded away. I  
10 don't have a whole lot of confidence in that until at least  
11 I see something that talks about it.

12 MR. GROBE: Sure. I just want  
13 to make sure I understand the question before I answer it.  
14 I think there is going to be two areas of documentation may  
15 be of interest to you. The first is NRC is going to  
16 complete a risk assessment which will get into some of  
17 those issues, from a risk perspective. What was the risk,  
18 loss of contacts, rupture of the liner that remained,  
19 things of that nature. And that will be published as part  
20 of our inspection activities.

21 The second area of documentation may be of interest  
22 to you is the results of some detailed analysis that is  
23 being done by our research organization, the Office of  
24 Nuclear Reactor Research -- Regulatory Research, excuse  
25 me. And, there is a number of what we refer to as user

1 needs. I'm a user, so I sign a user need research and I  
2 respond to that. And they're in the process of responding  
3 to that. And they'll be published from that.

4 I don't have the time frames on either of those, but  
5 I'm fairly confident that the inspection documentation  
6 would precede formal publication report from research, and  
7 that should be out in the next month or two. And  
8 certainly, call at least with specific questions and we do  
9 have a response team.

10 WILLIAM BRUML: I have a second  
11 question.

12 MR. GROBE: Sure.

13 WILLIAM BRUML: I heard Christine  
14 mention in passing the issues of other in containment  
15 equipment, electrical equipment, and I wonder if we could  
16 hear a little more detail of what that means? One issue  
17 that you folks are close to this more often, often think,  
18 oh yeah, this is obvious, but to me it was a hole. Gee,  
19 what do you do about this? Is the issue here you have a  
20 building, you know, containment building that has a lot of  
21 electrical equipment, much of which is safety related;  
22 and, some of which has been opened up while inspection or  
23 service for some reason, during the course of this long  
24 period of boric acid on the containment vessel, containment  
25 building.

1 Which leads to the question of, gee, is this more  
2 severe than what the equipment is qualified for, since most  
3 of it is like, do you mean boric acid on the site? So, I  
4 guess my question is, is there a process ongoing to  
5 identify the equipment that might have that problem, how,  
6 you know, what is the general tone of that issue?

7 MS. LIPA: Let me tell you  
8 what I know so far. That was the one of the items that's  
9 on our format framework for the checklist. There is a  
10 plan to have an inspector develop a detailed inspection  
11 plan, and then go out and look at very specific things.  
12 That inspection plan is likely to contain looking at a  
13 number of things, such as cables, cable trays, junction  
14 boxes, things, you know, all types of things within  
15 containment pretty much top to bottom. What could have  
16 been affected by the boric acid. That's the scope of that  
17 particular line item.

18 MR. GROBE: I want to make  
19 sure, you understand that our inspection will be the  
20 sample. We won't be looking at everything. But the  
21 Licensee's activities, they have the components of their  
22 containment health review, which includes environmental  
23 health equipment and they'll be looking much more  
24 comprehensively.

25 We'll be sampling the activities they do as well as

1 some other activities or some other equipment that we may  
2 want to look at in a different way to both evaluate what  
3 they're doing as well as independently assess the depth and  
4 adequacy of what they're doing. Okay? Thank you very  
5 much.

6 Looking for other comments or questions.

7 I thought you were going to come forward. You stood  
8 up, now you're required to come forward. Just kidding.

9 Other questions and comments? Yes, ma'am?

10 VICKY HEIDEL: My name is Vicky  
11 Heidel and I have a question. Understanding that you're  
12 about ready to transport the Midland nuclear head, you said  
13 prior to August 1st, does that mean the NRC has given its  
14 stamp of approval that this is in excellent condition even  
15 though it's an old or new old nuclear head?

16 MR. GROBE: John, you want to  
17 briefly discuss our scope of the inspection activities for  
18 the head, and explain what sort of certification goes along  
19 with component base like this.

20 MR. JACOBSON: Right, there is a  
21 couple of components to the inspection that we're going to  
22 do regarding the head replacement, and one of them we've  
23 already done; and that is look at some of the  
24 nondestructive examination that was done, that the Licensee  
25 did to supplement some of the documentation that they did

1 have for the head. Some of it was missing. It's gone over  
2 the years. And they did some supplemental inspections.

3 And we've looked at those inspections as to how good  
4 inspections were done, as well as the results of those  
5 inspections. And so far, that part of it, we have no  
6 problem with. What we saw was done well, and the results  
7 were acceptable.

8 The next part of the inspection that's going to be  
9 done is looking at a sample, a good sample of the  
10 documentation; both the new work that was done, as well as  
11 documentation that exists from when the head was originally  
12 manufactured. And we need to do that so that we can verify  
13 for ourselves that this head in its condition today meets  
14 all the requirements of the American Society of Mechanical  
15 Engineers Boiler and Pressure Vessel Code.

16 And in that code, there is requirements, for  
17 example, for the radiographs. There is requirements as to  
18 how those radiographs will be taken and there is  
19 requirements as to what the acceptance criteria is for any  
20 flaws or discontinuities that are found during the  
21 nondestructive examination.

22 And that's just an example of the kinds of things  
23 that we will be looking at. And then the last part of the  
24 head replacement that we're going to be looking at is the  
25 actual opening and then restoration of the containment to

1 place the head in the Davis-Besse containment.

2 VICKY HEIDEL: So, this  
3 inspection will be done prior to its being transported  
4 here, the total inspection?

5 MR. JACOBSON: Part of it has  
6 been done already, part of it is about to start. Whether  
7 the Licensee decides to transport this head now or they  
8 decide to transport it six months from now, is really not  
9 our concern.

10 VICKY HEIDEL: Okay.

11 MR. JACOBSON: And if they want  
12 to move the head, it's their head, and they can move it,  
13 but ultimately, restart of the facility, that decision will  
14 be made by the NRC.

15 VICKY HEIDEL: Is there any  
16 danger in transporting it that we should be concerned about  
17 that?

18 MR. JACOBSON: Any danger?

19 VICKY HEIDEL: Any danger of  
20 transporting the actual head.

21 MR. JACOBSON: With respect to  
22 what, radiation, radioactive?

23 VICKY HEIDEL: Yes, exactly.

24 MR. JACOBSON: No, the head has  
25 never been used and there's no radioactivity associated



1 with it at this time.

2 VICKY HEIDEL: Lastly what do you  
3 do with the old reactor head?

4 MR. JACOBSON: That's a question  
5 that the Licensee would have to answer at this point.

6 MR. GROBE: Let me respond to  
7 that in a little bit of detail. And if you, if you want to  
8 respond or ask your question to First Energy after the  
9 meeting, that's fine.

10 The Licensee has performed an analysis of the  
11 existing head to characterize what sort of waste it is.  
12 There is different categories of waste within our  
13 regulations and we're expecting to perform an inspection of  
14 that assessment that they've done, how they made the  
15 measurements and the validity of the assessment.

16 In addition to that, we have a routine aspect of our  
17 inspection program that deals with package and  
18 transportation of waste and we'll be performing those  
19 routine inspections on this very nonroutine type activity.

20 So, we will have a thorough inspection of what  
21 Licensee is planning. It's my understanding that they are  
22 currently not planning on transporting the head to a waste  
23 facility. They've currently characterized it, based on my  
24 information, of what's referred to as class A waste, which  
25 is low specificity waste. And we will be performing

1 inspections and reporting the results of those inspections  
2 during future meetings like this one.

3 VICKY HEIDEL: All right, last  
4 but not least, I have understand that a brand new head has  
5 been ordered, and will that ever be installed at  
6 Davis-Besse?

7 MR. GROBE: That's really not  
8 the scope of our activities.

9 Lew, do you want to respond to that?

10 MR. MYERS: The answer is  
11 yes.

12 MR. GROBE: Okay, thank you  
13 very much.

14 I didn't realize what time it had gotten to be. Why  
15 don't I ask if there is any one additional question, and  
16 then we need to move on since we have another meeting at  
17 7:00. Any additional questions?

18 Okay. I thank you very much for attending. I  
19 appreciate the questions we received. If per chance you  
20 think of something or felt that you didn't get a chance to  
21 ask a question, feel free to come back at 7:00.

22 Thank you very much.

23 (Off the record.)

24 - - -

25

1 CERTIFICATE

2 I, Marie B. Fresch, Registered Merit Reporter and  
3 Notary Public in and for the State of Ohio, duly  
4 commissioned and qualified therein, do hereby certify that  
5 the foregoing is a true and correct transcript of the  
6 proceedings as taken by me and that I was present during  
7 all of said proceedings.

8 IN WITNESS WHEREOF, I have hereunto set my hand and  
9 affixed my seal of office at Norwalk, Ohio, on this  
10 27th day of July, 2002.

11

12

13

14

Marie B. Fresch, RMR

15

NOTARY PUBLIC, STATE OF OHIO  
My Commission Expires 10-9-03.

16

17

18

19

20

21

22

23

24

25