

UNITED STATES OF AMERICA
ENVIRONMENTAL PROTECTION AGENCY

CONTROL OF AIR POLLUTION FROM NEW MOTOR VEHICLES
PROPOSED HEAVY DUTY ENGINE AND VEHICLE STANDARDS
AND HIGHWAY DIESEL FUEL SULFUR CONTROL REQUIREMENTS
EPA PUBLIC DOCKET NO. A-99-06

PUBLIC HEARING
DENVER, COLORADO

June 29, 2000

I N D E X

	Page
Welcome and Opening Remarks	
Richard Long, Region 8 Air Division Director	5
Opening Statement	
Chris Grundler, Deputy Director, Office of Transportation and Air Quality	5
Will Toor, Mayor, City of Boulder	12
JoAnn Sorenson, Commissioner	14
Vickie Patton, Environmental Defense	18
Gene Burden, Tesoro Petroleum Corp.	26
Eric P. Skelton, Director, Spokane County Air Pollution Control Authority	32
Lisa Stegink, Engine Manufacturers Association.	39
Beth Law, American Trucking Association	42
Jeryl Feeley, RN, ND	50
Zakariah Feeley	57
Bob Neufeld, Wyoming Refining Company	57
Paul Berger, MD	66
Rich Kassel, Natural Resources Defense Council	68
John Fox	75
Dr. Sanford Avner, Colorado Allergy and Asthma Centers.	76
Lea Ann Purvis, American Lung Association of CO	80
Matthew Gill.	82
Gina Porreco, Clean Air Network	84
Greg Dana, Alliance of Automobile Manufacturers	89
Gerald Faudel, Frontier Oil Corporation	93
Brian Whalen, International Truck and Engine Corp	99

I N D E X
(Cont.)

	Page
Robert Elliott, Cenex Harvest States Cooperatives . . .	102
John Bunyak, National Park Service.	108
William Frick, American Petroleum Institute	114
Bruce Bertelsen, MECA	120
Stanley F. DeVore, Jr., American Truck Dealers Assoc. .	126
Lynn Westfall, Ultramar Diamond Shamrock.	136
Angie Farleigh, US PIRG	142
Curt McIntosh, Diesel Workers Union, Cummins Engine . .	144
Blakeman Early, American Lung Association	146
Mayor Wellington Webb, City and County of Denver. . . .	152
Richard Severance, Conoco Refining and Marketing North America	154
John Kowalczyk, Oregon Department of Environmental Quality	164
Ronald Hagmeyer, National Association of Convenience Stores	168
Marie Valentine, DaimlerChrysler Corporation.	173
Kelly Nordini, CoPRIG	177
David Bartlett, Diesel Technology Forum	179
John H. Stern, Countrymark Cooperative	184
Susan LeFever, Sierra Club	191
Sally Allen, Gary-Williams Energy Corp.	193
Jeffrey Kramer, SIGMA	196
Representative Ken Gordon	204

I N D E X
(Cont.)

	Page
Doug Young for Congressman Mark Udall	206
Chris Arend for Congresswoman Diana DeGette	208
Lucinda Smith, City of Fort Collins, Natural Resources Department	211
Ken Toltz	215
Robin Hubbard, CoPIRG	219
Clark Wilson	221
Anna Brower	222
Paul Argyropoulos, Clean Fuels Development Coalition.	224
Jim Stevenson, CENEX Harvest States Cooperatives.	232
Jody Kennedy, Colorado Environmental Coalition.	237
Tom Byers, Williams Energy Services	240
Dale Hill, Transportation Techniques.	246
Daryn McBeth, National Biodiesel Board.	249
Dr. Maury Albertson, Colorado State University.	255
David Orr, National Alternative Fuels Association	258
Fernando Martinez	266
Justin Wettstein, National Center for Atmospheric Research	268
Stan Dempsey, Colorado Petroleum Association.	275

P R O C E E D I N G S

(10:00 a.m.)

1
2
3 MR. LONG: Good morning everyone. I'm Richard
4 Long. I'm the Director of the Air and Radiation Program for
5 the Regional Office here in Denver. It's my pleasure to
6 welcome all of you to Denver today. For those of you who are
7 coming from out of town, it's a pleasure that you were able
8 to come in and participate in this process. We welcome your
9 comments. It's important to the agency to get the breadth of
10 comments that are represented by the different points of view
11 from all of you. It is a very important serious process that
12 we are engaged in, and we look forward to all of the various
13 points of view and the constructive suggestions we're sure
14 that we're going to hear today.

15 At this point, I will turn it over to Chris
16 Grundler.

17 MR. GRUNDLER: Good morning on behalf of the
18 Environmental Protection Agency. I want to also add my
19 welcome to all of you for coming out to testify and provide
20 us with comments on this critical proposal for improving our
21 nation's air quality.

22 I'm the Deputy Director of the Office of
23 Transportation and Air Quality, which has been working in
24 this area, has developed this rule. I'm joined up here by my
25 colleagues, in addition to Dick Long from our Denver office,

1 to my right is Chet France, who is the Director of our
2 Assessment and Standards Division. To my left is Sam
3 Napolitano from our Senior Science Advisor out of Washington,
4 D.C., and Paul Machiele, who has been helping to lead this
5 effort.

6 The proposal we are considering today was announced
7 by Carol Browner, our Administrator, on May 17th, and
8 published in the Federal Register on June the 2nd. We think
9 this is a bold and historic proposal. Our goal is nothing
10 short of making heavy duty trucks, on the road trucks, as
11 clean as, or cleaner, as some cars are today. This is a
12 challenging proposal and one that we think will improve our
13 air quality dramatically.

14 This follows on the heel of our new program that we
15 announced I think last December. The President announced it.
16 It's known as the Tier 2 Proposal. This program dramatically
17 increased the effectiveness of passenger vehicles and light
18 duty trucks and SUVs, making them and the fuel they use, the
19 gasoline they use, dramatically cleaner. We think this is
20 the next step in our quest to make our air quality as clean
21 as possible by dealing with diesel engines and diesel fuel.

22 This means that for the first time ever, heavy duty
23 trucks and buses would be able to use the same kinds of
24 pollution control devices that are used on today's cars after
25 treatment devices, things like catalytic converters. Cars

1 have had these devices for the last 25 years. However, to
2 make them work effectively, just like in cars, lead had to be
3 removed from gasoline to allow those devices to work. For
4 diesel engines, sulfur also has a similar sort of effect as
5 lead did. It contaminates these after treatment devices and,
6 thus, to get these diesel engines as clean as possible, we
7 have to look at these systems just as we did the Tier 2
8 program as a system. And so we need to look at the sulfur
9 effects on these after treatment devices and remove the
10 sulfur.

11 This action will provide greatly improved air
12 quality for all Americans. It will reduce smog causing
13 nitrogen oxides from these vehicles by 95 per cent. It will
14 reduce harmful particulate matter or soot by 90 per cent.
15 This action is essentially the clean air equivalent of
16 removing 13 million of today's trucks off the road.

17 As I mentioned, these trucks and buses are largely
18 powered by diesel engines. Diesel engines are the work horse
19 of today's economy. They're more durable and get higher fuel
20 economy than gasoline engines. But they also tend to pollute
21 more, and air pollution continues to be a major problem in
22 the United States. Over 100 million people are exposed to
23 unhealthy air, and will continue to do so without the kinds
24 of reductions that would come from the proposed standards
25 that we're going to talk about today.

1 We estimate that by the year 2007, heavy duty
2 vehicles will account for about 30 per cent of the national
3 mobile source nitrogen oxide emissions, and 14 per cent of
4 the national mobile source particulate matter emissions.
5 This pollution causes lung damage and respiratory damage, and
6 there's increasing evidence that diesel exhaust may cause
7 lung cancer in humans.

8 The proposed program we're going to talk about
9 today would have a substantial impact on these emissions.
10 Urban areas, which include many poor Americans, can be
11 disproportionately impacted by diesel emissions, and they
12 would receive badly needed benefits from this proposed
13 program.

14 Let me give you some numbers. We're proposing a
15 particulate matter emission standard for new heavy duty
16 engines of .01 grams per brake horsepower-hour. This would
17 take full effect in the 2007 model year. This represents a
18 90 per cent reduction from today's standards.

19 We're also proposing standards for NOx, nitrogen
20 oxide emissions, of 0.2 grams per brake horsepower-hour.
21 This would be a 95 per cent reduction from today's standards.

22 They will be phased in for diesel vehicles between
23 2007 and 2010, and gasoline vehicles would have to meet these
24 standards by the year 2007.

25 To make the new diesel engine technologies work,

1 we're proposing to take most of the sulfur out of highway
2 diesel fuel beginning in 2006, which is when we would expect
3 to see these newer technology heavy duty engines showing up
4 on our roads. Specifically, we're proposing that sulfur
5 limits be established at 15 parts per million. This would be
6 a 97 per cent cut from the current highway diesel fuel sulfur
7 limit, which is at 500 parts per million.

8 We think this is a very cost effective proposal for
9 our society. The low sulfur diesel fuel we estimate would be
10 about 4 1/2 cents more per gallon. We estimate that vehicle
11 costs would increase about \$1,000 to \$1,600, depending on the
12 size of the vehicle.

13 We decided to design this program to include
14 significant lead time for the introduction of both the
15 cleaner fuel into the marketplace, and we also have proposed
16 various phase-in schemes to provide additional flexibility so
17 that we can transition to the new clean diesel fuel and
18 reduce costs.

19 In addition, we have special considerations to
20 accommodate small businesses and farmer cooperative refiners
21 who have special considerations, and we've got flexibility
22 and other assistance in the proposal to allow them to be able
23 to continue to compete.

24 The proposed program also allows the phase-in of
25 the new engine standards over four years, from 2007 to 2010.

1 This is the last of five public hearings that we've
2 been holding on this proposal. We've been hearing from a
3 wide variety of stakeholders across society with different
4 perspectives, and we expect that's going to continue today.

5 Please keep in mind that this is not your only
6 opportunity to comment. We'll also be providing an
7 opportunity to provide written comments in addition to your
8 oral comments, and the comment period will remain open for
9 another 45 days, until August 14th.

10 We're conducting this hearing in accordance with
11 Section 307(d)(5) of the Clean Air Act, which requires EPA to
12 provide interested persons with an opportunity to provide
13 oral presentation of data, views or arguments, in addition to
14 an opportunity to write written statements.

15 I'm very happy to note that in the previous four
16 sessions, we had a large number of people who came to provide
17 testimony, and that's evident by the crowd today, and I think
18 that is a tribute to your commitment to cleaning up the air
19 and being involved in this process, and I congratulate you.

20 We do ask that you try to limit your testimony to
21 ten minutes so that as many people as possible can make their
22 points across. There's no penalty for finishing earlier if
23 you can get to your point in less than ten minutes. But
24 we're committed to staying here as long as it takes so that
25 everyone can be heard.

1 We'll be conducting this hearing informally. We do
2 have people in the front row. Lynn Zohaki and Byron Bunker,
3 Colleen Zavaris from our Ann Arbor lab will be assisting you
4 to let you know when your time limit is approaching. No
5 bodily force will be used, I trust. But they have some
6 efficient means to let you know that your time is
7 approaching.

8 Also, if you could please write your name clearly
9 on the cards provided so that we know who is speaking, and
10 also introduce yourself and your organization.

11 From time to time, we may be asking clarifying
12 questions, and I want to remind the witnesses that any false
13 statement or false response to questions may be a violation
14 of law.

15 If there are any members of the audience who wish
16 to testify who have not already signed up, please submit your
17 names out at the reception table. We'll make every effort to
18 work you in. But because of the large number of witnesses
19 that have already signed up, this hearing may go on into the
20 evening hours. Given the list, we will probably work through
21 lunch.

22 Finally, if you'd like a transcript of this
23 proceeding, you should make arrangements directly with our
24 court reporter during one of the breaks. The transcript will
25 be available on our web page and in the public docket shortly

1 after we receive it from the reporter.

2 Any questions before we begin on logistics or
3 otherwise?

4 (No response.)

5 MR. GRUNDLER: I also want to let people know we're
6 very grateful that they are here. A couple of public
7 officials will tour, the Mayor from the City of Boulder.
8 Your Honor, thank you for joining us. And JoAnn Sorenson,
9 who is a Commissioner from Clear Creek County, welcome.

10 I'd like to invite the first panel up to the table.
11 I'm sorry, Mayor Toor and Commissioner Sorenson, why don't
12 you come up and make your statements.

13 I apologize for any misunderstanding. We'd like
14 the elected representatives to testify first, and then we'll
15 bring the first panel up.

16 MAYOR TOOR: Good morning. My name is Will Toor,
17 and I'm the Mayor of the City of Boulder. I'm here today to
18 urge you to adopt tough new emissions standards for heavy
19 duty trucks and buses as soon as possible, preferably before
20 2010. The City of Boulder also urges the EPA to require
21 diesel sulfur levels for on-road and off-road vehicles, with
22 a cap of no more than 15 parts per millions sulfur nationwide
23 by 2006.

24 In addition, the EPA should take measures to ensure
25 that big trucks are meeting the emission standards on the

1 roads, not just during the engine tests. Specifically, both
2 in-use and on-board diagnostic equipment should be required
3 for all heavy duty trucks by 2007. We should also increase
4 the use of advanced technology vehicles such as hybrid
5 electric buses or fuel cell trucks. The EPA should include a
6 provision in the heavy duty rule that would provide
7 incentives to introduce more of these cleaner, efficient
8 diesel alternatives into the heavy duty fleet. These
9 provisions are necessary to protect the public health. We
10 ask that you include them in your final rule-making.

11 You have heard the statistics. More than 470,000
12 children and 226,000 elderly in Colorado are estimated to be
13 at risk for lung disease or respiratory distress because of
14 exposure to unhealthy levels of air pollutants. Colorado
15 could save more than \$240 million in health care costs each
16 year if the state lowered its particulate pollution levels.
17 This is not only the best decision for the public health and
18 the environment, it's the best fiscal decision as well.

19 Numerous scientific studies have begun to link
20 diesel exhaust to cancer. Nationally, heavy duty trucks and
21 buses currently account for 27 per cent of the smog-forming
22 nitrogen oxides and two-thirds of the particulate pollution
23 emitted by all the vehicles on the road, even though they are
24 only 2 per cent of the vehicles on the road. Big trucks and
25 buses are among the largest pollution sources, yet the oil

1 industry and engine manufacturers have done little to curb
2 this pollution. We must require drastic reductions in
3 pollution from these large trucks and buses.

4 Cleaning up diesel fuel by 97 per cent will allow
5 the EPA to cut smog-forming pollution by 95 per cent in 2007
6 and soot pollution by 90 per cent by 2007. However, the EPA
7 is proposing to wait until 2010 to fully clean up smog-
8 forming pollution from these vehicles, meaning that Americans
9 will have to wait ten years before all new trucks are cleaned
10 up. There should be no phase-in period for reductions in
11 smog-forming pollution.

12 The City of Boulder has a strong record of
13 supporting clean air, both through its environmental programs
14 and our transportation programs and policies which encourage
15 alternate modes of transportation. The proposed standards
16 will result in significant air quality improvements that may
17 not be feasible through alternative transportation and
18 behavior change efforts. We welcome the efforts of the EPA,
19 and look forward to continuing to work together on this and
20 other issues.

21 Thanks for hosting this hearing.

22 MR. GRUNDLER: Thank you, Mr. Mayor. Commissioner?

23 MS. SORENSON: Good morning, and thank you for
24 having the hearings here in Denver and giving us the
25 opportunity to comment to you. I am from Clear Creek County,

1 which is located about 60 miles west of Denver on I-70, and
2 I'm here speaking on behalf of all the Commissioners from
3 Clear Creek County today.

4 As Commissioners, we view this issue of cleaning up
5 diesel emissions from a couple of perspectives. One of them
6 relates to our responsibility for public health in Clear
7 Creek County, and the second relates to our sense of
8 responsibility for water quality in Clear Creek.

9 We are particularly sensitive to the impacts of
10 diesel emissions in our county because of the heavy truck and
11 bus traffic on I-70. As some of you may know, I-70 and U.S.
12 40 travel the length of Clear Creek County and cut through
13 all of our towns, Idaho Springs, Georgetown, Silver Plume,
14 and Empire. According to the American Lung Association,
15 national figures indicate that diesel vehicles account for
16 only 2 per cent of the vehicles on the road, but they're
17 responsible for a great deal more of the pollution.

18 We are concerned that our citizens and our
19 environment are exposed to an even greater relative amount of
20 pollution because of the heavy truck traffic on I-70. In a
21 July, 1997 video traffic survey that was commissioned by the
22 Colorado Department of Transportation, it was revealed that
23 in our county, buses and trucks accounted for 5.9 per cent of
24 the traffic, nearly three times the national average.

25 Also, according to the American Lung Association,

1 medical research shows that people who live within a mile of
2 roadways with heavy truck traffic are more likely to have
3 respiratory problems. They also tell us that diesel exhaust
4 is responsible for 125,000 cases of cancer annually in the
5 U.S.

6 Applying that information to Clear Creek County
7 really caused us to raise our eyebrows. Virtually every
8 citizen in our towns, and many in the unincorporated part of
9 the county, live within a mile of I-70. And when I pulled
10 the Colorado Department of Public Health and Environment 1997
11 figures on critical health issues for Colorado counties, I
12 learned that Clear Creek County ranked fourth out of 63
13 counties for lung cancer as the cause of death. We ranked
14 14th out of 63 counties for pulmonary disease as a cause of
15 death.

16 Now, I'm not a medical researcher and I can't tell
17 you that these disease issues are directly related to diesel
18 emissions, but the coincidence is striking and probably
19 deserves further investigation. And it also indicates to us
20 that we need to be urging you folks to go ahead and clean up
21 some of these serious sources of pollution.

22 The other perspective from which we view this
23 diesel emissions issue is that of the watershed protection.
24 We, along with all the other municipal and county members of
25 the Upper Clear Creek Watershed Association are committed to

1 improving the water quality of this creek, which provides
2 water to hundreds of thousands of folks on Colorado's Front
3 Range.

4 We are also committed to improving the overall
5 quality of life in the watershed. To us, that means clean
6 water and a healthy forest. Our citizens and we participate
7 in costly efforts to achieve those ends, with numerous public
8 and private partners. We believe that the polluters who
9 travel I-70 in numbers that are triple the national average
10 need to step up and do their part in this clean-up effort
11 also.

12 For nearly 100 per cent of the distance through our
13 county, I-70 and U.S. 40 parallel the creeks. For about a
14 third of the distance, these highways cut through the Arapaho
15 National Forest, and this is a very high elevation. We
16 expect that the sulfur, nitrogen and carbon monoxide and
17 particulate matter reductions that are anticipated because of
18 these new regulations would have a positive effect on our
19 watershed and forest.

20 We also join Boulder in urging you to move ahead
21 with these new standards more quickly than the year 2010. We
22 have found that through the CDOT surveys that traffic is
23 projected to double every seven years on I-70, and with that
24 kind of increase in pollution, we think we need to move as
25 quickly as possible to implement new solutions to these

1 problems.

2 Thank you again for having the hearing here, and
3 for allowing us to speak.

4 MR. GRUNDLER: Thank you very much. As public
5 officials, I know how busy your schedules must be, and thank
6 you for taking time out of those schedules to give us your
7 perspective. It's very valuable.

8 At this time, I'd like to invite the first panel
9 up, Vickie Patton, Gene Burden, Eric Skelton, Lisa Stegink,
10 Beth Law, Jeryl Feeley--I'm sorry--Jeryl Feeley and Zakariah
11 Feeley, and Bob Neufeld.

12 If you could write your names on the card, and also
13 as you begin your testimony, to state your affiliation.

14 Ms. Patton, you may begin.

15 MS. PATTON: The Rocky Mountain Office of
16 Environmental Defense greatly appreciates this opportunity to
17 comment on EPA's proposed emission standards for large diesel
18 trucks and buses, and the integrally related proposal for
19 cleaner diesel fuel. We are testifying today on behalf of
20 the approximately 300,000 members of our non-profit, non-
21 partisan, non-governmental environmental organization that
22 live in communities across the country that would benefit
23 from dramatically cleaner, healthier air if EPA finalizes its
24 proposed standards.

25 There is overwhelming public support for EPA's

1 action. A recent public opinion survey found that 87 per
2 cent of the public, nearly nine out of ten people, agree that
3 18 wheeler trucks, buses and other big diesel vehicles should
4 be required to use the best available pollution control
5 technology even if it will impose higher costs.

6 We should recognize today the sentiments of those
7 who can't be at this hearing, including the parents who must
8 care for their children and provide for their families. The
9 broad-based, public support for EPA's action by those who
10 don't have the luxury to attend a midday, midweek public
11 hearing must be counted.

12 The overwhelming public support for EPA's
13 initiative is not at all surprising. Large diesel trucks and
14 buses are obvious and ubiquitous polluters. The all too
15 common and all too familiar exhaust that billows from these
16 vehicles is harmful to our health and our environment. The
17 adverse impacts occur from Denver, Albuquerque and Phoenix,
18 to New York, Philadelphia and Atlanta, from the Adirondacks
19 to the Rockies.

20 Diesel exhaust contains a variety of harmful
21 pollutants that contribute to toxic air pollution in our
22 neighborhoods, communities and cities; fine particles that
23 lead to premature death and hospitalization; summertime smog;
24 acidification of our forests, lakes and streams; the haze in
25 our national parks and the "brown clouds" in our cities; and

1 eutrophication of coastal water bodies. Stated differently,
2 the economic investments made in cutting the harmful
3 pollution in diesel exhaust will reap tremendous, multi-
4 faceted public health and environmental benefits.

5 We believe it is especially imperative that EPA
6 finalize its proposed emission standard for diesel
7 particulates without any backsliding, to protect communities
8 in the West and across the country from the carcinogenic
9 effects of diesel exhaust. Numerous public health studies
10 show increase lung cancer risks of 20 to about 90 per cent
11 from diesel exhaust. In addition, major state, national and
12 international public health agencies have found that diesel
13 exhaust or diesel particulates are a probable or known
14 carcinogen.

15 In 1988, the National Institute for occupational
16 Safety and Health classified diesel exhaust as a "potential
17 occupational carcinogen."

18 In 1989, the International Agency for Research on
19 Cancer found that diesel exhaust is considered to be a
20 "probable" human carcinogen.

21 In 1996, the World Health Organization found that
22 human epidemiological data suggest that diesel exhaust is
23 "probably carcinogenic."

24 The California EPA found that data have
25 demonstrated that diesel exhaust is a carcinogen.

1 Last month, the Department of Health and Human
2 Service's National Toxicology Program issued its 9th edition
3 of its Report on Carcinogens, in which it classified diesel
4 exhaust particulates as "reasonably anticipated to be a human
5 carcinogen."

6 In March, 2000, local officials in Los Angeles
7 completed one of the most comprehensive urban monitoring
8 studies of toxic air pollution. The study found that
9 emissions of diesel particulates are responsible for 70 per
10 cent of the cancer risk associated with air pollution--70 per
11 cent. Moreover, the study found that the greatest risk
12 levels were in the south-central and east-central portions of
13 Los Angeles that are highly populated by minorities and low
14 income residents.

15 Based on this analysis, consortium of state and
16 local Air Pollution Control officials estate that diesel
17 particulates may be responsible for hundreds of cancers in
18 Denver and other communities across the country. And just
19 yesterday, the health Effects Institute, which is jointly
20 funded by industry and EPA, released the result of a major
21 epidemiological study of particulate health effects in 90
22 cities across the country, finding compelling correlations
23 between increasing concentration of particulate matter, and
24 premature death and hospitalizations.

25 In taking final action on its proposal, EPA must

1 issue the most stringent particulate emission standards
2 feasible to help rid our communities of harmful, cancer-
3 causing diesel exhaust.

4 While Environmental Defense applauds EPA's proposed
5 cuts in NOx emissions from large trucks and buses, we're
6 concerned about the proposed delay in implementing those
7 standards. NOx emissions have increased more than 3 1/2
8 million tons since the advent of the modern Clean Air Act in
9 1970. In 1998, 24 1/2 million tons of NOx air pollution were
10 emitted nationwide, approximately 400,000 tons in Colorado
11 alone.

12 NOx pollution and its byproducts contribute to a
13 variety of health and environmental problems in the western
14 United States and across the country. NOx is one of the
15 major contributors to ground-level smog in the Denver
16 metropolitan area and other communities across the country.
17 NOx contributes to fine particles that are breathed deep into
18 the lungs. NOx is one of the major contributors to
19 acidification of our forests, lakes and streams. Indeed,
20 University of Colorado scientists believe that NOx pollution
21 is likely contributing to nitrogen saturation in sensitive,
22 high elevation ecosystems in the Rocky Mountains. In turn,
23 large trucks and buses are one of the major contributors to
24 NOx air pollution. EPA projects that large trucks and buses
25 alone will soon comprise nearly one-third of the national NOx

1 air pollution from the transportation sector. If we are to
2 protect the health of our children, the elderly and our
3 sensitive ecosystems, we must cut the NOx air pollution from
4 large diesel trucks and buses.

5 Unfortunately, EPA is proposing unacceptable delays
6 in the implementation of the NOx emission standards. Instead
7 of postponing the tremendous air quality benefits from
8 cutting NOx, EPA should require diesel engines to achieve
9 full compliance with the NOx emission standards by no later
10 than 2007.

11 The linchpin of EPA's clean air initiative is its
12 proposed 15 parts per million cap on the sulfur content of
13 highway diesel fuel to be achieved in 2006. Cleaner fuel is
14 a critical ingredient to achieve the tremendous clean air
15 benefits that are possible under EPA's proposal by enabling
16 state-of-the-air control technology. Like the engine
17 manufacturers that must produce the clean engine technology,
18 the oil refiners must do their share to produce cleaner fuel.
19 Unfortunately, this critical dual system is under attack by
20 the refiners that oppose EPA's clean air initiative.

21 We urge EPA to consider the facts, not the rhetoric
22 of the refining industry, in taking final action on its low
23 sulfur diesel proposal.

24 Fact Number 1: The suggestion by some refiners to
25 relax the limit on sulfur to 50 parts per million instead of

1 15 would fundamentally undermine the air quality benefits
2 that could be achieved from this program, by realizing only a
3 small fraction of the air pollution reductions possible.

4 Fact Number 2: EPA's cost estimate of 4 to 5 cents
5 per gallon to achieve a 15 part per million sulfur limit is
6 eminently reasonable given the magnitude of the air quality
7 benefits, and is entirely consistent with the findings of
8 MathPro, a leading industry consulting firm.

9 Fact Number 3: A six year lead time to achieve
10 EPA's low sulfur diesel standards standing alone provides
11 tremendous compliance flexibility. In 1990, EPA issued the
12 first phase of its low sulfur diesel initiative by requiring
13 refiners to cut sulfur levels from approximately 2500 parts
14 per million to 500. In that rulemaking, EPA generally
15 allowed a three year lead time for compliance. Refineries
16 complained then that this deadline was too tight. In the
17 pending rulemaking, EPA has proposed to double the phase-in
18 period to six years, but now that is not enough time. The
19 bottom line according to the refining industry is that no
20 time is a good time to produce cleaner diesel. If we let the
21 refining industry dictate public policy, we would still have
22 lead in our gasoline.

23 Fact Number 4: Producing low sulfur diesel is
24 proven and is feasible. ARCO, which has recently merged with
25 BP AMOCO, is voluntarily producing diesel fuel with a maximum

1 sulfur content of 15 parts per million in the Los Angeles
2 area. In addition, Tosco, a large refinery, has vigorously
3 supported EPA's action, stating that it is prepared to make
4 the necessary investments to produce cleaner fuel for the
5 American public. The voluntary initiative actually producing
6 low sulfur diesel now in conjunction with the strong support
7 from Tosco are very power evidence that EPA's proposal is
8 feasible.

9 Fact Number 5: Other countries are already leading
10 the way to low sulfur diesel. In 1991, Sweden instituted
11 policies to facilitate low sulfur diesel, and by 1996, 85 per
12 cent of its diesel fuel had a sulfur content of 10 parts per
13 million or less. Like Sweden, Germany is putting in place
14 measures to achieve a 10 part per million low sulfur diesel
15 fuel level. In both Germany and Japan, progress toward
16 producing low sulfur diesel has been based on joint
17 agreements between the vehicle manufacturers and the oil
18 marketers. In other words, big businesses in those countries
19 are working together to deliver better emission standards for
20 the public.

21 The final fact is that diesel prices are volatile
22 over the short-term, but have decreased over the long-term.
23 We have data from the Energy Information Administration that
24 we'd like to just briefly present to you. We'll just present
25 the first chart.

1 This long-term data which compiles monthly diesel
2 prices from 1983 to the year 2000, and is adjusted for
3 inflation, demonstrates that in any given month, in any given
4 period of time, diesel prices may be high or they may be low.
5 But what this very powerfully demonstrates is over the long-
6 term, diesel prices have decreased.

7 During today's hearing, you will hear from major
8 engine manufacturers that support EPA's action, from major
9 automobile manufacturers that support EPA's action, from
10 public officials that support EPA's action, and from parents
11 and children that support EPA's action. Unfortunately, you
12 will also hear the all too familiar rhetoric from the
13 refining industry, the countless reasons they oppose EPA's
14 clean air initiative. Heed the facts, not the rhetoric.

15 We, too, believe the EPA's proposal is bold and
16 historic. Please issue your proposal without relaxing the
17 strong measures you put in place.

18 MR. GRUNDLER: Thank you very much, Ms. Patton.
19 Mr. Burden?

20 MR. BURDEN: Well, thank you for the opportunity to
21 make some comments today. My name is Gene Burden. It's
22 probably very appropriate that I'm following Vickie. I am
23 with an oil company, and we are--the company is Tesoro
24 Petroleum. We're a relatively small refinery with operations
25 in Alaska, Washington state and Hawaii. We operate retail

1 distribution facilities in the Western States primarily.

2 The comments that--I'm going to limit my comments
3 today to several operational issues that we think are
4 important for consideration. But let me preface it by saying
5 that we are supportive of efforts to reduce air pollution,
6 and yet we are maintaining support for a 90 per cent
7 reduction in diesel fuel sulfur levels to the 50 part per
8 million that's been adopted by the European union.

9 I want to go through just a few of the issues that
10 we see as important to our operations, and I think to the
11 public, because we operate--or a refinery operates as a
12 system similar to any other system, and impacts in one area
13 can have impacts in other areas that we provide services to.

14 The biggest issue we see is in regards to the
15 distribution system to our operations, and we think to other
16 regional operations. We don't think that the Agency has done
17 a thorough enough analysis of just what the distribution
18 issues are going to be with this. We transport all grades of
19 diesel fuel via pipeline, via tanker, various transportation
20 sources, and the fuel will go through, say, pipelines that
21 may have gasoline that with the new diesel standards on
22 gasoline is 80 parts per million in 2006, jet fuel, jet fuel
23 can have as high as 2000 parts per million, and the issue of
24 contamination os the ultra low diesel is really a significant
25 issue to our company.

1 We see a great increase in the amount of
2 contamination of what we would start off sending as ultra low
3 diesel, and then having to do something with that product
4 once it's been contaminated. And this is a very real issue
5 to us. And the alternatives to that are to put that into
6 other market areas, off-road diesel or other areas, and
7 attempt to get the value out of it in that process.

8 Now, EPA in your notice of proposed rulemaking, you
9 asserted that something along the line of standard industry
10 practices can avoid these product contaminations. But in our
11 view, the current distribution system, at least regionally in
12 the areas that we're familiar with, are going to require
13 considerable additional infra-structure to accommodate yet
14 another grade of diesel fuel.

15 We don't have adequate tankage of pipelines in our
16 distribution system, and for those of you not familiar, many
17 of our customers are small businesses that are distributors,
18 we distribute our products. They don't have distribution
19 facilities sufficient to add another level of product either.
20 So that's culminated in our general concern about what are
21 the implications to not only delivering the product, but to
22 the whole consumer base for the distillate cut from the
23 refinery.

24 One of the Agency's comments was that standard
25 industry practices, if followed carefully, should be able to

1 virtually eliminate the potential contamination. That's on
2 Page 275 of your notice of proposed rulemaking.

3 The "should be" and "virtually eliminate" when I
4 read that, I thought, well, the Agency recognizes that there
5 are certainly going to be situations where you're going to
6 have contamination. Employing the best of practices, it's
7 very difficult to move products with that range of sulfur. I
8 think one of the papers I read equated 15 parts per million
9 as equivalent to less than a teaspoon in an olympic size
10 swimming pool. And if you put that in with a product that
11 has hundreds times more, thousands times more sulfur, it's
12 very easy to have that contaminated.

13 I guess sort of an aside issue in this is that
14 under the terms of the proposed rule, at least as we read it,
15 any failure to--any violation of exceeding the cap of 15
16 parts per million would be subject to prosecution under the
17 Clean Air Act, which as I recall, is up to \$27,500 per
18 violation, as well as economic benefit. And I guess with
19 EPA's acknowledgement of the fact that it should be able and
20 virtually eliminate, we'd like to see more flexibility to
21 address those situations, regardless of what the level is, to
22 address those situations where there is an occasional amount
23 over, say, the level is 15 or 50 or whatever you adopt, so
24 that calls from our standpoint for an averaging approach for
25 the standard that's finally adopted.

1 Another concern internally, our company is not a
2 major oil company. We do not have oil exploration and
3 production operations. We essentially buy our crude oil,
4 refine it, and sell it. And the investments necessary to
5 address this standard, or even the 50 part per million
6 standard, are significant. We are faced with the prospect
7 here of trying to start planning for this standard, assuming
8 it's adopted this year, in advance of knowing what the
9 standard is for off-road. And that might not seem to be a
10 big deal to some folks, but our own lead time for the
11 engineering, arranging construction and installation of the
12 necessary facilities is close to four years.

13 So we have a real issue with that. We'd like to
14 have some idea of what the off-road standards are going to be
15 so that can be incorporated into the planning process. And
16 that's one of the reasons we'd like to see those two go
17 together and have an across the board coverage. Whatever the
18 standard is for this and whatever the standard is for off-
19 road, let us know what that is.

20 I think the other issue is yes, it does have a
21 significant cost impact. But I'm not here on behalf of
22 Tesoro to complain about the cost. The cost at 50 parts per
23 million is substantial also. I think the additional
24 operating cost and distribution system issues with that lower
25 standard is really our major concern. The fact is we would

1 have to essentially produce 5 to 7 parts, maybe 8 parts per
2 million sulfur in order to have a chance to hit 15 by the
3 time we got it to the final end point.

4 And our point I guess also that we'd like to share,
5 at least that we think might affect the customers in areas we
6 serve, is that the effect of the proposed 15 part per million
7 standard will likely not be limited just to consumer of on-
8 road diesel. As I mentioned, the cuts that get contaminated
9 go into other areas. There may be some geographic areas
10 where it's not economic to produce more than one grade. And
11 we think that that impact on all customers, that middle cut,
12 that distillate cut, the home heating oil, jet fuel and off-
13 road diesel, that impact has not really been given very much
14 attention in the proceedings up to this point.

15 The issue of actions in other countries has been
16 raised, and it may be just a difference in legal research,
17 but the European union has adopted a standard that's
18 effective in 2005 that goes to 50 parts per million. That
19 applies to all EU countries. Sweden correctly is--they
20 started with a city diesel program at 10. The effort in
21 Germany is a--was an effort to obtain a tax credit for
22 producers who produce 10 parts per million or less. It's not
23 a move to a statewide standard, at least to my knowledge, as
24 of when I researched that a month or so ago.

25 I think I'm running out of time here, so I may jump

1 just a little bit. There's also been a suggestion that there
2 might be some phase-in of one level followed by another
3 level. And at least from my company's standpoint, Tesoro's,
4 that's really not a benefit to us, and we want you to know
5 that, if that's viewed as a concession or an assist, it would
6 not be. The time frames that we've seen for the transition
7 from one to the other would preclude taking actions to meet
8 one. We'd go ahead and go to the final level.

9 I guess in conclusion--is my time up? Okay, thank
10 you.

11 MR. GRUNDLER: Thank you. I'd like to welcome Mr.
12 Skelton, who's a partner EPA in administering the Clean Air
13 Act, representing local government. Welcome.

14 MR. SKELTON: Good morning. My name is Eric
15 Skelton. I'm the Director of the Spokane County Air
16 Pollution Control Authority in Spokane, Washington. I'm also
17 the immediate past president of ALAPCO, which is the
18 Association of Local Air Pollution Control Officials, and I'm
19 appearing this morning on behalf of ALAPCO, which represents
20 my own agency, as well as approximately 165 other local air
21 pollution control agencies across the country, and also on
22 behalf of STAPPA, the State and Territorial Air Pollution
23 Program Administrators, which represents the air pollution
24 control agencies in the states and territories.

25 I also serve as Co-Chair of the STAPPA/ALAPCO

1 Mobile Sources and Fuels Committee. I'm pleased to have this
2 opportunity to provide the associations' testimony on EPA's
3 recent proposal to set more stringent standards for on-road
4 heavy-duty engines and vehicles, and to reduce the level of
5 sulfur in on-road diesel fuel.

6 On behalf of STAPPA and ALAPCO, I'd like to commend
7 EPA for its continued leadership in reducing air pollution
8 from the mobile source sector. Your final promulgation last
9 December of the Tier 2 motor vehicle emission standards and a
10 national low-sulfur gasoline program was a remarkable
11 accomplishment that will benefit the entire country. This
12 month's heavy-duty engine and low-sulfur diesel proposal is
13 further demonstration of the agency's commitment to
14 efficiently and cost-effectively reducing a wide variety of
15 mobile source-related emissions to achieve meaningful
16 improvements in air quality across the nation. We applaud
17 this initiative and the systems approach, which addresses
18 both the engine and its fuel upon which it is based.

19 And we're especially pleased that the proposed
20 heavy-duty engine and diesel sulfur program reflects the key
21 recommendations made by STAPPA and ALAPCO over the past year
22 and a half.

23 As the officials with primary responsibility for
24 achieving and maintaining clean, healthful air across the
25 country, state and local air agencies are keenly aware of the

1 need to aggressively pursue emission reductions from the
2 heavy-duty mobile source sector, which contributes
3 substantially to a variety of air quality problems. As EPA
4 acknowledges in this proposal, by 2007, when the proposed
5 engine standards would take effect, on-road heavy-duty
6 engines and vehicles will account for 29 per cent of mobile
7 source NOx emissions and 14 per cent of mobile source PM
8 emissions.

9 Under the control strategy being proposed here, by
10 2030, on-road heavy-duty vehicle NOx emissions would be
11 reduced by 2.8 million tons and PM emissions by approximately
12 110,000 tons. These emission reductions, as well as others
13 that the proposed rule would affect, will play a pivotal role
14 in addressing an array of significant environmental problems
15 that contribute to and pose health and welfare risks
16 nationwide.

17 Because many heavy-duty vehicles travel back and
18 forth across the country, their emissions are ubiquitous, and
19 for this reason, regulation of the heavy-duty mobile source
20 sector and of the fuels by these sources must be done on a
21 national basis, as EPA has proposed.

22 In the coming weeks, STAPPA and ALAPCO will be
23 providing comprehensive written comments on the complete
24 proposal. Today, however, I would like to focus my comments
25 on a few fundamental issues related to heavy-duty diesels and

1 their fuel.

2 The air pollution that comes from big diesel buses
3 and trucks is not only among the most visible there is, it's
4 also among the most offensive. What is worse, however, is
5 that the noxious exhaust from heavy-duty diesels brings with
6 it adverse health impacts that can be dire, posing a serious
7 health threat to public health nationwide. And perhaps the
8 greatest risk posed by heavy-duty diesels comes from their
9 toxic emissions. Diesel exhaust contains over 40 chemicals
10 that are listed by EPA and California as toxic air
11 contaminants, known human carcinogens, probably human
12 carcinogens, reproductive toxicants and endocrine disrupters.
13 In 1998, California declared particulate emissions from
14 diesel-fuel engines a toxic air contaminant, and this was
15 based on data that supported links between diesel exposure
16 and human cancer.

17 As has already been alluded to, last fall, the
18 South Coast Air Quality Management District in Los Angeles,
19 California released a draft final report, referred to as
20 MATES-II, which included an analysis of the cancer risk in
21 the region from exposure to diesel particulate. And based on
22 this analysis, which estimated diesel particulate levels by
23 using elemental carbon as a surrogate and applied a cancer
24 potency factor determined by the state of California, South
25 Coast concluded that of the cancer risk posed by air

1 pollution, 70 per cent is attributable to diesel particulate
2 emissions, with mobile sources being the dominant
3 contributor.

4 STAPPA and ALAPCO congratulate EPA for responding
5 to a serious environmental problem with an equally serious
6 strategy that establishes rigorous emission standards for on-
7 road heavy-duty diesels and a commensurately low cap on
8 sulfur and diesel fuel, all within a time frame that will
9 allow us to reap the benefits of this program beginning with
10 the 2007 model year. Although there are several aspects of
11 the proposal with which we have concerns, and we will offer
12 recommendations to address these in our written comments, the
13 fact remains that the key components of this proposal are
14 rock solid and we support them.

15 With respect to the emission standards, we strongly
16 endorse the levels EPA has proposed, a particulate matter
17 standard of .01 grams per brake horsepower-hour and a NOx
18 standard of .2 grams per brake horsepower-hour, which are 90
19 and 95 per cent cleaner than today's standards, respectively.
20 However, although we are very pleased that the PM standard
21 will take full effect in 2007, we have concerns regarding the
22 four year phase-in period proposed for the NOx standard, and
23 we will offer further discussion of this in our written
24 comments.

25 Inextricably linked to the proposed engine

1 standards is the issue of low-sulfur diesel fuel. The
2 ability of heavy-duty diesels to comply with stringent engine
3 standards that EPA has appropriately proposed is directly
4 dependent on the timely, nationwide availability of diesel
5 fuel with ultra-low levels of sulfur. Without such fuels,
6 the technologies capable of achieving such low emission
7 standards will be rendered inoperable. For this reason,
8 STAPPA and ALAPCO vigorously supported the proposed 15 parts
9 per million cap on sulfur in diesel fuel to take full effect
10 across the country in mid-2006, with no phase-in. This
11 provision of the proposal is absolutely essential, while an
12 even lower cap may prove to be necessary; it is crucial that
13 the final rule include a fully effective cap of no higher
14 than 15 parts per million by mid-2006.

15 We are concerned that over the course of this
16 rulemaking, EPA will be pressured to go to a higher cap on
17 sulfur. If this is the case, then other states may be forced
18 to follow the leads of California and Texas, adopting their
19 own fuel standards in order to meet their air quality goals.
20 This patchwork approach would be less desirable than a
21 uniform national cap. We, therefore, urge EPA to hold the
22 line at 15 parts per million, as proposed.

23 Finally, while non-road diesel engines are not
24 addressed by this proposal, STAPPA and ALAPCO view the
25 control of non-road diesels to be as critical as the control

1 of on-road diesels. Further, we firmly believe that the
2 technological advances that will occur in order to meet
3 future, more stringent on-road heavy-duty diesel standards
4 will carry over to non-road equipment, but only if very low
5 sulfur diesel fuel is available for this sector as well. We
6 are extremely concerned, however, that EPA may not be
7 proceeding as quickly or aggressively as necessary to develop
8 non-road diesel engine and fuel programs that are
9 commensurate with the enormous contribution non-road diesels
10 make to air pollution. More must be done.

11 To this end, STAPPA and ALAPCO urge EPA to
12 accelerate its program development strategies for non-road
13 diesel engines and fuels, so that we can more effectively
14 reduce the huge air quality and public health problems posed
15 by these sources as well. We recommend that EPA adopt engine
16 standards and a sulfur cap for non-road heavy-duty diesels
17 and fuel that are equivalent for those for on-road heavy-duty
18 diesels, and in the same time frame. And this may alleviate
19 some of those contamination and multi-grade concerns that
20 were alluded to earlier. We urge the agency to use the 2001
21 non-road technology review as an opportunity to significantly
22 strengthen the non-road diesel control program.

23 In conclusion, I thank you for this opportunity to
24 provide our associations' comments on this important
25 rulemaking. We applaud EPA for seizing the opportunity to

1 take another enormous step towards cleaning up the mobile
2 source sector and achieving our nation's clean air goals. We
3 commend your leadership in developing a technologically,
4 economically and environmentally credible approach for
5 addressing on-road heavy-duty diesel engines and fuels, and
6 preserving the framework that you have proposed is imperative
7 to the viability of this program. And, moreover, to the
8 efforts of states and localities across the country to
9 achieve and sustain clean, healthful air. Without it, we
10 cannot succeed.

11 In the coming weeks, we will more thoroughly
12 analyze the proposal and provide written comments to you, and
13 we look forward to working closely with EPA as it continues
14 to refine this extremely important program. On behalf of our
15 associations, I offer to you our continued cooperation and
16 partnership as you move ahead.

17 MR. GRUNDLER: Thank you very much, Mr. Skelton.

18 Next, Ms. Stegink.

19 MS. STEGINK: Good morning. My name is Lisa
20 Stegink and I'm here today on behalf of the Engine
21 Manufacturers Association. Among EMA's members are the
22 principal manufacturers of the truck and bus engines covered
23 by today's proposal.

24 As we sit here today, we are on the cusp, the
25 critical turning point, of something spectacular. We have

1 within our grasp the potential to dramatically reduce the
2 emissions of the most fuel efficient, reliable and durable
3 source of motive power available today and the backbone of
4 our nation's transportation and delivery system. The diesel
5 engine can be as clean, if not cleaner, than any other power
6 source. It is capable of meeting emission standards
7 significantly below today's levels. And let me remind
8 everyone that the emissions from today's diesel engines
9 already have been reduced by over 90 per cent. Yet we
10 recognize that much more can and should be done.

11 The key, of course, is to greatly reduce the sulfur
12 content of diesel fuel. Future reductions in diesel engine
13 emissions are going to require much more than new engine
14 designs and technologies. As EPA appropriately recognizes,
15 future emission reductions require a systems approach
16 involving the engine, after-treatment and fuel. In a sense,
17 the future of clean, low emitting trucks and buses rests on a
18 three-legged stool. And the stool will fall without all
19 three legs in place. One of those legs, fuel quality,
20 enables the technologies necessary to make the other two legs
21 stand.

22 Without removing essentially all sulfur from diesel
23 fuel, advanced NOx after-treatment devices will not be
24 feasible; advanced PM after-treatment will be poisoned; and
25 engines will be exposed to excessive wear, increased

1 maintenance costs, and impaired durability. We cannot
2 emphasize enough the critical importance of ultra-low sulfur
3 fuel. It enables substantial NOx and PM emission reductions;
4 it provides direct PM emission reductions; and it provides
5 benefits not just from new engines, but from the entire fleet
6 of diesel fueled vehicles. Improved diesel fuel also has a
7 role in responding to potential health effects concerns.
8 Ultra low sulfur fuel lowers the total mass of particulate
9 from the entire fleet and enables the use of known after-
10 treatment technologies, such as oxidation catalysts and
11 catalyzed particulate filters, which can reduce the organic
12 and carbonaceous components of PM emissions, can reduce
13 hydrocarbon emissions and enable technologies to reduce NOx
14 which, in turn, will reduce secondary PM.

15 We applaud EPA for recognizing the critical role of
16 fuel sulfur. We strongly support the need for a uniform,
17 nationwide low sulfur fuel standard with a hard cap on sulfur
18 content. Regional differences in sulfur content will not
19 allow the systems approach necessary to meet EPA's very
20 stringent NOx and PM emission levels. Further, a hard cap on
21 sulfur is critical. Averages simply will not work. They are
22 difficult and impractical to enforce. Moreover, the engine
23 and after-treatment legs of the stool must be assured of
24 never being exposed to high sulfur fuel.

25 In our view, 15 ppm does not go far enough. And,

1 fuel improvements shouldn't only be limited to trucks and
2 buses. Non-road fuels also must be improved. We are aware
3 of the various arguments raised by the oil industry against
4 improving fuel quality. They don't want to reduce sulfur to
5 15 ppm, let alone to lower levels. Nationwide ultra low
6 sulfur fuel can and must be achieved, and it can be done cost
7 effectively without undue economic harm to either the oil
8 industry or to the trucking industry, the users of both our
9 engines and the oil industry's fuel. We will provide
10 detailed comments on the need for ultra low sulfur fuel in
11 our written submission.

12 So today, we are enthusiastic, excited and hopeful
13 about the future of the diesel engine and our industry's
14 ability to produce reliable, durable, fuel efficient, high
15 performing diesel engines that also are as clean or cleaner
16 than any other power source. There are issues which will
17 require a great deal of work by manufacturers and the Agency,
18 but it is no longer a question of if. Give us fuel
19 improvements, sufficient time, compliance flexibility, and
20 testing certainty, and tremendous emission reduction can be
21 achieved.

22 Thank you.

23 MR. GRUNDLER: Thank you. Ms. Law, welcome.

24 MS. LAW: Good morning. My name is Beth Law, and
25 I'm the Vice-President for Law and Environmental Affairs at

1 the American Trucking Associations. We appreciate the
2 opportunity to appear at this public hearing to present our
3 views regarding the United States Environmental Protection
4 Agency's new proposed highway diesel fuel and engine
5 standards. ATA will file more detailed written comments on
6 the proposed standards before the close of the comment
7 period.

8 ATA is the national trucking association for the
9 trucking industry, representing more than 2,500 motor carrier
10 companies of every type and class in the country. Some of
11 those trucking companies are multi-billion dollar companies
12 whose names you know. Most of the trucking industry,
13 however, is composed of small businesses whose livelihood can
14 be dramatically impacted by new regulatory requirements.
15 According to the Department of Transportation, almost 50 per
16 cent of motor carriers have only one truck, and fully 95 per
17 cent of motor carriers, almost 395,000 of them, have 20 or
18 fewer trucks.

19 As the national representative of the trucking
20 industry, ATA is thus vitally interested in matters affecting
21 the trucking fleet, including the regulation of diesel fuel
22 and diesel engines. In this regard, the membership of ATA,
23 like other Americans, supports EPA's overall objectives of
24 cleaner air and protecting the environment. ATA support a
25 national low sulfur diesel fuel standard. Mandating one

1 diesel fuel nationwide for on-road and off-road engines and
2 vehicles would advance those objectives. ATA approaches this
3 rule from the perspective of its longstanding commitment to
4 cleaner air. For example, we supported the switch to cleaner
5 burning low-sulfur diesel fuel in 1993, a move not shared by
6 other major users of diesel fuel, such as trains,
7 construction equipment and agricultural equipment. Since
8 that time, we also have supported new standards and measures
9 that have reduced average diesel engine emissions to
10 approximately one-tenth of what they were ten years ago. The
11 trucking industry supports responsible regulation that will
12 lower emissions.

13 At the same time, in pursuing those objectives, we
14 believe the government should base its efforts on sound
15 science, technology that has been tested in real life
16 situations, public safety and the needs of the American
17 economy.

18 In order to provide some context for our comments,
19 I would like to briefly describe the critical role the
20 trucking industry plays in our national livelihood.

21 The trucking industry is a vital part of the United
22 States' economy, representing about 5 per cent of the
23 nation's gross domestic product and providing employment for
24 almost 10 million people in jobs that directly relate to
25 trucking. Trucking represents over 80 per cent of the

1 freight transportation market in the United States, and
2 transports practically every type of product and raw material
3 used in the economy.

4 As the predominant mode by which United States
5 consumers receive virtually all of their goods, the trucking
6 industry also has significant influence on the cost of
7 finished goods and raw materials in the economy. Over 70 per
8 cent of all communities in the United States rely exclusively
9 on trucks to deliver all of their food, clothing, medicine,
10 and other consumer goods. In sum, the nation's trucking
11 industry provides the essential transportation resources,
12 infra-structure and services that are necessary to sustain
13 the growing economy that benefits all Americans.

14 The proposed rule would mandate restrictions in
15 emissions of nitrogen oxides, a key ozone precursor, and
16 hydrocarbons from trucks and buses by 95 per cent from
17 current levels. Particulate matter emissions from these
18 sources similarly face a mandated reduction of 90 per cent
19 from current levels. EPA proposes to achieve these
20 reductions by establishing new exhaust emission standards for
21 heavy-duty on-road engines and vehicles through the
22 introduction of advanced, high-efficiency engine after-
23 treatment and emission control devices.

24 A key concern the proposed rule raises is the fact
25 that it discriminates against on-road sources. Despite the

1 fact that they are a major source of emission concerns, off-
2 road diesel sources, trains, boats, construction equipment,
3 agricultural equipment, and stationary diesel sources, will
4 not be subject to these same engine emission reduction and
5 fuel usage requirements. Instead, EPA has singled out
6 diesel-fueled truck for tighter restrictions. EPA's decision
7 to focus on on-road diesel emission sources and exclude off-
8 road users is unjustified. Indeed, EPA did not even attempt
9 to justify it. EPA simply said they "plan to initiate action
10 in the future to formulate thoughtful proposals covering both
11 non-road diesel fuel and engines." EPA should initiate a
12 thoughtful proposal now and cover off-road diesel emission
13 sources.

14 This exclusion not only raises obvious issues of
15 fairness, but also promises to create an inconsistent,
16 balkanized regulatory scheme governing diesel fuel and diesel
17 engines. This inconsistent environment will create confusion
18 and complicate delivery, management and use of the low sulfur
19 fuel that is critical to the success of this proposal.

20 The proposed rule's emission targets will be
21 feasible only through the use of very low sulfur fuel that is
22 compatible with the contemplated emissions control device.
23 Absent the availability of such fuel, there appears to be no
24 dispute that the treatment technology envisioned by the
25 proposed rule, NOx adsorbers, PM traps, and selective

1 catalytic reduction devices, would be rendered ineffective in
2 actual operational scenarios. EPA admits the proposed
3 emission reduction standard represents an ambitious target
4 for the emissions control technology, and that the
5 application of this technology presents significant
6 challenges. Nonetheless, these yet to be developed
7 technological fixes form the linchpin of the proposed
8 emission reduction targets. The regulatory fate of an
9 industry critical to the economic well being of the United
10 States economy is thus being premised on unproven, uncertain
11 and effectively unknown technological advances.

12 An addition problem is whether the country's
13 pipeline system will be able to deliver the 15 parts per
14 million low sulfur diesel fuel. Assuming that this is
15 possible, the next question is whether, in the time provided,
16 the separate distribution, storage, handling and retail
17 facilities necessary to support both low sulfur and higher
18 sulfur diesel fuel demands can be readied.

19 Fuel costs are another concern for the trucking
20 industry. While EPA projects increased fuel costs of four
21 cents per gallon as a result of the proposed rule, petroleum
22 industry studies indicate that production costs will be
23 substantially higher. Moreover, as recent dramatic price
24 increases for reformulated gasoline in the Midwest have
25 demonstrated, regulatory restrictions can drive fuel costs

1 far beyond EPA estimates. Our concern is that further
2 increases in already high diesel fuel prices, or a reduction
3 in the supply, could have a deleterious impact on the
4 trucking industry and on its ability to deliver the food,
5 medicines, and other consumer goods on which we all rely.

6 If sufficient quantities of low sulfur fuel are not
7 available in 2006 and the additional infra-structure is not
8 in place to support it, this proposed rule puts our fuel
9 supply at risk. For the oil and transmission companies, this
10 may simply mean that they cannot sell as much product as they
11 would like in 2006, or that they will have to pass costs on
12 to end users. For the end users in the trucking industry,
13 however, it means idle trucks, undelivered shipments,
14 unusable equipment, and loss of livelihood.

15 EPA's cost calculations largely ignore the unique
16 impact of such considerations on the trucking industry.
17 Trucking is a very competitive and marginally profitable
18 industry that is less able to pass along or effectively
19 absorb these costs without some adverse economic impacts to
20 its overall health and stability. Profit margins in the
21 trucking industry are very slim, averaging in the 1 to 4 per
22 cent range, meaning that a small change in the cost of fuel
23 can have a dramatic impact on the viability of a trucking
24 business.

25 EPA's figures claim that the increase in cost of a

1 new truck as a result of the rule will be \$2,768. EPA also
2 estimates a \$3,362 increase in the life cycle operating cost
3 of a new truck, for a total cost increase per truck of
4 \$6,230. However, the required technological fixes are
5 admittedly still on the drawing board and not in widespread
6 use. As such, there could be significant maintenance and
7 cost issues associated with the standards that simply are not
8 capable of being evaluated and addressed, or perhaps even
9 identified at this time.

10 The trucking industry shares the goals of a strong
11 economy and a better environment for all Americans. We are
12 committed to responsible environmental regulation. The rule
13 that EPA has proposed has worthwhile objectives, but remains
14 flawed, particularly because of the balkanized regulatory
15 regime for diesel fuel and emission standards it would
16 create. Half-measures which exclude other major users of
17 diesel fuel such as trains, construction equipment, and
18 agricultural equipment and do not mandate one national low
19 sulfur diesel fuel will not be sufficient to achieve our
20 shared goal of cleaner air. A national low sulfur diesel
21 fuel standard should be just that; uniform in application to
22 on-road and off-road engines and vehicles and uniform across
23 the country. In addition, EPA needs to revisit those
24 portions of the rule that are premised almost entirely on
25 assumptions regarding cost, feasibility, technological

1 advances and the ability of the fuel and trucking industry to
2 achieve unproven operational and maintenance mandates.

3 In closing, let me reiterate that ATA remains
4 committed to improving the quality of the air that the public
5 breathes and we are prepared to work with Congress, the
6 public, and the EPA to achieve that objective as it relates
7 to diesel fuel and diesel engine emission standards.

8 We appreciate the opportunity to express our views.
9 Thank you.

10 MR. GRUNDLER: Thank you, Ms. Law. Now I'd like to
11 welcome Jeryl and Zakariah Feeley.

12 MS. FEELEY: Hi. My name is Dr. Jeryl Feeley, and
13 my son will introduce himself, and I have the dubious
14 distinction of being here and able to represent three
15 populations affected by diesel exhaust. As a health care
16 provider, I can represent health care providers and the
17 research that indicates that without distinction, indeed,
18 diesel exhaust causes health care morbidity and mortality.

19 MR. GRUNDLER: Dr. Feeley, could you move the
20 microphone a little bit closer so people in the back can
21 hear?

22 MS. FEELEY: In addition, I can represent the point
23 of view of myself, being a severe asthmatic, and having to
24 deal with the effects of air pollution on my own health. But
25 more importantly to my point of view, and to my heart, is my

1 ability to represent what it's like to have two children who
2 have lung disease and who are every day impacted by air
3 pollution.

4 Based on that information, I can tell you as a
5 researcher and a health care provider, that research
6 continues to indicate that there are direct correlations
7 between lung disease, lung morbidity and lung mortality based
8 on the particulate matter, the ozone resulting in diesel
9 exhaust, and the carcinogenic emissions associated with
10 diesel exhaust.

11 We have research that indicates there's an increase
12 in the risk to adults exposed to diesel exhaust
13 occupationally that increases chronic obstructive pulmonary
14 disease, increases the likelihood of developing lung cancer.
15 Research indicates not only for people currently suffering
16 from lung disease, but from people with normal lung function,
17 that exposure to diesel exhaust can cause a decrease in lung
18 function and a decrease in the lifetime expectancy of
19 individuals.

20 More importantly to me, the research clearly
21 indicates that the diesel exhaust initiates bronchial hyper-
22 responsiveness, or what we would call an asthma attack.
23 Across this country, the federal government has acknowledged
24 that we are almost in an epidemic with the increased
25 diagnosis of asthma, particularly for children under the ages

1 of four and five where the diagnosis of asthma rises
2 logarithmically and there's no explanation why.

3 We do know that indoor and outdoor air pollution
4 contribute to the morbidity and mortality of children with
5 asthma, and adults with asthma. And as we wait each and
6 every day for a cure for asthma and better improved
7 treatment, more and more children in our country and adults
8 are being diagnosed with asthma.

9 Not only is this dear to my heart because my own
10 children have asthma, but I have the opportunity and the
11 privilege to work with multiple patients of lung disease in
12 the state of Colorado. I have had the opportunity to work
13 with children from a public health perspective, and help
14 educate their teachers, their parents on how to help them
15 live with this disease. I've also had the opportunity to
16 work with adults who are learning to live with a disease that
17 they've only now become diagnosed with and haven't had to
18 deal with for their entire lives.

19 Each day in this state alone, and across the
20 country, 10 to 20 per cent of children and 10 to 20 per cent
21 of adults in this population suffer from asthma. And we can
22 talk about the effects and the costs associated with the
23 diesel policy that's being proposed here today, and I'd like
24 to remind you of the costs for every parent, for every
25 patient with a lung disease.

1 An inhaler that people use to just rescue their
2 airways known as a bronchodilator can cost anywhere from \$15
3 to \$25 per inhaler. That's not a monthly cost. It's a per
4 inhaler cost. The protective medications that we give these
5 children run anywhere from \$50 to \$100 per canister, and it
6 depends on how often they have to use that medication. I can
7 speak on behalf of myself that I am fortunate to have health
8 care insurance for my children, so I only pay a co-pay. But
9 as we know, also an epidemic in this country is the people,
10 particularly children in this country, who are uninsured and
11 cannot afford these medications. That would explain the
12 increase in ER utilization for children with asthma and the
13 increase in hospitalizations, because the only time they can
14 seek health care without insurance is in a crisis situation.

15 In addition, I'd like you to consider the costs of
16 hospitalizations, the costs of emergency room visits, and the
17 costs every single day to the quality of lives to people with
18 lung disease. I know from my own perspective, I can tell you
19 it's frustrating to do the best I can to care for my health
20 and to know that there are things that I have no external
21 control over, such as diesel exhaust. I can tell you as a
22 mother how frustrating it is to do everything I possibly can
23 for my child to protect him, and inevitably, just like on the
24 drive here today, if I get stuck at a stop light behind a
25 diesel truck, and with an RTD bus on the side of the car,

1 there's absolutely nothing I can do to protect my child. I
2 can give him his medications in the morning, every night,
3 just like I'm supposed to, but I cannot control air
4 pollution, and that's why we need people to help us control
5 what we cannot for our children.

6 We carry an inhaler in our car for my son. Every
7 car that he is frequently involved in being transported in
8 also has an inhaler in it, because we never know when he will
9 be exposed to something that will make him ill. I encourage
10 multitudes of patients to do the same thing, because we don't
11 know what it will do to their airways when they're travelling
12 to and from locations if they are exposed to diesel exhaust.

13 Research indicates so clearly that diesel exhaust
14 exacerbates asthma. The medications that are trying to be
15 approved through the FDA for utilization and efficacy in the
16 treatment of asthma consider how well they protect the
17 airways to noxious air pollutants.

18 When we consider the fact of the 90 to 97 per cent
19 differential in the sulfur content, 97 per cent is an
20 absolute minimum because it's the only thing that makes the
21 protective equipment efficacious. And if we don't want to
22 make it 97 per cent, it does nothing for the people with lung
23 disease.

24 I'd also like to say we all see the diesel exhaust
25 and we can see the beautiful visual aids where we can watch

1 the pollution come out of the trucks. First of all, the
2 black stuff that we see in the air is not what causes the
3 problems in the airways. Diesel exhaust is known to make
4 small--or fine particles that are so small that they're
5 incredibly efficient and being deposited directly into the
6 airways and, thus, their impact on lung function is much,
7 much more profound.

8 What we don't see is the children like my son, or
9 the children in the emergency rooms, or the adults with lung
10 disease, and how this impacts their lives. We don't have
11 pretty visuals to show you what it's like every time a child
12 on a school bus has to use an inhaler, or in some cases,
13 doesn't have access to their inhaler, and so later that
14 night, their parents take them to the emergency room.

15 I'd also like you to consider the--to us as adults
16 in this room, and especially as business and financially
17 sound people, we consider the impact of five to seven years
18 in implementing this plan. I'd like to put that in the
19 perspective of the life of a child. My son is ten years old
20 and my other son is three. By the time this is in effect,
21 this bill is in effect as it stands, my son will be preparing
22 to graduate for college. He will have spent his lifetime in
23 an air polluted environment. My other son will be getting
24 ready to go into high school and, again, he will have spent
25 his entire life exposed to these chemicals. It is not their

1 choice to have lung disease. It is not their choice to
2 suffer from asthma, and it is not their choice to be exposed
3 to diesel exhaust, but it's not something as a parent or as a
4 health care provider I can protect them from.

5 I would also like to say that there's statistical
6 evidence that it increases not only increase in morbidity or
7 mortality, asthma is the leading cause of school absence, and
8 there is research to indicate that school absences,
9 hospitalizations and ER visits are higher in schools among
10 children--for children with asthma in schools that are close
11 to major highways, again, a direct correlation.

12 And then I would like to say when we talk about
13 particulate matter and the analogy of a teaspoon of chemicals
14 in a swimming pool, the airways can tell the difference. The
15 airways don't know whether we're compromising on the parts
16 per billion. All they know is what irritates them. And it's
17 a chemical physiological reaction, whether we can see it or
18 detect it or not.

19 And in conclusion, before I introduce my son, I'd
20 like to say my children are fortunate because they have a
21 health care provider for a mother, and so they have benefits
22 in life living with their asthma that many children don't.
23 And yet despite those benefits, my children still suffer on a
24 daily basis, still visit a physician, still take medications
25 that side effects are detrimental to them, but it is

1 important to breathe every day, so it's a cost benefit
2 analysis from my mother perspective. But I'd also like to
3 say that there are children that are not as fortunate as
4 mine. And then I'd like to say publicly that I'd like to
5 thank my son for his courage for being here today.

6 MR. FEELEY: Good morning. My name is Zakariah
7 Feeley and I'm ten years old. I'll be turning eleven on
8 Sunday. I have asthma since I was a baby. My little brother
9 has asthma too. He is three. I've learned to control my
10 asthma and diesel trucks make me have trouble breathing. And
11 the sooner you fix this problem the better I breathe, and I'm
12 glad my--I'm glad that my mom can help me whenever I'm having
13 trouble breathing. And I ask you to please clean up the air
14 that me and my mom and my little brother breathe.

15 Thank you.

16 MR. GRUNDLER: Thank you, Dr. Feeley, and your
17 brave son for reminding us what this is all about.

18 Mr. Neufeld?

19 MR. NEUFELD: Well, I must say it's an honor and a
20 privilege and no small challenge to present the views of a
21 refining company behind Zakariah. However, he's a very well
22 behaved young man for ten years old. I can hardly sit here
23 long enough to listen to all of this stuff, and he's done an
24 admirable job. I hope I can come behind you on another
25 panel, Zakariah.

1 My name is Bob Neufeld. I am the Vice-President of
2 Environment and Governmental Relations for Wyoming Refining
3 Company. We are a small company. We employ less than 100
4 people. Our only significant asset is a 12,500 barrel per
5 day refinery in Newcastle, Wyoming. We are the largest
6 single employer, private employer, in Newcastle, and we
7 provide probably more than 50 per cent of the motor fuel
8 supplies for our area of Eastern Wyoming and the Black Hills
9 region of South Dakota. We are currently a 90 per cent
10 supplier of jet fuel for Ellsworth Air Force Base in Rapid
11 City, South Dakota. I think I can safely say that our
12 employees, the economy of Newcastle, Wyoming, the customers
13 and motorists and consumers in Eastern Wyoming and Western
14 South Dakota and Ellsworth Air Force Base continue--depend on
15 our continued existence, if not for their supply, but for our
16 competitive presence to keep the costs of their fuels down
17 and within reason.

18 I want to start out by saying that Wyoming Refining
19 Company has fundamental support for the goals of this rule.
20 I would not be fooling anybody to suggest that we are an
21 eleemosynary institution with charitable motives. We simply
22 believe that any rule that's capable of reducing the NOx
23 contributions of heavy duty diesel from 15 per cent of
24 national emissions today to 3 per cent or less in 2030, while
25 doubling the vehicles miles travelled from those vehicles, is

1 going to help us keep the internal combustion engine around
2 for a long, long time in terms of its utility and its
3 economic benefits for American society, and we see that as
4 being in our long-term enlightened self-interest.

5 However, we're not sure that you've got the
6 implementation of the goal quite correct in this rule. In
7 the Tier 2 gasoline sulfur rule, EPA stated, and I quote,
8 "Not all refineries would be able to comply with the proposed
9 standards in the time period provided." And then recognized
10 that by proposing what was called the geographic phase-in
11 area, and special relaxed implementation schedule for small
12 refiners.

13 The current diesel rule, however, proposes one
14 compliance state for all refiners, and super-imposes that
15 compliance state and construction schedule on top of the
16 gasoline phase-in and compliance schedule. We think you got
17 it right the first time, and not the second time.

18 In the context of our company, I'd like to explain
19 what that means. We have a history in the last five years of
20 particularly poor financial performance, and in fact in 1998
21 and 1999, we reported losses. Things got to the point where,
22 believe it or not, as recently as January of this year, if we
23 had closed operations, we would have reduced our losses by a
24 million dollars a month.

25 Seeing the handwriting on the wall, we decided we

1 needed to either to do something about it, and that something
2 was to put in a new fluid catalytic cracker at our refinery
3 to increase the efficiency of our gasoline and diesel
4 production. Well, that project is under construction and
5 well on its way, but in February of this year, we had to
6 close on a loan that leaves us with the business realities of
7 moving forward.

8 There are about four things, or five things, that
9 that loan and our business reality reflect for us in terms of
10 this rule. First, because that loan is existing, and it was
11 given to us by the only bank in the country that would even
12 loan us money, there was only one bank in the entire country
13 that would loan us money, and this was on a project that's
14 going to provide a significant, or project to provide a
15 significant economic return, no bank loan will loan our
16 company additional money for any other project, particularly
17 projects that do not return a profit to our bottom line,
18 because there's no increased income to repay that loan until
19 our existing loan is either refinanced or paid off.

20 Second, as a result, we must either finance most of
21 the gasoline and the diesel desulfurization projects out of
22 projected cash flow increases from this new project, or we
23 must refinance our current debt in a manner that allows us to
24 finance both the diesel project and the gasoline project.

25 Third, the option of cash financing is highly

1 unlikely. We are limited in our diesel project to a capital
2 expenditure rate of a million dollars a year by the loan
3 agreement. For the gasoline project, we are limited by a
4 provision that requires us to spend 50 per cent of our cash
5 flows into early retirement of our debt.

6 Furthermore, we think that early retirement of our
7 debt is probably, in terms of the long-run, a better solution
8 for the longevity of our company. Establishing a good debt
9 retirement record, in light of our past financial
10 performance, is imperative in order to be able to refinance
11 our loan and go on and finance the capital for these diesel
12 and gasoline projects.

13 Fourth, assuming that we can in fact establish a
14 good debt repayment record over the next three or four or
15 five years, our first opportunity to refinance our current
16 loan and obtain new capital for the new projects is mid-2005,
17 or the first half of 2005. What that means is that in
18 order to--that leaves us only twelve months, which is really
19 not enough time, to meet the 2006 implementation schedule for
20 the diesel rule. We would need to start planning in mid-
21 2003, and probably start construction in mid to late 2004 to
22 meet the 2006 deadline. That requires having the financing
23 in place in order to do it.

24 In light of that, we offer these observations.
25 One, in order to spread out the construction schedule, I'm

1 not sure if everybody here is aware, but in terms of
2 providing the high pressure compressors that will be needed
3 for low sulfur diesel--providing that equipment. You don't
4 walk into their showroom and just pull it off the shelf.
5 You've got to place your orders years in advance, and two
6 manufacturers are not going to be able to meet the demand of
7 the entire refining industry in the United States in that
8 time frame. We think that there should be at least three
9 years between diesel compliance and gasoline compliance for
10 small refiners.

11 Second option in terms of timing, we think that EPA
12 should seriously consider--and I find myself amazed at even
13 agreeing just a little bit with my acquaintance down at the
14 end of the table, Vickie Patton, from the Environmental
15 Defense Fund, but it amazes me how often we land almost in
16 the same position--that there should be simultaneous
17 compliance with diesel refiners and with the NOx controls on
18 the vehicles. That is, they should all be brought on
19 simultaneously in the same year. We think we can achieve
20 essentially the same emission goals of this rule if the
21 vehicles are all brought in in the year 2008, and the fuel is
22 compliant in year 2008.

23 With respect to the sulfur level, we adhere to the
24 industry position of 50 parts per million, but we also
25 believe that our industry trade groups may be as successful

1 in achieving 50 parts per million as they were in achieving
2 150 parts per million on gasoline. Recognizing that, we
3 think any amount of flexibility above 15 parts per million is
4 useful. EPA's example of 15 parts per million average, 20
5 parts per million cap, in the rule is instructive. The
6 emission benefits are almost exactly the same as the 15 part
7 per million cap, and it illustrates that we should try to
8 explore moving that level up as much as possible.

9 To the degree that it poses uncertainty on the
10 emission control industry, the vehicle manufacturing
11 industry, we think that's where the uncertainty ought to be.
12 Once we put our concrete and steel in the ground, there's not
13 much that we can do to respond to things like upsets from our
14 power suppliers that make our compressors run lower, or a
15 leak in our heat exchanger that takes high sulfur diesel and
16 runs it across the heat exchanger into low sulfur diesel.
17 Whereas, the vehicle emission control industry on a yearly
18 basis can evolve and improve and even retrofit the equipment
19 on its products. And so we think the uncertainty is better
20 placed there than with the refining industry.

21 I'm going to skip part of my presentation and go
22 directly to the end. If you could put the overhead on?

23 I am personally convinced that in PADD IV, which is
24 the petroleum distribution region--and I apologize for the
25 air bubbles in my slide--the petroleum distribution region in

1 which we live, probably as many as three, perhaps four
2 refineries are going to close unless something is done to
3 change the compliance schedule for this rule.

4 What we have done here is we took advantage of
5 Amoco Corporation's magnanimous closure of a refinery in
6 Casper, Wyoming in 1991. I'm not sure why they closed it,
7 but we went back to 1987 and looked at prices in Billings,
8 Casper and Rapid City, South Dakota at major terminals in our
9 market for gasoline, and compared them to prices in PADD III,
10 which are not affected by Casper, the Casper closure. And
11 what we found was that the spread between the two regions
12 increased by over 6 cents a gallon after the Amoco Casper
13 refinery closed.

14 We think that that's an expensive thing for people
15 to be playing with, that EPA could in fact be playing with
16 fire in terms of forcing refinery closures, and that it's
17 expensive. Clean air is something we all need, but sometimes
18 we wonder whether or not you can't have it all, and if you
19 induce the necessary costs and force refinery closures,
20 you're forcing consumers to pay money that could in fact be
21 spent on better health care and better nutrition.

22 Thank you.

23 MR. GRUNDLER: Thank you, Mr. Neufeld. Questions?

24 MR. FRANCE: Ms. Law, just a question of
25 clarification. In your testimony--as you know, I don't know

1 how many hearings you've been to, but we've been provided a
2 lot of testimony from engine manufacturers and suppliers of
3 after-treatment that there's a great deal of optimism, if not
4 confidence, if given the right fuel, that the technology will
5 be there. And, in fact, one manufacturer will be
6 commercializing traps, offering them for sale as early as
7 next year. You make a comment in your testimony that the
8 technology is unproven, uncertain. I'm curious what that's
9 based on, those statements.

10 MS. LAW: Well, it's based on the fact that at
11 least in the United States, there has not been significant
12 mass production, certainly for diesel trucks, of this
13 technology.

14 MR. FRANCE: Okay. And, again, I mean it's sort
15 of--and we don't need to get into it now, but in your written
16 comments, that sort of conflicts with the feedback that we're
17 getting and the fact that as early as next year, you're going
18 to have mass produced commercialization of traps, for
19 example. And, again, if you would in your written comments,
20 follow up with any clarification on those points, okay?

21 MS. LAW: We can certainly do that.

22 MR. FRANCE: Thank you very much.

23 MR. GRUNDLER: I think we are going to hear later
24 on from a representative of the manufacturers of after-
25 treatment devices, and perhaps they could also shed some

1 light on that point.

2 I want to thank the first panel for their time and
3 their commitment to participate in this hearing today. The
4 comments will be well considered.

5 At this time, I'd like to invite our second panel
6 up. Dr. Paul Berger will be speaking first, followed by Rich
7 Kassel, Dr. Avner, Lea Purvis, Matthew Gill, and Gina
8 Porreco.

9 Also, I'd like to invite John Fox up at this time.
10 He was not scheduled. We'll try to fit Mr. Fox in before
11 12:00. I know he's got a commitment.

12 Dr. Berger, why don't you begin.

13 DR. BERGER: Okay. I'm a family practitioner in
14 Boulder, Colorado, and I've been asked to talk about some of
15 the medical and medical/personal issues here. Some of this
16 is repetitive. I won't talk about statistics because I think
17 we've seen the statistics.

18 I see the studies in my journals on a monthly
19 basis, studies that have shown that increased pollution
20 causes exacerbations of people's asthma and emphysema
21 symptoms. So I'm just going to tell you some of the stories
22 from my clinic and from my family.

23 On the high pollution days in the Front Range, I
24 definitely do see more people suffering from their asthma and
25 emphysema. I have to give out more medications. More people

1 get admitted to the ICU and are put on ventilators or put on
2 IV steroids. And these medications have side effects, as Dr.
3 Feeley was talking about earlier. And Dr. Avner may speak to
4 it as well.

5 The IV steroids can cause hallucinations. They
6 decrease skin thickness and skin health. My wife asked me to
7 add that it causes anxiety and insomnia. Some of the other
8 medications do as well. And if we can reduce the need for
9 these medications, then of course we'll reduce the need--
10 we'll reduce the side effects. So I wanted to tell you what
11 it's like to wake up in the middle of the night with your
12 wife basically slowly suffocating.

13 It's very disturbing to be woken up several times
14 in the night during these high pollution days and have your
15 spouse puffing on the inhaler. She can't lay down because
16 it's harder to breathe laying down. And I guess I just
17 wanted to say that, you know, there are a lot of people who
18 have tried to deny the importance of pollution to save a few
19 cents, and I think that the increased costs of these
20 improvements that we've been talking about will just get
21 passed on to the consumer, and I think we've had other
22 statistics show that we'll actually save money in terms of
23 health care if we spend the smaller amount of money now in
24 creating these improvements in the industry.

25 So, in summary, I just wanted to say that I think

1 that this is the least we can do. I think we should have
2 done this 20 years ago or 30 years ago. We've known these
3 effects for this long, and if we do improve the emissions of
4 all our vehicles, I think this is just the start, this is the
5 smallest thing that we can do at this time, and if we do make
6 these small improvements now, then we will see less human
7 suffering.

8 Thank you.

9 MR. GRUNDLER: Thank you, Dr. Berger. Mr. Kassel?

10 MR. KASSEL: Thank you very much. My name is
11 Richard Kassel and I'm a senior attorney with the Natural
12 Resources Defense Council, a national environmental advocacy
13 organization. At NRDC, I coordinate the Dump Dirty Diesels
14 Campaign, which is a local, regional and even national effort
15 to clean up the nation's diesel trucks and buses. On behalf
16 of our more than 400,000 members, I thank you for your
17 proposal. I also thank you for the opportunity to talk to
18 you today about it.

19 NRDC has been working to clean up diesel emissions
20 since the mid-1970s, at about the same time as we were spear-
21 heading the national campaign to eliminate lead from the
22 nation's gasoline supply. The connection between the lead
23 campaign then and today's proposal is an important one. Just
24 as lead in gasoline was the barrier to cleaner cars in the
25 1970s, today's high sulfur levels in diesel fuel is the

1 barrier to cleaner diesel buses and trucks today.

2 Your proposal, when finalized, will mean cleaner
3 air and better health for everybody, emission reductions that
4 will be the equivalent of removing the pollution from 13
5 million of today's trucks from the roads, without actually
6 removing a single truck.

7 Every Coloradan, and more than 120 million
8 Americans who currently live in areas that don't meet EPA's
9 health standards for smog and soot, will benefit from the
10 emission reductions from this proposal.

11 Now, the reasons for our long-standing concerns
12 about diesel emissions are clear. Today's diesel engines
13 emit high quantities of asthma attack inducing and toxic
14 particles, smog forming nitrogen oxides, and more than 40
15 chemicals that have been listed either as hazardous air
16 pollutants by EPA or Congress, or as toxic air contaminants
17 by California.

18 We have more information on these health impacts in
19 our written comments, and of course others have spoken very
20 eloquently already. But I'd like to just touch on two
21 issues.

22 We are particularly concerned about the growing
23 incidence of asthma in our communities, as well as the
24 growing associations that are being made by public health
25 agencies around the world, between diesel and cancer.

1 A word or two about asthma. A recent study
2 estimated that asthma cases will double by 2020, affecting
3 roughly one out of every five American families. Now, nobody
4 knows what causes asthma, but numerous studies have shown
5 associations between diesel's particulates and asthma
6 attacks, hospitalizations for emergencies, and other
7 indicators.

8 As a nation, we must attack the triggers of asthma
9 attacks. Even though we don't know yet what is the actual
10 cause of the asthma itself, there's an analogy here to the
11 early debates about tobacco and cancer. In the mid 1960s,
12 nobody knew, and before, nobody knew what the causal link was
13 between tobacco and cancer, but it was important for
14 government to begin to act because of the associations that
15 had already been shown.

16 Now, some may argue that we don't need to act yet
17 because of the failure to show--to establish a causal link
18 between diesel's particulates and asthma itself. But it
19 would have been terribly wrong to not act in the 1960s based
20 on what we knew about tobacco and the associations with
21 cancer. Likewise, it would be terribly wrong to not apply
22 the same precautionary principle today when we see what's
23 happening with asthma rates.

24 Now, a word on cancer. Many agencies around the
25 world, in this country as well, have found links between

1 diesel's exhaust and cancer, probable carcinogen, likely
2 carcinogen, different words are used. I'll say here that the
3 evidence is pointing in a clear direction, and I encourage
4 EPA to finish its work and its own conclusions about the
5 cancer links between diesel and cancer. According to the
6 National Association of State and Local Air Pollution
7 officials, and we heard from them before, roughly 125,000
8 potential lifetime cancers could result from today's levels
9 of diesel exhaust. That includes more than 1,200 cancers in
10 Denver, more than 1,500 in Phoenix, and roughly 650 in Salt
11 Lake City. So I'd like to talk about the rule very briefly.

12 As we testified in New York and in Los Angeles, we
13 strongly, strongly, strongly support the proposed national
14 cap of 15 parts per million sulfur in mid 2006. Likewise,
15 we'd oppose any sulfur level with a cap above 15 parts per
16 million. Here's why, and I go back to the lead analogy.
17 Just as a small amount of lead in gasoline would poison or
18 disable a catalytic converter in cars, a small amount of
19 sulfur in diesel can disable some of the most promising
20 particulate and NOx controls, including NOx adsorbers and
21 some of the most advanced particulate filters and traps.

22 In other words, the oil industry's suggestion of a
23 90 per cent cut to 50 parts per million as the cap sounds
24 reasonable to casual observers of the proposal. To somebody
25 who first hears about this proposal in a 60 second story on

1 the evening news, the industry sounds pretty good. They're
2 proposing a 90 per cent cap. But that 90 per cent cap would
3 render the particulate levels and the NOx levels that you've
4 proposed unachievable.

5 Under the oil industry proposal, the most promising
6 particulate traps would be likely to suffer high failure
7 rates, leaving oxidation catalysts that yield much smaller
8 particulate emission reductions as the most likely after-
9 treatment technology that would make it through the
10 certification process. SCR would be the most likely NOx
11 after-treatment that's used. Now, while SCR certainly seems
12 capable of very significant emission reductions, relying on
13 it nationally would also mean that we're relying on the
14 implementation of a national urea infra-structure which would
15 cost billions of dollars to install and operate. Only the
16 near-elimination of sulfur would create a fuel supply that's
17 clean enough to adequately support NOx adsorbers and the
18 other of the most promising particulate and NOx emission
19 controls that are most likely to meet the 2007 levels.

20 So the second step after sulfur, is of course EPA
21 needs to slash levels of particulates, nitrogen oxides, and
22 the other emissions from diesel trucks and buses, and your
23 proposal does that. We strongly support all of the new
24 proposed emission standards. However, as we discuss in depth
25 in our written testimony, we urge you to eliminate the NOx

1 phase-in.

2 There are some other important pieces I'd just like
3 to touch on very quickly. EPA also needs to adopt strong
4 blue sky standards for advanced technology vehicles, to
5 provide guidance to states and fleets that are trying to go
6 beyond the mandatory minimums of your proposal, and it needs
7 to develop a comprehensive end-use compliance and enforcement
8 mechanism to make sure trucks on the road are as clean as
9 they are on a certification test.

10 I'd like to use my last three minutes to respond to
11 some of the arguments that have been put forth by the oil
12 industry and its allies.

13 Predictably, some of the same companies that fought
14 unleaded gasoline in the 1970s are lining up to fight against
15 the reduction of sulfur today. We've heard now in five
16 different hearings similar arguments, and it's clear that the
17 oil industry is fighting against cleaner air and improved
18 public health when you really look at what they're saying.

19 The evening news of the past two weeks shows
20 clearly that the oil industry is playing straight out of the
21 old play book, trying to scare the American public that
22 environmental regulations will drive fuel prices beyond their
23 reach, even when the evidence shows demonstrably that these
24 regulations actually play only a minor role in the fuel price
25 at the pump. Because they can't win on the science, the oil

1 industry and its allies are making three arguments, poverty,
2 the U.S. economy, and delay. I'll touch on each of them.

3 First, poverty. Oil companies are saying they
4 can't afford the \$3 to \$4 billion that it will cost to
5 implement this proposal, the low sulfur diesel part of it,
6 nationwide by 2006. Now, given that America's largest oil
7 companies reported nearly \$12 billion in profits in just the
8 first quarter of this year, we think that an investment in
9 cleaner fuel is actually an extremely reasonable cost of
10 continuing an extremely profitable and record-setting
11 business.

12 Second, U.S. economy. It's estimated that the
13 rules could add up to 4 cents to the price of a gallon of
14 diesel fuel. I'd just like to note that BP Amoco will be
15 selling 15 parts per million diesel fuel in California next
16 year, and they say that there will be a 5 cent incremental
17 cost, with no benefits of economy of scale that would come
18 with a national roll-out. A recent poll found that 85 per
19 cent of the American public would be willing to pay the
20 incremental cost.

21 And, finally, delay. Some opponents are veiling
22 their opposition by asking you to slow down the process, that
23 we shouldn't rush to judgment on diesels this year. They
24 seem to want it both ways. They want to be perceived as
25 supporting the environmental goals of the proposal. They

1 want to be perceived as wanting to see the end of the era of
2 dirty diesels, but they're unwilling to commit to actually
3 meeting the goals that could accomplish this on the time
4 frame that you've laid out.

5 It's critically important that EPA hold the line
6 against these kinds of arguments. And if I could just take
7 one sentence, I just want to note that there are industry
8 representatives here today, and all week, the past two weeks,
9 that have shown that industry isn't monolithic in its
10 opposition to the proposal. EMA, MECA, the Alliance of
11 Automobile Manufacturers, California Trucking Association,
12 TOSCO, BP Amoco, International, and others.

13 Thank you.

14 MR. GRUNDLER: Thank you, Mr. Kassel. Mr. Fox,
15 would you go next? I understand you've got a time
16 constraint.

17 MR. FOX: Thank you for the opportunity to speak
18 today. My name is John Fox. I am here to urge you to adopt
19 the toughest possible standards to reduce pollution from
20 heavy-duty vehicles. Here in Colorado, smog sends more than
21 150,000 people to emergency rooms each year, and causes more
22 than 6 million asthma attacks. Making matters worse, a study
23 by local air pollution control officials estimates that
24 diesel exhaust is responsible for 125,000 cases of cancer in
25 the U.S.

1 In order to protect the public health, we must
2 require drastic reductions in pollution from these large
3 trucks and buses as soon as possible. I was, therefore,
4 disappointed to learn that the EPA has proposed waiting until
5 2010 to fully clean up smog forming pollution from trucks and
6 buses.

7 In addition, because high sulfur fuel will poison
8 the new diesel clean-up technologies, we must ensure that all
9 diesel fuel is fully cleaned up and readily available before
10 the trucks are required to clean up.

11 Specifically, I urge you to first of all reduce
12 diesel sulfur levels to more than 15 ppm nationwide for both
13 on and off-road diesels nationwide by 2006. Secondly, clean
14 up all big trucks and buses at least 90 per cent by 2007.
15 And, third, ensure that big trucks are meeting the emission
16 standards on the roads, not just during the engine tests.

17 Finally, I urge you to increase the use of diesel
18 alternatives, such as electric and fuel cell buses. These
19 measures are critical to the protection of public health and
20 the environment. I hope you seriously consider them in your
21 final decision making.

22 Thank you.

23 MR. GRUNDLER: Thank you, Mr. Fox. Dr. Avner?

24 DR. AVNER: Thank you very much. Thank you for
25 inviting me to participate in testimony on behalf of the

1 advocates for cleaner air and lower visible and non-visible
2 pollutants that are responsible for a great deal of
3 discomfort in this country.

4 I am a board certified pediatrician, a board
5 certified allergist, immunologist, with a specialty in
6 asthma, and have been in practice for 28 years. I serve as
7 president and CEO of Colorado Allergy and Asthma Centers,
8 which has hopefully served this community during that time.
9 We take care of literally thousands of people with
10 respiratory illness. Sitting in this room right now, one in
11 four of you has upper airway problems that require some kind
12 of attention each year. And of those of you with those
13 problems, half of you will have or do have asthma.

14 As a fairly significant piece of information, when
15 we land people on the moon, we slow down the speed of light.
16 We accomplish scientific miracles, such as charting the human
17 genome, and at the same time, are rather primitive in our
18 consumption and utilization of energy sources that provide,
19 at least in terms of asthma and associated diseases, a cost,
20 both direct and indirect, in excess of \$12 billion a year.
21 That is for every man, woman and child in this country,
22 approximately \$50, in contrast to \$25 or \$30 a year for those
23 who have cars for the fuel price increase that this is going
24 to distribute, according to the numbers I've just listened
25 to.

1 Right now, as somebody has alluded to earlier,
2 asthma in particular, but related diseases to asthma and
3 chronic obstructive pulmonary diseases such as emphysema and
4 chronic bronchitis, are the most common cause of emergency
5 room visits in this country. In Colorado and at Children's
6 Hospital, it's the most common causes for visitations. It's
7 the most common cause for absenteeism from work and from
8 school. And absenteeism of children also means absenteeism
9 of parents, which prescribes an enormous indirect cost.

10 I think our country has put the emphasis on the
11 wrong syllable sometimes. Rather than considering health
12 care, I think we've been dealing with disease care, and this
13 hearing, in my opinion, is one of the important hearings that
14 develops a stand and a position for health care. Disease
15 care is much, much more expensive than preventive
16 maintenance. There are numbers of public reports, for
17 example, that show preventive education has a kick-back ratio
18 of \$7 for every \$1 spent in keeping a person living a
19 healthier lifestyle.

20 The hydrocarbons that are not visible, the non-
21 methylated hydrocarbons, sulfur products, even the carbon
22 monoxide which is one of the important, yet not mentioned,
23 byproducts of diesel fuel, and less clean non-diesel fuels,
24 have a major impact not only in respiratory disease, but
25 there are a number of published studies that can show that

1 mentation, cognition, the ability to make decisions, to
2 recognize danger, to abstract, are affected tremendously by
3 parts, for example, in excess of 6 parts per million. Carbon
4 monoxide at some of the cross-streets in Colorado, or in
5 Denver in particular, exceed 25 parts per million during rush
6 hour. These are dangerous thing for our community.

7 I think we are in a crisis really, and it is not a
8 matter of just jobs. It's a matter of public health. It's a
9 matter of public concern. It's a matter of state of well
10 being to keep our citizens functional, creative, at work in
11 imaginative jobs that can solve some of the health care and
12 crisis problems that we deal with every day. You need not be
13 in practice very long to know that the days when you see lots
14 of truck traffic, lots of diesel fuels working in your
15 community, people who live and work at jobs that approximate
16 positionally those kinds of activities, get sick, and they
17 get sick and it's an expensive, painful, almost frightening
18 condition.

19 People do die of these diseases, and we're dying
20 more frequently now than we ever have before. From the early
21 Eighties to the mid Nineties, for example, just asthma alone
22 has increased by about 60 per cent in its incidence. Those
23 of us who deal with the condition are convinced that air
24 pollution is a major contributor to this, and it's going to
25 take some courage, some imagination on the part of people who

1 are trying to direct their efforts and energies and resources
2 at cleaning the environment to change this.

3 But it has an economic impact that's far greater
4 than what we have heard in terms of the cost of fuel and some
5 jobs, which certainly would be affected. But I think we need
6 to sit back and imagine that there would be new jobs created
7 by a newer industry, by an evolved industry to provide a
8 better quality of life for people, at least as it has to do
9 with respiratory disease. And I would appeal to the EPA to
10 enact consciously very black and white ground rules, and not
11 be swayed by emotional matters that have nothing to do, or
12 very little to do with the health of our community and our
13 citizens.

14 MR. GRUNDLER: Thank you very much, Doctor. Ms.
15 Purvis?

16 MS. PURVIS: I would like to welcome you to Denver
17 today. I think it's a fairly clear day, without much haze,
18 and it makes it very hard probably for a day like today to
19 imagine the infamous Denver brown cloud. That's a kind of
20 environment where we've got heavy pollution. It's typically
21 on a week day. There's thousands of commuters that are
22 adding to the inversion layer. And at the American Lung
23 Association, the phone rings and lung disease patients call
24 from all around the state to tell us what the eye can already
25 see. I can't breathe today. Stay inside, they say.

1 In Colorado alone, we've got 25,000 adults with
2 emphysema. We have 140,000 adults with asthma. And if you
3 add to these numbers another 393,000 adults with acute and
4 chronic bronchitis, you then begin to realize that breathing
5 is a conscious struggle for over a half a million adults in
6 Colorado alone.

7 If you want to take this in personal statistics,
8 and then take into account the children of Colorado, there
9 are 67,000 that have diagnosed asthma. A child with lung
10 disease can tell you the effects of poor air quality. It
11 hurts. The tissues and the walls of the airways become
12 irritated, inflamed and swollen. Breathing capacity is
13 diminished and the body shuts down in defense.

14 We need three things to live. We need fuel, water
15 and air. The first two, we can go for days without. But for
16 air, just hold your breath and see what it is that we take
17 for granted, and so lightly.

18 The industry will request minimum standards. There
19 will be an effort to push back time frames, and negotiated
20 compromises will be sought. But for the hidden half a
21 million, for those who are on oxygen, asthma medications and
22 suffering with chronic lung disease, there is no compromise
23 for being able to breathe.

24 Thank you.

25 MR. GRUNDLER: Thank you, Ms. Purvis. Matthew

1 Gill?

2 MR. GILL: First, I want to thank those individuals
3 who have afforded me the opportunity to speak today. My name
4 is Matthew Gill, and I am an asthmatic, an environmentalist,
5 and have been personally affected by the fatal results of
6 diesel fuel.

7 I'm asking you to adopt a common sense approach to
8 cleaning up heavy trucks and buses. Nationwide, 40,000
9 people die prematurely each year from breathing soot
10 pollution. A study by state regulators has exposed that
11 diesel soot emissions are responsible for 125,000 cancer
12 cases alone, just here in the United States. Here in
13 Colorado, smog sends more than 150,000 people to emergency
14 rooms and causes 6 million asthma attacks each year alone.

15 While I experience the difficulty of living with
16 asthma, I've also been personally and fatally affected by the
17 fact diesel can have upon an asthmatic individual. A couple
18 of years ago, my friend and I, who was--he was not aware that
19 he had asthma, started out the day perfectly fine, and we
20 actually went into downtown Denver. As the day went on, we
21 were constantly confronted with diesel trucks, cars, et
22 cetera. He started to become short of breath. I didn't
23 really think much of it, but he was saying that his chest
24 hurt and that he felt very short of breath. Eventually, he
25 stopped breathing, and the result was that he died of an

1 asthma attack. He did not know he had asthma, and when you
2 watch almost one of your best friends suffocate to death, you
3 don't have much sympathy for special interests and for just
4 simply wanting to make a buck.

5 I'm sorry, I just can't sympathize with that.
6 Maybe I'm not a businessman, or maybe I don't fully
7 understand a businessman's mentality. But all I can say is
8 that I simply don't understand how someone could put profits
9 above the everyday individual, the effects upon the
10 environment, and especially those living with health effects
11 that often result in death.

12 You have a choice and you can make it today. I
13 don't even understand why we're here. The technology is
14 available to clean up these trucks, to save lives, and to
15 prevent the environment from having further destruction in
16 the future. Perhaps it's not going to--perhaps you're not
17 going to make quite as many profits. But when it comes to
18 saving lives, saving the environment, I believe that you
19 should make the appropriate choice, and look really into your
20 heart and say what's more important to you.

21 When you look back upon your life, are you going to
22 want to say no, I wanted to protect my own special interest,
23 and I wanted to see for the profits, or are you going to say
24 no, I was courageous and I took a step forward and I decided
25 to protect the lives of everyone, as well as the environment?

1 And so I don't even understand why we're here today. It just
2 seems so simple to me.

3 Thank you.

4 MR. GRUNDLER: Thank you, Mr. Gill. Ms. Porreco?

5 MS. PORRECO: That's tough to follow. A lot of
6 what you've already heard today, I am going to repeat, but I
7 think it's important to constantly repeat that dangerous
8 health effect that diesel exhaust and heavy duty trucks and
9 buses can cause.

10 My name is Gina Porreco. I'm with the Clean Air
11 Network. We represent over 180 environmental and public
12 health organizations throughout the nation, and we thank you
13 for giving us the opportunity to speak here today.

14 Exhaust from heavy-duty engines contributes to
15 smog-forming, particulate and toxic emissions, sending
16 hundreds of thousands of Americans to the hospital each year.
17 We commend the EPA for proposing a stringent rule for heavy-
18 duty engines and diesel fuel, but feel parts of the proposal
19 need to be strengthened in order to fully protect public
20 health in a timely manner.

21 Scientists, government officials and citizens have
22 known for years that the thick black smoke spewing from
23 tailpipes of trucks and buses is dangerous to human health,
24 but little has been done to clean up diesel engines over the
25 past 30 years. Now EPA has an opportunity to set the

1 tightest standards possible for diesel fuel and big dirty
2 trucks and buses.

3 As you've heard before, there are over 40
4 substances in diesel fuel that are listed as hazardous air
5 pollutants, including potential and known carcinogenic
6 substances, such as benzene, formaldehyde and arsenic. Over
7 30 scientific studies link diesel exhaust to cancer. The
8 U.S. Department of Health and Human Services has recently
9 concluded for the first time particulate matter from diesel
10 exhaust appears likely to cause cancer in humans. Also, as
11 you have heard, a study done by the State and Territorial Air
12 Pollution Program Administrators and Association of Local Air
13 Pollution Control Officials estimates that diesel particulate
14 pollution is responsible for 125,000 cancers.

15 In addition, according to recent scientific
16 studies, experts have estimated that particulate pollution
17 may cause 1 per cent, or 10,000 heart disease deaths
18 nationwide per year. These particulates also aggravate
19 asthma, they cause difficult and painful breathing. In 1998,
20 diesel exhaust contributed to over 68 per cent of the fine
21 particulate pollution from mobile sources nationwide.

22 Another pollutant emitted from diesel tailpipes,
23 nitrogen oxide, contributes to smog, also known as ground-
24 level ozone. Smog pollution is pervasive in the U.S. It
25 causes respiratory and pulmonary disease, increased

1 susceptibility to bacterial infections, aggravation of
2 asthma, shortness of breath and many other ailments. In the
3 eastern U.S., smog sends an estimated 53,000 people to the
4 hospital, 159,000 to the emergency room, and triggers over 6
5 million asthma attacks each summer.

6 Although trucks and buses are among the biggest
7 pollution sources, the oil industry and engine manufacturers
8 have done very little to curb diesel exhaust. Therefore, we
9 urge EPA to finalize the heavy-duty engine rule and diesel
10 fuel largely as proposed, while strengthening key elements.

11 Specifically, we urge EPA to reduce NOx and PM from
12 heavy-duty trucks and buses. Engine manufacturers have the
13 technology to cut smog-forming pollution by 95 per cent and
14 soot pollution by 90 per cent. However, the EPA is proposing
15 a phase-in period to clean up NOx from heavy-duty engines.
16 Waiting until 2010 to fully implement smog-forming pollution
17 from these vehicles would continue to put Americans at risk
18 for serious air pollution-related illnesses. Due to slow
19 fleet turnover and the lengthy seven year lead-in time to
20 integrate new technologies, the engine manufacturers should
21 not have to wait ten years to clean up these engines. For
22 these reasons, there should be no phase-in period for
23 reductions of smog-forming pollution. Clean technology for
24 NOx and PM should be phased in completely by 2007.

25 Second, EPA needs to place a cap on sulfur in

1 diesel fuel at 15 parts per million. Current diesel
2 technology that can produce low NOx and PM emitting engines
3 depends on clean diesel fuel. For this reason, EPA must
4 require refiners to reduce levels to 15 parts per million
5 nationwide. As you've heard, in the same way that lead
6 poisons a car's catalytic converter, sulfur in diesel fuel
7 destroys advanced technology, thereby making emissions
8 reductions nearly impossible. There is no room to palter on
9 this issue. A cap of anything more than 15 parts per million
10 will not be sufficient to run cleaner engines.

11 Third, require in-use and on-board testing for
12 heavy-duty truck. For years, trucks ran much dirtier on the
13 road than when they were initially built. Testing engine
14 emissions in the lab does not necessarily ensure that the
15 engine is meeting these standards throughout its lifetime.
16 In fact, engine makers have cheated on their emissions tests
17 in the past, producing an extra 1.3 million tons of smog-
18 forming pollution each year from trucks on the road. EPA
19 cannot continue letting the engine and oil industries cheat
20 the American public out of clean air. It is critical that
21 EPA takes measures to ensure that trucks and buses meet the
22 emission standards while in use. Specifically, both in-use
23 and on-board diagnostic equipment should be required for all
24 heavy-duty trucks by 2007.

25 Finally, EPA should provide a provision in the

1 heavy-duty rule that would provide incentives for clean,
2 alternative heavy-duty trucks and buses. Advanced
3 technologies, including electric, hybrids and fuel cells,
4 will pave the way for more energy efficient, zero-emitting
5 trucks and buses. As clean technology becomes available,
6 there needs to be a commitment on the federal level to push
7 for this advanced technology. We should not continue relying
8 on age-old, polluting engines in the 21st Century.

9 As smog-forming pollution from cars has decreased
10 42 per cent in the past 30 years, pollution from heavy-duty
11 trucks and buses has increased 60 per cent. Likewise, as
12 particulate matter from cars has decreased 75 per cent,
13 coarse particulate matter, also known as PM-10, from diesel
14 exhaust has increased 12 per cent. This is a serious problem
15 that needs to be addressed immediately. Again, I urge EPA to
16 provide the strongest standards for heavy-duty engines and
17 diesel fuel. We can no longer hold our breath waiting for
18 cleaner air.

19 Thank you.

20 MR. GRUNDLER: Thank you, Ms. Porreco. And I want
21 to thank the panel again for taking the time to participate
22 in this very important public process, and in particular, Mr.
23 Gill for having the courage to share your story.

24 Thank you.

25 We're trying to accommodate a number of people's

1 flight schedules, so we're making--trying to work people in.
2 I'd ask Ms. Douglas, Greg Dana, Jerry Faudel, Brian Whalen,
3 Bob Elliott, John Bunyak, Bill Frick and Stanley DeVore to
4 come up. I'm not sure if we have enough chairs, but I know
5 that Ms. Douglas and Mr. Dana will be departing right after
6 their presentation. So people can fill in.

7 I also want to remind people to fill out the name
8 cards so people know who's speaking.

9 And we'll begin with Ms. Douglas as soon as you're
10 ready, if she's still here.

11 I think we lost Jennifer Douglas, so Mr. Dana, if
12 you'd like to begin? You may begin, Mr. Dana.

13 MR. DANA: Good afternoon. My name is Gregory
14 Dana. I'm vice-president of Environmental Affairs at the
15 Alliance of Automobile Manufacturers. The Alliance is a
16 coalition of 13 car and light-truck manufacturers. We sell
17 more than 90 per cent of the vehicles sold in this country.
18 The Alliance members are in the transportation business, and
19 our interest in this rulemaking is to preserve diesel engines
20 as a transportation option for the light-duty market.

21 As EPA recognizes, diesel engines have inherent
22 advantages with higher fuel economy, lower greenhouse gas
23 emissions and lower evaporative and CO emissions. Diesel is
24 one of the key technologies for our future.

25 Our members are working hard to advance the state

1 of art and fuel efficient diesel engines so they'll meet the
2 Tier 2 standards adopted last year. But the most critical
3 factor in this is the quality of the fuel. That is why we
4 applaud EPA for taking this crucial first step towards
5 enabling the next generation of diesel technology.

6 We think there are a bunch of things right with
7 this proposal. First, EPA has treated the vehicle and fuel
8 as a system for both the existing and future diesel fleet.
9 This perspective is essential for today's sophisticated
10 vehicles. Second, EPA proposed to dramatically reduce sulfur
11 to enable the new after-treatment technology. Numerous
12 research programs are showing how clean diesel can be.
13 Recent bus demonstration programs have diesel buses with
14 after-treatment control and clean diesel fuel as clean or
15 cleaner than buses running on compressed natural gas.

16 Third, EPA proposed to introduce the new fuel on a
17 nationwide basis with a common deadline and very limited
18 exceptions. This approach is necessary to prevent any high
19 sulfur fuel from contaminating the sensitive new after-
20 treatment systems that will be used.

21 Fourth, EPA proposed introducing the cleaner fuel
22 before the new after-treatment technology must be used on
23 heavy-duty vehicles, and prior to the interim light-duty--
24 excuse me--prior to the light-duty Tier 2 standards expiring
25 with the 2007 model year.

1 To accept the new cap leads to early introduction
2 of near zero sulfur fuel will encourage auto makers and
3 suppliers to continue investing in this light-duty option.

4 In some ways, the proposal hasn't gone far enough,
5 in our view. As much of a stretch as the Tier 2 standards
6 will be for gasoline vehicle, they'll be even more so for
7 diesel engines. A fundamental problem, as EPA recognizes, is
8 getting the vehicle systems to meet both NOx and PM emission
9 standards at the same time.

10 Sulfur free is the level that will allow diesel
11 vehicles to operate at their cleanest throughout their useful
12 life. That is why auto makers and engine manufacturers from
13 around the world have endorsed this level and have recently
14 updated a worldwide fuel charter which we have submitted for
15 the record, and which is also available on our website.

16 The charter defines sulfur free as between 5 and 10
17 ppm, to be defined further as more data become available.
18 But in this country, the stringent emission standards justify
19 adopting the lower limit. The Manufacturers of Emission
20 Controls Association also continues to recommend 4 ppm, not
21 withstanding its support for the 15 ppm cap. Many people
22 assume that the 15 ppm cap will lead to an average sulfur
23 level of about 7 ppm, with most of the fuel having less than
24 10 ppm due to expected refiner compliance margins.

25 We are not certain of this outcome. Rather, we

1 expect refiners to learn how to shrink their compliance
2 margins. A combination of these factors could lead to more
3 fuel above 10 ppm, or even above 15 ppm, than expected. And
4 sulfur levels in this range will seriously poison the new
5 after-treatment control devices.

6 In addition to sulfur, EPA should also adjust other
7 fuel properties, as recommended in the charter, especially
8 cetane, aromatics and distillation. We will discuss these
9 issues further in our written comments.

10 We think 5 ppm fuel is doable, and it's a goal that
11 we should all strive for. After all, refiners are making
12 very low sulfur fuel today in Sweden and elsewhere. Other
13 countries are moving quickly to ultra low sulfur fuels. Just
14 last year, Germany adopted a tax initiative program to
15 encourage fuels of less than 10 ppm sulfur by 2003. In May,
16 the EU announced its intention to pursue this course for all
17 of Europe.

18 The key point is that refiners know how to make the
19 clean diesel fuel. Proper incentives and market demand will
20 bring this fuel to market even faster than public estimates
21 predict. We urge EPA to focus on its incentive package to
22 encourage the marketplace to make the new cleaner fuel widely
23 available as soon as possible.

24 We have come a long way in the debate over sulfur.
25 Just two years ago, auto makers petitioned EPA to reduce

1 sulfur in gasoline to California levels, or lower. Today,
2 everyone accepts the critical role that sulfur plays in our
3 national environmental policy. The issue is no longer
4 whether to reduce sulfur. It is not that even near zero
5 sulfur fuels will eventually be needed. Rather, it is when
6 will they be available to enable the new technology.

7 For our part, Alliance members want to bring
8 advanced technologies, such as a turbocharged direct
9 injection engine and hybrid electric diesel vehicles, to the
10 point where they can operate cleanly and meet consumer needs.
11 The proposed 15 ppm cap on diesel fuel sulfur is a very
12 strong step toward providing the incentive to continue
13 investing in diesel technology. Diesel fuel quality on a par
14 with the World-Wide Fuel Charter, however, will actually make
15 this technology one of our key options for the future.

16 Thank you.

17 MR. GRUNDLER: Thank you, Mr. Dana. Mr. Faudel,
18 welcome.

19 MR. FAUDEL: Thank you. Thank you very much.

20 Thank you for the opportunity for allowing me to provide
21 these comments. I don't think anyone can argue with the need
22 to control, better control emissions from heavy-duty diesels.
23 I think we're all in agreement there.

24 I am vice-president of Corporate Relations for
25 Frontier Oil Corporation. We own and operate a small

1 refinery in Cheyenne, Wyoming and another in eastern Kansas.
2 with only approximately 700 employees, Frontier Oil is one of
3 the 22 small business refiners identified by the agency as
4 subject to the provisions and protections of the Small
5 Business Regulatory Enforcement and Fairness Act, or SBREFA.

6 Frontier is also the only small business refiner
7 that supplies gasoline and diesel fuel to the Denver market
8 and, consequently, competition to the majors.

9 These small refiners that we are group of very much
10 appreciate your formal acknowledgement that complying with a
11 dramatically reduced diesel sulfur standard will cost small
12 business refiners such as Frontier as much as 50 per cent
13 more on a per gallon basis than it will cost a large oil
14 company. We also very much appreciate your efforts, through
15 the SBREFA process, to find possible ways to partially offset
16 these disproportionate costs to our small businesses. We
17 have a long way to go and unless this rulemaking process can
18 be extended, and I understand that may be difficult, a very
19 short time to get there if the small business refiners are to
20 survive and have a fighting chance to continue to provide
21 some competition in the transportation fuels market.

22 The SBREFA Panel that was convened this last fall
23 to find some flexibility for small business within this
24 proposal met a much more difficult task than was encountered
25 in the agency's recent successful Tier 2 gasoline sulfur

1 regulatory development. And, Paul, I sympathize with you.
2 It was a difficult process. Unlike the passenger vehicle
3 engine controls of Tier 2, the proposed heavy duty diesel
4 engine emission control systems as endorsed by the agency
5 seem to be paradoxically and impractically fragile, allowing
6 for absolutely no flexibility in a diesel sulfur standard.
7 In addition, the affected small business refining community
8 is more numerous and widespread and much more varied than it
9 was in Tier 2.

10 Small business refiners that will be adversely
11 impacted by this rule include those small refiners in
12 California who have already been driven out of the gasoline
13 manufacturing business by the costly California gasoline
14 regulations, but can still make and sell diesel fuel.

15 The small Native American-owned refiner in Alaska
16 that is pioneering a unique biodesulfurization process for
17 diesel fuel, and that process may not be able to meet such a
18 very low standard on such a tight time frame.

19 Small business refiners that have historically made
20 predominantly off-road diesel and who soon may face a
21 disintegration of their prime market if off-spec on-road
22 diesel is dumped to the off-road market by large oil
23 companies.

24 We have a small business agricultural co-op
25 refinery that uniquely serves the needs of the farmers in the

1 Midwest, and a number of small business refiners like
2 Frontier who still manufacture both gasoline and diesel fuel,
3 and who may now face the potentially debilitating costs of
4 having to make simultaneous modifications of their facilities
5 to meet these two expensive new gasoline and diesel sulfur
6 standards at nearly the same time.

7 In the preamble to the proposed rule, you have
8 asked for comments on a number of programs that may help
9 small businesses comply with this regulation. With the
10 exception of the suggestion that small refiners enjoy a
11 higher final on-road diesel standard than the rest of the
12 industry, my approach to each of the programs suggested is
13 yes, we need that and we need more.

14 If we must accept that the best the heavy-duty
15 engine manufacturers can do to meet their emission limits is
16 to design fragile emission control systems that suffer from
17 nearly complete fuel sulfur intolerance, then the agency has
18 correctly concluded that relief for small business refiners
19 must be found not in the diesel sulfur standard itself, but
20 in other related areas that may act to confound a small
21 refiner's ability to comply or survive. Frontier, therefore,
22 believes that it is necessary to allow small business
23 refiners to choose any or all of the potentially useful
24 accommodations identified below so that all of us have the
25 best possible chance of survival and to remain competitive.

1 We further do not believe that any of these small
2 business refiner accommodations will in any way diminish the
3 environmental benefits of an ultra low sulfur diesel rule.
4 And, unfortunately, neither can we guarantee that by
5 promulgating these provisions, that all of us will remain in
6 business. These recommendations are as follows:

7 Number 1. Small business refiners need the ability
8 to continue to manufacture and sell on-road diesel meeting
9 the current 500 part per million standard for as long as
10 there is a market for that fuel, and without a commensurate
11 requirement for small refiners to manufacture the new, ultra
12 low sulfur diesel, or for their customer stations to carry
13 it. And all that means is as the new engines are phased in,
14 the new controls are phased in, there will be a need, a
15 market for that 500 part per million fuel. We would like to
16 have that market preserved for small refiners to the best
17 extent possible.

18 The EPA must take some steps to protect the off-
19 road diesel market from damage through the dumping of off-
20 spec on-road diesel to the off-road market by large refiners.
21 What may very well happen is a lot of the diesel fuel that is
22 currently going to on-road will not be cost effective to
23 bring that fuel down to new on-road standard, and it will end
24 up in the off-road market that is the bread and butter for a
25 lot of the small refiners, and that market will be destroyed.

1 Small business refiners who manufacture both
2 gasoline and diesel fuel must be granted an automatic four
3 year extension of all Tier 2 gasoline sulfur requirements
4 without suffering the uncertainty of a hardship provision
5 application and approval process. The costs associated with
6 modification of a refiner for these two requirements, the
7 gasoline and diesel fuel requirements, are astronomical. We
8 need to have those spread out a little bit. The only rule
9 that has any flexibility with it is the gasoline rule. So
10 what we're asking is for a little bit more flexibility on the
11 gasoline side to allow us to comply with the diesel side.

12 Small business refiners need the EPA's help in
13 endorsing and obtaining economic assistance, possibly through
14 income or excise tax credits or loan guarantees, so that
15 small businesses can better afford to absorb the 50 per cent
16 greater costs of compliance the agency has estimated we will
17 incur. I was very heartened to hear the first speaker here
18 talk about what's been done in Europe in the way of tax
19 credits, tax incentives for the industry. I think that's
20 something that is very valuable and allows Europe to do that.
21 We haven't looked at that, I don't believe, enough here in
22 the States.

23 It's unfortunate the agency was not given adequate
24 time to ensure that this rule was technologically sound and
25 economically practical when it was proposed. And it's likely

1 that due to the rush to promulgate before the end of this
2 election year, much of this rulemaking will have to be
3 revisited in future years in order to preserve the economic
4 stability in the fuels marketplace. But regardless of the
5 outcome, and irrespective of the final diesel sulfur
6 standard, small business refiners like Frontier must obtain
7 the accommodations described above if we are to continue to
8 play a competitive role in that marketplace.

9 Thank you again for consideration of these
10 comments. I would like to reserve the opportunity to
11 supplement our presentation in writing before the end of the
12 comment period.

13 MR. GRUNDLER: Thank you, Mr. Faudel. Mr. Whalen,
14 welcome.

15 MR. WHALEN: Thank you.

16 My name is Brian Whalen. I am vice-president of
17 Public Affairs for International Truck and Engine
18 Corporation, which as many of you know, was formerly known as
19 Navistar. I'm here today on behalf of Patrick Charbonneau,
20 vice-president of Engine Engineering at International, to
21 discuss EPA's proposed model year 2007 emission standards for
22 heavy-duty engines, as well as the agency's proposed on-road
23 diesel fuel quality requirements.

24 At the outset, International commends EPA for its
25 landmark proposal to address heavy-duty engine emissions

1 through a systems approach involving both fuel quality and
2 engine technology. There is no question that diesel engine
3 technology is making dramatic strides in emissions control.
4 As we know, the availability of ultra low sulfur clean diesel
5 fuel is a prerequisite towards meeting the challenging new
6 emission standards beginning in 2007. With clean diesel
7 fuel, we can count on the advanced NOx and PM after-treatment
8 technologies needed to achieve unprecedented emissions
9 reductions. For that reason, we are pleased that EPA is
10 mandating fuel which will enable these advanced technologies
11 to be used on all heavy-duty engines.

12 International is investing hundreds of millions of
13 dollars in the development of new technologies for all the
14 markets where our engines are sold. We are reinventing all
15 of our engine lines through revolutionary engine redesign and
16 the development of advanced after-treatment technologies.
17 Our technological breakthroughs will allow us to achieve
18 unparalleled emissions reductions. Indeed, we are developing
19 green diesel technology that with, with clean fuel, has
20 already demonstrated the capabilities of particulate filter
21 technology to reduce hydrocarbon and PM emissions to levels
22 that are at or below EPA's proposed standards.

23 In that regard, it is important to note that
24 progressive oil companies already are making 15 ppm diesel
25 fuel commercially available. These oil companies have earned

1 recognition and our applause for their efforts to bring clean
2 diesel fuel to the marketplace early. With this ultra clean
3 diesel fuel available so soon, International will
4 commercialize its green diesel engine technology next year
5 and, thus, achieve EPA's proposed model year 2007 hydrocarbon
6 and PM emission standards six years ahead of schedule. This
7 is just one example of the impressive environmental benefits
8 that accrue from a systems approach involving both clean fuel
9 and clean engine technologies.

10 I also commend the Agency for its willingness to
11 phase-in the proposed NOx standards. We strongly support a
12 NOx phase-in approach, which underscores the challenges
13 facing industry in meeting NOx control targets. EPA's
14 proposal goes far in addressing these technological
15 challenges, but we believe that even more can be done without
16 compromising important environmental objectives. In that
17 regard, I am pleased to say that International, along with
18 the Engine Manufacturers Association, soon will be presenting
19 EPA a new NOx phase-in proposal.

20 Under this proposal, there would be a single NOx
21 emission standard for all engines in 2007. The NOx standard
22 in 2007 would be significantly below the NOx standard
23 applying to model year 2006 engines. Then, in 2010, the NOx
24 standard would be stepped down to a new and significantly
25 tighter NOx standard. Importantly, this proposal will meet,

1 and perhaps exceed, the Agency's NOx reductions in this
2 rulemaking, while at the same time, providing manufacturers
3 with needed flexibility to meet those targets. For these
4 reasons, we believe that the Agency will find this proposal
5 to be a win-win for consumers and the environment alike, and
6 look forward to discussing it in greater detail.

7 In closing, I wish to reiterate International's
8 strong support for EPA's proposal to reduce diesel fuel
9 sulfur levels, which will enable the use of NOx and PM after-
10 treatment technologies needed to achieve the Agency's
11 emission reduction objectives. We look forward to discussing
12 in our written comments these and other technical details of
13 EPA's proposed rule. I thank you for giving me the
14 opportunity to present International's views today, and would
15 be happy to answer any questions you may have concerning my
16 testimony.

17 MR. GRUNDLER: Thank you very much, Mr. Whalen.
18 Mr. Elliott?

19 MR. ELLIOTT: Thank you, Mr. Chairman, and members
20 of this hearing. My name is Bob Elliott, and I'm a third
21 generation farmer from Alliance, Nebraska, and I am here
22 today speaking as an elected director of Cenex Harvest States
23 Cooperatives, our regional cooperative, and as a member of my
24 local cooperative, and as an individual farmer.

25 Cenex Harvest States Cooperatives is one of only

1 four cooperatives in petroleum refining. We have a small
2 refinery in Montana and majority ownership of a small
3 refinery in Kansas. Cooperatives are uniquely accountable in
4 the petroleum business in that the customer is also the
5 owner. Farmers have invested heavily in the cooperative
6 petroleum operations to help assure reliable and affordable
7 fuel supplies. Cooperatives supply about 40 per cent of on-
8 farm fuel use, and are the only remaining suppliers in many
9 rural communities.

10 Underlying concerns because of the seasonal spikes
11 by agriculture to produce our food is one of the reasons in
12 the 1930s we formed these cooperatives, and why we continue a
13 significant investment in the petroleum industry, even though
14 we're really wanting to use investment funds to improve
15 prices on the farm. These seasonal spikes at harvest and
16 planting time, we feel like in remote rural locations,
17 probably are not economically viable for the private
18 companies to meet those demands, and that has been an
19 underlying concern of the farm community.

20 I'm also a local co-op member, one of 1,000 local
21 co-ops that own petroleum tankage and will have to bear the
22 costs of any new tankage requirements. I'm a family farmer,
23 one of the 325,000 member-owners in the Cenex Harvest States
24 system who could bear both the costs imposed on our regional
25 and local cooperatives, and personal costs if increased

1 tankage is required on the farm.

2 One might wonder why a farmer is here today to
3 express concerns about EPA's proposed rule for on-road
4 diesel. Many, including key people in the federal agencies,
5 believed until recently that agriculture would not be
6 affected by this on-road standard. The fact of the matter is
7 that this on-road proposal adversely impacts agriculture in a
8 number of ways.

9 First, we are concerned that the ultra low standard
10 for sulfur in diesel fuel will increase the threat of supply
11 disruptions in rural America. Agriculture's fuel supply
12 cannot be placed at risk.

13 And I would add the cost in food safety by delaying
14 any harvest of a wheat crop by just a few days and additional
15 rainfall and mold that can grow on that crop are an
16 additional health risk that we just don't consider when we
17 don't look at the whole picture.

18 Second, most of the off-highway diesel fuel in
19 rural America will be forced to the new highway standard
20 because much of the diesel storage system, particularly in
21 rural markets served by our cooperatives, is capable of
22 adequately handling only one sulfur level per grade of diesel
23 fuel, which will be determined by the new standard for
24 highway diesel. And any mandate or option for two on-
25 highway, low sulfur diesel fuels would impose major and

1 unacceptable costs on local cooperatives, or force locals to
2 choose which customers to lose because they cannot afford the
3 extra tankage.

4 Third, these limitations mean that our farmer-owned
5 refineries will be forced to go to the ultra low, on-road
6 standard even though most of our market is for farm uses.
7 This will be extremely costly and is based on technology not
8 yet proven valid or reliable for the industry.

9 Fourth, diesel fuel costs for farmers and rural
10 America will increase 10 cents or more per gallon, with
11 higher price spikes in the event of tight supplies or
12 disruptions.

13 And, fifth, cooperative investments involve
14 farmers' money, and we don't know how we'll be able to afford
15 it, especially during difficult times like the farmers are
16 now experiencing. Any costs incurred by co-ops, especially
17 regulatory requirements, are borne by farmers as a heavy
18 penalty.

19 I have three examples. It is extremely difficult
20 for us to generate the necessary capital for large
21 expenditures to meet the proposed requirements. As co-ops
22 are prohibited from issuing stock in equity markets, during
23 these difficult times, it is particularly difficult for us to
24 borrow funds.

25 Farmers will receive little return on these

1 expenditures, and it will consume scarce funds desperately
2 needed for investments in projects to improve farm income.

3 In the end, farmers bear the burden, both through
4 higher diesel fuel costs as customers, and through reduced
5 patronage from their co-ops as owners.

6 Agriculture's concern is widespread and growing, as
7 demonstrated by the agriculture letter containing nearly 30
8 organization signatures that I am submitting for the record,
9 and it is attached to the back of my presentation. I am also
10 submitting the position statement of the National Council of
11 Farmer Cooperatives, which we endorse. Concern is widespread
12 and growing throughout the United States, as evidenced by
13 this list I am submitted of nearly 300 organizations
14 nationwide that have signed this letter that will be sent to
15 every member of Congress.

16 Farmer cooperative representatives have been
17 working with EPA, and we appreciate the Agency's recognition
18 of the unique structure and challenges of farmer-owned
19 cooperative refineries, as well as possible compliance
20 flexibility options. However, we believe the proposal goes
21 too far too fast, and has failed to consider the major real-
22 world impacts on agriculture and rural America. This is why
23 Cenex Harvest States Cooperatives recommends that the rule be
24 withdrawn and reconsidered.

25 We urge that EPA and USDA join together to study

1 and address potential impacts of EPA's proposal on the
2 availability and cost of diesel fuel for farmers and rural
3 America, as well as the effects on performance of
4 agricultural equipment, and to do so before any diesel rule
5 is finalized. In 1985, the EPA and USDA took similar action
6 for unleaded gasoline because Congress directed them to do so
7 by law.

8 I have a copy of the section of the law that could
9 provide you guidance in moving forward on this issue. We
10 hope EPA and USDA will undertake similar actions without
11 waiting for Congress. It was important enough for gasoline
12 in 1985, and it should be even more so for diesel in 2000.
13 Farmers are critically dependent on diesel fuel.

14 If EPA decides to go forward with this rule, Cenex
15 Harvest States Cooperatives recommends that any final rule
16 include the following basic elements: a sulfur cap of 50
17 parts per million, no phase-in or requirement of two low
18 sulfur diesel fuels, maximum compliance flexibility for
19 cooperative refiners, and support for financial assistance to
20 refiner cooperatives.

21 In closing and in fairness to farmers and rural
22 America, I must ask these questions, and I hope you'll
23 address them in the next published version of this rule.

24 Why can't this proposed rule be withdrawn and
25 reconsidered? Why is rural America paying so much to go to

1 the 15 parts per million since air quality problems are in a
2 few cities? Why haven't EPA and USDA done another joint
3 study like they did on leaded gasoline in 1985, and study the
4 impact of ultra low sulfur diesel on agricultural machinery?
5 And why has EPA failed to release a cost benefit analysis for
6 the proposal that would look at economic impacts on rural
7 America?

8 Thank you for consideration.

9 MR. GRUNDLER: Thank you, Mr. Elliott. Mr. Bunyak?

10 MR. BUNYAK: Chair and member of the hearing panel,
11 I am John Bunyak of the National Park Service Air Resources
12 Division. I'm grateful for the opportunity to speak to you
13 today concerning your proposed regulations calling for
14 reduced tailpipe emissions from heavy-duty engines and
15 vehicles, as well as reduced sulfur content of diesel fuel.

16 The National Park system includes parks and
17 historic sites in every state in both urban and rural
18 locations. I've attached a system-wide map to my written
19 testimony.

20 We have the responsibility to protect and preserve
21 the resources and values of these sites for future
22 generations. The need to reduce air pollution effects on
23 these resources is why we support the EPA in its proposal.

24 Even considering the general trend towards
25 improving air quality, many areas likely to include lands

1 administered by the National Park Service will not attain the
2 national ambient air quality standards in 2007, despite
3 continued implementation of the national low emission vehicle
4 program, Tier 2 requirements, regional transport programs,
5 and other air pollution controls.

6 In addition, areas that are in attainment will need
7 further programs to ensure that continued economic growth
8 does not degrade air quality. This is especially true to
9 protect the extraordinary natural scenic and cultural
10 resources found in our national park system. Even at levels
11 well below those established to protect human health, air
12 pollutants degrade these resources. Visibility impairment is
13 the most ubiquitous air pollution related problem in our
14 national parks. Although visibility degradation is more
15 severe in the East, significant visibility impairment also
16 has been documented in Western national parks in relatively
17 remote locations.

18 Even small amounts of fine particles in the air
19 degrade our ability to see the spectacular panoramic scenery
20 of Western national parks. Because they are so effective at
21 absorbing light, particles formed by diesel combustion are
22 two to three times more effective at impairing visibility
23 than particles formed by other pollution sources. Steady and
24 continuing reductions of all types of air pollutants will be
25 needed to restore natural visibility conditions in our

1 specially protected areas.

2 Researchers have also documented air pollution
3 effects on biological and aquatic resources. Ozone injures
4 native hardwoods and coniferous trees in parks across the
5 U.S. This can lead to changes in plant community structure.

6 Another concern is acidic deposition of nitrogen
7 and sulfur compounds which affect water chemistry, which in
8 turn affects algae, fish, submerged vegetation, amphibian and
9 aquatic communities. Acidic deposition and particulate
10 matter are also a concern for effects on historic monuments.
11 Similar to ozone, acidic deposition effects on park resources
12 occurs nationally, including areas of the Rocky Mountains,
13 Cascade Range, the Sierra Nevada Range, Upland areas of the
14 Eastern U.S., Eastern Coastal areas.

15 We have observed acidification of streams in both
16 Shennandoah and Great Smokey Mountain National Parks.
17 National measures such as a correct proposed rule are needed
18 to protect the natural wonders of our parks for future
19 generations. The emissions from motor vehicles include many
20 pollutants, such as organic compounds, carbon monoxide,
21 sulfur oxides, nitrogen oxides, and particulate matter.

22 In addition, through atmospheric processes, organic
23 compounds and nitrogen oxides combine to form ozone, or smog.
24 Similar atmospheric processes turn gaseous sulfur oxides and
25 nitrogen oxides and organic compounds into fine particulate

1 matter. This fine particulate matter is a health concern,
2 and even in areas with low concentrations of particulate
3 matters, can also contribute to visibility impairment.

4 The National Park Service has a long history of
5 tracking air quality and visibility effects on the lands it
6 administers. While some areas are improving, others have had
7 increases in pollution, such as ozone and nitrate deposition.
8 In addition, all areas monitored for visibility show frequent
9 regional haze impairment. Regional haze rules announced last
10 year by EPA also call for states to establish programs to
11 improve visibility in many of our parks, especially here in
12 the West.

13 Emissions from heavy-duty motor vehicles, including
14 sulfur related compounds, are part of the multi-source,
15 multi-pollutant mix that impairs regional visibility. The
16 National Park Service endorses EPA's proposal to
17 substantially reduce emissions from heavy-duty diesel
18 engines. Given the increase in sales and use of diesel
19 vehicles, the proposed measures are cost effective and will
20 be needed to help attain and maintain health standards in
21 many areas, to make reasonable progress in addressing
22 regional visibility impairment nationwide.

23 This national approach is important for visibility
24 and other air quality related concerns, even in areas of the
25 West where ambient measurements are generally below current

1 national ambient air quality standards. The National Park
2 Service participated in the Grand Canyon Visibility Transport
3 Commission from 1991 to 1996, and continues to work with the
4 Western States and Tribes through their formation of the
5 Western Regional Air Partnership to address visibility
6 concerns across the region.

7 The Grand Canyon Visibility Transport Commission
8 was composed of the governors of eight western states,
9 Arizona, California, Colorado, New Mexico, Nevada, Oregon,
10 Utah and Wyoming, and leaders of the Pueblo, Yakima, the Hopi
11 Tribe, the Wallapi (phonetic) Tribe, the Navajo Nation, the
12 Columbia River Inter-tribal Fish Commission, and
13 representatives from the EPA, National Park Service, U.S.
14 Fish and Wildlife Service, and the U.S. Forest Service. The
15 Commission was formed to guide EPA in developing strategies
16 to improve visibility in the desert southwest.

17 The Commission's recommendations, which were
18 endorsed by the majority of governors, highlighted the need
19 to address mobile source emissions and the need for broader
20 application of cleaner fuels as part of a multi-source
21 regional strategy to improve impaired visibility. The
22 National Park Service still endorses the Commission's
23 recommendations, and feels that EPA with this proposal is
24 following through on the Commission's approach of addressing
25 future regional mobile source concerns.

1 While the issues of current diesel engine emissions
2 are the thrust of EPA's proposal, reduction of sulfur in
3 diesel fuel is a key element to future air quality progress.
4 A national sulfur limit is desirable because lower sulfur
5 fuels are needed to permit the future development of vehicle
6 technology that will result in significant reduction in
7 overall emissions and fuel consumption. Such technology is
8 now being developed, such as direct injection engines, may be
9 more sensitive to sulfur than current vehicles. These
10 technologies can tolerate very little sulfur in order to
11 limit the production of other unwanted pollutants.

12 Therefore, sulfur removal is not only important to
13 maintain the emission control potential of current vehicles,
14 but is being highlighted by many as an important new
15 technology enabler for the future. Reducing the sulfur
16 content of diesel fuel would reduce the emissions from the
17 current fleet of heavy duty vehicles, reduce sulfur dioxide
18 and sulfate emissions from all new and old diesel vehicles,
19 and potentially enable advanced low emissions and
20 significantly more fuel efficient vehicles.

21 In summary, the National Park Service feels that
22 with the time frame contemplated for the proposed standards,
23 there will be an air quality need for emission reductions
24 nationwide. The control technology exists today to reduce
25 diesel emissions. The cost effectiveness of the technologies

1 for addressing vehicle emissions and the reductions in diesel
2 sulfur is within the range of other available control
3 strategies.

4 We urge EPA to promulgate the proposed rule and
5 require a national implementation of schedule. We intend to
6 provide written comments on this proposal highlighting more
7 information on the air quality concerns of the National Park
8 Service during the public comment period.

9 Thank you for this opportunity today to comment on
10 your proposed rule. This concludes my statement.

11 MR. GRUNDLER: Thank you, Mr. Bunyak. Mr. Frick?

12 MR. FRICK: Good afternoon. My name is Bill Frick.
13 I'm the vice-president for Industry Operations at the
14 American Petroleum Institute. I also serve as general
15 counsel. API represents the oil and gas industry, all
16 facets. We have over 400 members who participate in all
17 segments of the industry, exploration, production, refining,
18 marketing, distribution.

19 We appreciate the opportunity to participate in
20 this hearing. I hope that we can provide some industry
21 perspective on the rulemaking and add some facts to this
22 discussion.

23 I want to make several points. We have a written
24 submission, but I'd like to focus on five things this
25 afternoon. First of all, the industry is supporting sulfur

1 reduction. When EPA began talking about rulemaking, we
2 looked at the issues and we came forward and proposed a 90
3 per cent reduction, which EPA said they wanted to achieve,
4 and we said we can do that. So sulfur levels are coming
5 down.

6 The issue we're grappling with here this morning
7 and in this rulemaking is how far and how fast, which hinges
8 on things like what is technologically feasible both in terms
9 of the emissions devices on the vehicles, as well as what
10 physically can be done at refineries, which gets to my second
11 point.

12 One of the problems we have in dealing with this is
13 in fact because we are working so hard, spending so much to
14 actually clean up a lot of fuels, it is not just diesel that
15 is on the table here. In considering how far and how fast,
16 you have to look at the fact and take into consideration that
17 the industry is facing a serious daunting challenge at its
18 refineries. This rule cannot be viewed in isolation. You've
19 got to look at other changes in the fuel system.

20 Currently, we have already created, are
21 reformulating gasoline one and two, which was just
22 introduced. We have rulemaking to reduce gasoline sulfur.
23 This would be diesel sulfur. We have a number of boutique
24 fuels that individual areas of the country have said they
25 want on top of the basic reformulated. MTBE reductions are

1 probably coming down soon. There are attendant costs and
2 strains to the system. If we use ethanol to replace MTBE,
3 we're required to have the oxygenates. There will be an air
4 toxics rulemaking. There are new source review challenges
5 and other issues.

6 All of these affect the constituents of fuel, the
7 amounts that can be produced at the refinery. In the end, we
8 still have to have fuels that work, so these are important
9 issues. A patchwork of fuels is particularly challenging.
10 It's not just three grades of gasoline, as I said. We have
11 at least ten different areas with different fuel
12 formulations, which puts a strain on all parts of the chain,
13 production, transportation and marketing.

14 In addition, making these changes that we are
15 talking about doing soaks up capital in a segment with a very
16 low return on capital. It is a challenge even to find and
17 deploy the resources to install the equipment to make these
18 changes. Those of you who go up 270 and see refineries, you
19 know these are not simple facilities. We simply can't turn a
20 valve and make these changes. It's going to take a lot of
21 hard work and a lot of time.

22 Also, adding to these different fuels, it
23 complicates the logistics to handle the more complex
24 processing and the movement of multiple products. An NPC
25 study, the National Petroleum Council, which is a government

1 organization which involves the oil industry, reports to the
2 Secretary of Energy, DOE and EPA participated in it, just
3 issued a report on refining capacity. And it said, and I
4 quote, "The NPC concludes that the refining and distribution
5 industry will be significantly challenged to meet the
6 increasing domestic light petroleum product demand with
7 substantial changes in fuel quality, specifications recently
8 promulgated and currently being considered. The timing and
9 size of the necessary refinery and distribution investments
10 to reduce sulfur in gasoline and diesel, eliminate MTBE and
11 make other product specification changes, such as reducing
12 toxic emissions from vehicles, are unprecedented in the
13 petroleum industry."

14 And the effect of all this is to take out enormous
15 flexibility out of the system, and we're beginning to see
16 some of the effects now. It was ironic that the day we had
17 the LA hearings, USA Today had a report on the issues in the
18 Midwest, talks about the oil industry has little margin for
19 error. That is one of the major concerns we have. It's not
20 resistance to removing it, but we do have issues to ensure
21 that we continue to maintain supplies and can avoid problems
22 like this. I think EPA in executing its authority under the
23 Clean Air Act needs to take into consideration these kinds of
24 issues.

25 A third point which comes up is that this is not an

1 issue that 15 ppm cannot be met. It's been noted that
2 individual companies are making it--whether we can provide
3 the supplies that the consuming public needs. Our cost
4 figures are different from EPA's. We think it's going to be
5 closer to \$8 billion on top of the cost of gasoline sulfur
6 reductions. This is twice what the industry proposal of 50
7 ppm would make.

8 It is not a straight line investment. It's going
9 to have--to go between 50 and 15 has a substantially
10 disproportionate higher cost. There will simply be some
11 companies that will choose not to make that. Their return on
12 investment will not allow them to do it.

13 Again, referring to the NPC study, they indicated
14 in terms of the system that "there is a significant risk of
15 inadequate supplies should on-highway diesel sulfur levels
16 below 50 ppm be mandated."

17 So, again, the effect may be that some refineries
18 may be at the margin will choose not to make it, and that has
19 to be taken into consideration. There are already fewer
20 refineries available to make these products, much fewer than
21 in previous years. They are larger. They can make more
22 product, but they are more distant from markets, which makes
23 it very important that we take into consideration
24 transportation and the additional logistics.

25 The fourth point I would like to make is that this

1 particularly severe level that EPA has proposed is being
2 imposed to accommodate unproven automotive technology. At
3 this point, we don't know it will work. It's been talked
4 about this morning. There's a lot of people that commented
5 about whether this information will work--whether some of the
6 technology that's out there will work. But I think we do not
7 have in practice, as one major engine manufacturer has stated
8 at a previous hearing of EPA, we have not seen in practice
9 vehicles that are controlling both NOx and PM at the same
10 time.

11 They stated that this is a monumental challenge,
12 and that the technology that EPA desires to use is still
13 basically in the lab. Any suggestion that it's available now
14 is unfounded. In fact, they stated that we have no proof of
15 the reliability, durability, useful life, practicability or
16 costs. So this is not merely something we can wish would
17 happen. There's some serious and time consuming issues that
18 have to be done.

19 Finally, to do this on the desire to make light-
20 duty diesels available, when we don't know if there's even
21 going to be a market for that, is a speculative change that
22 we think is an enormous cost that would be imposed on the
23 country without knowing that you really need to do that.

24 The final point is it really is not necessarily
25 from an air pollution standpoint to reduce sulfur this low.

1 We will be getting down, as we've talked about, we will be
2 reducing the levels with the emission control devices that
3 are out there and available. There will be very reduced
4 levels from the vehicles. And in the total emissions
5 inventories, we're going to have made significant progress;
6 that these extreme levels simply are not needed.

7 So, in summary, my points are we are prepared to
8 implement a 90 per cent reduction. That will be very
9 difficult given all our other challenges. This proposal
10 presents a significant risk of shortfall in some areas if
11 implemented to the levels EPA wants. It really is not
12 necessary from the technology standpoint, and the air quality
13 benefits are virtually the same.

14 This industry has an excellent reputation and takes
15 great pride in providing high quality products that are
16 available and work. We do not want to endanger that
17 performance that the public expects and demands by
18 unrealistic expectations in these regulations.

19 Thank you.

20 MR. GRUNDLER: Thank you, Mr. Frick. Mr.
21 Bertelsen?

22 MR. BERTELSEN: Good afternoon. My name is Bruce
23 Bertelsen, and I'm the Executive Director of the
24 Manufacturers of Emission Controls Associations. MECA is
25 pleased to present testimony today in support of EPA's

1 proposal.

2 We believe an important opportunity exists to
3 significantly further reduce emissions from highway heavy-
4 duty diesel engines by utilizing an engineered systems
5 approach that incorporates and combines advanced engine
6 designs, advanced emission control technology, and very low
7 sulfur diesel fuel. EPA's regulatory initiative recognizes
8 the importance of promoting this systems type approach, and
9 the Agency's proposal constitutes a carefully crafted and
10 balanced program. If the program is finalized, it will
11 result in substantial cost-effective emission reductions.
12 Indeed, EPA's initiative will bring about the age of the
13 truly clean diesel engine.

14 MECA is a non-profit association made up of the
15 world's leading manufacturers of motor vehicle emission
16 controls. MECA member companies have over 30 years of
17 experience and a proven track record in developing and
18 commercializing exhaust control technologies for motor
19 vehicles.

20 Today, I will briefly summarize MECA's position on
21 EPA's proposal. We plan to submit more detailed written
22 comments before the close of the comment period.

23 I would like to focus on two items today. First is
24 the issue of the technological feasibility of the heavy-duty
25 diesel standards, and secondly, the critical need for very

1 low sulfur diesel fuel to meet those standards.

2 With regard to the technological feasibility, we
3 believe the emission standards proposed for highway heavy-
4 duty diesel powered engines can be achieved in a cost-
5 effective manner within the lead time provided, if low sulfur
6 diesel fuel is available.

7 EPA, in its proposal, identified two primary
8 candidate technologies for meeting these proposed emission
9 limits; catalyst based diesel particulate filters for PM
10 control and NOx adsorber technology for NOx control.
11 Catalyst based diesel particulate filters are commercially
12 available today. The only remaining engineering effort is to
13 optimize the filter system for the specific engine to which
14 it will be applied. Worldwide, over 20,000 PM filters have
15 been equipped on diesel engines in a wide variety of
16 applications. The control performance efficiency and the
17 durability of these filter systems has been demonstrated.
18 Catalyst based diesel particulate filters used on engines
19 operated on low sulfur diesel fuel can achieve PM and toxic
20 hydrocarbon reductions well in excess of 90 per cent.

21 In one of the earlier panels, a comment was made
22 regarding the serious health consequences of ultra fine
23 particulates. Testing has shown that with the diesel
24 particulate filter, 99 per cent plus of the carbon based
25 ultra fine particles can be eliminated.

1 Indeed, when very low sulfur diesel fuel is
2 utilized, the particulate emission levels are almost
3 unmeasurable. Where diesel fuel containing a less than 10
4 ppm sulfur level have been used, filter technology has
5 demonstrated impressive durability. In some applications,
6 filters have continued to provide excellent PM removal after
7 up to 600,000 kilometers of vehicle operation.

8 Development and optimization of NOx adsorber
9 technology is progressing at a very rapid rate, and our
10 members fully expect that with the availability of very low
11 sulfur fuel, this technology will be commercialized in 2007
12 for diesel engines.

13 Indeed, the prospect that EPA will require very low
14 sulfur diesel fuel in the 2006 time frame has already
15 stimulated an increased commitment to bring this technology
16 forward in diesel engine applications. Our members see no
17 barriers to this technology, provided very low sulfur fuel is
18 available. Rather, the challenges are engineering in nature.
19 They are making the substantial financial investment in this
20 technology because they believe it will be commercially
21 available.

22 I had the opportunity to participate in several of
23 the hearings over the course of the last two weeks, and we've
24 heard terms like unproven technology, uncertain technology,
25 we may not be able to meet the standards, we won't be able to

1 meet the standards. These types of descriptions are not new.
2 We've heard similar comments over the year with regard to
3 other mobile source emission reduction initiatives. When
4 Congress adopted the original automobile standards in 1970,
5 when EPA proposed and adopted the first set of standards for
6 heavy-duty engines NOx and PM controls, when Congress adopted
7 the Tier 1 standards for light-duty vehicles, when California
8 adopted the LAV program. But in every instance--in every
9 instance, the technology was developed. It was a cooperative
10 effort between the emission control manufacturers and the
11 vehicle and engine manufacturers, and the fuel industry
12 played an important role in providing the necessary fuel.
13 But the target was met.

14 And the reason it was met was because in each one
15 of these situations, specific, firm standards were put in
16 place, and an adequate lead time to develop the technology
17 was provided. And that's exactly what EPA has done with this
18 proposal.

19 Indeed, I think we are in a stronger position today
20 than we were with regard to some of the earlier initiatives
21 that I mentioned, because we have a clear technological path
22 to getting to a point where we can meet those standards.

23 As I mentioned, filter technology is commercially
24 available today. You heard from a previous witness that that
25 technology will be commercially offered next year, provided

1 that 15 ppm sulfur fuel is used. With regard to NOx adsorber
2 technology, we know what the technology challenges are, and
3 we will meet those challenges.

4 So I think there is a very clear justification for
5 the very positive statements you've heard, not only from
6 emission control manufacturers, but from a number of engine
7 manufacturers as well.

8 With regard to the level of sulfur fuel that is
9 needed to meet these standards, we continue to recommend that
10 EPA adopt a sulfur cap of 5 ppm, but we also believe that
11 with a 15 ppm cap, emission strategies can be developed to
12 meet the proposed emission limits. Specifically, with a 15
13 ppm cap, our members are extremely confident that catalyst
14 based filter technologies will be designed to help meet the
15 PM levels of 0.01, and a NOx standard of .2. At levels above
16 15 ppm sulfur, we doubt these standards can be met.

17 We believe that the oil industry's proposal to
18 provide a 50 ppm sulfur diesel fuel is sincere. But
19 unfortunately, it's not enough to get us to the ultimate goal
20 of the truly clean diesel engine. And I believe if we do not
21 move forward with this initiative now, we're only postponing
22 the inevitable, and we'll have to revisit the issue.

23 There's been some discussion about activities in
24 Europe, and I think what we are seeing very clearly is
25 increased interest in promoting and bringing about the

1 utilization of fuel with a sulfur level no higher than 10
2 ppm. And I think that really is the direction for the
3 future.

4 In closing, I want to thank the Agency again for
5 the opportunity to provide testimony, and commend you on a
6 truly remarkable proposal. I also want to indicate for our
7 industry that if these standards are adopted, and if the very
8 low sulfur fuel, the 15 ppm sulfur fuel, is available, we're
9 prepared to do our part to ensure that these standards are
10 met, and the objective of a truly clean diesel is met.

11 Thank you very much.

12 MR. GRUNDLER: Thank you, Mr. Bertelsen. Our last
13 witness, I'd like to welcome Mr. DeVore.

14 MR. DEVORE: Thank you. Good afternoon. My name
15 is Stan DeVore. I'm a Freightliner Trucks dealer from
16 Casper, Wyoming. I'm here today as a Chairman of the
17 American Truck Dealers Line Representative Committee. And
18 for those who don't know, American Truck Dealers is a
19 division of the National Automobile Dealers Association, and
20 it represents over 1,900 independent franchised truck dealers
21 who sell new and used motor trucks, tractors, and trailers,
22 and who also engage in the service, repair and parts sales
23 for these same vehicles. The majority of our dealers are
24 small businesses, as defined by the Small Business
25 Administration.

1 Now ATD absolutely endorses EPA's proposal to
2 reduce by 90 per cent or more the smog and soot causing
3 emissions generated by heavy-duty engines. However, these
4 new standards, appropriately enabled by a low sulfur diesel
5 fuel, must first of all be achievable, and further, they must
6 not negatively impact on powertrain performance or
7 availability.

8 This proposal, however laudable as it may appear,
9 raises several important issues for us truck dealers. We
10 dealers and our customers become very alert whenever new
11 standards are proposed that may result in significant
12 powertrain-related changes. So to be successful, any new
13 emissions reduction technologies must offer similar or
14 improved powertrain performance characteristics at a
15 reasonable, not lower, cost.

16 Engine manufacturers who fail to achieve these
17 goals simply risk reduced sales because some customers will
18 elect to operate their older vehicles longer. So the longer
19 the older trucks and engines are kept in service, the longer
20 your new emission reduction benefits will be deferred. So
21 understand that any significant number of delayed purchases
22 could be devastating to dealers as well as having devastating
23 effects on the broader economy.

24 Simply put, if EPA's standards are too strict, they
25 risk forcing technology before its time. Such was the case

1 in the last Seventies and early Eighties when EPA's
2 technology-forcing regulations contributed to the
3 introduction of a number of light-duty vehicles with
4 substandard drivability, durability, reliability, fuel
5 economy, and other performance-related characteristics.
6 Perhaps the "not to exceed" issue faced by diesel engine
7 manufacturers striving to meet 2002-2204 standards is an
8 example of the real life limitations that can arise if and
9 when emission standards are imposed too strictly or in too
10 soon a fashion. Truck dealerships, the majority of whom are
11 small individual or family owned businesses, will consider
12 any new standards that would undermine the products we sell,
13 lease, service or maintain to be unacceptable.

14 I imagine that the engine, emissions component, and
15 chassis manufacturers have already let you know whenever they
16 will be able to build compliant products within the
17 proposal's time frames for the many varied engine and vehicle
18 combinations we deliver to our customers. No matter what
19 reasonable standards and achievable timetables ultimately are
20 agreed to, the final rule should include a careful, periodic
21 technological progress report and review designed to ensure
22 emission reduction goals are actually being achieved without
23 compromising the engine drivability, reliability, durability
24 or fuel economy performance attributes demanded by the
25 marketplace.

1 EPA has stated that its proposal reflects an
2 appropriate systems approach to heavy-duty diesel emissions.
3 Now, given that heavy-duty diesel engines will almost
4 certainly need to be equipped with complex after-treatment
5 technologies, such as adsorption catalysts and particulate
6 traps, the simultaneous production and distribution of a
7 single very low sulfur diesel fuel will be absolutely
8 critical. As with EPA's recently finalized Tier 2 emission
9 standard for light-duty vehicles, low sulfur diesel fuel will
10 be the essential enabler of these new emission control
11 technologies. ATD leaves it to others to suggest appropriate
12 diesel fuel caps--correction--diesel sulfur caps and
13 averages. I ask only that when evaluating these suggestions,
14 EPA carefully consider the significant customer satisfaction
15 issues that are certain to be involved.

16 With the introduction of heavy-duty on-board
17 diagnostic equipment and in-use emissions testing, truck
18 operators will risk experiencing self-induced emission
19 systems false-positive failures. If this happens, the bottom
20 line is our customers will be irate, even in situations where
21 our technicians end up installing new catalysts at no charge
22 under warrant. Down time, Ladies and Gentlemen, can be very,
23 very costly.

24 The low sulfur diesel fuel that is so essential to
25 EPA's proposal must not be forced into the marketplace too

1 soon or at too high a price. In my neck of the woods, the
2 truckers travel very long distances and fuel prices can make
3 or break their business. Moreover, our small refiners,
4 particularly in the mountain states, may be especially
5 impacted by a low sulfur diesel fuel mandate. Adequate lead
6 time is essential given the fuel price sensitivity of the
7 trucking industry and the economic burdens refineries may
8 incur. However, since this new fuel must be readily
9 available before new powertrains are introduced, its
10 realistic availability may well be the driving force of the
11 final rule's deadlines and phase-ins.

12 All other things being equal, the sooner a single
13 low sulfur diesel fuel is introduced, the better. Please
14 understand, I'm in no way suggesting a phase-in or any
15 scenario involving more than one diesel fuel in the
16 marketplace. While it's not essential for existing 2004 on-
17 highway heavy-duty engine emission standards, low sulfur
18 diesel fuel will certainly result in major emissions benefits
19 for those engines and for engines used in off-highway
20 vehicles, construction equipment, and railroad locomotives.

21 Moreover, low sulfur diesel fuel will help enable
22 the introduction of clean and efficient light-duty diesels,
23 engines that could play an important role in the achievement
24 of significant short-term fuel economy increases. In other
25 words, if we don't have the fuel, your program isn't going to

1 work. Perhaps an EPA devised credit scheme recognizing the
2 extra air quality benefits of low sulfur diesel fuel would be
3 an incentive for early introduction, and EPA should also
4 support tax creditors or other monetary incentives designed
5 to facilitate the introduction of this fuel.

6 EPA's (sic.) written comments will elaborate
7 further on these issues, and for now, I thank you for the
8 opportunity to testify at this hearing.

9 MR. GRUNDLER: Thank you, Mr. DeVore. Questions?

10 MR. FRANCE: Mr. Frick, we've had a lot of
11 testimony over the last couple of weeks from suppliers of the
12 after-treatment equipment and from the manufacturers
13 themselves that have reached much different conclusion in
14 terms of their prognosis, the status of the development of
15 the technology, especially PM traps, and also the prognosis
16 given the lead time that we propose in our rule.

17 I'm curious if you have--how do we reconcile your
18 statements with what we're hearing from the very folks that
19 have to apply the--develop the technology and apply it?

20 MR. FRICK: I think in the end, you're going to
21 have to look at what the data that come in and how much you
22 can believe that the actual testing that you have, the test
23 data, shows that the statements can be backed up. In the
24 end, this rule has got to be based upon the record, not
25 merely statements made in the hearings.

1 We think there is data out there that shows that
2 some of these devices actually can work on higher sulfur fuel
3 than they've been saying. So we think it's partly there is
4 availability of these. They don't necessarily have to have
5 5, 10 or 15 parts per million.

6 MR. FRANCE: And what data is that?

7 MR. FRICK: That's the--we will have this data in
8 the record, but the data from Europe on the use of the SCR
9 technology, the data on the particulate traps we think can
10 show that it can function on the higher sulfurs.

11 MR. FRANCE: And particulate traps on 50? I was
12 curious since we have the opportunity to have International
13 and MECA, if they would respond to that?

14 MR. BERTELSEN: When you're looking at applying
15 filter technology across the board to every heavy-duty engine
16 used in every conceivable application and operated in every
17 conceivable ambient environment, you need to be sensitive to
18 achieving the necessary regeneration temperatures to bring
19 about the cleansing of the filter to ensure its durability.
20 And I'm not even going to get into the sulfate issue, which I
21 think has been pretty clearly established that even at very
22 low levels, sulfate formation from filters, from the sulfur
23 in the fuel, quickly causes a filter to exceed the proposed
24 standard.

25 But talking about the experience with filters

1 operated at higher levels, yes, if you apply a technology,
2 particularly an example of a retrofit where you have an
3 opportunity to examine the engine temperature map of that
4 technology, I hate to use the word cherry pick, but you can
5 say yes, this is an appropriate environment, we can apply a
6 filter technology because the temperature regime of that
7 particular engine and that particular application is
8 sufficient to bring about regeneration. But that's a long
9 way and a far different issue than saying you can apply this
10 technology at a 50 ppm to all engines and all applications.
11 It just simply isn't the case. And I think we should be
12 very, very careful at pointing at one data point or another.

13 And with regard to the issue of data, we also
14 intend to provide to EPA before the close of the comment
15 period additional data to back up our testimony that we
16 provided here.

17 MR. WHALEN: Let me just add from International's
18 standpoint that maintenance and durability factors are just
19 critical to our customers, and that's why we made the
20 decision when we announced the availability of a commercial
21 rear engine school bus which will be available next year,
22 achieving the hydrocarbon and PM targets that we're looking
23 at here, that it would only be--we would only sell those in
24 areas where the 15 ppm low sulfur fuel was commercially
25 available. And that at the moment is northern and southern

1 California.

2 MR. GRUNDLER: And do you have data that you can
3 share with us for the record?

4 MR. WHALEN: Well, yeah, there's been data entered
5 earlier from the experience in Europe and others. We have
6 been testing. We're working with ARCO in southern
7 California. So that's actually an EC-5 fuel, but that data
8 is available for the record, I'm sure. So we are doing field
9 tests currently right now in California with some fleets.
10 We'll have about five or six different fleets in different
11 parts of California. I don't know whether the data would be
12 available, frankly, in those before the close of this
13 rulemaking.

14 MR. FRANCE: Just one other. Again, just to
15 reinforce to Mr. Frick and to others, to the extent that you
16 have data to support contentions that the technology is
17 unproven, not feasible, we would like to see that information
18 submitted in your written comments.

19 One other quick question, and this has come up
20 before, with respect to your--again targeted at Mr. Frick--
21 with respect to your 50 ppm proposal, my understanding in
22 that proposal is that you're projecting reliance on SCR
23 technology for NOx control. Is that correct?

24 MR. FRICK: We believe that is at least one
25 technology. There may be others. There may be other efforts

1 done by the manufacturers that can do it, but we do believe
2 it has been proved in use in Europe that it does work.

3 MR. FRENCH: And since we're dealing with a
4 national rule here, we would be definitely interested--not
5 interested, we'd request in your written comments that you
6 provide your assessment on how your industry will supply urea
7 on a national scale, and the cost of putting that infra-
8 structure in place, and also the impacts on the trucker and
9 the implication that has with respect to in-use performance
10 of those systems.

11 MR. FRICK: Very good.

12 MR. FRANCE: Thank you.

13 MR. GRUNDLER: I'd like to thank the panel for
14 their time and their comments. At this point, I'm going to
15 call for a ten minute break, and we will convene with the
16 next panel at 1:30.

17 (Off the record.)

18 MR. GRUNDLER: Dennis McLerran, Blake Early, Curt
19 McIntosh, Angie Farleigh, Lynn Westfall, Justin Rodda and
20 Richard Severance up for our next panel. On deck, just so
21 you know, I'm going to try to work in some of our unscheduled
22 people, Charley Bittle, Fernando--actually, Charley was
23 scheduled later, but he's got to go. Charley Bittle,
24 Fernando Martinez, Jennifer Douglas, if you're still here,
25 and John Kowalczyk are all on deck following this panel.

1 Mr. Westfall, why don't you begin.

2 MR. WESTFALL: All right. Well, good afternoon.
3 My name is Lynn Westfall and I'm the vice-president of
4 Strategy and Strategic Issues for the Ultramar Diamond
5 Shamrock Corporation, or UDS. UDS is one of the largest
6 independent refiner/marketers in North America, with six
7 refineries, totalling over 600,000 barrels per day of crude
8 capacity, and approximately 6,000 branded retail outlets. Of
9 our almost 100,000 barrels per day of on-road diesel
10 production, approximately 80 per cent is sold to over 900
11 independent businesses. So I feel that I speak for our
12 customers today as well as for our company.

13 We, UDS, have always believed that an active,
14 constructive involvement in the regulatory process produces a
15 result that benefits all parties, so we certainly appreciate
16 the opportunity to be here today to comment on the EPA's
17 diesel sulfur rule.

18 In the past, we've been actively supportive of
19 numerous clean air efforts, from being the first company to
20 commercially produce the ultra clean California CARB Phase 2
21 gasoline, to voluntarily supplying the San Antonio and Denver
22 markets with cleaner than required gasoline. We recognize
23 and we fully support the need to lower the sulfur content of
24 on-road diesel fuel as the next step in the ongoing process
25 of providing cleaner fuels to the U.S. public. We now find,

1 however, that we cannot support the current EPA diesel sulfur
2 rule because it requires a fuel that delivers little, if any,
3 added benefit, but at a tremendous cost versus fuels with
4 only slightly higher sulfur levels.

5 First, let's set aside the myth that the current
6 proposal is a requirement for refineries to produce a diesel
7 fuel with only 15 parts per million of sulfur. By not
8 allowing for testing allowances after the fuel leaves the
9 refinery, this rule, by EPA's own admission, actually
10 requires us to make a fuel between 7 and 10 ppm sulfur. This
11 is less than one-third the level required in the new Tier 2
12 rule for gasoline. Three primary issues arise from requiring
13 a sulfur level that low.

14 Number 1. Can such a fuel be produced in a
15 refinery and at what cost?

16 Number 2. Can the integrity of this fuel be
17 maintained throughout the distribution system?

18 Number 3. How soon could such a fuel be produced
19 in quantities large enough to meet current demand?

20 As to the first issue, the producibility of the
21 fuel, the answer is probably yes, but at a tremendous cost
22 and risk. At some point around 25 to 30 ppm sulfur levels,
23 the sulfur removal technology changes dramatically. Above
24 that level, low pressure hydrotreating technology can
25 accomplish the task. According to a recently released study

1 by the National Petroleum Council, which studied this issue
2 for over a year, the industry price tag for a 90 per cent
3 reduction in sulfur levels would amount to about \$4 billion,
4 or about \$50 million average for each refinery currently
5 producing on-road diesel fuel.

6 For most refineries, this would involve primarily
7 expanding the capability of existing units to remove more
8 sulfur. The current EPA proposal for a 98 per cent reduction
9 to 7 to 10 ppm sulfur, on the other hand, shifts the removal
10 technology to what is called high pressure hydrotreating.
11 This would require new, grassroots construction at most
12 refineries.

13 Again, from the NPC study, the price tag for the
14 industry for this lower sulfur level now doubles to about \$8
15 billion, or about \$100 million for each affected refinery,
16 tying it with the Tier 2 gasoline rule as the most expensive
17 environmental rule to date.

18 Now, at our Wilmington, California refinery, we
19 have a high pressure hydrotreating unit in gasoline service
20 that cost almost \$200 million, so we have some experience
21 with this difficult process. It requires a special
22 compressor capable of producing pressures well over 1,000
23 pounds, or half a ton, per square inch. Next, you must have
24 vessels and lines that can contain this high pressure.
25 Vessels must be over four inches thick and are such a

1 specialty item that only one or two companies in the U.S. are
2 capable of manufacturing them. Is this extra cost then
3 really justified by a mere 8 per cent increase in sulfur
4 reduction?

5 On to my second issue, that of maintaining the
6 integrity of such a low sulfur fuel as it moves through the
7 distribution system. Diesel fuel, heating oil, gasoline and
8 jet fuel all move through the same pipeline networks in the
9 U.S. There are very few lines dedicated to only one product.
10 Currently, the sulfur ratio between high sulfur products and
11 on-road diesel in the same distribution system is about 10 to
12 1. At this ratio, the amount of cross contamination between
13 the products is very easily handled. The current proposal by
14 EPA, however, would increase this ratio to almost 1000 to 1.
15 That means that only small amounts of cross product
16 contamination would be necessary to ruin an entire shipment
17 of diesel fuel, requiring that it be returned to a refinery
18 for reprocessing. Processing the same diesel fuel twice
19 lowers the production capacity of a refinery and the
20 availability of diesel fuel to our customers.

21 Now, to my third issue, that of the timing of the
22 new requirement. In the current proposal, lower sulfur
23 diesel is required by April 1, 2006, less than three months
24 following the effective date of the Tier 2 gasoline
25 regulations. In essence, this means that the industry must

1 accomplish these two programs in tandem. Again referring to
2 the NPC study, the Tier 2 gasoline program alone will
3 severely tax the ability of the engineering and construction
4 industry in the U.S. Any additional investment requirements,
5 even a higher sulfur level than that currently proposed, will
6 push this part of our industry beyond its capacity, thereby
7 jeopardizing compliance with both gasoline and diesel sulfur
8 rules. As the saying goes, we can do the improbably, but the
9 impossible takes a little longer.

10 Having outlined what's wrong with the current
11 proposal, what do we at UDS think would make it right? We
12 support the positions taken by both the API and the NPRA for
13 a diesel sulfur limit of 50 ppm at the refinery gate. We
14 believe that this level provides virtually the same clean air
15 benefits sought in the EPA proposal, but at a much lower cost
16 to both the industry and the consumer. Furthermore, the
17 timing of the new requirement should be delayed to no sooner
18 than mid 2007 to avoid straining the construction industry
19 and jeopardizing our compliance with Tier 2 gasoline rules.

20 If there is a theme to my testimony today, it's one
21 of cost effectiveness. Recent price spikes in reformulated
22 gasoline areas of the country have more than ever brought the
23 issue of fuel costs to the forefront. The debate and
24 investigation into these particular incidents is going to go
25 on for some time, but so far, I think an important point has

1 been missed, although others mentioned it earlier today.
2 Refining companies don't have access to unlimited capital.
3 Regardless of how much money is required for environmental
4 improvements, every dollar spent on these required projects
5 is a dollar that's not available to expand the output of our
6 refineries.

7 Historically, refinery expansions have been ahead
8 of the demand curve to the point of excess capacity in our
9 industry; capacity available for short-term disruptions in
10 supply. I don't think that pattern will continue. At UDS,
11 expansion projects now require a very high return rate to
12 compete for the limited capital that we have left after
13 making required environmental expenditures. Many of the
14 expansion projects that we would have considered in the past
15 just don't make the cut any more.

16 If reduced supply and resulting price increases are
17 an acceptable cost to the American public for a certain level
18 of cleaner air, then so be it. Rarely, however, has an
19 environmental proposal such as the diesel sulfur rule
20 presented such a distinct decision point on cost versus
21 benefit. You can have a 90 per cent reduction for \$4
22 billion, but it will cost you twice as much to get an
23 additional 8 per cent. This is certainly an issue warranting
24 public debate, and we at UDS appreciate the opportunity to
25 participate in that debate today, and I appreciate your kind

1 attention to my remarks.

2 Thank you.

3 MR. GRUNDLER: Thank you, Mr. Westfall. Ms.
4 Farleigh, why don't you go next.

5 MS. FARLEIGH: Thank you. My name is Angie
6 Farleigh. I'm with US Public Interest Research Group based
7 in Washington, D.C. Since I submitted testimony in the LA
8 hearing, I'd like to take this time to read some excerpts
9 from some of our members around Colorado who couldn't be here
10 today, but wanted to be heard. I have just a few to read.

11 Kelly McDonald from Loveland, Colorado writes, "I
12 have several family members with some type of lung disease or
13 breathing problems. Honestly, I am very confused as to why
14 there are such stringent laws governing our personal autos
15 and regular gasoline manufacturers, but yet diesel fuel
16 appears to be exempt."

17 Michael McNeill from Nederland, Colorado writes,
18 "Diesel engines of all sizes represent a major health hazard
19 to Americans. Most of us get smog certificates on our
20 passenger cars every years. But it doesn't take a rocket
21 scientist to know that the Ford F-350 or Dodge Ram diesel
22 truck sitting next to you in traffic is a health hazard. The
23 fumes are overwhelming and the particulate emissions are
24 visible. The problem escalates with the size of the diesel
25 engine in larger trucks and buses that are being represented

1 here today."

2 Dr. Bess Brackett from Greeley, Colorado writes, "I
3 was just on Trail Ridge Road today in the Rocky Mountain
4 National Park in Colorado where one can view some of the most
5 breathtaking scenery in the world. Unfortunately, there were
6 diesel buses also in attendance. It would be a tragedy if
7 diesel buses and trucks were allowed to continue as is and
8 endanger not only the health of our nation, but also its
9 beauty."

10 And, finally, James Lindahl from Nederland,
11 Colorado writes, "As a sufferer of pulmonary hypertension, I
12 am keenly aware of the effects that the particulate pollution
13 from diesel powered vehicles has on those like myself who
14 suffer from chronic lung disorders." And then he, as well as
15 all these other letters, so on to urge the EPA to adopt the
16 toughest emission standards as soon as possible.

17 The first thing they all mention is to clean up
18 sulfur levels in diesel fuel to no more than 15 parts per
19 million by 2006. The public understands that low sulfur
20 diesel fuel is absolutely necessary to achieve the proposed
21 pollution reduction.

22 They also understand that it is necessary to have
23 low sulfur diesel fuel available nationwide by the time the
24 emission standards go into effect. They do not understand,
25 however, why the EPA is considering weakening their proposed

1 provisions on sulfur.

2 At a time when the oil industry is enjoying record
3 profits, they can afford to clean up diesel pollution. The
4 public, however, cannot afford to continue breathing
5 unhealthy air. In order to protect the public health, US
6 PIRG and their half a million members across the country urge
7 you to adopt a sulfur cap of 15 parts per million by mid
8 2006.

9 Thank you.

10 MR. GRUNDLER: Thank you very much. Mr. McIntosh?

11 MR. MCINTOSH: Good afternoon. My name is Curt
12 McIntosh and I'm president of the independent Diesel Workers
13 Union located in Columbus, Indiana. We have 2,800 members
14 working in three manufacturing plants located in Columbus,
15 Seymour, and Walesboro, Indiana.

16 In 1993, the membership signed an unprecedented
17 eleven year contract with Cummins Engine Company. Out of
18 that contract, a partnership was formed with Cummins to
19 provide employment security for the community and to help
20 Southern Indiana attract new business.

21 Our members pride themselves on producing the best
22 products on the market today, and then putting the Cummins
23 name on every engine shift. We're committed to reducing
24 emissions in the products we help to produce, and to help
25 guarantee a cleaner environment.

1 Our hourly employees have been involved in all
2 aspects of our new Signature engine line, the industrial
3 leader in emissions control. Our goal at Cummins is to not
4 only meet, but to exceed, the standards set by the EPA
5 emissions control, and to produce the best, the highest
6 quality diesel engine in the world.

7 The proposed changes represent the biggest
8 emissions reductions ever required from heavy-duty engines.
9 These new standards will mark the first time Cummins cannot
10 meet emissions standards using traditional in-cylinder
11 methods, force us to work with outside suppliers of after-
12 treatment devices and influence the fuel efficiency.

13 The use of after-treatment is a gray area. It is
14 still unknown if these devices can perform to the necessary
15 levels to meet the proposed emission levels. Cummins and
16 other engine manufacturers need to examine the feasibility of
17 exhaust after-treatment technology and their impact on the
18 engine system. Even with the ample time given in the
19 proposed rule, it is still too early to make judgment on this
20 technology.

21 If these new standards are implemented without a
22 complete understanding of after-treatment performance levels,
23 and we are unable to develop and build quality products that
24 perform to customers' expectations, the result would be a
25 decline in sales, leading to reduced environmental benefits

1 and loss of jobs to many engine workers, including members of
2 the Diesel Workers Union.

3 We ask the EPA to consider the long-term impact of
4 this proposed rule on our economy. By working with engine
5 manufacturers, an appropriate standard can be developed that
6 would produce reasonable, responsible emission reduction
7 while ensuring security for our workers far beyond 2010.

8 In closing, Cummins Engine Company and the Diesel
9 Workers Union will continue to work in a partnership to lead
10 the way for a strong emissions control, and most of all, I'm
11 proud to know that working together, we'll provide our
12 grandchildren a safe and clean environment, along with job
13 security.

14 MR. GRUNDLER: Thank you very much, Mr. McIntosh.
15 Mr. Early?

16 MR. EARLY: Good afternoon. My name is Blakeman
17 Early. I'm an environmental consultant for the National
18 American Lung Association. You heard testimony earlier today
19 from the American Lung Association of Colorado, with whom we
20 are affiliated.

21 The American Lung Association is the oldest
22 voluntary health agency in America, founded in 1904, and for
23 four decades, we have helped lead the fight for clean air.

24 The American Lung Association is pleased to support
25 the low sulfur diesel fuel and heavy-duty vehicle rulemaking.

1 We strongly support the low sulfur diesel provisions and view
2 the cap of 15 parts per million on diesel sulfur as the
3 critical element of the rule. In my brief comments today, I
4 want to highlight the urgent public health need to clean up
5 diesel fuel and heavy-duty vehicles, and show the
6 overwhelming public support for this program, as demonstrated
7 by a recent poll.

8 As I just mentioned, the most critical element of
9 this rule is the 97 per cent reduction of sulfur in diesel
10 fuel. We commend the EPA for proposing this level. We must
11 cap the sulfur in diesel fuel at no higher than 15 parts per
12 million, and we must fully implement the sulfur rule
13 nationwide by no later than June, 2006.

14 Cleaning up diesel fuel and heavy-duty vehicles is
15 necessary because the air is dirty. Diesel engines
16 contribute considerable pollution to the US's continuing air
17 quality problems. Even with more stringent heavy-duty
18 highway engine standards set to take effect in 2004, these
19 engines will continue to emit large amounts of nitrogen
20 oxides and particulate matter, both of which contribute to
21 serious public health problems.

22 Diesel engine NOx contributes to unhealthy levels
23 of smog. Nitrogen oxides from diesels contribute to ozone,
24 and ozone is a powerful respiratory irritant. Symptoms of
25 ozone exposure include shortness of breath, chest pain when

1 inhaling deeply, wheezing and coughing. Ozone can also
2 trigger asthma attacks, and you've heard a lot of testimony
3 about that today.

4 People with existing lung disease already suffer
5 from reduced lung function and cannot tolerate an additional
6 reduction in lung function due to ozone exposure, and they
7 are especially at risk.

8 Smog is often viewed as a problem primarily
9 plaguing urban areas in the northeast, California and Texas.
10 But recent monitoring data over the last three years finds
11 that EPA's new eight hour standard for smog was violated in
12 over 300 new counties in 15 states. A rapid urbanization of
13 western cities continues, and most recent air quality
14 monitoring shows unhealthy levels of smog in Denver, Phoenix,
15 Las Vegas and Salt Lake City. Las Vegas and Phoenix appear
16 to exceed EPA's new eight hour standard already. And Denver
17 and Salt Lake City are only .01 part per million, or 1 part
18 per billion below the level to be considered a violation of
19 the new eight hour standard. Clearly, as far as breathers
20 are concerned, this difference is insignificant. Ozone is a
21 public health threat in Denver and Salt Lake City, just as it
22 is in Phoenix and Las Vegas.

23 EPA calculates that the rule will reduce diesel
24 generated NOx emissions by 1.5 million tons annually, just
25 five years after this rule is implemented. This represents a

1 more than 50 per cent reduction from the level of NOx diesels
2 would generate without the benefit of this rule.

3 Diesel exhaust significantly increases particulate
4 pollution. Diesels are a large source of particulate
5 pollution, especially small particles known as PM 2.5. Fine
6 particles are easily inhaled deeply into the lungs where they
7 can be absorbed into the bloodstream or remain embedded for
8 long periods of time. A recent study showed a 17 per cent
9 increase in mortality risk in areas with higher
10 concentrations of small particles.

11 Diesel emissions contribute from 18 to 25 per cent
12 of particulate pollution in many urban areas. They
13 contribute an even larger percentage of the fine particulate
14 pollution in these areas, which is the most dangerous to
15 human health. EPA calculates that this rule would reduce
16 diesel generated particulates by 60 tons annually just five
17 years after the rule is implemented. This represents a more
18 than 60 per cent reduction from the level of particulates
19 that would be generated without the benefit of this rule.

20 Particulate matter air pollution is especially
21 harmful to people with lung disease such as asthma and
22 chronic obstructive pulmonary disease, which includes chronic
23 bronchitis and emphysema. Exposure to particulate air
24 pollution can trigger asthma attacks, cause wheezing,
25 coughing and respiratory irritation as well, just like smog

1 does.

2 Recent research has also linked exposure to
3 relatively low concentrations of particulate matter with
4 premature death. Those at greatest risk are the elderly and
5 those with pre-existing respiratory or heart disease.

6 The public strongly supports cleaning up diesel
7 fuel, trucks and buses. A nationwide public opinion survey
8 conducted earlier in June, in that survey, nearly nine out of
9 ten people believe that big diesel trucks and buses should be
10 required to use the best available pollution control
11 technology. In addition, the survey found that nearly seven
12 of ten believe that cleaner diesel fuel and stricter diesel
13 vehicle standards should be required within less than five
14 years.

15 On the critical question of diesel fuel, 85 per
16 cent of the survey respondents believe that up to 4 cents a
17 gallon is a reasonable price to pay for cleaner diesel fuel.

18 As I indicated earlier, the ALA strongly supports
19 the EPA proposal. In our written comments, we will address
20 many of the specifics raised in the proposal. I will
21 highlight the most critical elements. With respect to the
22 emission standards, we strongly endorse the levels EPA has
23 proposed. We support the 90 per cent reduction of
24 particulate matter to .01 grams per brake horsepower-hour,
25 and a 95 per cent reduction of NOx to .2 grams per brake

1 horsepower-hour.

2 We are pleased that EPA is calling for the
3 particulate standard to be fully implemented in 2007. But we
4 believe that the four year phase-in period proposed for the
5 NOx standard for diesel vehicles is unwarranted and will
6 unnecessarily postpone needed air quality benefits. We call
7 on EPA to require 100 per cent of the new vehicles to meet
8 the .2 grams per brake horsepower-hour standard, NOx
9 standard, in 2007.

10 Again, we reiterate the critical element of this
11 rule is the 97 per cent reduction of sulfur in diesel fuel.
12 EPA must cap that sulfur in diesel at no higher than 15 parts
13 per million, and in order to meet the 2007 standard for the
14 NOx that we are endorsing, it must be in place by June of
15 2006.

16 The American Lung Association also supports the
17 development of a Blue Sky performance standard for truly
18 clean technologies, and we will further expand on this
19 concept in our written comments.

20 In conclusion, some, especially in industry, will
21 say the air is getting cleaner, so cleaning up diesel fuel
22 and heavy-duty trucks is unnecessary. Some data do show that
23 air pollution levels in some cities are lower than they were
24 a decade or two ago. But this is not true of all areas of
25 the country. In some areas, air pollution is increasing. We

1 know much more about the health effects of air pollution
2 today than we did in 1990 or 1980. We know that exposure to
3 ozone at much lower concentrations poses health risks,
4 including exacerbation of asthma. We know that particulate
5 pollution has been linked to premature death. We know that
6 diesel exhaust has been linked to cancer. With all we know
7 about air pollution health effects, we do not need more
8 delays. The American Lung Association urges the immediate
9 adoption of the low sulfur diesel/heavy-duty vehicle rule.

10 Thank you very much for letting me participate
11 today.

12 MR. GRUNDLER: Thank you, Mr. Early. With your
13 indulgence, Mr. Severance, I'd like to invite up Mayor
14 Wellington Webb from the City of Denver. Thank you for
15 coming, Mr. Mayor.

16 MAYOR WEBB: I appreciate the indulgence of the
17 Committee in terms of letting me slip in. But for whoever I
18 just bumped, I apologize.

19 Good afternoon. My name is Wellington Webb. I'm
20 the Mayor of the City and County of Denver. I want to thank
21 you for the opportunity to participate in today's public
22 hearing on the EPA's proposed diesel fuel emissions
23 standards. I will share Denver's perspective with you to be
24 included in your agency's official record.

25 It is common knowledge that diesel-powered vehicles

1 pollute the air. We see it every day. Diesel emissions are
2 a significant source of air pollution, especially in our
3 urban areas, and studies show they are impacting the health
4 of our residents. According to a 1995 study done by the
5 Denver Regional Council of Governments, there were 2.7
6 million vehicle miles travelled daily in the Denver Metro
7 area by diesel vehicles.

8 Almost 5,000 heavy-duty diesel trucks are based in
9 neighborhoods within the 80216 zip code in North Denver. In
10 addition, Interstates 70 and 25 run through these
11 neighborhoods that have many low-income as well as minority
12 residents.

13 There are significant levels of pollutants,
14 including particulates, sulfur dioxides, toxics and more,
15 associated with diesel vehicles. And, we know that these
16 pollutants are related to health problems, from chest pain
17 and shortness of breath to lung cancer and premature death.
18 And I would also add in as one that happens to be asthmatic,
19 I'd concur with the testimony previously given by one of the
20 speakers. And I just lost my place. There are obviously
21 increased health care costs borne by all of us as a result.

22 In addition, it has been shown that nitrogen oxides
23 from sources such a diesel-powered vehicles, is a major cause
24 of the Denver area brown cloud. Historically, we know that
25 the brown cloud affects our quality of life and our region's

1 economic vitality.

2 One way to reduce overall emissions from diesel
3 vehicles is to reduce the sulfur in diesel fuel, in
4 conjunction with tougher emission standards for diesel
5 engines. In fact, cleaner diesel engines cannot work unless
6 there is also a significant reduction in sulfur in diesel
7 fuel.

8 i believe that the EPA's proposal for cleaner
9 engines using cleaner fuel is necessary and provides
10 sufficient lead time for the affected industries. I am a
11 great believer in the ability of the American industry to
12 efficiently and effectively meet such a challenge.

13 Last year, the South Coast Air Quality Management
14 District in California concluded that 70 per cent of the
15 total cancer risk in their area was attributable to diesel
16 particulates. If diesel emissions have even a fraction of
17 that impact in Denver, EPA's proposal would have a
18 significant positive impact on the health of our residents.

19 Thank you very much.

20 MR. GRUNDLER: Thank you, Mr. Mayor, for sharing
21 your time and your comments with us. Mr. Severance?

22 MR. SEVERANCE: Good afternoon. I'm Richard
23 Severance, president of Conoco's Refining and Marketing,
24 North America. Conoco markets motor fuels in 21 states in
25 the Northern Rockies, Mid-continent areas, and Gulf Coast

1 regions of the United States. Our four U.S. refineries are
2 located in Colorado, Montana, Oklahoma and Louisiana and
3 supply our 5,000 retail networks.

4 Thank you for the opportunity to speak before the
5 EPA and present Conoco's views on the proposed rules to
6 establish new heavy-duty engine and diesel fuel standards.

7 The EPA faces the daunting task of setting
8 standards that protect the public's health and the
9 environment. This task is especially challenging if the
10 standards are to be achieved in a cost effective manner using
11 sound, proven technology.

12 Conoco is supportive of the objective to reduce
13 emissions from heavy-duty trucks and buses and we agree that
14 reductions in diesel sulfur levels will benefit this effort.

15 However, I must say in all candor that Conoco is
16 concerned about the practicality and benefits of the proposal
17 the EPA has put forward.

18 In the interest of time, I will only speak to those
19 concerns we find most troubling, the extreme level of
20 desulfurization required, the timing of the changeover, and
21 lack of information on future off-road diesel standards.

22 The desulfurization level. The EPA's proposal for
23 a 97 per cent reduction in diesel sulfur is commonly referred
24 to as the 15 ppm standard. However, to ensure the 15 ppm
25 level is not exceeded anywhere throughout the distribution

1 system, refiners would need to produce diesel at an even
2 lower sulfur level.

3 The actual level required is a guess at this time
4 because of uncertainties with regard to how to protect
5 product integrity through the distribution system, and the
6 repeatability of the test methods.

7 However, EPA and others have guesstimated the
8 sulfur content of the diesel would have to be in the 7 to 10
9 ppm range when it leaves the refinery.

10 There are many unknowns in trying to determine how
11 to configure a refinery to produce a product that meets such
12 a stringent standard. EPA has indicated it expects its
13 expert refiners will be able to meet the new standard by
14 revamping existing units. Conoco engineering and technical
15 experts are not convinced that this will be possible in all
16 cases.

17 It is probable that a more extensive study and
18 evaluation of existing units might determine that revamping
19 these units will not meet the expectations, or they could be
20 so extensive or expensive so that constructing new units is a
21 more viable option.

22 Product balances and potential for supply shortages
23 must be examined in the context of the proposed regulation.
24 There are several factors that will work to reduce on-road
25 diesel product volumes if refiners are required to

1 desulfurize to the 7 ppm level.

2 First, refiners must decide how to handle the
3 diesel streams that are the most difficult and, therefore,
4 the most costly to desulfurize, such as light cycle oil. A
5 refiner may opt to remove some or all of these streams from
6 the on-road diesel pool rather than invest in treating them.
7 This would reduce production of on-road diesel fuel.

8 Unfortunately, reductions in supply of any product,
9 whether it be gasoline or diesel fuel, generate production
10 shortages resulting in price volatility in the marketplace.

11 Secondly, in order to meet these low sulfur levels,
12 hydrotreating operations would need to be more severe,
13 resulting in more frequent unit shut-downs for necessary
14 catalyst changeouts. During these unit outages, a refinery's
15 on-road diesel production capacity will be reduced and likely
16 the refinery would be unable to produce any on-road diesel
17 during this time.

18 Third, regardless of whether revamped or new units
19 are the more viable option, the proposed standard is so
20 restrictive the refinery will have to run perfectly day in
21 and day out, in order to make a 7 ppm sulfur standard. Even
22 a simple crude slate change, something many of us do many
23 times a month, could result in a product that does not meet
24 the 7 ppm level.

25 And, fourth, maintaining the integrity of the ultra

1 low sulfur diesel throughout the distribution system presents
2 a challenge. Should the diesel product exceed the 15 ppm
3 standard after delivery into the product terminal or retail
4 station, there will be limited options to remediate that
5 product. Off-spec product at the terminal or retail station
6 will result in product outages until the off-spec material
7 can be remediated.

8 When stringent fuel standards are established, any
9 disturbance in a refinery distribution system results in an
10 impact to supply availability.

11 In light of these questions and concerns, Conoco
12 would encourage EPA to adopt the API proposed standard of 90
13 per cent reduction in diesel sulfur content.

14 Achieving the API proposed 30 ppm average/50 ppm
15 maximum diesel sulfur content would still require significant
16 refining modifications and capital investments. Although not
17 easy, we believe the plan is achievable by the industry while
18 gaining nearly the same health and environmental benefits.

19 In summary, as far as sulfur levels are concerned,
20 the EPA is faced with adopting either a standard that
21 refining experts believe can be maintained on a constant and
22 consistent basis, or one with inherent questions on its
23 ability to provide product at a consistent quality and
24 maintainable rates.

25 On the issue of timing, a little over a year ago, a

1 Conoco representative spoke before the EPA in Denver on
2 another low sulfur issue, low sulfur gasoline. After hearing
3 all of the testimony, the agency set forth an aggressive
4 implementation plan requiring the phase-in of low sulfur
5 gasoline between 2004 and 2007.

6 The oil industry is currently employing significant
7 resources to study, design and implement refining
8 modifications to meet those gasoline standards within the
9 time allotted.

10 The simultaneous introduction of low sulfur diesel,
11 regardless of whether it's the 90 or 97 per cent reduction,
12 will require the industry to implement two distinct and
13 separate clean fuels projects, each requiring unique
14 modifications to existing refineries or new units.

15 This would not only severely tax each company's
16 internal resources, but would certainly strain or even
17 overload the refining industry's engineering, unit
18 fabrication and construction infra-structure.

19 For example, there are more than 150 refineries in
20 the U.S. today. Even if you believe that only one reactor
21 would be needed for each refinery, and it's more probable
22 that many refineries would require at least two, the
23 fabrication industry would need to complete these units at
24 the rate of one every other day for a year. There are real
25 questions as to whether there is enough fabrication capacity

1 to manufacture all the reactors and associated equipment at
2 the same time.

3 Similar questions exist whether there is an
4 adequate skilled and qualified labor force that would be
5 needed to install the reactors when they were built.

6 Conoco has estimated that if this project coincides
7 with the peak industry demand on the gasoline projects, some
8 project costs could increase by as much as 25 per cent.

9 The timing for the introduction of low sulfur
10 diesel fuel is driven by the planned phase-in of new diesel
11 engines. A number of benefits could be gained by delaying
12 the introduction of the new engines by two years, but
13 compressing the phase-in over a shorter period of time, two
14 years versus four years.

15 Under the current EPA proposal, only 1 to 2 per
16 cent of the total U.S. trucking fleet would require the low
17 sulfur diesel in the first year, 2007. The remaining 98 per
18 cent of the trucking community would be forced to pay for the
19 new, higher priced fuel for a minimum environmental benefit.

20 With the delay, the trucking industry would be
21 spared from paying a higher price for a fuel they didn't
22 need, and this industry, which has many independent truckers,
23 is already feeling the impact of higher fuel prices because
24 of rising crude costs.

25 Finally, delay and compressing the engine phase-in

1 would give the agency time to complete the rulemaking process
2 for off-road diesel requirements.

3 I cannot stress the importance of a full
4 understanding of the total distillate picture. The refining
5 synergies between on-road and off-road diesel are too
6 intertwined to be treated as separate entities. The off-road
7 diesel information is critical to be able to evaluate all the
8 refinery blendstock streams and the optimum disposition of
9 these streams. This allows refineries to implement the
10 necessary modifications to achieve both on-road and off-road
11 diesel standards in a way that is most likely to preserve the
12 supply balance between the two. Without a complete picture
13 of the agency's expectations for the total distillate pool,
14 the refining industry cannot adequately be prepared to meet
15 the future needs of the transportation industry.

16 In conclusion, I want to emphasize Conoco's concern
17 with the practicality of the proposed EPA rule and believe
18 the industry proposal is a more reasonable course of action.
19 Conoco believes the industry's approach would significantly
20 reduce emissions, generate nearly the same health and
21 environmental benefits, and result in a cost effective and
22 stable supply of low sulfur diesel for this nation's
23 transportation sector.

24 When you look at the incremental emissions benefit
25 versus the incremental cost, one has to question whether it

1 is cost beneficial to go to the extreme levels proposed by
2 the EPA.

3 I hope the EPA is open to continue discussing
4 alternatives, such as the one proposed by our industry, and
5 we will continue this dialogue with all those who have a
6 vested interest in producing a diesel standard that properly
7 balances air quality and health concerns with cost benefits.

8 I appreciate the opportunity to comment on this
9 issue which will impact not only our industry, but others as
10 well. We look forward to working with the EPA to hopefully
11 resolve our differences and implement a program that will
12 benefit everyone.

13 Thank you.

14 MR. GRUNDLER: Thank you, Mr. Severance.

15 Mr. Westfall, in your statement, you say that you
16 believe that a 50 ppm sulfur level would provide virtually
17 the same clean air benefits sought in the EPA proposal, but
18 at a much lower cost to both the industry and to the
19 consumer. Can you explain that a little bit more for me?

20 MR. WESTFALL: I think I have two points to make on
21 that. Number one is that there is a requirement for a 50 ppm
22 level of sulfur, or something above 30, so our industry does
23 not have to go to high pressure hydrotreating. There's \$4
24 billion left over of the price tag that can be applied
25 towards after-treatment technology, to develop a technology

1 that can work on a 50 ppm fuel. And if we can do that for
2 \$3.9 billion, then we as a society have gained a cost benefit
3 of \$100 million.

4 We're trying in the current proposal to put all of
5 the technology changes into the refining industry, and as I
6 say, if you'll allow us to go to a higher sulfur level,
7 slightly higher, around 30 or so, then again there's \$4
8 billion that can be applied to other technologies to see if
9 we can in fact develop one that can run on a fuel like that
10 and give the same benefits as you're asking in the current
11 proposal.

12 MR. GRUNDLER: So if I'm hearing you correctly,
13 it's not based on any particular analysis about a different
14 type of technology.

15 MR. WESTFALL: Not at all.

16 MR. GRUNDLER: I see. Okay. I want to thank the
17 panel for your time and your comments.

18 Is Mr. McLerran and Mr. Rodda in the room? If so,
19 I'll invite you up, along with Jennifer Douglas, if she has
20 returned, Fernando Martinez, charlie Bittle and John
21 Kowalczyk. Welcome to the hearing, and we look forward to
22 your comments.

23 I remind you to fill out the cards so we can, and
24 the audience can see your name.

25 So, Mr. Kowalczyk is not up there all by himself,

1 I'm also going to invite Kelly Nordini, Marie Valentine, John
2 Stern, David Bartlett, Ronald Hagemeyer to join him.

3 Mr. Kowalczyk, you have the honor, since you were
4 the first at the table.

5 MR. KOWALCZYK: My name is John Kowalczyk, and I'm
6 here to speak on behalf of Langdon Marsh, the Director of the
7 Oregon Department of Environmental Quality, and I'd just like
8 to note that I believe I'm the only representative of a state
9 environmental agency to speak today. That seems kind of
10 unusual.

11 I'm going to read a brief statement from Mr. Marsh.
12 There are many compelling reasons why the State of Oregon is
13 very pleased with and highly supportive of the timely and
14 substantial air quality benefits that can be achieved and
15 realized from EPA's proposed rules. This proposal is another
16 giant step that addresses the prime source of air pollution
17 in Oregon and the nation, and that is motor vehicles.

18 Designing the proposed rules to motivate
19 application of the best available NOx after-treatment devices
20 on new heavy-duty diesel trucks and buses, as EPA has done,
21 will help us address continuing ground level ozone issues in
22 the Portland area. The proposed particulate emission
23 standards for new heavy-duty diesel engines will necessitate
24 application of state of the art particulate control devices
25 that will greatly help our efforts and our partners' efforts

1 through the Western Regional Air Partnership, to address
2 regional haze problems and protect visibility in pristine
3 areas of Oregon and other locations in the west.

4 Our citizens and we are also greatly interested in
5 addressing the control of air toxic emissions. Achieving the
6 maximum particulate emission reductions through
7 technologically feasible means, such as being proposed, can
8 accomplish possibly and address the greatest health hazard
9 that we're hearing of, and that is the cancer causing
10 emissions of particulate that have been identified in studies
11 in other urban areas of other states.

12 And last, but not least, we expect EPA's proposal
13 to once and for all effectively address the noxious smoke and
14 odors from on-road diesel engines over their useful life, and
15 this has been an issue, long-standing issue, and major
16 concern of the public.

17 We do realize that in order to achieve the huge
18 emission reductions from on-road diesel engines that EPA has
19 projected, it will require application of ultra low sulfur
20 diesel fuel. This challenging requirement comes on the heels
21 of EPA's recent rules to require low sulfur gasoline to
22 enable state of the art emission control technology on
23 gasoline powered passenger vehicles. We remain sensitive to
24 the possible adverse impacts of new fuel regulations on small
25 Rocky Mountain refineries that supply fuel to portions of

1 Oregon.

2 We participated in and are pleased with the results
3 of the efforts of the Western Regional Air Partnership to
4 seek EPA action to help prevent refinery closures and
5 unnecessary fuel shortages and fuel price increases in the
6 west as a result of EPA's gasoline sulfur rules. We commend
7 EPA for including special provisions for Rocky Mountain
8 refineries in their gasoline sulfur rules that they recently
9 adopted.

10 We are pleased to see that EPA seeks comments on
11 ways to ease the impact that the proposed diesel sulfur rules
12 may have on small refineries. We urge EPA to consider
13 reasonable ways to do so, and I would underline this, without
14 compromising the timeliness or the effectiveness of the
15 proposed program in improving air quality. We encourage EPA
16 to support incentive type programs for these refineries that
17 may help to mitigate economic impacts of the fuel
18 desulfurization requirements, and perhaps even stimulate
19 early compliance.

20 And, finally, while EPA has recently adopted a
21 program for light-duty gasoline vehicles that promises to
22 motivate manufacture of near pollution free vehicles by the
23 end of this decade, and while EPA now proposes to virtually
24 do the same for on-road heavy-duty diesel vehicles, we are
25 disappointed that EPA has not concurrently proposed a similar

1 program for the last remaining significant category of mobile
2 sources, and that is non-road or off-road heavy-duty diesel
3 engines.

4 These engines used in construction equipment,
5 trains, ships, farming vehicles and mining equipment, are
6 projected to emit about the same total amount of pollution in
7 the future as does on-road heavy-duty vehicles and, thus,
8 they are of virtually equal concern in terms of impact on
9 ground level ozone, carcinogen particulates, regional haze
10 and nuisance visible smoke and odors.

11 Non-road heavy-duty diesel engines should be
12 controlled to a similar degree as proposed for on-road heavy-
13 duty diesel engines. We understand that this will also
14 require very similar low sulfur non-road diesel fuel to
15 enable application of appropriate after-treatment devices.
16 Just moderate reductions in the sulfur content of non-road
17 diesel fuel will not provide very much air quality benefits.

18 To address the issues of controlling off-road
19 diesel fuel, we hope that EPA will move as expeditiously as
20 possible to regulate non-heavy duty diesel engines and fuels,
21 and we suggest that EPA give as clear and timely notice as
22 possible, such as issuing a specific advanced notice of
23 proposed rulemaking for this source category, concurrent with
24 the adoption of the on-road heavy-duty diesel rules, that
25 indicates what EPA's inclination is towards specific non-road

1 heavy-duty engines and fuel standards, and then aim at
2 adopting those proposals in the year 2001.

3 I believe we've heard the refining industry and the
4 engine manufacturers and others all wanting to know what EPA
5 is projecting and doing in this area. So I think there's
6 just a lot of good support for giving people advanced notice
7 on this issue.

8 So, again, I thank you for this opportunity to
9 come, and I hope these remarks are useful to you.

10 MR. GRUNDLER: Thank you, Mr. Kowalczyk. We move
11 from the left to the right. Mr. Hagemeyer, welcome.

12 MR. HAGMEYER: Good afternoon. My name is Ron
13 Hagemeyer, and I'm president of Venta, Incorporated of
14 Lakewood, Colorado. Our company either operates or supplies
15 motor fuel to 85 convenience stores in Colorado, Arizona,
16 Wyoming and Nebraska. We sell about 70 million gallons of
17 motor fuel each year at these retail outlets, mostly under
18 the Texaco brand. I appreciate the opportunity to appear
19 today to comment on the EPA's proposed diesel fuel sulfur
20 standard.

21 I am appearing today on behalf of the National
22 Association of Convenience Stores, a national trade
23 association consisting of more than 2,300 member companies.
24 The convenience store industry employs 1.3 million people and
25 operates over 119,000 retail outlets across the country.

1 Convenience stores last year had total sales of \$234 billion,
2 which included motor fuel sales of \$134 billion. Motor fuel
3 brings in over 57 per cent of the total sales revenue of our
4 industry. Over 75 per cent of NACS member companies sell
5 motor fuels, and 40 per cent of our companies sell diesel
6 fuel.

7 NACS is deeply concerned about the potential impact
8 of the EPA proposal on our nation's diesel fuel distribution
9 system. EPA has proposed a 15 ppm diesel sulfur cap, and
10 most of the refining industry supports a 50 ppm cap. For
11 diesel fuel retailers, like us, each approach presents the
12 same serious problem. Simply stated, if either standard is
13 finalized, our existing distribution system will be incapable
14 of meeting the standard on a regular basis because of product
15 commingling and contamination as low sulfur diesel fuel moves
16 through pipelines, barges, bulk storage terminals, and tank
17 trucks. Unless each of these facilities is cleaned
18 immediately prior to the introduction of ultra low sulfur
19 diesel fuel, residual sulfur clinging to the walls of the
20 pipeline or tank will contaminate the product.

21 If EPA intends to mandate the complete segregation
22 of ultra low sulfur diesel fuel from all other products, then
23 our nation's distribution system will surely collapse. There
24 are not enough dedicated pipelines, storage tanks, and cargo
25 tanks to meet this separation requirement. If it is not

1 EPA's intent to require segregation, then EPA should
2 thoroughly assess how its proposal will work in the real
3 world without significant product contamination.

4 A second issue of serious concern to NACS is the
5 possibility that EPA will rely on a phase-in approach in
6 implementing the diesel sulfur standard. EPA has suggested
7 an option that would permit 15 ppm diesel to coexist with the
8 current 500 ppm diesel during a four year period from 2006
9 through 2009. NACS strongly opposes this dual fuel option.
10 Such an approach would be unworkable for the vast majority of
11 our members, especially the smaller companies with limited
12 financial resources. The cost of installing additional
13 tankage would be impossible to justify for the limited phase-
14 in period. I would add that in the preamble, EPA did not
15 include an estimate of the potential cost to diesel fuel
16 retailers of a dual fuel approach.

17 Another basic flaw in this approach I believe is
18 the simple fact that a large number of retailers would be
19 likely to choose to offer only one grade of diesel fuel.
20 Many smaller retailers would be inclined to sell only the
21 higher sulfur diesel, thus saving money by continuing
22 business as usual. They would be selling a lower priced fuel
23 to a broader market consisting of trucks with the older
24 engines. Sales of the more expensive, low sulfur fuel
25 generally would be limited to interstate truck stops supplied

1 by major oil companies. Some of the larger retailers may
2 choose to offer only the cleaner 15 ppm diesel because it
3 will be correctly viewed as the higher quality product. But
4 the fuel would be used only in the newer trucks, comprising a
5 small percentage of the market in 2006. The higher price of
6 the new fuel would ensure that it would be used in very few
7 of the older trucks.

8 The result most certainly would be chaos in the
9 market. Supplies of diesel fuel at the retail level would
10 probably be erratic and unreliable in most regions of the
11 country, because refiners in any one region would be unable
12 to produce the correct balance of the two grades. Supply
13 uncertainty would be compounded by the unavailability of one
14 grade or the other at individual retail sites. Supply
15 problems, of course, would then invariably trigger severe
16 price volatility.

17 As everyone knows, today we are already
18 experiencing price volatility and severe supply disruptions
19 in our distribution system from prior mandates and
20 regulations imposed upon the industry. My company obtains
21 motor fuel from eight different terminals or refineries in
22 our marketing area. In 1999, we suffered partial or complete
23 shortages of various products from our major supplier for a
24 total of 196 days. This year, through five months to date,
25 we have suffered product shortages for 90 days, and we are

1 just entering the peak driving season in our markets.

2 What this has caused and what it causes today is
3 increased transportation costs from our fleet of trucks from
4 additional mileage, repairs and maintenance, and driver man
5 hours resulting in higher pass through of costs to the
6 consumer. If we think prices are high now, I believe that
7 they will be nothing compared to those we will experience if
8 this proposed regulation is mandated to the industry.

9 I would agree that with our industry, that 50 parts
10 per million is far more reasonable than 15 ppm. I believe
11 that 15 ppm does not significantly increase the air quality
12 from 50 ppm. I've been in Europe. They have good air
13 quality. I don't see any black smoke coming from trucks over
14 there. And I think today, our air is cleaner than ever.
15 I've lived in Denver for 24 years. I was born in 1934, an
16 asthmatic, allergic to 65 different foods. I wasn't supposed
17 to survive.

18 On top of that, from high school until about 15
19 years ago, I smoked two to three packages of cigarettes.
20 Today, I walk five to ten miles a day, and I think Denver's
21 air is cleaner than ever, and I haven't had an asthmatic
22 attack for over 35 years.

23 I truly appreciate, and our industry truly
24 appreciates what EPA is trying to do. We want clean air,
25 too. We just want it at a reasonable cost and at a level

1 that's efficient and not over kill.

2 We appreciate very much the opportunity to testify
3 before you today. Thank you for your time and your
4 consideration.

5 MR. GRUNDLER: Thank you, Mr. Hagemeyer. Ms.
6 Valentine?

7 MS. VALENTINE: Good afternoon. My name is Marie
8 Valentine. I'm here to speak on behalf of DaimlerChrysler on
9 the subject of EPA's proposal to modify heavy-duty vehicle
10 emission control regulations and on-highway diesel fuel
11 requirements.

12 DaimlerChrysler is a vehicle manufacturer of light-
13 duty and heavy-duty vehicles that operate on gasoline and
14 diesel fuels. DaimlerChrysler is a demonstrated leader in
15 the development of environmentally sound vehicle
16 technologies. This is evidenced by our commitment to support
17 the pursuit of tough emission performance goals.

18 Reducing heavy-duty emissions will aid in achieving
19 the Nation's air quality goals, and we stand ready to do our
20 part. This is a logical follow-up to the Tier 2 light-duty
21 vehicle emission regulation adopted last December. We agree
22 that EPA needs to look at all pollution sources when
23 determining a comprehensive emission reduction plan.

24 In our opinion, the combination of a low sulfur on-
25 highway diesel fuel program with feasible, stringent new

1 emission standards for heavy-duty engines and vehicles will
2 assist in improving air quality nationwide. We congratulate
3 EPA for continuing to link vehicles and fuels, as was
4 recently done in the Tier 2 regulations. This system
5 approach is the only way to achieve the emission reductions
6 envisioned.

7 We commend EPA's initiative to propose a 15 ppm
8 sulfur cap for the on-highway diesel fuel. This critical
9 first step will enable the continued development and
10 advancement of diesel emission control technology that is
11 necessary if the heavy-duty industry is to meet the new
12 proposed standards which reflect a 90 per cent reduction in
13 NOx and PM.

14 Sulfur is a poison that blocks the use of after-
15 treatment technology by rendering the hardware inoperable at
16 today's 500 ppm level. The developers of the after-treatment
17 technologies have indicated that a very low level of sulfur
18 in diesel fuel is critical for the future development of
19 these devices. The lower level will permit catalyst-based
20 control strategies to be optimized for maximum emission
21 reduction efficiencies.

22 Recent data indicate that sulfur free diesel fuel
23 is the enabling requirement for the use of NOx adsorbers,
24 Continuously Regenerating Technology systems, and Selective
25 Reduction Catalysts due to their sensitivity to sulfur.

1 Further information on this will be included in our written
2 comments.

3 The world's engine manufacturers have defined
4 sulfur free diesel fuel, as specified by the World-Wide Fuel
5 Charter, as the correct fuel to enable the use of NOx and PM
6 after-treatment technologies where stringent emission
7 standards are required. Therefore, the sulfur level in
8 diesel fuel must be reduced to allow the use of after-
9 treatment technology as an emission control strategy for
10 diesel vehicles as has been so successful for gasoline
11 vehicles.

12 Let me emphasize that the proposed sulfur cap is
13 only the first step needed for diesel fuel. A sulfur free
14 diesel fuel with a minimum cetane of 55 and a maximum 15 per
15 cent aromatic limit is ultimately necessary. This fuel
16 composition would support the use of diesel fuel in the
17 light-duty vehicle market and provide the benefits of reduced
18 emissions, and increased fuel economy, another goal of the
19 current Administration, while also maintaining customer
20 satisfaction.

21 A diesel powertrain is an important option for
22 passenger vehicles. Diesel vehicles could have a significant
23 role in the reduction of fuel consumption by offering a 40
24 per cent fuel economy advantage over gasoline vehicles on a
25 miles per gallon basis. The sophisticated diesel vehicles

1 currently in the European market have higher endurance,
2 reliability, and torque, which is a desirable performance
3 attribute. On the emission side, diesel vehicles have
4 inherently low hydrocarbon and carbon monoxide emissions, no
5 evaporative emissions, and have long-term stability of
6 emissions, which will be further reduced with after-
7 treatment, but the enabling fuel is necessary.

8 We applaud the initiatives by some oil companies to
9 deliver clean diesel fuel to some localized markets in
10 advance of the regulations. The lesson learned is that
11 cleaner fuel can be made available and is being done at an
12 affordable price.

13 Should a phase-in of clean on-highway diesel fuel
14 be found necessary, we encourage EPA to have it start in
15 2004. The oil industry has previously challenged EPA to make
16 all known changes in one step, not two separate steps, so
17 capital investment strategies can be optimized. Therefore,
18 the 2004 suggested start date would link diesel with the
19 gasoline sulfur control required by Tier 2, and allow light-
20 duty clean diesel as a viable powertrain.

21 In conclusion, let me restate the key points of our
22 message. First, EPA's proposal of a reduced sulfur diesel
23 fuel for on-highway is a great first step. Second, clean
24 fuel packaged with feasible emission standards is the correct
25 path to ensure and enable further reduction in emissions.

1 DaimlerChrysler believes the diesel fuel as
2 specified in the World-Wide Fuel Charter is necessary to
3 enable low emissions and fuel efficient technology.

4 DaimlerChrysler is continuing to review the
5 proposal and plans to submit written comments addressing
6 other issues in the NPRM, and expand further on our diesel
7 fuel position.

8 Thank you for the opportunity to speak to you.

9 MR. GRUNDLER: Thank you, Ms. Valentine. Ms.
10 Nordini?

11 MS. NORDINI: Thank you. My name is Kelly Nordini.
12 I'm the transportation program director for the Colorado
13 Public Interest Research Group, CoPIRG.

14 If it's appropriate, I'd like to defer CoPIRG's
15 comments to Robin Hubbard, who will speak later this
16 afternoon on your schedule.

17 Instead, Mayor Joe Rice of the City of Glendale was
18 not able to be with us today, and he asked, if it's
19 appropriate, if I could deliver some brief comments on his
20 behalf.

21 MR. GRUNDLER: That will be fine.

22 MS. NORDINI: Thank you.

23 Mayor Rice is with the City of Glendale, and
24 Glendale is a small city in the heart of the Denver Metro
25 area that is situated right along Colorado Boulevard.

1 Colorado Boulevard is one of the busiest state highway
2 corridors. It faces tremendous traffic every single day and
3 on the weekends. This means that Glendale experiences the
4 disproportionate impacts of diesel exhaust, and while
5 Glendale has taken many steps as a community to help reduce
6 automobile air pollution, including establishing a local
7 shuttle program that runs along Colorado Boulevard and
8 supporting transit throughout the region, including the I-25
9 light rail line that's planned, Glendale believes that we
10 need diesel vehicles to do their part if we are to achieve
11 our clean air goals in the region--rather, I should say Mayor
12 Rice believes.

13 Mayor Rice was, therefore, disappointed to learn
14 that the EPA has proposed waiting until 2010 to fully clean
15 up smog-forming pollution from trucks and buses.

16 In addition, because high sulfur fuel will poison
17 the new diesel clean-up technologies, we must ensure that all
18 diesel fuel is fully cleaned up and readily available before
19 the trucks are required to clean up.

20 Mayor Rice applauds EPA's efforts to clean up
21 diesel vehicles to help make all our communities cleaner and
22 more livable, and he thanks you for the opportunity to
23 comment today, and for your consideration.

24 MR. GRUNDLER: Thank you for sharing his comments.

25 Next, I'd like to hear from Mr. Bartlett.

1 MR. BARTLETT: Good afternoon. My name is Dave
2 Bartlett, and I'm here on behalf of the Diesel Technology
3 Forum. The Forum is a new group working to enhance public
4 dialogue with a wide range of stakeholders, including the
5 EPA, other government agencies, and other interested parties,
6 to explore a wide range of opportunities to reduce emissions
7 from both existing and new diesel engines, while recognizing
8 the inherent benefits of diesel technology.

9 Diesel power systems, that is, engines, fuels and
10 after-treatment systems, that are the subject of today's
11 hearing power the economy, from the familiar package delivery
12 trucks to tractor trailers. They're the very centerpiece of
13 our nation's supply and distribution network. But they're
14 also much more. In the age of the Internet and e-commerce,
15 diesel power systems have taken on an even more important
16 role facilitating the greatest economic expansion this
17 country has ever seen, doing more work, moving more goods,
18 and helping more businesses and more people than ever before.

19 This proposal to reduce emissions and require
20 cleaner fuels in new diesel trucks and buses starting in 2007
21 marks yet another milestone in the continuing improvement of
22 diesel technology. New diesel engines powered with today's
23 fuels emit less than one-eighth the emissions of engines
24 built just over a dozen years ago. And if adopted, the
25 proposal currently under consideration here could result in

1 as much as a 90 per cent reduction in emissions beginning in
2 2007, and that's on top of improvements already on-line for
3 the period 2002 to 2004.

4 We support the direction of the EPA's proposed rule
5 that will result in lower diesel emissions and cleaner diesel
6 fuel in 2007. We're especially pleased that for the first
7 time, EPA has used a systems approach in setting future fuel
8 and engine standards, an approach that recognizes that
9 engines and fuels are both part of an integrated diesel power
10 system.

11 This systems approach is even more important than
12 ever, since for the first time, engine manufacturers, the
13 companies that manufacture exhaust and after-treatment
14 equipment, and fuel refiners will all have important roles to
15 play in order to achieve the significant reductions in
16 emissions that EPA is proposing.

17 Whatever the outcome of the debate over how much
18 sulfur should be allowed in diesel fuel, everyone agrees I
19 think that lowering sulfur content, coupled with advances in
20 diesel engine technology, will help improve air quality.

21 And while this hearing is focused on future
22 reductions in air pollution, we shouldn't lose sight of the
23 tremendous progress that's been made in the past right here
24 in Colorado and across the nation.

25 For example, in Colorado, air quality continues to

1 improve. In the Denver area, the number of exceedances of
2 any of the federal air quality standards has declined by over
3 83 per cent from the period 1986 to 1990, only 25 days.
4 That's compared to 1991 to 1995, 4.2 days. Quite a
5 reduction. Most encouraging is that in the last four years,
6 Colorado has had not one single violation of any National
7 Ambient Air Quality Standard. During this time, Colorado has
8 also experienced explosive growth in construction and
9 population. This also means an increasing use of diesel
10 engines in the trucking industry, serving more people and
11 delivering more goods than ever before.

12 On a national basis, overall criteria pollutant
13 emissions have declined by 34 per cent from 1970 to 1997.
14 This reduction has taken place at the same time that the U.S.
15 population has increased by 31 per cent. The economy has
16 more than doubled in size over that same period of time. The
17 Gross Domestic Product has increased 114 per cent in that
18 time period.

19 Now, how has pollution declined at the same time
20 that we've seen massive increases in manufacturing,
21 construction, transportation, agriculture and all the other
22 activities that constitute economic growth? The answer is
23 simply that all these activities have become cleaner at the
24 same time that Americans have demanded more and more of them.

25 We see the future of diesel power systems in both

1 these trends. Diesel power systems have become much cleaner,
2 and through continuous improvements, they will become much
3 cleaner still.

4 This proves that we can have economic growth,
5 increasing the use of diesel technology, and cleaner air.
6 These are consistent goals.

7 Diesel power systems are an essential part of the
8 quality of life that we enjoy today. They provide the most
9 efficient, economical and reliable power for whatever the
10 need. And diesel is a technology that is defined by
11 innovation and continuous improvement, meeting the ever
12 increasing needs of the customer, whatever the application
13 and whatever the need.

14 Now, make no mistake about it. This proposal
15 represents a significant technological challenge for the
16 engine manufacturers, the exhaust after-treatment suppliers
17 and the fuel refiners, all of whom are members of the Diesel
18 Technology Forum. But we're confident that together we can
19 build on our past progress and produce the cleanest, most
20 economical and most reliable diesel power systems ever.

21 While this proposal deals with new technology going
22 forward, there are many opportunities we think to address
23 some important issues concerning the existing diesel fleet.

24 Let me say just a word about excessive smoke from
25 diesel trucks and buses. When properly maintained, diesel

1 engines don't smoke. Fortunately, Colorado has had a
2 successful diesel smoke emissions inspection program for
3 several years, a program that has virtually eliminated
4 excessive smoke from diesel trucks and buses. And, frankly,
5 we wonder why only 13 states have such programs today. We
6 challenge the other states around the country to consider
7 adoption of smoke testing programs. We have the tools and
8 resources available to assist in that effort.

9 This March, the EPA issued a challenge to retrofit
10 10,000 engines over the next two years. The Forum is pleased
11 to be working alongside the EPA in that effort. We are
12 bringing together resources or identify engines of all types
13 in a wide variety of applications to determine the
14 feasibility of lowering emissions by adding exhaust after-
15 treatment systems, modifying engine emission controls, and/or
16 using cleaner diesel fuels. We're encouraged by the
17 possibilities for success with this program, which will
18 include engines in a full range of applications from marine
19 vessels to highway trucks.

20 In conclusion, the members of the diesel Technology
21 Forum, while not taking a position on the specific fuel
22 sulfur levels or the other issues that are under debate
23 today, support the EPA's decision to take a systems approach
24 to reducing diesel emissions. However, the specifics of this
25 debate are resolved, diesel power systems are poised to

1 deliver more of the efficient, reliable and economical power
2 demanded by the American people.

3 As leaders in technology and innovation, the
4 members of the Forum are committed to working with the EPA,
5 with state governments, and with other interested parties to
6 continue the improvement in diesel emissions, and to take
7 meaningful steps now to address the problems in the existing
8 fleet.

9 Thank you very much.

10 MR. GRUNDLER: Thank you, Mr. Bartlett. Mr. Stern?

11 MR. STERN: I'm John H. Stern, and I'm vice-
12 president of Petroleum Affairs and general counsel for
13 Countrymark Cooperative, Inc. We're located in Indianapolis
14 and we own and operate a 24,000 barrel refinery at Mt.
15 Vernon, Indiana.

16 Countrymark is owned by 188 local cooperatives in
17 Indiana, Ohio, Michigan and Kentucky. And those local
18 cooperatives are owned by 200,000 farmers in that same
19 general geographic area. Countrymark presently is a small
20 refiner under the definitions of the SBA and the EPA. We
21 have 315 employees currently.

22 We basically produce fuels for the agricultural
23 area and for the small communities in the Midwest, and those
24 fuels are predominantly a high quality diesel fuel for the
25 farm, gasoline, other diesel fuels and heating oils for the

1 rural communities and small businesses. We basically
2 distribute our products through a pipeline that runs up
3 through the center of Indiana and through truck and barges on
4 the Ohio River.

5 We are constantly attempting to upgrade our
6 refinery and to comply with all of the EPA regulations and
7 other regulations that exist, and we are a clean air and
8 clean water company. However, we are concerned about these
9 regulations and the impact that they have upon us, our owners
10 and our customers.

11 Most of the time when people think of the petroleum
12 industry, they think of the international oil companies, the
13 major oil companies, and OPEC. However, there is a segment
14 of the petroleum industry which is unknown to many, and
15 insignificant to most, and that's the small refiner and the
16 cooperative refiner. However, in the areas where we operate
17 and serve, we are a factor in the community, in that we
18 provide fuels to niche markets and we provide employment and
19 we serve and have served for many, many years.

20 However, in my 50 years, and I hate to admit that
21 I'm that age, this is the most severe time I have ever seen
22 for small refiners and cooperative refiners. The impact of
23 regulations, both the Tier 2 gasoline and the present
24 proposed regulations, are just more than most small refiners
25 can bear that burden.

1 I'm not going to replot the same ground that
2 everybody else has today. We support the industry and the 50
3 ppm. We are also concerned about the distribution system and
4 about the technology that's necessary. We also know that it
5 will be difficult for us to obtain engineering, construction
6 and the processes along with all the major oil companies who
7 will be vying for those services at the same time.

8 I've heard it said that putting the gasoline
9 regulations and the diesel regulations together would be
10 helpful to refiners. I don't know where that started, but I
11 can't find any justification for that, nor can I find that
12 among any other refiners. It's two different things, and the
13 costs will be the same, and you're trying to do two things
14 that at a refinery at the same time. It makes for safety
15 problems, operational problems, and frankly, the cost of
16 money is a very big factor here.

17 EPA has asked for comments concerning the various
18 suggestions in the regulations as it relates to small
19 refiners and to cooperative refiners. I might mention we are
20 one of a kind. We are a small refiner, and we're a
21 cooperative refiner. I don't know whether that's good or
22 bad, but at least we have gained some notoriety by being an
23 individually distinct refiner in this country.

24 But the big thing for us, and I think most small
25 refiners, because we are a part of the coalition of--not a

1 coalition, it's a group of 25 refiners. We've met in the
2 SBREFA process, both on gasoline and on the diesel fuel
3 regulations. And by the way, we are very appreciative of
4 that process, both on the Tier 2 gasoline, and what has
5 transpired here to date. We realize that it's been difficult
6 for those involved in SBREFA to come up with anything that
7 will take care of the small refiner, and I think that's the
8 uniqueness of the small refiner and why we've managed to
9 stick around all these years, is because we are unique. And
10 when it comes to the various comments that were made in the
11 proposed regulations, I can't find one that will fit all.

12 As a matter of fact, I don't think all fit all. So
13 I would implore EPA to try to incorporate in the regulations
14 as many of the alternatives that were proposed, or at least
15 commented on, in the final regulations, because I think small
16 refiners are going to need all the help that they can get if
17 they are to survive.

18 I know our refinery, to do both the gasoline and
19 the diesel fuel, will be spending somewhere between \$25 and
20 \$30 million. Now, as a farmer owned cooperative, and as
21 other small refiners, we don't own crude, so we're not
22 reaping any benefits from the present high price of crude.
23 We pay just what everybody else would have to pay for crude.
24 So when we take it into the refinery, we're paying that \$33 a
25 barrel. So our profits come from the refining. We don't own

1 a lot of service stations and outlets and C stores, so we
2 don't have that end of the business to make money from. And
3 most of our refiners are in that same position.

4 When it comes right down to it, whether you end up
5 at 50 ppm, which we think is where it should be, or 15, what
6 small refiners need is financial help.

7 Earlier today, as it was referred to by several,
8 that in Europe there were incentives for small refiners,
9 programs to bring them down to the level that is required by
10 these regulations. I suggest that that is something that
11 EPA, while I know you don't have the authority to do it,
12 could recommend to the administration and to congress some
13 sort of tax relief, investment tax credit, excise tax
14 rebates, or a loan program, guaranteed loan program which
15 would allow small refiners to remain in business.

16 I know you've heard a lot of people yell from time
17 to time, wolf, we'll go out of business if you do this to us.
18 And from time to time, that has just been crying wolf. But
19 also from time to time, and I think we've seen it in
20 California recently, there are refiners who have gone out of
21 business. And I have to tell you I find the sincerity of the
22 small refiner group that I'm working for at such a level, and
23 I know them well and I know what their plight is, that they
24 are sincere when they say that their ability to remain viable
25 and to provide the services and the quality products to the

1 communities which they serve is in jeopardy.

2 Now, I have not gone into the various things which
3 were proposed by EPA. I will cover those in our comments
4 between now and August the 15th. I did incorporate a couple
5 of statements in my statement. One was Mr. Ron Williams'
6 statement in New York. The other was Mr. Gerry Faudel's
7 statement. Mr. Williams is with Gary-Williams Energy, and
8 Mr. Faudel is with Frontier.

9 I think both of their statements set out very
10 clearly the problems that face small refiners and what we
11 will need to survive and continue to be a viable part of the
12 refining industry in the years to come.

13 I thank you for the time.

14 MR. GRUNDLER: Thank you, Mr. Stern. Any
15 questions?

16 MR. FRANCE: This is directed at Mr. Ron Hagemeyer.
17 Just a couple clarification issues. You had mentioned--I'm
18 interested in your perspective, given that you represent
19 convenience stores. You mentioned you supported the 50 ppm
20 proposal, and you've heard earlier that, if you were here,
21 that one of the ways of achieving the benefits is the
22 suggestion that SCR technology would be used on diesels.
23 And, of course, SCR needs urea, which has in itself, among
24 other issues, distribution challenges. Your member companies
25 could very well be on the hook for distributing urea under

1 that proposal. I was curious what your perspective is on
2 that, and also whether you have thought about how it would be
3 distributed and what the cost impacts would be on your member
4 companies.

5 MR. HAGMEYER: My forte is not technology. It's
6 marketing. And my comments on 50 parts per million compared
7 to 15 parts per million, there's going to be problems in the
8 supply and distribution system whichever way we go, 50 or 15.
9 My comments were solely based on cost. The convenience store
10 industry provides fuel at a cost--at a retail price to the
11 consumer, and I think it's pretty common knowledge that for
12 refineries to arrive at a 15 ppm product, as Mr. Westfall
13 said earlier today, that's twice as much money, \$8 billion
14 compared to \$4 billion.

15 The cost to retailers is going to be higher at the
16 lower level. Pass-through cost to the consumer is going to
17 be a great deal higher. And that's the basis of my
18 testimony. The convenience store industry is based on retail
19 prices to the consumer, whether it's gasoline, diesel fuel,
20 twinkies, coffee, soda. And the technology, I can't get
21 into. I'm not competent to get into that. But I do feel
22 that I'm competent to talk about the price to the retailer,
23 the price to the consumer, and the effect on the motoring
24 public.

25 MR. FRANCE: Okay. Thank you very much for your

1 perspective. I would encourage you in your written comments
2 to at least think about and address along with the 50, in
3 order for that to work, if it were to work, it depends upon a
4 technology that would have major impacts on your member
5 companies. So we'd be interested in your perspective on
6 that. Okay?

7 MR. HAGMEYER: Thank you. We'll do that.

8 MR. GRUNDLER: I want to thank the panel. Thank
9 you very much.

10 I'd like to invite the next panel up. Greg Fulton,
11 Susan LeFever, Sally Allen, Lucinda Smith, Charley Bittle,
12 Jeffrey Kramer and Chris Arend.

13 Mr. Fulton, I'll invite you to lead off.

14 (Pause.)

15 MR. GRUNDLER: Mr. Fulton is not here. We will
16 disregard the order on the list and go from my left to my
17 right. Ms. LeFever, go ahead.

18 MS. LEFEVER: Thank you. My name is Susan LeFever
19 and I'm director of the sierra Club Rocky Mountain Chapter,
20 which represents 16,000 members in the State of Colorado.
21 I'm here to speak in support of your proposal to reduce the
22 sulfur content in diesel fuel and require the use of advanced
23 pollution control devices in new trucks and buses.

24 For 25 years, automobiles have been subject to
25 engine emission controls, and it's clearly made a difference

1 in the quality of our nation's air. Now it's time for diesel
2 engines to take advantage of new technologies and reduce
3 their emissions of smog-causing nitrogen oxides and
4 particulates. Diesel vehicles account for nearly a third of
5 smog-causing pollution, and two-thirds of the soot produced
6 by all the nation's vehicles.

7 In the Denver area, we're growing too accustomed to
8 bad air days, and those days when the brown cloud hides our
9 famous mountain peaks. We see the effects directly on our
10 morning and afternoon commutes. And exposure to increased
11 air pollution is causing respiratory problems and lung
12 disease, putting especially children, the elderly and those
13 with impaired immune systems at risk. Even Colorado's wild
14 places are impacted by air pollution, as the pollution from
15 vehicles fills the skies in our parks, open space and
16 wilderness areas.

17 We're a fast growing state, and along with the
18 urban sprawl that we're seeing here in Colorado, we're seeing
19 a corresponding increase in traffic, which is spreading the
20 air pollution problems out into outlying parts of the state.

21 Are there costs to this? Yes, of course there are.
22 But according to the EPA, for every dollar spent on the Clean
23 Air Act from 1970 to 1990, we received a \$20 return on our
24 investment. In fact, the EPA estimates that Americans have
25 realized benefits 70 times greater than the costs of

1 implementing the program. In 1990 alone, tailpipe and
2 smokestack controls saved an estimated 79,000 lives and
3 resulted in an estimated 15 million fewer respiratory
4 illnesses. We believe that we can see similar benefits when
5 these rules are enacted.

6 We urge you to make low sulfur diesel fuel
7 available nationwide so that every cleaner truck will have
8 access to them.

9 We urge you to clean up big trucks and buses as
10 soon as possible. We should not have to wait until 2010
11 before all the new trucks are cleaned up. There should not
12 be a phase-in period for reduction in smog-forming pollution.

13 We'd urge you to ensure that big trucks are meeting
14 the emission standards on the roads, and not just during
15 engine tests, and to increase the use of advanced technology
16 vehicles.

17 Thank you for this opportunity to speak on this
18 very important issue.

19 MR. GRUNDLER: Thank you, Ms. LeFever. Ms. Allen,
20 welcome.

21 MS. ALLEN: My name is Sally Allen. I'm vice-
22 president of Administration and Governmental Affairs of Gary-
23 Williams Energy Corporation, a Denver based independent oil
24 and gas company. Our primary asset is a 50,000 barrel per
25 day crude oil refinery in Wynnewood, Oklahoma. Company-wide,

1 we have about 275 employees and fall within the definition of
2 small business refiner used for the proposed diesel sulfur
3 regulations.

4 Ron Williams, president and CEO, testified on this
5 rulemaking at the EPA hearing in New York City on June 19th.
6 His testimony has been submitted for the record and I won't
7 repeat all of it here. As he pointed out, in our case, the
8 proposal is devastating and could force us to shut down the
9 refinery. That's not crying wolf.

10 We participated in the SBREFA process for this
11 rulemaking. Panel representatives, including Paul, visited
12 our small Oklahoma refinery. Small business refiners worked
13 diligently to outline the complex range of problems and
14 circumstances facing us, and to underline as strongly as
15 possible that there is no one solution that will enable all
16 small refiners to survive.

17 We greatly appreciate EPA's discussion of small
18 refiner issues in the preamble to the rulemaking, but we were
19 extremely disappointed that the proposed rule includes no
20 accommodation that would allow a company like ours to
21 continue to operate.

22 We can see only three possible avenues that might
23 enable us to remain in business. First, we ask the
24 Administration to address the extraordinary financial burden
25 that these regulations place on small business refiners by

1 publicly endorsing efforts to obtain economic assistance.
2 Our greatest priority is access to the capital required for
3 desulfurization equipment through tax credits, loan
4 guarantees and other incentives. We estimate that our
5 capital costs to reach 15 ppm diesel sulfur will total
6 approximately \$46 million. That's more than twice what we
7 paid for the facility in 1995. In addition, our operating
8 and maintenance costs will increase \$5 to \$6 million a year.
9 We don't have that kind of money and we don't know where we
10 can get it without government help.

11 Secondly, small business refiners who produce both
12 gasoline and diesel fuel must be granted an automatic four
13 year delay of all Tier 2 requirements. The coincidence of
14 required expenditure for gasoline and diesel desulfurization
15 will be disastrous. We know of no possible financing sources
16 willing to provide the needed capital to our small business,
17 particularly in the face of additional diesel costs.

18 The EPA proposal for temporary hardship waivers on
19 a case by case basis will, we believe, create a potentially
20 arbitrary and uncertain situation which will further endanger
21 small business refiners. We need clarification of the EPA's
22 assessment of our hardship situation immediately.

23 At the very least, clear, straightforward and easy
24 to administer hardship criteria must be delineated
25 immediately with small business refiner concurrence so that

1 our companies will be able to determine their eligibility.

2 Thirdly, we feel that small business refiners must
3 retain access to the off-road market. We must know as soon
4 as possible EPA's intentions for the regulation of off-road
5 diesel fuel. It is imperative that small business refiners
6 be given an exemption from any new off-road standard and be
7 allowed to continue to sell their higher sulfur fuel into the
8 off-road market. Some measures must be adopted to conserve
9 the off-road market for small businesses and prevent larger
10 companies from dumping higher sulfur diesel and diluting the
11 off-road market.

12 EPA asked for comments on options for small refiner
13 flexibility that would allow small refiners to continue
14 selling 500 ppm highway diesel and/or continue to produce at
15 a 50 ppm diesel cap. We don't oppose these ideas because
16 they may benefit some other small business refiners. We
17 would vehemently oppose them if they are offered as small
18 refiner flexibility provisions without the other options we
19 consider essential.

20 Thank you for the opportunity to address the
21 hearing.

22 MR. GRUNDLER: Thank you, Ms. Allen. Mr. Kramer,
23 welcome.

24 MR. KRAMER: Thank you. Good afternoon. My name
25 is Jeff Kramer. I'm president of Prima Marketing, LLC, a

1 private motor fuels and convenience store company
2 headquartered here in Denver, Colorado. Thank you for
3 calling this hearing today to solicit public comment on the
4 EPA's proposed regulations to control the sulfur content of
5 diesel fuel.

6 Prima is an independent marketer of motor fuels.
7 We own and operate 55 motor fuel outlets and supply an
8 additional 60 dealer accounts in four states, West Virginia,
9 Pennsylvania, Ohio and Kentucky. Our company employs about
10 500 workers and markets approximately 80 million gallons of
11 motor fuel each year. In addition, before becoming an
12 independent marketer, I was CEO of Frontier Refining Company,
13 a Rocky Mountain area refiner, and also served as vice-
14 president of Supply and Transportation at Total Petroleum.
15 Because of my background, I feel I have a unique perspective
16 on the refining industry and the impact of this proposed
17 rule.

18 I appear today on behalf of the Society of
19 Independent Gasoline Marketers of America. I'm privileged to
20 serve as a director of SIGMA. It is an association of
21 approximately 260 motor fuels marketers in all 50 states.
22 Together, SIGMA members supply over 28,000 motor fuel outlets
23 and sell over 48 billion gallons of gasoline and diesel fuel
24 annually, or approximately 30 per cent of all of the motor
25 fuel sold in the nation last year. Collectively, SIGMA

1 members sold over 13 billion gallons of on-road diesel fuel
2 last year, and 89 per cent of our members sell diesel fuel.

3 My own personal experience with Prima and
4 representation of SIGMA members at this hearing today combine
5 to make me qualified to speak about the EPA's rule proposal,
6 not just from the diesel fuel marketers' perspective, but
7 also from the perspective of diesel fuel consumers as well.
8 From the point of view of diesel fuel marketers and our
9 customers, EPA's proposal will have dire consequences on our
10 business, our customers, and potentially, the national
11 economy.

12 SIGMA strongly opposes EPA's diesel fuel proposal
13 for one fundamental reason. It will reduce, and perhaps
14 substantially, the supplies of on-road diesel fuel and, as a
15 result, has the potential to create serious market
16 disruptions as have occurred in the Northeast last winter and
17 in the Midwest this summer.

18 Diverse and plentiful sources of supply are the
19 life's blood of independent petroleum marketers like Prima.
20 Without adequate supplies of diesel, independent marketers,
21 who have been the most competitive segment of the motor fuels
22 industry, will cease to exist as a force in diesel fuel
23 retaining. Already, as a result of industry consolidations
24 and refiners exiting the motor fuels business, the number of
25 sources of diesel fuel on which an independent marketer can

1 look for supply has been greatly reduced. When independent
2 refiners are aware that an independent marketer has many
3 other sources of supply, then the integrated refiners are
4 forced to be competitive. When sources of supply narrow,
5 however, there are no such forces acting on the integrated
6 refiners.

7 EPA's diesel sulfur proposal will result in a
8 substantial decrease in the overall supplies of on-road
9 diesel in this country. As EPA admits in its proposal, some
10 refiners will not be able to make the capital investments
11 necessary to produce ultra low sulfur diesel, resulting in
12 reduced supply. EPA also admits that the desulfurization
13 technology does not exist to remove sufficient sulfur from
14 diesel fuel blendstocks, again reducing supply. An
15 additional admission is that our nation's diesel fuel
16 distribution system, pipelines, bulk storage facilities,
17 tanker trucks, will be forced to often downgrade a certain
18 portion of the nation's diesel fuel production because it
19 will be contaminated with higher sulfur products during
20 distribution, again, reducing supply. And the EPA highlights
21 the fact that, under the proposal, domestic diesel fuel will
22 have a substantially lower sulfur level than diesel fuel
23 produced in other industrialized countries, which will
24 prevent foreign supplies of diesel fuel from alleviating any
25 shortage that might occur in domestic production.

1 Independent marketers of diesel fuel will not be
2 the only ones to suffer under EPA's proposal. Consumers of
3 diesel fuel, including our nation's trucking and agricultural
4 industries, will pay for EPA's program at the pump. EPA
5 predicts in its proposal that diesel sulfur reductions will
6 cost approximately four and a half cents per gallon. That
7 estimate is woefully low. As we witnessed this past winter
8 and spring in the Northeast and currently are witnessing in
9 the Midwest, even small supply shortages of motor fuels can
10 cause drastic increases in retail prices. If overall diesel
11 supplies are reduced by 10 per cent as a result of EPA's
12 proposal, which I believe is probably not unrealistic given
13 conversations I've had with other refiners, then \$2 a gallon
14 diesel fuel prices we saw in the Northeast may become the
15 norm, if not a bargain in the eyes of consumers.

16 Given the extent to which our nation relies on
17 diesel fuel to power our on-road commercial transportation
18 network, the ultimate impact of these price increases and
19 diesel fuel shortages will be felt by the economy as a whole
20 through increased transportation costs and inflation. While
21 the current staff at EPA may not be as concerned about this
22 proposal and its impact on the economy because they will
23 probably be long gone after this Administration has left
24 office, most of us will still be suffering the consequences
25 and repercussions from this proposal, as will be felt by

1 consumers and in our economy.

2 While consumers generally have responded to public
3 polling that they are willing to pay more for gasoline and
4 diesel fuel to have cleaner air, the recent supply crises and
5 price spikes, and the resulting howls from consumers and
6 elected officials, in the Midwest give rise to significant
7 questions regarding the public's support for an environmental
8 program that could harm the continued expansion.

9 SIGMA raises a specific objection to the dual fuel
10 option discussed in the preamble to the proposal, including
11 the ill-conceived notion that a dual fuel program should be
12 limited to large diesel fuel marketers. In the preamble, EPA
13 requests comments on adopting a regulatory scheme that would
14 permit two on-road diesel fuels to exist for a short period
15 of time. EPA envisions that refiners would make some ultra
16 low sulfur diesel fuel for several years and continue also to
17 supply the current low sulfur on-road diesel during this
18 transition period. EPA also solicits comments on a retailer
19 mandate for offering both on-road diesels, or a mandate that
20 only large marketers do so.

21 These ideas should be roundly criticized and
22 discarded. I'm afraid they have many flaws to them. In
23 particular, in its attempt to make its proposals on diesel
24 sulfur reductions seem reasonable, this idea of the dual
25 fuels has got many problems with it. It could be potentially

1 disastrous for our industry and the nation's motor fuel
2 distribution system. In the case of marketers specifically
3 first, it would force Prima and other fuel marketers to
4 decide one of the two following scenarios: either add an
5 additional underground or above ground storage tank and
6 dispenser system to pump and hold the second grade of on-road
7 diesel, or retail only ultra low sulfur diesel fuel at a time
8 when only a small percentage of our customers would require
9 it, and risk losing customers to competitors that choose to
10 sell cheaper, low sulfur diesel fuel.

11 Further complications arise in the distribution
12 system for products. The general fungibility of petroleum
13 products in the U.S. provides an extremely efficient pipeline
14 transportation system. For example, it costs only about 2
15 cents a gallon to transport a gallon of gasoline or diesel
16 fuel from the Gulf Coast refineries to, say, the Chicago
17 market. The introduction of multiple product specifications
18 makes gasoline and diesel fuel more similar to specialized
19 chemicals, which are more frequently shipped by more costly
20 truck or rail.

21 The system breaks down because of so many different
22 products that have to be supplied to the marketplace, and
23 bottlenecks occur. You will also have the situation where
24 even where we're marketing in West Virginia, which requires
25 conventional fuel, we had product outages at various

1 terminals because the supply would get oriented towards the
2 other areas that needed that product more greatly. So you
3 actually have a major market distortion that winds up
4 creating trucks that have to go very far distances, actually
5 making the environmental situation work, and ultimately you
6 could have a problem with ultimately promoting misfueling in
7 the marketplace because of the tremendous market dislocations
8 that can happen.

9 A friend of mine recently said that when we were
10 talking about it, said that this is probably the way it will
11 be, and that we probably more than anything should be used to
12 it, get used to it because this is probably going to be more
13 of the norm as more and more regulations come into play.

14 I would like to summarize that I do have--SIGMA
15 does have a recommendation, a recommended program, one that
16 might allow a little more time until it takes effect, so that
17 all of the refiners can be ready for it, that the cap be set
18 at 50 ppm rather than 15, because we feel that would be
19 extremely important and help significant, and the other
20 portion being that the dual fuel recommendation is definitely
21 faulty.

22 Thank you very much. I appreciate the opportunity
23 to present SIGMA's views on the EPA proposal.

24 MR. GRUNDLER: Thank you, Mr. Kramer.

25 Once again, I'd like to ask the panel's indulgence

1 and I'd like to invite up the Honorable Ken Gordon.
2 Representative Gordon is the minority leader of the Colorado
3 House of Representatives. Welcome.

4 REPRESENTATIVE GORDON: Thank you. I appreciate
5 the opportunity to testify out of order. My name is Ken
6 Gordon. I'm the minority leader in the Colorado House of
7 Representatives. I've been in the Legislature since 1992,
8 and I've lived in Colorado for 25 years.

9 One thing about Colorado, and especially the Denver
10 basin, is that we don't have as much air as they do in other
11 parts of the country, and that it is more subject to
12 degradation because of the altitude, because we're in a
13 basin, because of the sunlight that we get here.

14 My mother has emphysema and she can't come to
15 Denver to visit her grandchildren, my children. Colorado,
16 though, does have a long history of resource extraction.
17 Places like Minnesota and Wisconsin were developed by people
18 who would get together on the weekend and help the neighbor
19 put up their neighbor's farm. Colorado was developed by
20 people who said if you step foot on my mining claim, I'm
21 going to blow your head off.

22 It's only in the last part of this last century
23 that we've seen air to be a finite resource. The automobile
24 industry, the trucking industry, and other industries that
25 create air particulates and gases, use the air as a sink to

1 discard their waste, and they do that, it helps them, it's an
2 inexpensive way to get rid of their waste, and they don't
3 have to pay for it, and the cost is borne by the whole
4 population of the state or the basin or wherever the air shed
5 is.

6 I'm not an expert on the technical proposal, but I
7 do feel very protective of the air quality here in Colorado,
8 and we do have days when the air quality is very degraded.
9 We have a burgeoning population, increasing vehicle miles
10 travelled. Because of the population, we have a great deal
11 of sprawl. People are living further and further away from
12 where they work. And as the Lung Association says, if you
13 can't breathe, nothing else matters.

14 So I would just come down here on behalf of the
15 environmental community and the people that live in
16 especially the Denver basin, and support the proposal and ask
17 that we give as much credence as possible to trying to
18 protect the air quality, although as a Coloradan and having
19 been on the Natural Resources Committee in the Colorado
20 Legislature for many years, I have found that I have been
21 infected by the desire to have as few unnecessary federal
22 regulations as possible, even though I support protecting the
23 environment. So I would tailor the proposal narrowly for the
24 purpose, and I appreciate the time that I had to testify.

25 MR. GRUNDLER: Thank you very much, Representative

1 Gordon. If I could ask further indulgence of the panel, and
2 I'd like to invite up Mr. Young, who's representing
3 Congressman Udall's testimony. Mr. Young needs to leave by
4 3:30, so if you don't mind, I'd like to ask Mr. Young to
5 represent Congressman Udall's comments.

6 MR. YOUNG: Thank you very much for indulging me.
7 I apologize for my time constraint. What I have done is
8 brought with me a letter from Congressman Mark Udall who
9 represents the Second Congressional District here in
10 Colorado. He's written a letter commenting to Carol Browner
11 on these proposed regulations that are before you today that
12 you're discussing.

13 It's a lengthy letter. I brought a number of
14 copies, which I think you have. I don't intend to read the
15 whole letter, but I thought what I would do is highlight just
16 a couple of provisions in it. It is addressed to Carol
17 Browner, and the operative sentence, or section, of this
18 letter is the opening one which says, "I am writing to
19 express my support for the U.S. Environmental Protection
20 Agency's proposed air quality regulations concerning reduced
21 sulfur content in diesel fuel and heavy-duty engine
22 standards," which were published in the Federal Register on
23 June 2nd.

24 "EPA's proposal to cut a variety of harmful air
25 pollutants from large diesel trucks and buses would have

1 important public health and environmental benefits for
2 communities in Colorado. Cleaner, low sulfur diesel fuel is
3 a critical ingredient of EPA's initiative, enabling state-of-
4 the-art control technology that will reduce millions of tons
5 of air pollution from neighborhoods and communities across
6 the country."

7 He then goes on to talk a little bit about his
8 support for the Tier 2 regulations, which were similar in the
9 sense of removing sulfur from gasoline, and for standards for
10 sport utility vehicles and like type vehicles. So I'll skip
11 that.

12 But I will continue on with the rest of the letter,
13 saying that, "Many studies have proven that diesel emissions
14 produce pollution that can be breathed deeply into the lungs
15 causing very serious respiratory effects, especially to the
16 very young and the elderly. It is estimated that over
17 470,000 children and 226,000 elderly in Colorado are at risk
18 for lung disease or respiratory distress because of unhealthy
19 levels of air pollution. Moreover, national, state and
20 international health agencies have determined that diesel
21 exhaust is a probable human carcinogen, and related to
22 increased incidences of lung cancer. We must do all that we
23 can to reduce the air pollution from large diesel trucks and
24 buses in our communities.

25 In so doing, smog air pollution in Denver could be

1 cut, toxic air pollution in our communities could be curbed,
2 Denver's brown cloud could be reduced, acid rain in our
3 forests and watersheds could be mitigated, visibility
4 throughout Colorado could be improved, and health impacts
5 from soot could be reduced, thus improving quality of life."
6 I'll end it there, saying that he finishes by concluding,
7 saying, "I commend the EPA for keeping at this issue and in
8 developing standards that will help improve the quality of
9 life in our communities for years to come." Sincerely,
10 Congressman Mark Udall.

11 Thank you for giving me the opportunity to present
12 these remarks from the Congressman.

13 MR. GRUNDLER: Thank you very much. And while
14 we're hearing from members of Congress, Mr. Arend, why don't
15 you present your member's views.

16 MR. AREND: My name is Chris Arend and I'm an aide
17 with Congresswoman Diana DeGette, who represents the First
18 Congressional District here in Colorado, and she regrets that
19 she was not able to be here today. She's back in Washington
20 trying to get our budget passed through. But she has asked
21 me to read a statement into the record that I would like to
22 give right now.

23 "As a member of Congress representing the City of
24 Denver, Commerce City, and parts of Aurora, Colorado, I am
25 greatly concerned about our metro area's air quality. In the

1 early years of Denver, many people moved to our City to take
2 in our fresh dry air, to find some respite from devastating
3 diseases such as tuberculosis. Today, our once fresh dry air
4 is often infected with an ominous brown cloud over our city
5 obscuring views of white capped mountains only miles to the
6 west.

7 While the air quality over the Denver metro area
8 has greatly improved since the red alert days 20 years ago,
9 it seems we still have work left to do before we can breathe
10 the fresh dry air so coveted by our ancestors. While it may
11 be technically safe to be outside again, it is obvious we
12 continue to face challenges towards cleaning our air.

13 To move towards cleaner air, I support the
14 Environmental Protection Agency's proposed Heavy-Duty Engine
15 and Vehicle Standards and Highway Diesel Fuel Sulfur
16 Requirements. This initiative will help to modernize our
17 diesel fleet and bring controls to diesel fuel and diesel
18 engines comparable to regulations which already apply to
19 individual cars and trucks.

20 I understand there will be added costs for trucking
21 companies and for fuel refineries to produce lower sulfur
22 gas. However, there are refineries currently cost
23 effectively producing lower sulfur diesel fuel. Also, the
24 Department of Energy and industry are now working together to
25 bring about highly efficient clean diesel engines to power a

1 new generation of diesel trucks and vehicles.

2 Overall, I feel the long-term benefits of these
3 rules will outweigh the short-term inconvenience these
4 industries may feel. It is shocking to hear that according
5 to the American Lung Association of Colorado air pollution
6 places 400,000 children and 226,000 elderly at risk in
7 Colorado for lung disease, while diesel particulates may be
8 responsible for 1,220 cancers in Colorado. It's also
9 concerning to hear that nationally, the Health Effects
10 Institute of Cambridge, Massachusetts, found a 1 per cent
11 increase in the death rate for each small increase of tiny
12 particulates in the air, and a 2 per cent to 4 per cent
13 increase in hospitalization of the elderly.

14 Anyone behind a bus or a semi-truck can tell that
15 diesel vehicles spew a tremendous amount of particulates in
16 the air. These new regulations proposed by the EPA not only
17 will reduce the problem of diesel particulates, but will
18 improve diesel engines and diesel fuel overall to allow for
19 immediate pollution reductions.

20 by the time these regulations are fully
21 implemented, nitrogen oxide emissions, a major contributor of
22 smog from highway diesels, will be reduced by 95 per cent,
23 and particulate emissions will be reduced by 90 per cent.
24 the gains and potential health benefits from these
25 regulations are so great that I would encourage the EPA to

1 implement these rules even earlier than the 2010 targeted
2 phase-in date. As far as I'm concerned, it is never too late
3 to have cleaner air to improve the quality of life for our
4 children and elderly citizens.

5 Thank you for the opportunity to submit these
6 comments to you today. I hope in the near future, after
7 these regulations are implemented, we all will be able to
8 take deep breaths of our historical fresh clean dry air and
9 continually gaze upon the beautiful mountain vistas of
10 Colorado's Front Range."

11 Thank you.

12 MR. FRANCE: Thank you. The next testifier,
13 Lucinda Smith.

14 MS. SMITH: Thank you. My name is Lucinda Smith,
15 and I'm a Senior Environmental Planner with the City of Fort
16 Collins in Air Quality. But today, I'd like to share with
17 you comments prepared by our Mayor, Ray Martinez. He sends
18 his apologies that he couldn't be here today. Prior
19 commitments prevented him from being here. If it's
20 acceptable, I'd like to just read his letter.

21 "Dear Sir or Madam. I am providing comments on
22 behalf of the City Council and the 110,000 plus residents of
23 the City of Fort Collins, Colorado. I would like to start by
24 thanking EPA for the progressive work they have done to
25 protect air quality, first by promoting tighter Tier 2

1 standards, and now by proposing more stringent diesel
2 emission standards and fuel controls. I also thank you for
3 the opportunity to make comments on this important issue.

4 As a member government of ALAPCO, Association of
5 Local Air Pollution Control Officials, I should say that Fort
6 Collins heartily endorses the comments provided recently by
7 STAPPA and ALAPCO on this proposed rulemaking. By making
8 these comments, I can offer you the perspective of one local
9 community in the north Front Range of Colorado.

10 Fort Collins is a community interested in improving
11 local air quality, protecting the health of our citizens, and
12 preserving our good quality of life. As such, we urge you to
13 adopt more stringent emission standards for heavy-duty diesel
14 trucks and buses as soon as possible. We also urge you to
15 adopt the 15 part per million cap on sulfur in diesel fuel
16 proposed for the year 2006. There's several reasons we urge
17 you to do this.

18 First, the proposed standards will help us achieve
19 local as well as federal air quality goals. The city's own
20 air quality goal is to continually improve air quality as the
21 city grows. We put a lot of effort into programs such as
22 reducing traffic growth, improving traffic flow, enhancements
23 to the state's inspection and maintenance program, smoking
24 vehicle enforcement, and buying alternative fueled vehicles.
25 However, nothing has been more effective in reducing per mile

1 emissions historically than tighter federal emission
2 standards.

3 Second, the proposed standards would help reduce
4 ozone, which is a pollutant of growing concern along the
5 Front Range. In 1998, Fort Collins came close to violating
6 the ozone standard. The diesel control program proposed by
7 EPA would result in significant reductions in NOx and
8 hydrocarbon emissions, both important ozone precursors.

9 Third, the proposal would help improve visual air
10 quality. When we survey Fort Collins residents, they tell us
11 that pollution affects them most by creating the brown cloud
12 and obscuring mountain views. Our current air quality is
13 worse than the state's visibility standard about one in three
14 days. By reducing fine carbon particles, NOx and hydrocarbon
15 emissions, the proposed diesel program would have a positive
16 impact on air quality. Local data collected in 1997 as part
17 of the north Front Range air quality study indicates that
18 nitrate aerosols account for 29 per cent of wintertime
19 visibility impairment from fine particles, and elemental
20 carbon accounts for another 24 per cent. NFRAX also reports
21 that it is NOx, not ammonia, that limits the formation of
22 nitrate aerosols in Northern Colorado. Therefore, the
23 proposed reduction in NOx emissions, as well as fine
24 particulates, should lead to improvements in visibility.

25 And, finally, an increasing number of scientific

1 studies have linked diesel emissions with cancer. Both the
2 South Coast Air Quality Management District study and the
3 STAPPA/ALAPCO study provide evidence of a significant cancer
4 threat from diesel particulates. These studies provide a
5 compelling reason for EPA to act aggressively to address
6 emissions in diesel engines.

7 For all these reasons, the City of Fort Collins
8 supports adoption of the rules. We also urge EPA to take the
9 following additional steps. One, ensure that heavy-duty
10 diesel vehicles meet the emission standards while in use, not
11 just during engine tests. Two, step up the development of
12 rulemaking for non-road diesel equipment. And, three, ensure
13 that the diesel rules provide incentives to promote the use
14 of advanced technologies, such as electric buses or fuel
15 cells as they become available for the heavy-duty fleet.

16 Thank you once again for the opportunity to comment
17 on behalf of Fort Collins citizens and City Council.
18 Sincerely, Ray Martinez, Mayor."

19 Thank you.

20 MR. FRANCE: Thank you. And thank you to the
21 entire panel for sharing your views with us.

22 We'll take exactly a five minute break and we'll
23 reconvene promptly.

24 (Off the record.)

25 MR. FRANCE: Okay, the next panel, Dominica Ottero,

1 ken Toltz, Robin Hubbard, Clark Wilson, Anna Brower. And why
2 don't we call up a few more from the next panel. Paul
3 Argyropoulos, Jim Stevenson.

4 Mr. Toltz, when you're ready?

5 MR. TOLTZ: I'm ready.

6 Well, good afternoon. My name is Ken Toltz. I'm
7 the president of Dependable Cleaners, a 70 year old family
8 owned and operated chain of dry cleaners in the Denver metro
9 area. And in the interest of full disclosure, I'll also let
10 you know that I'm the Democratic candidate for United States
11 Congress here in Colorado's Sixth Congressional District.

12 I want to thank you for the opportunity today to
13 comment on EPA's proposed emission standards for large diesel
14 trucks and buses, and the corresponding requirement for
15 cleaner diesel fuel.

16 As a native Coloradan, I have personally witnessed
17 the decline in Denver metro area's air quality over the past
18 43 years. And it's no surprise that the visible pollution
19 emitted by large diesel burning vehicles has made a strong
20 impact on public opinion. I applaud the EPA for recognizing
21 that improving our quality of life and health requires
22 vigilance and action to ensure that our natural environment
23 can be enjoyed by generations to come.

24 There is enough scientific evidence supporting the
25 fact that pollution from diesel vehicles is a contributor to

1 air pollution, and has a wide range of health impacts,
2 including increased asthma attacks, cardiopulmonary ailments,
3 and even premature death, and we can no longer turn a blind
4 eye. I myself do not claim to understand all of the
5 intricacies and chemical reactions which contribute to the
6 causes and manifestations of pollution. I'm not here today
7 to discuss these facts or how scientists have arrived at
8 them. However, it doesn't take a science degree to see the
9 brown cloud which looms over Denver and recognize that its
10 very existence is evidence of pollution's threat to the
11 ongoing health of our community.

12 As a businessman, I understand that interstate
13 commerce depends upon moving products quickly and efficiently
14 from point of origin to destination. America's fleets of
15 diesel long-haul carriers, which are largely independently
16 owned and operated small businesses, must be able to move
17 products cost effectively and environmentally responsibly.
18 Mass transportation in America's cities which depend upon
19 diesel powered buses is under a similar cost pressure. Large
20 construction vehicles, usually powered by diesel engines, are
21 also in use daily, as are many business delivery vehicles.

22 In short, the scope of this problem is huge.

23 the EPA is acting in the best interests of our
24 nation's health in proposing strict new standards for diesel
25 engines to reduce the emissions of particulate matter and

1 NOx.

2 And while I support the EPA's proposed emission
3 reduction guidelines, I am very concerned about the proposed
4 delay in its implementation. EPA has proposed a phase-in of
5 the NOx emission standards to take effect between 2007 and
6 2010. This is an unacceptable compromise. Not only should
7 EPA require strict new emission standards, it must also
8 include strict enforcement provisions.

9 We must also recognize that these proposed changes
10 come at a cost to thousands of businesses and potentially
11 millions of American consumers. I believe that the federal
12 government should consider implementing specific tax
13 incentives to encourage businesses to make these changes well
14 ahead of the 2007 deadline.

15 When the public health is at stake, it's in all of
16 our interests to recognize that the costs of compliance are a
17 public interest. If tax incentives encourage the conversion
18 of thousands of diesel engines sooner than seven to ten
19 years, the nation benefits and the costs of conversion are
20 not unfairly borne by the transporters.

21 Ultimately, the goal is to clean up our air by
22 having businesses comply with the standards as soon as
23 possible, not as late as possible.

24 This is an opportunity to rethink how our
25 governmental agencies interact with businesses. I believe

1 the federal government should help businesses facilitate the
2 compliance process, and I'm here today to encourage a focus
3 on providing needed and meaningful incentives to businesses
4 to encourage compliance with the new standards long before
5 the 2010 final deadline.

6 Over the past several years, I have been personally
7 involved as a representative of Colorado's small businesses
8 in the effort to improve Denver metro area's air quality. As
9 a member of the board of the Corporate Alliance for Better
10 Air, part of the Regional Air Quality Council, and a member
11 of the Colorado Department of Public Health and the
12 Environment's Compliance Advisory Panel, a position mandated
13 by the Clean Air Act, I have focused on increasing business
14 involvement in pursuit of clean air and stronger
15 environmental standards by working to enhance and streamline
16 the communications between EPA, the Colorado Department of
17 Health, and local businesses.

18 As an environmentally conscious business owner, I
19 recognize the challenges independently owned and operated
20 businesses face when attempting to both run a business and
21 operate in an environmentally responsible manner. However,
22 governmental policy which focuses on punitive measures in
23 enforcing compliance of existing and new environmental
24 standards, creates an adversarial relationship which often
25 results in delays and legal challenges. When public health

1 is at stake, it's in all of our interests to recognize that
2 the costs of compliance and the timing of implementation are
3 a public interest.

4 If tax incentives encourage the conversion of
5 thousands of diesel engines sooner than seven to ten years,
6 we benefit, our children benefit and our nation benefits.

7 Thank you.

8 MR. FRANCE: Thank you, Mr. Toltz. Robin Hubbard?

9 MS. HUBBARD: Welcome to Denver and thank you for
10 the opportunity to speak. My name is Robin Hubbard and I'm
11 the field director for CoPIRG, the Colorado Public Interest
12 Research Group. We have 14,000 citizen members across this
13 state, and we're going to host public interest issues ranging
14 from protecting the environment to trying to stop consumer
15 rip offs and promoting good government.

16 So just to preface my comments, I'd like to welcome
17 you to Colorado and talk a little bit about it. We're
18 actually one of the fastest growing states in the country.
19 Of the five fastest growing counties across the nation, four
20 are here. So we're faced with an incredible amount of
21 sprawling development, and the unfortunate negative impacts
22 that come with that. It includes loss of open space,
23 battling traffic congestion, and key to the issue at hand
24 today, lower air quality.

25 So Colorado citizens have our work cut out for us

1 at the state level to stop sprawl and improve air quality,
2 and unfortunately the picture won't be complete unless we
3 clean up diesel. Big trucks and buses contribute more than
4 their fair share to the air pollution problem. Heavy-duty
5 vehicles are responsible for 36 per cent of the smog-forming
6 pollution, and 59 per cent of the soot pollution emitted by
7 all vehicles on the road in Colorado today.

8 Although big trucks and buses are among the biggest
9 pollution sources, the oil industry and engine manufacturers
10 have done very little to curb this pollution. In fact,
11 they've cheated on their emissions tests in the past,
12 resulting in an extra 1.3 million tons of smog-forming
13 pollution each year. So in order to protect the public
14 health, we must require drastic reductions in pollution from
15 these large trucks and buses.

16 However, because high sulfur fuel will poison the
17 new diesel clean-up technologies, we must ensure that all
18 diesel fuel is fully cleaned up and ready and available
19 before the trucks are required to clean up.

20 So, therefore, in order to ensure that all cleaner
21 trucks will have access to the clean fuel necessary to run
22 them, CoPIRG urges the EPA to require diesel sulfur fuel
23 levels for both on and off-road vehicles, with a cap of no
24 more than 15 parts per million sulfur nationwide by 2006.

25 Cleaning up diesel fuel by 97 per cent will allow

1 the EPA to cut smog-forming pollution by 95 per cent in 2007
2 and soot pollution by 90 per cent in that same year.
3 However, the EPA is proposing to wait until 2010 to fully
4 clean up smog-forming pollution from these vehicles. So this
5 means that Coloradans will have to wait ten years before all
6 new trucks are cleaned up. There should be no phase-in
7 period for reductions in smog-forming pollution.

8 In addition, the EPA should take measures to ensure
9 that big trucks are meeting the emission standards on the
10 roads, not just during the engine tests. Specifically, both
11 in-use and on-board diagnostic equipment should be required
12 for all heavy-duty trucks by 2007.

13 Finally, the EPA should increase the use of
14 advanced technology vehicles, such as electric buses or fuel
15 cell trucks. The EPA should include a provision in the
16 heavy-duty rule that would provide incentives to introduce
17 more of these cleaner efficient diesel alternatives into the
18 heavy-duty fleet. And this we believe is the direction that
19 we should be heading long-term.

20 So these provisions are necessary to protect the
21 public health, and we ask that you include them in your final
22 rulemaking. And, again, we appreciate the opportunity to
23 comment today.

24 MR. FRANCE: Thank you. Clark Wilson?

25 MR. WILSON: My name is Clark Wilson. I work at

1 the Colorado Department of Health and Environment as a food
2 inspector. My personal stake in stricter diesel emission
3 control is that I am an avid recreational and commuting
4 bicyclist, riding approximately 3,000 miles a year. I want
5 to maintain a healthy lifestyle and breathe clean air.
6 Improving diesel emission through readily available
7 technology, as has been demonstrated in Europe and Asia, will
8 increase air quality in urban areas for both cyclists like
9 myself and for all citizens interested in outdoor recreation.

10 I encourage EPA to enact diesel emission standards
11 that will decrease sulfur emissions by 97 per cent, decrease
12 particulate emissions by 90 per cent, and decrease NOx
13 emissions by 95 per cent.

14 I want to also encourage EPA to apply the standards
15 to working engines rather than idling engines set up under
16 ideal conditions. Increased costs of a few cents per gallon
17 and approximately \$1,500 per engine are far outweighed by
18 benefits for air quality and lung disease.

19 Thank you.

20 MR. FRANCE: Thank you. Anna Brower?

21 MS. BROWER: Thank you. I am here today as a
22 representative of COPEEN, the Colorado People's Environmental
23 and Economic Network. We're a statewide organization, an
24 environmental justice organization based in Northeast Denver
25 here, and I am here to testify on behalf of these

1 communities, mainly low income and largely comprised of
2 people of color, the populations that are most impacted by
3 most forms of environmental irresponsibility about the EPA's
4 proposed standards for diesel trucking emissions.

5 I so apologize, it is an organization of people of
6 color. We were not able to send a person of color today,
7 because I can see that diversity is a little lacking this
8 afternoon.

9 The communities in which COPEEN works are inundated
10 with pollution from myriad sources, but diesel trucks have
11 been a particularly persistent problem since the state laid
12 the interstate right through our neighborhoods. Nearly 5,000
13 diesel trucks make up the 38 fleets registered in our zip
14 code, 80216, and this number does not even reflect all the
15 fleets located in those communities. Motor vehicles in our
16 neighborhoods, of which diesel trucks are the most numerous,
17 contribute a vast majority of the carbon monoxide that
18 poisons the air, and nearly half of the particulate matter
19 that darkens and dirties it. And if it weren't for the
20 numerous refineries and factories also located in our
21 neighborhoods which release nearly 20,000 tons of sulfur
22 dioxide a year, motor sources would be largely responsible
23 and accountable for that pollutant, too.

24 Higher standards for diesel truck emissions and
25 fuel will not solve all of our problems with diesel trucks in

1 Northeast Denver. The sheer volume of diesel truck traffic
2 through our communities has led to innumerable problems.
3 Pedestrians and motorists are hit and killed by speeding
4 trucks. The weight of wandering trucks tears up our roads
5 and creates an unacceptable level of noise. Obviously, poor
6 air quality is only one of many consequences our
7 neighborhoods are forced to bear for the rest of the city.
8 But these newer higher standards, we feel that they will not
9 be stringent enough or imposed quickly enough, as the
10 incidence of childhood asthma is on the rise in these
11 communities and chronic fatigue, particularly in the winter
12 months is endemic for those who live and work in our area.

13 We feel that the new standards are a step in the
14 right direction, and we ask that the government do the
15 responsible thing and approve the higher standards,
16 recognizing that this action will only be a foundation for
17 more future progressive action. And in doing so, the
18 government will help our industries and trucking fleets, who
19 are our neighbors, make the improvements they should already
20 be making on behalf of the residents to whom they purport to
21 be reaching out.

22 Thank you very much.

23 MR. FRANCE: Thank you. Paul Argyropoulos?

24 MR. ARGYROPOULOS: Thank you, Chet.

25 First, I want to commend everybody for those of you

1 who are still in the room, especially those who stayed
2 throughout the day who are not speakers at the end of the
3 day. So I appreciate that.

4 Good afternoon. My name is Paul Argyropoulos and
5 I'm here to testify on behalf of Douglas Durante, who's the
6 executive director of the Clean Fuels Development Coalition.
7 Clean Fuels Development Coalition is a not for profit
8 organization representing a diverse set of interests in the
9 associated industries interested in furthering the
10 development, production and use of cleaner fuels for the
11 transportation industry.

12 By combining the efforts of a variety of these
13 industry interests, the coalition provides a conduit to help
14 further the development of national energy strategy and clean
15 air strategies to foster the development of new fuel
16 technology and manufacturing processes.

17 The diversity of CFDC members and interests include
18 automotive, refining, agricultural, design and engineering,
19 and others interested in the development of clean fuels.
20 CFDC and its members would like to thank the U.S. EPA for the
21 opportunity to testify at today's hearings, and offers the
22 following general comments to the agency's proposed rule.

23 While today's comments are primarily directed at
24 the diesel sulfur control portion of the proposal, CFDC
25 recognizes that these proposed revisions are integrally

1 linked to the vehicle and engine standards and that both
2 engine technology and fuel quality regulations must be
3 addressed as a system and not as a separate process.

4 EPA's proposed rule offers a pathway that will
5 reduce current diesel sulfur levels from the current
6 regulatory standard of 500 parts per million for on-highway
7 fuels, down to 15 parts per million by mid 2006. This
8 significant sulfur reduction is proposed to enable the new
9 2007 and beyond engine and vehicle after-treatment
10 technologies for application on the heavy-duty engines and
11 vehicles to achieve the proposed emission standards.

12 The application of these emission reduction
13 technologies will be required in both heavy-duty and several
14 weight classes of heavy-duty vehicles beginning with the 8500
15 pound gross vehicle weight category, up to the 14,000 pound
16 category. While these fuel quality changes are being
17 proposed to enable the on-highway heavy-duty vehicle engines,
18 this will also be available for use in the on-highway light-
19 duty sector at the point that the fuel is required, and those
20 vehicles ultimately will be able to assist in meeting the
21 Tier 2 standards.

22 In the United States, diesel powered trucks, vans,
23 sport utilities are capturing larger percentages of the
24 transportation market, and overall, the demand for diesel in
25 the United States is growing three times faster than

1 gasoline. The conversion from gasoline to diesel engines
2 grew 44 per cent rate from 1997 to 1998. And while it is not
3 yet clear what role diesel will play in the light-duty
4 market, there are factors that could push this sector toward
5 production of light-duty diesel vehicles. Efficiency and
6 global climate change issues may all play a role in shaping
7 the transportation demand in the future.

8 Another very important factor is the changes in the
9 way consumers purchase their products and goods. Online or
10 e-commerce is already shifting the distribution avenues of
11 products and goods. These new patterns will influence how
12 goods and products are ordered and delivered, and it is
13 highly probable that compression ignition technology will be
14 selected to power these delivery fleets supported by the
15 technologies, energy efficiency, and the durability
16 advantages that it holds.

17 Even in consideration of these unknowns, the
18 Department of Energy estimates that Americans will consume
19 1.93 billion barrels per day of diesel in 2000, and 2 million
20 barrels per day in 2010. A large portion of this distillate
21 fuel is for the transportation sector. And if demand
22 continues, 100,000 per day of incremental diesel will be
23 needed to keep pace.

24 With the air quality and public health issues
25 surrounding diesel emissions, it is expected that the

1 additional emission controls are necessary. While the
2 projected growth in diesel industry and the potential shift
3 in purchasing and distribution of goods, the need for
4 additional air quality safeguards must be carefully
5 considered.

6 There are also questions of how this rule may
7 affect the availability of supply in the West. Refiners will
8 be required to meet increased diesel production demands
9 driven by continued growth in the diesel market, while also
10 being further constrained by the additional improvements in
11 fuel quality standards.

12 Supply shifts, product distribution, availability
13 and other issues and impacts are not truly known at this
14 time. These issues will likely be exacerbated by the fuel
15 quality improvements also being required internationally in
16 the European Union and elsewhere around the globe.

17 With more challenges placed on regional refineries
18 and less opportunity for exportation of the refined products
19 due to local demands, demand in the U.S. must keep pace with
20 both volume and product quality specifications. As currently
21 proposed, these fuel quality emission standards would also
22 advance the agency's goals and the public's interest of
23 improving our nation's air quality and protecting the
24 environment and public health.

25 While this rule challenges the refining and

1 automotive industries and the related product industries, and
2 these challenges must not be taken lightly, it may also
3 create new opportunities for these industries. In addition,
4 if viewed from a conventional perspective, the challenges the
5 industries face in achieving these new standards can appear
6 burdensome. If less conventional thinking is applied, there
7 may be alternatives available that can reduce the burden and
8 create new opportunities for cleaner and cost effective fuels
9 or fuel blending components that will allow for further
10 advances in emission control technologies.

11 One example of such an opportunity resides with
12 synthetic diesel fuels. Knowledge of production of clean
13 sulfur free high cetane synthetic diesel has been around for
14 over 50 years. Gas to liquid, or GTL technologies have and
15 continue to rapidly advance. There are multiple companies
16 with process technologies currently available today,
17 including Exxon, Shell, Sassel, several CFDC member
18 companies, such as Centroleum Corporation of Tulsa, Oklahoma
19 and Rentec.

20 Centroleum Corporation has developed a commercial
21 process to convert natural gas into ultra clean fuels. This
22 process results in fuel which meets or exceeds the properties
23 specified in ESTMD-975, which is a fuel highly suitable for
24 the advanced compression ignition engines. Synthetic diesel
25 is physically similar to petroleum based diesel, but it has

1 superior combustion capabilities, contains no detectable
2 sulfur, aromatics, olefins or metals, and has a low density
3 and high hydrogen content.

4 The fuel also has a cetane number that exceeds 74.
5 While all of these fuel quality characteristics are highly
6 desirable, what does this really mean with respect to
7 environmental benefits and the benefits of having this
8 technology available to the industry to help comply with new
9 rules? Independent tests conducted as part of the EPAC
10 petition process compared engine technologies of the EPA on-
11 highway diesel and conventional diesel fuels, and with that
12 of Centroleum synthetic diesel. These tests revealed that
13 emissions were significantly lower than that of the other
14 conventional fuels tested. I will not go through what the
15 specific reductions were, but they were significant in both
16 nitrogen oxides and in particulates, as well as in air toxic
17 emissions, when compared to both EPA and diesel.

18 There are also some very basic important advantages
19 beyond emission characteristics. These advantages include
20 the increased need for cleaner sources of energy, the strong
21 favorable environmental characteristics of synthetic diesel
22 fraction, and the ability to use GTL product in the
23 conventional refining and petrochemical scheme, and the
24 simple logistics of using existing infra-structure in
25 production and distribution.

1 Additionally, GTL technology potential to convert
2 vast unutilized natural gas reserves to the high value
3 product such as ultra clean diesel is immense, creating the
4 potential to make synthetic diesel one of the examples with
5 better stated opportunities available to assist the industry
6 in complying with producing a clean quality fuel that can be
7 used directly as a fuel product, or used as a quality fuel
8 blending component to enhance the existing quality of the
9 product streams.

10 As the agency reviews the comments and the proposed
11 rule, it must carefully weigh not only the impact on the
12 conventional industries, including the fuel product refining
13 and distribution sectors, the engine and vehicle
14 manufacturers and related product sectors, but also the other
15 currently less conventional industries. Consideration of
16 alternative process production and technologies must be
17 assessed and factored into how the agency moves forward and
18 what opportunities exist to achieve the air quality and
19 public goals. These important environmental and public
20 policy objectives should also factor in the cost effective
21 pathway for the introduction of cleaner burning fuels or fuel
22 components, such as synthetic diesel.

23 Consideration of how the goals of EPAC and the
24 Clean Air Act can align conventional and less conventional
25 products and markets are vital to further progress in fuel

1 and emission technology, and the intended benefits of cleaner
2 air. What started out as a niche market in the early 1900s
3 with the motor car and petroleum based fuels has grown into
4 two of the most diverse and technologically advanced
5 industries of today.

6 Today's alternative products, both fuel and vehicle
7 technologies, may be the niche market of tomorrow, and vastly
8 become tomorrow's conventional products. Recognizing the
9 potential benefits and how they can play a role either
10 direct, niche or supported, is vital to both today's and
11 tomorrow's consumer, and the vitality of the industries.

12 CFDC thanks EPA for the opportunity to testify
13 today, and looks forward to providing additional comments
14 throughout the proposed public process.

15 Thank you.

16 MR. FRANCE: Thank you. Jim Stevenson?

17 MR. STEVENSON: Thank you for letting me appear
18 here today.

19 My name is Jim Stevenson. I'm the Quality Control
20 Lab Manager for CENEX Harvest States Refinery located in
21 Laurel, Montana. I was raised on a small farm in Kansas, and
22 have always been very closely associated with rural America.

23 Today, I want to address several issues dealing
24 with the proposed sulfur in diesel fuel rule.

25 First, farmers have specific times of need. As a

1 refinery working for a rural American farmer owned
2 cooperative, we want to strive to provide a clean quality
3 fuel for the environment, yet still be able to compete in a
4 very tight and costly marketplace to provide our owners a
5 secure product supply, one that is always available when the
6 plowing or harvest needs to be done, at a fair market value.
7 Our 325,000 farmer owners need both on-road and off-road
8 diesel at these very specific times of the year. Their
9 petroleum supplies should never be put at risk. The
10 likelihood of putting them and rural America's needs at risk
11 will be greater at a 15 ppm standard level than at a 50 ppm
12 standard, because many refineries will delay upgrades longer
13 or opt not to convert to the very costly 15 ppm standard.

14 Second, desulfurization units are costly. We
15 believe that a 15 ppm sulfur standard which equates to a 5 to
16 10 ppm production standard would require high pressure two
17 stage desulfurization units. This requires new equipment
18 design, and would force us to build a very expensive totally
19 new unit due to plot space limitations at our refinery. A
20 standard of 50 ppm could probably be achieved with modifying
21 existing units, although still at considerable cost. CENEX
22 Refinery has historically used crude oils with very high
23 sulfur. Besides having more environmental and maintenance
24 issues associated with the process of high sulfur crude oils,
25 we will experience even more difficulty in that our diesel

1 fuel stock will contain much harder to treat sulfur
2 compounds. This will put our refinery at risk being able to
3 treat diesel fuel to the ultra low level of 15 or less
4 without extremely high pressure units, given the utilization
5 of unproven technology for our type of sulfur mix we will
6 experience.

7 Third, possible diesel fuel production loss. Even
8 with a state of the art unit, hard to treat components may be
9 diverted or have to be diverted to other uses. This would
10 result in lost diesel production and higher diesel costs.

11 Fourth, betting on unproven technology. An issue
12 we feel weighs heavily against going with the proposed 15 ppm
13 limit is the 15 ppm limit is utilizing some unproven state of
14 the art designs which surely cannot be operated at 100 per
15 cent unit reliability. These new designs are not yet proven
16 or reliable for industry-wide use. Therefore, the new units
17 must be designed with excess capacity for rerun capability
18 including additional intermediate storage.

19 If we do not build extra storage capacity and we
20 have any problems that arise during normal operations, the
21 total refinery production could be lost, including gasoline,
22 diesel fuel, and propane, along with our other products from
23 the facility. Gasoline and propane are also very important
24 components to rural America in harvesting and drying grain.
25 Any disruptions in the supply will result in price spikes at

1 a time when the farmer has no choice but to buy at an
2 elevated price. Contrary to the farmer, an SUV owner has a
3 choice not to buy at the higher price level.

4 Our farmers should already be on the endangered
5 species list. Let's not eliminate them entirely with these
6 proposed rules by putting our food chain at risk of not
7 getting fuel supplies at very critical times in the farming
8 operation.

9 Fifth, possible pipeline restraints. Our
10 cooperative owned refinery is located in Montana, and we
11 depend greatly on common carrier pipelines to move our
12 product to the farmer. No pipelines currently carry a higher
13 off-road sulfur diesel fuel/heating oil. They carry only low
14 sulfur number one heating oil and low sulfur number two
15 diesel fuel/heating oil that is utilized for both on-road and
16 off-road diesel fuel/heating oil. Lowering the sulfur to 15
17 ppm would both force a very excessive processing cost, along
18 with a very expensive supply distribution system to start
19 providing two additional grades of diesel fuel/heating oil,
20 which would be high sulfur number one diesel and high sulfur
21 off-road diesel. We'd have to start doing that.

22 With a 50 ppm standard, the off-road diesel
23 fuel/heating oil could continue to be produced at the same
24 low levels as the on-road diesel fuel, at least for some off-
25 road engines. If the nation went to a 50 ppm total

1 distillate sulfur standard, on-road/off-road/heating oil, the
2 effect would be far greater total reduction in sulfur
3 compounds, therefore, making large air pollution improvement,
4 at least in sulfur reduction.

5 As you can see, in a relative small supply market
6 region such as the Rocky Mountain region, PADD IV, the
7 addition of two more grades of diesel fuel, along with the
8 excessive cost to make an ultra low level sulfur diesel, will
9 not only provide a larger cost burden to be borne by our
10 farmers, but will put their supply at risk during these
11 critical usage periods.

12 Sixth, we need another reference test method. As a
13 chemist for a small refinery, I want to address the issue of
14 EPA not yet approving a method of analysis such as ASTM D-
15 5453 as an approved method of analysis. Under the gasoline
16 rule and under the proposed diesel fuel rule, the only
17 approved method is the ASTM D-2622, modified for diesel fuel,
18 that can be used for compliance issues. We don't have
19 laboratory room or large capital dollars to purchase two
20 expensive analyzers and the D-2622 will not provide a level
21 of accuracy at a low 1 to 10 ppm level that will be required
22 to determine credits for gasoline sulfur levels.

23 I suggest EPA approve an additional method such as
24 ASTM d-5453, so that we would not have to purchase and
25 maintain two expensive analyzers when a single method should

1 be sufficient.

2 In conclusion, we recommend the EPA rescind and
3 reconsider the proposed sulfur in diesel fuel rule. We feel
4 strongly a study should first be conducted to see if a 15 ppm
5 is even feasible, or will this standard put the nation into a
6 total fuel supply chaos.

7 Any new rulemaking should include the following: a
8 50 ppm cap sulfur standard, no phase-in, no dual highway low
9 sulfur diesel fuel specifications. And we would want to know
10 what the off-road diesel fuel standard is going to be at the
11 same time.

12 Thank you.

13 MR. FRANCE: Thank you, and thank you to the entire
14 panel.

15 The next panel, Jody Kennedy, Tom Byers, Dale Hill,
16 Daryn McBeth, Dr. Maury Albertson.

17 Ms. Kennedy, when you're ready?

18 MS. KENNEDY: Hi. Thank you for letting me speak
19 on this important issue. My name is Jody Kennedy, and I'm a
20 membership director for the Colorado Environmental Coalition.

21 Born 35 years ago, the Colorado Environmental
22 Coalition represents thousands of individual members across
23 Colorado, and over 50 citizen organizations. The coalition
24 is a grassroots action arm of Colorado's environmental
25 movement, mobilizing citizen campaigns to assure that

1 Coloradans have a voice on decisions that impact their
2 environment.

3 On behalf of the coalition and our membership, I
4 urge you to adopt tough new emission standards for heavy-duty
5 trucks and buses as soon as possible. Colorado suffers from
6 the worst smog pollution in the United States. Our infamous
7 brown cloud hovers over the Front Range blocking our view of
8 the mountains and causing significant health problems for
9 many state residents.

10 Among those affected are Colorado's children. In
11 the last ten years, Colorado's asthma rate among children has
12 increased two times the national rate. Two members of the
13 Colorado Environmental Coalition have developed respiratory
14 problems associated with traffic pollution. Neither has
15 prior family history of respiratory disease. One is a young
16 25 year old male who developed bad asthma. He lives a
17 stone's throw away from a major truck route in Colorado
18 Springs. The other member is an elderly woman, age 76, who
19 developed emphysema. She lives right on Sixth Avenue West in
20 Lakewood.

21 Heavy-duty trucks and buses emit large amounts of
22 the smog-forming oxides and particular pollution that's
23 causing the cloud and sickness in Colorado. Even though it's
24 common knowledge that big trucks and buses are among the
25 biggest pollution sources, the oil industry and engine

1 manufacturers have done very little to curb this pollution.
2 In fact, industry has cheated on their emissions tests in the
3 past, allowing us to breathe an extra 1.3 million tons of
4 smog-forming pollution each year.

5 In order to protect the public health, we must
6 require drastic reductions in pollution from large trucks and
7 buses. The Colorado Environmental Coalition strongly urges
8 the EPA to first make low sulfur fuel available nationwide.
9 In order to reduce current emission levels, engines must run
10 on cleaner fuels. The EPA should require diesel sulfur
11 levels with a cap of no more than 15 parts per million sulfur
12 nationwide.

13 Second, we ask the EPA to clean up big trucks and
14 buses as soon as possible. Cleaning up diesel fuel today by
15 97 per cent will allow the EPA to cut smog-forming pollution
16 by 95 per cent, and soot pollution by 90 per cent by 2007.
17 Unfortunately, the EPA is proposing to wait another ten years
18 to fully clean up these big polluting vehicles, and in the
19 meantime, Colorado's brown cloud will go from brown to black.
20 The Coalition strongly requests that there is no phase-in
21 period of smog-forming pollution. Coloradans should not have
22 to wait for clean air.

23 Third, the EPA should take measures to ensure that
24 big trucks are meeting current emission standards while on
25 the road, not just during engine tests, by requiring in-use

1 and on-board diagnostic equipment for all heavy-duty trucks.

2 Finally, the Coalition asks that the EPA take
3 advantage of new technologies. They're creating clean
4 alternatives for transportation. Vehicles such as electric
5 buses and fuel cell trucks are fast becoming reliable and
6 economic replacements for big polluting diesels. The EPA
7 should include a provision in the heavy-duty rule that would
8 provide incentives to introduce more of these cleaner
9 efficient diesel alternatives.

10 These provisions I've stated are necessary to
11 protect the public health and the well being of Coloradans,
12 and I ask that you strongly consider them in your final
13 rulemaking decision.

14 Thank you.

15 MR. FRANCE: Thank you. Tom Byers?

16 MR. BYERS: Good afternoon. My name is Tom Byers.
17 I'm a Senior Government Affairs Representative with Williams
18 Energy Services, an operating unit of Williams headquartered
19 in Tulsa, Oklahoma. Although Williams is involved in nearly
20 every phase of the energy industry, our presence here today
21 relates primarily to our ownership of two refineries, one in
22 Memphis, Tennessee, the other in North Pole, Alaska, as well
23 as a petroleum products pipeline and product terminals.

24 I appreciate the opportunity to present our views
25 today on the impact of EPA's proposed ultra low sulfur diesel

1 standard rule. And rather than reiterate some of the points
2 that you have already heard from trade associations and other
3 interested parties, I will concentrate on the particular
4 problems that the rule will create for Williams' operations.

5 Williams appreciates EPA's recognition of the
6 unusual circumstances with which we are confronted at our
7 north Pole refinery, and we applaud EPA's insight in
8 proposing a transitional implementation plan. Williams is
9 pleased that EPA has proposed a process that will allow us to
10 participate in developing a regulatory framework that may
11 allow us to continue manufacturing diesel fuel for highway
12 use. While there may be differences among the various
13 parties involved, we look forward to being a fully active
14 participant and to working with the State of Alaska and other
15 interested stakeholders toward an acceptable solution.

16 Although manufacturing and distributing fuel in any
17 setting is a complex and demanding process, refineries and
18 distribution systems in the State of Alaska are presented
19 with some particularly difficult challenges. In the preamble
20 to the proposed diesel sulfur rule, and on several previous
21 occasions, EPA acknowledged the existence of those unique
22 circumstances. In 1994, EPA, pursuant to authority under the
23 Clean Air Act, exempted the state from compliance with the
24 500 ppm sulfur standard for highway diesel because of the
25 geographical, meteorological, air quality, economic and other

1 factors that are found there. In an August 19, 1996 Notice
2 of Final Decision, EPA made the following statement
3 explaining its decision to extend the Alaskan exemption for
4 highway diesel fuel.

5 "The basis for this decision is that compliance
6 with this requirement is unreasonable during such time period
7 because, at this time, it would continue to create a severe
8 economic burden for refiners, distributors and consumers of
9 diesel fuel in the State of Alaska. This economic burden is
10 created by unique meteorological conditions in alaska and a
11 set of unique distillate product demands in the state."

12 Those unique conditions did exist in 1996, and they
13 continue to exist in Alaska today.

14 In addition, there are insufficient environmental
15 and human health concerns in Alaska to justify the cost of
16 mandating low sulfur diesel fuel.

17 In fact, EPA recognized the limited environmental
18 benefits in that August 19th Federal Register notice when it
19 said, "The Agency recognizes that granting this extension to
20 the temporary exemption means alaska will forego the
21 potential benefits to its air quality resulting from the use
22 of low sulfur diesel fuel. However, the Agency believes that
23 the potential benefits to Alaska's air quality are minimal
24 and far outweighed by the increased costs resulting from
25 factors unique to Alaska, at this time, to communities served

1 by the Federal Aid Highway System."

2 Williams requests that EPA continue to recognize
3 this fact as it moves forward in drafting these diesel sulfur
4 regulations.

5 An argument has been made that low sulfur diesel
6 should be required in Alaska because of the potential
7 liability associated with engines that fail due to the use of
8 high sulfur fuel. According to the American Trucking
9 Association, however, the new engine technology may not reach
10 Alaska in significant numbers for up to ten years.
11 Therefore, implementing a plan that takes into consideration
12 the needs of the marketplace to determine when and where low
13 sulfur fuel is needed is clearly in the best interests of the
14 state.

15 In any event, requirements for low sulfur diesel
16 fuel should be postponed until at least 2007 in order to
17 coincide with Alaska's Tier 2 gasoline requirements. If
18 Williams can economically justify constructing
19 desulfurization capacity for both gasoline and diesel, it
20 would be most efficient to build them at the same time.

21 Another fact that sets Alaska apart is that highway
22 diesel fuel accounts for only 5 per cent of the total diesel
23 fuel sales in the state. In 1999, Williams sold
24 approximately 300 barrels per day of highway diesel fuel,
25 which was less than 4 per cent of our total diesel sales.

1 While this in itself is a small amount, it is important to
2 understand that the rule would have far-reaching impacts on
3 every part of Alaska, including the rural bush area.

4 Because of a limited transportation and storage
5 infra-structure, and the prohibitive costs associated with
6 constructing additional facilities, refiners will be forced
7 to refine down to the lowest common denominator and make all
8 diesel fuel in compliance with the 15 ppm standard. This
9 will require residents of the bush area to pay for more
10 expensive fuel that they are not required to use. However,
11 they will have no alternatives because in many of the rural
12 areas, for example, a single storage facility is available
13 for diesel fuel.

14 They will also be forced to bear other additional
15 expenses such as higher electricity costs from the Alaska
16 rural electric cooperatives. Interestingly, this situation
17 is not dissimilar to the problems faced by the farm
18 cooperatives in the lower 48 states.

19 Williams has estimated that it would cost in excess
20 of \$100 million to be able to make diesel fuel with 50 ppm at
21 our Alaska refinery. We have not yet determined the
22 additional cost that would be required to make the ultra low
23 fuel proposed by EPA. We are not even certain if a
24 commercially viable technology is available for a harsh
25 arctic environment like that found at North Pole, Alaska.

1 Assuming for the moment that such technology is
2 available, Williams will face two unattractive options: spend
3 over \$100 million in order to produce a relatively minuscule
4 amount of highway diesel fuel, or stop manufacturing highway
5 diesel fuel altogether. Although Williams has not decided if
6 it will build a desulfurization facility, there is no
7 incentive for us to invest in such a project given the
8 limited demand and a projected zero return on our investment.

9 While importation of the fuel might be a possible
10 alternative, we do not know what supply sources would be
11 available. Costs to consumers would certainly go up, and
12 supply disruptions would likely occur. Any such disruption
13 would have severe consequences, since the 95 per cent of the
14 fuel consumed in non-highway uses would be disrupted along
15 with the supply of highway fuel.

16 In the event that EPA's proposal were to allow more
17 than one grade of highway diesel fuel, Williams' Memphis
18 refinery and pipeline and terminal operations would also be
19 faced with substantial logistical issues associated with
20 limited storage facilities and cross-contamination.

21 Again, we thank the EPA for the opportunity to
22 voice our concerns today, and we hope that you will take
23 these comments into consideration as you finalize the diesel
24 sulfur rules.

25 MR. FRANCE: Thank you for your testimony. Dale

1 Hill?

2 MR. HILL: My name is Dale Hill, and I'm president
3 of Transportation Techniques, which is a Denver based
4 manufacturer of hybrid electric vehicles. And I guess I'm
5 here to put a little different spin on the solution to some
6 of the problems we've been talking about today.

7 I'd like to start out by saying that we at Trans.
8 Tech. wholeheartedly support the EPA's proposal for diesel
9 engines and fuel requirements. But I'm here also to state
10 that there are emerging technologies that solve a number of
11 the pollution issues that have been mentioned here today.
12 And since serious hybrid electric drivetrains have been the
13 major concentration of our efforts, I'd like to speak to that
14 issue for a few minutes.

15 We're currently manufacturing 36 45-foot, 116
16 passenger buses for the Denver RTD for use on the Denver 16th
17 Street Mall. Unfortunately for this meeting, these buses are
18 fueled by compressed natural gas, and they pollute less
19 carrying 117 passengers than a brand new car carrying one
20 passenger. And so that gives you an idea of the direction
21 the technology is headed.

22 The technology is applicable, however, to diesel,
23 and in that light, I'll address that issue. In hybrid
24 electric technology, you use electric motors to drive the
25 drive wheels of the vehicle. The motors are powered by a

1 bank of batteries. Those batteries are then charged
2 continuously by constant RPM Genset. And in doing that,
3 we're able to reduce the size of the required engine for the
4 application 50 to 75 per cent. A much smaller engine, run at
5 a constant RPM with no acceleration and deceleration then
6 produces for a comparable fuel, approximately a 50 per cent
7 reduction in the emissions of that vehicle.

8 If you go from a diesel vehicle to an alternative
9 fuel vehicle, you reduce the emissions by up to 80 per cent
10 or more. So I think that this technology provides some
11 significant reductions in emissions.

12 And the issue comes up then you're not only
13 reducing the emissions for a specific engine, but you're
14 greatly reducing the emissions for a specific vehicle,
15 because the vehicle carrying the same load is using a much
16 smaller engine and running at a constant RPM.

17 Although many dollars have been spent to date to
18 bring a marketable product to the industry, there's still
19 many areas of this technology that need improvement, and this
20 costs money and it's dollars that the public sector finds
21 very difficult to bear many times.

22 In addition, these vehicles, because of the low
23 production numbers that are being produced, have a much
24 higher per unit expense, somewhere in the neighborhood of 30
25 to 40 per cent over a diesel vehicle.

1 As I've travelled around the country, there are
2 many, many transit agencies and airports that would very much
3 like to implement the technology because of the greatly
4 reduced emissions, however, they don't have the necessary
5 dollars to pay the incremental cost between diesel and the
6 evolving technologies.

7 I'd also like to say that at least in the bus
8 industry, for which I'm most familiar, the greatest gains in
9 technology have been made by small entrepreneurial companies,
10 and they've done that in light of the fact that most of the
11 grant money from agencies such as EPA or DOE have gone to
12 Fortune 500 companies, and those dollars have produced
13 minimal results in comparison to some of the advancement I've
14 seen, not only in our company, but other small companies that
15 are working in this industry.

16 So based on these two issues, I'd like to make
17 three recommendations. First of all, that significant
18 incentives or credits be supported in this bill that the EPA
19 is proposing for purchases of evolving technologies whose
20 emissions meet or exceed these proposed guidelines that you
21 have here.

22 Number two, that there are indeed grants or funds
23 in some form be made available to small businesses with a
24 proven track record as leaders in the development of evolving
25 technologies.

1 And, thirdly, I would like to see that you consider
2 that emissions be evaluated for alternative technologies on a
3 vehicle mile basis instead of a brake horsepower-hour basis,
4 because we're playing on a different playing field here,
5 because we're using smaller engines which get better fuel
6 mileage. And, therefore, I would suggest that some
7 consideration be given to a per vehicle mile basis versus a
8 brake horsepower-hour basis.

9 Thank you.

10 MR. FRANCE: Thank you. Daryn McBeth?

11 MR. MCBETH: Thank you. My name is Daryn McBeth
12 and I'm here representing the National Biodiesel Board, a
13 501(c)(6) organization dedicated to promoting, developing and
14 educating the public on a renewable alternative diesel fuel-
15 substitute or additive called biodiesel.

16 Some may ask why would someone from the National
17 Biodiesel board be interested in the EPA field hearing
18 concerning diesel engine and vehicle standards and proposed
19 diesel fuel sulfur requirements. The short answer to that
20 question is the proposed EPA rule and diesel sulfur standard
21 have many goals and benefits in common with the
22 characteristics and attributes of biodiesel. For a longer
23 answer, please allow me to explain a little bit about
24 biodiesel, its low sulfur characteristics and the role it can
25 play in helping meet the intent of the proposed rule.

1 Biodiesel is the name of a clean burning mono-alkyl
2 ester-based oxygenated diesel fuel. Biodiesel is made from
3 renewable agricultural resources, primarily soybean oil.
4 Biodiesel contains no petroleum, but it can be blended at any
5 level with petroleum diesel to create a biodiesel blend.

6 In fact, 20 per cent pure "neat biodiesel" blended
7 with 80 per cent diesel fuel, or B20, as we call it, has
8 demonstrated significant environmental benefits with a
9 minimum cost increase for fleet operations and other
10 consumers. Biodiesel is non-toxic, it's biodegradable, and
11 is used in conventional diesel engines with little or no
12 modifications.

13 Biodiesel is registered as a fuel and fuel additive
14 with the EPA and meets clean diesel fuel standards
15 established by the California Air Resources Board. Neat
16 biodiesel or B100, 100 per cent biodiesel, has been
17 designated as an alternative fuel by the Department of Energy
18 and U.S. Department of Transportation. Covered fleets under
19 the Energy Policy Act of 1992 can receive alternative fuel
20 vehicle or AFV acquisition credits for biodiesel use, under
21 legislation passed by Congress just in 1998.

22 Last month, biodiesel became the first and only
23 alternative fuel to successfully complete the entire Health
24 Effects testing requirements of Section 211(b) of the Clean
25 Air Act Amendments of 1990. The results of the Tier 1 and 2

1 tests showed that biodiesel not only poses no threat to human
2 health, including sub-chronic inhalation, but that its use
3 results in a 90 per cent reduction in air toxins.

4 A 1998 biodiesel life cycle study, jointly
5 sponsored by the Department of Agriculture and Department of
6 Energy, concluded that biodiesel reduces net CO-2 emissions
7 by 78 per cent compared to petroleum diesel.

8 For regulated emissions, compared to conventional
9 diesel fuel, B20 reduces unburned hydrocarbons 93 per cent,
10 carbon monoxide 50 per cent, and particulate matter up to 50
11 per cent.

12 for the presently unregulated emissions, B100
13 reduces sulfates 100 per cent, PAH 80 per cent and nitrated
14 PAH 90 per cent, and ozone potential of speciated HC 50 per
15 cent.

16 Exhaust from an engine using biodiesel consists of
17 fewer harmful emissions, and includes virtually no sulfur as
18 compared to conventional petroleum diesel.

19 But the attribute most relevant to this hearing is
20 the lubricity characteristics of biodiesel. Biodiesel
21 significantly enhances engine lubricity, even at very low
22 blends, such as one-half to 2 per cent. Under the dual-
23 system approach in the EPA proposed rule, catalytic devices
24 modifying diesel engine exhaust would be dependent on low
25 sulfur diesel fuel to capture the desired emissions

1 reductions. Conversely, as the proposed rule correctly
2 states, higher sulfur levels in conventional diesel fuel
3 would harm the proposed emission technology devices and also
4 cause failure to reduce particulate matter and NOx emissions.

5 Incidentally, the proposed rule also correctly
6 points out that a low sulfur diesel standard would likely
7 create a reduction in diesel fuel's lubricity properties,
8 something necessary for a diesel engine's moving parts,
9 injection systems, and rotary and distributor type pumps.
10 The proposed rule's discussion partially addresses this
11 lubricity concern through advocating a voluntary approach
12 toward maintaining lubricity on a case by case basis.

13 Biodiesel produces significant lubricity
14 improvement, with blends even below 1 per cent, providing up
15 to a 30 per cent increase in lubricity. After completing
16 lubricity testing of biodiesel, Stanadyne Automotive
17 Corporation, the leading independent U.S. manufacturer of
18 diesel fuel injection equipment, found that the inclusion of
19 2 per cent biodiesel into any conventional diesel fuel will
20 be sufficient to address the lubricity concerns that we have
21 in these existing diesel fuels.

22 I've included a copy of that letter with further
23 comments for your review.

24 Before I conclude, I would like to address two more
25 areas of discussion from the proposed rule where comment is

1 requested.

2 The first is on the topic of who would be required
3 to meet the proposed new diesel sulfur standard. EPA
4 discussion suggests the proposed sulfur standard should apply
5 to the diesel fuel at the point of sale to the ultimate
6 consumer, but goes on to confuse the issue, in my opinion, by
7 discussing blending of additives and the likely requirement
8 that all parties in the distribution system could be
9 prohibited from selling, storing, transporting, dispensing,
10 introducing or causing or allowing the introduction of
11 highway diesel fuel whose sulfur content exceeds the proposed
12 cap. That was from the rule discussion.

13 The characteristics of B100 allow biodiesel to be
14 splash-blended into any type of conventional diesel fuel.
15 Some choose to blend biodiesel with conventional diesel fuel
16 to gain AFV acquisition credits, as previously mention.
17 Others choose to run engines on a blend of diesel fuel and
18 biodiesel for the healthy environmental and emissions
19 properties.

20 For the new EPA low sulfur diesel fuel standard, to
21 foreclose on the opportunity of a fuel manufacturer, refiner
22 or end user to simply blend no-sulfur biodiesel with
23 conventional diesel fuel, whether to reduce sulfur content in
24 the fuel or to gain other emissions or economic benefits,
25 would effectively take away useful flexibility currently

1 exhibited by biodiesel as a renewable alternative fuel.

2 The second and final topic that I would like to
3 discuss is in response to the proposed rule's solicitation
4 for comments concerning encouragement of the early
5 introduction of low sulfur diesel fuel. Whether through
6 voluntary emission credit programs, or other market-based
7 incentives to encourage the early introduction of low sulfur
8 diesel fuel, the National Biodiesel Board agrees that early
9 introduction of low sulfur fuels would, as pointed out by the
10 rule, allow advance emissions testing, lower the cost of
11 emission control equipment, and possibly allow the
12 distribution system a chance to develop experience in
13 handling different fuel, all while presumably reducing toxic
14 emissions.

15 Toward this end, biodiesel is available today. You
16 don't need to wait until 2006 to get an ultra low sulfur fuel
17 for diesel engines. It's here now. It's been proven in over
18 30 million miles of on-road use, given a clean bill of health
19 by the Health Effects testing under the supervision of the
20 EPA, needs no capital investments or separate distribution
21 systems, and adds lubricity to engine wear.

22 In summary, the National Biodiesel Board is pleased
23 that so many of the attributes and properties of biodiesel
24 are nearly synonymous with the goals of the proposed EPA rule
25 dealing with emissions reductions and a new low sulfur diesel

1 fuel standard. In addition to the emissions characteristics
2 and ultra low sulfur levels, the lubricity improvements
3 biodiesel adds to engine wear is something NBB looks forward
4 to promoting within the context of the final rule and within
5 the private and public marketplace.

6 That concludes my statement. The National
7 Biodiesel Board appreciates the time and effort of the EPA in
8 holding this field hearing.

9 Thank you.

10 MR. FRANCE: Thank you. Dr. Maury Albertson?

11 DR. ALBERTSON: We all know that hydrogen is the
12 fuel of the future. The thing is that we now have the
13 technology to convert to hydrogen, but we're not going to
14 convert overnight. We're going to have transitions.

15 I think what Dale just got through telling you is a
16 part of the transition. That's for new vehicles. Our
17 trouble is that we have about 7 million big trucks in the
18 United States that we're not going to dump just because we
19 want to go to hydrogen. We're going to have to convert those
20 trucks to hydrogen. But that in itself needs to be a
21 transition.

22 But if we get even as much as 10 per cent hydrogen
23 in with the diesel, we clean up the diesel. We eliminate the
24 nitrous oxides. We do not eliminate the sulfur. We have to
25 get the sulfur out ahead of time. But the nitrogen comes

1 from the air. 80 per cent of what we're breathing is
2 nitrogen. We can do it. All that would be coming out--I
3 should say we control the nitrogen oxide by the temperature
4 of combustion. If we don't get the temperature up too high,
5 the oxygen will not combine with the nitrogen. So that the
6 nitrogen simply goes out as nitrogen, and not as NOx.

7 So this I prepared for automobiles, but it also
8 applies to a very large extent to trucks. But if we go to
9 CNG, we've already gone to CNG. We have, if you look at the
10 map of Denver, we have about 20 stations where you can pick
11 up CNG today. And I was visiting one of these stations this
12 morning, and the U.S. West telephone vehicle came up,
13 reloaded, he says he has to fill up every day. He can't run
14 on anything else but CNG.

15 CNG can be a transition, but the ultimate of course
16 is the hydrogen, but we can go to hydrogen immediately. We
17 can control the--and convert our present diesel engines. We
18 can convert these 7 million trucks that are on diesel now, we
19 can convert them to a combination of hydrogen and diesel, and
20 ultimately 100 per cent hydrogen. We'd have to develop the
21 infra-structure in order to be able to refuel, but it can be
22 done. It takes about the same pressure, 3000 psi, as it does
23 for CNG. We have all these refueling stations. They were
24 built here in Denver in just very recently, and there's no
25 doubt going to be a big increase in this number of stations,

1 and they'll be all over the state.

2 So we can put hydrogen refueling stations set up in
3 the same way, 3000 psi. We can use the CNG tanks. We have
4 already refitted buses, diesel buses, with tanks to run on
5 hydrogen. But by an adjustment in the cab, we can convert to
6 zero hydrogen or up to a very high percentage of hydrogen.
7 With diesel, we can't go to 100 per cent. We have to have a
8 certain percentage of diesel remaining.

9 So until we get engines converted like Dale's
10 engines in the Denver buses on 16th Street, until we get
11 those engines coming out of new trucks, we're going to have
12 to go ahead and use the 7 million trucks we now have on the
13 highways.

14 So this is a system that is actually working.
15 We've demonstrated it. It will work. We have the tanks. We
16 have all the harness, as we call it, that we put on the
17 engine. We have the control system all worked out, and it
18 can be done.

19 So if anything, if there is such a thing as a
20 panacea, this is about it.

21 So if you have any questions, you can see me
22 afterwards. I'll be back behind. I do have this handout
23 that has this information in it.

24 Oh, I meant to mention we can make the--right now,
25 hydrogen is made of natural gas primarily, but also quite a

1 bit with crude oil, and to some extent, with coal. We can go
2 ahead and use these fossil fuels to make hydrogen as long as
3 they last, but we know that there's a limit to how long it
4 will last. Fortunately, natural gas has--we have reserves on
5 it for many more years than we do for petroleum. But we can
6 also get methane, which is natural gas, by digesting organic
7 solids, and we could turn off our natural gas wells today if
8 we were anaerobically digesting all of our organic material
9 that is wasted in the United States today. That's how much
10 there is.

11 So we have many options for renewable energy to
12 replace fossil fuels at the same time that we get rid of the
13 pollution.

14 MR. FRANCE: Thank you. Thank you to the rest of
15 the panel. We appreciate your testimony today.

16 We're running a little ahead of schedule. Let me
17 go ahead and move into the next panel if they're here.
18 Justin Wettstein, Richard Bridenbach, David Orr. Is there
19 anyone else in the audience that has signed up to testify and
20 has not been called. Come on up.

21 (Pause.)

22 MR. FRANCE: Okay, Mr. Orr?

23 MR. ORR: Thank you. Throughout all history,
24 mankind has relied on certain absolute and inalienable laws
25 of nature as the basis of his material well being. Such laws

1 do not depend on majority opinion or on what political party
2 is in office. They are, rather, the very principles on which
3 the entire material universe depends on for its very
4 existence. To deny them would be no different than if you
5 were to close your eyes while you were driving to work in the
6 morning.

7 What would you do if you were to wake up one
8 morning to find that it was against the law to rely on your
9 sense of vision while driving your car to work? I hope you
10 find this question to be absolutely absurd. Clearly, no one
11 in their right mind would ever obey such a preposterous law,
12 nor would any lawmaker ever entertain the notion of
13 legislating such a law.

14 But sadly, enough, I'm here to inform you that the
15 proposed sulfur regulations are no different than the example
16 I just gave you. I will do this by addressing six points.

17 Number one, that by eliminating sulfur from our
18 gasoline and diesel, scientific evidence demonstrates a
19 substantial increase in the rate at which global warming
20 occurs.

21 Number two, that there is a distinct difference
22 between solid visible particulates known as air pollution and
23 sulfur dioxide, which is a transparent gas known for its
24 cooling qualities.

25 Number three, that through the use of inexpensive

1 and efficient fuel additive technologies, noxious emissions
2 can be eliminated without requiring the reduction of sulfur
3 dioxide.

4 Number four, that EPA regulatory decisions are made
5 by non-scientists.

6 Number five, that the scientific methodology used
7 by the EPA to assess the reversibility of Tier 2 emissions,
8 an earlier regulatory decision to eliminate sulfur in
9 gasoline, was faulty.

10 Number six, that one of the principal causes behind
11 the recent increase in gas prices in the Midwest is due to
12 the incorrect presupposition on the part of the EPA that all
13 evaporative emissions are the same.

14 Sulfur dioxide directly and indirectly tends to
15 cool atmospheric pressures. Some scientists suggest that the
16 cooling effect of SO₂ is modest, however, others, including
17 representatives of the National Academy of the Sciences and
18 the National Center for Atmospheric Research, believe that
19 the cooling effect of SO₂ occurs at the same rate of that of
20 carbon dioxide.

21 A detailed bibliography, as well as subsequent
22 graphs and charts, can be found on the NAFA websit at
23 www.altfuels.net. Under the section entitled Focus on
24 Climate change, please pay particular attention to Figures 5
25 and 6, which can also be found on Page 9 of the report. The

1 correlation presented in these two figures demonstrably shows
2 that when atmospheric sulfur levels peak and begin to
3 decrease, increases in global temperatures generally follow,
4 and vice versa.

5 Based on this evidence, it is our position that
6 increased quantities of SO₂ put into the atmosphere by fossil
7 fuels has caused a large negative force, which has
8 substantially offset the effect of CO₂ by at least negative
9 one watts per meter squared. For those of you who don't
10 know, SO₂ has been a part of the earths biogenetic process
11 since the planet's beginning, acting as both a solar
12 reflector and a natural precursor to cloud formation. That
13 is to say that without SO₂, cloud formation would not be
14 possible.

15 As of late, the generation of SO₂ has been subject
16 to confusion and misunderstanding. Much of the literature
17 the EPA promotes suggests that all aerosols are pollutants,
18 i.e. solid visible particles known by us as smog and haze.
19 This is simply not correct. SO₂ is an invisible gas. Solid
20 particulates on the other hand, many of which are carbon
21 bases, are what causes smog and visible pollution, not SO₂.

22 The confusion lies in the fact that both carbon
23 based solid particulates and SO₂ are products of fossil fuel
24 combustion. It is, however, the incomplete and less
25 efficient combustion that generates the visible carbon based

1 particulates, NOx and other harmful pollutants. The presence
2 of sulfur in fossil fuels can increase the generation of such
3 pollution because based on the current gasoline that we are
4 using, sulfur tends to interfere with clean combustion.

5 However, with the use of inexpensive and efficient
6 fuel additive technologies that the National Alternative
7 Fuels Association advocates, the most noxious emissions which
8 sulfur would otherwise tend to increase can all but be
9 eliminated.

10 These technologies allow sulfur to remain in fossil
11 fuels absent the generation of the noxious particles that the
12 EPA is all too vigorous to eliminate, and for good reason.

13 I might mention that the technology that NAFA
14 advocates will not only eliminate noxious particles, but it
15 will also decrease the costs of refining gasoline and diesel,
16 while simultaneously increasing both performance and
17 mileages, absent any engine modification whatsoever. Let me
18 repeat that.

19 The technology that NAFA advocates will not only
20 eliminate noxious particulates, but it will also decrease the
21 cost of refining gasoline and diesel, while simultaneously
22 increasing both performance and mileages, absent any engine
23 modification whatsoever.

24 The proposed sulfur regulations that the EPA is
25 currently proposing for diesel fuel is justified on the basis

1 of NOx, particulate, hydrocarbons, toxic emissions, and acid
2 rain concerns. With the exception of the high concentration
3 of sulfuric emissions caused by the power generation
4 facilities and volcanic eruptions which cause acid rain, SO2
5 attributes to none of the above concerns.

6 The proposed sulfur regulations are, therefore,
7 based on the false presupposition that in order to eliminate
8 noxious particulates, it is also necessary to eliminate SO2,
9 which I might mention constitutes 90 per cent of the sulfur
10 in fossil fuel combustion.

11 We believe that the unilateral phase-out of SO2
12 without any investigation into alternative fuel technologies
13 is unacceptable environmental policy. There are too many
14 unanswered questions, especially those related to global
15 warming, that must be addressed before mandating a long-term
16 environmental public policy.

17 According to the June 16, 2000 testimony of Senator
18 Mervyn Dymally made on the Senate floor, and by the way, the
19 Senator is a chairman of the Energy and Natural Resources
20 Committee, and I quote, he says, "We are only just now
21 beginning to conduct the kind of scientific research that
22 will allow us to determine the impacts on climate change."
23 See Congressional Record Consequences of Climate Change.

24 In short, absent requisite scientific resolution of
25 these most basic questions, there is a very real potential of

1 both environmental and economic tragedy of unfathomable
2 proportion. It is no surprise that EPA science is based more
3 on fiction than fact. According to the latest report
4 released by the National Academy of the Sciences, which is
5 currently assessing the quality of science conducted by the
6 EPA, and I quote, "The agency has never had an official below
7 the level of administrator with overall responsibility for
8 the scientific and technical foundations of agency decisions.
9 This is a particular problem because the administrator has
10 typically a legal and not a scientific background."
11 Washington Post, June 15, Page A-31.

12 Not only are such individuals unaccountable to
13 representative government, but they lack the competency to
14 propose viable environmental solutions grounded in objective
15 science.

16 I might take this time to mention that the emission
17 data conducted by the EPA, which was used to justify recent
18 Tier 2 vehicle emission standards in gasoline sulfur control
19 requirements, came from only four vehicles. The four
20 vehicles were an SUV, a pickup and two mini vans, hardly
21 representative of the model distribution in the passenger
22 vehicle fleet. Two-thirds of the final estimate of the Tier
23 2 emissions reversibility was based on the SUV. The SUV was
24 a Ford Expedition modified by the EPA prior to testing at the
25 EPA lab in Ann Arbor. It was not a production vehicle, and

1 manufacturer's requirements for drivability and durability
2 had not been assessed. See Southwestern Research Institute
3 Report at www.altfuels.com.

4 To create a permanent regulation that would
5 increase the price of gasoline by at least 5 cents a gallon
6 and the manufacturing cost of vehicles based entirely on the
7 emissions of one modified vehicle is profoundly unjust.

8 An additional example of the overall incompetency
9 of EPA science and the devastating impact that it can also be
10 attributed to impart is the high price of gasoline in the
11 Midwest. Under its mass based VOC definition, the EPA fails
12 to consider the smog ozone forming quality of VOC emissions
13 known as reactivity. Rather, the EPA weighed all evaporative
14 VOC emissions as the same. Thus, the EPA weighted benign
15 evaporative VOC emissions in the same category as the most
16 harmful smog and ozone causing evaporative emissions.

17 This faulty definition had the effect of
18 discriminating against alcohol, including ethanol, because
19 alcohol typically increases vapor pressure and, hence,
20 evaporative VOC emissions. Thus, in order to meet the EPA's
21 mass based VOC requirement, the gasoline RVP has to be
22 manufactured at an artificially low vapor pressure to offset
23 the RVP increase of alcohol. This was extremely expensive
24 and significantly adds to the cost of refining gasoline,
25 which is in part why people in the Midwest must now pay more

1 than \$2 a gallon for gasoline.

2 Had the EPA practiced the proper science mandating
3 reformulated gasoline as NAFA advised them to do back in
4 1993, the price hike in gasoline would have been less
5 drastic, if at all.

6 In closing, I would like to thank each of you for
7 your time and serious consideration. There's no doubt in my
8 mind that the EPA does not have the best of intentions.

9 Please realize that my harsh criticism is not to be
10 taken personally. Rather, it should be taken as a healthy
11 reminder that regardless of the whims of partisan politics or
12 the lobbying efforts from various industries, there are
13 certain objective scientific principles which cannot be
14 denied if we are to remain a healthy and prosperous nation.

15 Thank you very much. And I will submit all that
16 evidence required in the testimony I just gave.

17 MR. FRANCE: Thank you very much.

18 MR. ORR: www.altfuels.net. Thank you very much.

19 MR. FRANCE: Thank you. We appreciate hearing from
20 you. Mr. Martinez, do accept our apology. We did call you
21 earlier, but you might have been out of the room. I noticed
22 you were sitting here for a long period of time. So, again,
23 accept our apologies.

24 MR. MARTINEZ: Well, thank you very much.

25 First of all, I was very impressed by the comments

1 made by young Mr. Gill this morning, his statement saying
2 what are we doing here now. This is really way down late on
3 the road. We should have been ahead of this 30 years ago.
4 So I was very impressed. Also, with the Dr. Feeley, I
5 believe, concerned about children.

6 Well, Gentlemen, I live--I exist, I don't really
7 live over there, but I exist there west of Commerce City, an
8 industrial city that just likes the coffers that the
9 companies bring in. There's a refinery there. They have
10 allowed a truck terminal to come in within 100 yards of our
11 properties, and I have addressed the city council,
12 commissioners of the county. I've gone to the state. These
13 people are not doing a thing about this.

14 What happened is they moved in there in '93. In
15 '96--well, back up a little bit. Shortly thereafter, we had
16 to rush my daughter, who was asthmatic, to the hospital. We
17 almost lost her. She stayed there over a week. And they put
18 her on medication and that does help. But I had three heart
19 attacks three years later. I notified all the concerned
20 officials. Nobody does anything about it.

21 My wife and I are on thyroid medication now as we
22 progress along the road. There's low energy. Like I said, I
23 exist. It's a terrible situation. So I really welcome the
24 EPA to forcibly aid people in my situation to assist us in
25 having cities being more concerned about the health of the

1 average citizen instead of special interests.

2 And I would like to--oh, by the way, I'm also on an
3 inhaler, too, Albuterol. But I would like to see the EPA
4 require producers of fuels like this, and the users of the
5 fuels like this to reside in the areas where they do create
6 this problem for the other people.

7 Thank you very much.

8 MR. FRANCE: Thank you. We appreciate you taking
9 the time and share your views with us.

10 Is there anyone else in the audience that wants to
11 testify?

12 We are here until 6:30, as I expect you all will
13 be, too. We'll take about a ten minute break, ten or fifteen
14 minute break and see who shows up.

15 (Off the record.)

16 MR. FRANCE: You can go ahead whenever you're
17 ready. The court reporter is ready, and you have our ear.

18 (Pause.)

19 MR. WETTSTEIN: I guess before I start, I'm sure
20 that there's a number of groups today that talked about the
21 emissions for the rules, what effect that might have on
22 emissions, and also the effects of those emissions on both
23 the public at large and then on individual corporations who
24 are involved in refining or producing fuel, or that sort of
25 thing.

1 I chose kind of a different--my background is in
2 environmental engineering and economics, and so I kind of
3 took a different spin on what I thought was important,
4 because I figured everyone else covered kind of the NOx and
5 some of the other particulate matter issues. So I decided to
6 focus primarily on ozone concentrations, and I actually took
7 this from the report that is associated with these meetings,
8 I guess, and with reporting from the EPA.

9 Basically, this is a map of the U.S. obviously by
10 counties showing which counties in the United States don't
11 meet the federal--or what will be the new federal ozone
12 standards. And basically everything orange or higher means
13 counties that do not meet what will be the new ozone
14 standard. Of course, these are not going to start being
15 reported until this year, but I thought this was a pretty
16 good graphic.

17 I think kind of one of the big things to notice is
18 that if you draw a line starting at the orange, which is
19 going to be non-attainment areas for the new ozone standard,
20 you can see approximately, you know, kind of eyeballing it,
21 that maybe three-quarters of the population of the United
22 States lives in non-attainment areas of ozone.

23 And then I actually wanted to spend a couple of
24 minutes talking about, and I'm sure this has maybe already
25 been covered, but just a couple of minutes talking about the

1 formation of ozone and why I decided to pick on ozone, even
2 though that's not one of the primary pollutants that we're
3 concerned about with the new proposed rules.

4 This graph I stole from one of my textbooks for
5 graduate school, and basically the first thing to notice is
6 that there's three areas to this graph. The first area is up
7 in the upper left, which is the area of the graph which is
8 VOC limited, means there's plenty of NOx. Basically, you
9 notice in this graph, if you cut down--I should explain the
10 axis since you can't really see them very well.

11 The bottom axis is volatile organic carbon, which
12 represents non-methane hydrocarbons in the atmosphere, and
13 then the vertical axis represents NOx, which is obviously of
14 critical importance to the new rule. But you notice in this
15 region, if you cut down on your NOx concentration, you
16 actually see, as you'll see, that you're going through more
17 and more of these lines. And actually these lines represent
18 ozone concentration potential. So as you go from bottom left
19 to upper right, you have an increase in the potential to form
20 ozone.

21 So actually, for areas within this region, reducing
22 just nitrogen oxides increases the ozone potential in
23 general.

24 The second region is kind of bounded by the line I
25 drew already, kind of the center part of the graph, and this

1 is called the bended knee region, where there's an interplay
2 between NOx concentration and volatile organic carbon. And
3 this is going to become important in a second, so I'll ask
4 you to kind of remember that.

5 Then the third region is obviously the one that's
6 left out, and that's where the horizontal lines kind of
7 dictate what ozone concentrations do. And you see that
8 basically if you, in this region, if you decrease your
9 volatile organic carbon concentration in the atmosphere,
10 you're not really affecting your ozone concentration that
11 much. It stays pretty stable.

12 The reason why all of this is important is that to
13 efficiently reduce ozone concentrations, since most urban and
14 suburban areas are up generally in the area of the bended
15 knee region where you have to consider an interplay between
16 both nitrogen oxides and volatile organic carbon, you have to
17 reduce both nitrogen oxides and volatile organic carbon,
18 which was represented by the same axis on this graph as it
19 was on the previous.

20 The next graph that I wanted to show was that over
21 the last decade or so--and this is also from EPA, or from a
22 different EPA report, but this shows that volatile organic
23 carbon emissions over the last decade have been decreasing,
24 and that's part of a longer term trend, I believe.

25 And so basically, if we kind of think back to this

1 graph, since most of our cities and suburban areas lie within
2 this bended knee region, we're seeing a decrease in this
3 axis, so we're going to the left in this diagram, but we're
4 not seeing as much of a decrease in the NOx. So we're not
5 really affecting our ability to reduce the ozone
6 concentrations in the urban and suburban areas.

7 So basically, this is why I decided to kind of come
8 and talk about ozone today instead of NOx or one of the other
9 primary pollutants that we're talking about in the proposed
10 rules. And I kind of wanted to shift gears here, because
11 this is kind of what I do, is the trade-offs between science
12 and policy, and this doesn't quite fit on there, but just as
13 an example, I took a report from Cal. Tech. and basically the
14 goal of any emissions reduction strategy should be to try and
15 produce the most cost effective solution that we can develop,
16 and basically don't worry about all the details of these
17 different policy options, but basically the vertical side of
18 the graph shows micrograms per cubic meter of a contaminant,
19 so this is concentration of a contaminant.

20 And then this is the actual cost that it's taking
21 to remove that amount of contaminant. So you see up at these
22 points that are first up on the graph, you're getting--
23 basically, you're getting a reduction in your concentration,
24 which is on your vertical axis, at virtually no cost. So
25 these are no cost alternatives that you would want to do

1 anyway for other reasons. And you see as you go kind of down
2 the graph, you're still seeing more and more and more
3 reduction in the contaminant, but you're also seeing
4 increasing costs.

5 So the goal, of course, in any policy option is to
6 try and meet your emission standards at the most--in the most
7 cost effective manner.

8 I'm almost done. But basically what I wanted to
9 show is that, and this is also from proposed--or from some of
10 the material developed along with proposed regulation--or
11 proposed rule change. Basically, I wanted to say that the
12 proposed rules do meet the cost effectiveness kind of
13 guidelines that we have in terms of these--these are all the
14 programs that are--the policy options in red bars on this
15 diagram have already been enacted. And so what this shows is
16 cost effectiveness and dollars per ton, so how much we have
17 to spend per ton of, in this case, NOx or non-methane
18 hydrocarbon removal.

19 And you can see that this is, first of all, within
20 the range of what we have already spent on programs to remove
21 NOx and non-methane hydrocarbons. And also another key point
22 is that we've already--you can tell from this graph that
23 we've already exhausted some of the more cost effective
24 policy options already.

25 So basically, in order to try and meet the

1 standards that will come into effect this year, we've already
2 exhausted some of the cheaper options, so we have to consider
3 the next most expensive--or the next cheapest option, which
4 is represented in this case by the proposed rule.

5 And then kind of the analogous graph is for the
6 particulate matter. And the reason why there's two on this
7 is one considers the cost effectiveness. The top one is much
8 cheaper obviously, and it considers the effect of a sulfur
9 credit. In other words, the reduction--this policy option
10 considers that the reduction in sulfur emissions which
11 contribute to particulate matter would be given back to the
12 people who are having to pay for it, so in other words,
13 they're getting money back from what they had to spend to
14 enact the--or to comply with the new regulation. And then
15 the other bar is without.

16 So you can see again this is within the range of
17 different policy options that have already been enacted. And
18 one thing to note is that some of these other--some of the
19 ones that are quite expensive is that they may have been
20 enacted for a variety of different reasons. In other words,
21 this is probably not their primary goal in enacting the more
22 expensive legislation.

23 So kind of to sum up, I guess there's a number of
24 health reasons, and I'm hoping anyway that some of the other
25 testifiers today--I'm sure they did--touched on the reasons

1 why ozone and NOx and particulate matter are important
2 pollutants and why they're on the NAAQS list for the EPA.
3 And I think basically the summary of my little speel here is
4 that in order to meet the regulations that are going to come
5 about, and to try and improve human welfare and human health,
6 that the proposed regulations make sense in terms of cost
7 effectiveness and also in terms of our technical
8 understanding of how ozone is formed.

9 And that's it.

10 MR. FRANCE: Thank you.

11 MR. WETTSTEIN: And then there's no time for
12 questions or anything like that?

13 MR. FRANCE: We'll let you off easy. Okay?

14 The next guy we won't. Stan Dempsey.

15 MR. DEMPSEY: Thank you very much. My name is Stan
16 Dempsey. I'm president of the Colorado Petroleum
17 Association, probably the last person today to welcome you to
18 Colorado, but welcome.

19 MR. FRANCE: You may have the honor of being the
20 last person testifying in a series of five hearings we've
21 had.

22 MR. DEMPSEY: Well, I appreciate that, and I was
23 able to attend much of today's hearing, but I had other
24 activities outside, and I appreciate you being willing to
25 stick around and take our perspective.

1 We're a trade association that represents both
2 upstream and downstream aspects of the oil and gas community
3 in Colorado, and this rulemaking is of vital importance to
4 our members from both the upstream and the downstream
5 perspective, and I'd like to just take a minute to talk about
6 that.

7 Just for some information, our members supported
8 and are implementing at this point a voluntary revapor
9 pressure measure. We cut revapor pressure by half a pound to
10 help with the ozone--meet the ozone standard here in the
11 Denver area. And our association supports the comments made
12 by Ultramar Diamond Shamrock, Conoco, API and NPRA. But I'd
13 like to kind of throw a little bit of a Colorado spin to some
14 of those comments.

15 Our association is very concerned about the health
16 of the two Denver refineries as well as the other refineries
17 in the Rocky Mountain area. And I really have to compliment
18 EPA with regards to the deliberations and the activity it
19 took with regards to the gasoline sulfur rulemaking and the
20 solution that you came up with for the Rocky Mountain
21 refineries, not only addressing the concerns of the very
22 smallest refineries, the SBREFA refineries, but the
23 refineries which are slightly larger and that serve both
24 Colorado and the Rocky Mountain areas, but even the
25 refineries that were outside the PADD IV area, and treating

1 them fairly competitively.

2 And I guess we would urge you, without creating a
3 carve-out, because we don't believe that it's appropriate,
4 but to find a way in your general approach to this rule, to
5 treat those refineries that are I think at significant risk
6 of closure, to deal with this rulemaking in a sense so that
7 those refineries have a legitimate shot at surviving, the
8 competition for capital, limited capital expenditure is
9 there.

10 And I want to emphasize that, you know, we're aware
11 of the fact that there are multiple initiatives from the
12 regulatory perspective with regards to gasoline and diesel
13 sulfur reductions, the regional haze. The rule contemplates
14 some significant reductions in SO₂, and there are a host of
15 other initiatives that will play an impact upon those
16 refineries' health.

17 We would like EPA to take note of that, because
18 what I do not want to see happen in Colorado is the Colorado
19 consumer be really kind of held hostage if there's just one
20 or two refineries, or three that will supply the Colorado
21 market. And, you know, there probably can be supply brought
22 into this state from other sources, but we think it's a
23 healthy business climate to have product come into the state
24 from both inside Colorado and outside Colorado, and we'd very
25 much like to see that preserved.

1 As a trade association representative, I not only
2 have to answer to my own members directly, but I get called
3 at 6:30 in the morning by radio stations asking me why the
4 price of gasoline or diesel is going up. And while I enjoy
5 answering those questions, I will tell you that, you know, it
6 gets old after awhile, and we would like to be able to say we
7 continue to have a healthy refining climate.

8 So we would just ask you to continue to work with
9 the refiners so that a solution can be developed that helps
10 the smaller refiners, not just the SBREFA refiners, but the
11 refiners from this Rocky Mountain area.

12 And I guess that leads me to the other segment of
13 our industry, and I don't think it's probably been discussed,
14 although I haven't been here the whole day. As an
15 organization that represents crude oil producers, the
16 refineries were built in this area, both Colorado, Wyoming
17 and other states, because we do have a good crude oil supply.
18 And we would like to see the EPA recognize the fact that the
19 crude oil industry is important to this segment of the
20 country, and that without having the Rocky Mountain refining
21 capacity, that crude oil industry could be threatened, and
22 there are a number of jobs associated with that, and we'd
23 still like to see that industry exist in Colorado and the
24 Rocky Mountain area.

25 We appreciate once again your willingness to stick

1 around and to listen to us as the last witness. I would
2 mention that Bob Lauder milk is still in the audience. He is
3 an air quality control commission member here.

4 MR. FRANCE: We made him stay.

5 MR. DEMPSEY: But I want to thank him as well. He
6 sat through almost all of this. But those are really the two
7 points I wanted to come and make, and thank you for your
8 consideration of those points.

9 MR. FRANCE: Yeah, and we--I mean, the situation is
10 a little bit different with the interaction between the
11 technology and the fuel as compared--and diesel fuel compared
12 to Tier 2 where we, in designing that program, I think we
13 had--well, I know we had more options. But we stand ready
14 and intend to have intense dialogue with all the refineries
15 that are affected, especially the ones out here in the Rocky
16 Mountain states, and the small ones in particular, to try to
17 find--you know, we made an attempt to try to lay out options,
18 they aren't perfect, but, you know, I think it's in
19 everyone's best interest to find a way of recognizing the
20 effects on the technology, but do it in a way that makes the
21 most sense for everybody concerned.

22 MR. DEMPSEY: We appreciate that.

23 MR. MACHIELE: I guess in that regard, I don't know
24 if you're planning on submitting written testimony during
25 the--or comments during the comment period, but if you had

1 any of your own specific ideas for how to do the exact things
2 that you're looking for, please elaborate on that in your
3 written comments.

4 MR. DEMPSEY: We would be pleased to, and thank you
5 for the opportunity.

6 MR. FRANCE: Thank you. The record is officially
7 closed.

8 (Whereupon, at 6:00 p.m., the proceedings were
9 concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1