

UNITED STATES OF AMERICA  
FEDERAL COMMUNICATIONS COMMISSION

NATIONAL BROADBAND PLAN WORKSHOP  
SMART GRID, BROADBAND, AND CLIMATE CHANGE

Washington, D.C.

Tuesday, August 25, 2009

ANDERSON COURT REPORTING  
706 Duke Street, Suite 100  
Alexandria, VA 22314  
Phone (703) 519-7180 Fax (703) 519-7190

1 PARTICIPANTS:  
2 Panel 1 - Smart Grid  
3 NICK SINAI, Moderator  
4 Energy and Environment Director, National  
Broadband Taskforce  
5 MIGNON CLYBURN  
6 Commissioner  
7 COLIN CROWELL  
8 Senior Counselor to the Chairman  
9 NESE GUENDELSBERGER  
10 Acting Chief, Spectrum and Competition Policy  
11 Division  
12 JULIUS KNAPP  
13 Chief Office of Engineering  
14 JON PEHA  
15 Chief Technologist  
16 MARK DUDZINSKI  
17 Chief Marketing Officer, GE Energy  
18 JASON GRIFFITH  
19 Director, IT Telecom Engineering AEP  
20 HENRY JONES  
21 Chief Scientist, SmartSynch  
22 JOBY LAFKY  
Program Manager, Electric Vehicle Management  
Platform Gridpoint  
ERIC LIGHTNER  
Director, Federal Smart Grid Taskforce  
U.S. Department of Energy  
ERIC MILLER  
Senior Vice President of Solutions Trilliant

ANDERSON COURT REPORTING  
706 Duke Street, Suite 100  
Alexandria, VA 22314  
Phone (703) 519-7180 Fax (703) 519-7190

1 PARTICIPANTS (CONT'D):

2 DEAN PROCHASKA  
3 National Coordinator for Smart Grid Conformance  
4 NIST

5 Panel 2 - Broadband and Climate Change

6 NICK SINAI, Moderator  
7 Energy and Environment Director National Broadband  
8 Taskforce

9 COLIN CROWELL  
10 Senior Counselor to the Chairman

11 KRISTEN KANE  
12 Director of National Purposes

13 MATT BAUER  
14 President, BetterWorld Telecom

15 COLIN BUECHLER  
16 Senior Vice President of Marketing LifeSize  
17 Communications

18 SKIP LAITNER  
19 Economic Analysis Director, American Council for  
20 an Energy-Efficiency Economy

21 MAURA O'NEILL  
22 Senior Advisor for Energy & Climate  
Chief of Staff to the Under Secretary for  
Research, Education & Economics  
U.S. Department of Agriculture

CHRIS WALKER  
Former Director for North America, The Climate  
Group

SHERYL WILKERSON  
President, Willow, LLC

\* \* \* \* \*

ANDERSON COURT REPORTING  
706 Duke Street, Suite 100  
Alexandria, VA 22314  
Phone (703) 519-7180 Fax (703) 519-7190

1 P R O C E E D I N G S

2 MR. SINAI: Okay, welcome, everyone.  
3 This is the energy, environment, and  
4 transportation workshop. I'm Nick Sinai and I'm  
5 the moderator of the workshop. And first, I'm  
6 very pleased to introduce Commissioner Clyburn,  
7 who's going to give us some opening remarks.

8 MR. CLYBURN: Thank you, Mr. Sinai.  
9 Good afternoon. You didn't get the memo from last  
10 week. I am very Southern and very interactive, so  
11 when I say good afternoon, I need to hear it back,  
12 just so you know. So, good afternoon.

13 GROUP: Good afternoon.

14 MR. CLYBURN: Thank you. I appreciate  
15 it. I am pleased to welcome you to the  
16 Commission's Broadband Workshop on Energy, the  
17 Environment, and Transportation. While much of  
18 the focus over the next several months will be on  
19 the core elements of broadband deployment and  
20 adoption, it is essential that the Commission's  
21 broadband plan account for national priorities  
22 beyond the traditional communications realm.

ANDERSON COURT REPORTING  
706 Duke Street, Suite 100  
Alexandria, VA 22314  
Phone (703) 519-7180 Fax (703) 519-7190

1 Congress understood this responsibility when  
2 crafting the Recovery Act, assigning to us the  
3 mission of creation a road map that recognized  
4 broadband's power to transform a vast array of  
5 public and private services.

6 I have a keen interest in today's  
7 workshop because of my extensive involvement for  
8 over a decade on energy policy at the state level.  
9 As a commissioner in South Carolina, I witnessed  
10 firsthand the importance of modernizing our  
11 nation's approach to energy. I believe firmly  
12 that our communications infrastructure can help  
13 accomplish that goal. As we will hear today, when  
14 it comes to thinking about broadband and energy  
15 policy, our first stop is the Smart Grid.

16 Smart Grid technology is designed to  
17 make our electrical grid more resilient and  
18 intelligent. If we take seriously the notions of  
19 energy independence and reduce greenhouse gas  
20 emissions, we must develop a grid capable of  
21 accommodating renewable power as a significant  
22 portion of our energy generation mix. The FCC has

1 an important role to play in making this happen,  
2 however, we are but one of a number of important  
3 government players in this effort. At the federal  
4 level, we have the Federal Energy Regulatory  
5 Commission, the Department of Energy, the  
6 Department of Agriculture, the Environmental  
7 Protection Agency, and the National Institute of  
8 Standards and Technology, just to name a few. At  
9 the state level, public utility commissions  
10 throughout the country will be responsible for  
11 funding and regulating much of the Smart Grid.

12 Effective coordination among these  
13 entities' interest is paramount. We must keep our  
14 eye on the ball and always remember that at the  
15 end of the day each of us is part of a larger team  
16 working to help improve the lives of all  
17 Americans. With this in mind, I look forward to a  
18 lively exchange of ideas at today's workshop. No  
19 road map will be complete without understanding  
20 the implications of our plan.

21 These workshops are an excellent  
22 starting point in sketching out the contours of

1 the many aspects of broadband policy. There is no  
2 better time than the present to tackle these  
3 crucial issues and I thank the participants, those  
4 joining us here in the Commission room and those  
5 in cyber space, for their interest and effort.  
6 Thank you very much.

7 (Applause)

8 MR. SINAI: Thank you, Commissioner  
9 Clyburn, for those inspiring remarks. We really  
10 welcome your leadership on these issues and look  
11 forward to working with you in the future. This  
12 will be great.

13 Thanks to everyone in the room for  
14 coming as well as those attending online. In  
15 fact, those attending online are demonstrating how  
16 they can engage in civic participation while also  
17 helping fight greenhouse gas emissions. For those  
18 of you who came in person, I really hope that you  
19 took the Metro.

20 So, I'm Nick Sinai. This is actually my  
21 fourth week of federal service at the FCC.  
22 Previously I was a venture capitalist investing in

1 IT, telecom, and clean energy companies, and as a  
2 VC, I was always looking for innovative companies,  
3 innovative technologies, innovative entrepreneurs,  
4 and I think innovation is a great theme for today.  
5 We'll hear about a lot of innovative companies  
6 both large and small that are working to solve our  
7 energy, environment, and transportation  
8 challenges.

9 We have two excellent panels today. The  
10 first panel will examine Smart Grid and focus on  
11 communication questions in the Smart Grid, and the  
12 second one will focus on broadband and its role in  
13 fighting climate change. And I just want to make  
14 the point that today's workshops are just the tip  
15 of the iceberg. We're working hard to understand  
16 how broadband and communications infrastructure  
17 and policies can support our national energy  
18 environmental goals and so we're looking forward  
19 to speaking with a diverse set of constituencies  
20 over the next several months.

21 So our first panel today is the Smart  
22 Grid and there's a lot of definitions of the Smart



1 Grid. In fact, sometimes it's hard to know what  
2 the Smart Grid means. And Congress wrote a broad  
3 definition, rightly so, in the Recovery Act. I'd  
4 say just about every definition I've seen of the  
5 Smart Grid, though, includes an element of adding  
6 communications to the electrical system. Google,  
7 for example, defines the Smart Grid really as  
8 three things: Sensors, software, and  
9 communications to the energy system.

10 And having worked both in communications  
11 and in energy, I think I'll point out a couple  
12 similarities to telecom and energy. Both of them  
13 are essential services that are fundamental to all  
14 Americans and their prosperity. Both telecom and  
15 energy have incumbent businesses that build  
16 reliable and ubiquitous networks for peak demand.  
17 But there are some pretty important differences  
18 from telecom and energy. It's been said that if  
19 you resurrect Alexander Graham Bell, he wouldn't  
20 know the first thing about a BlackBerry or an  
21 iPhone, but if you brought back Thomas Edison, he  
22 would recognize the system he designed and

1 probably would be able to offer up some  
2 improvements.

3           There's been tremendous innovation in  
4 communications and perhaps less so in electric  
5 power. R&D spending, as a lot of us know and I'm  
6 sure we'll hear, has been pretty low. It's been  
7 said that pet food makers spend more on dog food  
8 research than the electric power industry spends  
9 researching electricity. One small example of  
10 this is that electric utilities have a simple way  
11 to know that transformers are blown: The angry  
12 customers call them and tell them that the power  
13 is out.

14           But fortunately, everyone recognizes  
15 that we need to rebuild our electrical system, and  
16 I think that's why we're here today. The Recovery  
17 Act authorizes the administration to spend \$4.5  
18 billion on the Smart Grid and we'll hear about  
19 that from the Department of Energy, and that's  
20 really just a down payment. I think the EPRI  
21 estimates the cost of building the Smart Grid at  
22 \$165 billion over the next 20 years, or \$8 billion

1 per year.

2 As Commissioner Clyburn noted, the Smart  
3 Grid is a national priority. We need a grid  
4 capable of accommodating energy efficiency,  
5 renewable power, and electric vehicles. These are  
6 all critical if we are going to move to a clean  
7 energy future and lessen our dependence on oil.

8 So, enough preaching, on to the  
9 panelists. We'll hear from each panelist for some  
10 brief remarks, five minutes.

11 The rest of the session will be  
12 questions from FCC staff, the public, and online.  
13 We'll be passing around cards, so please write  
14 your questions and your name and we'll try and get  
15 to as many as possible. I'm sure this will be an  
16 exciting conversation.

17 So, our first panelist is Eric Lightner  
18 from the Department of Energy.

19 MR. LIGHTNER: Okay, well, thank you,  
20 Nick. And I'm happy to hear from your remarks  
21 that you've been reading some of the materials  
22 that DOE has been putting out on Smart Grid, it

1 sounds like, especially with the research analogy  
2 and the one with Edison and Bell, the comparison  
3 as well, so that's good to hear. It means we're  
4 getting our message out there.

5 When you invited me, you told me I had  
6 five minutes or so. I really struggled with what  
7 I was going to say in five minutes, so there's a  
8 lot more behind what I'm going to tell you. So  
9 I'm going to spin through a couple ideas or a  
10 couple things that I thought would be good to  
11 present here today and I'll just get started in  
12 the consideration of time here.

13 So, I thought I would first throw out a  
14 definition, Nick, that as a matter of fact we  
15 worked very hard probably for about two years to  
16 actually define what the DOE was going to consider  
17 a Smart Grid. We started with the idea that  
18 that's basically taking the advancements in  
19 information technology, overlaying them with the  
20 operation of the grid, and integrating many, many  
21 resources much more effectively and efficiently  
22 into the operation to achieve multiple benefits:

1 Environmental benefits, cost benefits, and so on.

2 So that was the initial idea. Next slide.

3 We took that initial idea and went out  
4 to the country, basically, and had several,  
5 several stakeholder meetings across the country to  
6 really try to figure out what was the definition  
7 of Smart Grid, what do people think it is.

8 And after about a year and a half and  
9 going all over the country, we settled on these,  
10 what I call functional characteristics of the  
11 Smart Grid.

12 So, by integrating all of the resources  
13 in the previous slide with information  
14 technologies, communications, that these were the  
15 functions we're really trying to enable, and  
16 that's what we settled on. Now, to go to a higher  
17 fidelity than that is where you really run into a  
18 lot of different options, a lot of disagreement, I  
19 would say, on how to implement these, how to  
20 enable these functions. So we stopped there and  
21 we basically said, that's going to be our  
22 definition. Now, what's the next step?

1           So, right in the process of defining  
2           that Smart Grid and what the DOE was going to  
3           consider to be a Smart Grid, along came the Energy  
4           Independence and Security Act of 2007, which  
5           authorized a number of things, one of which was  
6           the Smart Grid Task Force, which is what I'm the  
7           director for. And more or less this is a body, a  
8           group of representatives from multiple agencies,  
9           career feds for the most part, that really was  
10          established to coordinate activities in Smart  
11          Grid. I think Congress thought that this was  
12          going to be a very large, convoluted, complicated  
13          effort, and it would require a coordination  
14          amongst the many agencies. So I won't go through  
15          the functions, but basically it's a coordination  
16          function. Next slide.

17                 A couple of the other things that was  
18                 authorized, or one of the other things that was  
19                 authorized in EISA legislation of 2007 was the  
20                 Smart Grid System Report, and this was very much  
21                 in line with the DOE's thinking as to what we  
22                 really need to do next. So what the System Report

1 is -- and actually, I brought a copy to show  
2 folks. This is the Smart Grid System Report that  
3 came out earlier this year and it basically takes  
4 that next step. Okay, we have the definition.  
5 Now, what are we going to do with that? How are  
6 we going to know if we're making any progress?

7           So, the System Report required us to  
8 report to Congress on what's the status of  
9 implementing the Smart Grid and we came up with a  
10 list of 20 metrics that we think are good  
11 indicators, good things to track, to be able to  
12 figure out if we're making progress. So, if we  
13 trend these metrics, we should be able to see if,  
14 in fact, we are making progress for establishing  
15 Smart Grid implementation across the country. So  
16 with that, I'll just go to the next slide.

17           And in following that -- so we had the  
18 definition, we had some metrics that we thought  
19 were pretty good at measuring it, and our next  
20 step was to -- why don't we start to fund some  
21 projects here? Why don't we start to lay the  
22 groundwork for what we believe will be the

1 modernized electricity grid of the future? And  
2 that's where the ARRA funding came along and gave  
3 us the \$4.5 billion that you mentioned earlier.  
4 And these are the programs that we will be  
5 funding. You will see here the bulk of the money  
6 has gone into the Investment Grant Program, and  
7 this is a cost-share program where the government  
8 will fund up to 50 percent of the implementation  
9 of off-the-shelf technology that will enable those  
10 Smart Grid functions in the definition slide that  
11 you saw.

12           We're also going to have about \$700  
13 million in demonstrations. These are very  
14 large-scale demonstrations of the integration of  
15 multiple technologies. So it's not just a  
16 subsidy, a cost-shared investment, it's really a  
17 scientific experiment. What really are the  
18 benefits and costs associated with integrating  
19 multiple technologies into the distribution grid?  
20 And then there are some other programs you'll see  
21 there that we're also funding. They have to do  
22 with outreach to the states in helping them to



1 handle the many cases we feel will come before  
2 them for cost reimbursement on technology  
3 implementation. So, the next slide.

4 A couple of tools. We spent a lot of  
5 effort in trying to educate and really get the  
6 message out about what Smart Grid is about and  
7 this is where we produced the book that I  
8 referenced, it's Smart Grid: An Introduction.  
9 It's really a layman's term, read on why we need  
10 Smart Grid and what the benefits potentially are.  
11 And we've also created some other tools and those  
12 are here in this slide. So the information  
13 clearinghouse is really a result of -- and I know  
14 I'm over, but I'll end shortly here -- the  
15 information clearinghouse is really a tool,  
16 hopefully, we feel, that will be an online  
17 database of all Smart Grid technologies as well as  
18 pilot projects and demo projects and  
19 implementation projects that are ongoing around  
20 the country. So it's kind of like everything  
21 Smart Grid, a one-stop shop to go and get some  
22 information on Smart Grid. And this was a direct

1 result from a request from FERC and NARUC that  
2 really, you know, wanted a tool that they could  
3 use to get information where they could learn  
4 about best practices and use that for future  
5 decision making. So that resulted from that.

6 And we've also developed a tool for the  
7 utility industry that we're currently working on  
8 called the Smart Grid Maturity Model. And this is  
9 really a self-assessment tool to help -- a  
10 decision support tool to help an individual  
11 utility to baseline where they are and help them  
12 make decisions on what kind of technologies to  
13 implement, to move themselves to whatever they're  
14 trying to achieve, whatever objective they're  
15 trying to achieve. And next slide.

16 And I'll just end with this. These are  
17 some -- basically ideas, some thoughts of where we  
18 feel broadband and Smart Grid can intersect, and I  
19 won't go through them. I'll just leave that for  
20 people to look at later, but I'll just mention the  
21 one, linking Smart Meter networks to utility  
22 control centers, home, area networks, and whatnot,

1 so we feel like there's definitely some synergy  
2 there.

3 MR. SINAI: Great. Well, thank you,  
4 Eric. And I think we're going to dive into that  
5 topic and that idea in this panel, so that's a  
6 great intro.

7 Our next speaker is Dean Prochaska from  
8 National Institute of Standards and Technology.

9 MR. PROCHASKA: Good afternoon,  
10 everyone. Today I'm going to talk about NIST's  
11 role in Smart Grid and share with you some of our  
12 activities and plans for the future. To begin  
13 with, NIST was given, through the Energy  
14 Independence and Security Act of 2007, was given  
15 the primary responsibility to coordinate and  
16 develop the framework that includes protocols and  
17 model standards for information management to  
18 achieve interoperability of Smart Grid systems and  
19 devices. Next slide.

20 As we've been working in this program  
21 area, I can tell you right now that the need for  
22 standards is urgent and just one example would be

1 the targeted deployment of Smart Meters. I mean,  
2 it's a huge dollar amount that's projected to be  
3 spent over the next few years. And likewise, some  
4 of that deployment is over way right now. But as  
5 Eric said, the ARRA funding, was talking about  
6 that a little bit there and that's also really  
7 accelerating the need for standards. Next slide.

8 So, in order to accelerate Smart Grid  
9 standards and interoperability, we've devised at  
10 NIST a three-phase planned approach. So Phase 1  
11 is really identifying an initial set of existing  
12 consensus standards and also developing a road map  
13 to fill gaps. And so as we look at these  
14 standards -- there are standards out there today,  
15 so I don't want to tell you there aren't, but, at  
16 the same time, we need to kind of hone in on what  
17 is that set of standards that we need, and we're  
18 doing that in a consensus-based approach. In  
19 order to assist in that effort, we've also created  
20 a NIST Smart Grid Cyber Security Coordination Task  
21 Force.

22 Phase 2. And I should point out there,

1 you can see that red line, we're just about to  
2 finish the Phase 1 activity right now. Phase 2  
3 then will establish a public and private standards  
4 panel to provide ongoing recommendations for new  
5 and revised standards and looking out into the  
6 future, too, what kinds of gaps are we finding  
7 working with the deployment.

8 And then Phase 3 will be a testing and  
9 certification framework. You can have all the  
10 best standards in the world, but to make sure that  
11 they really work and you achieve true  
12 interoperability, you need some type of a testing  
13 and certification framework. Next slide.

14 As part of our Phase 1 activities to  
15 date, we've held now three public workshops.  
16 We've had over 1,500 participants. The vendor  
17 that we worked with to drive these first three  
18 workshops, they've issued now an interim road map  
19 that's already been issued for comment on the  
20 Federal Register. NIST has identified 16 Smart  
21 Grid standards. Overall, through the workshops,  
22 we've identified more than 80 candidates for

1 standards. We've also identified gaps in these  
2 standards. We've now found close to 70 gaps and  
3 issues that have been identified, and that's a lot  
4 of territory to cover. So what we've done is  
5 we've taken a look and we've said, okay, you can't  
6 eat the whole pie at once, so let's pick out the  
7 14 high priority items for immediate action. And,  
8 in fact, our third workshop, we worked with the  
9 standards development community to really kind of  
10 start developing action plans for these high  
11 priority items. Next slide.

12           And I should point out that at that  
13 Standards Development Workshop and looking at all  
14 of these Smart Grid standards, there were 22  
15 different standards development organizations and  
16 utility user groups that were involved in that, so  
17 it's very, very significant. This thing is big.  
18 Anyway, so if we go to the next slide. We've got  
19 five minutes here so I'm trying to move fast here.

20           I won't go into the detail on these  
21 priority action plans, but if you kind of look at  
22 about the sixth from the bottom, you can see where

1       it says PAP, number 2, that's Wireless  
2       Communications for Smart Grids. So that's an area  
3       that we've found that we really kind of need to  
4       hone in on as a high priority action plan. Next  
5       slide.

6                   We talk a little bit more about this  
7       Wireless Communications for the Smart Grid action  
8       plan, so we're working with government agencies  
9       and including the FCC on this one. And so we've  
10      identified a need here that -- and also working  
11      with all of the other stakeholders in the Smart  
12      Grid community, we need to really assess the  
13      capabilities and strengths/weaknesses of the  
14      different wireless technologies operating in both  
15      licensed and unlicensed bands. And at the end of  
16      the day, what we want to do is develop guidelines  
17      for their use on different Smart Grid application  
18      requirements.

19                   And just to kind of speed through this,  
20      let's go to the next page and talk about some of  
21      the upcoming milestones. So, NIST will be rolling  
22      out a Smart Grid Interoperability Framework

1 Document coming up and we'll be rolling that out  
2 in September at Grid Week. And then in addition,  
3 the Smart Grid Standards Panel contract actually  
4 was just awarded last Friday and so we had -- so  
5 that was a big announcement. That contractor will  
6 help us drive the standards panel that we are  
7 creating and, again, we expect to have that first  
8 meeting November the 17th. And then likewise,  
9 we'll start working through the Standards Panel  
10 and with this contractor to develop a testing and  
11 certification framework.

12 MR. SINAI: Great. Thank you, Dean.  
13 Next up we have Mark Dudzinski, excuse me, from GE  
14 Energy.

15 MR. DUDZINSKI: So you can go to the  
16 next slide. Well, Thomas Edison actually founded  
17 General Electric. And I can assure you that there  
18 are businesses inside of General Electric that he  
19 would clearly recognize today and haven't changed  
20 that much, but if he looked at the Smart Grid, he  
21 clearly would not recognize most of the things  
22 we're doing in terms of making the grid more



1 efficient and providing automation in the Smart  
2 Grid.

3           Now, when GE looks at the Smart Grid, we  
4 tend to look at the benefits that get delivered  
5 because benefits are what utilities actually  
6 calculate to justify deploying Smart Grid  
7 infrastructure. And we look at in these very  
8 large buckets -- demand optimization, this is all  
9 about demand response to reduce investment in  
10 transmission generation, delivery optimization --  
11 there's about 10 percent loss between the  
12 generating plant and the consumer. And we think  
13 we can eliminate about 20 percent of that loss if  
14 we controlled the grid better, so it's worth about  
15 2 percent efficiency, on the generation side about  
16 4 or 5 percent reduction in emissions. Asset  
17 optimization: Making the products and the  
18 equipment and the grid more reliable. Reliability  
19 optimization is making the grid more reliable with  
20 the consumer, making sure the power's on. Grid  
21 management is all about enabling the grid to  
22 accommodate much higher penetrations of

1 renewables, both wind, solar, and other  
2 intermittent renewable sources. And GE is  
3 involved, actually, in providing to the electric  
4 utilities around the world the software and  
5 equipment automation to do all of those functions.  
6 The last one here is PHEVs. Electric vehicles  
7 will absolutely need to be charged at the right  
8 time to keep from having to add a generation  
9 facilities transmission infrastructure and  
10 distribution infrastructure. Next slide.

11 To get these benefits delivered, from a  
12 communications viewpoint, we're trying to solve as  
13 a supplier this problem of volumes of data and  
14 speed of data. And there are a lot of  
15 applications out here, like metering, where you  
16 have large amounts of data, but the requirement is  
17 not so strong to have really timely information.  
18 The same is true for information on diagnostics  
19 for equipment that's operating in the grid. At  
20 the other end of the spectrum, however, things  
21 like protection and grid configuration, these  
22 activities have low requirements for data, but the

1 requirements for speed and determinism are very  
2 strong. In cases you need milliseconds kind of  
3 communication, speeds, if you're going to actually  
4 coordinate protection in the grid using a wireless  
5 technology, and you can plot, really, like on this  
6 graph, many more applications on bandwidth versus  
7 speed that you need to deliver the functionality  
8 we need in a Smart Grid. Go to next slide.

9           When you look at all these options that  
10 we have, you know, utilities typically have at  
11 least three, sometimes four, sometimes five  
12 different communication infrastructures necessary  
13 to operate the grid today. Of course, we're  
14 expanding the scope of what we're asking utilities  
15 to do to deliver Smart Grid functionality. You  
16 know, we're asking them for improved security. We  
17 believe in GE that you can ensure security on  
18 dedicated space or non-dedicated spectrum on  
19 private or public infrastructure, but for sure in  
20 applications like protection and grid  
21 configuration where the time to deliver the  
22 message is essential, you know, there having

1 dedicated spectrum certainly helps in terms of  
2 having a deterministic system for managing the  
3 grid. We oppose, in most ways, mandated use of  
4 any dedicated spectrum. We think that would  
5 obsolete present assets that are already deployed  
6 and for sure it would slow down deployment of the  
7 grid, and we're all about trying to increase the  
8 speed of deployment.

9 We think this is a unique period in time  
10 where you get a lot of new business models coming.  
11 You can go look at Microsoft or Google and you can  
12 see that they are positioning their products and  
13 their services around Smart Grid functionality.  
14 So there's new business models coming and I would  
15 propose to you that we don't know most of them  
16 today and therein lies one of the, I think,  
17 critical things here for the FCC to look at: Can  
18 we use bandwidth or spectrum to accelerate  
19 deployment of the Smart Grid? Today, utilities  
20 are limited in the amount of capture they get on  
21 the assets they deploy. And if you allow them to  
22 have different business models for accelerating

1 income, they would actually have more capital to  
2 deploy Smart Grid faster and so support, actually,  
3 dedicated spectrum for utilities -- the electric  
4 utility industry, but we don't like to make  
5 mandatory these things.

6 MR. SINAI: Great. Thank you, Mark.  
7 Our next speaker is Eric Miller of Trilliant.

8 MR. MILLER: Great. Thank you.  
9 Pleasure to be here.

10 Okay, we'll talk extemporaneously.  
11 Trilliant is an integrated Smart Grid network  
12 provider. We have -- we're based in Redwood City,  
13 California. We have over 200 employees. We are  
14 -- deployment over 1 million endpoint true Smart  
15 Grid, 2 endpoints in the ground, which I believe  
16 is the largest deployment to date in the world up  
17 at Hydro One in Canada, a very extreme and rural  
18 area in terms of temperature and performance, so  
19 we have a good base of experience going back  
20 several years in this.

21 We provide integrated networks that  
22 cover everything from the utility end at the true

1 broadband and grid level all the way down into the  
2 home, which we have several different technologies  
3 that we apply to solve the problem  
4 comprehensively, and I'll talk a little bit more  
5 about that in a moment.

6 Overall, as Eric mentioned, we really  
7 believe that we see where Smart Grid is headed is  
8 that it's not just about metering where maybe it's  
9 come from in the past, that there are other users,  
10 like grid communications, real-time grid  
11 communications, and drivers, like energy  
12 efficiency in the home, getting energy  
13 information, not just real-time controls, but  
14 information on energy usage, energy prices into  
15 the home. And when we start to look at the  
16 network and communications that we need for that,  
17 it really drives a very different model than you  
18 might have seen because those users are very  
19 different kinds of users from a security  
20 perspective. It's important that we not have a  
21 homeowner be able to log into their thermostat and  
22 access the grid. Even with -- and visa versa, you

1 don't necessarily want someone who's operating the  
2 grid to be going in and controlling someone's  
3 home. So there are some very significant security  
4 and performance boundaries that need to be created  
5 and maintained, and an architecture that is able  
6 to do that and also do that in a standard space  
7 way, and that's very much what we focus on.

8           What's -- and we believe that to do  
9 that, no one technology is going to be able to  
10 solve all problems from the grid. We really focus  
11 on what we call a multi-tier architecture, so  
12 starting from the utility fiber network and going  
13 down. First we have a -- we believe that there  
14 needs to be a true broadband tier to pick up those  
15 millisecond latency kind of things that Mark  
16 mentioned that are true grid reliability. And at  
17 that level you need guaranteed quality service,  
18 guaranteed security, and you need -- the thing  
19 that Smart Grid really changes is now instead of  
20 just having that capability at a few substations,  
21 we need that potentially everywhere on the grid,  
22 down every feeder line, to operate reclosers, to

1 be able to get power turned on faster, or regulate  
2 voltage in order to maintain -- improve  
3 efficiency, quality of service, and, ultimately,  
4 probably the biggest one as we move to advanced  
5 electric vehicles, that can potentially put tens  
6 of kilowatts of power in the grid at any one  
7 point. Those are going to have to be very  
8 carefully -- and managed in a great deal of  
9 coordination with the grid or it, quite frankly,  
10 will really impact the reliability of the grid in  
11 a negative way versus a positive way. And so some  
12 of those are going to require true broadband  
13 capacity and true minimum latency.

14 As we then move down to the second tier,  
15 what we call the neighborhood area network, and  
16 that's meters, in-home devices, things where you  
17 still want to be able to -- you know, a few  
18 seconds, you want to be able to press a button and  
19 see something happen, but you don't necessarily  
20 need that millisecond, and cost is a much bigger  
21 driver. We can't afford to spend a lot of money  
22 because there's going to be literally hundreds of



1 millions of these devices out there.

2           So that tier is what's called maybe your  
3 advanced metering infrastructure is kind of a  
4 common word for that.

5           And then once you get into the home,  
6 that can sort of be a blend of that metering tier  
7 or maybe moving into a true home area network. In  
8 that case, there are important boundaries, again,  
9 around security. We don't want someone in their  
10 home to be able to access the grid network, and so  
11 it's important to have some market boundaries  
12 there.

13           The key that I see with all of these is  
14 bandwidth is going to become critical at each of  
15 these levels. Just performing a meter read or  
16 just adjusting a thermostat, that doesn't,  
17 frankly, take very much capacity, but if you want  
18 to give someone current rate information on what  
19 their time of use rate schedule is and you want to  
20 push that out to customers an hour before your  
21 event, that actually takes two orders of magnitude  
22 more bandwidth than just doing the meter reader,

1 the demand response. And so it's very easy --  
2 another one we find at the broadband here, just  
3 controlling a substation doesn't take a huge  
4 amount of bandwidth. But if that operator would  
5 like to have a video feed to be able to see what's  
6 going on in that substation, see if it's on fire,  
7 see if there's somebody inside, a fairly modest  
8 request, well, again, now all of the sudden you  
9 need megabits worth of capacity in order to do  
10 that. So, as we've found with the Internet and  
11 telephone and all sorts of -- and cell phones, as  
12 we increase the needs in, seemingly as a user,  
13 very incremental and logical things, we add more  
14 like orders of magnitude to the capacity we need,  
15 not just 10 or 20 percent.

16 And so we need to build these networks  
17 in a way that they can really expand and extend  
18 over time, and that's the key is to build the  
19 architecture so it can really grow over time.

20 Finally, in terms of public or private  
21 spectrum, we really see and we hear a lot of  
22 utilities saying they want and need an end-to-end

1 private network. It doesn't necessarily have to  
2 be private spectrum, but a private network, to  
3 insulate this from the Internet. This is a grid-  
4 critical function. We can't have, you know, a  
5 global worm take down our electric grid, so we  
6 need -- we really believe in end-to-end private  
7 networks. At the broadband tiers, it's kind of  
8 the middle tiers in the network, private spectrum,  
9 we believe, would be very helpful. We think 1.8  
10 gigahertz would be the right one. That's what  
11 Canada is moving to. It could become a real North  
12 American standard and we think there would be a  
13 lot of value. This is a national, critical -- you  
14 know, Smart Grid is a critical national asset, and  
15 we believe that's an important and valuable way to  
16 go.

17 Today, we operate in public frequencies  
18 and, frankly, it works okay, so it would be  
19 helpful, but not essential. Thank you.

20 MR. SINAI: Great. Well, thank you,  
21 Eric. I'm sorry about the slides. We'll get  
22 those up on the website there and thank you for

1 speaking.

2 Next up we have Henry Jones from  
3 SmartSynch.

4 MR. JONES: Yep, so I'm here today to  
5 argue for the use of eminent domain for utilities  
6 to capture land throughout the country and to  
7 build their own road and freeway infrastructures  
8 so that they can have unimpeded access to their  
9 assets. And also, they'll need their own highway  
10 patrol system to monitor this new network. And --  
11 wait, I'm sorry, that's not my thought.

12 Actually, I'm here today to discuss the  
13 need for utilities to build and manufacture their  
14 own vehicles and their own electric grid  
15 equipment. Building your own vehicle seems like  
16 it's a very simple business, so I'm sure that  
17 utilities can stay free of government interference  
18 if they go into the vehicle building business.

19 All jokes aside, the good news is that  
20 allocating scarce resources just for utility  
21 purposes is not necessary. Having utilities do  
22 things that are freely and commonly done by other

1 industries is not necessary. The good news is  
2 that we already have a Smart Grid broadband  
3 network made out of multiple Smart Grid broadband  
4 networks. They're all available and they've been  
5 used for Smart Grid applications for years now,  
6 and that is the Public Wireless Network and that  
7 is what I'm going to spend my next few minutes  
8 talking about.

9           So I want to just talk about three key  
10 elements of these Public Wireless Network:  
11 They're secure, they're reliable, and they're  
12 scalable. Those are very important attributes of  
13 the Smart Grid for the communications element that  
14 Nick talked about earlier, and I'm going to add  
15 one word to each of those as we go through that  
16 make it an even more important attribute for each  
17 of those -- each attribute for the Smart Grid. Go  
18 ahead.

19           Proven Security. Go ahead. Next slide.  
20 This is just one snapshot. This is AT&T's, their  
21 architecture for Wireless Network Security. This  
22 is not their proposed network security

1 architecture. This is not their future network  
2 security architecture. This is their 15 years in  
3 the field, proven, never been hacked network  
4 security architecture. Go to the next slide.

5 Scalability. Proven scalability. Next  
6 slide. This is just one snapshot again of AT&T.  
7 I could have mixed up my carriers a little bit  
8 better than I've done. Please excuse me,  
9 especially if there's anybody from Verizon,  
10 Sprint, or T-Mobile in the audience, but this is  
11 the global network operations center for AT&T.  
12 Please note that bullet point at the top: The  
13 addition of all the possible meters in the United  
14 States, all the electric meters, all the gas  
15 meters, all the water meters, doing five-minute  
16 interval of two-channel data throughout the year,  
17 the daily burden that that would add to just AT&T  
18 network is just 0.0002 percent. We can talk about  
19 10 or 100. We can talk about another order of  
20 magnitude, two orders of magnitude, three orders  
21 of magnitude, four orders of magnitude, five  
22 orders of magnitude more traffic than the Smart

1 Grid would generate and it would still not really  
2 impact the networks that have already been  
3 deployed and are used throughout the country.

4 Next slide.

5 Reliability. Proven reliability.  
6 Everybody knows that if I want to get on the phone  
7 right now, I really don't have any question about  
8 whether that's going to be possible or not. And  
9 also, after a disaster, I know that the networks  
10 that are working hard to get their networks back  
11 up are these networks. The reason for that is  
12 that they pour billions into making their network  
13 reliable. Why? Because that's their number one  
14 marketing slogan: Most reliable network, most  
15 reliable network. They're pouring billions in it  
16 on a yearly basis. So if we go to the next slide.

17 If you compared the other possible  
18 investments in different types of Smart Grid  
19 technologies, they're not insignificant. They're  
20 -- millions of dollars in 2008 went into different  
21 types of ways to communicate with equipment on the  
22 Smart Grid, but billions went into investing in

1 ways to communicate better, not just with new  
2 equipment, but in education, in conferences, in  
3 the infrastructure, in a complete global ecosystem  
4 that now supports over 4 billion people. Four  
5 billion devices are already using our future Smart  
6 Grid broadband network in the United States. And  
7 so the key thing when you think about decisions  
8 that you're making today is what are those  
9 decisions going to look like in the future. So if  
10 you just extrapolate just a few years out into the  
11 future, what's 2012 going to look like when LTE,  
12 which these networks have spent billions to buy  
13 broadband spectrum to provide for, which is like  
14 having a bundle of T1 lines stuck in your pocket,  
15 which would be like having a bundle of T1 lines to  
16 every single Smart Grid device, what's that going  
17 to look like? It's going to look like \$120  
18 billion of investment will make it look like. And  
19 that sort of investment is significant and in  
20 2012, what decision is going to look smart for us?  
21 I think it's going to be using the Public Wireless  
22 Networks. Thanks.



1           MR. SINAI: Great. Well, thank you very  
2 much. The next speaker is Joby Lafky from  
3 Gridpoint.

4           MR. LAFKY: Thank you. I'm going to be  
5 focusing entirely on electric transportation,  
6 which is obviously just one facet of all of the  
7 things we have to deal with here.

8           I think electric transportation is a  
9 little bit of a special case and it's a little bit  
10 worth special consideration because of all of the  
11 parts of the Smart Grid, it's the one place where  
12 customer use of electricity is about to change  
13 radically; that most of the solutions and  
14 techniques that are being discussed are about  
15 making what we have now more reliable, less  
16 expensive, more predictable, more ecological.

17           Electric vehicles is the one place where  
18 we actually have this big driver whether we want  
19 it or not -- whether we, the industry, want it or  
20 not -- coming towards us that's going to change  
21 the character of how electricity is consumed.  
22 Next slide. Unlike maybe some of the previous

1       supposed waves of electric vehicle adaptation, I  
2       personally believe this one's for real.

3                       There's a lack of external bias or  
4       distortion driving the deployment of electric  
5       vehicles. The vast majority of the -- if we could  
6       go back -- the vast majority of these folks have  
7       no particular government leverage over them to  
8       compel them to move to electric vehicles. They're  
9       doing it because they think the market is ready  
10      for it. The tricky thing there is that similar to  
11      the deployment of air- conditioning in the South,  
12      when that first became popular, this is a  
13      tremendous increase in the electric consumption of  
14      a particular customer's house. If you average  
15      together all the loads in a house, they're between  
16      1 and 2 kilowatts. There are certainly peaks  
17      above that, but the average throughout the day is  
18      about 1 or 2 kilowatts. An electric vehicle, when  
19      it's charging -- and they can take hours to charge  
20      -- by itself can be a couple kilowatts. So a  
21      house with an electric vehicle can double its  
22      average demand while the car is attached. Next

1 slide. Next. I'm not a fan of the animated  
2 slides.

3           The positive thing about electric cars  
4 is that while they're a huge load that we don't  
5 have any flexibility about supporting, they're  
6 also tremendously accepting of adjustment about  
7 when the power flows into the car. If you  
8 interrupt a person's flat screen television  
9 because it's inconvenient to provide the  
10 electricity, the consumer really notices and  
11 really objects, but if you turn off charging an  
12 electric car for five minutes part way through a  
13 three-hour charge session, there's really a good  
14 chance that the consumer won't notice at all. So  
15 the balance of how much you have to incent a  
16 person in order to get them to participate in some  
17 sort of demand/management/flexibility sort of  
18 program is really different. You don't have to  
19 necessarily pay them to tolerate an inconvenience.  
20 If you're smart, if you have deep visibility into  
21 the state of the vehicle, deep visibility into the  
22 behavior of the user, you can obtain the charge

1       curtailment, obtain the degree of management you  
2       need to satisfy utility requirements without the  
3       user even being aware that they've experienced a  
4       curtailment. Next slide.

5               Most of the time when people talk about  
6       load management applications, the first thing  
7       people think about is simple curtailment, is  
8       giving the electric utility a big red switch that  
9       they can slap when they're in a critical peak  
10      event, when they're up against the wall on running  
11      out of resources, or when they're about to pay for  
12      a class of resource they really would rather not  
13      get into. And if you have deep control of  
14      electric vehicles, if you have low latency, tight  
15      integration down into an electric vehicle, you can  
16      actually do a lot for utilities beyond simple peak  
17      smoothing. You can do things like provide  
18      renewable integration, system regulation, spinning  
19      reserves, all of these various things where the  
20      utilities really never had a large body of load  
21      out in the grid that they can micro adjust.  
22      Utilities currently pay to micro adjust the output

1 of things like gas turbines and hydro to balance  
2 grid production with grid consumption, and  
3 electric vehicles represent a unique opportunity  
4 where by feathering the consumption of electricity  
5 up and down within a large population of electric  
6 vehicles, the electric utility can perform these  
7 grid management/grid stability tasks on the  
8 consumption side instead of the production side,  
9 and using assets that the consumer paid for  
10 instead of assets that the utility or power  
11 production company had paid for. Next slide.

12           The tricky part here is that if you want  
13 to really do fancy things like provide frequency  
14 regulation to the grid or make up for a power  
15 plant that's gone offline suddenly or do load  
16 shifting while hiding the fact that you've shifted  
17 the load from the user, it doesn't work to have a  
18 one-way transmission network that just sends an  
19 emergency broadcast that's 6 bytes long to every  
20 car out there that says turn off right now. You  
21 really need high resolution per vehicle,  
22 moderately high bandwidth communication to the

1 individual vehicles. Otherwise, you can't play  
2 these games to provide the substantial benefit to  
3 the utility while hiding the inconvenience from  
4 the user.

5           There are several different approaches  
6 that are being deployed right now that people have  
7 actually rolled out and are using right now, but  
8 it really doesn't work to talk about there being  
9 one perfect solution. Going down this list here,  
10 the AMI network is the first thing most utilities  
11 want to talk to. They feel they've made the  
12 investment in a network, they'd like to leverage  
13 this network, but semi-AMI networks have  
14 insufficient bandwidth to support another  
15 application. Semi-AMI networks are structured in  
16 such a way that it's difficult to add additional  
17 classes of devices to them if they have available  
18 bandwidth. So AMI is appropriate in some  
19 situations and it's inappropriate in other  
20 situations.

21           Another classic communication is  
22 premises: Ethernet premises, Internet. If you

1 have a bunch of Starbucks -- a bunch of charging  
2 stations at a Starbucks, it probably makes sense  
3 to just plug them all into the Internet that the  
4 Starbucks already has and get on the network and  
5 do smart charging that way, but there's classes of  
6 places where neither the AMI network nor the  
7 premises Internet are the appropriate solutions  
8 for integrating charging stations or vehicles with  
9 the grid. And in those situations we have to  
10 start thinking about clever alternative solutions  
11 much like were talked about previously. And  
12 that's all I have.

13 MR. SINAI: Great. Well, thank you,  
14 Joby. Our final speaker is Jason Griffith from  
15 American Electric Power.

16 MR. GRIFFITH: Thank you, Nick.  
17 Appreciate the opportunity and good afternoon to  
18 everyone. Go ahead and go to the next slide.

19 Give you a little bit of a view of what  
20 AEP is about. AEP is an investor-owned utility  
21 headquartered in Columbus, Ohio, 5.2 million  
22 customers, cover 11 states, 39,000 megawatts of

1 generation, we operate close to 39,000 miles of  
2 transmission lines, 212,000 miles of distribution  
3 lines. And the other thing I want to point out  
4 about this slide as you look at the service  
5 territory is we require entire coverage of that  
6 service territory. So, when you talk about  
7 commercial services, and I will a little bit  
8 later, there are areas in that service territory  
9 today that's not covered by 3G technology much  
10 less by 4G, LTE or WiMAX. Next slide, please.

11 This slide talks a little bit about the  
12 evolution of the electric utility system. As you  
13 can see, before the Smart Grid things were pretty  
14 simple in how it's connected and how the power is  
15 produced and transmitted. And of course, after  
16 the Smart Grid, it's very interactive, many  
17 stakeholders, a lot of requirements for  
18 telecommunications going forward. Next slide,  
19 please.

20 Part of that is the operational  
21 challenges to the utility business is, you know,  
22 customer demands more control over energy



1 consumption. Renewable energy is increased by a  
2 factor of 1,000 over the past decade and we feel  
3 it's now doubling each year.

4 The distributed generation is variable  
5 and often not available when needed and out of  
6 control of the utility operator. And, of course,  
7 the plug-in hybrid electric vehicles is coming as  
8 well. So, we feel the Smart Grid as a whole is  
9 the key to mitigating these impacts. Next slide,  
10 please.

11 AEP's Smart Grid initiative here, it  
12 shows it's three tier and both serves benefits to  
13 the utility as well as benefits to the customer.  
14 And the energy efficiencies and the distributor  
15 resources, and then, of course, the Smart Grid is  
16 what we felt ties that together. Next slide,  
17 please.

18 Talk a little bit about AEP's goal. As  
19 a goal we'd like to have all our 5 million meters  
20 connected by 2015, but that's contingent upon rate  
21 recovery of providing those Smart Meters. Provide  
22 customer time-based usage information, allow

1 utility monitoring and control of the delivery of  
2 electricity at the meter, enables demand response,  
3 and, of course, communication foundation of AMI  
4 can be -- or can play a role and distribute  
5 automation in a Smart Grid. Now, it's been  
6 brought up that there's certain type of networks  
7 that you may use for AMI may not scale or may not  
8 be able to provide the DA, and that's true. It  
9 depends on the system that you're deploying.

10 A little bit about the ones we have in  
11 place today. We have 10,000 meters in South Bend  
12 that's deployed.

13 We're looking at all of Texas, 1,000  
14 (sic) meters. And then we have a model city,  
15 Columbus, Ohio, of 110,000 meters that we're  
16 working on. Next slide.

17 When we look at how to provide  
18 connectivity to the Smart Grid, and I think all  
19 this is consistent across all the utilities --  
20 coverage, availability, bandwidth, latency,  
21 dependability, affordability, security--and we  
22 don't want it to depend on end user power source

1 or an end user-controlled subscription service, we  
2 believe that there's options both private and  
3 unlicensed as well as commercial when providing  
4 these services. Next slide.

5 We feel that there is a need for  
6 dedicated spectrum. We have growing needs in  
7 SCADA, voice dispatch, AVL -- automatic vehicle  
8 locations -- plus mobile data for the field  
9 workforce that continues to grow with AEP today.  
10 We also have the expanding need of the Smart Grid  
11 and DA. We feel the dedicated spectrum is much  
12 less likely to receive interference and you do  
13 have a remedy procedure if you do experience  
14 interference. We also feel that we're going to  
15 have a need for bandwidth in areas that we serve,  
16 that it is not served by commercial service today,  
17 and we know that through experience, through  
18 SCADA, our mobile workforce that we have in place  
19 today. Next slide.

20 We do support using the 30 megahertz at  
21 1.8 gigahertz for some of the reasons that have  
22 obviously been stated already. Next slide. I

1 would point out, too, that at AEP today we look at  
2 that for internal use only, not providing any  
3 commercial services.

4 We do have some issues or concern about  
5 that, using that spectrum. It must be optional.  
6 We don't want to strand any investments that we've  
7 already made. We also don't want to delay  
8 decisions on the existing ones that we're trying  
9 to put in place and we don't want to have to give  
10 up spectrum that we already use today. AEP has a  
11 very extensive 800 megahertz (inaudible) system  
12 that we support our workforce on today and to try  
13 to roll out that same system at 1.8 gigahertz  
14 would be very costly, so it would need to  
15 complement what utilities already have in place.  
16 Thank you.

17 MR. SINAI: Great. Thank you, Jason.  
18 So we're going to turn to the question-and-answer  
19 piece of this panel. Please feel free to pass  
20 your questions written on the cards. If you could  
21 also put your name on it, that would be great.  
22 And we'll also be taking questions online.

1           I'll kick it off with a question and  
2 then would love to get the rest of the FCC staff  
3 involved. Let's start with commercial networks  
4 because, to date, this has mostly been a private  
5 network and most utilities have looked at doing  
6 this mostly private licensed and private  
7 unlicensed. What's wrong with commercial  
8 networks? What's right with them? What are the  
9 benefits? And I know this depends on application,  
10 so let's focus on meters, because everybody knows  
11 and understands Smart Meters, at least as the  
12 initial application we chat about.

13           I'll just turn it over -- I don't know  
14 if, Eric or Dean, if there's an official  
15 government position on this.

16           SPEAKER: No, there's not.

17           MR. SINAI: Maybe we should just turn it  
18 over. I mean, we have a great dichotomy here  
19 between Eric and Henry, and so it'd be great to  
20 hear a little bit more about why you think  
21 commercial networks may not work, Eric, and then  
22 Henry, why you're seeing some success there.

1           MR. MILLER: Okay, sure. First of all,  
2 I mentioned -- actually, at Trilliant, we actually  
3 offer digital cellular modems that go in electric  
4 meters, primarily commercial industrial meters,  
5 and have for many years, so we have a lot of  
6 experience. And also a number of -- some of our  
7 AMI networks used digital cellular backhaul in  
8 some cases in the field today, so we have a lot of  
9 experience with it. And I would say, first of  
10 all, I think where it works at an individual  
11 meter, in an individual location, and if you have  
12 coverage, I think it actually works just fine.  
13 There's no problem with that at all.

14           I'd say where we have challenges with it  
15 is when you start to backhaul 1,000, 2,000, 3,000  
16 meters trying to get onto a single cellular line.  
17 We find, quite frankly, that there just isn't the  
18 bandwidth there to move the amount of data by the  
19 time you concentrate several thousand meters.

20           And with networks, that's the way you  
21 achieve the economies and the complete coverage is  
22 by relying on a network that you can mesh out into

1 those obscure -- into those more rural areas where  
2 you may not have cellular. And there we feel that  
3 we just -- we need more bandwidth and we need more  
4 -- and lower latency. The other thing is, we  
5 don't really find that we get the latency, that  
6 round-trip time that we need to really provide a  
7 true interactive performance. So, I think in  
8 certain areas it's good.

9           If you happen to have a -- there may be  
10 areas where it can fill a coverage gap, you know,  
11 or an individual home, or you happen to have  
12 coverage and nothing else around.

13           So I think it absolutely has its place.  
14 But in terms of the broad -- we don't, at this  
15 point, see the economics there to put it in every  
16 single thermostat and every single meter  
17 everywhere, and we don't see the bandwidth to sort  
18 of do that backhaul, that broadband backhaul layer  
19 that I talked about earlier.

20           MR. JONES: Okay, so obviously I have a  
21 slightly different opinion. I'm clearly a public  
22 wireless advocate for those of you who aren't

1 paying attention, but there are three things I  
2 like to point out.

3           The first is cost. As of some new  
4 announcements that were made by public carriers  
5 earlier this year, there is cost parity between  
6 connecting each meter, individually, directly, the  
7 same way that my iPhone connects to the public  
8 utility as any other alternative in the space.  
9 The costs are all the same. So, the economics are  
10 there to connect directly, and on top of that you  
11 get security and so forth. It's pretty clear that  
12 these networks are quite capable. If the city of  
13 Manhattan can all get online and check their  
14 stocks and their sports scores and so forth, it's  
15 really not an issue of bandwidth and so forth on  
16 an individual device perspective. So cost is at  
17 par.

18           I should point out that cost is at par  
19 today and those networks get 1,000 times as much  
20 per kilobyte transferred for Smart Grid as they do  
21 per kilobyte transferred from my iPhone. Let me  
22 repeat that. It's 1,000 -- they get 1,000 times



1 more per kilobyte for their Smart Grid traffic  
2 than they get for their iPhone traffic. So they  
3 have some wiggle room on their economics to go  
4 further south in the future.

5 So, the cost, bandwidth are taken care  
6 of, but I think the really important thing is  
7 emphasis. I had the mixed blessing of having a  
8 front row seat, because SmartSynch is based in  
9 Jackson, Mississippi, of the aftermath of  
10 Hurricane Katrina. The people at the Emergency  
11 Management Center did not care about the utility  
12 Smart Grid network. They care about this network  
13 because the doctors, the nurses, the gas truck  
14 drivers, the cops, the firemen, all the first  
15 responders, they all needed this network up. This  
16 is the network that people care about running  
17 every single day all the time. So having a  
18 separate network -- if they'd been told at  
19 Emergency Management System, well, we're going to  
20 have to focus on getting our network up first,  
21 that wouldn't have gone anywhere. And so when we  
22 think about how to work together as telecom and as

1 electric utilities, the right solution is to work  
2 together to make sure that these network towers  
3 get electricity as soon as possible and that those  
4 telecom companies know where that 5 percent of the  
5 coverage area is that's not covered and they can  
6 work together with the utility to make sure that  
7 they get 100 percent coverage, and that wherever  
8 that utility needs to go, because it's a meter  
9 read or because it's a natural disaster, they're  
10 all using the network that everybody's counting on  
11 having available.

12 MR. SINAI: So, who's right, Dean?

13 MR. PROCHASKA: I think everyone's  
14 right. You know, again, I think it -- as I had  
15 indicated earlier, we have a priority action plan  
16 that NIST is sponsoring right now working with the  
17 Smart Grid community in defining what are the  
18 wireless communication needs for Smart Grid, and  
19 basically it would turn out to be a user guide.  
20 It wouldn't be something that there would be a  
21 standard for, but it would be a user guide for  
22 utility or whomever in the Smart Grid community to

1 say what kind of technology should I deploy for  
2 this specific application? And as part of that  
3 effort, we'll have utility companies, transmission  
4 providers, you have distribution, bulk power  
5 generation folks involved and engaged in that.  
6 So, I think we'll get a real fair assessment of  
7 what are the requirements, and, again, it's going  
8 to differ by application. And then at the end of  
9 the day, it's really going to be up to the person  
10 deploying or utilizing these technologies. Do  
11 they want to deploy a new network or, you know,  
12 what's going to be more economical for them?

13 So I think that it's going to end up  
14 being a mixed bag, but I will say coming from 25  
15 years in telecom and most -- a big hunk of that in  
16 the wireless, I mean, you know, why -- if the  
17 wheel is invented already, I'm not sure why you'd  
18 want to reinvent it, but there could be some cases  
19 as we go through this priority action plan that  
20 would say there are some latency requirements that  
21 we cannot meet with commercial networks.

22 But again, there's control centers

1       you've seen already. These are the security  
2       experts. But again, at the end of the day, it's  
3       going to be up to the individual distribution  
4       company or whoever will be using these.

5               MR. SINAI: Great. And Jason, you're  
6       the customer, so you probably have a perspective  
7       on the utility and the challenges of public  
8       networks.

9               MR. GRIFFITH: Yeah, I do. And AEP  
10       being very much a rural electric provider, you  
11       know, we have some urban areas, but a lot of rural  
12       areas, I do have a position. I agree with some of  
13       what Henry is saying. AEP is open to commercial  
14       services. We buy a lot of commercial services  
15       today both landline and wireless and we use it for  
16       a lot of applications. Certainly if we're talking  
17       about AMI meter reading, if the coverage is there,  
18       certainly that would be our first choice. When  
19       you talk about cost, we also believe that we're  
20       just a small bit of data that's riding on the  
21       commercial network. However, our experience has  
22       been when we go out for RFP and we bid these

1 systems, the ones I talked about, Texas, the one  
2 in South Bend that's deployed, and, of course, the  
3 one at AEP Ohio, is our experience has been is  
4 they cannot get to that cost that makes it  
5 cost-effective. When we compare it to RF Mesh or  
6 other type solutions, they have yet to get it down  
7 to where it's desirable. So cost is still an  
8 issue as far as we're concerned.

9 The coverage issue is a much bigger  
10 issue. And I beg to differ, I don't believe he's  
11 been very many places with his BlackBerry on the  
12 AEP service territory other than maybe the travel  
13 routes and the major cities. There's many areas  
14 in AEP service territory that you will not get  
15 cellular coverage -- 2G and 3G -- if you get off  
16 in the areas where we have substations, electric  
17 transmission lines, distribution lines. And  
18 because of that, AEP today still owns and operates  
19 an extensive microwave system as well as a travel  
20 wireless network.

21 MR. SINAI: So how does that change as  
22 LTE and WiMAX and other technologies -- does that

1 mean that you can reach more rural customers with  
2 public networks or does it mean that you'll always  
3 have a subsection being on private?

4 MR. GRIFFITH: Well, I think there's  
5 been a lot of progress in the last few years. You  
6 know, if you look at features (inaudible)  
7 perspective, the land mobile radio as well as  
8 hardening of the sites, the commercial providers  
9 have been pushed to improve their systems for  
10 public safety. Some providers have done better  
11 than others. With respect to LTE or WiMAX, I  
12 don't really see that changing the things going  
13 forward. If we don't have coverage today with 3G  
14 technology, what makes us think that we're going  
15 to have coverage with LTE or 4G in the future?  
16 The business case is just not going to be there  
17 for commercial providers to provide that in those  
18 areas.

19 MR. SINAI: Great. Well, maybe some of  
20 my colleagues can jump in. I have lots of  
21 questions, but why don't you jump in, John?

22 DR. PEHA: To a couple of you, I guess

1 Henry Jones gave a number -- I'm an engineer; I  
2 like numbers -- 0.0002 percent increase in AT&T's  
3 network traffic if all AMI traffic is carried.  
4 I'm guessing, and correct me if I'm wrong, that  
5 that's traffic on the backbone. But if you've  
6 done that calculation you could probably also  
7 comment on what kind of traffic loads that puts,  
8 say, in the last mile where I might be a little  
9 more nervous about congestion problems and I'd ask  
10 if it's really so small. On the other side, Eric  
11 Miller also had a number, which I like, that your  
12 example was if you announce a price that would  
13 increase the amount of data traffic -- I think by  
14 two orders of magnitude, so, again, you must have  
15 figured this out -- I'm thinking, I don't know,  
16 500,000 bytes per household over minutes or an  
17 hour, you know. On the other hand, is that really  
18 so much traffic? Where would I expect congestion  
19 -- would I expect congestion from that?

20 MR. JONES: I'll go first.

21 MR. MILLER: Okay.

22 MR. JONES: So, you know, one of -- the

1 root number that you can start using for your  
2 calculations is that for daily 15-minute interval  
3 reads for residential meters it's about 30  
4 kilobytes per month. It's about a kilobyte a day.  
5 When you think about it, you're just talking about  
6 a few numbers; it just isn't that much data. So,  
7 that's a kilobyte a day we know that a standard --  
8 if you pull down CNN.com on your iPhone, that's  
9 going to be substantially more than that. It's  
10 going to be possibly half a meg, at least  
11 somewhere along the 50 kilobytes to 100 kilobytes  
12 just in a few seconds. So, looking at -- for one  
13 web page, what we're talking about for one meter  
14 in a month, so the amount of available bandwidth,  
15 even at the last mile, there's not much of a  
16 challenge.

17 So, I can work more numbers if you want,  
18 I just -- that's the kind of root number to start  
19 working from.

20 MR. MILLER: Yeah, I think if you are  
21 talking just about metering, I think we all agree,  
22 the basic meter data isn't a lot of traffic. It



1 really becomes when you start having interactivity  
2 with customers and when you start looking at,  
3 again, things like video feeds on the grid, it's  
4 really the non-metering applications that really  
5 drive the bandwidth. That's what's, I think,  
6 categorically different then when we start talking  
7 Smart Grid versus advanced metering. You add  
8 these whole classes of users that have much more  
9 demanding latency and much more demanding  
10 bandwidth requirements.

11 So we see -- you know, at the home, I  
12 don't think -- we're not talking about megabits at  
13 the home. I think relatively modest capacity at  
14 an individual home is going to be fine. Again,  
15 what comes -- again, just to agree with AEP, we  
16 don't see complete coverage at the home in a way  
17 that we could build a complete coverage network,  
18 which our utilities ask us to do one at a time  
19 that way and, at this point, either economically.  
20 And so with (inaudible), again, in a backhaul, you  
21 end up aggregating those meters. You really do  
22 get megabits. You do start to see constraints on

1 capacity and you see constraints on locations once  
2 again in terms of even for backhaul, you don't  
3 necessarily have coverage where you need it in  
4 order to be able to provide that capability. And  
5 I would say I don't want to throw too many stones  
6 because, I mean, there's a lot of good things  
7 about that technology, but I would say in our  
8 production AMI networks we have out there today,  
9 the majority of our outages come from the public  
10 cellular network, and that is where 9 out of 10  
11 times we miss data, it gets lost in that network.  
12 And I'm not saying they're unreliable. Our  
13 customers have very, very high expectations for  
14 reliability, but that is, when we track it down,  
15 typically what happens and there's not much we can  
16 do about it because it just kind of disappears  
17 into an ether we can't -- it's hard to engineer  
18 around that the way we can if we put in a  
19 dedicated network.

20 MS. GUENDELSBERGER: This morning,  
21 actually, we had a panel on the public safety  
22 broadband and the requirements. It sounds like

1       whatever they were talking about in terms of  
2       security, liability, coverage, and survivability,  
3       I am hearing the same theme during this panel.

4                If the issues are similar, are the  
5       solutions similar?  And if we are looking into  
6       public safety broadband network needs while you  
7       are looking at Smart Grid needs, are there any  
8       cross work going on or the solutions, you think,  
9       will be somehow similar or different?

10               MR. MILLER:  I'll comment.  I think that  
11       they're different, actually, because there's two  
12       -- one of the critical differences between a  
13       utility application and almost any of the others  
14       is the difference around mobility.  I mean, not  
15       that utilities don't have mobility need, but when  
16       you're talking about connecting grid assets and  
17       meters and things, you need, in some cases, more  
18       capacity, but you can take advantage of the fact  
19       that they don't move around.  You know, if you  
20       need to hit the meter in a building, you don't  
21       have to have coverage in the parking lot, you just  
22       need to be able to provide conductivity to that

1 meter. And what that means is you can give -- if  
2 you have technology that can take advantage of  
3 that, you can provide much greater capacity at a  
4 fraction of the cost versus mobility technologies  
5 are great for mobility because they provide  
6 coverage over an entire area, but that's not the  
7 problem utilities face. Utilities need to get  
8 coverage everywhere they need it, but if there's  
9 an open field, they don't have to provide coverage  
10 there. And so that -- there's a tremendous amount  
11 of -- there's an opportunity to really take  
12 advantage of that difference between the two  
13 applications and deliver much more performance at  
14 a much lower price point if you have technologies  
15 that are truly adapted to the utility marketplace  
16 and the utility business drivers. And we see the  
17 challenges with LTE or these others is they're  
18 fantastic for mobility, but that's not exactly the  
19 problem utilities have.

20 MR. GRIFFITH: I think with utility you  
21 have multiple systems we're talking about. You  
22 have the systems that are the last mile that we're

1 talking about for the gridSMART and then you have  
2 backhaul systems. When I look at deploying a  
3 system from a utilities perspective and I want to  
4 minimize the cost and the cost to the rate payer,  
5 the ideal situation would be that I'm using the  
6 same system to provide SCADA connectivity to the  
7 substations. I'm using the same system to do  
8 mobile data, to talk with my field workforce,  
9 which would be mobility. Similar, very, very  
10 similar, to what public safety would require, not  
11 so much in building coverage, but certainly within  
12 the fields, in the parking lots. And then we have  
13 the fixed coverage that we would need, which would  
14 be substations, meters, et cetera.

15 You know, ideally, the ideal situation  
16 would be that we would run that on one network.  
17 That's what we'd like to be able to do. To date,  
18 we have a system that we do just land mobile radio  
19 on and we're looking for solutions and  
20 opportunities as we build out the Smart Grid. You  
21 know, we operate very extensive microwave systems,  
22 we lease a lot of circuits from the carriers,

1 AT&T, Verizon, others. So, I think, as much as we  
2 can, we now need to pull that, certainly from a  
3 backhaul perspective, and utilize one network, if  
4 we can, to bring those services and applications  
5 back in to the home offices.

6 MR. SINAI: We've been talking a lot  
7 about wireless technologies, both unlicensed  
8 deployments and using public carriers. What about  
9 wired assets? Utilities have some fiber and some  
10 wired assets sometimes and there's a commercial  
11 broadband network out there as well that people  
12 serve. Are those viable alternatives for any  
13 applications?

14 MR. GRIFFITH: Yes, we do use them today  
15 both owned and commercial from a backhaul  
16 perspective.

17 MR. MILLER: Mark?

18 MR. DUDZINSKI: That's used in metering,  
19 it's used in protection. Wired, hard-wired fiber  
20 assets are very commonly used where you need some  
21 deterministic solution for doing grid control. So  
22 today, you have a mix of solutions, really, is

1 what's going on. AEP is a great example because  
2 it's so big and broad, but even a small utility  
3 today is very likely to have a set of wireless and  
4 wired and fiber solutions to get, you know, sort  
5 of that curve of bandwidth versus determinism  
6 accomplished.

7 MR. SINAI: Great. Now, GE makes a lot  
8 of windmills --

9 MR. DUDZINSKI: A tremendous number of  
10 wind turbines, yeah.

11 MR. SINAI: Wind turbines. Are we going  
12 to have fiber to the wind turbines? I mean, do we  
13 -- to integrate these renewables do we need to  
14 have a lot of broadband to them?

15 MR. DUDZINSKI: They're -- yes. The  
16 wind farms today already have control systems that  
17 are tied back to generation dispatch centers, to  
18 the ISOs that run the grid, and those are done  
19 either wireless or by fiber. There's large  
20 amounts of data that's coming in terms of what the  
21 anticipated electrical delivery from that wind  
22 farm is every 15 minutes. It's a -- actually,

1 this is an important point, I think. When we just  
2 talked about meters we sort of missed the idea on  
3 what bandwidth is really required here because  
4 it's not actually an average bandwidth that  
5 worries you in terms of running the grid. The  
6 grid runs in 15-minute intervals, is scheduled at  
7 15-minute intervals. So if you want to go and  
8 understand what the load is doing, and let's say  
9 you decide to do it by looking at the meters and  
10 you have a million meters, what it means is you  
11 need to read a million meters. You need to do  
12 some kind of calculation. And if you want to  
13 control a million load points, you need to send  
14 out signals to a million houses if you have a  
15 million under control. I mean, that's sort of the  
16 worse-case example, but what it sort of means is  
17 that you have a narrow window of time when you  
18 need a lot of bandwidth to get a lot of data  
19 through, and then another narrow window of time  
20 where you need a lot of bandwidth to send a lot of  
21 data out, and in the middle, you've got a process.  
22 And so, I think to -- if you just want to collect



1 meter data, it's relatively simple, but if you  
2 want to progress to the point where you have  
3 distributed generation, rooftop -- you know,  
4 millions of rooftop solar deployments, millions of  
5 endpoints of the demand reduction capability, then  
6 you sort of have this bandwidth problem, which is  
7 magnified from where we are today and gets harder  
8 to solve by just integrating the pieces that we  
9 have today.

10 MR. SINAI: What about electric  
11 vehicles? I would be interested in your  
12 perspective, Mark, and certainly yours, Joby, on  
13 how electric vehicles change the communication  
14 complexities with the grid and as it relates to  
15 bandwidth and security and privacy.

16 MR. DUDZINSKI: I think for electric  
17 vehicles there's definitely a timeframe over which  
18 you need to think, okay? So GE makes -- invests  
19 in companies that makes batteries. We're building  
20 a new battery factor -- for full disclosure here  
21 -- in New York, and batteries don't like to be too  
22 discharged or too charged. They like to operate

1 in this medium range. And because of that,  
2 actually, it's unlikely from talking to the car  
3 manufacturers that they're actually going to give  
4 the utility the ability to discharge the batteries  
5 any time in the future because of the warranty  
6 implications.

7 So, what you're seeing now is the start,  
8 maybe for years or so, the control around charging  
9 vehicles will be when you charge, not if you  
10 discharge, but when do you charge. And there's  
11 two different studies here, one by NETL, one by  
12 Duke. And what they show is that if you don't  
13 want to give up all the benefits of electric  
14 vehicles in terms of building more infrastructure  
15 and greenhouse gas emissions, you need to charge  
16 at night. So, to charge at night, you can do it  
17 in many different ways, but it sort of is going to  
18 drive us toward demand -- we think demand time,  
19 demand use, time use, metering, so that you give  
20 some kind of incentive to people that charge at  
21 night or you penalize them during the day. But  
22 there's going to be some kind of mechanism here,

1 we think, because it's a compelling argument  
2 they'll only charge at night.

3 The discharge part is farther into the  
4 future and it's unclear, actually, the timing and  
5 when the car companies would actually let you have  
6 access to that battery because of the warranty  
7 implications.

8 MR. SINAI: Joby?

9 MR. LAFKY: A couple points there. I  
10 completely agree that no one's going to be  
11 discharging their car battery back into grid in  
12 the foreseeable future. It's not just that you  
13 have to stay between 20 and 80 percent to prolong  
14 cell life. It's that however you manage the  
15 battery packs, they have a limited number of  
16 cycles. And the car companies, in my experience,  
17 will do anything they need to do to keep the cells  
18 from cycling without the odometer advancing.  
19 They're on the razor's edge of balancing their  
20 warranty commitments with the life of the battery  
21 and anything anybody does, something that wears  
22 out the battery without advancing towards the

1 termination of the warranty, it's bad for them.  
2 And that's really -- I think it's off the road map  
3 of most people's planning for this thing. I  
4 completely agree.

5           However, the vast majority of the  
6 benefits you can provide to a utility are  
7 achievable without actually performing a  
8 discharge. To pick the example of frequency  
9 regulation, which is balancing the real-time  
10 production and consumption of electricity on the  
11 grid, if you had a population of electric vehicles  
12 that were all consuming electricity at 80 percent  
13 of their peak capacity, we're pulling power off  
14 the grid at 80 percent of the maximum their charge  
15 equipment was capable of performing, you could  
16 perform what's called a down regulation request  
17 against these cars and order all of them to  
18 increase power consumption, which would have the  
19 effect of sopping up surplus electricity that only  
20 existed on the grid in that moment.

21           Conversely, you could order all of the  
22 cars to decrease their charging rate and perform

1 the equivalent of up regulation. You've -- when  
2 you do that, you've created the appearance that  
3 you've generated electricity from a utilities  
4 management system, but you haven't actually pulled  
5 any power out of the cars. And if you have -- I'm  
6 repeating myself a little bit from earlier -- if  
7 you have deep visibility into the characteristic  
8 of the battery, the state of charge in the battery  
9 and the user's behavior patterns, you can provide  
10 this. You can have them be charging at 80 percent  
11 instead of 100 percent so that you have that  
12 flexibility without inconveniencing them in any  
13 way, without having them sign up for, oh, I can't  
14 drive between these hours, or something like that.

15 To address the point of time of use  
16 charging, that is a far more tricky topic than  
17 just shifting to charging at night. We've talked  
18 to a bunch of utility customers and some of them,  
19 absolutely. Like, boy, as much charging as you  
20 can move to between 10 p.m. and 5 a.m. or  
21 something like that, that's what we want. Power  
22 is effectively free for us between these hours.

1 Let's move all the charging then and we're happy.

2 Other utility customers, just depending  
3 on the generation stack in their particular  
4 market, they've turned so much stuff off at night  
5 that they don't actually have much surplus  
6 capacity and they're happy to have done this turn  
7 off. It is economically advantageous to them to  
8 stick to this "almost all the generation assets  
9 are turned off" policy in the middle of the night.  
10 And it's actually cheaper for them to charge  
11 electric vehicles on the shoulder, to charge them  
12 in the sort of late evening where the critical  
13 peak -- that's the wrong word, but where the worst  
14 peak has gone away because people have turned off  
15 their TVs and office buildings are shutting down,  
16 but they haven't gotten to the point where they're  
17 actually powering down a bunch of base load yet.

18 And in Seattle, a percentage of the  
19 time, as they miscalculate and misschedule, the  
20 price of electricity goes negative for a little  
21 while sometimes on the shoulder, sometimes in the  
22 middle of the night. It's such a complex problem

1 to pick when the cheapest time is to charge and  
2 it's such a changing equation of when the cheapest  
3 time is to charge, even within a particular  
4 utility service territory, that we believe the  
5 right answer is real-time control; that the  
6 customer, in most circumstances, delegates to the  
7 utility, you know, I need my car to be charged by  
8 5 a.m. or 6 a.m. I need it to be fully charged.  
9 I need 20 percent of my capacity within an hour in  
10 case I want to run out to the store right after I  
11 get home, but beyond that, you decide. And that  
12 produces the maximum financial benefit to the  
13 utility, which means the utility has the maximum  
14 incentive to provide back to the user, but without  
15 ever pulling power out of the battery.

16 MR. SINAI: Okay, one comment.

17 MR. PROCHASKA: Just one comment, Nick.  
18 I think you were asking a little bit about the  
19 communication needs with the electric vehicles,  
20 and kind of what I've heard, up to this point, you  
21 look at kind of the peak loads of the day for the  
22 electric power generators, so people are going to

1 be charging later in the evening and they're plug  
2 vehicle is what I'm hearing. And in terms of a  
3 communication demand -- so if that constant  
4 communication back and forth of when to charge my  
5 vehicle and when to back down a little bit, it  
6 sounds like all of that's going to be happening  
7 kind of later at night. So just like there are  
8 peak usage periods for power generation, likewise  
9 the same is true with telecommunication networks.  
10 So their busy hour typically would be in the  
11 morning and now it's kind of at noon and in the  
12 evening, like rush hour, but late at night,  
13 there's going to be a lot of excess capacity, so I  
14 just wanted to point that out, and back to your  
15 question in terms of communication impacts.

16 MR. SINAI: Great.

17 MR. CROWELL: I think that's true. I've  
18 just got a couple comments. I think, Joby, you're  
19 right on when utilities elect to charge. It's  
20 only true as long as the penetration of electric  
21 vehicles is low. As soon as the penetration  
22 starts to rise where it becomes appreciable part



1 of the energy consumption, the utilities, if you  
2 look at NETLs study, I mean, basically they've got  
3 it charged throughout the night to meet the load  
4 requirement.

5 And then my other comment here is doing  
6 frequency regulation or these ancillary services  
7 requires communication in a very short timeframe.  
8 These are millisecond adjustments in the grid and  
9 the generation amount on the grid to keep the  
10 frequency and voltage from fluctuating too much.  
11 And so these are -- the command and control needs  
12 to be very quick, you know, almost deterministic  
13 in terms of the amount of time you have. So it's  
14 correct you can do it, but you need a bandwidth  
15 suitable to give you that surety that you get the  
16 command out there and get it executed in the time  
17 that's allowed and necessary.

18 MR. SINAI: Great. Why don't we have a  
19 call-in jump in?

20 MR. CROWELL: I have a couple of  
21 observations and then I'd ask you to comment on  
22 them. You know, as we go through this process,

1 and obviously we're, I guess, just past the midway  
2 mark through these workshops on various subjects  
3 here, and we contemplate the next several weeks  
4 and months in crafting a National Broadband Plan  
5 to deliver to Congress, when we look at broadband  
6 issues historically, we typically look at what I  
7 refer to as unserved areas and underserved areas.  
8 And unserved areas are generally easily understood  
9 because those are areas of the country which do  
10 not have broadband today. Underserved areas can  
11 be thought of as underserved geographically: Part  
12 of the geographic area has some deployment, but  
13 it's not ubiquitous. It might be underserved with  
14 respect to speed, so it might have some broadband,  
15 but it's a relatively low speed. It might be  
16 underserved with respect to adoption and  
17 subscription rates for various factors due to  
18 socioeconomic issues, affordability, computer  
19 literacy, so on and so forth. So if we can keep  
20 in mind unserved areas and underserved areas, and  
21 our charge of coming up with a National Broadband  
22 Plan, it strikes me one of the interesting things

1 about the Smart Grid, if you go to the grid itself  
2 and you go to the transmission and the generation  
3 side of the equation, it typically comes in areas  
4 of the country that are highly rural. In other  
5 words, the long transmission lines go through  
6 rural areas, the solar farms are generally in  
7 rural areas. I know, perhaps with the exception  
8 of Cape Wind, you know, the wind turbines  
9 generally show up in more rural areas of the  
10 country. And it just strikes me that to the  
11 extent to which there's a high broadband need,  
12 perhaps, from those generation sites in those  
13 rural areas, that there is a sort of a virtuous  
14 coalescence of the needs of the electric  
15 generation mission with the broadband deployment  
16 mission in those areas that might be beneficial to  
17 a national plan.

18           When looking at underserved areas and  
19 you look at those areas of the country largely  
20 urban and suburban American where speeds might  
21 lack, and as we talked about various people  
22 mentioned how critical bandwidth will be even for

1 the smart home of the future, and if you look at  
2 the applications just over the horizon, the  
3 bandwidth needs will be greater at people's  
4 residences and small businesses. Those  
5 underserved areas that lack on subscription and  
6 adoption and deployment of higher speeds, one of  
7 the things that it strikes me from a consumer  
8 standpoint, there are obvious benefits to the  
9 Smart Grid for consumers: Managing their electric  
10 bills, lowering their costs if they manage it  
11 well, the benefit of applications. But because  
12 it's so broadband-dependent, if you don't get  
13 broadband, it's sort of a double whammy because  
14 you don't get the benefits of broadband and you're  
15 not getting the benefits of the Smart Grid either.  
16 And if you're in a rural area where you don't get  
17 the deployment, where 4G networks perhaps might  
18 not go otherwise, where 2G and 3G haven't yet  
19 reached, or you're in an underserved area in  
20 urban/suburban areas, you're missing out on two  
21 revolutions simultaneously.

22 And so as we look at the National

1 Broadband Plan, I would just ask if people could  
2 just comment on that and just comment a bit on  
3 what the impact would be of greater broadband  
4 adoption and affordability and bandwidth on Smart  
5 Grid adoption and accelerating innovation in the  
6 electric market.

7 MR. LAFKY: I couldn't agree more. If  
8 we had dependable broadband penetration to the  
9 same rates that we have home telephone  
10 penetration, then people building load management  
11 systems could reasonably implement load management  
12 on top of public broadband. People get a little  
13 anxious about building something that grid  
14 reliability is going to depend upon on top of  
15 consumer broadband, but the truth is that if you  
16 have 600,000 subscribers who are being load  
17 managed over their, you know, in-house Ethernet,  
18 it's fine if 2 percent of them mess up and unplug  
19 the wrong cable and take their devices off the  
20 network. You just overdrive the remaining 98  
21 percent by a few percentage points.

22 But with the huge swaths of the country

1 that have cars and are going to keep buying cars,  
2 to use my little piece of the world as an example,  
3 but don't have broadband, don't have meaningful  
4 penetration rates if broadband were forced to  
5 consider other approaches that are a lot more  
6 expensive, it would drastically change my business  
7 if everyone in rural America had ready access to  
8 cheap broadband in their home.

9 MR. SINAI: Great. I want to make sure  
10 that -- please, Mark.

11 MR. DUDZINSKI: So we, you know, we sort  
12 of recognize the idea that a telco and a utility  
13 could actually get married here around the  
14 broadband space and it could be a marriage that  
15 happens now because of the state of deployment of  
16 broadband in a lot of the rural communities. You  
17 know, the utilities own a lot of vertical assets  
18 and telcos can actually use those vertical assets  
19 for deploying broadband technologies. And that  
20 marriage is something we've actually been trying  
21 to make happen in the marketplace, but it's not so  
22 easy. But as a marriage, it clearly would work.

1 It would let utilities and telcos share in some  
2 way the cost of deployment. It would bring the  
3 benefit of not only the Smart Grid to the homes of  
4 the rural communities and broadband, but it also  
5 enables you to put a lot more generation on the  
6 farms, okay, to let farmers have biomass  
7 generation, wind generation, solar generation,  
8 gas, landfill gas, all the kinds of renewable  
9 kinds of generation we're talking about, that kind  
10 of infrastructure would enable a utility to manage  
11 those distributed generation assets like they  
12 can't do today.

13 And so it's actually, I think, the three  
14 pieces. You get broadband, you get the broadband  
15 service, you potentially get broadband to the home  
16 for the consumer to manage electricity better, but  
17 you also enable this renewable generation in the  
18 distributed grid which today, for the most part,  
19 we don't do. We tie renewables to transmission in  
20 general. It's not ubiquitous in distribution.  
21 Okay, so I think you get all three if we can  
22 figure out how to make it work.

1           MR. SINAI: Make sure -- Juli, I wanted  
2 to give you the last question. We're running out  
3 of time here.

4           MR. KNAPP: No, I would just build upon  
5 some of the questions that we had already. I  
6 think as we think about the National Broadband  
7 Strategy, and -- it would be very helpful to get  
8 feedback as to what are the most important things  
9 for us to think about and do? Is it making sure  
10 that we get broadband out into the rural areas?  
11 To make sure that people have access everywhere?  
12 Does it help a lot if we've got a Smart Grid, but  
13 only half the people have access?

14           So, I guess, any reactions you might  
15 have now or we've been at times handing out  
16 homework assignments to some of the panels to get  
17 back to us with what are the specific things that  
18 we should be most focused on as we look at  
19 developing a national strategy?

20           MR. LIGHTNER: Well, let me just say  
21 that, you know, someone we don't have represented  
22 here are the rural co-ops and they would say, if



1 they were here, that there's -- going back to the  
2 previous question as well, that there's a lot of  
3 applications, a lot of Smart Grid functionality  
4 that you can implement, actually, with a Dumb  
5 Grid, is what they would say. So, there's a lot  
6 of home energy management solutions you can  
7 implement without having broadband to the home.

8           So, I think, you know, you've really got  
9 to think about how best to -- what's going to be  
10 the most cost- effective thing to do? I think  
11 this is something that the regulators in each  
12 state will struggle with as far as cost recovery,  
13 that there's a lot of applications I think they  
14 feel they can take advantage of now without adding  
15 a large amount of cost to the equation. But,  
16 again, there are certain applications that require  
17 a lot of data that you won't be able to take  
18 advantage of unless you have some sort of  
19 broadband connection. Like, for example, one of  
20 the things that wasn't mentioned here was, and I  
21 think this is on the mind of every regulator in  
22 every state, is that is it enabling a higher

1 penetration of renewables? You know, right now we  
2 have a lot of portfolio standards that call for  
3 anywhere from 10 to 20 percent of renewables by  
4 such a date, and I think without Smart Grid and a  
5 lot of broadband communication that you won't be  
6 able to get to those higher penetration rates  
7 because really what you're looking at is balancing  
8 in real-time loads, like plug-in hybrid cars and  
9 other loads, to really raise that level of  
10 renewable penetration that you'll be able to  
11 support.

12 MR. DUDZINSKI: So I actually think that  
13 there's a lot of benefit that you can calculate  
14 about deploying broadband more ubiquitously here.  
15 You can go and actually look at how much grid  
16 efficiency we could deliver if we had better  
17 communications. You can look, as Eric said, how  
18 much more renewables could we put in the grid if  
19 we had better communications? You know, you can  
20 calculate an emissions reduction because of these  
21 things, right? We can calculate a consumer  
22 benefit in terms of lower energy costs because of

1 these things.

2 So, I actually think there's a monetary  
3 return based on -- to the country based on how you  
4 decide to act and how you decide to allocate  
5 bandwidth here. And I think we could give you a  
6 list of ideas and places where you could go and  
7 actually make an economic analysis and get a  
8 better understanding of really the impact to the  
9 communities here.

10 MR. SINAI: Great. Well, that's a great  
11 place to wrap up. We're looking forward to  
12 continuing the dialogue. I'd say this is just the  
13 tip of the iceberg really because these are the  
14 kinds of conversations that we want to continue to  
15 have with all types of constituencies.

16 (Recess)

17 MR. SINAI: All right, let's get  
18 started. The second panel is "Broadband and  
19 Climate Change," and we have a number of great  
20 panelists and interesting technologies that we'll  
21 learn about that can help fight climate change,  
22 from videoconferencing to telecommuting, smart

1 transportation, green telecom, and green IT. And  
2 here at the task force, as Blair Levin says, we  
3 eat our own dog food.

4 So we are -- we have a panelist who,  
5 rather than flying in and harming the environment,  
6 is showing up via hi- def videoconferencing. So  
7 we're going to start with Chris Walker, actually,  
8 who's the former director for The Climate Group.

9 MR. WALKER: Thank you, Nick. It's  
10 interesting, obviously you don't have someone here  
11 that represented a group called The Climate Group  
12 and not actually talk a little bit about climate  
13 change. So, you know, there's an overarching need  
14 for speed, and what I mean by that is that there  
15 is a -- I'm on a task force right now for the  
16 National Academy of Science and it's called  
17 "America's Climate Choices" in the report. It's  
18 congressionally mandated and will come out in  
19 January. And it's been interesting to -- not  
20 being a scientist myself, being in the discussions  
21 because the dire state of the science on climate  
22 change, it's quite a depressing group if you talk

1 to a group of climatologists right now.

2 So there's certainly a need to speed to  
3 get the technologies out there as fast as  
4 possible. So I just wanted to throw out that  
5 temporal component there that we need to act and  
6 we need to act in a large scale and we need to act  
7 soon.

8 I was asked to comment on the Smart 2020  
9 report which The Climate Group and GeSI, which is  
10 the Global E Sustainability Initiative, which is a  
11 group consortium of ICT -- information,  
12 communications, and technology -- companies had  
13 put together and that was released last November,  
14 but I was specifically asked to talk about the  
15 U.S. supplement on it. Both of these can be found  
16 on a website called Smart2020.

17 The idea of the report was to serve up a  
18 quantification of the potential -- you can go to  
19 the next slide -- a quantification of the  
20 potential for the ICT industry to play a role in  
21 reducing emissions, and just the point was not to  
22 be about the ICT industry's own footprint. Most

1 certainly, that's important. It's actually  
2 dramatically growing. It's about 6 percent per  
3 annum, a growth rate on (inaudible) emissions.  
4 But basically today it's about 2 percent of global  
5 emissions and, by 2020, it's projected to be about  
6 3 percent. But this is about the other 97, 98  
7 percent of emissions. And the findings were that  
8 an increased ICT use in the U.S. could potentially  
9 cut annual CO2 emissions between 13 and 22 percent  
10 and that would save annually about \$140 billion to  
11 \$240 billion on fuel and energy costs.

12 Now, just to put that 13 to 22 percent  
13 in perspective, if you look at Waxman Markey,  
14 they're looking at, for instance, about a 20  
15 percent cut in emissions by 2020. And what China,  
16 for instance, is saying before even China will  
17 come to the table, it's requiring a 40 percent cut  
18 in emissions by 2020. So this would be a great  
19 place to start, in a sense, because this is the  
20 low hanging fruit if you look at the McKinsey cost  
21 curves, et cetera, it's about the energy  
22 efficiency side.

1           And what do we know? Broadband can play  
2 a greater role in facilitating energy efficiency.  
3 As I mentioned, there's this temporal requirement.  
4 We need to do this timely, we need to do this in  
5 an accelerated fashion, probably unmatched by any  
6 other type of technology deployment we've ever  
7 done. There are all sorts of analogies to the  
8 cellular growth in the '90s or the Internet  
9 growth, et cetera. Probably need to do it even  
10 much faster than that to actually have the  
11 required impact that it would need.

12           And we need to develop the measurement  
13 tools, the mechanisms, because how do you actually  
14 account for an avoided emission. Right? It's  
15 very hard to quantify and deliver and so it's  
16 something that needs to be thought through. Next  
17 slide, please.

18           So the report ID'ed four main ICT  
19 opportunities for the U.S. and as you can see here  
20 on the chart, it's the Smart Grid, it's the road  
21 transportation, it's the smart buildings, and  
22 travel substitution.

1                   Now the global report, the Smart 2020  
2 global report, added to others that BCG when they  
3 did the U.S. Supplement decided to leave out  
4 because they weren't as significant in the U.S. as  
5 they were in other parts of the world, and that  
6 was logistics and machinery.

7                   And you can see just by the numbers  
8 here, huge potential, numbers of potential  
9 savings, between 140- to \$240 billion annually.  
10 For the Smart Grid it's 15- to \$35 billion; road  
11 transportation, 65- to \$115 billion; Smart  
12 buildings, 40- to \$60 billion; and total  
13 travel/transportation, between 20- and 40. And  
14 the idea is, just to give you some examples, for  
15 instance, on the smart transportation, there was  
16 -- UPS is well publicized for its "no left turns,"  
17 for instance, initiative, right, where it uses GPS  
18 technology to map out routes well in advance so  
19 that drivers don't have to make left turns, which  
20 actually consume a lot more fuel. And so by  
21 mapping out these routes, UPS saved 28.5 million  
22 miles annually, which results in roughly 3 million



1 gallons of gas and CO2 emissions reductions of  
2 31,000 metric tons just by not making left turns  
3 and planning out its routes in advance before the  
4 drivers get in the trucks and deliver.

5 So just -- I see actually I'm running  
6 out of time so I won't go through other examples;  
7 we can talk about them.

8 But in the report it actually highlights  
9 a lot of these examples of how different companies  
10 have acted and move forward on some initiatives  
11 where the ICT industry with existing technology  
12 could play a role. Next slide, please.

13 And actually I just wanted to address,  
14 these were actually recommendations on a policy  
15 basis that the report makes, but I wanted to  
16 actually address a question that Colin had asked.  
17 Greater broadband adaptation, what effect would  
18 that have on emissions? Well, the effect would be  
19 we won't get anywhere near this potential of the  
20 22 percent if we don't have greater broadband  
21 penetration, so that's the 10 million or so homes  
22 that do not have access to broadband currently as

1 well as the 40 million or so homes that have  
2 decided not to play or participate, so to speak.  
3 So the underserved and unserved markets would have  
4 a great effect on potential emissions and right  
5 now that would be -- we would keep this more in  
6 the 13 percent realm if they were not to play.

7 And I'll stop there. Thank you.

8 MR. SINAI: Great. Thank you. Next we  
9 have Sheryl Wilkerson, who's president of Willow,  
10 LLC, and formerly of the FCC.

11 MS. WILKERSON: Thank you. First, I'd  
12 like to commend the chairman and the FCC  
13 commissioners and staff on holding this wonderful  
14 series of broadband workshops. And it's nice to  
15 be back and it's nice to be able to participate  
16 today.

17 I was asked to provide some brief  
18 remarks on the increasing role of vehicle  
19 communications, particularly intelligent  
20 transportation, and also vehicle communications as  
21 it pertains to electric vehicles. Slide two,  
22 please.

1           First, as the FCC drafts it's Nationwide  
2 Broadband Strategy, I encourage it to take into  
3 consideration the future needs for deploying a  
4 nationwide interoperable network that will allow  
5 vehicle safety applications to provide data both  
6 to and from vehicles, but also from vehicles to  
7 roadside initiatives. It's clear that there are  
8 some significant benefits that can be had from  
9 these applications, including safety, mobility,  
10 environmental, and also some convenience  
11 applications.

12           Second, I'd like to emphasize the  
13 important role that vehicle communications will  
14 play with respect to driving the demand and  
15 interest in purchasing electric vehicles,  
16 particularly with respect to the variety of data,  
17 voice, and mileage use applications. Slide three,  
18 please.

19           I believe there's a need for a  
20 public/private partnership, we've heard that  
21 before, to help deploy a number of the  
22 applications that have already been created and

1 established by a number of companies in the ITS  
2 sector, but they still have yet to be deployed.  
3 It will require collaboration with agencies like  
4 the FCC, but also the Department of Transportation  
5 and also telecommunications carriers and, of  
6 course, the vehicle manufacturers. It will  
7 require some harmonization with the state and  
8 local governments regarding their unique  
9 procurement and practice policies. And most of  
10 all it will also depend a lot on the variety of  
11 technologies depending on the specific conditions  
12 and requirements of our public rights of ways and  
13 interstate corridors. But nevertheless, I think  
14 our interstate highways are ideally suited to  
15 foster deployment in this area. Slide four,  
16 please.

17 The Department of Transportation, I  
18 wanted to point out that they have an initiative  
19 underway called the IntelliDrive Initiative, and  
20 basically it's a revamp of what was called the  
21 Vehicle Integration Infrastructure Initiative.

22 And what's important about this is that

1 the goal here is to provide a transportation  
2 system that provides a fully connected driving  
3 environment utilizing a host of advanced  
4 communications, including dedicated short-range  
5 communications. And one of the important aspects  
6 of this is that they're looking at a wireless  
7 networked environment. It will include DSRC, but  
8 it will also include some other advanced services.  
9 There are a number of trade associations, like ITS  
10 America and consortiums such as Omni Air, that are  
11 looking to foster deployment of these  
12 applications. Slide five.

13 This isn't new to the FCC. The FCC  
14 allocated, almost 10 years ago to date, 75  
15 megahertz in the 5.9 gigahertz spectrum. And  
16 since then there have been an enormous number of  
17 safety and mobility applications that have had a  
18 number of test trials and concept tests through  
19 various states that can show huge benefits in the  
20 capture of real-time data to improve traffic  
21 incidents, vehicle crash avoidance and  
22 intersection collision, but a number of

1 applications to reduce air pollution and to reduce  
2 our conservation of fossil fuels. Slide six,  
3 please.

4 Again, I believe there needs to be a  
5 qualified operator that has yet to be determined  
6 or some form of private partnership that will help  
7 facilitate and build off this network with  
8 favorable terms. I'd like to point out, too, that  
9 what's going on abroad in both the European Union  
10 and the FCC, they have both allocated 5.9 for  
11 dedicated short-range and ITS applications and in  
12 Japan, they've allocated 5.8 as well as 700  
13 megahertz.

14 I'm running out of time here, but the  
15 remainder of the slides, slides 7 through 12, show  
16 how vehicle communications can make electric  
17 vehicles more attractive by providing -- helping  
18 us provide data services such as a remote battery  
19 monitoring and range determinations. There's the  
20 ability to push the usage from the vehicles to the  
21 driver. There will be applications that  
22 potentially will prompt the drivers how to take

1 advantage of their electric vehicles by possibly  
2 even adjusting the accelerator or giving them  
3 specific information about the nature of the road  
4 conditions.

5 I think that's it. Thank you.

6 MR. SINAI: Great. Thank you very much,  
7 Sheryl. Next we'll hear from Matt Bauer from  
8 BetterWorld Telecom.

9 MR. BAUER: Thanks, Nick. BetterWorld  
10 Telecom is -- well, what I'll do is I'll talk  
11 about BetterWorld for about a minute and then the  
12 larger opportunity that we see the telecom  
13 industry and community in general has in terms of  
14 an opportunity to really reduce carbon footprint  
15 and the cost structure of businesses and  
16 nonprofits.

17 BetterWorld Telecom is the leading,  
18 triple bottom line carrier in the U.S. focused on  
19 organizations that have a social and environmental  
20 mission. Our solutions encompass all the business  
21 carrier grade products from local through to MPLS  
22 services and we put that all on one bill and give

1 the business or nonprofit one number to call, so  
2 it's a very close relationship with them. Next  
3 slide. I'm thinking to myself, go down a couple  
4 -- and to the next one.

5 And woven into our company and  
6 everything we do, our environmental impact plan.  
7 You'll see a number of the points here. It starts  
8 with our efficient corporate design and our low  
9 carbon footprint, everything from paper reduction,  
10 where less than 20 percent of our customers now  
11 receive paper bills, to greening our supply chain.  
12 We're the first carbon-neutral telecom carrier in  
13 the U.S., or probably North America, certified by  
14 a number of other entities as well. We've been  
15 focused on green communications solutions, and  
16 I'll talk about that in sort of the second half,  
17 and that translates on the next slide to our  
18 customer base, which have really been a lot of  
19 organizations that have taught us the important  
20 parts of the environmental and social debate  
21 that's going on in the U.S. and in the world  
22 today.



1           So, I'd like to expand that on the next  
2       slide then to a book that I recently read called  
3       Human Scale, and a perfect quote for today's  
4       discussion, "The madness of American  
5       transportation leads to only one conclusion: No  
6       solution of the transportation puzzle is possible  
7       until work and home can be put back together." So  
8       it's difficult to, on the next slide, to imagine  
9       bridging that gap physically right now, but  
10      virtually, we have a great opportunity in front of  
11      this.

12           And this slide demonstrates really a  
13      problem and opportunity and some of the numbers  
14      are commensurate with what Chris said earlier.  
15      Seventy-five percent of the carbon output of the  
16      U.S. right now is through buildings and  
17      transportation and about 2 to 2.5 percent of the  
18      global -- down in the lower left portion of the  
19      screen -- of the global footprint is ICT, and that  
20      97.5 percent is really the opportunity for us as  
21      an industry, as a telecom industry, to attack that  
22      75 percent. Next slide.

1           So what has to happen is substitution  
2 must occur in the areas of transportation and  
3 buildings and travel and so on. And the World  
4 Wildlife Fund issued a report a few months ago  
5 that goes even more aggressively than the GESI  
6 report in saying that if we adopt significant  
7 telecommuting and virtual meeting practices within  
8 the next 30 years, we can reduce the carbon  
9 footprint of the U.S. by 30 percent -- I'm sorry,  
10 by 50 percent. And the next slide shows a graph  
11 of how that occurs.

12           Now, this is very busy. The one that  
13 goes the highest and the highest trajectory, you  
14 can see in the blue, is if we just continue on as  
15 we are today. And if we adopt greater  
16 telecommuting practices, we're able to cut the  
17 carbon footprint in half. And on the next slide  
18 it shows the same as far as for air travel. And  
19 the impacts are huge because you're physically  
20 removing elements out of the equation. And right  
21 now about 3 percent of the U.S. workforce  
22 telecommutes a majority of their time. If that

1       went to 40 percent, we're talking about 453  
2       million barrels of oil a year, 150,000 people a  
3       year that avoid accidents or death through  
4       collisions, total economic benefit of \$800  
5       billion. Next slide -- sorry, we missed a slide.  
6       There it is. So take my word.

7                 Then the next slide is -- this is a good  
8       news slide -- everything is there today. We don't  
9       have to invent anything, we don't have to build  
10      anything, we don't have to create anything. This  
11      is more of a social issue than a technical issue.  
12      So the products are all out there today. We're  
13      hearing about some of them as well that enable  
14      remote work, work anywhere, flexible mobile  
15      workforces. It's a \$256 billion opportunity for  
16      the industry, so there's a lot of good news in  
17      there. Next slide.

18                So, we went and did a ground-level study  
19      with the Bainbridge Graduate Institute starting  
20      last year and ended this May, and it produced a  
21      report that we titled "BetterWork," which is  
22      available at [betterworktoday.com](http://betterworktoday.com), and a lot of

1 other information and resources about this. And  
2 we studied organizations that have successfully  
3 done this, like Sun, which is also in the GeSI  
4 climate group report, as well as CISCO and others,  
5 and the results are staggering as I go over just a  
6 few seconds here. Just Sun alone saved almost \$70  
7 million in real estate costs and almost 24,000  
8 metric tons of CO2 just in 2007 as well as CISCO  
9 and Best Buy and others that have had a  
10 significant amount of impact through that.

11 So, wrapping it all up, when you look at  
12 this next slide here, looking at planet, people,  
13 profits, all of these items fit. You have less  
14 telecommuting, less buildings, you have a more  
15 satisfied workforce, and this has all been proven  
16 out in these studies as well as higher profits and  
17 a huge carbon savings. And it's a huge  
18 opportunity for the industry, like the commercial  
19 building industry has done -- in the last slide,  
20 sorry -- with the lead standard, we need to  
21 transform the telecommunications industry the same  
22 way. I apologize for going over.

1           MR. SINAI: Great. Thank you, Matt.  
2           And next, our next panelist is actually walking  
3           the walk, so to speak, is Colin Buechler, a senior  
4           VP of marketing of LifeSize Communications.

5           MR. BUECHLER: Thank you very much and  
6           thank you for letting us join from balmy Austin,  
7           Texas. I'm hoping we make a lot of progress on  
8           this since we're about to go on our 61st day of  
9           100 degree weather, so we really need the help  
10          down here.

11          I was asked today to talk about video  
12          communication's role within green IT. Next slide.

13          Gardner defines green IT as the optimal  
14          use of information and communication technology  
15          for managing the environmental sustainability of  
16          enterprise operations in the supply chain. As  
17          many of you know, companies today are seeking  
18          green IT solutions. Corporate responsibility  
19          dictates companies take an active approach to  
20          carbon reduction. The challenge is within today's  
21          global environment, they need to try and do that  
22          while living within current budget constraints.

1 And one of the best ways to reduce carbon  
2 emissions is to remove the need for those  
3 emissions.

4 We believe video communications is a key  
5 green communication technology, but broadband is  
6 the enabler. You cannot have this experience  
7 without a strong broadband network. Next slide,  
8 please.

9 Video communications has come of age.  
10 This is not the 1964 World's Fair, as you can see.  
11 Really high definition is the key. It's been the  
12 game changer. It creates an immersive, natural  
13 interaction, technology is transparent. It feels  
14 like I'm there with you guys right now from my  
15 side and, hopefully, is the same from your side.

16 Also, network ubiquity, what's changed  
17 this is this is not ISDN lines. This is over the  
18 open Internet. We can do HD video under 1  
19 megabit. We can have 2X the quality of your DVR  
20 at 768K. And then third and finally is the  
21 dramatically improved price performance. We can  
22 provide this capability now for under \$5,000 a

1 node and we continue to improve that.

2           There's also been a lot of discussion  
3 around video communications versus telepresence  
4 and are they two different things. They're  
5 actually the same thing. Telepresence is an  
6 enhanced experience on an HD video communication  
7 architecture. You can create and enhance that  
8 experience through a little thing, cognitive and  
9 aesthetic changes around lighting, color, sound,  
10 but it's all built on the same HD architecture and  
11 enabled by the same broadband networks. Next  
12 slide, please.

13           So what we're trying to do in the  
14 industry, the video communication industry is  
15 trying to do, is drive that change with anytime,  
16 anywhere collaboration, really focusing on three  
17 areas. First is removing the need to travel.  
18 Gardner has estimated by 2012 videoconferencing  
19 will have removed the need for about \$3.5 billion  
20 of travel. Just today I saved a half a ton of  
21 emissions by calling in rather than flying out  
22 there to join the meeting.

1           Second, and more importantly, is expand  
2 this to include everyone. A lot of the  
3 discussions around video communications tend to  
4 focus on the largest companies and very high-end  
5 installations in board rooms and executive rooms,  
6 et cetera, we really believe to make this work, it  
7 has to expand to include everyone and really  
8 enable connected communities, rural schools, rural  
9 hospitals, small business.

10           If you went to [www.lifesize.com](http://www.lifesize.com) today  
11 you could see a video that appeared on the NBC  
12 Nightly News last week where we connected a  
13 soldier into the delivery room to watch his son  
14 being born. And that's the type of technology --  
15 that could be from 6,300 miles away in Iraq, so we  
16 really see this is for everyone, everywhere, to  
17 experience this, this telepresence experience.

18           And finally, I believe Matt was  
19 mentioning, it really empowers the teleworkers.  
20 The population of teleworkers is expanding from 20  
21 to 34 million by 2008, and this is the type of  
22 technology that allows a teleworker really to be



1       there without actually going there. We have many  
2       of our engineers work from home and participate in  
3       all team meetings and know the people and work  
4       very strong, collaboratively without ever leaving  
5       their house. Next slide.

6               And finally, I think we pushed a  
7       presentation to you, but finally, this is not just  
8       about the largest enterprises. One of our  
9       partners, BT, has eliminated more than 860,000  
10      face-to-face meetings saving at least 97,000 tons  
11      of CO2, but small companies like Vanguard Truck  
12      Lines saved over 135,000 pounds of CO2 in a year  
13      for just 3 executives and saved them 288 days of  
14      productivity as part of that.

15             National Geographic, in 6 months alone,  
16      has saved over 48,000 pounds of CO2 in one office  
17      alone. And as they said, being green is more  
18      important to them than money or travel savings and  
19      HD video is the green technology for them. Next  
20      slide.

21             So, finally, we believe we're on the  
22      cusp of a visual communication era, one that can

1 save time and money and also help to protect the  
2 environment. Thank you very much.

3 MR. SINAI: Great. Thank you, Colin.  
4 That was fantastic.

5 Next will be Maura O'Neill, who's the  
6 senior advisor for Energy and Climate and chief of  
7 staff to the undersecretary for Research,  
8 Education, and Economics at the USDA.

9 MS. O'NEILL: Great, thanks. I'm  
10 actually wearing two hats today as we do in  
11 agriculture. One is agriculture, which is still  
12 the largest employer by industry in the United  
13 States, but also rural America, and particularly  
14 the rural utility services, so I'll talk about  
15 both of those as I go through.

16 I'm going to talk about three things:  
17 Best practices; data collection, monitoring, and  
18 control; and lastly, but most importantly, money,  
19 both what the opportunity and what the need is for  
20 broadband in helping us solve this climate  
21 challenge.

22 So I'd first start with best practices

1 and I would continue on Chris' note on how  
2 temporal and how important time is. The fact of  
3 the matter is that we know that there are a lot of  
4 best practices out there that could be used, but  
5 people just don't know about them. And you  
6 aggravate that by the lack of access to broadband  
7 communications in rural America and the  
8 dissemination curve, the adoption curve falls off  
9 dramatically. So, the first is best practices.  
10 We think there's huge opportunities for the AG  
11 industry to play a major role both in adaptation,  
12 mitigation, and sequestration, but that's only  
13 going to come if we get that information, it gets  
14 disseminated in a timely fashion.

15 And the second, which is -- I'll get to  
16 in just a second -- we get feedback so that that  
17 can become a continuous cycle. In particular, we  
18 run the largest adult education program in the  
19 country through our extension services, so we have  
20 9,000 physical agents out there. But as our last  
21 presenter said, we really need to morph that. And  
22 so we have a big initiative called E-Extension and

1 giving farmers and people in rural America -- for  
2 example, one of them is we have a decision tool  
3 that's really an interactive decision tool for  
4 carbon management and evaluation called COMET, and  
5 it calculates the soil carbon change and  
6 greenhouse gas emission changes from various  
7 scenarios. So as a farmer, you can go on -- or a  
8 rancher -- and you can say, well, what if I did  
9 these change in practices, what would they do to  
10 my carbon footprint? That's incredibly important.  
11 And we think it's these kinds of dissemination  
12 tools that are intuitive, that are easy, that  
13 aren't built by -- well, maybe they were  
14 facilitated in the backend by modelers, but they  
15 are, in fact -- look much more like a videogame in  
16 their user interface than a techie economics tool.

17 So, the first is the need for this best  
18 practices and the continuous loop around it, and  
19 that's essential for broadband if we're going to  
20 bring all of the variety of resources to climate  
21 change.

22 The second, which we spent most of the

1 first panel talking about, which is data  
2 collection, monitoring, and control. We clearly  
3 understand the value of Smart Grids. I was, in  
4 the mid-'90s, first on the leading edge of running  
5 a Smart Grid company in the -- no, first on the  
6 leading edge and then the leading edge. I'm glad  
7 that we made, actually, that transition. But as  
8 we saw in the panel before, it's enormously  
9 complicated thing, but clearly plays a very, very  
10 important role in terms of climate change not just  
11 in terms of energy efficiency, but network  
12 administration for load shaping, for spinning  
13 reserves, for metering, and being able to really  
14 fine tune the system and really squeeze out a lot  
15 of the energy, but also in terms of modeling and  
16 in terms of better information.

17 We have started a network of protocols  
18 around AG and climate change called GRACEnet that  
19 monitors carbon, monitors emissions all across the  
20 country. We're now just beginning -- but it's a  
21 big secret. We're beginning to talk globally  
22 about doing that. Clearly, broadband has to be

1 available to enable that to really be optimized  
2 for all the micro climates there are around the  
3 U.S. and around the world.

4           And lastly, money. It makes a lot of  
5 this happen or it takes a long time to not happen  
6 if we don't have it, so I'm really excited that  
7 the rural utility services, which are the people  
8 that helped finance bringing electricity to the  
9 farm back in the '30s, has stepped up and said,  
10 yes, investments in Smart Grid will be an  
11 allowable use. They're waiting for NIST to  
12 actually come out with some of the standards so  
13 that they'll know, yes, this is the time we should  
14 be financing and somebody sprinkled holy water on  
15 that, but they are very excited about the ability  
16 to do that. They finance about -- currently,  
17 they've financed about \$39 billion and so it can  
18 be a significant player both in terms of Smart  
19 Grid technology in terms of renewables and in  
20 terms of energy efficiency.

21           So I just welcome and thank you for the  
22 opportunity to participate in this panel and also

1 welcome a continuing dialogue with everyone on  
2 this panel and in the audience as we go forward in  
3 optimizing broadband and other ways to reduce the  
4 negative effects of climate change. Thank you.

5 MR. SINAI: Great, thank you, Maura.  
6 We're looking forward to continuing to work with  
7 the USDA.

8 Next up is Skip Laitner, who's the  
9 economic analysis director for the American  
10 Council for Energy Efficiency Economy.

11 MR. LAITNER: Thank you, Nick. And my  
12 congratulations, compliments to the FCC for a  
13 rather smart collection of workshops. I think  
14 we'll do a lot to unfold the huge opportunities  
15 both productively and competitively for the  
16 American economy as it tries to maintain its  
17 prosperity in the global economy, but then, yes,  
18 to think about smart ways of reducing greenhouse  
19 gas emissions and the like.

20 My topic, very quickly, rather than  
21 focusing on technology, I thought I might use the  
22 opportunity to bring home a -- sort of scale an

1 opportunity, so I'm exploring the notion of how  
2 big efficiency -- next, advance, please -- in  
3 other words, looking at efficiency as it might  
4 catalyze further opportunities for investment.

5 Efficiency, what do I mean by that?  
6 First of all, it's the cost-effective investment  
7 in the energy we don't use in producing our  
8 nation's goods and services. Yes, it certainly  
9 has the familiar things of the installation, smart  
10 lighting, compact fluorescents and the like, but  
11 also includes things like combined heat and power,  
12 recycled energy development, small-scale  
13 distributed energy, but then the unexpected, and  
14 here we're talking about, already alluded to, the  
15 opportunity for information communication  
16 technologies to really bring forward a secondary  
17 value, which is energy productivity.

18 Normally, we think of it as the ability  
19 to help us make better decisions, provide more  
20 timely data in a real-time sense, but it has a  
21 surprising ability for increasing overall energy  
22 productivity. And then finally smart



1 infrastructure and smart development of high-tech,  
2 high value-added sectors. Their very presence  
3 means a low use of energy generating a large  
4 return in terms of employment. The common  
5 denominator to all of these things are productive  
6 investments and informed behaviors increasingly  
7 enabled by semiconductor, broadband, and ICT  
8 technologies. Next slide, please.

9           So I thought I would quickly provide a  
10 backdrop of a report we released just last year  
11 and I was thinking -- Brian Hala, who's a chairman  
12 of National Semiconductor, on the dais with me,  
13 has released this report, I thought a very timely  
14 comment. He said -- and I'm one of those few  
15 people in the room that I suspect remember eight  
16 party lines where I could say, Operator, give me  
17 BE7-9277. That was in the 1950s. And Brian said,  
18 "That's how far Smart Grid has come today." We're  
19 still in the 1950s about thinking about systems  
20 and opportunities. One of the ways we need to  
21 think about this opportunity is how to open up.  
22 Yes, how to provide synchronized protocols and

1 standards, smart investments, but to do so in an  
2 open-ended way that doesn't foreclose or  
3 prematurely shut down technologies that might not  
4 be available to us today, but very conceivably  
5 tomorrow.

6           Next slide. So, the study I was looking  
7 at is the story of three lines that we released in  
8 May of this year. That top line is what the  
9 economy would look like had we not changed any of  
10 our technologies forward looking from today  
11 through the year 2030. That middle line says,  
12 yes, we are going to become somewhat increasingly  
13 productive over time so that we're not going to  
14 use nearly as much electricity as we could be  
15 using, as we would be using, had we not become  
16 more productive over time, but the bottom line is  
17 really the telling story. What we refer to as a  
18 semiconductor, broadband-enabled efficiency  
19 scenario, we have thought in terms of investments  
20 that might drive productivity gains through  
21 broadband, through semiconductor-enabled  
22 technologies, that would allow us to use as much

1 as 27 percent less electricity by the year 2030,  
2 even accounting for the additional electricity  
3 that would be used to power those technologies,  
4 that 97 percent we heard reference to before.

5 Next slide please.

6           What we're really talking in terms of  
7 under the semiconductor broadband-enabled  
8 scenario, the market would require investment,  
9 productive investment, I might add, of \$500  
10 billion cumulative over the period 2010 through  
11 2030. In other words, an opportunity to build a  
12 market. The energy savings to consumers and  
13 businesses under that scenario would likely grow  
14 to \$1.3 trillion over that 20-year time horizon,  
15 cumulatively, a significant return for businesses  
16 and consumers. Our estimates suggest that this  
17 higher level of energy productivity would  
18 stimulate a net average increase of jobs on the  
19 order by half a million jobs a year over that 20-  
20 year time horizon, but then, more critically, it  
21 would allow from the electricity sector alone,  
22 this enabled productivity investment to reduce

1 greenhouse gas emissions on the order of 400  
2 million metric tons a year. Yet, these returns  
3 are available if and only if we choose to develop  
4 and invest in this critical resource opportunity.  
5 Next slide, please.

6 In other words, in the comment of  
7 Maynard Keynes in the forward of his book, The  
8 General Theory of Employment, 1938, he said, and I  
9 think this applies appropriately, "The difficulty  
10 lies not with the new ideas, but in escaping the  
11 old ones."

12 So, again, in order to foster this  
13 opportunity, how might we move forward with a  
14 broadband plan that, yes, offers the right  
15 protocols, the right incentives for deploying  
16 smart investment and productive behavior, but in a  
17 way that remains open-ended and open to new  
18 technologies that have yet to come before us, but  
19 that could increasingly enrich our economy and our  
20 global environment? Thank you.

21 MR. SINAI: Thanks, Skip. Thank you  
22 very much. So, I'll start off and I'll ask a

1 question. I'd also like to encourage  
2 participation online. And in the room, if you  
3 have questions, please write them down. I'll have  
4 people coming around and grab them.

5 I heard some interesting comments about  
6 obstacles and so I'd love to -- and getting caught  
7 in old ideas, so I'd like to direct a question to  
8 Colin, Matt, and Sheryl about what are the  
9 obstacles, be they technical, market, whatever?

10 What are the obstacles to adoption of  
11 these technologies?

12 MS. WILKERSON: I'm happy to start. I  
13 think with respect to the areas that I talked  
14 about in intelligent transportation, DSRC, as I  
15 said, was implemented -- was allocated and the  
16 service rules were literally 10 years ago come  
17 October of this year, and it's not for a lack of  
18 will and dedication and determination from the  
19 vehicle, from the manufacturers and others in the  
20 industry. There are applications out there. They  
21 are working. They've had numerous trials with  
22 various states. The problem is how to actually

1       deploy it. Who are the players? Who can fund it  
2       given the economic crisis? What are the  
3       limitations within the particular state?

4                So, those are some of the challenges. I  
5       think DOT currently has a proceeding underway  
6       looking at the proper business model for how to  
7       deploy this infrastructure. It was in their  
8       Vehicle Integration Initiative Infrastructure  
9       proceeding just August of last year and there  
10      still is no resolution of those issues. So,  
11      there's great skepticism and there's angst both at  
12      the state and local level. I think the -- I  
13      believe that there's going to take a combination  
14      of efforts to actually try to deploy this. The  
15      issues are very difficult, as you've seen and  
16      heard here today, but the applications are there.  
17      There's just going to have to be some incentives  
18      for the marketplace to come up with a business  
19      plan or model that will work. The consumers will  
20      have a role in selecting which applications they  
21      will need and want to purchase. There will be  
22      benefits to the state in terms of the kind of

1 information that will be aggregated from the  
2 various roadside units and whatnot, but then  
3 there's got to be proper incentives for the  
4 industry to actually want to deploy these  
5 applications.

6 MR. SINAI: Great. Colin.

7 MR. BUECHLER: Yes, I think another  
8 obstacle for an experience like this is price  
9 performance of the communication technology.  
10 There aren't many rural hospitals or small  
11 businesses or homes that are going to spend  
12 \$300,000 for a high-end telepresence suite. And I  
13 think as that price performance -- most of the  
14 infrastructure is there, but the communication  
15 technology on the edge is still being created.

16 And as price performance continues to  
17 improve and customers continue to adapt that  
18 experience, you know, the primary obstacle is just  
19 going to be behavioral. And what we find is  
20 there's an initial resistance to trying newer  
21 technologies, but those early adaptors and  
22 companies that are using this, roll it out and

1 quickly start to adapt it and the demand gets  
2 very, very high and it becomes almost natural for  
3 the way people communicate.

4 For example, I struggle on conference  
5 calls and speakerphones. I stare at the  
6 speakerphone in front of me expecting it to look  
7 back at me at some point. So really, as price  
8 performance improves and we're able -- and as the  
9 broadband network expands throughout the country  
10 and as price performance improves around the  
11 communication technology, I think we'll see the  
12 total benefit continue to increase.

13 MR. BAUER: Piggybacking on that, I  
14 think that the perception -- as we're a carrier  
15 out there, you know, carrying the bags around  
16 going into businesses and nonprofits, talking to  
17 them about their telecom services, the perception  
18 of cost is very interesting because the  
19 opportunity is to actually impact the cost of the  
20 rest of the business much more -- or the nonprofit  
21 much more than the lien item for communication.  
22 So, when you look at lessening building costs,



1 increasing productivity, lowering health care  
2 costs, all these items, it goes off the scale and  
3 the cost savings become enormous. So, the  
4 management styles just haven't caught up. And I  
5 think the adoption of technology, for the first  
6 time, we're probably 10 years behind where  
7 technology can be deployed in the enterprise with  
8 what we're seeing out there. Most people have a  
9 traditional setup, probably 80 percent still use  
10 POTs lines and DSL or something along those lines,  
11 where you have all these applications like what  
12 Colin is talking about, which are really much  
13 closer than people think, it's just the carriers  
14 haven't adopted this as a selling technique to be  
15 out there teaching people how to fish. So,  
16 instead of just selling what's right in front of  
17 us and "me too" type of activities, to go out  
18 there to organizations and say, well, look, you  
19 can change how you work and improve all your  
20 metrics, and especially when it's a challenging  
21 time for costs and technology and for the  
22 environment and all these things are -- all these

1 indicators go the right directions when you deploy  
2 a flexible workforce that has a lot more  
3 technology replacing physical transportation and  
4 buildings. More social.

5 MR. CROWELL: Just on the question of  
6 the telecommuting and the ability of people to  
7 work from home, and Matt mentioned, you know, this  
8 quote of, you know, the madness of the  
9 transportation, you know, rush and getting home  
10 and work to join together, we look at the  
11 productivity gains to the companies and you look  
12 at the, you know, kind of quality of life and the  
13 twinkle in the eye of the employee who gets to,  
14 you know, work at home and, you know, perhaps be  
15 closer to family life and avoiding that traffic,  
16 that rush hour, and we talk about the benefits of  
17 it. One of the things that I think we all should  
18 look at as we look at a national broadband plan  
19 and we look at what the country needs going  
20 forward is to also underscore the urgency with  
21 respect to this infrastructure in unserved areas  
22 and underserved areas.

1           We don't know what the future holds this  
2 fall and we don't know exactly what might unfold  
3 in coming years, but the social cultural morays  
4 that hitherto have perhaps restricted more people  
5 from working from home are going to be challenged  
6 greatly if we have a swine flu outbreak this fall,  
7 this winter. And if you're a small business whose  
8 employees either don't have access to broadband at  
9 home or your employees don't subscribe to  
10 broadband at home, there will be productivity  
11 losses. And so there's an urgency and there's a  
12 risk to our economy by not having the investments  
13 made in the infrastructure, in not having the plan  
14 for adoption, in not integrating these.

15           And so I was wondering if you -- if  
16 people could comment on not only the benefits, but  
17 also what your sense of urgency is with respect to  
18 underserved areas and unserved areas going forward  
19 for this as a national infrastructure?

20           MR. LAITNER: If I might just open a  
21 comment, I had a fascinating discussion with a  
22 principal of an elementary school in Lake Zurich,

1 Illinois, just about six months ago. Underserved  
2 area and she was interested in being able to take  
3 advantage of this very technology, both the  
4 videoconference and teleworking, but she didn't  
5 know where to begin. Three hundred thousand  
6 dollars is about right. She couldn't afford that  
7 in her budget, but she said to me we have an  
8 underutilized educational facility. We only use  
9 it part of the day. What if I could get health  
10 and education -- or Department of Education to  
11 help us figure out a way to bring a system like  
12 that in so we use it a bit when we need it, but  
13 then make it available to the community at large?  
14 It becomes an operating laboratory. It helps her  
15 figure out system transitions, the things she has  
16 to do, how to become a better manager, and, she  
17 says, as a manager of teachers and of students, I  
18 need better skills and what it means to control,  
19 manage, facilitate, or encourage a different way  
20 of looking at the world. She didn't know where to  
21 begin.

22 The opportunity is there if we can make

1 those resources available to someone like her.  
2 She would be really intrigued about moving forward  
3 with that kind of an opportunity.

4 MS. O'NEILL: Let me just add, I  
5 couldn't agree with you more. I think it is a  
6 public policy decision that's in front of us. You  
7 know, that's why I mentioned in my remarks about  
8 the decision we made as a country to bring  
9 electricity to the farm when it wasn't exactly the  
10 most "cost-effective" thing to do at the time. I  
11 know the Northwest was built on the federal  
12 government coming in and financing some big hydro  
13 facilities and we had no place to sell that power,  
14 so it would have never actually been happening,  
15 but the Bonneville Power Administration invented  
16 what is most of our transmission technology. So I  
17 also think while we all remember Tang as one of  
18 the things that came out of the race to the moon,  
19 in addition to technology, I think we also  
20 shouldn't underscore -- we shouldn't forget that  
21 if we make this big push, there's an enormous  
22 amount of innovation and benefits that come to our

1 economy and to our lives way beyond just missing  
2 that commute. And I think we need to start having  
3 that dialogue so people understand how important  
4 this is to accelerate it in just the way you've  
5 described, Colin.

6 MR. BUECHLER: Yeah, the other thing I  
7 would mention, if I could, is it's not just an  
8 inside company communication vehicle, a lot of  
9 these technologies. There's a lot of local  
10 communities that are trying to figure out how to  
11 create greener wired networks. I know Case  
12 Western is one in Ohio that's looking at that, and  
13 the value continues to expand. It's not just in  
14 teleworking. As you get broadband video into the  
15 home, you can see health care applications for it,  
16 you can see personal communication applications  
17 for it, there's a quality of life issue that you  
18 can participate with your family while still being  
19 able to compete in the global workforce. All of  
20 these elements compound on themselves and also  
21 contribute to addressing climate change.

22 So, while companies themselves can begin

1 to start to figure out how to manage their cost  
2 structure and their carbon emissions, I think  
3 there's a key role for government to start to  
4 think about not only how to allow people that may  
5 not be able to afford that, but how to allow  
6 communities to engage together on that. There's a  
7 network externality effect. The more nodes that  
8 participate, the greater the value is for everyone.

9 MR. WALKER: If I could just add, also,  
10 I come out of the insurance industry. I spent 15  
11 years in the insurance industry and I would see,  
12 actually, an element here on resiliency, too.  
13 Business interruption being a very big concern,  
14 for instance, for a lot of businesses and for the  
15 insurance industry as well and perhaps there would  
16 be some tie -- relationship to risk management  
17 aspects.

18 MS. WILKERSON: I'd just like to add one  
19 point even though it wasn't the topic of my  
20 presentation is that there are some really  
21 wonderful role model companies out there. For  
22 instance, there's a company called Verity in North

1 Dakota that provides service to some Fortune 100  
2 companies. And part of the reason they're there  
3 is because there's broadband and one of their  
4 requirements is that 100 percent of the people who  
5 work for them are eligible to work from home. And  
6 one of the interesting statistics about this  
7 company is that 60 percent of those employees did  
8 not have broadband before they went to work for  
9 the company.

10 The other point I'd like to make is that  
11 there have to be really creative business  
12 incentives for companies to provide that kind of  
13 technology. One of the interesting factors is  
14 that in order to get a job there, you have to have  
15 broadband, so many of the -- the first question  
16 they ask is do you have broadband? If you don't,  
17 you can't work there.

18 And secondly, finding creative  
19 opportunities for companies who can allow their  
20 employees to use the broadband when they're not  
21 working. So, one of the interesting aspects is  
22 that now those -- the children in those families



1 who didn't have -- the 60 percent of those  
2 families now are empowered to use the broadband  
3 services and networks that the companies have  
4 facilitated in their home.

5 MR. SINAI: Kristen.

6 MS. KANE: Just a quick follow-up to the  
7 point you just made, Sheryl. All of you, and  
8 people throughout the day and on other days this  
9 month of August during these workshops, have  
10 argued very compellingly for the need for  
11 significant government investment in the  
12 connectivity itself.

13 And my question is, as we contemplate  
14 and develop recommendations for this national  
15 plan, are there really specific incentives that we  
16 should consider recommending to Congress in terms  
17 of motivating and expediting the adoption of the  
18 kinds of technologies you mentioned? I mean, are  
19 there tangible things that you know of at the  
20 local level that have worked effectively or that  
21 you're contemplating would work well in the  
22 marketplace or for adopters as well?

1 MS. WILKERSON: I'd be happy to provide  
2 some examples from some of the field trials that  
3 have been provided in various states, but I think  
4 one of the compelling areas in intelligent  
5 transportation is that when you talk about  
6 broadband, a lot of the dialogue focuses on the  
7 underserved and unserved areas. And in  
8 particular, if you look at the fatality rate in  
9 rural areas, I believe there were 37,000  
10 fatalities in the U.S. last year and I believe the  
11 great majority of those are in rural areas. So,  
12 getting these applications out there even though  
13 they have short range and high bandwidth is really  
14 important. I think there are other public safety  
15 benefits outside of education, but real tangible  
16 economic benefits that will come from health care  
17 -- to health care by being able to eliminate those  
18 crashes in the first place.

19 MS. O'NEILL: I just have one  
20 suggestion. I just came from being chief of staff  
21 of a U.S. senator, so I listen to a lot of people  
22 talk about what it would take, but clearly

1 accelerated depreciation on this equipment can  
2 play a very tangible role in penciling something  
3 out from being -- just not making the hurdle to  
4 significantly making that hurdle. And so what I'd  
5 also say is that because I believe time is of the  
6 essence, I think if you time it such that that is  
7 a declining schedule over time, I mean, not so  
8 high that the industry can't ramp up to actually  
9 provide and the standards not be in place, but if  
10 there's an incentive that says if you wait until  
11 next year, it isn't as good, I think you'll see  
12 significant accelerated adoption.

13 MR. BAUER: And we're seeing that there  
14 are a lot of incentives in place already. I think  
15 it's an advocacy issue that we have that, you  
16 know, for one example, back to Colin's point of an  
17 underserved, underutilized, distressed area is,  
18 you know, virtual call centers, like what JetBlue  
19 has done with their -- they have one of the  
20 highest rated call centers in the business and  
21 they're all working from home. And it's the kind  
22 of model that you can get training out there and

1       there are a lot of places that already have  
2       broadband that you could put people to work, so  
3       it's a great jobs program, but then also in terms  
4       of bringing broadband to other areas and then to  
5       address issues as they come up.

6                   One interesting one last week was the  
7       BART strike in San Francisco that almost happened.  
8       It was about the -- we have one of our offices  
9       there and it was, you know, about to be paralyzed  
10      and they averted it, but we put an op-ed in about  
11      all the implications and how businesses and  
12      nonprofits and organizations can start readying  
13      themselves today. Swine flu is another one.  
14      We've been working with the info two-on- one  
15      networks across the country and they're all  
16      ramping up to try and be -- have capacity to  
17      handle all these calls, and they all have call  
18      centers. Having remote access, having employees  
19      that work out of their homes is a much easier way  
20      to address that, especially as the flu potentially  
21      takes hold.

22                   MR. LAITNER: I have three

1 recommendations in quick order. First is from the  
2 utility perspective. In my former life, I was one  
3 of those expert witnesses in the regulatory  
4 proceedings, rate-making proceedings, and I am  
5 convinced that we need some form of decoupling.  
6 That is to say move away from the standard  
7 rate-based approach to utility making. Give the  
8 incentive to invest in their customer's value in  
9 which they earn a return on their value, return  
10 not on the power plants, transmission lines, that  
11 are part of their rate base.

12 California's done that. Yes, California  
13 has a budgetary problem, but they are also one of  
14 the more energy efficient states in the country  
15 because they have offered a good bit of incentive,  
16 so some form of decoupling, but also understanding  
17 the need to perhaps redirect the making of the  
18 corporate charter. If you think of yourself as a  
19 utility, I am a cranker of kilowatt hours rather  
20 than an entity whose job it is to deliver  
21 value-added on behalf of my customers for which I  
22 earn a return, a profit, so remaking those

1 chargers and perhaps redefining the generally  
2 accepted accounting principles to move away from  
3 traditional rate- based thinking to more flexible  
4 investment patterns. So that's one area of  
5 recommendation.

6 But the second is we shouldn't be afraid  
7 of standards. Yes, we need standards to ensure an  
8 operability communication among various  
9 technologies at different times and across  
10 different platforms, but we also need standards to  
11 identify levels of performance. And in that  
12 regard we already have heard about the renewable  
13 portfolio standard, but there is also an  
14 interesting proposal, the Energy Efficiency  
15 Resource Standard.

16 You've heard my suggestion that  
17 broadband technologies generally have the ability  
18 to increase our productivity such that electricity  
19 could be 27 percent reduced from 2030 projected  
20 levels if we allow that smart productive  
21 investment to move ahead. And a signal needs to  
22 be given to the market, not just a carbon signal,

1 but a signal of performance, and I think you'll be  
2 surprised at the level of responsiveness that this  
3 country is ready to initiate if given a clear,  
4 persistent policy signal that ratchets up slowly  
5 over time that the market understands that there  
6 is a new dynamic coming.

7 And then finally, I think we need to  
8 think of this policy as, yes, a critical way of  
9 addressing climate policy. If there is a climate  
10 imperative, this becomes among the huge  
11 opportunities to address that imperative in a way  
12 that maintains robustness and prosperity.

13 MR. SINAI: Great. Thank you. How does  
14 this change if there is a price put on carbon?  
15 Can any of these technologies, besides benefitting  
16 from the uptake, can they recognize credits? How  
17 do you measure the additionality? I know this is  
18 a little bit of a question of looking to the  
19 future, but I'm curious because this will be a  
20 debate in the future of how do we recognize a  
21 whole wide variety of technology. So it doesn't  
22 necessarily have to be videoconferencing and

1 telecommuting, but there's a whole range of  
2 technologies that can help accomplish things from  
3 an efficiency standpoint, and how do we think  
4 about the measurement and information and credit  
5 if need be?

6 MR. LAITNER: A good question, and it's  
7 a critical question, but I don't think we need to  
8 be afraid of being so precise that prevents action  
9 from occurring. Rather, if you'll go to our  
10 website, [aceee.org](http://aceee.org), we have a proposal for the  
11 Energy Efficiency Resource Standard in which we  
12 suggest that you allow real-time information to  
13 take the utilities, in this case the electric  
14 utilities, their last two historical years of  
15 kilowatt hour and suggest that they begin ramping  
16 up so that their energy use is a half a percent  
17 less the next year, maybe a percent and a half the  
18 year after, and that can be monitored real-time in  
19 ways that don't require you to really stick it to  
20 the information level of the individual customer.  
21 We can stay systemic, but we can also learn from  
22 that. And as the information becomes a little bit



1 more facile, a little bit more flexible, a little  
2 bit more real-time, as that learning occurs, then  
3 we can begin thinking about different ways of  
4 measuring where we need to be a bit more critical.  
5 So, I think we can start in a broad course way,  
6 get the momentum built, learn from that  
7 experience, come back in about five years and  
8 rethink what we've learned, and perhaps provide a  
9 different way forward given that learning that  
10 moves ahead rather than thinking about a locked-in  
11 standard today, much like the Energy Star standard  
12 is for computers and other -- they renew that  
13 about every four or five years based on the  
14 learning that occurs and on the technology that  
15 evolves. And in a similar way, I think we would  
16 do well to move ahead in that format.

17 MS. O'NEILL: We think that there's a  
18 huge opportunity and (inaudible) as the  
19 Waxman-Markey bill has said, but it's only going  
20 to work if there is a credible monitoring and  
21 verification system that is consistent over time  
22 and so we understand that at least from the AG's

1 and Forest's basis. And so we have accelerated  
2 our own work to develop methods that could give  
3 the marketplace consistency and reliability in the  
4 same way we've done with the AG Statistic Service,  
5 so that we can be looked upon as a resource for  
6 that. There's clearly a lot of work to be done  
7 and we've not -- we haven't just started, but  
8 we've accelerated our work in that area.

9 MR. WALKER: First of all I fully --  
10 sorry.

11 MR. CROWELL: I also think most  
12 companies will need guidance from the standard  
13 bodies because most of the larger -- or regular  
14 corporations are dealing with technologies that  
15 are now starting to cross different budgets,  
16 different functional budgets within a finance  
17 structure. I think one of my fellow panelists had  
18 mentioned this where when you start getting into  
19 travel avoidance, you start -- and if we start  
20 getting into offering credits in other areas,  
21 those are no longer managed outside of the IT  
22 budget. And so what institutes an avoided trip

1 and how do I think about accounting for that is  
2 something that I know a lot of financial  
3 organizations are starting to think to themselves,  
4 but looking externally to help provide the  
5 standards and guides by which to measure it within  
6 their books.

7 MR. WALKER: I was just going to add, I  
8 agree with Skip on the need not to allow the  
9 perfect being the enemy of the good and  
10 particularly on energy efficiency. I mean, it is  
11 the low-hanging fruit. McKinsey pointed that out  
12 as the first place to start, for instance. And so  
13 what we need to do is figure out ways to  
14 methodologies that does it credibly that we can  
15 actually readily account for things. And I think,  
16 you know, examples abound on how, you know, some  
17 of the methodologies arose on offset projects back  
18 in the early 2000s with, for instance, the Climate  
19 Trust out in Oregon, where they looked at how to  
20 develop new methodologies in kind of breakthrough  
21 areas that at the time people weren't necessarily  
22 saying, well, these could be valid offsets. They

1 developed the methodologies, trial and error, and  
2 then they came up with ways that were credible.

3 I think also Japan is a good example to  
4 look at because of the top runner programs they've  
5 done with their energy efficiency on projects --  
6 products, I should say. The idea is that you  
7 always push the envelope so that you always -- you  
8 don't have the product at level for energy  
9 efficiency be kind of the least common  
10 denominator. It's always the top rung, so whoever  
11 sets the highest energy efficiency becomes then  
12 the bar the others have to meet, and so,  
13 therefore, you're always raising efficiency.

14 MR. SINAI: Great, we have an online  
15 question here. Colin, I think this is directed  
16 towards you. I'll read it. "We have focused on  
17 underserved areas with no or limited access to  
18 broadband. This does not address how well the  
19 existing broadband networks would support mass  
20 adoptions of solutions like HD videoconferencing.  
21 Is the broadband network capable of supporting  
22 these applications at scale even in the most

1 connected cities?"

2 MR. BUECHLER: I think that's a great  
3 question. I think the infrastructure is there for  
4 a dramatic increase in existing traffic and usage.  
5 I think as this becomes mainstream, carriers will  
6 need to look at the existing infrastructure and  
7 there's going to be a required upgrade over time  
8 as the traffic increases.

9 I also think it's the job of  
10 communication technology companies like ourselves  
11 to reduce the bandwidth required to have those  
12 communications. And so I think the combination of  
13 making communication technology more bandwidth  
14 efficient, a lot of the initiatives around Smart  
15 Grids and networking to be able to manage the  
16 traffic more intelligently, are really the two  
17 near-term opportunities and to expand that  
18 capability to other areas. But I do believe as  
19 the traffic starts to increase that you will start  
20 to see a little bit more strain on the existing  
21 networks, but I don't believe we're anywhere close  
22 to that today.

1                   MR. SINAI: Great. Thank you, Colin.  
2 Chris, I also wanted to give you an opportunity.  
3 You had mentioned you had some other applications  
4 you wanted to talk about. I didn't want to cut  
5 you off if you did want to talk about them.

6                   MR. WALKER: Well, I mean, the idea --  
7 and they're all highlighted in the report -- but  
8 the idea was there are a lot of good examples. As  
9 an organization, The Climate Group, we were  
10 storytellers. The idea was to tell success  
11 stories of what has worked so that others could  
12 follow. It's about getting the information out so  
13 that is not a reinvention of the wheel each time.

14                   So there's been a lot of very  
15 interesting examples, you know, the potential  
16 application of ICT technologies. I know there  
17 that one example that's highlighted in the book  
18 talks about San Francisco and the idea with  
19 putting sensors in parking spaces so that a driver  
20 could actually be told when there would be  
21 opportunities for -- when there would be empty  
22 spaces, for instance. And that was projected to

1 decrease driving about 30 percent in the city  
2 because apparently most people are just driving  
3 around and around the block looking for parking  
4 spaces. So, just the opportunities there to apply  
5 the technologies, you know, to tell those stories,  
6 highlight those examples, and I think for the  
7 government, actually, to take those examples and  
8 kind of broadcast them out so that others can  
9 follow, I think would be really useful.

10 MR. SINAI: That's a great point and  
11 having good narratives helps with -- as we think  
12 through the broadband plan.

13 I just wanted to give everyone a final  
14 opportunity to comment. If there's any last  
15 things you want to say and I think we'll wrap it  
16 up.

17 MR. LAITNER: I'll give one last example  
18 moving from Smart Grid to smart infrastructure  
19 more broadly and it was already referenced by  
20 Sheryl, I think, on the transportation system.  
21 But there is a fascinating report by the National  
22 Transportation Operations Committee, a bunch of

1 engineers who found about 272,000 traffic signal  
2 systems in the United States, and they figured  
3 that if those systems were equipped not only with  
4 LED lights, but smart communication capability,  
5 that would allow us to optimize the flow of travel  
6 so that red lights would turn red when they  
7 needed, not arbitrarily at 4:00 at night where  
8 you've got to sit there for two minutes when no  
9 traffic is coming when you're trying to get to the  
10 airport type of thing. They estimated that that  
11 would save between 5 and 10 percent of our  
12 nation's gasoline use, just by optimizing a better  
13 flow of travel beyond what we've already heard  
14 here today. That becomes a critical  
15 infrastructure opportunity to grow on. That  
16 economy of scale and scope could really go a long  
17 way to extend the capacity for these other  
18 discussions we've heard here today.

19 MS. O'NEILL: I just wanted to make our  
20 offer again on behalf of USDA to help in any way  
21 we can (inaudible).

22 MR. BAUER: I think that there -- you



1 know, assuming that climate change is real and  
2 there are certain tipping points that could occur  
3 here and that seem to be already happening, I  
4 would recommend that we position and message  
5 short-term opportunities that don't require any  
6 massive development or are too high-end for the  
7 average constituent to swallow, to put things out  
8 there right now that people can do and that they  
9 can start acting on on this day, that every  
10 business, every organization, every government  
11 agency can start making changes in addition to the  
12 longer term items that we're talking about and  
13 that are going to require years of development and  
14 are probably a little bit too high up in the  
15 clouds for most people to digest.

16 MR. SINAI: Sheryl.

17 MS. WILKERSON: I just had a couple of  
18 points, took a couple of notes here. One is I  
19 think in the previous panel talked about the  
20 varying capabilities for consumers to be able to  
21 call their utility to tell them that they need to  
22 charge their car up if they're going 70 miles --

1 no longer going 70 miles, but they're going to go  
2 200 miles tomorrow. I think one important factor  
3 is we really -- good technology is invisible. I  
4 know I'm not going to want to call my utility  
5 company at 3:00 in the morning when I get told  
6 that I now have to go, you know, 600 extra miles.  
7 And we need to really take a hard look, consumers,  
8 as we look at batteries and the host -- consumers  
9 don't read their manuals. Who reads their manual  
10 when they get their car off the parking lot? Who  
11 reads their manual when they get their new mobile  
12 phone? Consumers need -- the technology needs to  
13 be smart and it needs to answer a lot of those  
14 questions and there needs to be partnerships and  
15 collaboration between all the partners, whether  
16 it's the vehicle manufacturers or the utility  
17 companies, what have you.

18 I think also, too, the utilization of  
19 these smart probes and applications have the  
20 potential to really impact how we look at our  
21 vehicle emissions and standards regulation. If we  
22 use this data which is real-time world data, we

1       could eventually change how we look at how we  
2       regulate emissions. We might no longer need  
3       simulated driving conditions in laboratory tests  
4       when you're looking at the life of a car, the  
5       emissions for the life of a car for the full life  
6       of it.

7                   And I think lastly I mentioned the DOT.  
8       The FCC and the DOT have worked collaboratively  
9       for a long time. I know that they're -- the  
10      IntelliDrive timeframe is around 2013 when you  
11      have 180 or 170-some-odd days to do your report,  
12      that I encourage the collaboration between those  
13      sister agencies to help bring about some of these  
14      energy and public safety benefits to the public  
15      sooner.

16                   MR. BUECHLER: A few things. First, I  
17      want to thank you all for letting me virtually  
18      join you in the panel today, and I would say I  
19      think there are few initiatives as important, I  
20      believe, as the broadband initiative when we look  
21      at not only climate change, but just increased  
22      productivity within this current economic climate.

1 And I truly believe that as that network gets  
2 expanded, time and again, the American workforce  
3 and consumers have shown the ingenuity to create  
4 applications beyond what we're measuring right  
5 now, beyond the carbon emission avoidance that I  
6 was quoting from some of those customers. And I  
7 really believe that the only thing -- there's a  
8 couple of obstacles that we talked about before,  
9 but none larger than the expansion of the  
10 broadband network throughout the country.

11 And so I wanted to thank you all for  
12 letting me join you. If there's any questions  
13 that you have, I believe my e-mail address is on  
14 the slide, and also there's a gentleman named Joe  
15 Magrill from LifeSize who's there with you who can  
16 answer any questions as well. Thank you.

17 MR. SINAI: Thank you, Colin.

18 MR. WALKER: I also want to thank you  
19 and I guess I'll just end by how I started. There  
20 is an urgent need for action. Time is vitally  
21 important. The climate science, as I started off,  
22 is really dire. Everyone you talk to, the models,

1 everything has happened faster and stronger than  
2 predicted and so, therefore, what we need to do is  
3 be able to adapt now as much as possible to  
4 technologies that we can ramp up in time, but we  
5 need to get things rolling immediately. So thank  
6 you.

7 MR. SINAI: Great. Well, thank you to  
8 the entire panel. This has been fantastic. I  
9 think there's a lot of great things for us to  
10 think about and we look forward to continuing to  
11 work with you.

12 (Whereupon, the PROCEEDINGS were  
13 adjourned.)

14 \* \* \* \* \*

15

16

17

18

19

20

21

22

## 1 CERTIFICATE OF NOTARY PUBLIC

2 I, Carleton J. Anderson, III do hereby  
3 certify that the forgoing electronic file when  
4 originally transmitted was reduced to text at my  
5 direction; that said transcript is a true record  
6 of the proceedings therein referenced; that I am  
7 neither counsel for, related to, nor employed by  
8 any of the parties to the action in which these  
9 proceedings were taken; and, furthermore, that I  
10 am neither a relative or employee of any attorney  
11 or counsel employed by the parties hereto, nor  
12 financially or otherwise interested in the outcome  
13 of this action.

14 /s/Carleton J. Anderson, III

15

16

17 Notary Public in and for the

18 Commonwealth of Virginia

19 Commission No. 351998

20 Expires: November 30, 2012

21

22

ANDERSON COURT REPORTING  
706 Duke Street, Suite 100  
Alexandria, VA 22314  
Phone (703) 519-7180 Fax (703) 519-7190