

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste  
139th Meeting

Docket Number: (not provided)

Location: Rockville, Maryland

Date: Wednesday, December 18, 2002

Work Order No.: NRC-703

Pages 72-193

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

139th MEETING

(ACNW)

+ + + + +

WEDNESDAY,

DECEMBER 18, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee on Nuclear Waste met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 1:00 p.m., Dr. George Hornberger, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- DR. GEORGE W. HORNBERGER, Chairman
- DR. RAYMOND G. WYMER, Vice Chairman
- DR. B. JOHN GARRICK, Member
- DR. MILTON N. LEVENSON, Member
- DR. MICHAEL T. RYAN, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 SHER BADAHUR

3 Associate Director, ACRS/ACNW

4 HOWARD J. LARSON Special Assistant, ACRS.ACNW

5 NEIL COLEMAN

6 ACNW Staff

7 TIMOTHY KOBETZ

8 ACRS Staff

9 MICHAEL LEE ACRS Staff

10 RICHARD K. MAJOR ACNW Staff

11

12

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A-G-E-N-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

NRC Nuclear Waste Safety Research and Technical  
Assistance Programs

- William R. Ott

Assistant Chief, RPERWMB

Office of Nuclear Regulatory Research 75

NRC's Waste-Related Technical Assistance at the Center  
for Nuclear Waste Regulatory Analyses

- Budhi Sagar 121

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(1:00 p.m.)

CHAIRMAN HORNBERGER: The meeting will come to order. We are continuing this afternoon. We are going to hear two presentations on Nuclear Waste Safety Research and Technical Assistance Programs, and the cognizant member for this part of the agenda is Ray Wymer, so I'll turn the meeting over to Ray.

VICE CHAIRMAN WYMER: By a tricky bit of footwork, I assumed the -- on our Chairman's part -- I have gotten the responsibility for the research activities of the ACNW, and it's good because I'm very much interested in it.

Our first presentation will be by William R. Ott, familiarly known as Bill, who will discuss the Radionuclide Transport Research Program: Progress and Plans. Bill, are you ready to roll?

MR. OTT: What I'm going to try and do today is give you an update on basically where we are in implementing the plan, Radionuclide Transport Research Plan which we've talked to you about before, and I'm also going to go into a little bit more detail on a few activities that are actually coming to fruition right now, like the NEA Sorption Project.

(Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Basically, we've just completed a peer  
2 review with the Institute for Regulatory Science, and  
3 we went through a day's worth of presentations to them  
4 in which I presented an overview, and what I've done  
5 is I've essentially adapted the slides that I used for  
6 them.

7           The first five slides, six slides --

8           CHAIRMAN HORNBERGER: Bill, who is the  
9 Institute for Regulatory Science? Is that internal?  
10 Is that a consulting group?

11          MR. OTT: This is an external group that  
12 does a lot of peer reviews for government agencies,  
13 particularly for DOE and EPA.

14          CHAIRMAN HORNBERGER: Is it a private  
15 company?

16          MR. OTT: It's a private company, right.  
17 We went through an external contractor. They work  
18 through the -- well, all this will come out in the  
19 slides when you get to it.

20          MEMBER GARRICK: I can just barely hear  
21 you. Is it my ears? Are you wired?

22          MR. OTT: I'm using this one, I wasn't  
23 using the other one. Is that okay?

24          VICE CHAIRMAN WYMER: As long as you stay  
25 close.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. OTT: The first few slides essentially  
2           are the organization of the plan. In other words, the  
3           plan has four key elements listed in it, and each one  
4           of those elements we'll discuss a little bit about the  
5           products that we've had over the last year, and  
6           perhaps a few products from preceding years that form  
7           the basis for what we're doing now. For instance, in  
8           the area of materials, 4SIGHT is a product that's  
9           listed on the list of products. It's something that  
10          was produced a couple of years ago, but continues to  
11          be the basis for our continuing work in other aspects  
12          of concrete.

13                 We'll also talk about some of the planned  
14          products we have coming up during this year, from a  
15          lot of new starts that we started last year.

16                 I'll tell you briefly how we expect to use  
17          those projects and the principal staff and contractors  
18          that are involved. It will all be on these slides.  
19          They are color-coded so that the entries in blue refer  
20          to stuff that's completed either recently or in the  
21          near past, and the things in red are things that we  
22          are planning to do, some of them very imminent.

23                 I'll also have a slide on miscellaneous  
24          activities, which are things that we don't really and  
25          they are more targets of opportunity or small things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that just don't fit in the planning process very well,  
2 but quite often they are very significant things, so  
3 I'll have a slide on the miscellaneous activities.

4 I'll talk about the status of our MOU on  
5 R&D of Multimedia Environmental Models. I'll talk  
6 about the status of the NEA Sorption Project, and the  
7 peer review of the plan.

8 (Slide)

9 The key elements of the research plan, as  
10 listed in the plan, are release of radioactive  
11 material which is primarily a source term issue;  
12 engineered barriers, which is anything we might do to  
13 design and disposal or containment facility; transport  
14 -- and here I've digressed a little bit and I've used  
15 two slides, one which focuses on flow and one which  
16 focuses on transport, and in between them is a little  
17 diagram that I'll discuss with you for a few minutes;  
18 and then the last key element is performance  
19 assessment, there will be a slide on that.

20 (Slide)

21 For the source term work on release of  
22 radioactive material, we have three staff principally  
23 involved -- Phil Reed, Linda Veblen and Ed O'Donnell.  
24 The source term area is the one we discussed before  
25 that because we're a generic program, it's very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 difficult for us to justify work unless we can find an  
2 area that really addresses a fair number of licensees.  
3 We had this in the area of SDMP slag sites, and we did  
4 a significant amount of work both at PNNL with Phil  
5 Reed's contractors, and through Linda Veblen at Johns  
6 Hopkins University, to try and determine where these  
7 nuclides were in the slags themselves in terms of  
8 mineral content, and then how those slags degraded  
9 over time. And one of the most recent things we did  
10 was do a leaching model through University of  
11 Pittsburgh and Dr. Su (phonetic).

12 The slag leaching model is the last  
13 component. It was completed in September. We have a  
14 letter report on it. The reason it's red is that the  
15 formal publication will come through the confidential  
16 report on Linda's work on the slag demineralization.

17 How this stuff is used: Obviously, source  
18 term has to be used whenever you're doing any kind of  
19 form of success, you need to know solubilities, you  
20 need to know degradation rates. In this particular  
21 case, we actually have the NUREG 6632, which is one of  
22 Phil Reed's products out of PNNL referenced in the  
23 Molycorp license amendment. At present, we don't have  
24 anything additional planned in source term that we  
25 expect to fund this year.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Let me say one thing about funding this  
2 year, we're still under a Continuing Resolution, so we  
3 have a problem with anything that's constituted a new  
4 source, and I really don't have anything in here about  
5 those things which haven't started under that  
6 particular restriction yet. We do have a couple of  
7 new starts planned.

8           (Slide)

9           This is the engineered barriers work --

10          MR. LARSON: It's all low-level waste  
11 release, it's not spent fuel?

12          MR. OTT: It's not spent fuel, it's  
13 everything except -- it's not specifically low-level  
14 waste either, it's slag -- anything that's not high-  
15 level waste could be covered here. There isn't a  
16 demand from NMSS for us to do low-level waste work,  
17 although I noted that you discussed it some in the  
18 meeting this morning, and we have seen greater  
19 interest in discussions on low-level waste.

20          MR. LARSON: Okay.

21          MR. OTT: This is the engineered barriers  
22 work. There's been a little bit of a change here in  
23 terms of the amount of support that we're getting for  
24 it internally. In the past, I've come before you and  
25 told you that we were doing work in engineered

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 barriers, and it wasn't supported by the Licensing  
2 Office. But, in particular, the entombment option for  
3 reactors has raised concerns about the long-term  
4 performance of those entombed structures, and we're  
5 actually being relied on now to provide some  
6 information on entombment for rulemaking activities  
7 that are coming up on that option.

8           The principal product in this area in the  
9 last three years has been 4SIGHT. We went through a  
10 number of years working on that, and then we tried to  
11 do some validation, and I think -- I believe I  
12 reported to you at one point the result of that  
13 validation work was that we couldn't -- we weren't  
14 able to find data that was sufficiently constrained to  
15 say that we could validate this model for out to 500  
16 years, which is what they want to use when they are  
17 doing a performance assessment on, say, a low-level  
18 waste disposal facility. We couldn't nail down the  
19 initial conditions on older concretes enough that it  
20 wouldn't have been a fitting exercise. So the  
21 conclusion and what we reported to NMSS was that we  
22 can predict, and we think the model is pretty good,  
23 but you're going to have to monitor.

24           Now we're trying to apply 4SIGHT to an  
25 assessment and monitoring of entombments. We've also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 started a project which is looking at non-concrete  
2 barriers. This is with the Corps of Engineers, and  
3 they'll be using the centrifuge equipment at Vicksburg  
4 to look at things like the cracking of clays over  
5 time. One of the problems that's been observed at  
6 places like Savannah River is the clay covers they  
7 thought were going to last a long time are showing  
8 cracks due to desiccation, and it's a process that we  
9 think is important to look at.

10 The last item on here is a study that's  
11 being instituted by the National Research Council and  
12 the National Academies, to look at the state-of-the-  
13 art of engineered barrier technology. There are three  
14 agencies currently that have agreed to fund this. The  
15 NRC has agreed to fund it, the EPA and the Department  
16 of Energy. The current situation with dollars in the  
17 Federal Government in terms of budgets being passed  
18 means that they haven't received the money yet to do  
19 the study. They've got an initial increment from us,  
20 they're due another increment, but the other two  
21 agencies haven't contributed yet. So this may be  
22 delayed for a short period of time until funding  
23 appears from the other agencies.

24 CHAIRMAN HORNBERGER: Is that the Board on  
25 Radioactive Waste Management?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OTT: I believe it's the Board on  
2 Earth Sciences that's doing it.

3 (Slide)

4 The groundwater flow part of the transport  
5 program is the environment where Tom Nicholson and  
6 Ralph Cady -- well, Tom Nicholson does most of his  
7 work, and Ralph Cady does a lot of work there as well.  
8 Principal contractors in the area presently are PNNL,  
9 ATBD for an RFP that's in progress. University of  
10 Arizona has been involved in the past, is not  
11 presently -- well, under a no-cost extension for a  
12 couple of months. That project is ending, the one on  
13 conceptual model uncertainty in the Agricultural  
14 Research Service. I believe Dr. Newman of the  
15 University of Arizona is the subcontractor to Phil  
16 Meyer at PNNL on his follow-on work on conceptual  
17 model and parameter uncertainty and scenario  
18 uncertainty.

19 The work here in blue indicates the work  
20 at PNNL in terms of parameter values and distributions  
21 which form the foundation for the changes that we made  
22 to D&D and RESRAD, very significant contribution  
23 viewed by the Licensing Office over the last few  
24 years. And the hydrologic database incorporating  
25 regional and national data also is incorporated into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those changes.

2 Evaluation of instruments and methods for  
3 estimating infiltration was done at ARS in a  
4 cooperative effort between Ralph and Tom and the  
5 investigators there.

6 The RFP that I talked about is supposed to  
7 be developed in a robust field-tested -- I'm  
8 emphasizing these words because Tom gave them to me  
9 very specifically and said I've got to use these words  
10 -- robust field-tested methodology for unified -- and  
11 "unified" is in red because we haven't tried to unify  
12 the parameter conceptual model and scenario  
13 uncertainties yet. We've addressed the parameters and  
14 conceptual model separately.

15 VICE CHAIRMAN WYMER: What's implied by  
16 the word "unified"?

17 MR. OTT: That means you're trying to  
18 develop a strategy that encompasses all these  
19 uncertainties into one overall philosophy for  
20 addressing them in a systematic and concerted fashion  
21 rather than separately worrying about parameters,  
22 separately worrying about conceptual models, and  
23 separately worrying about scenarios. So we're trying  
24 to integrate all this work that we've done in the  
25 past.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That's the work that's being done PNNL,  
2           and that project just started, I believe, this summer.

3           The integrated monitoring strategy for  
4           performance confirmation and early warning is the  
5           project that's out on an RFP. Everything has actually  
6           been completed and we're in the process of making the  
7           final award now, but since there are still contract  
8           negotiations to go on, I can't reveal who the  
9           successful bidder was.

10           VICE CHAIRMAN WYMER: I hate to keep  
11           bugging you. I don't really understand what an  
12           integrated monitoring strategy is.

13           MR. OTT: If you look at a natural system  
14           and you do -- if you go in and try and do a conceptual  
15           model of it, and that conceptual model says that this  
16           flow path is the one that's important, and you say,  
17           okay, I'm going to monitor this flow path. And there's  
18           an alternative conceptual model that says, well,  
19           that's not the principal flow path, it's over here.  
20           And if you haven't considered both of those conceptual  
21           models in developing your monitoring program, you may  
22           wind up monitoring the wrong thing or the wrong place.  
23           This actually happened in one of the places that was  
24           being monitored after Chernobyl where they totally  
25           misdiagnosed the location where they expected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contamination to go and they wound up monitoring the  
2 wrong place and said, well, there's nothing there.  
3 Well, it wasn't there because it went in a different  
4 direction.

5 So, the concept here is that we have to  
6 integrate all of this stuff, look at multiple  
7 conceptual models, and make sure that we've integrated  
8 everything.

9 VICE CHAIRMAN WYMER: Thanks.

10 CHAIRMAN HORNBERGER: Is your use of the  
11 word "performance confirmation" the same as the use in  
12 Part 63?

13 MR. OTT: It probably is, but it's not  
14 meant to be. In other words, NMSS doesn't like us to  
15 use --

16 MEMBER GARRICK: I was hoping you would  
17 say yes because then you could explain to us what it  
18 is.

19 MR. OTT: From our point of view, what  
20 we're trying to do is establish a basis for monitoring  
21 a system so that we can actually confirm the  
22 predictions that were made, whether they were right or  
23 whether they were wrong.

24 CHAIRMAN HORNBERGER: So that's a totally  
25 different use.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER RYAN:     That sounds more like  
2 validation.

3                   MR. OTT:     Except that -- you know,  
4 validation would imply that you know that you're right  
5 for the entire period of performance, and monitoring  
6 doesn't necessarily require that. We're essentially  
7 -- if we predict the performance with regard to  
8 several different conceptual models and there are  
9 several different ways the system could perform, then  
10 we want to monitor all those potential ways of the  
11 system performing.

12                  MR. LEE:     Bill, I can understand why you  
13 can't say who got the contract award, but can you tell  
14 us who at least bid on the contracts?

15                  MR. OTT:     No.

16                  MR. LEE:     Oh, you can't?

17                  MR. OTT:     We don't know that until the  
18 actual negotiations are complete.

19                  MR. LEE:     Oh, okay.

20                  MR. OTT:     I don't even know it, as a  
21 matter of fact.

22                  MR. LEE:     Okay.

23                  MR. OTT:     Even if I wanted to tell you, I  
24 couldn't, which is perhaps one of the reasons why they  
25 do it that way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The evaluation of uncertainties in  
2 recharge estimates is, again, a small out-project  
3 being done jointly between our staff and the  
4 Agricultural Research Service.

5           (Slide)

6           This is a diagram that I drew -- so don't  
7 accuse anybody that really knows what they're doing of  
8 making mistakes -- because I was trying to demonstrate  
9 what I thought was going on to the contractors that we  
10 had working in the area, and asked if they agreed with  
11 me. And one principal caveat I should make right here  
12 is that I'm only talking about the sorption process  
13 right here, and there are other processes that might  
14 occur in the environment that might hold up materials.

15           The reason I put this thing up here is  
16 that, traditionally, in the old KD approach, all you  
17 worried about was what was down in that bottom balloon  
18 in the middle, Distribution Coefficients, and, in  
19 reality, there are a lot of things that go into  
20 determining what the distribution of aqueous and soil  
21 phases are. So we've been working for a number of  
22 years trying to understand the mechanisms particularly  
23 for sorption, and right now I was trying to figure out  
24 -- last year, actually -- I was trying to figure out  
25 where we are. And basically we're at the point right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now where we have a fairly good idea, at least for  
2 sorption, in many instances surface complexation  
3 models are a fairly good descriptor. They do describe  
4 a lot of what's going on.

5 In order to make those work, the surfaces  
6 have to be understood. You have to know what the  
7 sites of sorption are. And you have to know what the  
8 reaction is between the sorbing site and the  
9 radionuclide. So when that box up there in the upper,  
10 left-hand corner talks about thermodynamic data for  
11 mineral/radionuclide pairs, you're talking about that  
12 reaction between that site and that radionuclide. So  
13 we're talking about essentially knowing what's in the  
14 soil or the rock in terms of what the sorbing minerals  
15 are, and then combining these two surface complexation  
16 models.

17 And the interesting thing here that I was  
18 very specific about was this arrow that goes from  
19 Surface Complexation Models directly to Concentrations  
20 because there is a potential for just totally doing  
21 away with using distribution constants in the actual  
22 calculation.

23 MEMBER GARRICK: You may have answered  
24 this, but how do you decide what minerals to use?

25 MR. OTT: You go in there and you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 characterize the soil. You actually determine what  
2 the mineral composition -- and we've actually done  
3 this at the Naturita site. I'll discuss that a little  
4 bit on the next page.

5 VICE CHAIRMAN WYMER: Well, the Surface  
6 Complexation Model is really a surrogate distribution  
7 coefficient. I mean, there's very little difference.

8 MR. OTT: Well, there is difference  
9 because the -- actually, I ought to have a geochemist  
10 up here talking to you about this. I don't know if  
11 you've seen this --

12 VICE CHAIRMAN WYMER: Can't even see it  
13 now.

14 (Simultaneous discussion.)

15 MR. OTT: Geochemistry of soil  
16 radionuclides, it's Soil Science of America Special  
17 Publication No. 59, came out this year. It talks  
18 about a lot of application of Surface Complexation  
19 Models and the reactions involved. But basically,  
20 yes, the Surface Complexation Models are an  
21 intermediate step between the basic properties and the  
22 Distribution Coefficients, but they themselves deal  
23 more directly with the actual reactions involved and  
24 the reaction constants. So there's a much more direct  
25 connection to the science than there is with the bulk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 KD.

2 The principal staff involved in this area  
3 are Ed O'Donnell, Linda Veblen --

4 CHAIRMAN HORNBERGER: This slide doesn't  
5 follow your color coding, right?

6 MR. OTT: No. I meant to say that  
7 earlier, but I forgot. This one does.

8 (Slide)

9 In here, sorption models sensitive to soil  
10 components and chemical conditions -- you know that  
11 we've been working at a demonstration project in  
12 Naturita, Colorado. The final report for that is  
13 being submitted right now, and it's under review. It  
14 shows here in blue that it's completed. It is not  
15 quite, but preliminary results seem to indicate that  
16 there's been a great deal of success in using surface  
17 complexation models to describe transport at that site  
18 in a fairly complex chemical environment.

19 The second item mentioned there,  
20 evaluation of the contribution of soil particle  
21 coatings to sorption processes, is actually a product  
22 of Sandia National Laboratory, who is working in  
23 conjunction with our USGS contractor at Naturita. And  
24 it turns out, in this particular case, that most of  
25 the sorption is occurring in soil coatings, not within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the soil particles themselves.

2 Basically, though -- and Ray probably  
3 appreciates this more than anybody else -- if you look  
4 at that previous slide and that diagram, you realize  
5 that there's a different kind of data necessary to do  
6 that kind of modeling, and it's necessary to use a KD.

7 VICE CHAIRMAN WYMER: A lot more.

8 MR. OTT: And there's a lot more, but --  
9 and at this time, we don't have enough to do it for  
10 more than a few radionuclides. We did the  
11 demonstration at Naturita because it's a uranium site  
12 and we thought we could do the demonstration and had  
13 enough information on uranium primarily due to  
14 previous work done by those principal investigators  
15 and others in Australia at the Alligator River's  
16 Analog Project, which is a multi-national study of  
17 sorption at the --

18 VICE CHAIRMAN WYMER: You've concentrated  
19 on uranium.

20 MR. OTT: So we concentrated on uranium as  
21 a proof of concept, just to prove that we could do it.  
22 It's a multivalent ion. If we can do it with a  
23 multivalent ion in a fairly complex environment, we  
24 ought to be able to do it with monovalent ions in  
25 simpler environments. And I'll talk some more about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NEA Sorption Project in a minute.

2 (Slide)

3 In the performance assessment area, I've  
4 only listed one past product. You're aware that for  
5 a number of years we were working independently on  
6 developing a framework model at Sandia National  
7 Laboratory, and eventually terminated that work  
8 because we couldn't support it. We didn't have the  
9 resources to do that kind of thing on our own.

10 We've moved to that and in concert with  
11 the other organizations that are in this MOU on  
12 Research and Development on Multimedia Modeling --  
13 three of them, as a matter of fact -- Corps of  
14 Engineers and EPA and us -- are all working towards  
15 developing FRAMES as a more comprehensive modeling  
16 platform for dealing with complex sites. So the only  
17 product I've listed here is the RESRAD and RESRAD-  
18 BUILD models that were enhanced by us in the last  
19 couple of years.

20 In the new area, there's one here that  
21 might strike your interest because it relates to  
22 something you mentioned this morning, this first one,  
23 comprehensive assessment of parameters and assumptions  
24 of environmental pathway models. We had also looked  
25 at the end of the calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We've been focusing on environmental  
2 transport and have not really been worrying about  
3 pathways up until now. When we looked at RESRAD and  
4 D&D and challenged the assumptions in there, we  
5 challenged the assumptions on the transport part of  
6 the problem, we didn't challenge the assumptions in  
7 the pathway models.

8           We've started to look at Pacific Northwest  
9 National Laboratory -- Phil Reed is the Project  
10 Manager on this one -- to go out and look at the  
11 pathways model, evaluate the assumptions, evaluate the  
12 parameter values, and evaluate the databases that  
13 support those parameter values. We should be getting  
14 a report from them probably in February on the first  
15 phase, which is this assessment of the models and  
16 where the holes are. And we intend to follow that up  
17 by choosing those areas that will give us the most  
18 benefit in doing further work to establish a sounder  
19 basis for the pathway models, very similar to what we  
20 did with D&D and RESRAD in terms of identifying  
21 assumptions, identifying when assumptions weren't  
22 soundly documented, and then going out and doing that.

23           The next one here is the dimension of  
24 FRAMES, which I've already talked about, and we've  
25 independently been working with the Corps of Engineers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to bring some of their capabilities inhouse. Their  
2 groundwater modeling system has been observed to be a  
3 very powerful groundwater modeling tool, and we've now  
4 made that available to NMSS staff and had the Corps of  
5 Engineers come in and do training for the staff on it.  
6 Of course, the use of all this work is to improve our  
7 performance assessments of sites from simple to  
8 complex.

9 There is a note in here about new work on  
10 probabilistic RESRAD-OFFSITE and support for MARPAR.  
11 These are a couple of small things that we will  
12 probably do.

13 VICE CHAIRMAN WYMER: What MARPAR --  
14 MARPAR, is that something Chrysler Motors --

15 MR. OTT: This is an interagency activity  
16 between ourselves and DOE and EPA, to try and agree on  
17 parameter values.

18 VICE CHAIRMAN WYMER: I didn't recognize  
19 the acronym.

20 (Slide)

21 I mentioned this Miscellaneous category  
22 before. Basically, there are things that come along  
23 which it is desirable to fund and usually give us a  
24 lot of payback, and I've just listed some of the  
25 things here and some of the people that were involved

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in doing this. A lot of our activities with the  
2 National Academies, such as that study on engineered  
3 barriers, is something that comes up. The National  
4 Academies attends the meetings, we're at the same  
5 meetings, and they get an idea to do a study, and then  
6 we are requested for funding, and we say, yeah, that's  
7 a good idea, and we do it. And in addition to that,  
8 we actually give some support to the National  
9 Academies Committee on Earth Sciences each year, which  
10 gets us to make presentations and get some review of  
11 our concepts as they're going along.

12 I've included on here the peer review  
13 contract we did with RSI, and a few other things. I'm  
14 not going to go into these in a lot of detail because  
15 I don't think we have a lot of time here.

16 The last thing I will mention on that  
17 slide, though, is that we are involved with both the  
18 NEA and the IAEA on things like the IG SC, which is an  
19 integrated group for the safety case. I'm afraid I  
20 don't know what the ISAM actual acronym is, and I  
21 couldn't get hold of Ralph today to ask him, but  
22 that's an IAEA activity which sort of parallels the  
23 NEA activity.

24 Nothing else is color-coded for the rest  
25 of the slides, so we don't have a time line to worry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about here.

2 (Slide)

3 This is basically the status of the MOU.  
4 I believe I talked to you about this the last time I  
5 was here, so it's only been about six months. There  
6 haven't been a lot of changes. I think we either  
7 mentioned that we had sessions in planning or had just  
8 told them we had meetings. Actually, they were this  
9 summer, so they would have been afterwards. One was in  
10 the spring, one was in the summer. So there were two  
11 meetings held in conjunction with professional  
12 meetings during this year.

13 There's a workshop planned in January by  
14 the Working Group on Software System Design, and this  
15 particular Workshop is focused on developing a more  
16 efficient GIS interface for a lot of these multimedia  
17 models. The GIS is currently viewed as being rather  
18 large and cumbersome and difficult to really bring  
19 into the environmental models in an efficient way, so  
20 they're trying to develop a less robust way of dealing  
21 with GIS systems and bringing information into and out  
22 of the multimedia models. That's supposed to be held  
23 in January.

24 The Working Group on Uncertainty Analysis  
25 is planning an international workshop for August, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's a third workshop that may be planned this year  
2 for the Reactive Transport Modeling Working Group.  
3 They provided a draft Phase II, which is a detailed  
4 operating plan to the Steering Committee at their  
5 meeting early this month, and expect to have the final  
6 to us at the meeting in February. When that's  
7 approved, then we'll know whether that meeting will  
8 actually occur this year or next year, but one of  
9 their first activities is planned to be a workshop  
10 there as well.

11 And the other fairly important thing to  
12 update is the fact that we actually have another  
13 member now. The Natural Resources Conservation  
14 Service has joined the MOU, so there are now seven  
15 Federal agencies involved in that particular set of  
16 cooperative efforts.

17 (Slide)

18 The NEA Sorption Project has been going on  
19 for a number of years, and basically it's a group of  
20 nations who are all involved in some form of nuclear  
21 waste disposal that have identified an improvement in  
22 this KC approach as an important thing to consider for  
23 improving their models.

24 There are 11 countries involved at this  
25 time. In some countries, like Japan, there are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually two different federal agencies that are  
2 participants in the project. In many of the  
3 countries, there are multiple working groups that  
4 actually did modeling tasks. In this last phase, they  
5 had a Technical Direction Team which selected, I  
6 believe, six problems, and then the 11 countries  
7 selected which of those problems they were going to  
8 work on. So each problem probably had from six to ten  
9 different analyses performed on the set of data that  
10 was involved.

11 And what I have seen is some very rough  
12 preliminary conclusions and lessons learned from this  
13 project, and what I did was I went in and I sort of  
14 excerpted them. These may look totally different when  
15 they actually come out of it, but I think these  
16 concepts will wind up in their final report.

17 They found that with all these different  
18 approaches -- and most of them focusing on surface  
19 complexation models -- they were getting good results  
20 in interpreting the data for single minerals and for  
21 more complex natural minerals. So they are confirming  
22 what we've actually seen at Naturita. They are being  
23 able to do this kind of modeling.

24 They found that they can interpret large  
25 ranges in observed behavior -- Rd 4 orders of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 magnitude, pH 4 from to 10. So they are finding  
2 success over a fairly wide range of chemical  
3 conditions. They found that they can handle complex  
4 aqueous chemistry, they can handle inorganic and  
5 organic complexants, a range of ionic strengths, they  
6 had good success with interpolation within the range  
7 of boundaries. They expressed some caution with  
8 regard to extrapolating outside of the range for which  
9 they had data.

10 VICE CHAIRMAN WYMER: Is this uranium  
11 again?

12 MR. OTT: No. Some of this was uranium,  
13 some of it was other radionuclides, but I can't tell  
14 you off the top of my head. There will be a report on  
15 this probably coming out in -- when you're working  
16 through the NEA, sometimes it takes a long time -- I  
17 would expect it by June, but the Technical Direction  
18 Team is actually putting it together.

19 (Slide)

20 They also had a section on Lessons  
21 Learned, and this is where I come back to that  
22 observation about data, and both the first and last  
23 entry in here talk about data. The first one is that  
24 few existing data sets are sufficiently complete to  
25 support this kind of approach to modeling. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion probably come from the Technical Direction  
2 Team's effort to define problems for them to analyze  
3 because they had to find decent data sets, and didn't  
4 find a whole lot to choose from. They need time to  
5 get better data sets.

6 In the international community, there's  
7 not been the same -- or at least we have not observed  
8 the same -- thrust towards using distributions in  
9 probabilistic approaches. I think this second bullet  
10 here, or second item here, tends to indicate that at  
11 least in this project they have identified a need to  
12 look at uncertainties via measurement and support  
13 those uncertainties and measurement techniques in the  
14 codes, which I think would lead them to a more  
15 probabilistic approach.

16 There is a need to define exactly what  
17 essential data that you need.

18 Geochemical characterization is a pre-  
19 requisite to effective sorption modeling. What they  
20 are saying there is you need to know what the mineral  
21 substrate is because different clays act differently.

22 And, of course, the last one is the other  
23 side of the coin. If there isn't much data out there,  
24 then there isn't a database to support these models,  
25 but from their observations and the successful work

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they've had, they think it's time that the  
2 international community works together to provide a  
3 modeling database.

4 They made some observations about what  
5 should be done in the next stage. I'm not going to go  
6 through those because this is all going to wind up  
7 being negotiated as an international project.  
8 Essentially, all the participants will review the work  
9 scope and they'll look at what they think are the  
10 things that most need to be done in the next stage,  
11 and then they make a decision on whether to  
12 participate, and this will probably take anywhere from  
13 six to 18 months. So, if there is another stage to  
14 this project, it won't happen right away, it will take  
15 a little time to get it going.

16 (Slide)

17 Now, the last item I wanted to talk about  
18 is the peer review. We've been looking for peer  
19 review, stakeholder review, ever since we completed  
20 the plan, and we got inconsistent results. You noted  
21 it and suggested that we go out and get a peer review  
22 done. We found an organization that does it, and we  
23 went to them. They worked through or with the  
24 American Society of Mechanical Engineers -- not the  
25 American Institute, sorry about that, typo. They

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 maintain a fairly large list of potential peer  
2 reviewers, and they will select a slate from that and  
3 they'll have it reviewed by the ASME Peer Review  
4 Board. So, RSI sort of works with ASME to actually  
5 select the reviewers. They aren't necessarily members  
6 of ASME, they are consultants and all that, and  
7 faculty members and other disciplines. The list of  
8 panelists is here. We were actually only familiar  
9 with one of them, and that was John Moore, who is  
10 knowledgeable to us from his past involvements in the  
11 IAH and AIH.

12 VICE CHAIRMAN WYMER: I know Joe Peterson.  
13 He's a heavy element chemist.

14 MR. OTT: I thought you probably would  
15 since he's down there at Tennessee. We gave them all  
16 the background that we had in terms of the plan. We  
17 met with them for about a day and a half, made  
18 presentations, answered questions, and all the rest of  
19 it.

20 (Slide)

21 When we made the contract with them, we  
22 gave them a set of criteria. Essentially, when we did  
23 this, we specified the criteria that we wanted them to  
24 look at, what questions do we want them to answer, and  
25 we came up with seven questions. They are listed here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as criteria. And these are the ones that were  
2 addressed by the Peer Review Committee. The findings  
3 of their report will specifically address each one of  
4 these questions, usually with a fairly direct answer,  
5 and then with a bunch of text either giving caveats or  
6 indicating why they came to the conclusion they came  
7 to.

8 (Slide)

9 An observation that I'll pass on from  
10 Allen McGeesie (phonetic), who is the President of  
11 RSI, was that he felt that it was one of the most  
12 positive peer reviews they've had in recent years. He  
13 thought they were fairly pleased with what we've done.

14 (Slide)

15 The last page is basically the  
16 recommendations. Now, the recommendations are sort of  
17 independent of the criteria, and they come out of the  
18 deliberations and opinions of the panel members. And  
19 you will note here that in some areas they actually  
20 overlap or repeat things that the ACNW had said to us  
21 in the past. For instance, No. 4. We asked them  
22 about the prioritization scheme, and they said they  
23 didn't have any reason to dispute our result or say  
24 that it was right or wrong, but they said that it  
25 might be better if it was more formally based. And I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think you have said the same thing.

2 The agency is right now looking at a more  
3 uniform way of doing prioritization, so to a certain  
4 extent changes right now are kind of held up while the  
5 agency comes to grips with this on an agency-wide  
6 basis.

7 Their first one was a recommendation with  
8 regards to what they felt was a lacking in the plan.  
9 We had focused on the regulatory basis and hadn't  
10 really listed a lot of references in here that  
11 supported what we did in the plan. It wasn't because  
12 we couldn't, it was just because we didn't want to  
13 detract from the attention being given to the  
14 regulatory context, but it probably is a weakness in  
15 the plan, and we will remedy that in the next go-  
16 round.

17 The second one, the Project Team should  
18 perform an in-depth analysis of the relevant computer  
19 codes and identify any systematic errors. I think we  
20 do tend to do that. We're not going out and trying to  
21 do all of them, we're doing the ones that are  
22 primarily used in the community or are indicated to us  
23 to have a significant benefit. And we are not doing  
24 those that are proprietary. We can't go out and do  
25 this to, say, a code like -- that is sold over-the-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 counter or is being marketed by another organization.

2 The Project Team should pursue additional  
3 leveraging. They have an observation in there that  
4 they don't know how we can do everything that's in the  
5 plan with the kind of resources that we have. It's an  
6 observation that you've made as well. Their way of  
7 handling it is to say we ought to go out and cooperate  
8 with more and more people and do more and more  
9 leveraging. I think we are trying to do that through  
10 the MOU.

11 The last one, the Project Team should  
12 obtain input from the outside scientific community  
13 regarding the scoring of different projects with  
14 respect to the "issue support" attribute, which is  
15 somewhat different from what you recommended. You  
16 recommended we ought to go out and get somebody else  
17 to look at it in terms of a panel format or something  
18 like that. And they were saying specifically -- as  
19 you recall our prioritization system, we have this  
20 issue support criterion which basically assesses  
21 whether it's been supported internally by NMSS or the  
22 Commission or the Advisory Committee. If somebody  
23 says that something is really important, then it gets  
24 a fairly high score. If we can't get anybody else to  
25 support it but we still think technically it's a good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sound thing to do, we have it listed as an  
2 intermediate priority, and if it doesn't get support  
3 from any of those places or us, it doesn't get any  
4 score at all. And they're saying that we actually  
5 ought to go out and have somebody look at that  
6 particular issue. It's an interesting recommendation.  
7 I don't know how we're going to deal with that right  
8 now. Obviously, outside input is something that a lot  
9 of people want us to have, and I think we're trying to  
10 get that.

11           Anyway, we are scheduled, I think, to come  
12 back in February, and at that time we'll actually have  
13 the -- I don't have the actual bound version of the  
14 report yet. The President of RSI said I could use  
15 anything in it, but the only thing I was certain  
16 wasn't going to change were the recommendations. And  
17 we would anticipate coming back and actually going  
18 through each one of the findings and each one of the  
19 recommendations, and giving you an idea of how we  
20 intend to proceed in regard to those, but we plan to  
21 do that in February.

22           Questions?

23           VICE CHAIRMAN WYMER: Thank you, Bill. I  
24 asked mine as you went along. I thought that this  
25 whole area was a very good one to support right from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the very beginning, speaking as one member of the  
2 committee. Any questions from the table here? Mike,  
3 start with you?

4 MEMBER RYAN: I guess I have sort of a  
5 real basic question. What is your split between Yucca  
6 Mountain and high-level waste related activities and  
7 everything else?

8 MR. OTT: We don't do any high-level waste  
9 activities. Well, we don't do anything that's  
10 specifically related only to Yucca Mountain.

11 MEMBER RYAN: I gotcha. Okay. You made  
12 that point. A number of things obviously are, or can  
13 be.

14 MR. OTT: Yes. A lot of what we're doing  
15 -- I should make one observation, especially since  
16 you're new on the committee. We involve NMSS and the  
17 Center for Nuclear Waste Regulatory Analyses whenever  
18 we can. In particular, in the sorption project, there  
19 were modeling teams supported by the NRC. One was our  
20 USGS contractors, the other was a modeling team from  
21 the Center for Nuclear Waste Regulatory Analyses, and  
22 it was actually supported through NMSS.

23 On the MOU for R&D of multimedia  
24 environmental models, we went to NMSS and said this is  
25 an opportunity we think you ought to be involved in as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well, and they have named working group members to  
2 each one of the active working groups under the MOU.  
3 So we're inputting in those areas where we can, into  
4 the people that are working on the high-level waste  
5 program, is I guess the best way I can --

6 MEMBER RYAN: That's a good answer. Thank  
7 you.

8 VICE CHAIRMAN WYMER: John, you're next.

9 MEMBER GARRICK: Well, how do you track  
10 the use of the results of your research?

11 MR. OTT: In terms of formally, I guess  
12 you wouldn't say that there's a formal way that we  
13 track it. In the user need letters that come to us --  
14 there's not a firm schedule in which we get these  
15 things, we get them occasionally -- they will quite  
16 often state why they want something and how they'll  
17 use it, and then quite often we'll get involved in  
18 helping them in doing technology transfer and helping  
19 the staff that are going to use it understand how it  
20 can be used. For instance, we had NMSS staff come to  
21 us a few weeks ago and ask for information on  
22 monitoring, and what we did was we provided all the  
23 background information that we'd used in developing  
24 the RFP for our modeling project and the SOW for that  
25 project, and we sat down with the staff and discussed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where we thought the state-of-the-art was in terms of  
2 developing monitoring programs. This was monitoring  
3 for, I believe, a decommissioning site somewhere out  
4 in the Midwest.

5 The staff works fairly closely with the  
6 NMSS staff, and I think that's how we know where the  
7 stuff is being used and when it's being used. Phil  
8 Reed essentially worked with the staff on the Molycorp  
9 license -- the people who were doing the molycorp  
10 license amendment, and they talked to him, and they  
11 wanted the data and he provided the data, and they  
12 mentioned to him that they had referenced it. So,  
13 it's primarily through two-way communications between  
14 the two staffs. And at the staff level, there is  
15 fairly close communication, I believe.

16 MEMBER GARRICK: Do you anticipate any  
17 change in funding levels?

18 MR. OTT: Our funding level has increased  
19 a little bit over the last couple of years. I think  
20 we went from -- well, we've bounced around over the  
21 last five years, from \$2.5, 2.6, down to 2, and I  
22 think we're up around 2.7, but since the budget isn't  
23 approved, we don't know what it is finally for this  
24 year yet.

25 One other observation I probably ought to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 make is that when I talked about that pathways model,  
2 there were observations made. Everybody that's looked  
3 at it has looked at it and said this could eat up our  
4 entire budget. The first task is the only that we've  
5 funded, which was the one to look at the models that  
6 are out there and look at the assumptions and the  
7 parameter values, and look at the basis for them. A  
8 lot of that information is 20 years old. Some of it's  
9 30 years old. And the science has advanced  
10 significantly in a number of those areas. If there  
11 are significant gaps in the data in there, it could --  
12 there could be very expensive projects involved to  
13 remedy those holes, and we probably don't have the  
14 resources to do it. But I think just having the  
15 systematic analysis will be a long step towards  
16 identifying those gaps not only for ourselves, but for  
17 others.

18 MEMBER GARRICK: Is Research generally  
19 satisfied with the quality of the research?

20 MR. OTT: I think we are. The only  
21 project we weren't is the one at Sandia that we  
22 terminated. And there I'm not certain -- well, other  
23 agencies had been funding the work and dropped out,  
24 and with the funding that we were able to provide,  
25 there wasn't a sufficient critical mass. So, even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Sandia couldn't maintain the team, and they kept  
2 having to change people in and out, and you can't  
3 maintain a research program with that lack of  
4 continuity. So that was an example when we weren't  
5 satisfied with it.

6 I think in most of the other areas we're  
7 very satisfied with our PNNL contractors. Glen and  
8 Gia (phonetic) and Phil Meyer have been working with  
9 us for ten years or longer, and they are very solid.  
10 University of Arizona has worked with us for a long  
11 time. That direct association is currently coming to  
12 an end. No one can question the quality of the work  
13 that we've gotten out of Newman. Phil's contractors  
14 at PNNL have been sound. Our USGS contractor was  
15 sought out by the Nuclear Energy Agency to -- I think  
16 he's the Director of the Technical Direction Team from  
17 the NEA Sorption Project, in addition to being on our  
18 working group and our modeling team, so he's  
19 internationally recognized as being an expert in the  
20 area of surface complexation modeling.

21 MEMBER GARRICK: What about what you get  
22 out of the National Academies?

23 MR. OTT: What we have gotten out of the  
24 National Academies in terms of focused studies on  
25 research topics such as this one upcoming on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engineered barriers has been very good. We have had  
2 a number of projects with the National Academies that  
3 have given us good results.

4 MEMBER GARRICK: They're a different kind  
5 of institution, it's not a research institution in the  
6 usual sense.

7 MR. OTT: One of the "disbenefits" of  
8 working with the National Academies is it usually  
9 takes them a long time to do anything, and that's one  
10 of the reasons -- when we went to do the peer review,  
11 we considered going to the National Academies, and we  
12 decided we need something faster than we'll get from  
13 the National Academies, and that's one of the reasons  
14 we actually went outside, is because it was something  
15 that could be done relatively quickly, and it was a  
16 group that was widely used by both EPA and DOE, had a  
17 large list of independent reviewers that they could  
18 bring into the process.

19 MEMBER GARRICK: Are most of your  
20 contractors other government agencies or not-for-  
21 profit organizations?

22 MR. OTT: Most of our contractors at this  
23 time are either other government agencies or National  
24 Laboratories. We do have work, cooperative work at  
25 NIST. I mean, it's another federal agency, but it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a cooperative project where they are actually putting  
2 funds in. The U.S. Geological Survey has actually  
3 been matching our contribution on the projects we've  
4 been doing at Naturita, so we put in \$250,000 or so a  
5 year and they put in another \$250,000 in terms of  
6 resources and laboratory facilities, and sometimes  
7 funds. So, we're getting matching contributions from  
8 the other agencies. When we go to the National  
9 Laboratories, we're footing the whole bill.

10 We do have the one RFP that is just being  
11 awarded, which will go to an independent contractor  
12 outside the government or National Labs.

13 MEMBER GARRICK: Is the reason you go to  
14 these institutions as opposed to maybe a private  
15 research institution because it's easier to get  
16 contracts resolved?

17 CHAIRMAN HORNBERGER: DOE labs are  
18 cheaper.

19 MR. OTT: I don't think so.

20 MEMBER GARRICK: No, I'm just curious.

21 MR. OTT: I'm answering George, not you.

22 MEMBER GARRICK: There are some very good  
23 private research institutions around, and I don't see  
24 much evidence of them being involved.

25 MR. OTT: They aren't, and I think to a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certain extent -- for instance, with Phil Meyer and  
2 Glen and Gia at PNNL, we became involved with them,  
3 and they have developed an expertise and knowledge of  
4 our program area that makes them very, very efficient  
5 and effective and very knowledgeable. And the fact  
6 that they're working on a DOE reservation with similar  
7 problems gives them a leg up to begin with. To a  
8 certain extent, National Laboratories, because of the  
9 problems they have already, tend to have expertise  
10 that is very, very apropos to what we need to have  
11 done.

12 MEMBER GARRICK: So you're generally  
13 satisfied that you're getting --

14 MR. OTT: We're generally satisfied we're  
15 getting --

16 MEMBER GARRICK: -- getting a quality that  
17 --

18 MR. OTT: And there are times when we look  
19 at it and we think there are -- this is a problem that  
20 we really think we ought to have somebody in academia  
21 look at, or somebody in the general -- which is this  
22 monitoring program that we've got the RFP on right  
23 now.

24 MEMBER GARRICK: Thank you.

25 VICE CHAIRMAN WYMER: George?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN HORNBERGER: Bill, I'd like to  
2 first follow up just a little bit on John's question  
3 about how you gauge whether your research is  
4 effective. What do you have to do with respect to  
5 GPRA, or what have you agreed to do?

6                   MR. OTT: I was going to say that I don't  
7 know that there's anything specific that we're doing  
8 to address GPRA within our small program.

9                   CHAIRMAN HORNBERGER: So it doesn't come  
10 down that far, it's just sort of the Office of  
11 Research must have to do something.

12                   MR. OTT: Yes. I was looking at Cheryl to  
13 see if she had anything else, and I don't think she  
14 does. Oh, she's going to go to a microphone.

15                   MS. TROTTIER: I'll answer. I think  
16 that's what we do every year when we report what we've  
17 accomplished, so it's really an agency-wide report and  
18 we do it by arena. So whatever we accomplish is  
19 included in there, if that's what you're asking about.

20                   CHAIRMAN HORNBERGER: Just, again,  
21 different agencies -- it filters down to different  
22 levels, and I didn't know if you had anything specific  
23 that you had to supply to the agency for their GPRA  
24 report.

25                   MS. TROTTIER: Well, in effect, we do. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we can't talk about the outcomes of what we do, then  
2 we have a problem, but we don't do things that aren't  
3 going to have some positive outcome. So, that goes  
4 into the planning of it.

5 MR. OTT: The primary responsibility lies  
6 elsewhere, and they ask us the questions and we give  
7 them the answers. GPRA probably doesn't --

8 CHAIRMAN HORNBERGER: I'm much less  
9 interested in GPRA, and I was just wondering if you  
10 had a way that you could actually make it useful to  
11 you and not to OMB or whoever looks at the stuff.

12 Along those lines, though, I assume that  
13 now all of your NUREGs are on the Web, they are  
14 electronically available?

15 MR. OTT: There was a problem last year  
16 when they removed all the NUREGs, and we've been  
17 putting them back on slowly. Each one of them has to  
18 be examined to see if there's anything in it that has  
19 anything.

20 CHAIRMAN HORNBERGER: My point is in terms  
21 of one way you could measure how useful some of your  
22 research is -- again, all of these measures are  
23 imperfect -- would be to keep track of how many times  
24 these things were downloaded.

25 MR. OTT: That would be interesting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: It would be easy to  
2 implement and you could easily do the counting. It  
3 might give you some at least rough indication of which  
4 bits of your research were most widely accessed,  
5 presumably accessed from more than just NMSS staff.

6 MR. OTT: Yeah. That's an interesting  
7 idea. One thing I didn't point out when we were going  
8 through that slide on Miscellaneous activities, due to  
9 the way things worked out we wound up using a little  
10 bit of engineer money to develop two Web sites for the  
11 MOU on multimedia modeling. One of them is a public  
12 Web site. And the only problem there is that the  
13 Steering Committee has to authorize anything we put on  
14 it, but we're starting to put cross-references on  
15 there to NUREGs and things like that as well, and that  
16 Web site is actually getting a lot of action right  
17 now, apparently, from what Tom said.

18 There's a second Web site that we  
19 developed, which is actually an internal Web site for  
20 the working groups to use. Each working group has its  
21 own scoreboard site, and they are being used for  
22 interactive meetings and interactive document  
23 modification and things like that. That's another  
24 thing that we did this year to try and enhance our  
25 interactions with the MOU.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN HORNBERGER: I just have one  
2 quick specific question. On this list you handed out,  
3 the NUREG/CR-6757, I'm sure you recall that one --  
4 Large Scale Molecular Dynamic Simulations of Metal  
5 Sorption onto the Basal Surfaces of Clay Minerals.  
6 Who did that work for you, was that Sandia?

7 MR. OTT: Sandia.

8 CHAIRMAN HORNBERGER: That's what I  
9 thought. Okay.

10 MR. OTT: Sandia was very close in this  
11 project. They're going from doing purely theoretical  
12 stuff to try and coordinate their work with USGS, and  
13 I think it's proven to be very solid.

14 CHAIRMAN HORNBERGER: Do you have any  
15 sense as to how far along they've gotten into linking  
16 some of the molecular dynamics up to surface  
17 complexation?

18 MR. OTT: I think they've gotten pretty  
19 much -- you want to answer that, Ed? The Project  
20 Manager is right here.

21 MR. O'DONNELL: It's Ed O'Donnell. In  
22 answer to that, they looked at kalenite (phonetic) and  
23 the smectites with strip metallic ions. They are now  
24 ready to look at more complex oxides, the urinel  
25 (phonetic) ion being one of the ones. Also they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 planning to look at the anion complexes, particularly  
2 technetium iodine, the problem ones. It's theoretical  
3 work which is also being done in conjunction with  
4 laboratory work, which is also being done in  
5 conjunction with field work that USGS stuff at the  
6 Naturita site. So, although this is one theoretical  
7 part, it's one piece of a bigger project.

8 MR. OTT: The final report on the Naturita  
9 project will include quite a bit of work in it that  
10 actually was done at Sandia.

11 CHAIRMAN HORNBERGER: Thank you.

12 VICE CHAIRMAN WYMER: Milt, any questions?

13 MEMBER LEVENSON: No.

14 VICE CHAIRMAN WYMER: Just looking down  
15 this list of products, we're at 2002, you and your  
16 folks have been pretty busy, haven't you?

17 MR. OTT: Well, yeah, that's what they pay  
18 us for.

19 VICE CHAIRMAN WYMER: That's a lot of  
20 production. Thanks, Bill. If there are no other  
21 questions, thanks for the update. I think you might  
22 want to reconsider whether or not you have a February  
23 presentation.

24 MR. OTT: You don't need it?

25 VICE CHAIRMAN WYMER: We're not going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a meeting in February.

2 MR. OTT: Well, last I heard you were  
3 going to not have one in January and have one in  
4 February.

5 CHAIRMAN HORNBERGER: Very recently we  
6 changed our mind and --

7 MEMBER GARRICK: We're going to have a  
8 super meeting in March.

9 MR. OTT: If you want us to come back,  
10 just let us know.

11 VICE CHAIRMAN WYMER: That's the way to  
12 leave it.

13 I guess it's obvious from Bill's  
14 presentation that it's a very broadbased research  
15 program the results of which will be applicable to  
16 many aspects of radioactive waste management.

17 The next presentation that we'll hear --  
18 we call it directed research and they call it  
19 technical assistance because it's aimed at that  
20 specific sites, problems at specific sites or specific  
21 design requirements, and this presentation will be  
22 given by Budhi Sagar, from the Center for Nuclear  
23 Waste Regulatory Analyses. Budhi.

24 MS. SCHLUETER: I wanted to make just a  
25 couple of remarks. I'm Janet Schlueter, for anyone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here that I haven't met. I'm the Branch Chief of the  
2 High-Level Waste Branch here at the NRC, and I wanted  
3 to make just a couple of comments to put the Center,  
4 their work, in perspective, if you will. For anyone  
5 who doesn't know, they were established by the NRC 15  
6 years ago to support the High-Level Waste Program, so  
7 that is their highest priority. But in addition to  
8 doing that, they do support the NRC in other program  
9 areas in the waste-related arena, as well as any other  
10 that the staff or the Commission asks them to provide  
11 assistance on. And as a result, there's a dedicated  
12 conflict-free source of assistance to the NRC. They  
13 provide outstanding technical support to the staff,  
14 and have historically provided excellent service to  
15 us, and continue to do so, and manage the resources in  
16 difficult times as the budgets go up and down, as you  
17 know.

18 As far as the High-Level Waste Program,  
19 their primary role is to support the NRC in our step-  
20 wide licensing process for Yucca Mountain, and what I  
21 mean by that is that there's been an awful lot of  
22 work, as you're aware, from years ago up until now to  
23 get to the point of site recommendation. There's much,  
24 much work yet to be done when it comes to the Yucca  
25 Mountain Review Plan, putting a draft safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation report strategy into place, resolving the  
2 KTIs, TSPA, yadda, yadda, yadda. There's lots of work  
3 to do to the point where we were to get a license  
4 application and move through the adjudicatory and  
5 hearing process, which will be three to four years.  
6 That, of course, will only be then passed into the  
7 next step of potential requests from DOE for receipt  
8 and possession and ultimately closure of the  
9 repository.

10 So, we are where we're at, but there's  
11 many steps yet likely to come, much work to do, and we  
12 see an extended role for the Center to continue to  
13 assist us in that regard. And I'll leave it to Budhi,  
14 and I apologize, I'll need to leave in a few minutes  
15 to go to another meeting, but that's certainly no  
16 reflection --

17 (Simultaneous discussion.)

18 MS. SCHLUETER: That's right, although I  
19 have heard it before.

20 MEMBER GARRICK: You can't convince us.

21 (Laughter.)

22 MR. SAGAR: Thank you, Janet, and thank  
23 you, Committee, for inviting us, giving us a chance to  
24 present this to you. Obviously, the work I'm  
25 presenting to you is a summary of main results or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant results, I believe, we have obtained since  
2 we were down in San Antonio I think last August. I  
3 hope the Committee would find time to come back over  
4 there to listen to the workers themselves because  
5 while I can answer some questions at the upper level,  
6 if you go into real technical details I may have to  
7 take those questions back with me to be answered by  
8 the people who actually do the work.

9 In contrast to what Bill Ott just  
10 presented where they classify all the work that they  
11 do as generic, it's just the opposite with the work at  
12 the Center. None of what we do is generic. We are  
13 all related to some sort of site or particular design.

14 (Slide)

15 Briefly, my presentation outline would be  
16 the scope of the work we perform at the Center, a  
17 couple of charts on organization and funding level,  
18 and then basically significant results -- I say the  
19 last 12 months, but it's since last August, and it's  
20 hard to keep track of when we got certain things --  
21 and I will try to cover the entire waterfront of work  
22 outside the repository program -- those are the two  
23 categories I have -- and then the repository program.  
24 Most of my focus is on the repository program because  
25 that's where most of the funding is and that's where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most of the significant results are. Most others are  
2 licensing actions in which we are assisting the NRC  
3 staff.

4 (Slide)

5 The scope of technical assistance, as you  
6 can see from this slide, high-level waste, of course,  
7 is at the highest level. This is the highest priority  
8 work at the Center, and the main focus there is to  
9 identify and resolve any technical issues that we see  
10 before the license application comes in, and that  
11 relates both to the preclosure safety as well as the  
12 postclosure safety, and develop review tools, which  
13 means the YMP, Yucca Mountain Review Plan, or any  
14 software we need, or any other method or any other  
15 thing that we need in successfully doing the review.

16 Spent fuel storage: We spend a  
17 significant amount of effort at the private fuel  
18 storage facility licensing action and hearings, but  
19 most of the work is focused on the natural and human-  
20 initiated hazards -- that's the accident analysis --  
21 and the operational safety.

22 Decommissioning: There are two main  
23 things you might notice, the work on soil reuse which  
24 is work on use of sewage sludge, and then work Bill  
25 described, the multimedia environmental modeling, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 multiagency Memorandum of Understanding. We are  
2 participating together with the DWM staff on that  
3 task.

4 Environmental assessments, including the  
5 West Valley Project and then the incidental risk  
6 closure. The one that's going on right now is the  
7 tank closure at Idaho Engineering Labs.

8 (Slide)

9 Again, to emphasize that all of the work  
10 I will describe is site and/or design-specific. It's  
11 focused on pending licensing action, including high-  
12 level risk work, of course. We commonly have short  
13 timeframe for completion. Most of the high-level  
14 waste work, which is probably the longest duration, is  
15 still planned on an annual basis. There's nothing  
16 like three-year research projects. We had that when  
17 we were working for the Office of Research, but in the  
18 site-specific arena, problems arise and they have to  
19 be done in six months, or nine months, or whatever the  
20 time period is.

21 Risk-informed: Of course, we are working  
22 extremely hard to bring this factor into all of the  
23 work that we do, to the extent possible, and sometimes  
24 it's limited by the information one has to risk-inform  
25 the review tools, and to risk-inform any review in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 prelicensing period that we are doing.

2 And the work that we do is typically to  
3 confirm something. There is some exploratory work, as  
4 I will explain as I go on, but it's basically if a  
5 question arises, there is some critical need, and we  
6 say, okay, let's do some laboratory work and let's go  
7 out in the field and do something, or do analysis, for  
8 that matter, or do all three together and try to come  
9 to an answer at the end.

10 (Slide)

11 Funding, I won't spend any time. The  
12 2003, of course, is still up in the air, as you all  
13 know. We are in continuing resolution area, but you  
14 can see quickly that we expect it to remain about the  
15 same as last year.

16 I'm not sure if you know what IME stands  
17 for. It's the Industrial Mobilization Exemption under  
18 which we are given work that's not part of the charge.  
19 It is still within the special competency of the  
20 Center staff, but the idea is to maintain certain  
21 Center staff that will eventually be needed in the  
22 high-level waste program. So this is extra work. As  
23 you can see, the West Valley Development Project, the  
24 Mixed Oxide fuel, the site decommissioning, the  
25 uranium recovery, West Valley, and so on. But the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 total amount, dollar amount, in the IME work is a  
2 fraction of what we do in the total work.

3 CHAIRMAN HORNBERGER: Budhi, just one  
4 quick thumbnail thing. What does one FTE cost you,  
5 including overhead?

6 MR. SAGAR: Well, that's a very complex  
7 question to answer. I'll throw out a number and then  
8 it will get criticized heavily because do I add all  
9 the clerical labor? Do I add what FTE am I talking  
10 about? But I think it is the right number you get  
11 manhours, more or less.

12 CHAIRMAN HORNBERGER: Okay.

13 MR. SAGAR: But, I mean, if I count the  
14 actual manhours including support staff, including  
15 technicians, it's much larger. So, it's hard to  
16 answer that question.

17 MEMBER GARRICK: You could answer it by  
18 category.

19 MR. SAGAR: I could answer by category,  
20 yes, but that would take two slides.

21 (Slide)

22 Quickly, the management structure at the  
23 Center hasn't changed, you have seen this many times  
24 over. We try to maintain the structure. Unless you  
25 have questions, the only point I want to make is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the management level -- and that is what is shown here  
2 -- play a dual role at the Center. They are line  
3 managers as well as project managers. Even the  
4 directors have projects that they manage. So, we  
5 think that it's highly efficiently use of the number  
6 of people we have at the Center.

7 (Slide)

8 I have only two examples for the non-  
9 Repository Program. Quickly then, the first one is  
10 the work that we are just completing. We have  
11 submitted draft to the NRC on the soil reuse. The  
12 basic issue here is that there is slightly  
13 contaminated soil, under what conditions could one let  
14 it be reused for something -- for gardening, under the  
15 houses, foundations or whatever. And the idea was to  
16 develop a set of scenarios, consider 39 radionuclides  
17 that normally could be present in the soil, and then  
18 look at particle curie for gram concentration, what  
19 kind of doses may be obtained by a landscaper, by a  
20 rural resident -- of course, we have to define all the  
21 other sets of parameters that these people -- of the  
22 work they would be doing, and the inhalation dose,  
23 ingestion dose, et cetera, et cetera, all those  
24 combined together.

25 And we found, for example, that 21 of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 39 radionuclides give the maximum dose in millirem per  
2 year per unit concentration to the landscaper. So we  
3 are trying to decide what concentrations may be  
4 acceptable for the landscaper scenario, may be the one  
5 that's limiting.

6 MEMBER RYAN: I have to ask this question.  
7 Cobalt-60 is more important than plutonium.

8 MR. SAGAR: It gives more dose.

9 MEMBER RYAN: Yes, so it's more important.

10 MR. SAGAR: In this case.

11 MEMBER GARRICK: Is there any significance  
12 to the fact that the landscaper and the rural resident  
13 are essentially the same?

14 MR. SAGAR: The rural resident -- well,  
15 the 12 of the radionuclides out 39 show the maximum  
16 dose to the rural resident, and he is eating food  
17 grown on that contaminated soil, et cetera, et cetera.  
18 So there are different pathways in these different  
19 scenarios.

20 MEMBER GARRICK: The two get their dose by  
21 very different pathways, but they are comparable.

22 MR. SAGAR: Right. And we are trying to  
23 keep this similar to the work on the sewage sludge  
24 because this is a general question I proposed, a  
25 regulatory question as to how one might reuse -- how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one might determine the safety of reuse of this  
2 lightly contaminated material.

3 (Slide)

4 My second example is part of the future  
5 work from the West Valley Demonstration Project. It's  
6 a very interesting technical problem for a  
7 hydrologist, for example. One of the critical issues  
8 at West Valley for the decommissioning part is the  
9 erosion rate, and that's pretty high in that area.  
10 And a rough calculation shows that certain areas may  
11 be exposed through erosion in a few hundred years, but  
12 there are some other areas that would take thousands  
13 of years. But the problem is that the modeling itself  
14 of the long-term estimate of the erosion process is  
15 not really an accepted process yet. I mean, there is  
16 the Frank's Creek here that eventually discharges into  
17 Lake Erie. So, it's the issue that we think, as a  
18 cooperating agency in the decommissioning EIS that we  
19 think we may have to do some independent work just to  
20 check that the erosion rates are estimated properly.  
21 But that's in the future because DOE is still doing  
22 some work that is required to feed into such erosion  
23 modeling.

24 (Slide)

25 Now, going on to the high-level waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area, I decided not to structure my presentation along  
2 KTI at this time, so I did more of a process in the  
3 approach, in the sense I start with near-field  
4 environment, then go to engineered barriers, then go  
5 to far-field environment, then go to performance  
6 assessment nuclear safety because that's how they are  
7 logically connected anyway.

8 And I present these things through  
9 examples only. I mean, you may have questions on  
10 other stuff that I may try to answer, but in the near-  
11 field environment -- I think you guys made a comment  
12 this morning in the Commission briefing that the  
13 reactive transport or the coupled process is still an  
14 area that is not completely settled, and that will  
15 probably continue, and this is one example of  
16 something that would continue, for example, what I  
17 would put in the bucket of performance confirmation at  
18 some point because we do not see that these issues  
19 will be settled before or even at the time of review  
20 of the license application. These are complicated  
21 processes, and they will be studied as part of the  
22 "research" done for performance confirmation.

23 But before the first step will be made,  
24 these four green dots that you see on this graph are  
25 observed data of silica concentration in the pool

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water -- unsaturated for water. And what we were  
2 trying to do is have a coupled model which is the  
3 thermal, hydrologic and chemical reaction model,  
4 coupled all three ways, and try to see if we could  
5 simulate somehow the ambient conditions, ambient  
6 chemical conditions which happen to be this line at  
7 the end, by running this model in a transient mode.  
8 And this is what we call a semi-equivalent stage.  
9 These lines that you see are the thermodynamic equal,  
10 if for example the silica has to be an equal-variant  
11 with water at temperature. The main flow period  
12 because of the temperature come in a geothermal  
13 gradient here. Normally, we would have thought that  
14 this line should be similar to this line, but that's  
15 not the case. And therefore the question is, well,  
16 what makes this to be a semi-equivalent stage for  
17 Yucca Mountain. Obviously, this is not a closed  
18 system. Silica is being brought by the infiltrating  
19 water, and there are other issues. But the point here  
20 was that we were going to calibrate the model to the  
21 major data and then use it for extrapolation in the  
22 future when we put the report together. So we start  
23 the heating process and the chemical reaction rates  
24 will change, the kinetics will change, and then try to  
25 predict what the chemistry will look like.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WYMER: Why did you choose  
2 silica?

3 MR. SAGAR: Well, I'm told by geochemists  
4 that that's the most common chemical constituent that  
5 they could track.

6 VICE CHAIRMAN WYMER: Is that because it  
7 reacts with something?

8 MR. SAGAR: It reacts, yes.

9 VICE CHAIRMAN WYMER: I mean, you're  
10 concerned about it reacting with uranium or plutonium?

11 MR. SAGAR: Well, there is no -- I mean,  
12 this is ambient conditions. There is no repository  
13 yet. There is no wave form yet. It's water and  
14 silica coming from top and reacting with whatever  
15 other minerals are there in the rock.

16 CHAIRMAN HORNBERGER: They're basically  
17 silicate minerals in the rock?

18 MR. SAGAR: Yes.

19 (Simultaneous discussion.)

20 MR. SAGAR: The pollution precipitation  
21 processes are included in the model.

22 MR. PATRICK: I think I got your question  
23 right. Wes Patrick, Center. That sets the boundary  
24 condition. This is what the water is like that's  
25 going to come in, so this is the ambient case, and it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 then is used to drive the subsequent thermal  
2 calculations. So, we want to make sure that the model  
3 is getting the chemistry correct for the infiltrating  
4 water.

5 VICE CHAIRMAN WYMER: But unless the  
6 silica is -- the silica is important to the chemistry,  
7 then I don't see what this is.

8 MR. SAGAR: I have that here, the real  
9 geochemist.

10 MR. LESLIE: Brett Leslie, NRC staff. One  
11 of the issues that the State of Nevada has brought up  
12 is that the flux -- refluxing of silica will  
13 drastically change the permeability and porosity  
14 structure at Yucca Mountain, and the purpose of the  
15 Center's calculations really are we want to make sure  
16 that we can model the ambient conditions with this  
17 type of code, so that it can be used as an input to  
18 assess once you add that heat, that thermal condition,  
19 do you actually see what people have said from  
20 laboratory experiments.

21 VICE CHAIRMAN WYMER: Okay. So, it's  
22 whether or not you're plugging up the holes.

23 MR. SAGAR: Thank you, Brett.

24 (Slide)

25 Another part of the near-field environment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the question at what relative humidity does  
2 corrosion begin, corrosion is initiated. And the most  
3 common assumption in most of the performance  
4 assessment model is that the deliquescence point --  
5 that is, the point at which the given salt gets  
6 saturated, fully saturated with water, is the point at  
7 which the corrosion will begin. And here in this  
8 graph, for example, the yellow triangles, we did an  
9 experiment in a humidity chamber, and these yellow  
10 dots here show you the evolution of humidity that was  
11 controlled by the experimenter from increasing and  
12 then decreasing here. And we had two metals here, the  
13 carbon steel and the stainless steel. The carbon  
14 steel is shown here in black and blue here, and the  
15 stainless here. The idea was to -- and then we had a  
16 multielectrode sensor to tell us when corrosion is  
17 initiated.

18 As you can see for the carbon steel here,  
19 up to this point, for example, of relative humidity,  
20 nothing happens, there's no corrosion, and then it is  
21 initiated. So, at this point then we say this is the  
22 critical relative humidity at which corrosion would be  
23 initiated.

24 MEMBER GARRICK: Is this work, Budhi,  
25 giving you any insight as to the viability of the DOE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diffusive transport model? They have a threshold for  
2 -- a relative humidity threshold.

3 MR. SAGAR: That's correct.

4 MEMBER GARRICK: Is this --

5 MR. SAGAR: This is to verify that  
6 hypothesis.

7 MEMBER GARRICK: This is verifying that  
8 hypothesis?

9 MR. SAGAR: Yes. And what we show here --  
10 and for steel, for example, the critical humidity is  
11 higher because the stainless steel is more passive or  
12 more resistive of corrosion. But the point here is  
13 that the humidity or the critical humidity at which  
14 corrosion will be initiated is a function of the metal  
15 itself, and then of the environment, the nature of the  
16 soil and so on.

17 I think the point we are making to DOE, or  
18 we have discussed with them, are two. One is that the  
19 deliquescence point is not necessarily the critical  
20 humidity. The critical humidity at which initiation  
21 occurs can be lower. Corrosion can be initiated at a  
22 lower humidity than the deliquescence point.

23 MEMBER GARRICK: And there's also the  
24 question of can it be sustained for long periods of  
25 time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SAGAR: Sure, but the initiation is  
2 one, and then the corrosion rate is another.

3 MEMBER GARRICK: Right.

4 MR. SAGAR: Right. But then the second  
5 point we are trying to discuss with them is that a  
6 single salt -- even if you agree, even if you believe  
7 the deliquescence point is good enough for initiation,  
8 a mixture of salt -- and we have done those  
9 experiments -- the deliquescence point for a mixture  
10 is different from a single salt.

11 MEMBER GARRICK: Right.

12 MR. SAGAR: So you have to do some  
13 experiment to give us both to any assumption you make  
14 in your model.

15 (Slide)

16 This is a work that we are starting right  
17 now, again, to look at the chemistry -- various types  
18 of chemistries of the dripping water on let's say the  
19 drip shield or the waste package if the drip shield  
20 fails and, as you can see, there is a different kind  
21 of pH range depending on the evaporation condensation  
22 cycle. And what we are doing -- we are doing it two  
23 ways. We are setting up a lab experiment which would  
24 actually take samples and measure the chemistry of the  
25 function of time. We would have a heater included in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the experiment. And the second one is to do some,  
2 again, coupled modeling to see if we could figure out  
3 what kind of chemistry would evolve. So this is  
4 something that, for example, we are starting now. It  
5 may be another ten months or 12 months before we see  
6 some preliminary results.

7 (Slide)

8 Here is an example of another near-field  
9 phenomena which is the distribution of thermal loads.  
10 As we all know, there would be adjuvant in the sense  
11 that the temperature will not be uniform in a drift.  
12 The risk packages close to the edge of the drift will  
13 be cooler than the risk packages in the middle of a  
14 drift, obviously, because there is more heat loss on  
15 the edge. And then the question is would that thermal  
16 gradient transport moisture to the cooler edge, and if  
17 that is true, what would be the chemistry of that  
18 transported moisture, at what rate would the humidity  
19 change faster or earlier at the edge risk packages  
20 than in the middle of the drift. And, again, this is  
21 mainly modeling. This is not experimental data here.  
22 We are trying to see what kind of thermal gradient to  
23 expect. This last figure here shows you as a function  
24 of time the thermal gradient, the fraction of the  
25 drift with temperature gradient -- that is, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nonuniform temperatures -- and, as you can see, almost  
2 80 percent of the drift could be affected by  
3 temperature gradient and, therefore, there could be  
4 moisture movement in this 80 percent complement of  
5 various drifts.

6 So, again, you may ask me -- and I'm  
7 surprised you haven't yet -- what is the risk  
8 significance of this. I'm sure John will do that  
9 pretty soon. But we haven't carried this all the way  
10 to the dose calculation, to answer that question, but  
11 my point here is that we have to do this kind of  
12 detailed analysis to feed it into a simplified model  
13 at some point, and see what effect, if any, this might  
14 have. And at some point, it may drop off that data  
15 screen if there is no effect.

16 MEMBER GARRICK: Are you doing anything to  
17 look at different concentration gradients,  
18 radionuclide concentration gradients, and how they  
19 would affect the diffusive transport out from the  
20 inside of the waste package?

21 MR. SAGAR: Yes. This is not the slide,  
22 though. Yes, we are doing that. In fact, there are  
23 two parts to that. One is the evolution of the  
24 chemistry inside the waste package itself, and then  
25 based on the concentration gradient created the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diffusive flux that would be generated because of  
2 those gradients. And there is some modeling that has  
3 been done.

4 (Slide)

5 The Repository Scale Thermohydrologic  
6 Model was again -- as I said before in the beginning,  
7 most of these activities are undertaken because DOE is  
8 doing something and we have to respond or we have to  
9 review, and if we think something is important enough  
10 for us to actually do a simulation to see whether we  
11 can look at DOE results or not, then we do that, and  
12 this is an example of that.

13 The Cold Trap Process is the same as I  
14 described previously. This simply means that if some  
15 parts of the drift are cooler than other parts, then  
16 the cold part can trap moisture, that's all it means,  
17 Cold Trap Process. And this kind of multiscale  
18 thermohydrologic modeling -- what this scale simply  
19 means is that the repository scale is 2 kilometers  
20 wide, and the resolution we need in the modeling to  
21 look at the thermal effects and the moisture movement,  
22 there is not -- and somebody was talking of many flops  
23 in the morning -- we don't have access to those huge  
24 computers and it's just not possible to look at the  
25 scale uniformly that we can study all those effects.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, we do multiscale, in the sense we  
2 break it up into three or four different parts or  
3 different scales -- you know, this scale modeling is  
4 first done at the final scale. The output from that  
5 feeds into a room scale, then a mountain scale, and so  
6 on and so forth. That's all the multiscaling. And  
7 here are some results of the temperature versus time  
8 depending on the effective thermal conductivity  
9 assumed for the rock.

10           (Slide)

11           Okay. So the near-field environment is --  
12 that impacts the performance of the engineered  
13 barriers, and there are two barriers, of course, the  
14 drift shield and the waste package. And one of the  
15 questions in the waste package area is the effect of  
16 fabrication processes on localized corrosion, as I  
17 think has been more or less agreed that Alloy 22, the  
18 effect of corrosion rate is pretty small, the uniform  
19 corrosion rate is pretty small. Would there be any  
20 localized corrosion that may be faster and make holes  
21 in the waste package, that's the issue.

22           And welding, because you will be  
23 introducing a filler material and you will be changing  
24 the temperature of the metal, would that change the  
25 corrosion locally where the welding is. So, we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 done some experiments which are mostly in the  
2 electrochemical cells, and the important thing to  
3 notice here is the repassivation potential, that's on  
4 the Y-axis of this graph, is actually a measure of how  
5 resistive the metal is to corrosion. The higher --  
6 again, the metal and the near-field environment, of  
7 course, go together in determining that. The higher  
8 the repassivation potential is, the more resistant the  
9 metal is. So the higher repassivation potential is  
10 good, and lower is not so good. So, if you see any  
11 line, any point going down here, that's degrading the  
12 potential performance of that particular metal.

13 And here are the three particular elements  
14 that are displayed here -- the mill annealed sample  
15 that we did -- the mill annealed and aged for 4  
16 minutes at 870 degrees C, this is the welding part,  
17 and the mill annealed plus welded. And you can see  
18 that the worst part is this TA, the mill annealed and  
19 the aged sample which are these red dots here, that  
20 the repassivation potential for this sample was the  
21 lowest of all that we tested. And all of the results  
22 are preliminary in the sense that these need to be  
23 verified, of course. And this line here shows you the  
24 corrosion potential, so if the corrosion potential is  
25 greater than the repassivation potential, there is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 driving force to initiate the corrosion. And so long  
2 as it remains greater than the repassivation  
3 potential, the corrosion will continue. So, if you  
4 are below this point, I think there's something to  
5 worry about. If you are above this point, no  
6 localized corrosion would initiate or continue.

7 So the idea again is to look what would be  
8 the effect of the various fabrication processes on the  
9 localized corrosion process.

10 (Slide)

11 And then I think the several questions  
12 have been raised that we are more conservative or very  
13 conservative in our calculations. There is, for  
14 example, nitrate present at Yucca Mountain that may  
15 inhibit or reduce the rate of corrosion, so this is  
16 another experiment to try to look at the inhibition  
17 properties of nitrate on corrosion. Again, the  
18 repassivation potential is on the Y-axis and the  
19 nitrate-to-chloride ratio is on the X-axis. And these  
20 points here indicate that the repassivation potential  
21 is high as the nitrate-to-chloride concentration goes  
22 different from zero. At zero it is low. If there was  
23 no nitrate present, the repassivation potential is  
24 low. If nitrate is present, the repassivation  
25 potential is high. So, indeed, the presence of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nitrate does inhibit the corrosion process. This  
2 triangle here is single experimental value where  
3 nitrate was introduced after crevice corrosion  
4 started, and then once the nitrate was introduced, it  
5 was arrested, the corrosion process was arrested. So,  
6 indeed, we were trying to verify if nitrate indeed has  
7 the effect that has been reported in the literature.

8 (Slide)

9 Well, the experiment of course needs to be  
10 checked, and I think one of the main issues in any  
11 long-term use of the model -- of results of the model  
12 is how mechanistic that model is. And for corrosion  
13 prophecies, as I said, so far we use the repassivation  
14 potential, the electrochemical potentials, as the main  
15 thermodynamic variable that is modeled as a function  
16 of time, pH, nitrate, chloride, et cetera, that are  
17 present in the environment.

18 Here is another effort at trying to do a  
19 mechanistic model which is based on point defect  
20 model, which is the defects of the fluid/solid  
21 boundary diffused in a layer. And this is at a very  
22 preliminary scale. We actually did experiments which  
23 is the red line, and you can see the experimental  
24 variation here, and the smooth curve in the middle is  
25 predicted by this new model that's being published.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Again, I would put this more in a category of long-  
2 term -- longer-term, not long-term -- longer-term work  
3 where if tested further this is found to be a viable  
4 model, and this is something we would use during the  
5 performance confirmation period as time goes on and as  
6 we get more data, more observations on actual material  
7 in the repository.

8 CHAIRMAN HORNBERGER: What causes the  
9 spikes?

10 MR. SAGAR: These are experimental. I  
11 think these are just variations in the experimental  
12 setup.

13 CHAIRMAN HORNBERGER: Those first three at  
14 the bottom look like they are 24, 48 and 72 hours.

15 MR. SAGAR: I could tell you what --

16 MEMBER GARRICK: You said something about  
17 Weible?

18 MR. SAGAR: Viable, yes.

19 MEMBER GARRICK: Did I hear you say that?

20 MR. SAGAR: Not Weible distribution,  
21 viable -- v-i-a-b-l-e, viable. If this model is  
22 verified and we say, yeah, this is a good one --

23 (Simultaneous discussion.)

24 MEMBER GARRICK: Oh, I see. I'm sorry.

25 MR. AHN: Tae Ahn of NRC staff. Regarding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your testing time, this practice is to assure what DOE  
2 is measuring in the long-term testing for five years,  
3 even longer, until the repositories are closed. Also,  
4 this modeling effort assures the current understanding  
5 from of the corrosion process from the short-term  
6 testing like this is correct.

7 Also, we will incorporate the analog, for  
8 instance, as well to validate the short-term testing.  
9 So, all three or four efforts will be put together to  
10 assess the long-term integrity of the passive films.

11 MR. SAGAR: Thank you, Tae.

12 (Slide)

13 Another study that we're doing is to look  
14 at the natural analogs for the container material, and  
15 the two that are being studied are meteoric iron and  
16 Josephinite. And this apparently is a sample we got  
17 in Josephine Creek in Oregon, although the exact date  
18 -- this is approximate ages -- the exact date is not  
19 known. Of course, anytime you do a natural analog,  
20 the questions always arise how do you know under what  
21 condition this has existed for so long, et cetera, et  
22 cetera. So, there are a lot of assumptions you end up  
23 making even in the natural analogs, so there are no  
24 sure-shot answers, but it does give you some insights  
25 into the processes that these may have undergone, plus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some qualitative comfort that if these things have  
2 existed for a long period, then there is some  
3 environment at least under which these metals would  
4 exist for a long time.

5 And we are also looking at the  
6 archeological, which is the pillar in New Delhi in  
7 India which is about 3,000 years old and still holds.

8 The industrial -- apparently there's lots  
9 more data on this, but this is a very short period.  
10 We're not talking about even hundreds of years like  
11 here. And sometimes the value of natural analogs of  
12 course is the scales, time scales especially, because  
13 then you can say, well, if something lasted for X-  
14 number of years, then there is some qualitative  
15 evidence that things would last for a long time.

16 I have already repeated this, but this  
17 Josephinite work will continue, for example, next  
18 year. We still plan to actually do more analysis of  
19 the components of the sample that we have, as well as  
20 do some modeling, to try to get some handle on what  
21 process this particular sample may have undergone.

22 (Slide)

23 This is very interesting, again, a very  
24 preliminary result that I'm showing you. But one of  
25 the concerns in the near-field is the drift stability.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It is not just during the preclosure period where  
2 there will be ground support and there will be  
3 maintenance, so I think even though that part of the  
4 report would be reviewed, this particular slide  
5 relates to the postclosure. And the basic idea here  
6 is that in the middle unit which is a fracture, which  
7 is about 25 percent of the drift location, large size  
8 rock blocks -- about 1 meter cube rock blocks -- could  
9 fall onto the drip shield. As you now know, the drip  
10 shield has dual purpose -- of course, the purpose of  
11 protecting the waste package from drips, also it has  
12 the purpose now of structurally protecting the waste  
13 package from any rockloads that may fall.

14 And we have been discussing this for DOE.  
15 We eventually forced the Center staff to do some  
16 actual calculation rather than come and say, oh, this  
17 thing can happen, that thing can happen. And here are  
18 some calculations that were recently completed. This  
19 is what the shape of the drift may look like in less  
20 than 1,000 years, for example. So this has a lot of  
21 implications in the sense that whether or not there is  
22 engineered backfill, you will have a backfill. And if  
23 that is true -- and this is a nominal case, for  
24 example, if we believe that this result is okay --  
25 then all the other calculations that we have done so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 far need to be changed. We need to then rethink about  
2 the water flow to the engineered barrier system, the  
3 temperature and humidity estimations ought to change,  
4 the igneous activity consequence calculations ought to  
5 be different, et cetera, et cetera. So, this kind of  
6 permeates into -- throughout different components of  
7 performance assessment. And as I said, this is really  
8 very preliminary, but one needs to take a look at  
9 this.

10 (Slide)

11 In the lower where 75 percent of the other  
12 drifts are located, they don't have large single  
13 blocks, but eventually the drifts are going to be  
14 filled up more or less. How long it takes is a  
15 question that ought to be settled, of course, through  
16 more modeling and so on, but we try to estimate, very  
17 preliminary estimate of would the drip shields, for  
18 example, under accumulated rockfall -- not by a single  
19 rockfall, but over time as the rockfall accumulates --  
20 how much static load, for example, would be on the  
21 drip shield, and would they buckle, and so on and so  
22 forth. And it seems like the drift degradation time,  
23 which is filling of the drifts, is between 50 to 100  
24 years. Some uncertainties were factored into these  
25 calculations. The load, the static load may vary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 between 40 to 160 tons, and that the drip shields --  
2 there's a likelihood that the drip shields would  
3 buckle and may undergo plastic strain and, therefore,  
4 may rupture. If that's the case, some of this load  
5 would be transferred to the waste package, and then of  
6 course we have to look at T-22. I understand that T-  
7 22 can take lots more plastic strain than the titanium  
8 drip shield can, or it can sustain or it can deform  
9 much more than titanium before it ruptures, but still  
10 those calculations would have to be done.

11 MEMBER GARRICK: If these results are  
12 true, then this has a major impact on the assumptions  
13 that DOE are currently making about the time of  
14 failure of the drip shield.

15 MR. SAGAR: Well, I might as well indicate  
16 that one of the arguments DOE has is that the rocks  
17 falling down would form an arch, and things will not  
18 fall.

19 MEMBER GARRICK: So there was a self-  
20 supporting --

21 MR. SAGAR: Self-supporting, which may be  
22 possible. It is hard to get sufficient technical  
23 support through modeling otherwise that that would be  
24 sustained for 10,000 years. With earthquake motions  
25 and so on, would that still be there, even if it forms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 initially. So, it's an issue that needs to be  
2 discussed and more work needs to be done before we  
3 conclude anything. I'm not saying this is it.

4 MEMBER GARRICK: Right, because their  
5 supplemental performance assessment results show 20-  
6 to 30,000 years before there's a major contribution of  
7 advective flow into the waste package.

8 MR. SAGAR: That's correct. But we are  
9 saying in addition to corrosion, the mechanical  
10 failure needs to be looked at seriously.

11 MEMBER GARRICK: It would be very  
12 interesting to see what the difference would be in  
13 this with and without the drip shield. In other  
14 words, if this is true, they may get just as much  
15 performance out of the waste package without the drip  
16 shield.

17 MR. AHN: This is Tae Ahn of NRC staff.  
18 Actually, our sensitivity studies show the drip shield  
19 contribution to radionuclide transport is not very  
20 significant. The other issue is actually DOE's  
21 position, unlike the corrosion design, DOE believes  
22 the drip shield or waste package can have different  
23 design feature to be resistant to mechanical failure.  
24 They could modify it in many different ways. Also,  
25 again, current assessment presented here needed to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked more carefully, especially in the manual  
2 performance assessment including probabilities.

3 MEMBER GARRICK: Very interesting.

4 MR. SAGAR: And this is something we will  
5 be doing this year, in 2003, is to take your question  
6 -- for example, what happens when that load is  
7 transferred, whether or not drip shield is there, to  
8 the waste package, and that load is then transferred  
9 to the supports here, and these are concentrated --  
10 the stress concentration would go here because all of  
11 the load would be transferred to these two support  
12 pedestals, would there be stress concentration to the  
13 extent that there would be waste package crushing. We  
14 don't know, but that's a question we would want to  
15 investigate in the coming year.

16 (Slide)

17 Moving on the to the far-field  
18 environment, one of the issues, of course, in the far-  
19 field is the effect of the alluvium, and this is in  
20 the Nye County well where they encountered alluvium  
21 unexpectedly at depth. This wasn't really supposed to  
22 happen, this was supposed to be organic rock. And  
23 then we were trying to see -- we sent people into the  
24 field to correlate this stratigraphic with exposures  
25 on the surface, and we could do that. The geologists

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were able to correlate. And then this became the  
2 exposed -- the exposed areas became natural analogs  
3 for these at depth so that we could measure hydrologic  
4 properties in the exposed part and assign the same to  
5 the stratigraphic at depth. So this is our field work  
6 that we did to try to find the alluvium.

7 (Slide)

8 Another piece of the field work was to  
9 include the detailed hydrostratigraphic framework of  
10 alluvium into the geologic framework model that we  
11 used for all performance assessments and hydrologic  
12 modeling. So, again, this was field work done. The  
13 main question here that's being investigated is the  
14 assumption that is normally made, which is that the  
15 alluvium is homogenous and isotropic -- that is, the  
16 modeling assumption that's normally made, and we  
17 wanted to investigate if that is a good enough  
18 approximation or not, and at this particular scale the  
19 observation in the field indicates that this is a very  
20 heterogenous material, that there is strong horizontal  
21 line of anisotropy and that this ought to be at least  
22 factored into the model, in the detailed process model  
23 to see what effect, if any, such anisotropy and  
24 heterogeneity in the alluvium would have on the  
25 estimated dose.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 More field work -- geologists love to go  
3 out and drill and get the rocks, so here is one of the  
4 staff members we hired developed a permeability probe,  
5 and she took that to the Bishop Tuff Inyo, California,  
6 which is an analog to the non-welded tuff at Yucca  
7 Mountain, and the reason we were doing this work is to  
8 see if there flow paths and transport paths in the  
9 unsaturated zone. And the hypothesis we had was that  
10 most of the flow paths were adjacent to existing  
11 faults, that when the faults slipped and so on, that  
12 it created a fracture zone to some lateral extent from  
13 the fault. Therefore, what we did was we set up this  
14 measurement regime, permeability measurements, in a  
15 direction perpendicular to a fault, to see how far the  
16 effect of the fault was found, as far as permeability  
17 was concerned.

18 CHAIRMAN HORNBERGER: I can't tell, is  
19 that just an air permeator? Where is the air source?

20 MR. SAGAR: Where is the --

21 CHAIRMAN HORNBERGER: What is the air  
22 source?

23 MR. SAGAR: The air is pumped -- there are  
24 two faults -- I didn't bring it with me, but it's a  
25 neat little gizmo. There are two coats, one the air

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is pumped in and the other one --

2 CHAIRMAN HORNBERGER: What do you use for  
3 a pump, though?

4 MR. SAGAR: I don't know. But pressure  
5 transportation is used in the other --

6 (Simultaneous discussion.)

7 MR. SAGAR: And this is the kind of  
8 results we are getting.

9 (Slide)

10 This is the primary fault, and then we  
11 basically measure the permeability in this direction.  
12 And there were two layers that we measured the  
13 permeability, in this layer here which is about a  
14 meter deep, and then this layer at the top, and the  
15 blue one is the bottom layer permeability variation as  
16 you go away from the fault, and the general trend is  
17 decreasing. So what it tells us is that there is a  
18 certain distance up to which the fault has an effect,  
19 after which it dies out. And if the flow path is  
20 going to exist, it's going to exist in this kind of  
21 proximity to an existing fault. So, this is again  
22 trying to connect field work with some laboratory work  
23 with the calculation to see if we could draw a  
24 conclusion as to how these pathways would exist.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Here is the modeling part. This is the  
2 saturated zone modeling, and this is at a regional  
3 scale, and we were trying to see how best we could  
4 calibrate a regional scale model. As the foundation  
5 of this hydrologic model, of course, the geologic  
6 framework model where the stratigraph is, the data in  
7 terms of let's say hydroptic conductivity is never  
8 sufficient for modelers. They can always make the  
9 final, and there's no way you can measure permeability  
10 at all points, so in the end you end up calibrating --  
11 that's what Case 1, Case 2 means -- make some  
12 assumptions, try and see if you can match the measured  
13 hydroptic curves, change those assumptions, see how did  
14 you meet them better, and since there are quite a few  
15 measurements on hydroptic heads, there is -- you do a  
16 release type of fit to see what gives you the least  
17 residual error, and this is the DOE base case where  
18 these points here represent the actual measurements of  
19 hydroptic head.

20                           (Slide)

21           And then we calculated the travel time by  
22 calibrating the model one way versus calibrating the  
23 model another way. The travel time is calculated by  
24 releasing certain fictitious particles and tracking  
25 them to the exit boundary. And the results can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quite different. Again, the idea was the model  
2 uncertainty could affect whatever your end results  
3 are, so you might have to try a few alternatives just  
4 to see what satisfies you, what fits in with the field  
5 data and the rest of the physics of the problem.

6 VICE CHAIRMAN WYMER: You said that was  
7 the travel time to the site boundaries?

8 MR. SAGAR: To the 18 km boundary.

9 (Slide)

10 On sorption, I think Bill Ott described a  
11 few activities in which we also participate, the NEA  
12 one. But this one is on colloids, and basically the  
13 colloids form certain radionuclides, and the colloids  
14 then move unimpeded. And the question was is the  
15 sorption of the colloids -- how irreversible is the  
16 sorption on colloids. And the basic -- this is a  
17 stochastic model that was developed and worked  
18 together with a consultant, was that as the  
19 reversibility-- irreversibility increases. If it was  
20 completely irreversible, there is a lots more  
21 transport with colloids than if it is reversible. So  
22 the next question is, well, how do we determine what  
23 sort of reversibility do we expect on colloids.

24 And in the PA model, the simplified model,  
25 of course, this is just a factor. X-percent of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 radionuclides would be transported by colloids, and to  
2 provide some technical basis to whatever that X  
3 happened to be in the PA model, you have to do some  
4 experiments of the modeling exercise. This work is  
5 still continuing, by the way.

6 VICE CHAIRMAN WYMER: That's experimental  
7 work?

8 MR. SAGAR: This is model.

9 VICE CHAIRMAN WYMER: What did you assume  
10 was the mechanism for sorption of plutonium colloid?

11 MR. SAGAR: Don't know. Anybody?

12 CHAIRMAN HORNBERGER: I don't think it's  
13 a mechanism, as it says here it's a two-site kinetic  
14 model.

15 VICE CHAIRMAN WYMER: What does that mean?

16 CHAIRMAN HORNBERGER: Kinetic sorption  
17 just means that it's a rate-dependent process of  
18 sorption, and a two-site means that you have two  
19 different sorption sites, one with a rapid short  
20 kinetic time constant and the other with a slow one.

21 VICE CHAIRMAN WYMER: Doesn't mean much  
22 unless you really specify which one.

23 MR. SAGAR: Thank you, John. I now  
24 remember a little bit of it. But, yes, the long-time  
25 constant one is where the reversibility is long, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the short-time constant one is where the reversibility  
2 is -- where it is reversible. So, that basically is  
3 what is being studied here, what degree of  
4 reversibility would affect the result by what amount.

5 VICE CHAIRMAN WYMER: Okay.

6 MR. SAGAR: What the actual mechanism is  
7 I don't think is in this model. Again, if you have  
8 questions, I'll try to get you more answers by the  
9 people who actually did this work.

10 VICE CHAIRMAN WYMER: No, I know there's  
11 a lot of colloid work going on, I just wondered in  
12 this particular case what the assumptions were.

13 MR. SAGAR: And there's a paper I can get  
14 you that's been published on this work.

15 (Slide)

16 And the same basic idea is shown here,  
17 that as the irreversibility increases, the flux  
18 increases of plutonium, and there were three different  
19 kinds of sorption models used in the estimation here.  
20 This is all modeling. But this is still -- a lot of  
21 assumptions in this model, including the filtration  
22 and retardation because there's a lot of questions  
23 about the colloid size and if the size is large, what  
24 this difference allowed and therefore this would be a  
25 retention process rather than a transport process, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that could entirely happen. I cannot say personally  
2 this would necessarily get us to the final answer on  
3 colloids but, again, some of these items would  
4 probably continue to be worked at in the post-  
5 licensing period.

6 VICE CHAIRMAN WYMER: Each of those models  
7 has arbitrary constants. The answer depends entirely  
8 on what you select for those constants.

9 MR. SAGAR: But that is the beginning, and  
10 those constants of course -- that's what I'm saying --  
11 those constants would somehow have to be provided some  
12 technical support.

13 MR. LESLIE: Budhi, can I add something?  
14 This is a perfect example where the acceptance  
15 criteria for assessing whatever the process is with  
16 alternate conceptual models kicks in. You can see  
17 that there's quite a big -- there might be quite a big  
18 difference between how you conceptualize colloid  
19 transport using these types of models, and I think  
20 that's what one of the things Budhi is trying to show,  
21 is that you have to think about these things because  
22 it could have major impacts.

23 VICE CHAIRMAN WYMER: So we have to really  
24 keep in mind that he's not trying to show what he  
25 thinks is going to happen, but he's going to show the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 range of things that might happen.

2 MR. SAGAR: I don't think anybody would  
3 know what's going to happen, so it's the range always,  
4 and the range could be narrow or the range could be  
5 wide, but that's about all you're going to get,  
6 realistically.

7 (Slide)

8 NEA Sorption Project -- again, Bill  
9 touched on this. By the way, they have eight  
10 experiments, Bill, if I remember right, and in fact  
11 the primary objective of this was to look at the  
12 capability of sorption models to produce reasonably  
13 accurate results and match with experimental data.  
14 These were not blind testing in the sense -- these  
15 modeling teams, and there are 16 or 17 of those teams,  
16 including from Research and us from NMSS, trying to  
17 model those selected experiments. Two of these models  
18 use data that was generated at the Center, so we were  
19 rather proud of that selection of those data sets at  
20 the international level. But, again, I think the KD  
21 value of the -- that's generally used in the PA models  
22 is, of course, maligned by all red-blooded geochemists  
23 because that's no good, but most of the capabilities  
24 of the performance assessment models cannot really --  
25 at this point, cannot directly use the surface

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complexation models, although that's one of the  
2 objectives that Bill showed he would like to do. Of  
3 course, if you do this, why not go to molecular scale  
4 and hydrology. Those are all sort of questions, why  
5 this and why not something else.

6           So the approach we are using is that we  
7 would use the surface complexation model as a process  
8 level model, as a mechanistic model, and then try to  
9 drive the KD value that would be fed into the  
10 performance assessment model. But, again, the surface  
11 complexation model itself has seven or eight free  
12 constants, as you said today, or variables, and  
13 there's no way to get their value based on panoramic  
14 data. So, again, you have to do calibration, as I  
15 show in my next slide.

16                           (Slide)

17           This is calibration of the model that we  
18 have. We've actually measured lab data. But the idea  
19 was if we can calibrate this once, can we then use the  
20 same calibrated model for extrapolation. And as you  
21 can see, the results are really good. Of course,  
22 there are some questions that this matching should be  
23 done without the investigator knowing what the  
24 experimental data is. But, again, my point would be  
25 this looks good, this gives confidence in the model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This accuracy is not something that would be in the PA  
2 model, for example. The PA model would be much more  
3 rough and would have a bigger range.

4 (Slide)

5 Bill also touched on the molecular  
6 simulation and one of our staff is doing some work in  
7 that area, and I always questioned him what good is  
8 this, but this again a longer-term project in the  
9 sense that the final objective is the same -- can we  
10 provide more mechanistic foundation to the sorption  
11 modeling? Can we take the molecular simulation model  
12 and go to the retardation factor eventually? Then you  
13 have some link between the science and the constant  
14 that you are using in your code. By the way, there  
15 was in the PA model, as far as sorption is concerned,  
16 is that the KD is not a constant anymore, we have made  
17 it a function of pH content, so that it varies as the  
18 chemistry of the water changes. So there are some  
19 changes to even the performance assessment model as  
20 far as sorption is concerned.

21 CHAIRMAN HORNBERGER: Budhi, are the  
22 people at the Center collaborating with these folks  
23 from Sandia?

24 MR. SAGAR: We cannot.

25 CHAIRMAN HORNBERGER: So this is -- you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing this separately?

2 MR. SAGAR: Sandia is DOE.

3 CHAIRMAN HORNBERGER: Yes, I know.

4 MR. SAGAR: We read what they do, but  
5 collaboration, no.

6 CHAIRMAN HORNBERGER: It just strikes me  
7 as interesting that the NRC would support two  
8 different people to do the same thing.

9 MR. OTT: One of the advantages of the  
10 international arena such as the sorption project is  
11 that's an area where we can actually interact with  
12 people from DOE without running into these conflict  
13 differences problems. In this particular case,  
14 however, we haven't involved Sandia ourselves in the  
15 NEA project. Sandia has been involved with USGS.  
16 When we had a sorption modeling workshop up here, I  
17 guess it was 18 months ago, the Center was up here,  
18 our Sandia contractors were up here, USGS were up  
19 here, so there's been two-way flow between us and  
20 Sandia. The Sandia people that are working for us are  
21 not the ones that were working on the high-level waste  
22 program as well. So there's been two-way flow of  
23 information, it's just not been as direct and as  
24 frequently as might be desirable.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. The igneous scenario -- of course,  
2           there are two parts to it, the probability and  
3           consequences, and I think you said to the Commission  
4           this morning they shouldn't be separated, although you  
5           do have to estimate them separately. You have to  
6           estimate the probability and whether or not that  
7           probability is less than or greater than  $10^{-8}$  which is  
8           specified in Part 63. I think most people now agree  
9           that the probability is greater than  $10^{-8}$  per year,  
10          and therefore has to be included in the scenario  
11          calculations into the consequence calculations. And  
12          I won't spend much time -- I think you talked about  
13          this part here, that there were anomalies in the  
14          aeromagnetic data and whether or not those are  
15          actually buried volcanoes. I'm told by the geologist  
16          the only way to be sure about that is to drill through  
17          them, which we don't know what the cost would be, but  
18          you can play modeling games, of course, try to  
19          estimate the probability if these were the ages of  
20          these anomalies and if X-number of them were actually  
21          volcanoes versus Y-number, and we find that the range  
22          really, as you said, doesn't really change a whole lot  
23          -- the probability range. So, it's probably not cost-  
24          effective to drill through all these 22 or how many  
25          anomalies here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN HORNBERGER: We were briefed by  
2 Brett, I think, at our last meeting, and of course the  
3 middle one there, he says under those circumstances  
4 you get almost an order of magnitude increase. So,  
5 yes, we've been briefed on that.

6 MR. SAGAR: Okay.

7 (Slide)

8 And the magma-repository interactions, as  
9 you guys said this morning, of course, there was an  
10 effort that we did -- and I thought it was a pretty  
11 good effort in the sense that this gave us some sense  
12 as to what kind of consequence modeling may be needed,  
13 and the short effect of course will be even less if we  
14 go back to the backfilling of the drift.

15 The only negative thing I found with the  
16 backfilling was the effect of any possible slip on  
17 existing faults. Apparently then even a little slip  
18 might crush a waste package. So there's nothing that  
19 happens here that is mostly positive or totally  
20 negative, there's always two sides to any effect. But  
21 we intend to work on developing a more realistic magma  
22 repository interaction model and consequence estimates  
23 in the coming year.

24 (Slide)

25 In the faulting scenario, there was a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1        faulting model, the fault structure that we built into  
2        the TPA code, the Total Performance Assessment Code,  
3        and this was the second methodology that the geologist  
4        came up with, which is that to look at the analog  
5        model -- the example given here is the Borah Peak in  
6        Idaho, I think between 6 to 7 magnitude of the record  
7        in 1983, and then to look at the distribution of the  
8        slip on not just the primary fault, but the secondary  
9        fault, and take this an analog for Yucca Mountain,  
10       give it this distribution, this type of statistical  
11       distribution of slip of secondary fault, and see what  
12       effect this might have on the repository, how many  
13       waste packages may be intercepted, et cetera. This,  
14       of course, may also depend upon if in the DOE design  
15       there is a setback distance for waste packages, for  
16       example, from all active faults that may change any  
17       calculation we do. But we find the calculations, very  
18       preliminary calculations that we have done, that if  
19       you multiply the mean peak, or peak mean conditional  
20       dose with this probability here, that the dose really  
21       that we estimate even from the distribution faulting  
22       is really small.

23                    CHAIRMAN HORNBERGER:    How does faulting  
24       cause failure -- package failure?

25                    MR. SAGAR:    We assume that the slip would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to be certain amount, like 1 meter, for example.

2 CHAIRMAN HORNBERGER: But is it through  
3 crushing because there is backfill around the  
4 canisters?

5 MR. SAGAR: We don't assume any -- this  
6 particular doesn't assume --

7 CHAIRMAN HORNBERGER: So how does the  
8 seismic event -- so it's a displacement -- in other  
9 words, there's a new fault through the --

10 MR. SAGAR: No, this is an existing fault  
11 --

12 CHAIRMAN HORNBERGER: An existing fault.  
13 So you're assuming that they are putting the canister  
14 lengthwise across an existing fault, and then you're  
15 getting slip along that fault. Okay.

16 MR. SAGAR: And, in fact, most of the  
17 intersections are on faults. I think one of the  
18 considerations here is that this work can be many  
19 hundreds of meters, that the setback distance probably  
20 from all faults is not possible, even if it's from  
21 primary fault, and therefore there will be  
22 intersections of risk that way.

23 MEMBER RYAN: I guess I'll jump in with  
24 the "so what" question here. Based on the dose of 70  
25 micorems per year, it's not important, I would say.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Simultaneous discussion.)

2 MR. PATRICK: If I could just to highlight  
3 what Dr. Ryan said, this is an example of where the  
4 study shows that from NRC's perspective, knowing what  
5 we know today, there's no need to continue to pursue  
6 this matter. It's a good place where risk insight has  
7 said we can close this one off, and those agreements  
8 with the DOE have been satisfied now.

9 The next step, the one Dr. Hornberger  
10 mentioned, the seismic issue remains open. We've got  
11 a report that we expect to see from DOE, and then  
12 based on what may come forward, we'll do a similar  
13 sort of an analysis.

14 MR. SAGAR: And that's very important, Dr.  
15 Ryan, because we're emphasizing to DOE that when they  
16 say this is not important, it's excluded, we say,  
17 well, you have to provide some basis why this is not  
18 important, and that's as important as things are  
19 important because when you look at there is a safety  
20 case, both have to make sense. You don't have to do  
21 as much work on the unimportant, but some work has to  
22 be done.

23 MEMBER RYAN: I appreciate that.

24 MR. SAGAR: The total performance  
25 assessment, I brought only one slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 This is a recent completion of the  
3 sensitivity analysis, and the score in the right most  
4 column here, there are seven different methods that we  
5 use for sensitivity analysis, and they include  
6 estimation of local sensitivity which is more of a  
7 differential kind, and a global sensitivity as it is  
8 called which is across the range of the parameter  
9 name, and this is primarily parameter sensitivity, not  
10 model sensitivity.

11 As you know, there are -- I'm not quite  
12 sure how many total -- but a little over 1,000 total  
13 parameters in the TPA code, of which about 330, I  
14 think, are given probability distributions are sampled  
15 for performance assessment. And out of that, about  
16 ten at most are the parameters that really affect the  
17 final result. And, again, at one time, I think,  
18 following Dr. Garrick's advice, we were trying to  
19 develop a simpler model that would only use ten rather  
20 than the 350. We haven't really completely figured  
21 out how one would do that because then if you do these  
22 ten and you then say, oh, we gained something, what  
23 was the effect of that? Well, we can't do that with  
24 these ten because that may change something else, and  
25 something else may become sensitive, and so on and so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       forth. But, anyway, we use seven different methods,  
2       and seven out of seven said No. 1 is No. 1. So this  
3       was trying to get confidence that indeed the method  
4       itself did not change which parameter was sensitive,  
5       and that's essentially what's enumerated here.

6               MEMBER LEVENSON: Waste package failure  
7       does not show up among the ten most important?

8               MR. SAGAR: The drip shield failure time  
9       does show up.

10              MEMBER LEVENSON: But waste package  
11       failure does not?

12              MR. SAGAR: The waste package initial  
13       defect refraction shows up, but not the other. I  
14       think the range -- yes -- Tae knows the answer.

15              MR. AHN: Tae Ahn, NRC staff. This  
16       sensitivity analysis was performed with long waste  
17       package lifetime, so you see release either from the  
18       failure of a container within 10,000 years or very  
19       later time when container is gone. That's why you  
20       don't see the container lifetime effect here.

21              MEMBER LEVENSON: Well, I guess my follow-  
22       on question then is how can the drip shield failure be  
23       important if the canisters, the waste packages,  
24       haven't failed?

25              MR. AHN: Well, again, drip shield

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controlled the water inflow to the initial failed  
2 container to release the radionuclide. Also, that's  
3 the main factors in this type of analysis.

4 MR. SAGAR: I would rather not -- I hate  
5 to contradict Tae -- but actually we do not assume  
6 waste package to the long-term. The waste package  
7 parameter, what I would determine their lifetime, have  
8 a distribution, and as you sample that distribution,  
9 they still last for 10,000 years. Therefore, they  
10 don't show up. And this is one caution that you have  
11 in any sensitivity analysis, that some things that  
12 don't show up, they don't show up because they did X  
13 and that X doesn't affect the dose.

14 MEMBER LEVENSON: I understand that, but  
15 the fact of a drip shield failure is that it allows  
16 water to go into a failed canister. If you don't have  
17 a failed canister --

18 CHAIRMAN HORNBERGER: They are juvenile  
19 failures.

20 MEMBER LEVENSON: What?

21 CHAIRMAN HORNBERGER: They are initial  
22 failures.

23 MR. SAGAR: The drip shield failure causes  
24 water to enter into these waste packages give you the  
25 dose in 10,000 years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: There are defects if  
2 there are juvenile failures, and so it's water getting  
3 onto them that gives you --

4 MR. SAGAR: What this is telling you is  
5 that in the first 10,000 years the dose is entirely  
6 due to initially defective containment, and anything  
7 that affects this --

8 MEMBER GARRICK: Yes, but maybe to clarify  
9 Milt's question, if you remove the 10,000 year  
10 requirement and look at it in the context of what's  
11 most important to eventually getting a release, you're  
12 still saying that the average mean annual infiltration  
13 is most important in terms of the gorilla having  
14 access to the waste package, namely, water, and  
15 eventually leading to a release.

16 MR. SAGAR: In the 100,000 year --

17 MEMBER GARRICK: And eventually leading to  
18 a dose.

19 MR. SAGAR: That's right. In the 100,000  
20 year, for example, the waste package failure come up  
21 very high.

22 MEMBER RYAN: John, I think that's right,  
23 but doesn't it have to be coupled to the fact -- and  
24 to me the critical assumption is whatever the  
25 defective fraction assumption is. If you have no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 defective fraction, you have no release. The drip  
2 shield doesn't matter. So to me, it's interesting to  
3 see the scoring, I think that's a very effective way  
4 to do it. But when you start to sort through these and  
5 say what's important, what's not, what are the  
6 critical true assumptions versus some distributed --  
7 distribution in sampling, I get down to the defective  
8 fraction assumption is really the critical assumption,  
9 and everything sitting on this ranking --

10 MR. SAGAR: If they were all initiative  
11 defective but no inflow, there would still be zero  
12 dose.

13 MEMBER RYAN: I take those together.

14 (Simultaneous discussion.)

15 MR. SAGAR: And I completely agree with  
16 you that anybody wants to interpret the sensitivity  
17 analysis, one has to be extremely careful and  
18 interpret what -- simply a table like this is not  
19 going to tell you.

20 MEMBER RYAN: A couple different  
21 assumptions, you could get a different ranking.

22 MR. SAGAR: Completely agree.

23 VICE CHAIRMAN WYMER: Neil, do you have a  
24 question?

25 MR. COLEMAN: Neil Coleman, ACNW staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       Something to think about for the Performance  
2       Assessment Workshop, DOE recently sent in a product  
3       they are trying to resolve agreements on infiltration,  
4       and their basis for closing is that it was -- their  
5       results were very insensitive to infiltration. So we  
6       see there are difference in approaches.

7               MEMBER GARRICK: Well, again, they're  
8       talking about the 10,000 year compliance period.

9               MR. SAGAR: Right, plus knowing --

10              MEMBER GARRICK: But it certainly could  
11       have a major impact on the environmental issue having  
12       to do with time of the peak dose.

13              MR. SAGAR: Right.

14              VICE CHAIRMAN WYMER: Insensitive isn't a  
15       good reason, it's at what point it's insensitive.

16              MR. SAGAR: You could do that, too. I  
17       mean, it could indicate what point may become  
18       sensitive, and that's what I mean by global versus  
19       local. We could pinpoint that, too.

20              (Slide)

21              The two slides on the preclosure safety  
22       analysis. We're just taking the increased importance  
23       at the Center because as the anticipated date for the  
24       potential license application gets closer, this can  
25       become quite important, as important as postclosure as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a matter of fact. And this basically lists the  
2 logical sequence of steps that you have to do in  
3 trying to estimate the preclosure operational risk.

4 (Slide)

5 And the slide on this side here indicates  
6 that existing software that we took from NRC, put them  
7 together with the executing module, so that we can  
8 calculate the preclosure consequences of accidental  
9 conditions both for the worker as well as for the  
10 member of the public, using the standard approaches of  
11 PRA really for the preclosure part. Just an example of  
12 the accident where a single BWR assembly falls off and  
13 releases some fraction as given by the national  
14 standards into the air, and what sort of doses to  
15 expect from that sort of an accident.

16 This is still pretty preliminary in the  
17 sense that even DOE is at the preliminary stage in  
18 developing the preclosure safety strategy, the  
19 identification of systems components important to  
20 safety, et cetera. So this work, in some sense, lags  
21 behind the rest of the work, and we are trying to  
22 catch up for the preclosure safety analysis.

23 (Slide)

24 In summary then, I don't need to repeat  
25 what I have said. I'll just point you to the third

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bullet, which is that some of the questions that I  
2 raised during my presentation will continue to haunt  
3 us during the review and beyond, and that perhaps what  
4 would go into -- some work will continue during that  
5 period, depending on the availability of resources,  
6 but that would be something in performance  
7 confirmation -- we may call them safety-related  
8 issues. Some of them may factor into the inspection  
9 program, it's not clear yet how that would be done.

10 And I thank you for your time. I took  
11 longer than I should.

12 VICE CHAIRMAN WYMER: We asked a lot of  
13 questions. Thank you, Budhi, that's -- my reaction to  
14 this is it's very impressive range or spectrum of the  
15 things you have going on, especially when you  
16 recognize that you've just been able to present a  
17 little snippet of the totality of what you're doing  
18 down there, these are just little samples.

19 Are there any questions? Mike, do you  
20 want to jump in again with any questions that you have  
21 of Budhi?

22 MEMBER RYAN: No, I think I asked a couple  
23 as he went along.

24 VICE CHAIRMAN WYMER: You asked your  
25 piercing questions. John?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER GARRICK:     I'm just trying to  
2     satisfy in my own mind how you decided what to do.  
3     Slides 3 and 4 kind of beat around that bush, but --  
4     and I'm always interested in knowing if the preclosure  
5     safety analysis and the work and the performance  
6     assessment work were the principal beacons for  
7     pointing you in the right direction, or was it  
8     something else?

9                   MR. SAGAR:   No, both are the beacons that  
10    point us in the direction of work, but there is a two-  
11    way feedback between the process level people and the  
12    performance assessment and the preclosure safety  
13    assessment people, and the topics can arise from  
14    either side, either the performance assessment person  
15    can say this doesn't look nice, or you have this  
16    factored into the model, what does it mean, give me  
17    some basis why this factor is such, can you do some  
18    work for me, does it need lab work, does it need  
19    modeling work, whatever, or it can come from the  
20    process level modelers, and the staff at the Center is  
21    mixed, of course, with people who do both performance  
22    assessment and same people do process level.   For  
23    example, this recent example I gave you on rockfall  
24    came from the process level people.   The PA people  
25    simply said how big a rock can fall and what can it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do. They weren't thinking about accumulation of rock  
2 on the waste package. The process level people say,  
3 well, when we modeled it, this is what happened, or  
4 should you put that in here. So they developed a  
5 module that we are now going to put into the vehicle  
6 to see what the effect at the bottom line would be if  
7 we introduce this into the model.

8           So, it comes from both -- I cannot say  
9 it's all top-down honestly. More of it is top-down,  
10 but there is some that comes from -- and I personally,  
11 as a manager, I feel that's a good thing to do because  
12 it doesn't shut the door from anybody asking a  
13 question.

14           MR. LESLIE: Could I add to Budhi's  
15 comment, Dr. Garrick? It points back to a point that  
16 was raised in the Commission briefing -- I think Dr.  
17 Hornberger's presentation -- I can't remember, there  
18 were so many of them this morning -- you probably feel  
19 the same way -- whichever presentation it was, it was  
20 talking about the Risk Insights Task Force. It may  
21 have been yours, Dr. Garrick, I can't remember who  
22 covered that. But you emphasized --

23           MEMBER GARRICK: That's when you were  
24 asleep.

25           (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LESLIE: To prove I wasn't, you made  
2 the point several times how important in that first  
3 step in the risk insights it was to get the staff  
4 talking, the PA experts talking with the subject  
5 matter experts. Budhi's point is well taken. And the  
6 way that worked in process -- and it was bloody at  
7 times, frankly -- was to have both sides open up to  
8 the fact that the technical -- the detail subject  
9 matter experts had to come to understand and be  
10 comfortable with getting to the bottom line, as folks  
11 like to say. On the one hand, if after a period of  
12 time one cannot show that these processes are  
13 important, it's time to close them out, to say we know  
14 enough about those, and on the other hand to have the  
15 PA people to come to understand that there may be  
16 things missing from the model, and that process level  
17 people can have those high experiences or bring in  
18 their own in-depth understandings of hydrology and  
19 rock mechanics and what have you, and then bring those  
20 into the model and test them and try them out, and I  
21 think that's what's made that communication step very  
22 important, and we're working hard to continue that on  
23 through. So, as Budhi says, both sides can raise the  
24 issues and, frankly, to make the point on the other  
25 side, the geologists were pretty well convinced that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 direct fault disruption was not an issue, but we had  
2 them put it into the fault module, work it through the  
3 risk calculation to establish/convince ourselves that  
4 it is down in the -- I don't know what it is --  
5 femptilrem (phonetic) level, or whatever it ended up  
6 being.

7 MEMBER GARRICK: Well, of course, our  
8 position is not to close off any source of information  
9 that would suggest a direction the research ought to  
10 go, but you should certainly simultaneously be relying  
11 most heavily on those things that are deliberately and  
12 systematically trying to find the soft spots and the  
13 uncertainties associated with those soft spots, and I  
14 was just trying to get some insight on how influential  
15 that was.

16 CHAIRMAN HORNBERGER: I can't remember  
17 when it was, but I think it was Ray and I visited the  
18 Center and sort of explored this issue at length with  
19 Budhi and Wes, and I must say from my standpoint, and  
20 I think from -- I think that Ray agreed -- that we  
21 thought that your process was pretty good -- that is,  
22 it's pretty much as you describe it. You really are  
23 using all of the performance assessment insights, but  
24 you also bring a lot of personal knowledge and  
25 skepticism and everything else. In fact, I think we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       tried to capture some of it in the last letter we  
2       wrote about the NRC research.

3               So, I think that John does make a good  
4       point. We really pushed on it when we interacted with  
5       you, and at least Ray and I came away satisfied that  
6       you were doing it pretty well.

7               VICE CHAIRMAN WYMER: I think it's clear  
8       that you're not leaning back and saying, well, we've  
9       got it pretty well under control now, we can relax.  
10       Of course, it's in your interest to not say that, but  
11       still I think that's a proper attitude.

12              CHAIRMAN HORNBERGER: Milt?

13              MEMBER LEVENSON: I guess I've got a half  
14       a dozen questions, and that's maybe a reflection on  
15       the quality of the presentation because people who  
16       don't have anything to present, or nothing new, I  
17       never have questions to ask. So I've got a number of  
18       questions, I think it means there's some good things  
19       presented.

20              On Slide 8, if we could get that --

21              (Slide)

22              When I first looked at it, it looks like  
23       Cobalt-60 is the predominant source of radiation. But  
24       then I look at the bottom and the dose is millirem per  
25       year per picocurie per gram, and now I have no way to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assess on that graph what dose is important because I  
2 don't know whether there's 100 times as many  
3 picocuries per gram of cobalt or plutonium. It's kind  
4 of strange unit, so I don't know what it means.

5 MR. SAGAR: Well, the point here was that  
6 if cobalt was 10 picocuries per gram, then the dose  
7 would be ten times. Again, remember the objective was  
8 to determine what kind of contamination may be  
9 acceptable for reuse of the soil. So, depending on  
10 what is acceptable, you can. So, so much of cobalt,  
11 so much of nickel, so much of plutonium would be okay.

12 MEMBER LEVENSON: So this is really just  
13 a conversion factor.

14 VICE CHAIRMAN WYMER: That's all it is.

15 VOICE: These kind of details are helpful  
16 when you're decommissioning. If you know your  
17 concentration, then you can very quickly --

18 MEMBER LEVENSON: Yeah, yeah. Okay. But  
19 that wasn't very clear.

20 MR. SAGAR: No real soil was being  
21 modeled. No entry was known.

22 MEMBER LEVENSON: On Slide 12 --

23 MR. SAGAR: Don't go too fast, that's what  
24 messes it up.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER LEVENSON: Can I infer from here  
2 that based on these measurements, at least for what  
3 was measured here, that while the corrosion rates  
4 increased for a while, they rather quickly -- in less  
5 than 40 days -- drop way off and corrosion will stop?

6                   MR. SAGAR: Because the humidity was  
7 reduced in containment.

8                   MEMBER LEVENSON: So that taking the  
9 initial high corrosion rate and multiplying that by  
10 long units of time is not a proper thing to do.

11                  MR. SAGAR: No. You have to do the  
12 corrosion rate as a function of the environment, which  
13 is a function of the time, and if the humidity cannot  
14 be maintained at or above the critical, you don't have  
15 corrosion.

16                  MEMBER LEVENSON: On Figure 14 --

17                                 (Slide)

18                                 -- in calculating humidity, were these  
19 calculations done assuming a gas type system? The  
20 USGS has measured the breathing rate of the mountain  
21 as a very high number. Was that taken into account in  
22 calculating relative humidity?

23                                 (Simultaneous discussion.)

24                  MR. SAGAR: This one is temperature versus  
25 time, right? And this is a multiphase, so this is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gas-type. This is temperature, not humidity.

2 MEMBER LEVENSON: Okay. I was looking at  
3 the term "condensation". Sorry.

4 MR. SAGAR: Condensation plays a role in  
5 calculation of the temperature.

6 MEMBER LEVENSON: Yes, but the  
7 condensation that plays a role in the temperature is  
8 a function of the humidity.

9 MR. SAGAR: Sure, but I'm not showing  
10 humidity here.

11 MEMBER LEVENSON: No, no, no, I know. But  
12 in arriving at these, you did use humidity as part of  
13 the calculations.

14 MR. SAGAR: Definitely.

15 MEMBER LEVENSON: How did you get that  
16 humidity?

17 MR. SAGAR: Well, this is the water  
18 balance and the calculation of liquid water versus  
19 vapor is continuously tracked in the model. It's a  
20 multi-phase model.

21 MEMBER LEVENSON: So you're assuming a  
22 liquid phase on equilibrium at that temperature.

23 MR. SAGAR: Right.

24 MEMBER LEVENSON: On Slide 16, what is the  
25 relevance, or how would I convert the repassivation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potential to a corrosion rate? In other words,  
2 between two points here that I'm looking at, one is  
3 plus-300, one is minus-200, that's a range of 500.  
4 Does that mean the corrosion rate is twice as much?  
5 Ten times as much? A hundred times?

6 (Slide)

7 MR. SAGAR: No, the repassivation  
8 potential is only an index to tell us when the  
9 corrosion is initiated, not the rate. It has no  
10 relation to the rate. When corrosion would be  
11 initiated and when corrosion can continue. If I was  
12 plotting rate, it will be on the Y-axis. That's what  
13 converts into the rate.

14 MR. PATRICK: Mr. Levenson -- Wes Patrick  
15 here from the Center. The reason that approach is  
16 taken, and it's only taken with respect to localized  
17 corrosion, I think it was Sugikawa in Japan who first  
18 came up with this repassivation potential. He  
19 convinced himself, and our data indicates that's the  
20 case, that in these nickel alloys the localized  
21 corrosion rates are so rapid that once you have onset  
22 of corrosion for material thicknesses of interest  
23 here, rate is unimportant. So the goal in designing  
24 and employing these materials is to stay out well  
25 above the corrosion potential, and that's the concept

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there and why they don't push to the repassive to the  
2 actual corrosion rate.

3 MEMBER LEVENSON: I understand that. My  
4 next is a comment on Slide 30, which is really  
5 relevant to the last couple also, and that is I  
6 understand what's been done, and I have no quarrel  
7 with it at all, but the point I wanted to make in this  
8 day and age of public communication is a number of  
9 these things are basically parametric studies, they  
10 are not projections, they are not rates. And I would  
11 hope that when you publish this information, you'd  
12 make that very clear. There's nothing wrong with  
13 doing it, I'm not quarreling, but I think there's a  
14 tremendous basis for misunderstanding.

15 MR. SAGAR: That's an excellent  
16 suggestion, and we'll try our best during the  
17 reprocess to make sure that happens.

18 VICE CHAIRMAN WYMER: Anybody else around  
19 the table have any point?

20 CHAIRMAN HORNBERGER: Budhi, this is one  
21 that will be easy for you, it's near and dear to your  
22 heart, I'm sure. You mentioned the studies on the  
23 alluvial deposits in Fortymile Wash, and you said that  
24 the conclusion was that you had a fairly substantial  
25 horizontal-to-vertical conductivity ratio. What is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the scale? I mean, the picture you showed suggests  
2 that the scale -- you're talking about anisotropy  
3 that's due to heterogeneity that's on the order of  
4 meters thickness and units.

5 MR. SAGAR: We haven't actually gone and  
6 measured the alluvium. The earlier measurement I was  
7 showing you was on the Bishop Tuff.

8 CHAIRMAN HORNBERGER: That was your air  
9 permeability. Unless I misunderstood, you were  
10 talking about the need to consider the alluvium to be  
11 anisotropic, and I was just curious because -- the  
12 question is, is the anisotropy due to the  
13 heterogeneity, the horizontal heterogeneity, is that  
14 the scale that you're talking about?

15 MR. SAGAR: My understanding it is not  
16 because of the heterogeneity alone, that it is a much  
17 more systematic due to the sedimentation -- the way  
18 that the sedimentation or current form the alluvium  
19 layers, but it's more of a structural geology issue.  
20 It's a much larger scale than just a meter scale. The  
21 heterogeneity will give it's own anisotropy, but  
22 that's not the case here.

23 CHAIRMAN HORNBERGER: Thank you.

24 VICE CHAIRMAN WYMER: I'll ask again, are  
25 there questions around the table? Mike?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. LEE: Budhi, a number of the exhibits  
2 that you reviewed this afternoon speak to a couple of  
3 processes in the near-field. Do you have any general  
4 observations about the state of process knowledge,  
5 where we're at and how that translates into modeling  
6 for performance assessment?

7           MR. SAGAR: I will give you my take on  
8 that. I think the process is still at an early stage.  
9 The four process coupling is really done. We have  
10 gone up to the three processes -- the thermohydrologic  
11 and chemical, or we have done the thermal mechanical  
12 and hydrologic. And still there are a lot of issues  
13 if you really want to gain confidence whether the  
14 results of the simulation are any good. And that's  
15 why the calibration exercise. We wanted to see does  
16 a one-dimensional calibration on four points that we  
17 knew the data that we knew whether even that can be  
18 done, and that took a while. So, the state-of-the-art  
19 is advancing pretty rapidly I think, but it is still  
20 at the initial stage.

21           MR. LEE: So this potentially could be a  
22 ripe area for evaluation in the context of performance  
23 confirmation should it get to the licensing stage.

24           MR. SAGAR: I would say it would.

25           MR. LEE: The other question I had I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reverts -- refers back to the last slide and the  
2 discussion of the -- I may characterize this the wrong  
3 way -- the integrated safety assessment or whatever  
4 you were calling preclosure safety.

5 We know that DOE is still kind of  
6 searching for proposed design in the context of  
7 funding and budget and things like that, and  
8 timetable. How amenable is the preclosure safety  
9 assessment tool to implementation in the context of an  
10 evolving design?

11 MR. SAGAR: It has significant  
12 flexibility, but I cannot stand here and say all  
13 changes that DOE may come up with can be accommodated.  
14 So there may have to be some changes made to our --

15 MR. LEE: I guess I'm kind of asking a  
16 leading question. I guess at some point in order for  
17 the tool to be implemented, there has to be a design  
18 to evaluate it against, and there's that lead time, if  
19 you will, for factoring that information into the tool  
20 before the tool can be exercised and a decision made.  
21 I see Wes shaking his head.

22 MR. SAGAR: I don't think -- personally,  
23 I don't think it's a great idea to box the DOE and say  
24 one and only one design needs to come out. I think  
25 they can carry forward whatever number of designs they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to carry forward, so long as they build safety  
2 cases for all those ultimate designs. And if they can  
3 do that by December 2004, then we can have a tool  
4 ready to do those. I don't think that's a practical  
5 thing for them to do. So there would be high thermal  
6 load, there will be low thermal load -- I'm sure those  
7 options would still be there. Can we accommodate  
8 those in this? Yes. Now they are talking about other  
9 stuff, a different kind of a transporter for the waste  
10 package --

11 MR. LEE: No rail.

12 MR. SAGAR: Well, we tried to imagine --  
13 as soon as we heard it, we said, okay, what data  
14 exists on the safety of that transporter. Well, we  
15 couldn't find any. But in a safety case, in a  
16 preclosure safety case, they would have to come up  
17 with some safety data indicating why that transporter  
18 would be okay.

19 MR. LEE: Right. The only reason I raise  
20 it is in the context of any potential licensing  
21 review, once the license application comes in the  
22 clock starts ticking, and there's a need to exercise  
23 the tool and evaluate the implications of the analysis  
24 in the context of at least preclosure requirements and  
25 things like that. So, again, this is an area I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 possibly ripe for some discussion with DOE sooner  
2 rather than later.

3 VICE CHAIRMAN WYMER: If there are no more  
4 questions, I'd like to turn it back to George to  
5 declare a break.

6 CHAIRMAN HORNBERGER: You've sort of tied  
7 my hands. Actually, that's exactly what we're going  
8 to do. I think that this will complete the recorded  
9 session. We won't need the Recorder. We'll go off  
10 the record. We will take a 15-minute break, and then  
11 we will reconvene and continue work on our reports.

12 (Whereupon, at 3:40 p.m., the recorded  
13 session of the meeting was concluded.)

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701