

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste  
141st Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, April 22, 2003

Work Order No.: NRC-892

Pages 1-237

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE  
(ACNW)

141st MEETING

+ + + + +

TUESDAY,

APRIL 22, 2003

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North,  
Room T2B3, 11545 Rockville Pike, at 10:30 a.m.,  
George M. Hornberger, Chairman, presiding.

COMMITTEE MEMBERS:

GEORGE M. HORNBERGER, Chairman

RAYMOND G. WYMER, Vice Chairman

B. JOHN GARRICK, Member

MILTON N. LEVENSON, Member

MICHAEL T. RYAN, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS, Executive Director,

3 ACRS/ACNW

4 SHER BAHADUR, Associate Director, ACRS/ACNW

5 NEIL M. COLEMAN, ACNW Staff

6 TIMOTHY KOBETZ, ACRS Staff

7 HOWARD J. LARSON, Special Assistant, ACRS/ACNW

8 MICHAEL LEE, ACRS Staff

9 RICHARD K. MAJOR, ACRS/ACNW Staff

10

11 ALSO PRESENT:

12 ROBERT BERNERO

13 TOM ISAACS

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I-N-D-E-X

<u>Agenda Item</u>	<u>Page</u>
Opening and Introductions . . . . .	4
Development of a HLW Repository at Yucca Mountain, Nevada . . . . .	7
High-Level Waste Transportation Matters . . . . .	67
Transportation Working Group	
Technical Concerns, State of Nevada	
Jim Hall . . . . .	154
Bob Halstead . . . . .	165
Marvin Resnikoff . . . . .	190
Bob Halstead . . . . .	203

P-R-O-C-E-E-D-I-N-G-S

(10:30 a.m.)

CHAIRMAN HORNBERGER: The meeting will come to order. This is the first day of the 141st meeting of the Advisory Committee on Nuclear Waste.

My name is George Hornberger, Chairman of the ACNW. The others members of the committee present are John Garrick, Milt Levenson, and Michael Ryan.

During today's meeting, the committee will: 1) hear presentations and hold discussions with representatives of the National Research Council -- that's the other NRC, the operating arm of the National Academies -- on the development of a proposed HLW repository at Yucca Mountain, Nevada; 2) hear presentations and hold discussions with representatives from the National Research Council on a study it will perform on a broad range of high-level waste transportation matters; 3) hear presentations from and hold discussions with representatives from the State of Nevada regarding its technical concerns with the transportation of spent fuel and high-level waste, as well as issues related to the full-scale testing of transportation casks.

John Larkins is the Designated Federal Official for today's initial session. This meeting is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being conducted in accordance with the provisions of  
2 the Federal Advisory Committee Act.

3 We have received no requests for time to  
4 make oral statements from members of the public  
5 regarding today's sessions. Should anyone wish to  
6 address the committee, please make your wishes known  
7 to one of the committee staff. It is requested that  
8 the speakers use one of the microphones, identify  
9 themselves, and speak with sufficient clarity and  
10 volume so that they can be readily heard.

11 Before proceeding, I would like to cover  
12 some brief items of interest. One, President Bush has  
13 named Commissioner Nils J. Diaz as Chairman of the NRC  
14 effective April 1, 2003. Dr. Diaz has selected a  
15 staff, naming Maria Lopez Otin Executive Assistant,  
16 John W. Craig Chief of Staff, Gary M. Holahan as  
17 Executive Assistant for Reactors and Research, and  
18 Catherine Haney as Executive Assistant for Materials  
19 and Security.

20 The following changes are noted in the  
21 ACRS/ACNW technical staff. Mr. Ramin Assa, Senior  
22 Staff Engineer, ACRS, was selected for a position with  
23 Research as Programs and Communications Liaison  
24 Officer. Mr. Ralph Caruso joined the staff as Senior  
25 Staff Engineer, ACRS, effective April 7th. Mr. Caruso

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comes from NRR, where he served as Chief of the BWR  
2 and Nuclear Performance Section.

3 And finally, this is to inform all of you  
4 that one of our valued senior staff engineers, Tim  
5 Kobetz, has been selected for a project manager  
6 position with the Division of Waste Management, NMSS.  
7 I'm sure members of both the ACRS and ACNW will miss  
8 his technical support and advice and wish him well on  
9 his next assignment as he prepares to enter full-time  
10 the challenging tasks associated with the Yucca  
11 Mountain project.

12 Okay. With that, we will proceed to our  
13 item of business, our first item of business today.  
14 We are here to hear some presentations on the report  
15 -- the National Academy's recent report on phased  
16 repository development, the report entitled "One Step  
17 at a Time." The report was prepared under the  
18 Academy's Board on Radioactive Waste Management.

19 Today we're pleased to have Bob Bernero  
20 back to visit us, and Tom Isaacs also, with no black  
21 hat --

22 (Laughter.)

23 -- representing the Report Committee.  
24 Also here we have Barbara Pastina, Study Director;  
25 Kevin Crowley is Staff Director of the Board on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Radioactive Waste Management; and Joseph Morris of the  
2 technical staff.

3 And, Bob, I understand that you and Tom  
4 are going to do the tag team.

5 MR. BERNERO: Tom will --

6 CHAIRMAN HORNBERGER: Tom is going to  
7 start?

8 MR. ISAACS: Right. Thank you very much,  
9 George. It's a pleasure to be here. Nice to see some  
10 old friends in the crowd.

11 Bob and I were part of this National  
12 Research Council Committee looking at the staged  
13 development of geologic repositories, and we represent  
14 but 2 of 14 members who labored for about a year and  
15 a half on the statement of task regarding how things  
16 should be carried forward.

17 I want to start by making just a couple of  
18 overarching comments, if I can. The first is that  
19 this was a generic approach. We are looking not at  
20 repositories only in the United States, but at the  
21 development of repositories in a number of countries  
22 around the world who have very different technical,  
23 social, institutional settings.

24 And so we were trying to provide a set of  
25 insights, findings, and recommendations that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have generic appeal in the progress of the  
2 implementation of such programs. We also took care to  
3 try and make some specific recommendations with regard  
4 to Yucca Mountain, but we did have both in our minds.

5 A second thing that I think it's important  
6 to recognize is that we were not focused necessarily  
7 or exclusively on how to meet a regulation or how a  
8 repository should obtain a license. But, really,  
9 what's the appropriate way to -- for an implementer to  
10 create, develop, and carry forward a successful  
11 program.

12 And a successful program is one that not  
13 only has to have the necessary science and technology  
14 and performance assessment and TSPA, and all of the  
15 other things, it has to be institutionally  
16 appropriate, it has to meet societal acceptance, it  
17 has to have the ability to carry itself forward over  
18 generations, through which this program will -- in  
19 every country will undoubtedly occur, and it has to be  
20 flexible enough to meet the needs that will unfold  
21 that are unknowable today to any set of implementers,  
22 regulators, or the public.

23 That broad scope caused us to have members  
24 from other countries on the committee, and it even  
25 caused us to search early on to have non-technical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people, as well as technical people, both from here  
2 and abroad, address the committee and hear their views  
3 to help us with understanding the full dimensions of  
4 this difficult problem.

5 If I could have the next slide, please.

6 It's important to recognize that it was  
7 the Department of Energy that was the -- we had a  
8 hydrologic incident here, and my papers are now --

9 (Laughter.)

10 -- together, and my notes are blurred.

11 It's important to recognize that we were  
12 tasked by the Department of Energy to do this task,  
13 and that most of the findings and recommendations are  
14 addressed to repository implementers and to the  
15 Department of Energy.

16 We're not bashful about saying that we  
17 think there are some insights there that need to be  
18 addressed, particularly in regard to the relationship  
19 between the implementer and the regulator, which in  
20 this case could be Yucca Mountain Repository Program  
21 and the NRC, but it's really broader than that.

22 And we were reflecting on standing on the  
23 shoulders of a lot of other reports that have been  
24 done over the last decade or more that have shown  
25 worldwide interest in the idea that if you're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take a program which even if it stays on schedule is  
2 going to last a century or more, it's a good idea to  
3 have a little bit of humility, and it's a good idea to  
4 probably take a step-by-step approach and recognize  
5 that flexibility is a virtue.

6 And that for a program that's going to  
7 operate for that length of time and then have to  
8 perform for millennia, it's important to recognize  
9 that over those kinds of times it's not science and  
10 technology and also institutional considerations,  
11 politics, social settings, and public acceptance, and  
12 all of those kinds of things are going to change in  
13 ways that can't be anticipated.

14 And, therefore, the way one puts a program  
15 like this together has to put some recognition to the  
16 fact that this is really a unique challenge and one  
17 that cannot be carried out sort of the way you would  
18 do if you were to build the hundredth version of some  
19 facility that you've already built 99 of, where you're  
20 simply going to build it in a set of prescribed steps.  
21 It really does take some understanding that things are  
22 likely to change.

23 And lastly, that if you're going to have  
24 a program last that long, you really need to  
25 concentrate on public and institutional considerations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as well, and that the step-by-step process lends  
2 itself very well to that.

3 There's nothing that breeds confidence in  
4 people than when you promise something and then  
5 deliver -- promise something and then deliver. And by  
6 having a sequential set of decisions, and delivering  
7 on those decisions in a meaningful and transparent and  
8 way with integrity. That goes a long way, in our  
9 view, toward building the kind of confidence for  
10 sustainability that's going to be required.

11 If I could have the next slide, please.

12 The statement of task was very specific,  
13 and it asked us to do the following things. First, it  
14 asked us to give a definition of staging. A lot of  
15 people had been using the term, and other terms like  
16 phasing or step by step, in a variety of ways.

17 And our report looked at it and finally  
18 wound up designating two ways of thinking about  
19 staging, one which we called linear staging, which is  
20 essentially a step-by-step process toward a predefined  
21 end, something where you kind of know ahead of time  
22 where the end will be, and you've probably been there  
23 before with other facilities and you're going to move  
24 forward in a phased manner.

25 We came up with a term called adaptive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staging to suggest a different, more flexible learn-  
2 as-you-go approach, which I'll talk about in a minute.

3 We were asked to look at the technical,  
4 policy, and societal objectives and risks. And I  
5 think that was a very important thing. And, in fact,  
6 it was so important that at the first meeting the  
7 committee decided to ask the Academy to add two non-  
8 technical members to the group, which they did.

9 We recognize that you can't simply  
10 separate the institutional and societal aspects from  
11 the programmatic development. It's not a question of  
12 holding a public relations campaign or a public  
13 information program after the fact or above the fact  
14 that's going to lead to the kind of confidence and  
15 acceptance, whether it be by the administration after  
16 administration of the Congress or the state or local  
17 people, or what have you, anybody who has an  
18 interested and affected role. That the societal  
19 aspect needs to be built into the way you think about  
20 organizing the program.

21 Having done that, we were to look at  
22 potential impacts, and making any changes always  
23 carries with it risks, and we hope benefits that, on  
24 balance, outweigh those risks. It also is true that  
25 going to a staged approach has potential implications

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- in fact, real implications -- for the rest of the  
2 system.

3 And so we looked at issues such as the  
4 impacts on storage, on transportation, on security,  
5 and how a staged approach might affect the needs for  
6 those various aspects to be considered.

7 We looked at strategies -- that is, how  
8 could one carry forward such a program. There are a  
9 number of ways to do that, including looking at the  
10 monitoring requirements for carrying the program  
11 forward. And we have a whole section -- and time will  
12 preclude me from going into great detail -- on the  
13 role of monitoring and how important we think it is.

14 We were asked to look at knowledge gaps.  
15 That is, what don't we know that we need to know,  
16 whether or not we go to some kind of staged approach.  
17 And we put forward a number of items there,  
18 particularly in the social science area, of things we  
19 think need to be looked into in order to improve the  
20 efficiency of the program.

21 And then, lastly, and one that should be  
22 of great interest I'm sure to this group is that we  
23 have to look at the potential incompatibilities with  
24 licensing. We are very lucky to have Bob Bernero on  
25 the task, so if we ever have occasion to wander Bob

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would bring us back quite quickly and professionally  
2 to the tasks.

3 And the issue of are there  
4 incompatibilities with licensing was discussed long  
5 and hard. I think our conclusion was, no, there  
6 aren't incompatibilities with licensing. There may be  
7 effects, there may be impacts, there may be things  
8 that need to be done by the implementer and the  
9 regulator, but we don't see any fundamental  
10 incompatibilities, nor did we intend to create any  
11 fundamental incompatibilities.

12 We did, however, look at things like  
13 public attitudes and institutional trust and public  
14 acceptance and stakeholder participation, and those  
15 issues as well as trying to determine whether a TSPA  
16 meets some preordained level of exposure or not, we  
17 felt were as important to the implementing and  
18 regulatory side of the societal decision that the NRC  
19 is enchartered to make.

20 And so we think that's very important not  
21 just to DOE but to the NRC, that they think through  
22 the entire implications of not just what the technical  
23 consequences are of putting a repository at, for  
24 example, Yucca Mountain, but how to carry that program  
25 forward in a way that leads to a societal and public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acceptance that's enduring.

2 Next slide, please.

3 So we've decided to recommend something we  
4 called adaptive staging. I don't think adaptive  
5 staging is that much different from the collection of  
6 things that a prudent program manager would do in a  
7 case like this anyway.

8 This is a first of a kind probably, in  
9 some senses one of a kind, highly controversial  
10 program that's going to last for many, many decades,  
11 and has to perform for many, many millennia in an  
12 atmosphere where, as we all know, things nuclear  
13 provoke a lot of contention, and repositories, in  
14 particular, are probably as contentious as any issue  
15 you can have. And so we looked at both the technical  
16 and the institutional aspects of this thing.

17 The major elements there, as I've said,  
18 are not that different from one -- what one might  
19 expect in any program that had some of those kind of  
20 characteristics -- a commitment to systematic learning  
21 and iterative review. This is the first time we are  
22 going to put high-level waste into a repository.

23 And in the preclosure, as well as the  
24 post-closure, we expect that there will be things to  
25 be learned. There may be unanticipated things. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 may be -- things might go just exactly as planned, but  
2 that's probably unlikely to depend on.

3           And so we think a commitment to systematic  
4 learning and a continuing focus on how well we  
5 understand the safety, and can we understand it better  
6 and reduce the residual uncertainties, reduce the  
7 residual risks, is something that makes sense.

8           We think flexibility is a virtue, and  
9 reversibility is something that needs to be  
10 encountered. This is both for the technical reasons  
11 and also for the institutional reasons. We need to be  
12 able to demonstrate first and foremost, at all times,  
13 that safety, not schedule, not cost, safety is the  
14 most important objective of the program. And the  
15 program needs to be conducted in a way in which it's  
16 clear that both the implementer and the regulator keep  
17 it at that place, and we think that flexibility and  
18 reversibility are key to that aspect.

19           We think that a cautious startup -- that  
20 is, recommending something along the lines of a pilot  
21 scale -- makes a lot of sense. It's important to --  
22 we're not recommending changes in the licensing  
23 procedure.

24           We are still recommending -- and Bob will  
25 talk about this in a minute -- we are still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommending that DOE go for a license to construct  
2 and then a license to emplace, receive and emplace,  
3 and both of those should be based upon the full 70,000  
4 metric ton projected inventory. But that once those  
5 things are received, we believe that a pilot scale is  
6 the right thing to do.

7 Both of those licenses are received before  
8 any radioactive waste is emplaced in the ground. So  
9 the license to construct and the license to receive  
10 and emplace are both done without any in situ  
11 experience with these very hot, very heavy, very  
12 radioactive cans.

13 And I think that we believe -- and the  
14 next licensing -- license to be granted occurs a  
15 couple generations later, after all of the waste is in  
16 the ground. We think it's prudent to think about  
17 going in stages. And the first stage is not the only  
18 stage. The stages should be developed by the  
19 implementer, in consultation with the regulator.

20 The first stage should be some sort of a  
21 pilot scale. We don't say how big it should be. We  
22 don't say how long it should be. We think there  
23 should be a pilot scale to learn about preclosure and  
24 post-closure.

25 You know, it's interesting, when I was in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the program, when I was wearing the black hat, one of  
2 the interesting things about evaluating repositories  
3 back then was that it was likely that we were going to  
4 do more damage during preclosure than post-closure.  
5 Even though all of the focus is on post-closure, if  
6 you -- post-closure goes as well as we hope, there is  
7 going to be very little impact on public health and  
8 safety. That's not necessarily the case in  
9 preclosure.

10 And, therefore, just looking at pilot to  
11 understand how best to conduct preclosure -- and we  
12 think you will learn things about post-closure as well  
13 -- seemed to us to have lots going for it.

14 We think that by staging the repository in  
15 a number of steps that allows for broad participation  
16 -- and we think broad participation is crucial to  
17 getting not just public understanding but public  
18 acceptance and buy-in in a way that makes sense for  
19 the generational commitments that are going to be  
20 required.

21 And lastly, we think that there should be  
22 some decision points made in adaptive staging. What  
23 that means is that every once in a while one ought to  
24 stop, collect oneself, take a look, and redo the  
25 safety case, whether or not it's at a licensing step,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly at a licensing step, but also at points that  
2 are appropriate within the program itself, and say,  
3 have we learned anything here that causes us to change  
4 our mind about how much we understand and how much we  
5 don't understand about preclosure, what's going on,  
6 and post-closure, what's going on, and should we do  
7 something different?

8 And if what we do is recommend something  
9 that's enough different, then some consideration needs  
10 to be given to whether or not there's another  
11 licensing step. If things are going just as well as  
12 they had been anticipated, then perhaps not.

13 Next slide, please.

14 So our generic findings, based upon that  
15 approach, were, one, that we think adaptive staging,  
16 as I briefly described it -- and I apologize for doing  
17 it so quickly -- is a promising approach. It's an  
18 approach that we think, from a generic point of view  
19 -- that is, not just for the United States but across  
20 the board -- makes sense for serious consideration,  
21 and that iteration of the safety case is essential.

22 And the safety case here is more than, for  
23 example, conducting a total system performance  
24 assessment. It's more than taking a volume of data,  
25 putting it into some models that attempt to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 characterize the way the real world works, putting it  
2 into some high-end computers and spitting out  
3 performance.

4           It has to do with what -- the question of:  
5 what is the story behind why the implementer believes  
6 that the repository is safe? In English, in ways that  
7 can be described. And I think the committee would  
8 feel that if we asked each of you to take a piece of  
9 paper right now and write down in English why you  
10 believe that repository is likely to be safe, my  
11 suspicion is you wouldn't get the same story.

12           And we ought to be moving in a direction  
13 where it's fairly clear, whatever that story is, why  
14 we believe that the repository is indeed safe and  
15 secure. That's not a criticism. It's just a way of  
16 building a common understanding of what the objectives  
17 are beyond simply total system performance assessment.

18           And we believe by iterating the safety  
19 case not only can we reduce -- target ourselves to  
20 gain the kind of information that might help us reduce  
21 risks or reduce uncertainties, but it also may have  
22 opportunity to help the program do things like reduce  
23 costs or improve schedule or reduce exposure during  
24 emplacement.

25           So the iteration of the safety case, both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preclosure and post-closure, has a number of potential  
2 benefits that transcend -- go beyond -- the  
3 requirement to do certain things just for the license.  
4 I hope I characterized that well. We are in no way  
5 saying that what's required in order to be -- is  
6 sufficient.

7           We think it's absolutely the right thing  
8 to do. There is no question that from our point of  
9 view the NRC requirements for the technical  
10 understanding in order to get a license is appropriate  
11 within the NRC context. And if there's some question  
12 about that, we'll discuss it some further. We didn't  
13 intend to -- we do see a broader societal opportunity  
14 there to do things that we think will work even better  
15 in terms of program performance.

16           And so the combination of keeping safety  
17 central and this attitude of we can learn and improve  
18 we think also together demonstrates that the program  
19 is well intentioned. And having good intentions and  
20 communicating that the intentions are appropriate is  
21 probably the bedrock of getting public confidence.

22           People have public confidence when they  
23 think you know what you're doing and that you have  
24 their best interests at heart. And that's the focus  
25 of this particular thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Lastly, can it be -- it can be compatible  
2 with regulatory systems, and I've already described,  
3 to the best that I can in the short time we have, that  
4 our view was that the NRC system is totally  
5 appropriate. We have no recommendations with regard  
6 to changing any kind of licensing procedures.

7           We do think that there should be some  
8 conversations and dialogue and understanding between  
9 the implementer and the regulator to assure the  
10 understanding at what points in time changes in  
11 various program features might require either a  
12 licensing hearing or some other kind of appropriate  
13 approach, and in which cases it doesn't.

14           The last thing on generic is  
15 recommendations, pretty much synergistic with the  
16 findings. That's not unusual in Academy reports, and  
17 the recommendations are keep the emphasis on an  
18 iterative review of safety. Go into it with an  
19 understanding that over the many decades that this  
20 program is going to fulfill itself you are going to  
21 learn more.

22           It's likely that in 2050 you will look  
23 back on the year 2003 and say, "Boy, it's hard to  
24 believe that they were going to do it that way."  
25 There will be improvements, there will be insights,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we ought to just take advantage of that. The  
2 program ought to anticipate that, so that when there  
3 are changes it isn't looked on as if something failed  
4 before but as a natural progress that occurs when one  
5 puts their attentions on the science and technology  
6 and institutional investments that you have to do in  
7 this kind of way.

8           What this leads to is a couple of things  
9 generically, and it really leads to a different  
10 definition of success. Instead of success being the  
11 day you put the cork back in the bottle with all of  
12 the waste inside, the definition of success goes more  
13 to the fact that you have a site that you feel good  
14 about, that you've taken it through the full licensing  
15 process, that you have the technical and societal  
16 conclusion that it's appropriate to go forward, that  
17 you've started emplacement, that you have some waste  
18 in the ground, that you have a place to keep the rest  
19 of the waste in the meantime, that you conduct the  
20 kind of tests that are necessary to begin getting  
21 experience and to begin learning, and that you have  
22 the opportunity to put the rest of the waste in the  
23 ground in a timely way, if, based upon that  
24 information, that appears to you to be the right thing  
25 to do, and at the same time you have the right to stop

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and even reverse if things happen over the course of  
2 those many generations that would cause you to do  
3 something different.

4 With regard to Yucca Mountain -- next  
5 slide, please -- DOE has recognized the potential  
6 advantages of staging. It has a number of elements.  
7 It's now considering a pilot plant that certainly  
8 makes information readily available to all parties who  
9 are interested, which we think are very important. So  
10 it has a number of elements that we think are quite  
11 reasonable with regard to the way a staged program  
12 ought to go forward.

13 It also has an understandable, but  
14 noticeable, fixation on schedule. And we think that  
15 that needs to be balanced by communicating to people  
16 the importance of safety as well as meeting arbitrary  
17 induced schedules. And I used to be part of those.  
18 We used to pick schedules and then hang to them for  
19 dear life.

20 And there are all kinds of good reasons to  
21 do that, I'm not saying there aren't, and we need to  
22 keep doing it. But we need to recognize the balance  
23 there, that the program is more than about meeting  
24 those schedules. And we think that the regulatory  
25 system can indeed adapt itself, and that's why we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here -- we hope that's the case -- to the  
2 implementation of such a program.

3 I know the NRC has itself said that it  
4 believes that there are aspects of incremental  
5 learning, and that when -- for example, when the  
6 license is docketed that the license will have all of  
7 the information that is appropriate to have and  
8 adequate to have at that point in time.

9 I think it anticipates that there will be  
10 more information as more experience is gained. So we  
11 think that's it.

12 So our specific recommendations -- DOE  
13 should adopt adaptive staging. I've already talked  
14 about that. We think there should be a pilot. We  
15 think a test facility is also an appropriate thing to  
16 do -- that is not in conflict with the pilot. A place  
17 where one might run tests on various kinds of other  
18 materials and other kinds of emplacement schemes on a  
19 variety of other materials, to see whether or not  
20 there are improvements that can be made or insights  
21 that can be gained to reduce risks or reduce  
22 uncertainties.

23 We recommended the creation of an  
24 independent scientific oversight group, much like the  
25 EEG group in New Mexico oversees things more to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reflect the concerns of the state and the local  
2 community, and, therefore, not in conflict with the  
3 NWTRB, for example, but in parallel.

4 Often the concerns of the local  
5 population, which are as legitimate or more legitimate  
6 than anybody else's, might be quite different than  
7 those seen from the science center in Washington, D.C.  
8 And so we recommend a science oversight group and a  
9 stakeholder advisory board to bring some of that  
10 stakeholder concern into the creation of how the  
11 program is run and even into the design itself.

12 And as I've said earlier, we think the  
13 safety case should be based on the full inventory,  
14 even though we're recommending they start with a pilot  
15 plant.

16 Next?

17 We think DOE and NRC should engage in some  
18 dialogue to make sure that the regulatory processes  
19 that are carried forward anticipate this kind of  
20 staged approach, and allow for the application of  
21 adaptive staging, and that means clarifying the kinds  
22 of tests and design changes and things that would  
23 require another license, for example, where those  
24 things that could be carried forward without another  
25 licensing hearing, so that there is clarity as to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 implications there, and, of course, to consider the  
2 impact of adaptive staging on the overall system.

3 If you go with a staged approach, if you  
4 go with an approach where you don't necessarily know  
5 at what date you will completely fill the repository,  
6 it has impacts on buffer storage, for example. It has  
7 impacts on transportation, for example. It might have  
8 impacts on security, for example, and we think those  
9 things need to be carried through.

10 Next slide, please.

11 So some open issues. Some people think  
12 that adaptive staging will cause delays. That may be  
13 the case. The sentiment of the committee was that it  
14 was unlikely to do so, that we think that an adaptive  
15 approach is likely to minimize the chance for costly  
16 mistakes early in the process, which would then have  
17 to be undone, which would take more time and even more  
18 money.

19 And so while the cost impacts of such an  
20 approach might rise in some people's minds, again, it  
21 is the consideration of the committee that, in fact,  
22 when all is said and done, particularly taking into  
23 account the long timeframe of carrying out this  
24 program -- and we are talking about many decades at  
25 least. If one does things right and sensibly early in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the process, it's likely to lead to getting waste in  
2 the ground ultimately sooner and for less money than  
3 the current approach.

4 Now, we can't prove that. We don't  
5 maintain that we can prove that. But it is the  
6 collective judgment of the group that conducting it in  
7 this way, that by the time you look back 70,000 metric  
8 tons later, that it's likely that you will have gotten  
9 waste in the ground quite quickly and maybe even more  
10 quickly.

11 As I mentioned earlier, the specifics of  
12 the pilot scale, we're not trying to say how big it  
13 should be or how long it should run. We see it as  
14 something big enough to be representative of a full-  
15 scale operation, but long -- and long enough to gain  
16 some experience, but probably a few years is the kind  
17 of thing we're thinking about, and maybe a few hundred  
18 metric tons. These are not specified, but that's the  
19 kind of order.

20 I already talked about the buffer storage  
21 and whether it would require some kind of buffer  
22 storage at or near the site, which could decouple  
23 waste acceptance from the utilities from waste  
24 emplacement -- something that's been talked about for  
25 a long, long time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We already talked about the proposal for  
2 the oversight groups. That's very difficult, since  
3 the State of Nevada has traditionally resisted,  
4 creating such groups. We are saying you ought to go  
5 ahead anyway, DOE, and create such groups and do  
6 everything you can to bring the state and the counties  
7 and the local people involved, but we think that some  
8 kind of group representing the local community is  
9 something that's long overdue.

10           We recommend a long-term science and  
11 technology program -- a program that is decoupled from  
12 the moment-to-moment, crisis-to-crisis, milestone-to-  
13 milestone aspect that this program has had since it  
14 started in 1982. I joined the program -- I was, you  
15 know, on that side in 1984 through the early '90s.  
16 And there was no time that -- six weeks was not the  
17 crisis point in that program, for the last 18 years.

18           Six weeks is always the crisis of whether  
19 a program is going to continue or not. And,  
20 therefore, it's very difficult to take the long view  
21 as to how to anticipate making this program better if  
22 you're worried about the next milestone and you're  
23 worried about the next congressional hearing and  
24 you're worried about the next budget cycle.

25           And so we think some -- and Margaret Chu

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has done this, and we support it -- this idea of  
2 taking some investment and focusing it on some key  
3 issues that, if resolved, will improve the program.  
4 It shouldn't be just long-term science and technology  
5 for its own sake.

6 It ought to have a definitive set of  
7 objectives. But if it can make us understand things  
8 better, improve performance, reduce risk, reduce cost,  
9 those kinds of things, we think the long-term science  
10 and technology program should be carried forward.

11 We're here talking to you because of this  
12 issue about the NRC licensing and this issue of what  
13 is a safety case and how does that relate to the NRC?

14 And with that, I will stop and turn it  
15 over to Bob Bernero, who will kind of carry forward a  
16 couple of questions that have been raised previously  
17 in reflection of the report as to how we should yield.

18 Thank you.

19 MR. BERNERO: There was a meeting of the  
20 Commission with staff on March 3, 2003, and in that  
21 meeting concerns were raised or issues raised about  
22 this report and what it suggested about the licensing  
23 process.

24 We looked at the transcript of that  
25 meeting and developed two basic questions that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discerned from the context and from the discussion.  
2 The first question: does adaptive staging imply  
3 adding an extra licensing step? This is a very  
4 important question, because the whole tone of adaptive  
5 staging is iteration.

6 And the answer to that question is: it  
7 depends. If new information warrants, it may, indeed,  
8 add an extra step.

9 The second question concerned the safety  
10 case. It appears the fact that the committee  
11 repeatedly used the term "safety case," which is not  
12 used by NRC, it perhaps implied to some that the  
13 committee was proposing a new regulatory requirement  
14 in the safety case. The simple answer to that is, no,  
15 the committee is not proposing a new regulatory  
16 requirement.

17 May I have the next slide? I'd like to  
18 point to two attributes that are quotations from the  
19 report -- the definition of flexibility, and note that  
20 I've added emphasis, that flexibility is the  
21 opportunity to reevaluate earlier decisions and turn  
22 around to change, if new information warrants it.

23 Similarly, reversibility says the same  
24 thing, that you can change your course of action,  
25 reverse, go another pathway, if new information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 warrants. And looking at that, we sought in the NRC  
2 licensing process, is there the flexibility built in  
3 to accommodate adaptive staging? And certainly, the  
4 NRC licensing process is filled with opportunities and  
5 clarifications of the regulation that enable iterative  
6 decision-making.

7           If you go to Part 63.44, you have the  
8 detailed conditions under which changes, tests, and  
9 experiments can be conducted without NRC advance  
10 approval. If you go to 63.32, on amendments, and the  
11 subsequent parts, you see the distinction of different  
12 changes and those which would be so serious as to  
13 warrant opportunity for prior hearing, those which  
14 would not warrant opportunity for prior hearing, and  
15 some which would be conducted on the authority of the  
16 implementer, with due notice to NRC and the NRC  
17 opportunity to say, "No, don't go forward with that  
18 until we have a chance to review and approve it."

19           So a lot of flexibility is there in the  
20 regulatory system, but this committee could not  
21 compose the license application. We're not in a  
22 position to do that.

23           What we are in a position to do, and did,  
24 is to recommend that DOE look carefully at that, and  
25 explore with NRC openly a licensing strategy, those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decisions and processes taking advantage of the  
2 flexibility that already exists in that.

3 The committee focused its recommendation  
4 on a pilot stage.

5 May I have the next slide, please?

6 And we tried to illustrate in an example  
7 in -- on page 113 of the report is where the example  
8 starts. It was a -- sort of a vision of how this  
9 might proceed in order to explain what we've  
10 envisioned for the steps of pilot operations, what  
11 would be learned from them, and the possible use of  
12 new knowledge as it appeared.

13 The first step would be, as the  
14 regulations require, a complete application for a  
15 construction authorization accompanied by the  
16 environmental impact statement, and supported by full  
17 repository safety analysis.

18 Now, that full repository safety analysis  
19 is required by the regulations, and by that it means  
20 as if you built that repository to that design, and  
21 filled it with waste to that design, and have  
22 justified the safety sufficiently for the NRC to  
23 authorize its construction. So it's --

24 CHAIRMAN HORNBERGER: Just a  
25 clarification. I thought I heard Tom Isaacs say --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 make a distinction that the safety case was some kind  
2 of a plain English narrative to convey safety. And it  
3 seems to me now that you're changing and using this  
4 more in the traditional sense of a safety case with a  
5 full-blown performance assessment and analysis.

6 MR. BERNERO: No. No. What Tom was  
7 saying is the part of the safety case that is not  
8 contained in the NRC safety analysis requirements is  
9 that transparent, suitable for a broad audience, that  
10 part of explanation of safety. The NRC regulations  
11 require extensive information, fully consistent with  
12 the term "collection of arguments" to support safety,  
13 but the way it's laid out in the regulations it's  
14 tuned to the expertise level of the NRC, of the  
15 licensing process.

16 MEMBER GARRICK: So you don't think the  
17 SER achieves that.

18 MR. BERNERO: I doubt it. I would add  
19 this was not part of the committee work, but at your  
20 last meeting I heard Tim McCartin giving a talk on an  
21 attempt to get some transparent idea of what does the  
22 -- how does the repository work? How does it -- it's  
23 not a licensing basis. It's an exploration, and  
24 that's the only part.

25 So the safety case, in the fullest sense,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 includes the transparent part for the broad audience.  
2 This is the responsibility of DOE, not NRC.

3 MEMBER GARRICK: But there's nothing that  
4 would prevent them from writing the safety evaluation  
5 report --

6 MR. BERNERO: Right.

7 MEMBER GARRICK: -- such that it  
8 accommodates what you're --

9 MR. BERNERO: Oh, yes. Yes. And, in  
10 fact, as I recall, somewhere in the report we  
11 encourage that -- that that would be very helpful.  
12 And considering that the NRC staff is initiating  
13 transparency efforts, it would be useful.

14 The next step --

15 MEMBER LEVENSON: Bob, would you perceive  
16 that the safety case would include any information not  
17 in the license application?

18 MR. BERNERO: No, I -- no. I'm well aware  
19 of what's required in the license application. It  
20 goes on and on and on, and it includes many things  
21 that are beyond the TSPA. You know, the quality  
22 assurance program, the performance confirmation  
23 program, so many things that are pervasive  
24 requirements.

25 And so the only thing that we don't see,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or we did not see evident, in the safety analysis and  
2 environmental impact statement combination that is  
3 needed for the application is this transparent part,  
4 this understandable part.

5 MR. ISAACS: I might just add that we  
6 heard from representatives from a number of countries,  
7 and I'm sure you have as well. And there are  
8 examples, I believe, of other places where more  
9 attention has been paid to trying to connect up to the  
10 local population. I think there are lessons to be  
11 learned in how to do that, in both writing and in the  
12 way in which one involves themselves with the affected  
13 communities.

14 MEMBER LEVENSON: I guess I'm just trying  
15 to clarify whether you perceive that this is  
16 additional information or is it just a matter of  
17 additional -- of a different presentation that is  
18 simpler and clearer.

19 MR. ISAACS: More the latter, I would say.

20 MR. BERNERO: Yes. Yes. Again, something  
21 that can be understood by a less expert audience would  
22 be extremely helpful.

23 Now, this application we urge -- in  
24 recommending a pilot facility, we urge emphasis on the  
25 learning cycles, especially with the first part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 repository, whatever would be selected for pilot  
2 operations.

3 May I have step two?

4 The review and adjudication of this entire  
5 application, we fully expect there will be a host of  
6 contentions that will be screened and finally selected  
7 for the litigation. And this review -- this is the  
8 one the statute speaks of that's three years, and, if  
9 need be, an extension of an additional year. And this  
10 would be the main licensing process for the  
11 construction authorization.

12 Step three is the construction  
13 authorization is received, presumably, and the  
14 construction of initial surface and underground  
15 facilities per the design approved in that  
16 adjudication.

17 Now, the design in the application may be  
18 modified -- may be modified significantly through the  
19 adjudicatory process. Well, through the review  
20 process for that matter. But once authorized, we  
21 expect the construction of the initial surface  
22 facilities, not full scope but buffer storage receipt  
23 and storage of spent fuel, high-level waste forms,  
24 construction of the handling and packaging facilities,  
25 construction of packages per that design, and, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, construction of the surface and underground  
2 facilities for the emplacement of waste.

3 Then, if we go to the next slide, please,  
4 the application for license amendment would come as  
5 the next step. Now, this is something clearly  
6 envisioned in the licensing process. It is an  
7 amendment, actually, an application for an amendment  
8 to replace waste and update of the application.

9 It would include all of the new  
10 information, and there will be a lot of information.  
11 Presuming the pilot stage has some substantial size to  
12 it, there would be the experience of construction,  
13 checkout, and test, and, for instance, the surface  
14 facilities for handling spent fuel and other forms of  
15 high-level waste.

16 These are state-of-the-art things that  
17 don't pose a lot of unknowns, but the packages will be  
18 fabricated. There will be some of these C-22 or  
19 whatever alloy packages, and there will be welding  
20 equipment, automatic welding equipment, that has to be  
21 made and qualified.

22 There will be -- assuming present design  
23 parameters prevail, there will be stress relief  
24 mechanisms, laser peening or some other mechanism for  
25 stress relief. Those will be checked out, tried,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 qualified.

2 And then, of course, the emplacement of  
3 the high-level waste -- at this stage all you can do  
4 is build the equipment, but you can certainly use  
5 mock-ups of some sort to go through the motions of  
6 moving this equipment into its semi-remote and remote-  
7 handled modes, to get it down into the drifts located,  
8 set on the inverts, testing the mechanical aspects of  
9 installing drip shields over it in sequence and  
10 backing out -- this is to me -- I use an analogy  
11 sometimes, it's a hot cell with the back doors open.

12 And this is a major radiological,  
13 mechanical challenge, this sort of thing. And this  
14 can -- this -- you will have experience in  
15 construction and checkout of that equipment for  
16 emplacement.

17 As drifts are excavated, there will be in  
18 situ monitoring and testing. The performance  
19 confirmation program will be active at this stage. So  
20 a lot of information should be available there, and  
21 there should be data and analysis from external  
22 activities.

23 And I would remind you that external  
24 activities will include not only things that are  
25 explicitly part of the performance confirmation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 program but other publicly accessible information,  
2 dialogue with the Nuclear Waste Technical Review  
3 Board.

4 As I understand it, the Nuclear Waste  
5 Technical Review Board will be active until one year  
6 after waste is emplaced, and they will be conducting  
7 their activities, reviews, questions, so there's a lot  
8 of external source for that.

9 May I have the next slide, please?

10 So we foresee that step five, that the NRC  
11 -- we know the NRC will offer an opportunity for prior  
12 hearing, and we expect that people will seek a prior  
13 hearing, and they will be able to look at all of that  
14 information that is now available and draw from it  
15 some contentions that are arguably acceptable for that  
16 hearing. And we just presume that the NRC will grant  
17 that prior hearing.

18 I might add one of the Commissioners  
19 remarked in the March 3rd meeting that he expected a  
20 prior hearing for that. So that hearing and  
21 adjudication we expect would occur. It probably  
22 wouldn't be as lengthy as the first hearing, because  
23 it has a narrower scope than the first hearing, but it  
24 would occur.

25 And step six, it would be reviewed and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adjudicated in order to grant the license to receive  
2 and emplace waste. So up until this time, step six,  
3 this is tracking just what's in the licensing  
4 documents, Part 63 and related documents.

5 Now, step seven, there would be now  
6 authorized the receipt of waste into buffer storage,  
7 and the authorization to package and emplace waste in  
8 the pilot scale, the first part, with the focus on  
9 gaining operational test experience.

10 As was said before, the committee couldn't  
11 write the application or compose a credible  
12 application, but we are urging this pilot operation to  
13 look for things that can be learned. So step seven is  
14 this receipt of waste and buffer storage and progress  
15 with the packaging and emplacement at a more  
16 measurable or slower pace.

17 And in the report there is discussion of  
18 the uncoupling of the rate of receipt and the rate of  
19 emplacement. This is a repository. This is not an  
20 MRS. So it will have -- under the statute it will  
21 have the authority to build up buffer storage to  
22 receive waste at a higher rate than it is emplaced,  
23 but it should not just stop emplacing or stop  
24 emplacement testing in order to receive waste.

25 May I have the next slide, please?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, here is a reevaluation. Step eight,  
2 reevaluate the licensed repository design, which is  
3 now in use in hot operational tests, and there is a  
4 lot of information to be gained from there.

5           The hot operational test experience,  
6 actual package fabrication, welding, emplacement -- I  
7 remind, again, the radiological testing -- you know,  
8 I remember when reactor steam generators were first  
9 being replaced, and the boiling water reactor --  
10 reactor coolant recirculating piping, when they were  
11 first replaced the radiation doses were really  
12 significant.

13           And ALARA programs were very effective in  
14 cutting that down and optimizing those operations to  
15 control occupational exposure. And I think there's a  
16 role for that here, very important role.

17           There will be more in situ monitoring and  
18 testing, and that recommended science and technology  
19 program, by this time -- mind you, this is maybe even  
20 10 years hence from today. That program will have a  
21 role as one of the sources, external sources, of  
22 activity. And the final steps of the TRB may be  
23 significant in the role, although a year after the  
24 waste begins to emplace is the authorized life of the  
25 TRB.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So step nine, this is the additional  
2           licensing step if the information warrants. If DOE at  
3           this stage has overwhelming confirmation of the  
4           reference or baseline design that has gotten through  
5           to this stage, well, certainly they would conclude  
6           it's not worth changing it, and they could continue  
7           scheduling.

8           They might prudently look to another  
9           milestone for reevaluation, but they could conclude to  
10          proceed. We don't think that would happen. We think  
11          there is enough to be learned that a reevaluation is  
12          warranted, and that reevaluation would indicate  
13          appropriate changes.

14          They might be improvements for better  
15          handling, better cost. They might be improvements to  
16          reduce uncertainty. And certainly, anywhere along the  
17          line if new information revealed something adverse to  
18          the safety argument, that would have to be brought  
19          into the process immediately, because it would upset  
20          the previous conclusions and authorizations.

21          So, next slide, please.

22          There is an additional step, if the  
23          information warrants. And as to iteration of the  
24          safety case and what we were discussing just a little  
25          while earlier, the committee has used the collection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of arguments description for the safety case.

2 The NRC does not explicitly use that term  
3 in the regulations, although in the last version of  
4 the Yucca Mountain Review Plan the term was used. But  
5 the NRC content, the technical content of the  
6 application requirements to be complete, in the  
7 committee's view satisfies the full spectrum of the  
8 collection of arguments for a safety case, except for  
9 that simple-to-understand transparent one. And that's  
10 not explicitly required, but it would be very helpful  
11 in the license application.

12 So we use the plural because the NRC  
13 license application carefully distinguishes between  
14 preclosure safety to justify a finding with reasonable  
15 assurance and post-closure safety to justify a finding  
16 with reasonable expectation. And we just recognize  
17 that there's a duality of form, so we use the term  
18 "safety cases" for preclosure and post-closure.

19 So that is the end of our presentation,  
20 and we'd be happy to answer questions.

21 CHAIRMAN HORNBERGER: Thank you, Tom and  
22 Bob. Mike?

23 MEMBER RYAN: Thank you both very much.  
24 It was an interesting presentation. I guess I'll  
25 direct my question to either of you or both. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, having been a licensee in a couple of different  
2 lifetimes, the process you described in particular,  
3 Bob, is one that's common to all licenses.

4 You know, you get an initial license after  
5 some submittal and evaluation, and then, based on the  
6 licensed activity, there's a process for updating  
7 information about the activity and then modifying the  
8 license in some way, usually called an amendment. You  
9 know, some licenses I've worked with have 107  
10 amendments over the course of 20 years. So it's  
11 temporally the same.

12 In other words, it happens periodically  
13 over time based on changes in conditions, and then it  
14 happens, you know, based on specific information or  
15 changes in operations, those kinds of things. I'm  
16 sure that's true in reactors and other NMSS licensees,  
17 and so forth.

18 What's different about this? I really  
19 don't see where this isn't the same animal with a  
20 slightly different set of definitions. I'm trying to  
21 understand, is there something new and different here  
22 that hasn't been done? And I will accept that one  
23 exception of the simplified descriptive material  
24 that's for a broader audience. What's new here? Is  
25 there anything new?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BERNERO: No. No. No, there isn't  
2 really. That's why the committee concluded that the  
3 NRC licensing structure was compatible with this. As  
4 I mentioned earlier, if you go in and study the  
5 theology of licensing and 63.32, 63.33, and on, and  
6 63.44, they duplicate many of the opportunities that  
7 are available for any license. That is, you are  
8 authorized by license to do something under a host of  
9 conditions and with an approved design, and --

10 MEMBER RYAN: So adaptive staging, then,  
11 is just kind of a different buzz word?

12 MR. BERNERO: Adaptive staging is just  
13 trying to build in the learning process, because you  
14 have to recall this committee started its work in  
15 early 2001. And the baseline design and schedule for  
16 DOE at that time was what we characterized as linear  
17 staging. And Tom -- Tom is very familiar with that.

18 He says, "Here's the whole thing, and  
19 we're going to start applying for this license and  
20 apply to emplace waste as soon as we can. And we're  
21 going to get the shipment waste up to 3,000 tons a  
22 year, and put it in the ground." You know, it's a  
23 linear process, just --

24 MR. ISAACS: I would just add to your  
25 point that from a licensing perspective I think you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 absolutely right. And as I mentioned early, most of  
2 the focus -- and, in fact, the customer for this was  
3 the implementer, and it's a difference in the  
4 recommendations to the implementer and how they  
5 approach overall implementing -- designing, creating,  
6 and implementing this program, of which licensing is  
7 an important but not sole part of the steps that are  
8 necessary in order for it to be successful ultimately.  
9 And I think that's the distinction.

10 MEMBER RYAN: And I appreciate the  
11 communication and public involvement aspects of your  
12 recommendations as -- as different from the licensing  
13 aspects, clearly, but -- and I think you just made an  
14 important point that the advice isn't about licensing;  
15 it's about how to apply for a license. Is that really  
16 what the difference is?

17 MR. ISAACS: You know, I often say it's  
18 less what you say and it's more how you behave, if you  
19 want to go to these things. And what we're trying to  
20 do is engender some recommendations about how DOE and  
21 the program should behave in terms of carrying this  
22 program forward, in terms of putting focus on  
23 learning, putting focus on safety, being less  
24 schedule-driven, being less concerned that they might  
25 learn something along the way that would cause them to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 want to adapt, and that that might take some  
2 additional time.

3 It's that approach of how they behave, how  
4 they interact with other parties that have a stake in  
5 this, that we think is important. We were glad to see  
6 that we didn't see a need for any major change in the  
7 licensing process in order for DOE to do that.

8 MEMBER RYAN: Thank you.

9 CHAIRMAN HORNBERGER: John?

10 MEMBER GARRICK: I have a lot of  
11 questions, and I'm not going to get to them, but I'll  
12 hit you with a few. I'm a great believer in evidence-  
13 based decision-making, and right now I'm wrestling  
14 with, what is the evidence that your report doesn't  
15 become the manual for how to accommodate indecision in  
16 project management? And that worries me a good deal.

17 You use the word "safety case," and if you  
18 take the proposed applicant's safety case as it now  
19 stands -- and certainly we have not reached any kind  
20 of decision on it, and I'm talking only about ACNW,  
21 not about the NRC -- you would have to say that  
22 there's not much of a safety issue here. So why  
23 monkey around with it, especially if you put it in the  
24 context of the global issues of risk that we, as a  
25 society, have to worry about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We're not going to -- if you can accept  
2           the performance assessment and the other elements of  
3           the safety case, this is not a big deal. So I worry  
4           a little bit about the implications of this on a  
5           project that has the potential of getting through the  
6           review process and not being much of a burden on  
7           society from a safety case, and especially in  
8           comparison with other things that we face.

9           And I wonder about the timing. You say  
10          that this was motivated for the much broader question  
11          of high-level waste repository design than the Yucca  
12          Mountain, but you're fooling yourself. This is all  
13          going to be about Yucca Mountain, and it -- whatever  
14          impact it's going to have is going to be on Yucca  
15          Mountain. It's a singularity issue.

16          So I just wonder at this point in time,  
17          when they're about to submit a license application, if  
18          the suggestion of a whole new approach -- and we're  
19          trying to rationalize here as we discuss this that  
20          this is nothing new, that the current licensing system  
21          can accommodate it, but I'd have to be convinced of  
22          that.

23          I think that the one thing I've learned in  
24          managing engineering projects and advising on large  
25          engineering operations is the one aspect that we don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do enough analysis of is the downside of any change  
2 that we make. And I just am curious if you've really  
3 thought about the implications and the downside that  
4 this might have in terms of this project.

5           You know, there's enough complications as  
6 it is. And I don't see anything different here,  
7 frankly, that's not accommodated by the current  
8 mechanisms that are in place. On the other hand, I  
9 worry about how it's going to be used and whether it  
10 could be used as an instrument of delay, an instrument  
11 of confusion, that could further complicate.

12           What you're doing -- a colleague and I  
13 wrote a paper a couple of years ago on the decision-  
14 making process associated with Yucca Mountain. And we  
15 had in this decision analysis diagram a new  
16 information loop. And what you're talking about here  
17 is the ability to accommodate that information loop,  
18 that recycling loop, and, in principle, that's a very  
19 nice idea.

20           But I do have some real concerns about the  
21 timing of it, about how it's going to be -- you know,  
22 it may be intended for one group, but it's probably  
23 going to be used by another group. And I just wonder  
24 if you've had the kind of discussion that is necessary  
25 to understand the full implications of something like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this, because you're an important body. There's a lot  
2 of people looking for mechanisms to further frustrate  
3 this complicated project. And this certainly looks to  
4 me like it has the potential to do a great deal of  
5 that.

6 MR. ISAACS: Yes. I mean, I don't  
7 disagree with a lot of your concerns, first of all,  
8 and the committee had lots of discussion, and, in  
9 fact, was required to and did include a fairly  
10 extensive section on potential downsides of this  
11 approach, nor are we saying that this is somehow so  
12 intuitively obvious that only a fool would recognize  
13 that this is the way to go. I mean, we recognize that  
14 there is some risk inherent.

15 On the other hand, we see a somewhat  
16 different balance I think than some of the things that  
17 you put forward here. From a purely technical point  
18 of view, there are a lot of folks who would argue that  
19 this thing is of such low risk that why worry about it  
20 at all? Nonetheless, it's going to be licensed, and  
21 it's going to have huge controversy associated with  
22 it. And it's not about only determining what the risk  
23 is.

24 It's a societal decision, and that  
25 societal decision in other countries has wreaked havoc

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a number of cases because they haven't carried out  
2 the program in a way that brought along the other  
3 institutional factors successfully. So we have to at  
4 least look at not just what we think the risk is.

5 It wasn't that long ago, you know, that we  
6 thought the groundwater travel time to Yucca Mountain  
7 was many tens of thousands of years. We now know it's  
8 different, and so we are suggesting that it is  
9 possible -- we're not saying it's likely -- it is  
10 possible that we might learn something early on in  
11 this process, either for preclosure or post-closure,  
12 that might cause us to say, "You know something? We  
13 really ought to think about this carefully."

14 If everything is going exactly the way we  
15 anticipate, we don't see any large delay in this  
16 program. I think we see something that doesn't get  
17 anticipated.

18 MEMBER GARRICK: Well, I --

19 MR. ISAACS: And let me just make one last  
20 point, because you said this is Yucca Mountain alone.  
21 I don't think it is. We tend to be very parochial  
22 here, but there are a lot of folks in other countries  
23 who are looking very carefully and who were involved  
24 in this Academy report.

25 We had representatives from other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 countries -- from Europe and Japan -- on the panel.  
2 They are also very interested, because some of them  
3 are doing quite well, as you know, and others are  
4 doing rather unwell in terms of carrying forward  
5 programs. So we really were trying to help not just  
6 the Yucca Mountain program, although largely the Yucca  
7 Mountain program, but to build a generic case for the  
8 kind of principles that would help across the globe.

9 MEMBER GARRICK: Yes. The one thing that  
10 I wanted to comment on was the public outreach  
11 business, because I think that is very important. And  
12 if there was anything the Academy could do to enhance  
13 that exercise, I think everybody would appreciate it.

14 But I have to say that in the five or six  
15 years that we've been having public fora meetings on  
16 Yucca Mountain, and trying different venues and trying  
17 different methods of creating interest in the public,  
18 in my opinion it's been very unsuccessful. And I  
19 don't know what this would add to it.

20 It's been unsuccessful in the sense that  
21 the same people show up every time. They're  
22 professional public representatives, and one doesn't  
23 get the feeling that we're reaching out to -- we're  
24 getting the public at all.

25 And if you -- we're getting institutions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we're getting representation, but it's the same  
2 people all the time and the amount of interest is  
3 extremely small, limited, and I'm just curious about  
4 how this is going to change that.

5 But if it is something that could change  
6 that, that would be a major contribution. But, again,  
7 I think we get all hung up in the policy and  
8 institutional things, and I sit back and I ask, "Well,  
9 what are they contributing to make this a safer  
10 facility?" And I have to say that I don't see it.

11 MR. ISAACS: If I had more time -- let me  
12 -- if I had more time, I'd be happy to go into it in  
13 detail. Part of the problem I believe on the public  
14 -- acceptance of public information is you're spending  
15 all of your time on that small group of people, trying  
16 to convince them through argument to change their  
17 mind. And I don't think that's necessarily the focus  
18 of what it means to --

19 MEMBER GARRICK: We don't try to convince  
20 them to change their mind. That's an absolute  
21 incorrect statement. We let them express their views  
22 very much as they want, and we're not challenging  
23 those views. We --

24 MR. ISAACS: Yes. But you seem to be  
25 focused on that small group of people. And what I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 suggest is that providing public information -- and  
2 even public participation -- is not at the heart of  
3 bringing around public acceptability. There are other  
4 things that folks can do, and one needs to look to  
5 other countries, for example, that can be done.

6 Just to give you a shorthand -- people  
7 have confidence when somebody that they are looking to  
8 they believe is competent and has their best interests  
9 at heart. When you get on the airplane it isn't  
10 because somebody has told you how the airplane works.  
11 It's because you have confidence in the pilot, that  
12 he's competent, and the people who put the plane  
13 together --

14 MEMBER GARRICK: Tom, I don't need those  
15 kind of speeches. I know that.

16 MR. ISAACS: Okay.

17 MR. BERNERO: John, I would like to  
18 address your earlier remarks with a couple of  
19 comments. One is this committee was told what is  
20 fairly obvious to many people -- we were told by the  
21 DOE leadership at our August meeting last year that  
22 the cost of this program is exorbitant.

23 You know, that adding things like titanium  
24 drip shields to reduce uncertainty has a price tag,  
25 and one of the avowed objectives is to have a more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reasonable approach. That's why a science and  
2 technology program is recommended and followed.

3 But if you look at the adaptive staging  
4 recommendation, where you suspected there might be a  
5 pitfall in the timing, in that example I cited that we  
6 have in the report the first step is essentially what  
7 has to be done anyway to get the license.

8 There is a nuance of focus on the early  
9 learning from the pilot stage, but you're going to  
10 check package fabrication and weld annealing or stress  
11 relief anyway.

12 And the second step, the authorization to  
13 emplace waste, is also exactly or essentially what's  
14 in the regulations. It has to be done anyway. And  
15 that's why, as Tom said in his earlier presentation,  
16 in the long run this committee believes that this is  
17 the most effective way to proceed from a timing point  
18 of view and cost point of view, to get waste into the  
19 ground in a sound manner.

20 CHAIRMAN HORNBERGER: Milt?

21 MEMBER LEVENSON: I guess I've got a  
22 couple of questions. One is the difference in  
23 perception from what you've said, in a sense. You've  
24 said it's very much like what we are doing now, that  
25 the original license application would have to include

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all of the information over the total lifetime of the  
2 repository.

3 But somehow when you read the tone of the  
4 staging there's an implication of something quite  
5 different. I think this is part of the problem of  
6 what we're talking about. For instance, on your slide  
7 you have the existing system is -- amendments can be  
8 done any time information becomes available, either  
9 positive or negative.

10 There's an implication in one of your  
11 slides -- it says stages separated by decision points.  
12 Now, in response to John's comment, in many  
13 engineering projects a decision point is a hold point.  
14 So I guess my question is: what do you mean by  
15 "stages separated by decision points"? Are these  
16 points identified in advance where things do have to  
17 stop and be reevaluated, which would be a significant  
18 change from what we do now.

19 MR. ISAACS: We state in the report --  
20 first of all, keep in mind that a lot of those  
21 decision points are not regulatory decision points.  
22 They are internal programmatic decision points. Some  
23 of them are contiguous with the regulatory.

24 The second one was we point out in the  
25 report that a decision point does not necessarily mean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a stop in the program. It can, if the implementer  
2 decides it's in their best interest. But if things  
3 are going well, and things are going as anticipated,  
4 then it is entirely possible and it is reflected in  
5 the report that a decision point could go forward and  
6 be considered while the program continues forward in  
7 its implementation. So it does not require a stoppage  
8 in the point.

9 It simply says let's take stock at certain  
10 points in this program. It's not, let's get a license  
11 and then spend 30 years putting 70,000 metric tons in  
12 the ground and we'll see you 30 years later. It's  
13 let's take stock on a routine basis, see how things  
14 are going, see whether they're going well, are there  
15 things we can improve, and continue in the meantime.

16 MEMBER LEVENSON: So if you're advocating  
17 fixed decision points, that is quite different than  
18 the existing system.

19 MR. ISAACS: I don't know what you mean by  
20 "fixed decision points."

21 MEMBER LEVENSON: Originally, in the  
22 submission, would you say that this is stage one and  
23 there's a decision point there, and this is stage two  
24 and there's a decision point there, this is stage  
25 three --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ISAACS: They may have no regulatory  
2 impact, these decision points. They may be internal  
3 to the implementer.

4 MEMBER LEVENSON: I'm not talking about  
5 the word "may." I'm talking about in the original  
6 application, as you envision this, would there be  
7 specific decision points specified as stages?

8 MR. BERNERO: Yes. There would be an  
9 overall strategy of what would be addressed, and, if  
10 possible, a delineation of even the things that would  
11 be done without NRC review and approval.

12 MEMBER LEVENSON: Yes, but --

13 MR. BERNERO: The 63.44, to get as much  
14 flesh on those bones in the application.

15 MEMBER LEVENSON: Well, I guess my problem  
16 is we see so much paper that if you're telling me  
17 something has no regulatory impact, why is it in the  
18 application? We don't need extra paper.

19 MR. ISAACS: Again, it's -- many of these  
20 decision points will be for the implementer to carry  
21 out their program.

22 MEMBER LEVENSON: Then they don't  
23 necessarily need to be in the license if they don't  
24 have regulatory implications.

25 MR. ISAACS: It may not be -- in some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cases, they may not be in the license.

2 MEMBER LEVENSON: That's what I'm trying  
3 to sort out is -- is what your guidance is to the  
4 people doing something isn't directly relevant to this  
5 committee. We're focused on the regulatory --

6 MR. ISAACS: I believe the answer -- in  
7 some cases a decision point might be to go forward  
8 after receiving a construction authorization and  
9 constructing might be to go back and ask for a license  
10 to receive and emplace. That would be a decision  
11 point. It would clearly have impact on the licensing  
12 process and on the NRC.

13 Assuming they get that, they would go  
14 forward with a pilot. If the pilot showed that  
15 everything was going just the way people anticipated  
16 and we didn't anticipate changing anything, that would  
17 be a decision point, to come to that conclusion. It  
18 would not necessarily have any impact on the licensing  
19 process. The program would continue forward.

20 It would simply be a marker to the  
21 implementer that this is an appropriate thing to think  
22 about after doing initial emplacement. If something  
23 untoward were to happen, yes, they would go forward to  
24 the NRC.

25 MEMBER RYAN: I guess I'm struggling with,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 why is that different than the way a licensee in any  
2 licensed facility behaves now?

3 MR. ISAACS: I don't --

4 MEMBER RYAN: I mean, you're putting a lot  
5 of emphasis on decision points and, you know, these  
6 kind of buzzy words about adaptive staging and  
7 decision points. But that's no different than what's  
8 done now.

9 MR. ISAACS: Well, I would maintain that  
10 if you look at the way the program up until very  
11 recently had been organized, it was to receive a  
12 license to emplace, and then proceed to ramp up rather  
13 quickly to emplace 3,000 metric tons a year for 23  
14 years. That was the only anticipation.

15 There was no anticipation of any take-  
16 stock in between. There was no anticipation of any  
17 regulatory position in between a license, at which  
18 point in time there had been no waste in the ground  
19 and a license at closure some 30 years later when  
20 70,000 metric tons are in the ground. We are simply  
21 trying to say there probably is a set of -- there are  
22 a set of steps that might be prudent to think about,  
23 and the implementer ought to think about them in that  
24 interim stage. That's one example.

25 MEMBER RYAN: But that's not different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than anybody submitting an application for any  
2 facility and then having it developed through the  
3 license review process into a license with a set of  
4 operating conditions.

5 MR. ISAACS: I think we're in violent  
6 agreement. I don't think we're arguing here.

7 (Laughter.)

8 MEMBER RYAN: Okay.

9 CHAIRMAN HORNBERGER: Milt? We are going  
10 to have to break in just a minute, and so I'll try to  
11 be brief. Both of you recall, I think -- Bob, you  
12 were wearing a white hat and Tom was wearing a black  
13 hat at a meeting in Santa Barbara in 1989 that  
14 resulted in our rethinking a document from the Board  
15 on Radioactive Waste Management.

16 And for years, of course, I have been a  
17 supporter of -- and I think that's true of all of us  
18 -- of what we might call a learn-as-you-go kind of  
19 approach.

20 So to the extent that we are all in  
21 violent agreement, as you said, what I'm still trying  
22 to sort out -- and I think that's what we all are --  
23 is exactly what's different here. And so it strikes  
24 me that what I've heard -- and you can tell me whether  
25 I'm right or wrong -- is that you envision, first of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all, that there are these explicit -- explicit steps  
2 with decision points, whatever those words may mean,  
3 but they are explicit in the upfront planning.

4 And second of all, you have what we might  
5 call an EEG-type group. That doesn't exist now, and  
6 you're recommending that for Yucca Mountain.

7 Are they the two main things that you see  
8 as different from what is going on now?

9 MR. ISAACS: I think that's not a bad  
10 call. I think if you had the other members of this  
11 committee in the room they would have a variety of  
12 things that they hold near and dear to their heart as  
13 key elements in this program.

14 There are a number of people on the  
15 committee, for example, who felt very strongly that a  
16 periodic iteration of the safety case -- whether or  
17 not it was required by the license or the regulator at  
18 any point in time -- was very important to the  
19 process. Okay. So there would be people who would  
20 have argued very strongly.

21 There are people, for example, who were  
22 brought into this from a social science point of view  
23 and a political science point of view who are not  
24 technical people who argued very long and strenuously  
25 and effectively on how to shape this program in order

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to engender the kind of public confidence and public  
2 acceptance that we feel is necessary for this program  
3 to be successful, not just to get the license but the  
4 broader context. They would probably argue that that  
5 aspect of it was also important.

6 MR. BERNERO: Yes, I would agree with your  
7 characterization, George, except I would say rather  
8 than the explicit or open decision points that the  
9 difference is an explicit learning-driven process  
10 rather than what we characterized in the report as the  
11 linear process of the baseline design. Just here's  
12 the design, authorize it, build it, emplace it, and  
13 close it. That's the difference. That's what's  
14 different.

15 CHAIRMAN HORNBERGER: I suppose that we  
16 never anticipated that such a linear process -- I  
17 mean, again, in 1989 we started out saying, "No, you  
18 can't design this like you design an airplane, because  
19 that just doesn't work that way." So I never -- we  
20 never anticipated that that's the way it would work at  
21 all.

22 Just one clarification on something you  
23 said, and then we do have to break. When you say a  
24 periodic iteration of the safety case, how periodic?  
25 Annual updates of the -- and this would be the whole

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 TSPA as well as this plain English narrative.  
2 Annually? Every three years? Every five years?

3 MR. BERNERO: Well, it's as warranted.

4 CHAIRMAN HORNBERGER: Okay.

5 MR. BERNERO: As warranted. There's no  
6 need -- we had active discussions of whether you  
7 should put a period on it. If nothing else has  
8 happened, NRC current regulations require I think it's  
9 every two years an update of information.

10 CHAIRMAN HORNBERGER: Yes.

11 MR. BERNERO: You know, if there's no  
12 amendment or something else. So it's as warranted.

13 MEMBER LEVENSON: One other comment on  
14 this. The linear may be something that you talked  
15 about within DOE, but that I think just represents the  
16 inexperience of DOE as being a licensee, because if we  
17 look at WIPP they started down exactly that same road.  
18 NRC has a very small role in WIPP. It's only the  
19 shipping containers, but they are now on amendment  
20 either 21 or 22, when originally there was no  
21 intentions to do anything.

22 And I think that the project -- what we're  
23 talking about, as Mike points out, it's pretty common  
24 to almost everything that's licensed. It's just NRC  
25 has almost had nothing licensed, and they've got a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 learning curve.

2 MR. ISAACS: Just on the last comment,  
3 one, I think I agree entirely with George that we were  
4 trying to put programmatic flesh around the bones of  
5 rethinking high-level waste. Nobody here was  
6 intending to do anything different. And in some  
7 cases, perhaps transmitting the obvious to the  
8 implementer is an important thing to do when the  
9 implementer has had no experience.

10 CHAIRMAN HORNBERGER: As interesting as  
11 this is, and we could obviously carry on for another  
12 hour, but we can't, because we have a hard constraint.  
13 We have to reconvene downstairs in the auditorium  
14 promptly at 12:30, so we are going to break for lunch  
15 now. We're in break.

16 (Whereupon, at 11:49 a.m., the  
17 proceedings in the foregoing matter went  
18 off the record until 12:33 p.m.)

19 CHAIRMAN HORNBERGER: The meeting will  
20 come to order.

21 This is our session. It's a followup  
22 session on the Transportation Working Group that we  
23 ran last November. And our cognizant member -- that  
24 is, the person who is in charge of this working group  
25 -- is Milt Levenson, and I'm going to turn the meeting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over to Milt.

2 MEMBER LEVENSON: Good afternoon. I'm  
3 Milt Levenson, the Chairman of the ACNW's  
4 Transportation Working Group. The working group, in  
5 this case, is made up of all four ACNW committee  
6 members.

7 Today's meeting is a follow-on to the  
8 working group's November meeting and will feature  
9 presentations by representatives of the State of  
10 Nevada, and, in addition, staff from the National  
11 Academy of Sciences will present an overview of a  
12 study it proposes to perform on the risks associated  
13 with the transportation of spent fuel.

14 While the transportation of radioactive  
15 materials has a number of aspects, Congress has  
16 divided the responsibility for those aspects between  
17 Department of Energy, the Nuclear Regulatory  
18 Commission, the Department of Transportation, states,  
19 and now the Office of Homeland Security.

20 The working group is limited to addressing  
21 those issues for which the NRC is responsible.

22 As with the November meeting, we again  
23 plan to focus on the technical aspects of spent fuel  
24 transportation package design, analysis, and testing  
25 methods, and transportation experience to determine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whether sufficient evidence exists or additional  
2 evidence needs to be obtained to substantiate that  
3 spent fuel can be transported safely.

4 The ACNW will use this information to make  
5 recommendations to the Commission as necessary on the  
6 technical aspects of the transportation of spent fuel.  
7 Relevant experience for obvious reasons that has not  
8 been addressed by the working group is the experience  
9 gained from shipping tens of thousands of nuclear  
10 weapons multiple times around the country.

11 I want to caution all participants in  
12 today's session that we intend to stick strictly to  
13 the time schedule in order to allow time for comments  
14 and questions from the public before the break and at  
15 the end of the day.

16 It is requested that when speaking you  
17 first identify yourself, use one of the microphones,  
18 and speak with clarity and volume so you can be heard  
19 not only by us but by the court stenographer.

20 We have received no requests for time to  
21 make oral statements and have received no written  
22 comments from members of the public regarding today's  
23 meeting. I would like to thank all of today's  
24 participants for taking the time and making the effort  
25 to participate in this meeting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We will now proceed, and I will call upon  
2                   Mr. Kevin Crowley, Director of the Board on  
3                   Radioactive Waste Management, the other NRC.

4                   MR. CROWLEY: The first NRC.

5                   (Laughter.)

6                   I'd like to introduce my colleague, Joe  
7                   Morris. Joe is a senior staff officer in the  
8                   Transportation Research Board. The study that I'm  
9                   about to describe for you is a joint project between  
10                  the Board on Radioactive Waste Management and the  
11                  Transportation Research Board.

12                  The overheads that I have prepared are  
13                  fairly self-contained, and so given the limited time  
14                  what I'm going to do is just skip through them and hit  
15                  some high points. So why don't we go directly to the  
16                  next set of slides.

17                  This is a self-initiated study of the  
18                  National Academies, and we initiated this study  
19                  because we believe that transportation of spent fuel  
20                  and high-level waste could, in fact, turn out to be  
21                  the rate-limiting step, not only in the United States  
22                  but in any other country, of efforts to dispose of  
23                  radioactive waste.

24                  With respect to the U.S. program, many  
25                  decisions with respect to transportation have yet to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be made in terms of modes, routes, and schedules. As  
2 you all know, potentially affected parties, including  
3 corridor states and Nevada, are concerned about the  
4 potential impacts of a large-scale transportation  
5 program.

6 The future initiation of a program to  
7 transport spent fuel and high-level waste to Yucca  
8 Mountain is at least seven years into the future, and  
9 probably closer to a decade. And, therefore, there is  
10 still a lot of time to have an impact on any plans  
11 that DOE has to transport spent fuel and high-level  
12 waste, and that's the reason that we thought that  
13 starting a study now would be timely.

14 Next slide, please.

15 This slide outlines the various steps that  
16 we went through in developing the study. Let me just  
17 point out a couple of things. That the Board on  
18 Radioactive Waste Management and Transportation  
19 Research Board held a workshop at one of its meetings  
20 in September of 2000 where we heard from the federal  
21 agencies and we heard from NGOs.

22 And it was clear from that workshop, as  
23 pointed out in the last couple of bullets, that there  
24 was what I'm calling here an opinion gap. Originally,  
25 I called it a perception gap, but I got a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pushback on that saying, "Well, all you want to do is  
2 change perceptions."

3 So it would appear, to us anyway, that  
4 there is a wide range of views out there about the  
5 safety and security of spent fuel and high-level waste  
6 transportation. There is a group of experts who  
7 believe that it has been transported safely in the  
8 past and continues to be transported safely in the  
9 future.

10 But there is another group out there that  
11 would include some states, certainly Nevada, but also  
12 corridor states that say that past experience is not  
13 necessarily indicative of future success. That there  
14 are other factors that need to be considered that  
15 haven't been considered in the studies that have been  
16 done to date on the -- particularly on the risks of  
17 spent fuel transportation.

18 Next slide.

19 So we developed a prospectus for this  
20 study, and at the time we were developing that we  
21 undertook a survey through our National Academies  
22 Press of about three dozen organizations, including  
23 states, NGOs, professional organizations, asking them,  
24 what are your concerns about a transportation program?  
25 What would you like to see addressed in a National

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Academy study? And that was -- that helped to inform  
2 the prospectus that we put together.

3 We actually initiated the project in  
4 November of last year, and the first step in doing one  
5 of our projects is to put together an expert  
6 committee. So we solicited nominations for the  
7 committee. We received about 250 nominations for  
8 about 15 slots.

9 The committee slate has been approved by  
10 Bruce Alberts, who is the Chairman of the National  
11 Research Council and President of the National Academy  
12 of Sciences. And I was actually hoping to be able to  
13 announce the slate today, but unfortunately the  
14 paperwork isn't finished. It will be the end of the  
15 week before we're able to announce the slate and post  
16 it on our website for public comment.

17 Next slide.

18 This project is being funded by a wide  
19 range of study sponsors, which is something that we  
20 like to see on a project. We like to have all sides  
21 of the issue involved in the project, through  
22 sponsorship if possible. To date, there is the list  
23 of the sponsors.

24 NCHRP is the National Cooperative Highway  
25 Research Program, and even Nye County, Nevada, has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committed a small amount of funding for the project.  
2 And we're still talking to other potential state and  
3 local sponsors.

4 Next slide.

5 We have a formal statement of task for  
6 this study, but I thought that rather than putting  
7 that up I would just pose for you in simple language  
8 some of the questions that we hope to address in the  
9 study.

10 The first one is: what are the risks for  
11 spent fuel and high-level waste transportation, both  
12 in terms of accidents, terrorism, and also from what  
13 you might call routine exposures? How well do we know  
14 those risks, and how do they compare with other  
15 societal risks? I think this comparative approach is  
16 going to be very important.

17 What are the principal technical and  
18 societal concerns for transporting spent nuclear fuel,  
19 high-level waste over the next couple of decades? In  
20 terms of the technical concerns, something that might  
21 be of interest to this body is that one of the things  
22 we'll be looking at is the package performance study  
23 that is being done now by the Nuclear Regulatory  
24 Commission.

25 The third bullet, what can or should be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done to address these concerns? And also, I didn't  
2 point out before, but the study has a U.S. focus. We  
3 do have one foreign committee member on the committee,  
4 and we will look at the experiences that have come out  
5 of foreign spent fuel transportation programs. But in  
6 terms of the focus of this report, it's on spent fuel  
7 and high-level waste transportation in the United  
8 States.

9 Next slide.

10 All right. This just lists some of the  
11 transportation issues that we hope to address in this  
12 study. I'm not going to read these to you. I would  
13 point out, though, that intermingled here is technical  
14 issues, policy issues, and institutional issues.

15 What can the study accomplish? Well,  
16 these are the things that we hope will come out of  
17 this study. It can help make the risk analyses  
18 transparent for -- I don't know about the rest of you,  
19 but I've looked at some of the reports that have been  
20 done. They're pretty opaque. I hope we can help make  
21 those reports a little more transparent.

22 I hope we will be able to suggest changes  
23 to transportation systems to improve both their  
24 technical soundness and their safety, and suggest ways  
25 to improve public participation and trust-building

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activities. We started talking about those in the  
2 last session before lunch.

3 Certainly, the public participation,  
4 trust-building, the societal confidence issue is a  
5 very important issue for radioactive waste  
6 transportation.

7 Next slide.

8 Well, I can't tell you who is on the  
9 committee, but I can tell you the kinds of expertise  
10 represented by the 15 committee members. It was a  
11 very difficult committee to put together, in part  
12 because we had so many good nominations, in part  
13 because in addition to trying to balance expertise we  
14 were also trying to balance biases, which is very  
15 difficult to do, because this is a very contentious  
16 issue.

17 Next slide.

18 But in terms of how we tried to balance  
19 the committee, these are some of the attributes that  
20 we looked for. For the chair, we have a strong leader  
21 with national policy experience who is not associated  
22 with either nuclear waste or transportation issues.  
23 We wanted somebody who understood very broadly how  
24 national policy is made and how technical issues  
25 contribute to national policy. But we also didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to have anybody who was perceived to have a stake  
2 in the outcome of the study.

3 The vice chair is a very strong leader who  
4 is a nationally-recognized transportation expert, but  
5 also who is not associated with transportation of  
6 nuclear waste. And then, we had these other committee  
7 balance factors. We do have a number of committee  
8 members who have nuclear experience, but we also have  
9 committee members who don't. And so we tried to  
10 achieve a balance that way rather than trying to make  
11 sure that all sides of the transportation question  
12 were represented on the committee.

13 Next slide.

14 We're planning to do the study in two  
15 years. We'll have seven or eight committee meetings.  
16 We're planning for seven, with an eighth contingency  
17 meeting.

18 The first organizational meeting will be  
19 held on Friday, May 16th, and Saturday, May 17th, here  
20 in Washington, D.C., at our building on 500 Fifth  
21 Street. The 16th will be an open session, and we're  
22 going to be inviting study sponsors and other  
23 interested groups to come in and talk to the committee  
24 about the study.

25 We have not scheduled any of the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee meetings at this point. The second meeting  
2 will likely be held in Las Vegas, but we don't have a  
3 date for that yet. And we're planning to issue the  
4 final report in early 2005.

5 Next slide.

6 Okay. I want to close by mentioning  
7 another study that some of you may have heard about.  
8 It actually came as a bit of a surprise to us. In the  
9 fiscal year '03 Omnibus Appropriations Act, there was  
10 a congressional request to the National Academies for  
11 a study of the procedures by which the Department of  
12 Energy uses to select routes for transportation of  
13 research reactor spent nuclear fuel.

14 This request was not put in by us. It was  
15 put in by a concerned Senator. It originally appeared  
16 in the energy bill which failed, and when that bill  
17 failed we had assumed that this was the end of it, and  
18 then it popped up again in this Omnibus Act.

19 It is to be a six-month study. It is to  
20 be funded by the Department of Transportation, who is  
21 to get us funding within a month. Now it's been  
22 about, what, six weeks since the Act was passed, and  
23 we haven't seen any funding yet. But we're prepared  
24 to begin that study once DOT provides funding.

25 We had originally thought about perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trying to fold it into this study that I just told you  
2 about, our broader study, but we decided that would be  
3 a distraction. So what we're planning to do at this  
4 point is to appoint a panel that might include some of  
5 the members of our broader committee, plus some other  
6 people, to do this study. We'll get this done, and  
7 then the results of the study will be provided to  
8 Congress, and it will feed into this broader study  
9 that we're doing.

10 Last slide.

11 This is mainly for the audience, because  
12 I have the staff for the ACNW on our contact list.  
13 But for those of you who are interested in learning  
14 more about this study, if you send an e-mail message  
15 to Mrs. Laura Llanos, she can put you on our  
16 electronic notification list to get copies of agendas,  
17 meeting dates, and that sort of thing.

18 And if you like, you can check our current  
19 projects database, which also lists all of the  
20 committee meeting dates once we have them, and we'll  
21 list meeting agendas, and also we'll list abbreviated  
22 minutes from the closed sessions that the committee  
23 has.

24 And that's all I have to say. Thank you.

25 MEMBER LEVENSON: Thank you, Kevin.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 George, any questions?

2 CHAIRMAN HORNBERGER: Kevin, you mentioned  
3 that it's a U.S. focus, but you have at least one  
4 member that is a foreign national I guess. So your  
5 view, though, is just to use the international  
6 experience with transportation to basically see how it  
7 applies to the tasks at hand, rather than to do an in-  
8 depth study of international experience? I wasn't  
9 quite sure exactly what depth you were going to pursue  
10 that.

11 MR. CROWLEY: I think the report has a  
12 U.S. focus in that the findings and recommendations  
13 that will be offered will be focused on, how can we  
14 improve the U.S. program? And probably it's hard to  
15 know exactly at this point, because we haven't really  
16 had any committee meetings yet, but it will probably  
17 be focused on things that DOE needs to do to improve  
18 its program.

19 Now, in order to do that, there's a lot of  
20 -- there's a wealth of experience out there, not only  
21 in the United States but abroad. And that experience  
22 includes not only direct experience with transporting  
23 fuel, but there are also good studies that have been  
24 done. There have been safety studies done, terrorism  
25 studies that have been done abroad, and I hope that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 we'll be able to take advantage of that material as  
2 well.

3 CHAIRMAN HORNBERGER: The other thing that  
4 occurred to me, it strikes me that to a certain extent  
5 terrorism issues are best discussed not in public  
6 meetings. And you're not going to be able to do that,  
7 so I guess to a certain extent you're going to sort of  
8 take a broad brush approach there.

9 MR. CROWLEY: Four or five -- I think five  
10 members of our committee have the appropriate  
11 clearances, as do the staff, to look at classified  
12 documentation, if there's a need to do that. I  
13 suspect that we will have a need to do that during the  
14 study.

15 There are no plans to produce a classified  
16 report, but we recognize that if we're going to do an  
17 appropriate job in the security area we're going to  
18 have -- we may have to look at some classified  
19 material.

20 CHAIRMAN HORNBERGER: My final question --  
21 the timing, you plan to issue a report in 2005. And  
22 to a certain extent, I guess that builds in enough  
23 time to get your whole committee up to speed. It  
24 strikes me that this committee, like lots of research  
25 committees, has to balance things, and you basically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go after people who don't have nuclear knowledge.

2 And so to a certain level, we're tying our  
3 hands by not being able to take advantage of people's  
4 expertise at the -- but gaining, of course, by  
5 engaging people who don't have that background. But  
6 it's also going to take some time to spin the study  
7 up.

8 MR. CROWLEY: I think it will. I would  
9 like to think of it in a slightly different way,  
10 George. The people that we're putting on the  
11 committee have -- they all have expertise, their  
12 expertise in things that are related to nuclear waste  
13 transportation, but they don't have experience with  
14 nuclear waste transportation.

15 For example, many of our transportation  
16 experts are truly transportation experts. And if you  
17 went into the transportation community and said, "Have  
18 you ever heard of this person?" they'd say, "Oh, yes,  
19 this guy is a leader in the field."

20 When you get smart people like that on  
21 committees, it doesn't take them very long to come up  
22 to speed on the details of, okay, I know  
23 transportation, what more do I need to know to know --  
24 to be able to, you know, have informed judgments about  
25 transportation of radioactive waste?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other reason, though, that we need to  
2 allow some time is, if you remember the list of  
3 expertise areas that I put up, this is an  
4 extraordinarily diverse committee. We have policy  
5 experts, technical experts, and social scientists.  
6 And as you know, just getting those people to talk to  
7 one another in a way that is understandable, so that  
8 they use -- they mean the same things when they use  
9 the same words, that takes time.

10           MEMBER GARRICK: Kevin, this is going to  
11 be a very important piece of work. We're looking  
12 forward to it.

13           I wanted to ask you if you could elaborate  
14 a little bit on the form that you intend to employ for  
15 answering some of these questions, particularly you  
16 say, what are the risks for spent nuclear fuel, high-  
17 level waste transportation? And how do we know them,  
18 and how do they compare with other societal risks?

19           Is this going to be kind of a qualitative  
20 list of contributor to risk? And are you going to  
21 attempt to make some sort of an importance ranking of  
22 them? Just what you envision at this point as the  
23 figures of merit that you're going to employ.

24           MR. CROWLEY: Boy, I sure hope we can do  
25 more than just a qualitative ranking of risks. I hope

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- we have very -- we have appointed some very  
2 quantitative risk analysts to our committee. In fact,  
3 we've got three very quantitative risk analysts. And  
4 I hope that we can do a quantitative job on that. Of  
5 course, it's always a little hard to know going in,  
6 but that's our hope.

7 MEMBER GARRICK: Right. And the problem  
8 is that a lot of these risks have not been quantified.  
9 You can't expect the committee to carry out that  
10 assignment. But to the extent that you can  
11 characterize these risks in a quantitative form, you  
12 intend to do that.

13 MR. CROWLEY: Yes.

14 MEMBER GARRICK: Thank you.

15 MEMBER LEVENSON: Mike, you're next.

16 MEMBER RYAN: I second John's comment. I  
17 think it will be a real important study. Is one aim  
18 of the study to try and pull together what our  
19 fractionated pieces of the database on transportation  
20 risks and accident information, or --

21 MR. CROWLEY: Yes, that's part of it. And  
22 also, it's not only fractionated, but it's fairly  
23 opaque. And I have found -- because we've already  
24 started pulling together a lot of the information.  
25 And, in fact, some of the sessions that this committee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had a couple of months back were very useful in  
2 helping us to jump-start that.

3 The other thing I found is that some of  
4 the data are pretty squishy. When you start to push  
5 on them, you say, "Well, what do you mean you've had  
6 3,000 trips?" Is that 3,000 casks? You know, exactly  
7 what does that mean? So making sense of all of that  
8 is going to take some time.

9 MEMBER RYAN: That was really my second  
10 question is that there really is an uncommon coinage  
11 for a lot of this information. If you can put some  
12 rationale to that with a common denominator, that  
13 would be a big help.

14 MR. CROWLEY: I agree.

15 MEMBER LEVENSON: Well, I want to thank  
16 you, Kevin. I think that the questions John asked --  
17 you're going to find that there is no common metric  
18 when you try to compare waste -- risks in the -- not  
19 just transportation, but risks associated with  
20 radiation have various metrics. We have dose, we have  
21 etcetera. You get out into the field of other risks,  
22 good luck.

23 MR. CROWLEY: We talked to one of our  
24 committee members about this. He said, "Well, maybe  
25 the first thing we should do is a harmonization study.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And then, once we do that, then we should do the  
2 transportation study." I said, "We only have two  
3 years to do the whole thing."

4 No, I agree. It's going to be very  
5 difficult to do it, and we may not get all the way  
6 there. But I think if we can make some sense out of  
7 this, that in itself would be a tremendous  
8 contribution, especially if we could put it into a  
9 form that could be understood by people who aren't  
10 experts in this area.

11 MEMBER LEVENSON: Well, I think, you know,  
12 we would prefer to not see just qualitative things,  
13 but even an identification and some sort of  
14 qualitative ranking would be useful.

15 Thank you. I also want to thank you for  
16 staying on schedule -- two minutes early.

17 MR. CROWLEY: I had an incentive.

18 (Laughter.)

19 MEMBER LEVENSON: We'll now proceed to the  
20 presentation from the State of Nevada, and our first  
21 speaker is Bob Loux, who will give an overview and  
22 introduction.

23 Kevin? I apologize. I didn't realize he  
24 was leaving right away, and I apologize to those  
25 people in the audience that might have had questions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for Kevin. It was my intent to give you that  
2 opportunity, and I apologize.

3 MR. LOUX: Good afternoon. I'm Bob Loux,  
4 and I'm the Director of the State of Nevada's Agency  
5 for Nuclear Projects. It's in the Governor's office,  
6 and, as you may know, we -- and including myself --  
7 have been at this for 20 years or so. And so we have  
8 a wealth of information, knowledge, and interest,  
9 obviously, in the topics you're talking about today.

10 I would like to thank you at the outset  
11 for your invitation. I'd like to thank Tim for  
12 working with Bob and myself in trying to put this  
13 together. It's been a very cooperative and helpful  
14 situation, and I hope that we can add to your  
15 discussion and analysis of some of these issues  
16 associated with transportation.

17 Before I actually get started in the  
18 presentation, I wanted to make two quick remarks, and  
19 I want first to bring you up to date on some of the  
20 other actions that are going on. As you may know, the  
21 State of Nevada has four cases that are currently in  
22 the U.S. Court of Appeals in Washington, D.C.,  
23 regarding the program -- case against the Department  
24 of Energy, one against the NRC, one against the  
25 Environmental Protection Agency, and, lastly, we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a constitutional case that's challenging the entire  
2 Act, including the joint resolution by Congress.

3 All four of these cases are nearing  
4 closure in terms of the briefing schedule and are  
5 scheduled to be heard in tandem by the court sometime  
6 in September of this year. We expect some decisions  
7 in those cases probably by the close of the year,  
8 early January, or somewhere in that timeframe. Our  
9 experience has been somewhere in the six to -- four-  
10 to six-month range for decision from courts of  
11 appeals. And we feel, obviously, very good and  
12 confident about those cases.

13 I want to call your attention also to  
14 another action that we have recently taken. We have  
15 filed a petition with the -- for rulemaking with the  
16 Commission to establish what we believe are fair  
17 procedures in the licensing hearing for a Yucca  
18 Mountain facility. And just two of those I'd like to  
19 touch on briefly.

20 One is that we are asking the Commission  
21 to appoint administrative law judges from outside the  
22 Commission, experts in the various fields that are  
23 concerned with Yucca Mountain, people that have unique  
24 and specialized knowledge in those arenas. We think  
25 that would be very helpful in a very complex licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 hearing that this is likely to be.

2 And the second one is that we've asked  
3 that the staff be removed as a party advocate in the  
4 proceeding. We are very concerned that the -- at the  
5 minimum public perception, if not reality, is that  
6 when the staff advocates for the applicant, as is the  
7 case, then the notion or the perspective that somehow  
8 the Commission is unbiased in their review of this  
9 license application is somewhat tarnished.

10 I know that the public is -- Nevada is  
11 quite concerned about this, as we are, having  
12 witnessed the activities that took place with the  
13 licensing of PFS in Utah. Many Nevadans went to those  
14 hearings and saw how the Commission staff acted and  
15 operated in those hearings, and it certainly told them  
16 and suggested to us that the Commission is far from  
17 being neutral and objective in that proceeding, at  
18 least at the staff level. And so we've asked for them  
19 to be removed as a party advocate, and that petition  
20 is pending as we speak.

21 Having said those remarks, let me say that  
22 the State of Nevada, as it relates to transportation,  
23 contends that DOE should have fully and adequately  
24 addressed transportation of spent fuel and high-level  
25 waste to Yucca Mountain in the final Yucca Mountain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 EIS. Instead, it's our belief that the transportation  
2 analysis, as well as other parts of the EIS, are  
3 legally and substantially deficient and entirely  
4 inadequate.

5 We contend that the only acceptable  
6 vehicle for planning this kind of campaign in Nevada  
7 nationally is the process set forward in NEPA and its  
8 implementing regulations, which we don't believe have  
9 been done to date. That means to us that DOE must  
10 commit to the preparation of an EIS for the  
11 transportation program. EIS must encompass an  
12 integrated transportation program that covers both a  
13 national system as well as the transportation system  
14 in Nevada.

15 It must show how these two components --  
16 the national and Nevada component -- function, are  
17 interrelated, how decisions with respect to the  
18 national system affect the Nevada system, and vice  
19 versa.

20 What DOE appears to be doing instead is  
21 kind of a piecemeal approach to planning and crafting  
22 different messages to fit different audiences at  
23 different times depending on whatever is going on at  
24 the particular time.

25 That being said, let me say that the State

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of Nevada, as I mentioned at the outset, has been  
2 involved for better than two decades in this issue and  
3 has consistently and repeatedly recommended a very  
4 specific, comprehensive measure that the federal  
5 government should take to manage risks associated with  
6 the transportation of spent fuel and high-level waste.

7 The State of Nevada has virtually taken  
8 every possible opportunity to make constructive  
9 proposals to DOE, to the NRC, and DOT. And, in  
10 addition, the Western Interstate Energy Board and the  
11 Western Governors Association, which we're a part of,  
12 of course, have done extensive work on nuclear waste  
13 transportation, provided DOE with detailed and  
14 substantial guidance over the last 15 years.

15 Western Interstate Energy Board has  
16 developed an extensive high-level waste transportation  
17 primer that provided DOE the comprehensive framework  
18 for an adequate transportation system. In addition,  
19 WGA has passed numerous resolutions urging DOE to  
20 adopt an integrated, comprehensive approach to  
21 transportation planning, including adequate  
22 preparations that deal with terrorism or prevent  
23 catastrophic accidents through meaningful cask  
24 testing.

25 The goal of both of these organizations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has been the safe and uneventful shipping campaign of  
2 any materials that might travel through the west. And  
3 Nevada has been a very key player in both of those  
4 organizations, and, in fact, DOE has even funded the  
5 Western Interstate Energy Board to produce this  
6 primer.

7           Since 1997, our recommendations regarding  
8 the high-level waste transportation risk management  
9 program have focused on four areas. Number one, we  
10 believe there needs to be a comprehensive approach to  
11 risk management, risk assessment, and risk  
12 communication. Two, we believe there needs to be a  
13 development of a preferred national transportation  
14 system. Three, full-scale physical testing of  
15 shipping casks. And, fourthly, an accident prevention  
16 and emergency response program.

17           The presentations you are going to hear  
18 today from the experts in this field from Nevada will  
19 address the specific Nevada issues and recommendations  
20 in more detail. But let me point out the basis for  
21 any meaningful spent fuel and high-level waste  
22 transportation planning must be veracity and accuracy  
23 in disclosing the nature, scope, and extent of the  
24 effort.

25           And, unfortunately, DOE's pronouncements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to date on the transportation program have appeared  
2 more designed to obscure and minimize the challenges  
3 for political reasons, other than really trying to  
4 illuminate them.

5 And let me just briefly provide two  
6 examples for you. Last spring, or a year ago about  
7 this time, the Secretary of Energy, at the  
8 announcement of the recommendation of the Yucca  
9 Mountain site, made estimates of 175 shipments per  
10 year to a Yucca Mountain repository. We know the  
11 reasons why those pronouncements were made, but they  
12 serve to undercut the veracity and the accuracy of any  
13 program. They're not only inaccurate, but they  
14 grossly underestimate the nature, magnitude, and scope  
15 of the campaign required to support the program.

16 To realize these kind of numbers, DOE,  
17 among other things, would have to ship over 90 percent  
18 of the spent fuel by rail, assure that each shipment  
19 is made up of at least three rail cars per train, make  
20 thousands of barge and heavy haul truck shipments to  
21 move spent fuel from reactor sites without rail access  
22 to rail heads, create staging areas in rail yards and  
23 ports around the country, in order to assemble the  
24 trains and then construct a three- to four hundred  
25 mile rail line across Nevada at a cost probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exceeding a billion dollars.

2 On the other hand, Nevada has reviewed  
3 carefully the estimates of the shipping campaign in  
4 the final environmental impact statement. I believe  
5 those numbers are far more realistic than the numbers  
6 DOE is at least verbalizing to the secretary at any  
7 rate.

8 We conclude that estimates of projected  
9 shipments to Yucca Mountain must continue to consider  
10 a range of modal scenarios and shipment numbers.  
11 Equally as disturbing is DOE's assumption that at this  
12 point in time the shipping campaign will involve  
13 mostly rail to Yucca Mountain.

14 At present, as you know, there is no rail  
15 access to the site. Construction of a new rail spur,  
16 anywhere from 100 to 344 miles, could take 10 years  
17 and cost well in excess of a billion. The alternative  
18 rail spur construction is delivery of thousands of  
19 large rail casks by 220-foot long heavy haul trucks  
20 over distances of 112 to 330 miles on public highways  
21 in Nevada, most of which is likely not feasible.

22 Maximum utilization for rail for cross-  
23 country transportation in the FEIS appears unlikely.  
24 Even if DOE was able to assemble rail access to Yucca  
25 Mountain, the knowledge -- the objective of shipping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 90 percent of the commercial spent fuel by rail is  
2 unrealistic. DOE knows that perhaps a third of the  
3 reactor sites cannot ship by rail. In Nevada, studies  
4 show that could be as many as 32 sites.

5 In the end, if rail access to Yucca  
6 Mountain, all of the other impediments to rail  
7 transport can be resolved, mostly rail would involve  
8 no more than 60 percent of the commercial spent fuel,  
9 the remainder by legal weight truck.

10 The DOE mostly legal weight truck scenario  
11 in the EIS is really the only national transportation  
12 scenario that's currently feasible, the one that  
13 Nevada believes is most likely in the event that Yucca  
14 Mountain goes forward. All 72 powerplants and all DOE  
15 sites can ship by legal weight truck.

16 Lastly, let me say Nevada, together with  
17 other Western states, regional groups, has long  
18 advocated for full-scale testing of shipping casks as  
19 a part of the cask certification process. In light of  
20 new threats facing the nation and unprecedented nature  
21 and scope of planned Yucca Mountain shipping campaign,  
22 it's imperative that the NRC immediately address this  
23 issue, and we're gratified the Commission staff is  
24 moving ahead with the package performance study.

25 The Nevada experts have been, and will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continue to be, closely involved in this effort. We  
2 remain concerned, however, that the Commission has yet  
3 to take action on the State of Nevada's rulemaking  
4 petition, asking the NRC to assess and strengthen  
5 protections against terrorism with respect to the  
6 spent fuel shipments.

7 That petition was filed in September 1999,  
8 and to date no action has taken place, despite the  
9 increased urgency that we're all aware of.

10 I would like to close and say I hope you  
11 find the information useful and helpful. I appreciate  
12 your willingness to hear from us today. I know that  
13 the fellows in front of you have a wealth of  
14 information and knowledge that they'd like to share  
15 with you, and I really appreciate your opportunity to  
16 have us be here and hear from them.

17 Let me apologize at the conclusion that I  
18 will not be here for the entire presentation. I have  
19 a plane later on this afternoon to catch, so I'll be  
20 kind of ducking out. It doesn't mean I'm not  
21 interested, but press of other business is going to  
22 draw me away.

23 But with that, thank you very much.

24 MEMBER LEVENSON: Thank you.

25 George, do you have any questions? John?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Just one comment, Bob, and that is, if you  
2 attended any of the committee meetings you might find  
3 that this group opinion of DOE is maybe not too  
4 distant from yours. But if you attended our letter-  
5 writing sessions, which are also open, you realize  
6 that one of the things we have to cope with is not  
7 only we don't have a responsibility, but we're more or  
8 less forbidden from providing advice to DOE. It's an  
9 advisory committee to the NRC. Many of the issues  
10 raised are appropriate issues, but they're not within  
11 the scope of this committee.

12           MR. LOUX: I'm aware of that. I have  
13 reviewed the transcripts of nearly all of your  
14 meetings and am familiar with the activities that have  
15 been taking place. And I appreciate your comment.

16           MEMBER LEVENSON: One of our committee  
17 members has another meeting, the burden of being  
18 involved.

19           With that, we'll take Mr. Halstead as our  
20 next speaker.

21           MR. HALSTEAD: Tim, I need some help on  
22 doing the slide advance. Okay. So I need to indicate  
23 here the slide change? Very good.

24           Well, good afternoon, and thank you for  
25 the opportunity to be here. I am going to take off my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 jacket and get comfortable. I want to begin by  
2 thanking Tim Kobetz, who has provided unusually  
3 meaningful support to us, not only in preparing for  
4 this meeting which is a given, but Tim has attended  
5 many of the recent NRC meetings on the package  
6 performance study, where we have been very much  
7 involved, offering an alternative proposal to the  
8 Commission's approach to cask testing.

9 And I'm very appreciative of the fact that  
10 in the technical discussions that we've had,  
11 particularly about ways that fire tests might be  
12 designed, we've benefitted a lot from Tim's comments  
13 on -- particularly his review comments on the  
14 presentations that we've given.

15 So thank you very much for that, Tim.

16 Now, I want to begin by introducing the  
17 people at the table with me, and so that everyone  
18 knows for starters why they're here, everyone who is  
19 here at the table with me is a paid consultant to the  
20 State of Nevada. And most I think, if not all of  
21 them, also have other paid consultants.

22 So it's important that we understand that  
23 any associations they have with other clients or other  
24 organizations have been set aside at the door. And  
25 our commentary today reflects the work that they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing on transportation, risk assessment, and risk  
2 management for the State of Nevada.

3 Beginning on my left, Dr. Marvin Resnikoff  
4 advises the state on the consequences of  
5 transportation accidents and terrorism sabotage  
6 incidents, and also on shipping cask testing. Dr.  
7 Resnikoff is a nuclear physicist by training, and has  
8 28 years of experience as a nuclear waste consultant.

9 Next to Dr. Resnikoff is Jim Hall, who is  
10 advising the state on transportation safety  
11 regulations and policy. Jim is a former chairman of  
12 the National Transportation Safety Board. He is  
13 currently a member of the National Academy of  
14 Engineering Panel on Homeland Security Issues, and he  
15 is a lawyer by training.

16 Next to Jim is Dr. Meritt Birky, who  
17 advises the state on fire analysis and cask testing.  
18 Meritt is a thermal chemistry by training. He has  
19 recently retired from the National Transportation  
20 Safety Board, where for 18 years he was their  
21 technical advisor, specializing in fire and explosion  
22 investigations, and we want to make clear that the  
23 relationship that Dr. Birky has with the state  
24 regarding the analysis of the Baltimore Tunnel fire  
25 and the development of fire test protocols under the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PPS, that that is separate from his work now as a  
2 consultant for the National Transportation Safety  
3 Board.

4 Next to Meritt is Hank Collins, who  
5 advises the state on radiation health effects and  
6 spent fuel behavior. Hank is a registered  
7 professional engineer and certified health physicist.  
8 He is a physicist and nuclear engineer by training,  
9 and he is closely associated with his health analysis  
10 work for the Mel Chew firm, which is located in  
11 Livermore, California.

12 And Bob has introduced himself.

13 My name is Bob Halstead. For the past 15  
14 years, I've been transportation adviser to the State  
15 of Nevada Agency for Nuclear Projects. I have 25  
16 years of experience in energy facility and siting.  
17 Most of my practice has been in impact assessment,  
18 both of fixed facilities and transportation systems,  
19 and I am an environmental historian by training.

20 Now, there are three important  
21 contributors who aren't here at the table with us  
22 today, mostly because of schedule conflicts. Fred  
23 Dilger, who I've listed on the authorship spot of this  
24 slide, works for the Nuclear Waste Division of Clark  
25 County in Nevada. He is an environmental planner and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 geographic information specialist.

2 Additional help was presented by Lindsey  
3 Audin, who is an energy engineer and energy  
4 conservation consultant who has a firm that goes by  
5 the name of Energy Wiz located in Croton, New York.

6 And we've also received considerable  
7 assistance and will receive more assistance in  
8 preparation of our comments on the PPS from Dr. Miles  
9 Greiner, who is a professor of mechanical engineering,  
10 although he's primarily a thermal engineer, and he  
11 teaches and does research at the University of Nevada  
12 in Reno. And as I said, he has advised us both on  
13 fire analysis and on cask testing.

14 Next slide, please.

15 This is a terribly long presentation that  
16 I've set in front of you, and I want to say at the  
17 beginning that we're going to move rapidly through  
18 some groups of slides here. I want to provide some  
19 both overview and in-depth information to the  
20 committee and those attending the meeting.

21 I think it's better to put more  
22 information in the handout than we plan to talk about.  
23 So certainly, anything that we move through quickly in  
24 order to keep on schedule we're certainly prepared to  
25 discuss with you during question and answer period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           At the outset, let me state for the record  
2 what we would like the committee to consider. What  
3 would we like to see come out of this exchange of  
4 ideas? We understand the limits on what the committee  
5 can recommend to the Commission, and we respect that.

6           What we're asking is your consideration.  
7 And as we move through these four general areas of my  
8 presentation, we're going to be providing you specific  
9 information that relates to transportation  
10 difficulties in access to Yucca Mountain. We're going  
11 to give you an overview of our identified concerns  
12 regarding shipment modes, numbers, and routes.

13           We're going to give an all-too-brief  
14 overview of the radiological risk issues. And we'll  
15 conclude by talking about the state's risk management  
16 recommendations, which are grouped into four areas.

17           And the first area where I'm asking for  
18 the committee's consideration is that you consider and  
19 evaluate the way that we have grouped our  
20 recommendations for safety enhancement into four  
21 areas, which have to do, one, with the use and misuse  
22 of probabilistic risk analysis and our recommendations  
23 for a broader, more comprehensive approach to risk  
24 assessment.

25           Secondly, we'd ask that you consider our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations for the construction of a preferred  
2 transportation system, one that is designed to reduce  
3 and manage risk.

4 Third, we'll ask you to consider our  
5 specific recommendations on full-scale cask testing,  
6 but we won't go into much detail on that in this  
7 presentation because that's what the second set of  
8 presentations focuses upon.

9 And, third, we'll ask you to consider --  
10 or, fourth, we'll ask you to consider our specific  
11 recommendations on accident prevention and emergency  
12 response.

13 A second area where we will ask for your  
14 consideration regards simply the information that we  
15 are providing regarding site-specific transportation  
16 issues associated with Yucca Mountain. There really  
17 isn't an action we can ask you to take here.

18 What we're asking is that when you hear  
19 glib assurances from the Department or any other party  
20 that they know exactly how the transportation system  
21 for Yucca Mountain will work and how many shipments  
22 there will be, that you take that with a grain of salt  
23 and remember that most, if not all, of the important  
24 decisions are yet to be made.

25 And, third, there are three other related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues that Tim Kobetz and I discussed at some length  
2 as to whether they should be addressed in the  
3 presentation, and we felt that if we developed them in  
4 depth they would either be distracting or they would  
5 not leave us enough time to speak at length about the  
6 cask testing issues.

7           So let me briefly describe those other  
8 three issues, and offer at some future date to come  
9 back and discuss them with the committee. Or  
10 certainly, we can discuss them in question and answer  
11 as well.

12           First of all, we are specifically  
13 concerned about the way that a recent NRC contractor  
14 report, NUREG/CR-6672, which purports to be a  
15 reexamination of spent fuel transportation risks -- we  
16 are concerned both about the procedural way that that  
17 report was developed.

18           We are concerned about the substantive  
19 research and findings that are reported in the  
20 document. And we are concerned about the way that  
21 both the Commission and other parties who practice  
22 before the Commission are using this report.

23           Secondly, we remain concerned that our  
24 petition for rulemaking, PRM 73-10, filed with the  
25 Commission in June of 1999 asking the Commission to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 review its counterterrorism safeguards regulations and  
2 also asking the Commission to conduct a new and  
3 updated reexamination of the risks of a successful  
4 terrorist attack on a spent fuel shipping cask.

5 We are concerned not only about the  
6 substantive issues that we have presented. We are  
7 concerned procedurally about the way the Department is  
8 handling this petition for rulemaking.

9 Now, we understand how the world was  
10 changed on September 11th, with the attacks in  
11 Washington, D.C. and in the District of Columbia. But  
12 understand, when those attacks occurred, the  
13 Commission had had our petition in hand for 26 months.

14 Now, my understanding from discussion with  
15 rulemaking staff is that they normally try to process  
16 a petition for rulemaking within 12 months after  
17 receiving it.

18 So we're not only concerned about the  
19 substantive issues, we're concerned about why the only  
20 thing we've heard now in three years on that petition  
21 is a letter last fall advising us that the Commission  
22 staff is looking at it and they're now more concerned  
23 about certain issues in the light of September 11th.

24 I will note while we can't talk about it  
25 in great detail because of the security issues that in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some ways some of the actions that Nevada had  
2 requested as an immediate response, changes in the  
3 regulations, have been addressed by the Commission  
4 through emergency orders to licensees.

5 A third issue that, again, we won't talk  
6 about at length but that Jim Hall will address in an  
7 overview fashion in his presentation is the way that  
8 the NRC is apparently interpreting its responsibility  
9 for the regulation of DOE's transportation system.

10 Many of you have at least heard about the  
11 May 10 exchange of correspondence between former  
12 Chairman Meserve and Senator Durbin of Illinois. And  
13 in that May 10th letter, basically Chairman Meserve  
14 says that if DOE accepts title to spent fuel at the  
15 reactors, which is the operative assumption for the  
16 program, then the only portion of the NRC  
17 transportation regulations that specifically apply to  
18 DOE's transportation program lie in the area of cask  
19 certification. Specifically, the requirement that all  
20 DOE shipments be made in NRC-certified casks.

21 We believe that there are profound  
22 implications from this minimalist approach by the  
23 Commission to its regulatory responsibility. I happen  
24 to have been one of the people who helped develop the  
25 language in the federal legislation in 1982 and in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 1987. I believe there is a clear record that  
2 congressional intent was that the Commission fully  
3 regulate DOE's transportation program as if it were a  
4 utility licensee.

5 So that's a third issue that we'll not go  
6 into in great detail but that obviously has a lot of  
7 implication for the way that the Department of  
8 Energy's transportation system would operate and the  
9 way that that system would be interfaced with the  
10 NRC's regulatory system.

11 Well, that's too much background  
12 introduction, I suppose. Let's go to the next slide,  
13 please.

14 I want to talk for the next few minutes  
15 about the issue of rail access to Yucca Mountain. And  
16 I put this bar graph up to show the most obvious  
17 reason why most transportation planners and safety  
18 experts believe that rail is the mode of choice for  
19 the operation of either a national repository or a  
20 national storage facility.

21 It's primarily because it reduces the  
22 number of shipments by a factor of four or a factor of  
23 five, depending on the comparisons between the  
24 specific casks. And we don't need to go into them in  
25 great detail except to note, again, that if there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 no rail access to Yucca Mountain, and everything is  
2 shipped by legal weight truck, you're talking about  
3 109,000 shipments over 38 years, or approximately  
4 2,900 per year.

5 Under an optimized rail system, an  
6 unrealistically optimized one, I must say, this gets  
7 down to a total of 22,000 shipments combined rail and  
8 truck -- that's cask shipments -- over the course of  
9 38 years.

10 There are some other issues that we can  
11 talk about in Q&A that are probably worth mentioning.  
12 In addition to reducing the number of shipments, most  
13 people looking at technical safety issues will stress  
14 the fact that keeping as much of the waste on the  
15 railroads as possible keeps it on a privately-  
16 controlled system, quite different than the interstate  
17 highway system.

18 And, secondly, it gives us the option of  
19 adding additional safety enhancements through the use  
20 of dedicated trains, other safety protocols that have  
21 been developed by the Association of American  
22 Railroads, and, indeed, allows us to take advantage of  
23 the latest technology in the design of a rolling  
24 stock, specifically designing the special cars that  
25 are needed to carry large casks and buffer cars.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And, of course, this committee was briefed  
2 very well on those issues at the November 19th meeting  
3 by Bob Fronzack from the Association of American  
4 Railroads. So we don't need to go into that in  
5 detail, but there is more to this than just the issue  
6 of reducing the number of shipments.

7           Now, on the opposite side, we must say  
8 that there is no free lunch in the risk business, and  
9 there are a couple of other issues you have to look at  
10 if you move towards a heavily rail system. It means  
11 you're concentrating a lot of curies in every package,  
12 and it also means that if you're shipping in dedicated  
13 trains you're creating the possibility for accidents  
14 that may involve multiple heavy cars. And one of the  
15 few manmade things that we think might damage a large  
16 rail cask in an accident is contact with another large  
17 rail cask.

18           So there are still some rail safety issues  
19 that need to be addressed, but as a general rule most  
20 people who have studied transportation safety for a  
21 large system like a repository all pretty much agree  
22 that rail is desirable.

23           And, indeed -- next slide, please -- this  
24 was recognized early on in all of the planning  
25 documents from the late '70s and early '80s. It was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addressed in the 1986 environmental assessments that  
2 compared the first five repository sites.

3 Next slide, please.

4 And the results I've summarized here show  
5 that part of the reason that the Department has a  
6 problem accessing Yucca Mountain now is that they've  
7 known for the last -- certainly since the mid '80s  
8 that Yucca Mountain was the most difficult site to run  
9 a new rail spur to.

10 Next slide, please.

11 Now, DOE's current approach to developing  
12 rail access is somewhat ambiguous. It was laid out in  
13 the final environmental impact statement last year.  
14 DOE identified five potential rail corridors, but then  
15 said that the EIS was essentially an information  
16 document and they hadn't made any decisions.

17 And they had previously said, beginning  
18 last summer with some statements by Margaret Chu, that  
19 their schedule was sometime for the December  
20 2002/March 2003 timeframe to issue a record of  
21 decision formalizing their preference for rail. Well,  
22 those dates have come and gone. No ROD has been  
23 issued, unless I missed it yesterday or Friday.

24 And to further compound this issue, at the  
25 end of March press stories began to emerge that DOE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was thinking for budgetary reasons of either delaying  
2 or deferring the whole issue of planning rail access  
3 to Yucca Mountain.

4 Next slide, please.

5 This slide, for your information,  
6 summarizes the information on the five corridors  
7 identified in the EIS.

8 Next slide, please.

9 And this map gives you an overview. Put  
10 simply, there are two short rail corridors that go  
11 through Clark County, the Valley route and the  
12 Jean/Sloan route. There are two long routes, the  
13 Caliente route and the Carlin route, each of which  
14 would be over 300 miles.

15 And there is a version of the Caliente  
16 route that would go through Chalk Mountain, through  
17 what we call the back door to the test site. Many of  
18 you have heard about this area in association with  
19 Groom Lake and purported extraterrestrial activities.

20 I can't do anything to elucidate the  
21 rumors about that, but I will tell you that this is a  
22 big point of contention between the Air Force and DOE,  
23 that the Air Force is adamant that DOE will not be  
24 able to use that route.

25 Now, DOE has kept that route in their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 planning documents because there are some people,  
2 particularly in Lincoln County, Nevada, who are  
3 advocating that approach. But DOE has identified this  
4 as a non-preferred option.

5 Next slide, please.

6 Let me briefly show you some of the  
7 problems that have occurred with the development of  
8 these routes. Since the time that DOE first indicated  
9 an interest in the Valley route through northern Las  
10 Vegas, the Bureau of Land Management has transferred  
11 these lands along the corridor, and they have now been  
12 sold and are in the process of being developed  
13 commercially and residentially. This route is almost  
14 certainly no longer available to DOE.

15 Next slide, please.

16 A similar dilemma has occurred in this  
17 strip of I-15. It's basically the last 25 miles  
18 before you enter California, and there are a couple of  
19 different options for rail access there. Conflicts  
20 there include a new regional airport, casino and hotel  
21 development, and large-scale residential development.

22 That's not to say, again, that it's  
23 completely impossible that DOE would go through these  
24 routes, but now they are no longer talking about  
25 transfer of Bureau of Land Management federally-owned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 land. They actually would have conflicts with  
2 privately-owned lands.

3 We believe for those reasons that the two  
4 short routes to Yucca Mountain are just not feasible  
5 any more.

6 Next slide, please.

7 This map simply shows you the way that the  
8 Chalk Mountain variation of the Caliente route goes  
9 across the Nellis Ranges.

10 Next slide, please.

11 Now that leaves us to consider the  
12 feasibility of the two long rail routes to Yucca  
13 Mountain -- Caliente and Carlin. And, in fact, there  
14 are a couple of different variations of the Caliente  
15 route. It originally followed existing U.S. highways,  
16 U.S. 93 and State Route 373, and it was abandoned in  
17 1990, or at least deferred, because you had to go  
18 through high mountain passes like Hancock Summit.

19 Next slide, please.

20 And there are also a number of pristine  
21 environmental areas. Yes, I say this often -- I hope  
22 people don't get tired of hearing it -- but I know  
23 there are many people that think all of Nevada looks  
24 like the Sahara Desert as portrayed in a 1930s black  
25 and white movie about the French Foreign Legion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And, indeed, there are some parts of  
2 Nevada that look like that, but there are also a large  
3 number -- 12 to 15 at least -- of these delicate oasis  
4 environments that are located along the routes that  
5 DOE has identified. And these are going to be an  
6 extremely difficult problem, both from the standpoint  
7 of environmental approvals and land acquisition.

8           And, indeed, partly to avoid Hancock  
9 Summit and partly to avoid this particular area, which  
10 is Crystal Springs near Hico Canyon -- next slide,  
11 please -- they moved the whole original Caliente route  
12 40 miles to the north. And that solved some of their  
13 problems but created others, like now having to go  
14 through seven major high mountain passes, including  
15 Bennett Pass -- next slide, please -- and Timber  
16 Mountain Pass.

17           And in addition to the high mountain  
18 passing, this is the White River -- and because of the  
19 potential for catastrophic surface flooding this will  
20 not only involve a long series of well-designed curves  
21 to keep the proper curvature and grade going up to the  
22 pass, but also will consider a very robust bridge  
23 structure to handle the potential flooding that occurs  
24 in that area.

25           And, really, these slides typify the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difficulty of going east-west in Nevada where the  
2 mountains run north and south.

3 Next slide, please.

4 Now, the one route that DOE is considering  
5 that runs primarily north to south is the Carlin  
6 route, which would come off of the Union Pacific main  
7 line near Beowawe. This is Beowawe, and this is  
8 Crescent Valley, which is a long valley almost 100  
9 miles long.

10 Next slide, please.

11 And the one advantage from a construction  
12 standpoint of this route is that most of this route  
13 runs north-south with the mountain valleys than across  
14 them. On the other hand -- next slide, please --  
15 there are also some very, very difficult issues with  
16 the Carlin route that have to do with impacts on  
17 private property, and particularly very rich mining  
18 plains which would be subdivided by the land  
19 acquisition for the railroad.

20 On this slide, we've summarized, as best  
21 we can -- generalize about the difficulty of rail  
22 access. All of these rail corridors identified by DOE  
23 have problems, but the short ones we believe are  
24 clearly out. And the Caliente and Carlin routes would  
25 be the longest new rail construction since the '30s,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 possibly before. In each case, there are very  
2 significant terrain and environmental challenges.

3 We haven't even talked in detail about the  
4 almost certain -- I've said potential here --  
5 conflicts with Native American cultural sites and land  
6 claims. And, frankly, this billion dollar  
7 construction cost is low. If we assumed that a rail  
8 line, if it's built, is going to have to be for shared  
9 uses, have a weigh station, and be operated with  
10 computerized train control, operated with state-of-  
11 the-art safety systems, it could easily cost  
12 \$2 billion based on the state's assessment, which was  
13 last done in 1998.

14 So perhaps the specific details are less  
15 important. The bottom line conclusion here is DOE has  
16 not demonstrated that it can build a rail spur to  
17 Yucca Mountain, and at least two, probably three of  
18 their five corridors are clearly infeasible, and the  
19 two that are remaining have grave problems.

20 Next slide, please.

21 Now, DOE has proposed an innovative  
22 alternative, and some weeks they tell us that it's  
23 still a live alternative, and other people -- and  
24 other weeks their people tell us that it is no longer  
25 a live alternative. And that's an alternative that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involves putting heavy rail casks -- rail casks up to  
2 160 tons -- on large, heavy haul trucks.

3 Now, in Nevada, we license a few -- we  
4 permit a few of these types of rigs every year because  
5 in the mining industry we move large pieces of  
6 equipment like autoclaves. But even in a state like  
7 Nevada with a lot of mining, it's fairly rare that  
8 rigs of this size would be used. Maybe two, three, or  
9 four times a year our Department of Transportation  
10 issues a permit for the whole state.

11 So what DOE's rig looks like is something  
12 that's about 70 meters long. And I like to put this  
13 in human scale. I'm a Green Bay Packers fan, and  
14 Brett Favre can't throw a football that far from end  
15 to end, and Mia Hamm can't kick a soccer ball that  
16 far.

17 Now that doesn't mean that it's absolutely  
18 technically impossible.

19 Next slide. Next slide, please. Two  
20 back, please. One more. There. We should have a map  
21 in there. There we go.

22 DOE has actually talked about running  
23 these big rigs on the Beltline around Las Vegas from  
24 intermodal sites at Valley or Jean. And they've  
25 talked about possibly doing this along a route from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Caliente, either around the test site or through the  
2 back door of the test site.

3 We don't believe any of these routes are  
4 feasible when you look at the cost of upgrading.  
5 Certainly, the longer routes are technically feasible,  
6 but you reach a point -- next slide, please -- where  
7 the cost of running heavy haul equals or exceeds rail  
8 and doesn't provide any benefits. And I've listed  
9 here the institutional problems, primarily permit  
10 requirements.

11 Because of the way the system is being  
12 planned, the state will have no legal obligation to  
13 actually issue permits for these rigs, because it's  
14 the shipper who has decided to use a large package.  
15 It's not a situation where you meet the separability  
16 or divisibility definitions in 49 CFR that govern  
17 whether a state is required to issue these permits.  
18 And there are a number of other issues that we don't  
19 need to go into in detail.

20 Now, again, I've included this discussion  
21 not because I think this is feasible, but because it's  
22 in the EIS and it's discussed every once in a while.  
23 And I was told at the waste management conference in  
24 Tucson that DOE had abandoned heavy haul, and I was  
25 told that again at a Western Governors Association

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting on April 3rd. But then, a couple weeks ago,  
2 we heard that DOE may be reconsidering it again.

3 Next slide, please.

4 Another aspect of difficult rail access  
5 involves shipments through Las Vegas. Again, I don't  
6 want to read the whole slide. There are eight ways to  
7 ship waste to Nevada by rail, and seven of them go  
8 through downtown Las Vegas.

9 Next slide, please.

10 And the percentage of shipments that could  
11 go through downtown Las Vegas are as high as 85  
12 percent. Let's look at where the Union Pacific main  
13 line is if we're in the stratosphere looking towards  
14 California. It's right here. You can actually see a  
15 train on the track here. The strip is over here.

16 Obviously, this is a big concern to people  
17 in Las Vegas. Now, remember, we're not talking about  
18 building a new spur here. We're talking about the  
19 possibility that even development of the Caliente spur  
20 could be linked to the national rail system through  
21 thru shipments through downtown Las Vegas.

22 Next slide, please.

23 Now, on the east side looking towards the  
24 Arizona-Utah line, you can see the Union Pacific  
25 continuing. This is the Clark County government

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 building. This is one of the nearest casinos.  
2 Indeed, we have numbers of instances where parking  
3 lots and commercial buildings are within 20 to 30  
4 meters of the side of a cask, if these routes were to  
5 be used.

6 Next slide, please.

7 And in the half-mile corridor centered on  
8 the rail our evacuation planning tells us that at any  
9 hour of the day over that 32-mile corridor we've got  
10 about 85,000 people in that area.

11 Next slide, please.

12 So my summary is, when you hear that it's  
13 all going to be by rail, I hope you'll remember how  
14 difficult rail access is going to be.

15 Next slide, please.

16 I'm going to move quickly through some  
17 numbers. Kevin made a good point in the previous  
18 presentation about the uncertainty about almost every  
19 scrap of data that's used in analysis of past and  
20 future shipments. Fred Dilger and I have made an  
21 effort to review the existing databases, and we have  
22 provided for you our summary of what the past  
23 shipments of spent fuel have been.

24 Next slide, please.

25 And we've compared these with three

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 scenarios -- DOE's mostly truck -- next slide, please  
2 -- and here I've summarized the factors that Bob Loux  
3 mentioned that would favor legal weight truck, and we  
4 don't need to go into those details, but I'll be happy  
5 to answer questions about them.

6 Next slide, please.

7 And this is DOE's very optimistic, mostly  
8 rail scenario.

9 Next slide, please.

10 And based on 10 years of our own  
11 independent study, here is what we think is the most  
12 probable scenario if DOE is able to build a rail spur.  
13 We think the most probable scenario would be about  
14 two-thirds of the spent fuel by rail and one-third by  
15 truck.

16 Next slide, please.

17 And here we've compared the past shipments  
18 with future shipments, giving the full spread of those  
19 three scenarios.

20 I think the thing I'd like you to remember  
21 here is that when we say, in meetings where industry  
22 and DOE representatives say, "Well, we've had all  
23 these shipments in the past, and we've not had any  
24 problems; we've had a few accidents but no releases,"  
25 our argument is the future shipments are going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very different. There will be a lot more, and the  
2 shipment characteristics will be a lot different. And  
3 some of these differences have very direct technical  
4 implications for risk assessment and risk management.

5 Next slide, please.

6 This is the map of representative highway  
7 routes that DOE included in their EIS. They call them  
8 representative routes. We actually think they are the  
9 most likely routes based on our studies and DOE's  
10 studies over the last 15 years.

11 The point I want to make to you is there  
12 will be major funneling impacts in urban areas, like  
13 Chicago, St. Louis, Salt Lake City, L.A., San  
14 Bernardino, Atlanta, Cleveland, so the issue of  
15 shipments through urban areas will likely have to be  
16 confronted and confronted both in a technical risk  
17 assessment manner and in meetings with the affected  
18 community.

19 Similarly -- next slide, please -- there  
20 are similar, perhaps even greater, funneling effects  
21 at rail interchange points in Cleveland, Chicago, St.  
22 Louis, Kansas City. In fact, an irony here in Chicago  
23 -- one out of every three rail casks to Yucca Mountain  
24 go through downtown Chicago to reach the UP's Proviso  
25 yard, which is just south of O'Hare Airport.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Next slide, please.

2                   And there are going to be a lot of  
3 affected jurisdictions and populations. This is our  
4 best summary. Regardless of which approach is used,  
5 you're talking about up to 45 states, 700 counties,  
6 and 50 Indian reservations, 100 million to 120 million  
7 people living in the impacted counties, and, based on  
8 our latest GIS analysis, more than 11 -- perhaps as  
9 many as 15 million people living within one-half mile  
10 of a potential highway route.

11                   Next slide, please.

12                   The third area that I'd like to call to  
13 your attention -- radiological risk issues -- has to  
14 do with the fact that the age or cooling time of spent  
15 fuel is a critical driver in the way that the  
16 radiological risks of a transportation campaign shake  
17 out.

18                   Now, this is an old table, but it's one of  
19 my favorite ones, because it goes back to the days  
20 when the Department of Energy wasn't squeamish about  
21 laying hard facts out on the table. This is from the  
22 Department of Energy's filing in the 1980 waste  
23 confidence proceeding before the Commission.

24                   The important point is this, two important  
25 points. One is that even after 50 years there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 still a considerable total inventory and a very  
2 considerable surface dose rate in average spent fuel.  
3 And most of this dropoff or a significant dropoff  
4 occurs in the first 10 years. And then, it's fairly  
5 significant where you're making your decision in here,  
6 as to how -- what you specify the average spent fuel  
7 age will be for the shipments.

8 Next slide, please.

9 Now, DOE has assumed for its planning  
10 purposes an average spent fuel age of about 23 to 24  
11 years. In their accident analysis they use a somewhat  
12 hotter fuel -- 14 to 15 years out of reactor. But, in  
13 fact, the NRC regulations allow five year-old fuel to  
14 be shipped in truck casks with dry interiors, and they  
15 allow 10 year-old fuel to be shipped in rail casks.

16 The point I want to make here simply is  
17 that every one of the new high-capacity casks  
18 represents an enormous inventory not only of a wide  
19 range of radionuclides, but particularly a large  
20 amount of Cesium-137.

21 Next slide, please.

22 And it's particularly the Cesium-137,  
23 which is a major gamma radiation source, that produces  
24 these routine radiation concerns. Again, I don't want  
25 to belabor these points, but I want to list them for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your reference.

2 We think the primary concerns in routine  
3 radiation have to do with exposures to workers, and  
4 there are some categories of workers who can  
5 potentially receive high enough doses to actually have  
6 a concernable statistical impact on cancer  
7 possibilities.

8 In particular, the analysis that DOE has  
9 said, that without administrative controls safety  
10 inspectors could receive a dose that would give you  
11 about a 10 percent increase in lifetime cancer  
12 fatality probability, even using the dose risk  
13 conversion factors that DOE uses, which we don't think  
14 are appropriate, and the possibility of a 40 percent  
15 increase in other types of health effects.

16 We're particularly concerned, however,  
17 about a type of exposure that hasn't been addressed  
18 much in the literature. Most of the literature that  
19 looks at people along routes has focused on potential  
20 doses to people along the route.

21 And while that's certainly a potential  
22 concern, we believe an additional concern is that  
23 where you have unique local conditions, where routes  
24 would funnel in Nevada, you create situations where  
25 large numbers of recurrent shipments create the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equivalent of an elevated radiation exposure dose on  
2 people's private property. Let me give you two  
3 examples.

4 Next slide, please.

5 This is a potential highway route in the  
6 city of Ely, where U.S. 93 and U.S. 6 come together,  
7 and trucks would be required to make a left-hand turn  
8 stopping at this stoplight anywhere from 30 to 90  
9 seconds.

10 Next slide, please.

11 Perhaps the greatest potential for  
12 exposures is in the town of Goldfield, along U.S. 95,  
13 which is both a potential legal weight truck route and  
14 a potential heavy haul truck route. And we're talking  
15 about situations here where the dose is small but not  
16 trivial, where an additional 30 to 200 millirem might  
17 be put on this area along the routes.

18 Next slide, please.

19 I'm going to race very quickly through our  
20 projections of expected accidents. If we take the  
21 historical accident rates for spent fuel shipments  
22 over the last 38 years and project them forward, we  
23 get large numbers of projected accidents and  
24 incidents. Does that mean there will be a very severe  
25 accident? No. But it does mean that the past

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident experience is basically only average compared  
2 to other traffic on the highways and rails.

3 Next slide, please.

4 Both DOE and Nevada have assessed the  
5 consequences of an accident involving a release. I'll  
6 be happy to answer any questions for you about the way  
7 that DOE calculated their consequences.

8 Next slide.

9 And Dr. Resnikoff and I can explain how  
10 Nevada has calculated these. Similarly -- next slide  
11 -- Nevada has calculated the consequences of a  
12 successful terrorist attack on a shipping cask. I was  
13 told that the committee was not comfortable discussing  
14 these issues in this meeting. I won't go into them in  
15 great detail except to say that DOE acknowledges this  
16 risk. Nevada believes that the consequences would be  
17 considerably higher.

18 But in this analysis for the Yucca  
19 Mountain EIS, this is the first time that DOE has in  
20 great detail addressed the terrorism consequence.

21 Next slide, please.

22 Now those four slides summarizing the  
23 recommendations that I promised you. Let me summarize  
24 these points. Nevada believes that there certainly is  
25 an appropriate application for probabilistic risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis regarding transportation. But we also feel  
2 that probabilistic risk analysis has been repeatedly  
3 misused.

4 We prefer a comprehensive approach, which  
5 we call comprehensive risk assessment. It's based on  
6 a document that Golding and White from Clark  
7 University prepared for us in 1990. And where did  
8 they draw their conclusions about how risk assessment  
9 should be done? They went back and they looked at the  
10 NRC's reactor safety studies that were prepared in the  
11 1980s in the aftermath of Three Mile Island.

12 And we find those to be very illuminating,  
13 and we find a lot of guidance there that tells you the  
14 proper and improper ways to use probabilities,  
15 particularly in areas where you're uncertain about the  
16 data that's available. Maybe most importantly we  
17 believe in developing life of project -- life of  
18 project structures for risk assessment, continuous  
19 risk analysis, and risk communication.

20 Next slide, please.

21 We have also outlined what we believe  
22 would be a preferred transportation system designed to  
23 manage risks. This would involve, first of all, using  
24 dual purpose casks and, second, shipping oldest fuel  
25 first. Those are important program principles that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have an unclear status at DOE right now. The original  
2 plan was to ship oldest fuel first. That's probably  
3 the easiest way overall to manage radiological risk.

4 But now both because of some design  
5 controversy at the repository about the super hot  
6 repository emplacement horizon, and some other issues  
7 that have to do with the way that utilities are  
8 interpreting their contracts, there is uncertainty  
9 about that.

10 Almost without saying, as I said earlier,  
11 maximum use of rail -- understanding that Nevada is  
12 much more realistic about this. If two-thirds of the  
13 spent fuel moves by rail, we think that's an enormous  
14 accomplishment. The other issues I discussed -- some  
15 basically planning this system in cooperation with the  
16 carriers and the affected states.

17 Next slide, please.

18 We'll talk in more detail in the next  
19 session about our specific proposal for full-scale  
20 physical cask testing.

21 Finally, we believe -- next slide, please  
22 -- we believe that accident prevention and emergency  
23 response are extremely important. There have actually  
24 been some good experiences in this area of cooperation  
25 between DOE and the affected states and tribes. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have been some other areas, frankly, in the way that  
2 DOE has proposed to privatize the system that we feel  
3 are completely wrong.

4 In particular, we believe that DOE's  
5 selection of managing contractors for transportation  
6 services should emphasize safety and public  
7 acceptance. And low bid contractor selection is not  
8 the approach to use in this important area.

9 Well, as I said at the beginning, we would  
10 like the committee to give some consideration to these  
11 four areas of recommendation. We would hope also that  
12 you would give some consideration to the site-specific  
13 transportation difficulties that we've described, and  
14 at your convenience we would be happy to come on  
15 another occasion and speak in detail about the three  
16 additional issues having to do with the specifics of  
17 probabilistic risk assessment applied to  
18 transportation, the petition for rulemaking process,  
19 and the way that the NRC has chosen its approach to  
20 regulate the Department of Energy.

21 I thank you so much for giving me the  
22 opportunity to lay out a large number of points. And  
23 I'm sorry that I haven't been able to do it in a more  
24 entertaining fashion, but I appreciate the fact that  
25 you've all stayed with me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I don't know if we want to take  
2 questions now, Tim, or defer them until after Marvin's  
3 presentation. But I'm happy to go either way.

4           Thank you very much.

5           MEMBER LEVENSON: Just one comment. We do  
6 our entertainment after hours.

7           (Laughter.)

8           John, you have a comment?

9           MEMBER GARRICK: We'll probably ask more  
10 questions later, but I wanted to ask you about one  
11 area. You have made a considerable amount of study on  
12 what appears to -- at least on first glance to be the  
13 risk of a nuclear -- spent nuclear fuel transportation  
14 system.

15           Have you made any attempts to put this in  
16 context with the risk of hazardous materials that go  
17 down through Las Vegas and all of the cities that we  
18 know about? And have you --

19           MR. HALSTEAD: Yes, that's --

20           MEMBER GARRICK: -- attempted to template  
21 onto that any kind of a risk-benefit perspective to  
22 sort of serve as a normalizing vector, if you wish,  
23 for the whole process?

24           MR. HALSTEAD: Well, that's a question  
25 that properly requires a very long answer. Let me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 give you the short answer. I work on other hazardous  
2 materials, have for a long time. And I'm very much  
3 aware of those other risks.

4 I think we need to state at the beginning  
5 that there is a difference of opinion on the part of  
6 the Nevada studies and other people's studies looking  
7 at the consequences of accidents. The rule of thumb  
8 for a severe accident involving a gasoline tanker or  
9 a propane tanker in an urban area is 5 to 10 dead and  
10 \$5- to \$10 million in damages, and you start cleaning  
11 up the next day.

12 And the potential consequence from a  
13 credible, but not necessarily worst case spent fuel  
14 accident is very much more severe. So from the  
15 standpoint of consequences, our argument is that these  
16 risks are properly seen in a way that puts much  
17 stricter regulation on nuclear waste shipments.

18 And we respect the fact that the -- both  
19 in statute and in regulation this differential between  
20 other types of hazardous materials and spent fuel is  
21 recognized.

22 Now, admittedly, every once in a while we  
23 find, for example, that rail tank car construction  
24 isn't appropriate, and the National Research Council  
25 and the National Transportation Board have to look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific issues.

2 But in general, we feel that the  
3 differential regulation, which is much stricter,  
4 reflects the consequences.

5 Now, when we relate these to  
6 probabilities, you will find, because of the frequency  
7 of certain types of shipments like gasoline, that the  
8 per person annualized risk will look much greater for  
9 other types of hazardous materials. I will  
10 acknowledge this. If you do this on a strictly  
11 statistical basis, you will scratch your head and say,  
12 "Well, why are we regulating spent nuclear fuel this  
13 way?" We would argue it's appropriately more strictly  
14 regulated because of the greater consequence.

15 Now, secondly, let me tell you about some  
16 of the experiences the State of Nevada has had and how  
17 we come up against federal preemption. There is a  
18 famous case from the '70s of an effort by the State of  
19 Nevada, because we have a lot of mining companies  
20 shipping a lot of explosives that we think are quite  
21 dangerous, and some of the industry practices involve  
22 things like leaving boxcars full of explosives  
23 unguarded in unsecured locations along sitings in  
24 urban areas.

25 We went through a long effort where our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 state attempted to require security for boxcars of  
2 explosives parked in urban areas. And after about  
3 three years we lost that case in a consistency  
4 determination by the U.S. Department of  
5 Transportation.

6 I could lay other examples for you, but I  
7 want to make clear nuclear waste is not the only  
8 dangerous goods that the State of Nevada is aware of,  
9 and has attempted to regulate.

10 I would say at this point we are taking a  
11 very open-minded approach to this comparative societal  
12 hazards assessment that the NAS study is -- and I very  
13 much appreciate the fact that several of you on the  
14 committee made clear your expectation that in order  
15 for that study to be helpful to us on addressing just  
16 this issue we're going to need some sound  
17 quantification.

18 So I understand the concern you have that  
19 we not -- that we not base public policy on an  
20 unsubstantiated view of what the different risks of  
21 different materials are. I know that's a long-winded  
22 answer. If there's a way that I can be more specific  
23 about it --

24 MEMBER GARRICK: Well, if there's one  
25 lesson that we've learned from large scope

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quantitative risk assessments, it has been the folly  
2 of putting too much focus on consequence analysis.  
3 And I think that's -- I think every time we've done a  
4 quantitative risk assessment on a very large system we  
5 have found many surprises in terms of what people are  
6 mostly focused on as consequences.

7           And I think the discipline has matured  
8 enough now to know that we can really take the public  
9 down the wrong path very carefully, very easily, if we  
10 put too much attention on consequence analysis. And  
11 I would just caution any kind of general effort in  
12 that regard.

13           I was pleased to see the amount of  
14 emphasis you are giving to incorporating the risk  
15 thought process in your work, and I agree with you, as  
16 everybody would expect me to, that that's a very  
17 important step forward. But I think as you do that,  
18 you're going to find a lot of surprises in terms of  
19 what we tend to get out of an analysis that is  
20 principally a consequence analysis.

21           MR. HALSTEAD: Might I say, Dr. Garrick,  
22 that I pretty much agree with the comments you've  
23 made. I would hope at some future time that we could  
24 set aside the time necessary to have a full discussion  
25 of these general issues looking at a specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application, and I believe NUREG/CR-6672 would be a  
2 good way to focus that discussion.

3 That was a very, very ambitious  
4 undertaking. And when I speak critically of it, I  
5 don't speak without respect for the difficulty of  
6 doing, in essence, a reworking of the modal study and  
7 a reworking of NUREG-0170, which is the basic document  
8 that underpins the NRC's transportation regulations  
9 going back to 1977.

10 And our concern about PRA is not an out-  
11 of-hand rejection; it is a rejection of the use of PRA  
12 to give oversimplified, unjustifiable easy answers.

13 It has to do with the debate of whether if  
14 you use an expected value approach to report a finding  
15 you need also to talk about the uncertainties  
16 associated with the data sets and the analysis, and it  
17 also goes to an approach that says in many cases there  
18 are raging methodological debates about what values to  
19 use even when you have good data.

20 And I'll just give you an example. We've,  
21 in the past, commissioned very detailed accident rate  
22 studies on the highways in Nevada. And I was quite  
23 surprised that even with certain high accident  
24 locations and high accident route segments you find  
25 enormous variation in the year-to-year accident rate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So do you use 3-year averages, 5-year  
2 averages, 10-year averages, 30- or 40-year averages,  
3 to reflect the time period? So understand there is  
4 not a rejection of probabilistic risk analysis on our  
5 part. It's a dissatisfaction with the way that these  
6 PRA efforts have been conducted, and we would really  
7 look forward to an opportunity to bring some of the  
8 same people and some different people and really get  
9 at those issues in detail.

10           And I thank you very much for your  
11 comments.

12           MEMBER GARRICK: Thank you.

13           MEMBER LEVENSON: I just have one  
14 question, and hopefully we can have a short answer.  
15 You included something important to safety -- the use  
16 of dedicated trains.

17           At our first workshop on  
18 shipping/transportation, the Navy -- that is not  
19 notorious for saving money -- came to the conclusion  
20 that there was no advantage to dedicated trains. In  
21 fact, from a security and safety standpoint, they felt  
22 it was disadvantaged. And so they don't use dedicated  
23 trains at all in any of their shipments.

24           I wondered why this difference of opinion  
25 between you and the Navy. Since it doesn't involve

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us, it's an easy question to ask.

2 MR. HALSTEAD: Oh, wait. Well, first, it  
3 is a longer answer, I'm sorry, but the reason -- well,  
4 first of all, let's understand that the Department of  
5 Energy is the only player in this game who is opposed  
6 to dedicated trains. Almost all of the affected  
7 states want them to be used. The industry has only  
8 used dedicated trains for the last few decades.

9 The railroads are adamant they will be  
10 used to say that the Nuclear Energy Institute has  
11 recently endorsed the use of dedicated trains for  
12 civilian spent fuel. Now, what about this Navy  
13 experience?

14 First of all, let's remember that Navy  
15 fuel is very different than commercial fuel. It's  
16 designed for use in battlefield conditions. And,  
17 secondly, it's shipped in very large, robust, rail  
18 containers. So both the physical configuration of the  
19 fuel and the casks are, frankly, of less concern to us  
20 from the standpoint both of accident releases and  
21 terrorist attacks.

22 Secondly, my understanding is that the  
23 Navy is adamant about a 35 mile per hour speed limit  
24 on those trains. And that has always been their  
25 prevailing approach to safety as opposed to requiring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dedicated trains.

2           And, finally, railroad people have told me  
3 that in a number of instances they have accommodated  
4 the Navy by moving those casks either in dedicated  
5 trains or short trains, because the weight of the  
6 large casks can potentially have adverse impacts on  
7 train dynamics.

8           That said, I would love to see all of the  
9 data -- it would have to be done in some secured arena  
10 -- on the Navy fuel shipments, which I believe are --  
11 there is claimed to be about a million shipment miles  
12 of experience and about, as I recall, 700 to 800  
13 cross-country shipments. And I certainly think we  
14 should look at that experience and see if there is  
15 something in particular with the security requirements  
16 there.

17           But the main reason we haven't included  
18 them in our analysis is that the statistical  
19 information is not readily available.

20           MEMBER LEVENSON: Of course, it is the  
21 largest database. I think there are a couple of  
22 issues. One is their burn-up is much, much, much  
23 higher than anything we're talking about.

24           MR. HALSTEAD: Right.

25           MEMBER LEVENSON: So the source term is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potentially very much higher. And, secondly, I'm not  
2 sure their rail cars are any more robust, because I've  
3 not seen a comparative analysis between that and the  
4 proposed DOE --

5 MR. HALSTEAD: Well, when I say that, I'm  
6 talking about the current ones. The current Navy rail  
7 cask compared to an IF300 is quite substantially  
8 different. And, indeed, the new MPCs that the Navy is  
9 proposing are, I believe, more robust than any of the  
10 other cask designs. I feel comfortable making that  
11 general statement.

12 But nonetheless, I would agree that we  
13 need to look at the Navy experience. And the problem,  
14 until very recently -- it's only recently that the  
15 Navy was willing to release that shipment mile figure,  
16 because I've asked for this data for 10 years.

17 MEMBER LEVENSON: Okay. Thank you. I  
18 guess we'll move on to Dr. Resnikoff.

19 DR. RESNIKOFF: Thank you, Mr. Chairman.  
20 I'm going to talk about the Baltimore  
21 Tunnel fire, which the State of Nevada has asked us to  
22 investigate. I'm going to also catch up on some time,  
23 so we can get back to the schedule.

24 Why should we investigate the Baltimore  
25 Tunnel fire? It looked to us that the length and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature of the fire appeared to exceed design  
2 requirements for shipping casks. The fire lasted for  
3 five days. It reached flame temperatures of 1,800  
4 degrees Fahrenheit. Also, we've seen in the study by  
5 Southwest Research Institute that perhaps the flame --  
6 perhaps the temperature could have been much higher  
7 than 1,800 degrees Fahrenheit. They quote a figure of  
8 up to 2,600 degrees Fahrenheit.

9 It's not an empty exercise in the sense  
10 that fuel from the Calvert Cliffs reactor would  
11 actually travel through the same tunnel that had the  
12 fire. The fire also has important implications for  
13 accident probability and risk estimates used in the  
14 Rad Tran program.

15 So state, therefore, asked us to look at  
16 the environmental and economic implications of the  
17 Baltimore Tunnel fire. In this slide, I just show  
18 some of the rail routes. One rail -- let's see, the  
19 purple dot there is Baltimore. The rail routes -- the  
20 rail routes from Calvert Cliffs go through Baltimore,  
21 as you can see.

22 The chronology of the fire -- next slide  
23 -- is the following. This fire occurred on July 18th,  
24 the year 2001. Approximately 3:00 in the afternoon,  
25 the train began to enter the tunnel traveling 23 miles

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an hour. It was a 60-car, mixed freight train. It  
2 entered at the Howard Street tunnel.

3 The next details are a little unclear, and  
4 the National Transportation Safety Board hopefully is  
5 going to inform us as to the actual details. But it  
6 appears that the train derailed within the tunnel.  
7 The 52nd car of a 60-car train derailed within the  
8 tunnel. Emergency brakes were activated.

9 One car contained approximately 28,000  
10 gallons of tripropylene, and that caught fire.  
11 Following that, the train crew uncoupled the engines,  
12 drove out of the tunnel, and called the train  
13 dispatcher.

14 For some reason, they weren't able to  
15 reach the train dispatcher right away, and not until  
16 3:25, which is 18 minutes after the accident, because  
17 they reached the train dispatcher and for some reason  
18 at 4:15 the fire department finally arrived. But they  
19 couldn't enter the tunnel at that time. There was too  
20 much smoke coming from the tunnel. The tunnel was too  
21 hot.

22 This shows what it looked like. This is  
23 the south portal, and the south portal is the lower  
24 end of the tunnel. The tunnel is on a .8 percent  
25 grade, so this is the lower end of the tunnel near

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Camden Yards ballpark. And this entrance is  
2 approximately 2,400 feet from the derailment.  
3 Firefighters are just standing on the outside.

4 This is the north portal, which is the  
5 higher end, and you can see much more smoke is coming  
6 out of this end of the tunnel. North portal is  
7 higher. And this portal is about 5,800 feet from the  
8 derailment, a mile and a half tunnel.

9 About 5:00 to 6:00 in the afternoon, in  
10 the midst of rush hour, the Howard Street -- Howard  
11 Street itself was closed. This tunnel runs under  
12 Howard Street in Baltimore.

13 Three hours into the accident a 40-inch  
14 water main located in the ceiling of the tunnel  
15 ruptures pouring water into the tunnel. It's not  
16 clear exactly why the water main broke, whether it was  
17 due to the heat of the fire or some of the stresses  
18 when some of the metal softened.

19 Essentially, this water main acted as a  
20 sprinkler system and put out the fire -- put out the  
21 tripropylene fire, it's believed. There was a  
22 difference in the smoke that came out of the tunnel  
23 following three hours after the accident.

24 Finally, seven hours after the accident,  
25 the firefighters were able to enter the tunnel but not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 yet put out the fire. They were able to enter the  
2 south portal, the lower end. And finally, the next  
3 day, workers began removing all but some of the  
4 burning cars. Some cars had paper goods and other  
5 goods that were still burning.

6 When we did the analysis -- you can't see  
7 this red arrow too well. When we did the analysis,  
8 the prime issue for us was, what was the temperature  
9 of the fire? And how did it relate to the cask design  
10 which is a half-hour fire at 1,475 degrees Fahrenheit?

11 The only information we had at the time is  
12 an eyewitness account, a fireman's eyewitness account.  
13 A fireman saw -- seven hours after the initiation of  
14 the fire, he saw, when he entered the tunnel, metal  
15 glowing with a deep orange color. And from that we  
16 could get a temperature reading seven hours after the  
17 initiation of the fire.

18 And we surmised that the fire temperature  
19 at the height of the rail cars was somewhere between  
20 1,500 and 1,650 degrees Fahrenheit. As I said,  
21 Southwest Research Institute has examined the  
22 components of the -- of the cars, in particular they  
23 looked at brake shoes, which had an alloy that fused,  
24 and they estimated that that -- the temperature for  
25 that to have happened was 2,400 degrees Fahrenheit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So perhaps the flame temperature was  
2 higher, and that brake shoe was exactly in the flame  
3 itself.

4           The National Institute of Health -- excuse  
5 me, National Institute of Standards and Technology  
6 used a computer model to simulate the fire. They have  
7 a computer model which actually looked -- and they've  
8 actually benchmarked this computer model with a tunnel  
9 in West Virginia. And they've estimated a peak flame  
10 temperature of 1,800 degrees Fahrenheit, which lasted  
11 for three hours. That is the time before the water  
12 main broke.

13           They took into account the availability of  
14 oxygen within the tunnel, and some of the higher  
15 temperatures were located near the roof of the tunnel.  
16 The tunnel itself is lined with about three feet of  
17 brick, and the brick essentially acted as an oven or  
18 kiln.

19           In other words, the fire heated up the  
20 brick, and so it's not just a three-hour fire that has  
21 to be considered, it's a three-hour fire at a certain  
22 temperature, and then a continuing afterheat in the  
23 brick itself. Any modeling of cask response has to  
24 take that into account.

25           The temperatures calculated by NIST don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differ so much from the observations of the fireman  
2 who came into the tunnel.

3           The next slide shows what are the  
4 regulatory tests for a cask? I'm sure you know this  
5 already, but let me just repeat. There are certain  
6 regulatory tests that are required. I should repeat  
7 what Bob said. None of the casks have actually --  
8 that are in use, or certified, have actually been  
9 physically tested, though the NRC is planning for such  
10 a test.

11           The regulatory test consists of a drop  
12 puncture submersion test, but the one that interests  
13 me is the 30-minute fire at 1,475 degrees Fahrenheit.  
14 The conditions in the Baltimore Tunnel greatly  
15 exceeded the cask design requirements, in that the  
16 fire reached temperatures of 1,800 degrees Fahrenheit  
17 for three hours, not 1,475 for 30 minutes. And the  
18 tunnel continued to stay hot.

19           The issue posed by the State of Nevada is,  
20 what are the implications if a rail cask were involved  
21 in a fire similar to the Baltimore Tunnel fire? In  
22 other words, if the cask was in a mixed freight train  
23 containing other materials, hazardous materials?

24           Looking at -- this is a closeup of the  
25 potential accident scene. This is the Howard Street

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tunnel, and these are the calculations that we did  
2 assuming a certain amount of material came out.  
3 Assuming this was a certain severity accident, the  
4 dots, which aren't easily seen, but the smallest  
5 circle, the blue circle, is a dose -- an immediate  
6 dose of five rem.

7 And some of these other lines are lesser  
8 doses, but the area is much greater. Some encompass  
9 some of these stadiums. The PCINet Stadium is where  
10 the Baltimore Ravens play. This accident happened in  
11 between a day and night doubleheader in Camden Yards,  
12 and people were evacuated at that time.

13 If the fire occurred -- if such a fire  
14 like this occurred in the tunnel, material would  
15 adhere to the tunnel walls. So there would be a gamma  
16 dose that would be rather high that would come from  
17 the walls itself. We didn't estimate that. We just  
18 looked at the environmental implications outside the  
19 tunnel.

20 CHAIRMAN HORNBERGER: So tell me, are you  
21 mobilizing -- how are you mobilizing the inventory?

22 DR. RESNIKOFF: What did you say?

23 CHAIRMAN HORNBERGER: How are you  
24 mobilizing the inventory? Presumably, you're  
25 dispersing this as fine particulate?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. RESNIKOFF: No. We're assuming that  
2 the material is Cesium-137, essentially Cesium-137,  
3 not the particulates themselves, because Cesium-137 is  
4 semi-volatile. But the material could then adhere to  
5 cooler walls in the tunnel, and that would yield a  
6 high gamma dose to emergency personnel.

7 Also, the cask itself, in calculations --  
8 and I'll talk about that later -- calculations done by  
9 Holtec for the HI-STAR cask, assume that neutron  
10 shielding is lost, would boil off in high  
11 temperatures. Neutron shielding is a resin. It has  
12 fairly low temperatures.

13 And without neutron shielding, the neutron  
14 dose would be much higher. We estimate a neutron dose  
15 on the order of a half-rem an hour. That also would  
16 be of concern to emergency personnel.

17 The implications we found are the  
18 following. There are important implications for cask  
19 design. This cask -- all casks are designed to  
20 withstand a half-hour of fire at 1,475 degrees  
21 Fahrenheit, which is far below the Baltimore Tunnel  
22 fire.

23 The NRC staff has argued that even if the  
24 cask is designed to withstand a half-hour fire it can  
25 still withstand a fire like the Baltimore Tunnel fire,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I disagree with that. I don't believe that's  
2 correct. I think it would be more honest to say that  
3 these casks are not designed to withstand all credible  
4 accidents that could happen.

5 And once you just estimate the probability  
6 of these rare accidents -- and perhaps a half-hour  
7 fire at 1,475 degrees Fahrenheit is sufficient, but,  
8 you know, when one -- taking into account the  
9 probability of these kinds of rare accidents -- but,  
10 please, not once in a million years, you know, for  
11 this kind of accident.

12 It would be important for emergency  
13 personnel to learn from the Baltimore Tunnel fire. I  
14 believe communications are poor in a tunnel. The  
15 train crew could not communicate until they got out of  
16 the tunnel. Radio communication was not possible,  
17 cell phones were not possible.

18 Emergency personnel should be trained and  
19 equipped to handle radiation accidents. For instance,  
20 they need -- if they are going to have accidents with  
21 fires, then they need to have neutron detecting  
22 meters, just as they have gamma detectors.

23 Those are the main points that I want to  
24 make. Do you have any questions?

25 MEMBER LEVENSON: George? John?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I want to thank you.

2 We're 10 minutes ahead of schedule, but  
3 before we break I'd like to ask if there's anyone in  
4 the audience who would care to ask a question of the  
5 speakers or make a comment.

6 MR. GRIFFITH: Chairman Levenson, my name  
7 is Tom Griffith. I'm with the Naval Nuclear  
8 Propulsion Program, and I just wanted to make a couple  
9 of clarifying remarks regarding the interchange on the  
10 Navy's experience that took place earlier.

11 First of all, I'd like to thank you both  
12 for recognizing that our experience is a positive one,  
13 that our design of our naval spent fuel, you know, for  
14 battle conditions does make it an excellent candidate  
15 for transportation, storage, and disposal, as far as  
16 performing those analyses.

17 As far as the 35 mile an hour speed limit  
18 that was mentioned, I would like to point out that  
19 that speed limit was invoked for all of our large  
20 components that we transport across the country. And  
21 that speed limit was invoked, and I'll point out that  
22 that's no longer the case. We don't restrict our  
23 speed limits. I think we changed that in like 1995 or  
24 '96. I'm not sure on the date.

25 But the reason for that speed limit was to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protect our large components from damage.  
2 Specifically, we only have a small fleet of shipping  
3 containers. If one, you know, did get hit in a normal  
4 condition type event, we didn't want it to be a very  
5 high impact collision, things like that.

6 Similarly, we had one -- you know, one-of-  
7 a-kind type components that need to go into ships to  
8 support the operational fleet. So that was just a  
9 clarifying remark.

10 We did use the 35 mile an hour speed limit  
11 for a long time. The purpose of that was mostly to  
12 protect components, so the -- right now, we have 746  
13 completed shipments. Those numbers are available  
14 publicly in documents on the Naval Nuclear Propulsion  
15 Program that we issue annually.

16 So if there's additional information that  
17 you guys are requiring, please, you know, feel free to  
18 submit a request and we'll be able to make sure that  
19 what we -- you know, what's out there is available and  
20 provide it to you. So if you have any questions, I  
21 can take them at this time.

22 MEMBER LEVENSON: Thank you.

23 MR. HALSTEAD: Well, I guess -- I really  
24 appreciate your offering to make the data available.  
25 In past exchanges we had had with Ray English from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program, there was sensitivity in releasing detailed  
2 origin/destination paired data by year, which is what  
3 we really need to do in equivalent risk assessment.  
4 And I -- maybe there is a way that we can --

5 MR. GRIFFITH: Yes, there would still  
6 be --

7 MR. HALSTEAD: -- access some of that.

8 MR. GRIFFITH: There would still be  
9 sensitivity to releasing that kind of information.  
10 For clarification, Ray English is our transportation  
11 officer at our Pittsburgh Naval Reactor Office. And,  
12 again, things do change in the climate of, you know --  
13 as things change, you know, we may be able to release  
14 more or less information. If you have a standing  
15 request, we'd be more than happy to entertain that  
16 continuously, so --

17 MR. HALSTEAD: Thank you.

18 MEMBER LEVENSON: Okay. Thank you.

19 Anyone else have a comment or question?

20 MS. GUE: Thanks. I'm Lisa Gue with  
21 Public Citizen.

22 I just wanted to make a comment on the --  
23 well, the committee has returned several times to the  
24 issue of the relative risks, probabilistic weighted  
25 relative risks of nuclear waste transportation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 compared to other -- compared to the transportation of  
2 other hazardous materials.

3 And it occurs to me that it would be -- it  
4 would be interesting for the committee to also examine  
5 the way that these different risks interact and affect  
6 one another, particularly given that the NRC, of  
7 course, doesn't have jurisdiction over the shipment of  
8 other hazardous materials, but is contemplating  
9 licensing and regulatory decisions that would  
10 potentially give rise to unprecedented -- to nuclear  
11 waste transportation at unprecedented levels.

12 And, of course, I think what -- what  
13 members of the public are keenly aware of is that  
14 accidents involving other hazardous materials do, in  
15 fact, happen. And if nuclear waste -- if high-level  
16 nuclear waste were on the roads and rails in the --  
17 along the scale contemplated by the Yucca Mountain and  
18 private fuel storage proposals, there would not only  
19 be a cumulative risk but that there would be  
20 interaction between these risks.

21 And the agency's regulatory standards for  
22 nuclear waste transportation casks don't appear to  
23 match the kinds of conditions that are attained in a  
24 fire involving -- or I should just say an accident  
25 condition in general involving other hazardous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 materials.

2 So, you know, for example, what is -- what  
3 temperatures do other hazardous materials burn at that  
4 are being shipped and that could potentially be  
5 involved in a nuclear waste transportation accident?  
6 And how does that compare to the regulatory standards  
7 for nuclear waste shipping casks?

8 Thanks.

9 MEMBER LEVENSON: Thank you. Any other  
10 comments or questions?

11 I'd just like to make one, because it  
12 suddenly occurred to me that not everybody is familiar  
13 with the details of nuclear power reactor design.  
14 While the Navy fuel is certainly very robust, most of  
15 our power reactors are designed for very substantial  
16 earthquakes. And fuel is not something very, very  
17 fragile. It's pretty substantial -- all cases.

18 Let's take -- we're a couple minutes ahead  
19 of schedule. Let's take a break at this time, and be  
20 back here at -- five minutes early. We'll come back  
21 five minutes early, make sure there's maximum time for  
22 questions. We'll reconvene at five to 3:00.

23 (Whereupon, the proceedings in the  
24 foregoing matter went off the record at 2:33 p.m. and  
25 went back on the record at 3:00 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEVENSON: Let me just note for the  
2 record that for the next five presentations it's been  
3 agreed we didn't divide the time up so managing it is  
4 up to you. The 5:15 is inviolate because we have  
5 another meeting at 5:30 upstairs on another topic. So  
6 I leave it up to you to -- I won't cut anybody short.  
7 You may lose your last speaker because I'm going to  
8 save a few minutes at the end for comments from the  
9 public and the audience, but between now and then it's  
10 yours.

11 MR. HALL: Thank you very much, sir. As  
12 Mr. Halstead introduced me, my name is Jim Hall and  
13 for almost seven years I had the opportunity to serve  
14 as the Chairman of the National Transportation Safety  
15 Board. Since leaving the NTSB in 2001, I've attempted  
16 to lend my voice to important transportation safety  
17 and security issues that I believe in.

18 As the Chairman of the NTSB I repeatedly  
19 saw the results of the failure to adequately address  
20 safety at the front end of a transportation project.  
21 From my work in Tennessee where I served six years as  
22 the Director of the State of Tennessee's State  
23 Planning Office, which was responsible for overseeing  
24 the Department of Energy's cleanup of the Oak Ridge  
25 Nuclear Weapons Complex, I got a basic understanding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the complexity associated with the storage and  
2 transportation of spent nuclear fuel.

3 I'm here today speaking on behalf of the  
4 State of Nevada to focus our collective attention on  
5 one specific issue associated with potential  
6 transportation to Yucca Mountain: The need for full-  
7 scale physical testing of the shipping cask. I  
8 believe that full-scale testing is essential for both  
9 the protection of public health and safety and the  
10 promotion of public confidence.

11 Last summer when Congress was debating the  
12 siting of Yucca Mountain as the nation's nuclear  
13 repository, I was asked to comment on the safety  
14 aspect of DOE's Yucca transportation plan. During  
15 that time, I was surprised when Secretary Abraham  
16 testified before the Congress and informed them that  
17 the Department of Energy is just beginning to  
18 formulate its preliminary thoughts about a  
19 transportation plan. It has now been more than 14  
20 months since the Secretary of Energy sent the Yucca  
21 site recommendation to President Bush, and the  
22 Department of Energy has yet to present a  
23 transportation plan.

24 Although a plan has not been presented,  
25 DOE has suggested several possible approaches to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transportation issues in the final EIS, or  
2 Environmental Impact Statement, for the Yucca Mountain  
3 project. And you've probably already heard the Nevada  
4 consultants discussing some of those scenarios earlier  
5 today. However, I feel it is important to mention  
6 again that as this process continues to move forward,  
7 the Department of Energy has not yet even formally  
8 declared its stated modal preference.

9 DOE said in the FEIS that they would issue  
10 a record of their decision declaring their commitment  
11 to rail. At the current time, DOE does not even have  
12 a schedule of when they will make that most basic  
13 decision, so when I hear DOE spokesmen saying that  
14 there won't be 109,000 truck and 4,000 barge  
15 statements, I wonder as a public citizen what I'm  
16 missing. Really, we need to remember that it was the  
17 Department of Energy who put these scenarios and  
18 numbers forward, and it was the Department of Energy  
19 that stated in their opinion the risks and impacts of  
20 many thousands of truck and barge statements would be  
21 legally and socially acceptable.

22 Finally, when Secretary Abraham and his  
23 representatives say there will only be 175 shipments  
24 per year, it is important to mention that by all  
25 accounts such a number is unrealistic. At the very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 least, there would be twice as many shipments per  
2 year, and as has been pointed out, there could be as  
3 many as 2,900 per year.

4 One assumption we can make about the  
5 Department of Energy's transportation intentions is  
6 that the Department of Energy will likely assume title  
7 to commercial spent nuclear fuel at the power plants  
8 and thus DOE will legally own the fuel and be the  
9 shipper of record. The Nuclear Regulatory Commission  
10 has clearly concluded that this will be the case. Of  
11 course DOE already owns the thousands of tons of high-  
12 level radioactive waste from defense activities and a  
13 large amount of spent fuel from civilian defense and  
14 naval reactor operations. Now, why is this  
15 significant? The Department of Energy's ownership at  
16 the time of shipment is significant because it limits  
17 the degree of the NRC regulation, and that is no small  
18 matter.

19 Last May, Senator Durbin of Illinois wrote  
20 to the NRC asking, and I quote from his letter, "What  
21 role would your agency play in the transportation of  
22 spent fuel if Congress approves Yucca Mountain?" Then  
23 NRC Chairman Meserve responded in his letter response,  
24 and I quote, "If DOE takes custody of the spent fuel  
25 at the licensee site, DOE regulations would control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the actual spent fuel shipment. Under such  
2 circumstances, the NRC's primary role in  
3 transportation of spent fuel to a repository would be  
4 the certification of the packages used for transport,"  
5 end of his quote.

6 Senator Durbin asked a second question,  
7 "How would your agency be involved in selecting modes  
8 and routes for the relocation of nuclear waste if  
9 Congress approves Yucca Mountain?" Meserve again  
10 stated, "The only involvement NRC will have in the  
11 transport will be the certification of the transport  
12 cask."

13 The outgoing Chairman of the Commission  
14 has clearly taken the position that cask certification  
15 is the only aspect of DOE's transportation to Yucca  
16 Mountain that would be regulated by the NRC. Over the  
17 course of the past five weeks, Commission staff have  
18 repeated this position at public meetings on the  
19 Package Performance Study here in Rockville, in Las  
20 Vegas and Nevada, as well as Chicago. This  
21 underscores the importance of the Commission's  
22 decision regarding full-scale testing -- excuse me,  
23 full-scale cask testing, since cask testing  
24 certification is really the only area in which the  
25 Commission will be directly involved in the Yucca

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Mountain safety planning.

2 Other representatives of the State of  
3 Nevada are here today to offer the specifics of the  
4 state's proposal for full-scale testing. They will  
5 also discuss reasons why the full-scale cask testing  
6 plan proposed by the NRC staff and contractors is not  
7 only technically questionable and very costly but is  
8 also unlikely to result in increased public  
9 confidence. It is not of course the NRC's  
10 responsibility to promote public confidence in the  
11 Department of Energy's transportation activities. The  
12 NRC should not approach the full-scale testing issue  
13 with public confidence as its objectives. It can and  
14 must approach this testing with the protection of  
15 public and health safety and the environment as its  
16 objective. If the testing is done properly, public  
17 confidence will logically follow.

18 For the past 25 years opponents of full-  
19 scale testing have focused upon cost. Indeed, full-  
20 scale testing will be expensive. NRC staff have  
21 stated that their program to test one truck cask and  
22 one rail cask will cost more than \$20 million. Nevada  
23 analysts believe that the NRC proposal could cost as  
24 much as \$30 million. Nevada has proposed a plan to  
25 test all of the cask types that would be used for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Yucca Mountain shipments if the repository goes  
2 forward. That means testing one truck cask and four  
3 rail casks plus additional testing and analysis at a  
4 total estimated cost of \$45 to \$70 million.

5 To put these costs in perspective, the  
6 cost of Nevada's more effective full-scale testing  
7 program would be small compared to the overall cost of  
8 the Yucca Mountain transportation system. The  
9 Department of Energy estimates that transportation  
10 system costs would be about \$8.4 billion over 38  
11 years. The State of Nevada has estimated  
12 approximately \$9.2 billion for the same period. So  
13 Nevada's testing program is less than one percent of  
14 the projected transportation expenditures.

15 Another way to put testing costs in  
16 perspective is to compare that to the cost of cleanup  
17 after a worse-case transportation accident involving  
18 the release of radioactive materials. DOE  
19 acknowledges that cleanup could cost up to \$10  
20 billion, and that is for one accident. State of  
21 Nevada analysts have run the same DOE computer models  
22 and concluded that the worse-case accident or  
23 successful terrorist attack could involve cleanup  
24 costs in excess of \$10 billion. Again, whichever  
25 figure we use, Nevada's comprehensive cask testing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program would cost less than one percent of the  
2 projected cleanup cost of a worse-case accident of our  
3 terrorist scenario.

4 In conclusion, I'd like to thank this  
5 panel for the opportunity to share my views and  
6 experiences with you and also the willingness of each  
7 of you gentlemen to offer your expertise to this  
8 important Committee. It will take cooperation at  
9 every level of this effort to make safety the primary  
10 concern, and it is vital that we all remember that it  
11 is the decision-making and performance of individuals,  
12 sometimes acting alone, sometimes acting as members of  
13 a team or committee, that directly determines how safe  
14 an organization or an operation is. Thank you, sir.  
15 I'll be glad to take questions or wait until we have  
16 the other presentations.

17 MR. LEVENSON: Mike, do you have any  
18 questions?

19 DR. RYAN: No.

20 MR. LEVENSON: John?

21 DR. GARRICK: Jim, just one. You, of  
22 course, have a tremendous amount of experience dealing  
23 with transportation systems and accidents and  
24 investigations and what have you. And of course DOE  
25 doesn't have much experience in instituting a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transportation system of this type. Is there any  
2 example in the background of the field of  
3 transportation and transportation safety that there  
4 could be an activity that would be a source of lessons  
5 learned here that would be anywhere close to an analog  
6 of what's being -- what the problem is?

7 MR. HALL: Well, John, I think obviously  
8 that we can look, as you pointed earlier, to the  
9 experience we've had in transporting hazardous  
10 materials in this country, and we have had tragic  
11 accidents on our highways and in our rail systems,  
12 with our pipelines systems and our refineries in  
13 trying to handle dangerous products. And of course we  
14 have the background and experience at our nuclear  
15 facilities and the existing experience to draw on from  
16 the successful transport of nuclear material up to  
17 this -- nuclear waste material up to this point.

18 One of my primary concerns here, and one  
19 of the reasons that I'm here to emphasize the  
20 importance of casks, is my experience at the NTSB has  
21 taught me any time you have several organizations  
22 responsible for the same activity it is a cause for  
23 concern.

24 DR. GARRICK: Yes.

25 MR. HALL: And I think that's the case,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whether you see that in the private sector or whether  
2 you see it in the public sector. And I have been  
3 trying to work at the State of Tennessee when I had  
4 this experience for the oversight of Oak Ridge and  
5 working here trying to advise the State of Nevada, and  
6 I have a great deal of respect for people with lots of  
7 expertise in this area, which I do not have, but my  
8 common sense tells me that we don't really have clear  
9 lines of accountability in this area.

10 DR. GARRICK: Yes. I think --

11 MR. HALL: And I think that's why then the  
12 testing of the cask itself becomes so important.

13 DR. GARRICK: Yes. This Committee has  
14 expressed concern on several occasions to the NRC  
15 Chairman about who's in charge when a transportation  
16 accident happens involving nuclear materials. And  
17 you're absolutely right, there's multiple agencies and  
18 multiple organizations, and it has been a problem not  
19 only for the Yucca Mountain project but it was a major  
20 consideration in the WIPP project as well.

21 It's getting at with the experience base  
22 here of something that might be an analog to what  
23 we're addressing is whether or not there's experience  
24 there with respect to the testing of containers and  
25 systems for handling the material that would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar to what all of you are suggesting for Yucca  
2 Mountain.

3 MR. HALL: I think some of the other  
4 presenters are going to cover that subject, sir.

5 DR. GARRICK: Okay. Very good. Thank  
6 you.

7 MR. LEVENSON: Well, let me -- your last  
8 statement, I guess, follow up on John's question, from  
9 your background, are you aware of any cases where when  
10 decisions were made to starting shipping things like  
11 fluorene or hydrogen or other very dangerous and toxic  
12 materials were full-scale tests of rail cars ever  
13 performed or done routinely when new types of  
14 materials were to be shipped?

15 MR. HALL: Prior to my time at the NTSB,  
16 you had the accident, and I'm trying to remember where  
17 it was, down in Tennessee, absolutely devastated one  
18 whole town down there that ended up with your head  
19 shields being placed on your rail cars and there is of  
20 course testing and requirements of tank cars. I am  
21 not --

22 MR. LEVENSON: None of that is crash  
23 testing --

24 MR. HALL: There's been of course crash  
25 testing in the aviation area, and we've had several --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEVENSON: No. I'm not talking -- I'm  
2 talking about railroads.

3 MR. HALL: Right.

4 MR. LEVENSON: Okay. Thank you.

5 MR. HALL: Okay.

6 MR. HALSTEAD: Well, given the Chairman's  
7 wise counsel that we attempt to stay on time, I'm  
8 going to -- am I on with the mic? Okay. Is that  
9 coming through? I'm Bob Halstead, for the record,  
10 Transportation Advisor to the State of Nevada Agency  
11 for Nuclear Projects. The presentation that I'm going  
12 to give you now is an attempt to outline the State of  
13 Nevada's current position on full-scale testing, but  
14 I also want to tell you that this is a position that  
15 is in progress right now, because we're trying to,  
16 first of all, find ways to dovetail our approach to  
17 full-scale cask testing with the approach that's been  
18 suggested in NUREG-1768, the draft testing protocols  
19 for the PPS.

20 And, secondly, in the process of  
21 participating in the Package Performance Study  
22 meetings and in reviewing NUREG-1768 as is always the  
23 case I think when you carry out a good technical  
24 review, some things that we thought we totally  
25 understood we've realized we didn't understand as well

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as we thought we did.

2 So it's been an educational experience.  
3 And the comment I made at the beginning of the meeting  
4 that my back and forth exchanges with Tim Kobetz had  
5 been helpful in making me understand where there were  
6 some issues particularly with the fire testing that  
7 either we had not thought through sufficiently or we  
8 weren't communicating clearly.

9 So with that said, I also want to  
10 acknowledge that Fred Dilger of Clark County has been  
11 my colleague on this task of developing a proposal for  
12 the state, and let's go to the next slide, please.  
13 Just an overview, outline, of what we'll be talking  
14 about. And then if we can go to the next slide.

15 I think it's useful to review the current  
16 situation which is that the NRC doesn't require  
17 physical testing full scale. There are currently 16  
18 shipping casks certified in this country. None of the  
19 currently certified U.S. casks has been tested full  
20 scale to demonstrate compliance with 10 CFR 71  
21 performance standards. Two truck cask designs have  
22 been subjected with half-scale replica models to the  
23 drop test. Three rail cask designs have been  
24 subjected to the drop test, and more than half of the  
25 tests of the casks have been subjected to scale model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 impact limiter tests. That's the sum of the testing  
2 that has been done. No full-scale testing and pretty  
3 much limited scale model testing and a lot of reliance  
4 on analysis. Next slide, please.

5 For years, we've argued the advantages of  
6 full-scale testing and organized the arguments in  
7 various ways. When I went back over files I found an  
8 old report that Sandia National Labs did for the  
9 Department of Energy in 1993, and I don't usually like  
10 to do large quotations from other people's work, but  
11 in fact I've never seen a clearer statement of the  
12 advantages of full-scale testing than are provided in  
13 this 1993 Sandia report. And I offer them to you.

14 The first and most obvious one is direct  
15 demonstration of compliance with the regulations. And  
16 remember here now referencing the focus of Nevada's  
17 proposal on regulatory, confirmatory testing. And  
18 we'll talk about extra regulatory testing separately.  
19 Secondly, while there are some issues that can be  
20 addressed through half-scale model testing, there's  
21 certainly a clarity of characterization when you're  
22 using a full-scale model. And one of the issues  
23 that's been brought to our attention by the cask  
24 manufacturers in the PPS meetings is that in fact  
25 there may not be that much of a cost savings in using

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a half-scale replica model. There are other  
2 advantages in terms of being able to look at the  
3 operation of the closure and the seal as a total  
4 package. Next slide, please.

5 It's also important to remember that with  
6 the new generation of casks designed for Yucca  
7 Mountain where to my knowledge one unit of the Holtec  
8 cask has been produced but there haven't been any  
9 orders yet, so in fact we don't have any fabrication  
10 experience with these new cask designs. And advantage  
11 of full-scale testing would be that it would require  
12 the manufacturers to actually get some early lessons  
13 learned in preparing a prototype, acknowledging that  
14 preparing a prototype is somewhat different than  
15 producing 50 units under a large contract.  
16 Eliminating the need for scaling and providing direct  
17 visual evidence are other important advantages.

18 Frankly, the only disadvantage that I have  
19 ever heard anyone say in this context is cost -- the  
20 cost of fabrication and testing, the cost of handling  
21 the test article and so forth. And as I'll say in my  
22 concluding remarks at the end of this session when we  
23 talk about lessons learned, indeed what we know about  
24 full-scale testing is, a, it's expensive, and, b, it's  
25 always more expensive than people thought it was going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to be at the beginning of the test program. But the  
2 argument we would make is that from a standpoint of  
3 regulatory testing while there are clear advantages  
4 and no technical disadvantages to full-scale testing,  
5 cost clearly can be seen as a disadvantage. Next  
6 slide, please.

7 Nevada's approach to regulatory testing  
8 has five components: a strong stakeholder  
9 involvement, actual full-scale sequential testing  
10 according to the NRC performance standards, preferably  
11 prior to NRC certification but since many of the casks  
12 we're talking about have been certified already doing  
13 this prior to DOE's procurement would serve the same  
14 purpose. Importantly, we see the need for additional  
15 testing to address the issues that the NRC staff is  
16 proposing be addressed in the Package Performance  
17 Study, but we're not so sure that full-scale testing  
18 is necessary for all of those tests. We do think  
19 full-scale testing is necessary for the fire test, but  
20 a combination of simulations, scale models and full-  
21 scale component testing may be just as effective, may  
22 be more effective in determining -- in particular in  
23 determining failure thresholds.

24 Finally, the last two points are things  
25 that might grow out of findings, and perhaps we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shouldn't speculate about what the findings would be.  
2 I find it gratifying that as the PPS meetings have  
3 gone on, the NRC has clarified in response to  
4 questions from the public that when they have these  
5 tests and they find problems in the NRC regulations,  
6 they of course are not going to ignore those findings.  
7 Next slide, please.

8           Nevada argues that this testing should be  
9 focused on the casks used for Yucca Mountain shipments  
10 of which five of the certified casks have been  
11 identified by NRC as likely to be used either in Yucca  
12 Mountain shipments or shipments to the private fuel  
13 storage facility. And certainly there have been many  
14 people -- I don't want to say many -- there have been  
15 a number of people who have come to the PPS meetings  
16 and have said that they see our approach as deficient  
17 because we're not arguing that all the casks should be  
18 tested full scale. I recognize that people can make  
19 that criticism with validity. Our argument is that  
20 the casks we focused on represent at least 95 percent  
21 of the spent fuel shipments that are likely to occur  
22 over the next four or five decades, including  
23 shipments to PFS.

24           In particular, we think it's important to  
25 focus on these new cask designs, because these are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 casks where a combination of new designs, new  
2 materials and larger payloads raise new questions that  
3 can't be directly answered by looking at the  
4 performance of the casks that have been used over the  
5 last 20 years. We believe that to a certain extent  
6 code benchmarking can be accomplished through these  
7 regulatory compliance tests, although we will  
8 acknowledge that the test objective should be  
9 reflected in the test design and in some ways will  
10 limit the applicability of the tests. And, again, I'm  
11 going to talk about this at the very end of this  
12 session when we review the lessons learned from past  
13 full-scale testing.

14 We think it's an appropriate use of the  
15 waste fund. This is going to be an expensive  
16 activity, and frankly I think there would be a problem  
17 if we were proposing to use money from the waste fund  
18 to test casks that weren't going to be used for the  
19 Yucca Mountain shipment. Not to say that that perhaps  
20 shouldn't be done, but I think we'd have to argue for  
21 some other source of funding.

22 And, finally, the testing that we would  
23 like to see done could be required through regulation  
24 by NRC and DOT. We believe it could be done through  
25 a DOE program decision unilaterally, although some at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DOE would argue that they would need congressional  
2 approval. And, certainly, a congressional mandate,  
3 either through statute or appropriations conditions,  
4 could be used to require such testing.

5 Now, turning to the area of extra-  
6 regulatory testing, we believe the focus should be on  
7 fire tests, and, again, I'll be happy to answer  
8 questions on this so I don't belabor the points of the  
9 -- I'm sorry, next slide, please. The analyses  
10 conducted to date by DOE and Nevada generally conclude  
11 that accidents that involve long-duration, high-  
12 temperature fires are likely to produce the worst  
13 consequences. Real-world fires, we believe, are  
14 particularly a concern with the new generation of  
15 casks, larger payloads and particularly carrying large  
16 inventories of Cesium-137.

17 If you'll review the findings of your  
18 November 19 meeting, I think you'll agree with me that  
19 the people who spoke there agreed in their statements  
20 that in fact there is very little physical data on  
21 actual cask performance in severe fires. Certainly,  
22 there have been other types of benchmarking exercises  
23 with large calorimeters, for example, but we simply  
24 haven't done any fire testing with full-scale casks  
25 since the 1970s. And a key objective of these tests

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be both to determine failure thresholds and  
2 benchmarks codes. Next slide, please.

3 I've identified five different approaches  
4 to the fire test, five options that we're considering,  
5 and this will be one of our major tasks over the next  
6 five weeks as we send written comments to the NRC on  
7 the Package Performance Study draft testing protocols.  
8 There is considerable debate among our own technical  
9 reviewers, not only over what's desirable to do in a  
10 fire test but frankly what is physically possible to  
11 do in a fire test. And in particular, our reviewers  
12 have raised questions about combining an impact test  
13 and a fire test, particularly because prior to the  
14 fire test we would like to have instrumentation  
15 installed at several points in the cask. And there's  
16 a question then if you subject that cask to an impact  
17 test, can you reasonably expect your instrumentation,  
18 such as thermocouples, to accurately report the  
19 temperature data that we see?

20 So without going into them in detail,  
21 there are five combinations of undamaged and damaged  
22 casks with different ways of defining-- or different  
23 ways of approaching the identification of failure  
24 thresholds either by modeling a predicted failure  
25 threshold and then creating a test fire that creates

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that or the other case which some people on our team  
2 suggest is best, particularly for the truck cask, is  
3 simply to instrument the cask and take the undamaged  
4 cask and run the regulatory fire without a constraint  
5 until certain temperature thresholds, usually the  
6 agreed upon value is 750 degrees C, are reached in  
7 what would be the fuel containment region inside the  
8 cask. Next slide, please.

9 We've estimated costs carefully. We've  
10 tried to err by overstating the costs. As I said,  
11 this is expensive business. We think that the first  
12 effort of doing this testing program on a legal weight  
13 cask is going to require a lot of stakeholder  
14 involvement, a lot of expensive modeling and a lot of  
15 rigorous peer review. And there are also some cost  
16 unknowns that have to do with not just the  
17 instrumentation but how we will design the dummy or  
18 surrogate fuel that would be inside the cask. We've  
19 considered some scenarios in which a fresh fuel  
20 assembly has been used.

21 So these costs represent our best estimate  
22 to err on the high side. We think, however, that  
23 there will be a learning curve after the first truck  
24 cask and after the first rail cask is tested. So  
25 while we think that a \$27 to \$30 million cost for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 first two casks is pretty accurate, we certainly think  
2 that the larger cask program that we're recommending  
3 can be accomplished in the range of \$45 to \$70  
4 million.

5 And let me say I think costs are  
6 important, and I'm very concerned by the position that  
7 the NRC staff has taken, and, again, I'll talk about  
8 this in my last presentation, but I believe that  
9 anybody who's bold enough to propose a full-scale cask  
10 testing program needs to put a sticker price on it,  
11 partly because money isn't free and partly because in  
12 a world where we're asked to do cost/benefit analysis  
13 on everything, it's fair for people to be asked to put  
14 a dollar figure on this. Next slide, please -- or  
15 this one, I'm sorry.

16 Issues to be resolved. Well, they're  
17 pretty much the same issues that we'll tell the PPS  
18 staff and contractors at the NRC they have to address:  
19 Develop your protocols for full-scale sequential  
20 tests, got to have a good defensible definition of  
21 cask and fuel failure, same attention needs to be paid  
22 to developing the protocols for the regulatory fires,  
23 and we really need to look at some options for extra-  
24 regulatory impact tests. As I said, while we think a  
25 full-scale test is necessary for the fire test, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 quite possible that some of the other extra-regulatory  
2 issues can be answered with something less than full-  
3 scale testing.

4 There is this outlying issue of the need  
5 possibly for other extra-regulatory tests,  
6 particularly the puncture, deep immersion and crush  
7 tests. The last two, deep immersion and crush, are  
8 tests that aren't currently required in the  
9 regulations. And, of course, validating cost and  
10 schedule estimates, always an important burden that  
11 anyone proposing a course of action must carry. Last  
12 slide, please.

13 We have assembled a review team to prepare  
14 comments on the package performance draft protocols.  
15 Some of those people have been at the table with us  
16 today, some of the others I mentioned, in particular  
17 Lindsey Audin and Professor Miles Greiner. We've  
18 already been working on our comments for the end of  
19 May. We hope to have draft comments for our own and  
20 external review by the middle of May. Realistically,  
21 this is a very big piece of work, and we won't have it  
22 done to our satisfaction, putting forth our proposal  
23 by May 30. I believe we can meet a target schedule of  
24 December 2003, and I also believe that will dovetail  
25 with the NRC staff deliberations. I find it hard to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believe that they will be able to evaluate all the  
2 comments on the PPS and decide where their next  
3 decision goes sometime before the middle of fall 2003.  
4 I could be wrong. Thank you very much.

5 MR. LEVENSON: George?

6 CHAIRMAN HORNBERGER: It strikes me that  
7 you've done a pretty good job of giving us detail on  
8 what and how, but I'm still pretty much in the dark as  
9 to why; that is, what is it -- you mentioned again  
10 costs because we think in terms of cost/benefits, and  
11 you haven't given me a clue yet about what the  
12 benefits are.

13 MR. HALSTEAD: Well, sure, let me  
14 summarize those. First of all, we have some  
15 wonderfully elegant finite analysis codes these days.  
16 If you look real hard, you'll find out that there's  
17 not a lot of benchmarking. So at the very least I  
18 think we've got to do one full-scale rail and full  
19 truck cask simply for benchmarking purposes. Now, I  
20 understand that the Committee took a different  
21 position in their meeting last June and, you know,  
22 wrote a pretty-well argued letter. And, frankly, as  
23 a risk-informed letter, if I remember, Mr. Chairman,  
24 I believe that NUREG/CR-6672 was used where this  
25 Committee said, "Look, if the calculated risks of an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident involving a release are so low, why in the  
2 world do we have to do this testing?" And I agree, if  
3 you accept NUREG/CR-6672, it's hard to make an  
4 argument for full-scale testing.

5 MR. LEVENSON: I don't think our letter  
6 was against full-scale testing. It was against  
7 extreme unrealistic conditions.

8 MR. HALSTEAD: Okay. I'm going to get to  
9 that part, though, but I thought your letter, first of  
10 all, said from a risk-informed basis you saw no clear  
11 need and weren't sure that the benefits were  
12 commensurate with the expenditure of doing the test  
13 properly. And I, secondly, also agree with you that  
14 any extra-regulatory testing that's done has to be  
15 well justified either by replication of a realistic  
16 worse-case accident or done the other way to define a  
17 failure threshold which we can then compare our full  
18 body of knowledge about real-world accidents, and say,  
19 "Look, there's not a real-world accident that comes  
20 halfway near this failure threshold." So there are  
21 two ways to approach it.

22 But let me start by saying that I believe  
23 there's an absolute need to do one full-scale rail and  
24 one full-scale truck cask for benchmarking purposes  
25 simply because we haven't done that with the casks in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this country since the '70s. Secondly, there probably  
2 is not a direct need to test more than one truck cask  
3 if as we think the GA-4 is going to be the workhorse  
4 cask and the GA-4 and the GA-9, the two versions, are  
5 so physically similar I don't think there's a case for  
6 testing both of them. I certainly would argue against  
7 it as being redundant and unnecessary.

8 With the rail casks it's not so clear.  
9 There is some significant variation between the NAC  
10 dual purpose cask, for example, and the Holtec  
11 Transport System. And this is one of the areas that  
12 I think we need some back and forth with the NRC staff  
13 on with the PPS and the selection of a cask. Now,  
14 maybe we're wrong. Maybe there is a representative  
15 new rail cask that for benchmarking purposes will  
16 suffice, but it looks to me that there's a good  
17 argument for at least two, basically looking at steel-  
18 lead-steel casks and then looking at the larger  
19 monolithic forged-steel body approach.

20 Beyond that I would turn the argument  
21 around on those people who oppose testing. Go back to  
22 that first principle from the 1993 Sandia report.  
23 What better evidence -- and again we're talking about  
24 confirmatory testing -- what better evidence can there  
25 be that you meet the requirements of 10 CFR 71 that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the physical article has been tested and it complies  
2 with the leak and radiation test? And of course  
3 you'll have to calculate the radiation test because  
4 we're not going to test it with live spent fuel in it.

5 And while I very much support extensive  
6 modeling, I think there is an argument here that at  
7 some point a symbolic representation of reality is not  
8 better than reality. And it's certainly not when we  
9 turn to the final -- and I'm uncomfortable making this  
10 argument, understand you, because I know how fickle  
11 public opinion is, and one of my great nightmares is  
12 that Nevada succeeds in getting all the extra-  
13 regulatory safety enhancements that we've asked for,  
14 that we get those agreed to and they're done and for  
15 whatever reason the public still doesn't respond to  
16 them.

17 So I don't think you can say public  
18 opinion is the goal, but my experience is this: When  
19 you take this issue to the public being able to say  
20 that the specific cask being used in a campaign have  
21 been tested to demonstrate compliance with the  
22 regulations that's very powerful. Now, again, I  
23 planned to save that argument for the closing  
24 discussion where we do lessons learned.

25 But, you know, your argument is right on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the point. No one who isn't willing to significant  
2 benefits should stand before you and argue that we  
3 should take on this as a matter of public policy. And  
4 I probably have answered inadequately but some of the  
5 answers I plan to give I've saved for the end of the  
6 session.

7 MR. LEVENSON: George? John?

8 DR. GARRICK: A specific question: What  
9 was the basis for the fire option tests that you  
10 showed earlier?

11 MR. HALSTEAD: Coming into our current  
12 debate with the NRC and NIST staff over what happened  
13 in the Baltimore fire we felt pretty confident that  
14 that was a pretty good analog for if not a worst case  
15 a very, very severe fire. And now, frankly, that on  
16 review of these findings we're beginning to see some  
17 evidence maybe the other people who reviewed this  
18 didn't see it. But, for example, as we look at the  
19 Southwest Regulatory Institute and the Battelle and  
20 the NIST findings, we see some evidence that maybe the  
21 temperatures in the Baltimore fire got a lot hotter.  
22 They might have gotten up to 1600 degrees C. So that  
23 said that we're still rethinking this.

24 Over the last ten years, Dr. Resnikoff and  
25 I have looked at a whole range or real-world

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accidents. We had the benefit of an assessment that  
2 was done in 1986 for the State of Nevada by an expert  
3 study team put together by a research team. And we're  
4 possibly going to change these temperatures, but right  
5 now we feel comfortable laying them out there. And  
6 Dr. Birky would like to add a point on this as well.

7 DR. BIRKY: Well, I think you've raised a  
8 very fundamental issues in terms of what fire test or  
9 what intensity should one use on testing these casks.  
10 And if I may reference about 35 years in fire  
11 experiments and testing and accident investigation,  
12 you can go through a long litany of examples of  
13 accidents in which the resulting fires were more  
14 intense or the damage was more intense than one would  
15 expect based on existing knowledge.

16 And I'm afraid, for example, the present  
17 regulation that we're talking about for NRC, the cask  
18 compliance, is really too low for too short a time for  
19 any accidental fire, and the reasons I would suggest  
20 that we need to rethink this question of what prior  
21 temperature should it endure. Eight-fifty is not a  
22 very high temperature when you're talking about a  
23 fire, and we've seen them much higher in almost every  
24 accident which have involved hazardous materials and  
25 of which a fire has ensued as a result.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But let me talk more about more of a  
2           general response to the question that was asked  
3           earlier about why do we need to -- do we have examples  
4           of testing of vehicles, transportation vehicles, and  
5           other vehicles prior to their use in transportation.  
6           And I would like to reference a couple of accidents  
7           that I was involved in that result in rather dramatic  
8           changes in the way we do business. But it was the  
9           result of an accident that was very, very costly, much  
10          more costly than what it takes to test.

11                 And one of those was the Exxon Valdez in  
12          which the result of that we ended up with double-  
13          hulled tankers. And another one that Jim Hall just  
14          mentioned, of course, was the tank cars in which they  
15          finally put shields on the front of them to prevent  
16          penetration of the tank during collisions. And we've  
17          had tanker truck fires and explosions also that have  
18          resulted in changes in the way we do business. And  
19          this was done after or as a result of an accident and  
20          was not done beforehand, and I think we can compile a  
21          list of these things that resulted in dramatic changes  
22          in the way we do business as a result of tragic  
23          accidents rather than doing the studies beforehand to  
24          prevent these accidents from happening. Thank you.

25                 DR. GARRICK: Yes. And of course it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 never straightforward because taking your example of  
2 the double-hulled tankers. There's still a debate  
3 going on as to whether that has resulted in less risk  
4 of tanker spills.

5 I wanted to ask one other question. An  
6 issue that we discussed a great deal when it comes to  
7 tests is the protocol concept or the basis for the  
8 protocol test being test-to-failure versus test-to-  
9 reasonable severe conditions. And the concern of  
10 test-to-failure is of sending a message out that is  
11 very difficult for the public to relate to in terms of  
12 the actual system that we're dealing with. And this  
13 seems to me to be an issue of risk communication  
14 that's kind of important, and I'd like to know what  
15 your views are on that whole issue of test-to-failure  
16 versus test-to-severe accidents.

17 MR. HALSTEAD: First, I want to put that  
18 in the larger perspective. That is in fact one of the  
19 key issues that this team is going to be working on,  
20 hopefully having a resolution by May 30 so we can  
21 inform the PPS proceeding. It's very difficult to  
22 deal with this issue, cask performance, without  
23 dealing with the issue of spent fuel performance.  
24 And, again, that's one of the things I'm going to talk  
25 about at the end, but one of the working definitions,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for example, that we have used for defining cask  
2 failure is cask failure would be a condition in which  
3 there is a one percent release of the inventory of  
4 Cesium-137, and I think it has to be some way  
5 precisely defined.

6 I was disturbed, frankly, to hear at the  
7 NRC public meeting in Pahrump, Nevada that people had  
8 come to the meeting arguing that cask failure meant  
9 that a fuel assembly could pop out of a cask and lay  
10 on the road. That is exactly what we don't need to  
11 result from this discussion. So for me jumping in  
12 first rather than on a specific issue, we're trying to  
13 find something that's the equivalence of a performance  
14 measure based on a consequence analysis that we think  
15 we understand to define what test-to-failure means.  
16 I don't have a sufficient answer. I thought I had an  
17 answer five weeks ago, but after we discussed this in  
18 the context of the PPS meetings, I realized that we  
19 need to rethink and be more precise in our definition.

20 DR. GARRICK: For the sake of science, of  
21 course, there's great interest in the consequences of  
22 test-to-failure, but we're not talking about science  
23 here so much as we're talking about a project and what  
24 needs to be done to assure the safety of that project.

25 One thing I wanted to say for the record,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the same national laboratory that you referenced in  
2 terms of pushing for a full-scale test also indicated  
3 in that same report that they thought the regulations  
4 that were in place now were acceptable and provided  
5 the necessary safety. I think it's very important to  
6 keep that in perspective.

7 MR. HALSTEAD: Well, I'll go further and  
8 add to that. I'm sure some of my colleagues like John  
9 Vincent from NEI and earlier from GPU who has been  
10 involved in these discussions with us for years I'm  
11 sure they find it quite ironic that Nevada  
12 representatives are sitting at the table arguing, you  
13 know what? Those hypothetical regulatory accident  
14 conditions represent a very severe accident.

15 DR. GARRICK: Yes.

16 MR. HALSTEAD: We've always said that.  
17 We've always said they don't necessarily represent a  
18 worst-case accident, whatever that is, but I think  
19 that is an important point, that we're now at the  
20 table saying that while we need information on extra-  
21 regulatory accidents and the implications of those for  
22 the standards, we're not saying that we have a basis  
23 to argue that the current standards are inadequate.  
24 I do think the fire standard has been one that was  
25 flagged as early as 1986, that perhaps the duration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be increased from 30 minutes to one to two  
2 hours and the fire standard increased from 1475 to  
3 2000 to 2000 Fahrenheit. And we've always said we  
4 were concerned about the fire standard. But, in  
5 general, we've said that's a pretty good regulatory  
6 standard. The problem is you're not testing casks to  
7 that, and you haven't even done one truck and one rail  
8 to benchmark the codes that you're using to enforce  
9 that standard.

10 DR. GARRICK: Yes. My point is we're not  
11 saying one is right or one is wrong. I'm just saying  
12 that the people that have been advocating casks are  
13 also on record as saying that the regulations are  
14 adequate in their opinion.

15 MR. HALSTEAD: Absolutely.

16 DR. GARRICK: Thank you.

17 MR. LEVENSON: Mike? I've got a couple of  
18 questions for clarification. You listed what you're  
19 going to at least tentatively suggest be done in the  
20 way of fire tests, and there are a number of them --

21 MR. HALSTEAD: Could we put the slides  
22 back up, please, on this?

23 MR. LEVENSON: Well, I don't know that we  
24 need them.

25 MR. HALSTEAD: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEVENSON: A number of them where you  
2 say the fire should continue long enough till the fuel  
3 gets to 750 degrees. Are you proposing to have real  
4 fuel in the casks while those tests are done?

5 MR. HALSTEAD: No, absolutely not, sir;  
6 good point.

7 MR. LEVENSON: It's simulated.

8 MR. HALSTEAD: We're talking about  
9 simulated with heaters to represent the internal heat  
10 level.

11 MR. LEVENSON: Okay. My question is if  
12 you're not using real fuel or if you're just using  
13 simulated fuel, presume the reason for heating the  
14 fuel to 750 is to see what happens to the cladding in  
15 the fuel?

16 MR. HALSTEAD: Absolutely. Although that  
17 number is subject to refinement.

18 MR. LEVENSON: Yes, yes. But my point is  
19 if what you want to do is find out what happens to the  
20 fuel, why do you advocate spending tens of millions  
21 when you can do the same thing in a furnace for tens  
22 of thousands?

23 MR. HALSTEAD: Well, in fact we're also  
24 advocating that that be done for fuel testing  
25 purposes. I think that there are some technical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difficulties of putting instrumentation inside a cask  
2 in a full-scale fire test and whether you use some  
3 type of transponder technology or whether you have to  
4 run wires through the cask which create pathways  
5 equivalent to what happens if you look at different  
6 parts of the cask in a fire, the drain plug opening,  
7 for example. So there are difficult ways to do that,  
8 but we would argue that all the information on fire  
9 testing with the testing of the CAFE code is based on  
10 the premise that you can't scale model fires, and you  
11 haven't got the basis yet for benchmarking the codes.

12 MR. LEVENSON: Yes. Well, I'm not  
13 questioning what you're recommending for fire testing  
14 of the cask. What I'm saying is that if what you want  
15 to study is fuel failure, then the scaling issue  
16 doesn't come up and you can do it in a furnace for  
17 tens of thousands other than tens of millions.

18 MR. HALSTEAD: You've correctly raised the  
19 issue of why we have some hard thinking about what  
20 we're -- because we can only recommend one. You can't  
21 recommend some unlimited number of tests, and it's  
22 quite possible that pellet testing in a furnace will  
23 do the job.

24 MR. LEVENSON: Well, I'm not talking about  
25 just pellet testing. Whatever you wanted to do. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you wanted to do a full sub-assembly, doing it in a  
2 furnace is orders of magnitude cheaper than doing it  
3 in a cask.

4 MR. HALSTEAD: No, I agree. I absolutely  
5 agree.

6 MR. LEVENSON: Good. Okay. Go on.

7 DR. RESNIKOFF: I think I'm on. I'm back  
8 to the Baltimore Tunnel fire, and I'm going to talk  
9 specifically -- I'm going to get into the nitty-gritty  
10 of actual casks and talk about why it's difficult to  
11 generalize from one cask to another.

12 I'm going to discuss -- each cask has  
13 major and subtle differences that make it difficult to  
14 generalize and apply the results from one to another.  
15 I'm going to focus on the Holtec HI-STAR 100 cask but  
16 also discuss the IF-300 cask, the GE cask.

17 As this slide -- this slide is schematic  
18 of the Holtec cask. This is an overpack within which  
19 fits this sealed canister, welded shut canister,  
20 containing the fuel itself. The overpack is  
21 constructed of these concentric steel shells,  
22 approximately nine inches thick for gamma attenuation  
23 and structural integrity. Some casks use for lead for  
24 gamma attenuation, some casks use depleted uranium for  
25 gamma attenuation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Outside the steel shells in this area  
2 right here is what's called -- what Holtec calls  
3 Holtite, a neutron-absorbing material on the outside.  
4 Some casks, such as the IF-300, contain water rather  
5 than a resin or plastic. On the end of the cask is an  
6 impact limiter which is designed to crush on impact.  
7 For the Holtec cask, this impact limiter is made of  
8 aluminum in honey comb formation. So it crushes on  
9 impact.

10           Inside the MPC, inside the canister, you  
11 have a latticework which holds fuel, either 24 PWR  
12 assemblies or 68 BWR assemblies. And this MPC, or  
13 internal canister, fits within the transportation  
14 overpack or fits within a concrete storage overpack.  
15 When fuel is prepared the water is evacuated from the  
16 overpack and replaced with helium which is a better  
17 heat conductor. And this has been the practice since  
18 1980. Helium also prevents oxidation of uranium in  
19 fuel with damaged cladding.

20           I want to focus on several features of the  
21 HI-STAR 100. Points 5 and 8 are plugs that cover  
22 valves. And those valves are used to evacuate the  
23 overpack, evacuate it of water, replace the water with  
24 helium. Helium, as you know, is a better heat  
25 conductor than air. The bolt structure at Point 6,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the bolt structure is also important. And I want to  
2 talk about that too.

3 The next slide shows a cross section of  
4 the HI-STAR 100 overpack. I want to focus for right  
5 now on the neutron-absorbing area on the outside of  
6 the cask. In older casks, this section is a water  
7 jacket, and in a potential accident the water jacket  
8 can be pierced, water is replaced with air, and the  
9 outer section serves somewhat as an insulator in a  
10 fire, but that's not true for the HI-STAR cask.

11 Since resin is an insulator, the HI-STAR  
12 cask is constructed with radial connectors. Those  
13 connectors that you see, the radial connectors are a  
14 half-inch thick and are designed to conduct heat out  
15 of the cask. They serve as heat conductors. The next  
16 slide shows a closeup of the radial channel. Let me  
17 show the next slide. And this shows the construction  
18 of the radial channel. The Holtite material is  
19 located within, and then you have these half-inch  
20 thick pieces of iron which conduct the heat out of the  
21 cask. Unlike the IF-300, the HI-STAR 100 is not going  
22 to serve as an insulator in a fire but actually will  
23 conduct the heat into the cask.

24 The next slide is from the TSAR for the  
25 HI-STAR cask and shows how the Holtite performs in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulatory fire, a half-hour regulatory fire. You can  
2 see the temperature rise for the first half hour and  
3 then steeply decline, but if you were to project that  
4 up to an 1800 degree fire that lasted for three hours,  
5 you can see that the Holtite would quickly evaporate,  
6 which is also what Holtec assumes for their cask, that  
7 the Holtite material, the neutron-absorbing material  
8 would actually evaporate in an accident. And as I  
9 mentioned earlier, without that neutron-absorbing  
10 material, the dose at the cask surface rises to 500  
11 millirems an hour.

12 DR. RYAN: Could you expand on that a  
13 little bit? That sounds high to me. What's the basis  
14 for 500 millirem per hour?

15 DR. RESNIKOFF: We've actually done --  
16 well, we've actually done the calculation removing the  
17 hydrogen which is -- the hydrogen and boron which  
18 absorbs the neutrons. We've actually removed that to  
19 see what the neutron dose would be on the surface of  
20 the cask. We've done calculations to look at neutron  
21 attenuation.

22 DR. RYAN: Tell me about it. My point is  
23 how did you get 500? You had to have so much -- I  
24 mean where did the neutrons come from? What's in the  
25 fuel? I mean what burn-up is it? How do you get 500

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 millirem neutrons? What's the starting point of your  
2 calculation?

3 DR. RESNIKOFF: The burn-up of the fuel  
4 that's assumed in the HI-STAR cask is 40,000 megawatt  
5 days per metric ton. The material that gives you the  
6 neutrons is --

7 DR. RYAN: And what age is it?

8 DR. RESNIKOFF: Oh.

9 DR. RYAN: I mean, you know, there's a lot  
10 of factors that go into that calculation. I'm just  
11 trying to understand that, because it sounds very high  
12 to me --

13 DR. RESNIKOFF: Absolutely.

14 DR. RYAN: -- by a factor of about 20.

15 DR. RESNIKOFF: It's generally ten-year  
16 pooled fuel, and the neutrons come from spontaneous  
17 fission --

18 DR. RYAN: I know where they come from.

19 DR. RESNIKOFF: -- of curium.

20 DR. RYAN: Of curium?

21 DR. RESNIKOFF: Curium.

22 DR. RYAN: I just wanted to know --

23 DR. RESNIKOFF: Two-forty-two and 244.

24 DR. RYAN: -- details of your calculations  
25 because, again, I think that's a very high number. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you look at what's measured for a storage cask today,  
2 those rates in the 25 millirem per hour for unshielded  
3 parts of large assembly array seem to be about  
4 reasonable. That sounds like it's about 20 times too  
5 high.

6 DR. RESNIKOFF: The storage containers  
7 have concrete which contains hydrogen.

8 DR. RYAN: I'm talking about without an  
9 absorber.

10 DR. RESNIKOFF: Which absorber, I'm sorry?

11 DR. RYAN: I'm talking without an  
12 absorber.

13 DR. RESNIKOFF: I'll be happy to send you  
14 the calculations.

15 DR. RYAN: Please do.

16 DR. RESNIKOFF: Okay. Finally, the last  
17 slide discusses some of the components of the cask,  
18 and I've projected some of these lines upward. This  
19 is, again, for a half-hour fire at 1475 degrees  
20 Fahrenheit. According to the calculations done by  
21 Holtec, the closure plate bolts will reach 512 degrees  
22 Fahrenheit in a regulatory fire. Their calculations  
23 show that. Their calculations show that the accident  
24 limit is 600 degrees Fahrenheit. So I've projected  
25 plate bolts curve, and it shows that in less than an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hour of a closure plate bolts will exceed the design  
2 limit for a fire at 1475 degrees Fahrenheit and less  
3 time for a fire at 1800 degrees Fahrenheit. Okay?

4 Now, I admit this is not -- I haven't done  
5 a calculation, I've just projected up a curve, and it  
6 would be useful to see that calculation, but this is  
7 my conjecture.

8 DR. RYAN: What's the basis for your  
9 projection?

10 DR. RESNIKOFF: Well, I've just taken the  
11 tangent of that curve.

12 DR. RYAN: I understand what you've done  
13 on your graph.

14 DR. RESNIKOFF: You saw what I did.

15 DR. RYAN: But what's the physical basis  
16 for doing it?

17 MR. HALSTEAD: Well, it's the assumption  
18 that there are real-world fires that can produce those  
19 conditions, and it goes to the question of both what  
20 happens in the regulatory fire and what happens in an  
21 extra-regulatory fire. And it goes, frankly, to an  
22 area that we're still working on which is to look at  
23 the TSARs for a lot of the currently certified casks.

24 And I don't mean to jump in here on this  
25 but frankly we would have had a much more interesting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussion if we had looked at the IF-300, which is  
2 currently licensed and currently used for shipments in  
3 the Carolinas. And in fact you would -- the point  
4 we're trying to make is these are the kinds of issues  
5 that we believe have not been sufficiently dealt with  
6 in the background analysis that supports the PPS  
7 approach to testing. We actually want to go and look  
8 at the performance of specific currently certified  
9 casks under regulatory, slightly higher than  
10 regulatory and considerably higher than regulatory  
11 conditions and make sure that we have that information  
12 in hand before we make decisions on the testing  
13 protocols.

14           And frankly it's a cruel thing to say  
15 because I like a lot of the people at Sandia, but I'd  
16 have to say right now we can't support the  
17 recommendations that are made for testing in NUREG-  
18 1768 even though we'd like to be able to support this  
19 testing because we've been supporters of it for so  
20 many years. Because when we actually look at what we  
21 think are the specific technical issues that need to  
22 be resolved in the testing, it doesn't seem to us that  
23 they've even considered these issues. In the impact  
24 area they've looked very closely at some of these  
25 issues, but they, for example, have not sufficiently

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked at the issue of bolts, seals and fuel  
2 performance in certain temperature ranges.

3 DR. RYAN: I appreciate the fact that  
4 you're expressing your view on a testing protocol, and  
5 I accept that you're constructing that view, but I  
6 just want to point out that doesn't come from a dotted  
7 line on a projection on a graph. It's an independent  
8 thing of trying to tie it to what would happen --

9 DR. RESNIKOFF: I agree with you on that,  
10 but I just want to emphasize the point again: A half-  
11 hour fire at 1475 has the closure plate bolts reach  
12 512 degrees Fahrenheit. You've raised the issue of do  
13 you think they will not reach 600 degrees Fahrenheit  
14 if you have a three-hour fire at 1800 degrees  
15 Fahrenheit? Another 90 degrees more?

16 DR. RYAN: I didn't raise that issue. I'm  
17 just talking about how you projected this graph. I do  
18 appreciate your comment on your developing a protocol  
19 kind of from principle.

20 MR. HALSTEAD: I personally don't like --  
21 I don't put dotted lines on graphs, so there's a  
22 little bit of a difference of opinion between Marvin  
23 and I as to how to make the point. I think,  
24 unfortunately, the way the point is displayed on the  
25 graph undercuts the credibility of why we're asking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the question. So occasionally these things occur at  
2 the table.

3 DR. RESNIKOFF: You can shoot me.

4 DR. RYAN: That answered my question.  
5 Thank you.

6 DR. GARRICK: He may do that.

7 (Laughter.)

8 DR. RESNIKOFF: Well, not in public.

9 MR. LEVENSON: Let me just --

10 DR. RESNIKOFF: And also, if things get  
11 too hot, then Meritt Birky is a thermal chemist and  
12 he'll take care of it.

13 MR. LEVENSON: Let me just point out you  
14 have 40 minutes more for your group.

15 DR. RESNIKOFF: Okay. I'm almost done.  
16 I want to point out that once the closure bolts -- the  
17 closure bolts are under considerable stress. Once the  
18 closure bolts exceed the design limit, helium will be  
19 released from the overpack, which also will serve to  
20 insulate the MPC somewhat. That's true.

21 We have asked for the calculations from  
22 Battelle. Battelle has done a study of what happens  
23 in this kind of fire, the Baltimore Tunnel fire. And  
24 yesterday I received some overheads but not a report.  
25 Maybe there doesn't exist a report by Battelle. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 only a two-dimensional study done of a cross-section  
2 of a cask. They haven't actually looked at the  
3 closure bolts at the end of the cask without the  
4 impact limiter there.

5 This is a difficult study to do because  
6 for the case of the Holtec cask the impact limiter can  
7 melt; it's aluminum. And therefore the dimensions  
8 change over time. The Holtite, the resin within the  
9 -- the resin on the outside of the cask can melt. So  
10 in other words, the dimensions of your system begin  
11 to change, and the materials begin to change. And  
12 it's not an easy matter to just model that type of  
13 change.

14 Let me point out some other things. The  
15 drain port plug seal I've projected that line as well  
16 boldly. And you'll notice that all of those -- the  
17 peak in the regulatory fire, the peak is all moved  
18 over a little further for some of these other  
19 components. In other words, for the drain port plug,  
20 the peak is reached right at the end of the regulatory  
21 fire, but for the others, the peak is reached a little  
22 after, because the cask has so much metal that there  
23 is some thermal inertia involved. But that peak also  
24 is for a half-hour fire at 1475 degrees Fahrenheit,  
25 not for a three-hour fire at 1800.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The Battelle overheads that I've seen also  
2 discuss whether the MPC itself -- none of this makes  
3 a difference if the MPC -- if the internal canister  
4 stays shut. If it stays shut, the only environmental  
5 implication is if you lose the neutron absorber. Of  
6 course, if the fuel is damaged, that's a problem at  
7 DOE's end if you have fuel that has degraded cladding.  
8 But if the MPC container itself stays closed, then  
9 material will not get out into the environment.

10           The calculations by Holtec show that for  
11 a half-hour fire the temperature rises to -- for the  
12 MPC rises to 419 degrees Fahrenheit, and the failure  
13 limit is 775 degrees Fahrenheit. So there is some  
14 room there, and we encourage the NRC to actually do  
15 this kind of analysis to see whether the MPC itself is  
16 going to fail at that temperature, is actually going  
17 to exceed 775 degrees Fahrenheit.

18           So I just want to make one final point,  
19 which is not all casks have the same construction as  
20 the Holtec cask. Not all casks are going to have  
21 these radial conductors for heat. Some will have just  
22 an empty area or an area filled with water, and all of  
23 those casks then have to be modeled. And I don't  
24 think it's a simple job, and that's one of the reasons  
25 why I'm suggesting that several of these type of casks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be actually tested.

2 DR. GARRICK: Is your concern here  
3 principally loss of shielding with these kind of  
4 scenarios?

5 DR. RESNIKOFF: Well, I'm concerned about  
6 loss of neutron shielding, and I'm also concerned for  
7 the Holtec cask about the destruction of cladding.  
8 That will be a DOE problem at the repository end. And  
9 I'm concerned about --

10 DR. GARRICK: But I mean as far as --

11 DR. RESNIKOFF: I'm concerned about leak  
12 from the MPC container itself if the -- in a long  
13 duration fire.

14 DR. GARRICK: Okay. So what's the pathway  
15 for the leak? I can see the direct radiation issue  
16 with respect to the loss of the neutron shield, but  
17 what's the pathway that you're --

18 DR. RESNIKOFF: The pathway would be if  
19 the welds are loosened.

20 DR. GARRICK: Okay.

21 DR. RESNIKOFF: And if there's a leak from  
22 the MPC itself. Because the MPC itself is a half-inch  
23 thick --

24 DR. GARRICK: Right.

25 DR. RESNIKOFF: -- container.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. GARRICK: Okay. Thank you.

2 MR. LEVENSON: George? Mike? Okay. Next  
3 speaker.

4 MR. HALSTEAD: Before I go onto the next  
5 presentation, I just want to say while there's no way  
6 we would reach closure on this discussion today, it's  
7 important to say for the record that NRC staff has  
8 scheduled a meeting for May 8 which now probably has  
9 to be increased from two hours to four hours where  
10 we're going to discuss the findings regarding the  
11 Baltimore fire and the application of the fire history  
12 based on those findings and how it would affect  
13 currently certified casks including the new designs  
14 and the designs that are currently in use. And it's  
15 frankly one of the reasons why this meeting is helpful  
16 to us and helpful to me specifically as a person who's  
17 trying to manage what we have to get done in that  
18 meeting, that in fact questions that you've raised  
19 over the last 20 minutes are very helpful to us and  
20 tell us some of the things that we need to resolve in  
21 that meeting before we submit our written comments.

22 Now, turning to the last presentation, and  
23 I do promise to keep us on schedule, next slide,  
24 please, there are many testing programs that we  
25 probably need to review before we put our draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 document at the end of this year, that I promised for  
2 December of this year. The ones that we have reviewed  
3 in some detail, of course, are the Sandia tests from  
4 the '70s, the Central Electricity Generating Board  
5 tests on the Magnox cask in the UK. These are often  
6 known as the "Operation Smash Hit" test based on the  
7 best-selling movie of the same name.

8 We're somewhat intrigued by innovative  
9 approaches to testing, and the approach that was used  
10 in certifying the Nupac 125B cask, which many of you  
11 are familiar, is the cask that was used for shipping  
12 the Three Mile Island debris to Idaho as a test  
13 program that we've studied. And, of course, we've  
14 studied extensively the TRUPACT-II Program, frankly,  
15 for some reasons that have nothing to do with Yucca  
16 Mountain, that have to do with the fact that Nevada is  
17 both a shipper and a corridor state for shipments to  
18 the WIPP facility in New Mexico.

19 And it's a very difficult thing to look at  
20 all of these different types of tests, and there are  
21 some British, European and Japanese tests that I need  
22 to review that I didn't have time to review before  
23 this meeting, to try and draw some lessons learned.  
24 But let me tell you what I think those lessons learned  
25 are that have some applicability to our proposal and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NRC staff and contractor proposal, the NUREG-1768.

2 First of all, full-scale cask testing is  
3 expensive and it almost always turns out to be more  
4 expensive than the people doing it thought. The best  
5 numbers we have are that the UK tests on the Magnox  
6 Program were \$8 million, 1984 dollars; TRUPACT testing  
7 appears to have cost about \$5 million in 1989, and I  
8 haven't ever seen a full package of costs I was  
9 comfortable with on the Sandia testing program, but  
10 Bob Jefferson on one occasion told me that he thought  
11 the cumulative costs of all those tests, including the  
12 terrorism sabotage tests that were done on the IF-200  
13 a few years later, were probably less than the cost of  
14 one current generation rail cask at the time, which  
15 would save \$3 to \$4 million.

16 And remember a big factor in those tests  
17 was a constrained budget, and both Yoshima and  
18 Jefferson said repeatedly for the record they would  
19 have liked to have used current generation casks but  
20 at the time the costs they were being quoted were half  
21 a million dollars back in 1977 when half a million  
22 dollars was half a million dollars for a truck cask  
23 and about \$3.5 million for a rail cask.

24 One of the things I find intriguing about  
25 the Nupac 125B testing is that there was an innovative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision by the designers who were under pressure,  
2 literally the enticement of financial rewards to get  
3 a quick licensing decision out of the Commission, and  
4 they not only decided to do full-scale testing of the  
5 casks but they decided to build full-scale canisters  
6 and test them, arguing that if the full-scale internal  
7 canister met the test requirements for the entire  
8 package, it was certainly assumable even though it was  
9 difficult to model that the entire package would  
10 comply with the standard.

11           And there I think is the issue that Mr.  
12 Levenson raised before. An important lesson learned  
13 here is before we decide what has to be done full-  
14 scale, what has to be done in scale model and what can  
15 be done with a component test, we need to do a lot  
16 more thinking about that, both to save money and  
17 guarantee that we get the results. And in fact I'd  
18 take this one step further, not just as a cost issue.  
19 I think perhaps there's an argument here that we ought  
20 to think about whether in the future the large-scale  
21 rail casks whether the welded container shouldn't be  
22 seen as a requirement, possibly as a testing  
23 requirement.

24           Point number two, benchmarking of codes.  
25 Most of these tests we've talked about here weren't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really designed for benchmarking. The Sandia tests  
2 were. They were generally considered successful. The  
3 TRUPACT-II testing was, in part, required because in  
4 that soft body/large package, the ability to model the  
5 heat paths was not well known. So I really don't have  
6 much in the way of lessons to report on benchmarking  
7 except perhaps it's obvious that you need to decide  
8 what your objective is in designing the test. And if  
9 your objective is benchmarking, then you're going to  
10 design that test differently I think than if  
11 regulatory confirmation is the issue. And in  
12 particular I'd argue if you're trying to benchmark a  
13 fire code, I'm very concerned about the performance of  
14 the instrumentation and I maybe have to make a  
15 sacrifice. You can't use the same test to benchmark  
16 with equal confidence a fire code and an impact code.  
17 They may have to be done differently.

18 Point number three, regulatory compliance.  
19 Again, that wasn't part of the Sandia test, but it was  
20 a very significant part of the other tests, and the  
21 tests were deemed extremely successful. And indeed in  
22 the case of the Nupac 125B, probably guaranteed that  
23 that cask was licensed in time for the purpose for  
24 which it was needed and it probably couldn't have been  
25 otherwise licensed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           There's some argument on the TRUPACT  
2 testing that as you got into the testing you found  
3 more problems, and that required more testing, and so  
4 there's some possible argument that the speed of  
5 licensing was certainly negative there, but the  
6 overall confirmation and public confidence in the cask  
7 I think can be seen as counter weight balances to  
8 that.

9           Public acceptance is a very, very  
10 difficult issue. First of all, it's always hard to  
11 measure. Secondly, to my knowledge, no one has done  
12 any opinion survey research or focus group research to  
13 see how the public will react to cask testing. This  
14 occurred to me in the shower this morning as I was  
15 getting ready to come here. My goodness, of all the  
16 things we've thought about here, we've got people  
17 proposing to spend \$20 million on testing at the NRC  
18 and people from Nevada proposing to spend \$70 million,  
19 and nobody has spent \$30, \$40,000 to do a good basic  
20 public opinion survey. I certainly plan to discuss  
21 that with our folks.

22           Let me tell you why we haven't done it in  
23 the past. What we have found on the public acceptance  
24 issue is that members of the general public that we  
25 have sampled unscientifically tend to assume that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 packages that are used have been tested full scale.  
2 They either assume this because they assume that that  
3 is a principle of regulation in an advanced industrial  
4 society -- they certainly have no reason for this but  
5 this seems to be why they do this -- or in Nevada, the  
6 people who have seen the test films from the Sandia  
7 tests assume that the casks that would be used for  
8 Yucca Mountain have been --

9 DR. GARRICK: Bob, do you think it's  
10 really a case of assuming that they've been subjected  
11 to tests or assuming that there is sufficient evidence  
12 in place to have confidence? I mean we don't test the  
13 Golden Gate Bridge. There's thousands of engineering  
14 projects throughout the world that we don't test, but  
15 there's confidence, there's public confidence that  
16 they know what they're doing.

17 MR. HALSTEAD: Well, I agree. I'd say  
18 most of those aren't coming through their  
19 neighborhoods in Nevada, and there's a voluntary issue  
20 of whether you feel safe going up in the Sears Tower  
21 or the Stratosphere in downtown Las Vegas, for that  
22 matter, which on a windy day is kind of spooky at the  
23 top.

24 The point I'm trying to make here with  
25 cask testing is that it simply had not occurred to me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 until this morning that there's all this talk about  
2 public confidence, and there's actually been some  
3 opinion polling on other safety enhancements like  
4 specifically for New Mexico is your level of comfort  
5 with the WIPP shipments more or less because you know  
6 about driver safety programs, because you know about  
7 escort requirements. But to my knowledge, nobody has  
8 done any polling on the testing issue, and I just  
9 throw it out.

10 What I was trying to explain before,  
11 though, is when I asked our polling people how we  
12 would go about asking this question the issue that  
13 came up was that the first question you would have to  
14 ask is something that would disturb people's  
15 knowledge, that is to say if someone thinks the casks  
16 have been tested full scale and at the beginning of  
17 the survey you make it clear to them that they haven't  
18 been tested full scale, you've probably biased the  
19 rest of the survey. So what I'm trying to say is this  
20 is a particularly difficult issue to give you any  
21 statistically verifiable opinion data.

22 What I will tell you from my personal  
23 experience is this: The TRUPACT testing was a great  
24 success because of the impact it had on the way state  
25 officials, emergency responders and law enforcement

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people have been trained, because the test program  
2 produced honest footage of honest, indeed somewhat  
3 boring and repetitive, drop after drop and fire  
4 testing. The State of Idaho State Police produced a  
5 video called, "Safe Way Out," which we've used in our  
6 training programs, and it's been very, very effective.  
7 It's effective partly because there's good visual  
8 evidence, partly because the package that's actually  
9 being used was tested and partly because the people  
10 who are normally the great critics of this testing are  
11 there at the table saying this package was tested  
12 properly.

13 I think the British claim that they've had  
14 similar experience with the Operation Smash Hit  
15 testing and not just because they did the locomotive  
16 attack but because part of the testing program that is  
17 referred to in their publicity work is a series of  
18 regulatory tests that were done at Cheddar Gorge. And  
19 I think that the Sandia tests are an example of how  
20 not to do tests and attempt to use them to influence  
21 the public, because all a critic has to do is say  
22 those aren't the casks that are going to be used for  
23 shipments for Yucca Mountain, and almost immediately,  
24 100 percent of the time, in my experience, those films  
25 are then dismissed as either irrelevant or worse a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 public relations exercise.

2 In terms of safety enhancement, that's a  
3 difficult argument to make as well because it involves  
4 judgment calls. The judgment calls certainly on the  
5 part of the people who've done technical reviews for  
6 the State of New Mexico, the Environmental Evaluation  
7 Group, clearly believe that major safety enhancements  
8 to the TRUPACT-II, both in the closure mechanism and  
9 the O-ring resulted from the findings of the full-  
10 scale test program.

11 There is some argument that the findings  
12 in the Sandia test about the importance of the  
13 tiedowns and the importance of designing tiedowns that  
14 would break away from either the truck or rail  
15 conveyance at the right point were an important  
16 finding that the designers hadn't anticipated. And in  
17 the CEGB tests, the fact that there was a minor  
18 opening below what is allowed under the regulation but  
19 that it did result in a redesign of the lid can be  
20 argued to be a safety enhancement, although one could  
21 argue that it wasn't necessary under the regulations.

22 The long and the short of it, I guess, is  
23 there are limits, severe limits to the lessons learned  
24 from past testing that are applicable to what we're  
25 planning to do in the current time, but it is worth,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think, reviewing them, and we intend to review them  
2 in writing. Let's turn to the next slide, please.

3 I've tried to summarize our concerns about  
4 spent fuel testing. I've been assisted in this very  
5 largely by Hank Collins. Issue Number 1 is simply  
6 that the NRC staff and contractors have not told us  
7 exactly what they plan to do and perhaps this has been  
8 developed in the last few weeks since we discussed  
9 this in Chicago, but we don't have a good sense of  
10 what the schedule for the spent fuel testing is  
11 compared to the cask testing, and it's important to  
12 resolve that, particularly because Issue Number 2 --  
13 one of the really big debatable issues out here is  
14 what value to use for the gap inventory of Cesium-137,  
15 and in shorthand this is what percentage of the total  
16 inventory in a spent fuel assembly of Cesium-137, and  
17 also 134 but that's a much smaller contributor, is in  
18 the tiny gap between the pellet and the cladding and  
19 therefore can be assumed to be not only released in a  
20 fire environment but even possibly in a serious impact  
21 accident that doesn't involve a fire. And the range  
22 of values is as low as 0.3 percent and there are some  
23 data that indicates for some fuels and some burn-ups  
24 that it's over 20 percent. And a range that we've  
25 used in our risk calculations that Resnikoff and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 company have done is a geometric mean, which is around  
2 then.

3 This is a really important -- I would  
4 argue that this is the single most important spent  
5 fuel issue to resolve because when you actually look  
6 at all of our models, they're all driven by your  
7 assumption about what value to use for the gap  
8 inventory for Cesium.

9 There is also the issue of determining  
10 temperature and impact limits for burst rupture and  
11 certainly the discussion that Dr. Levenson and I had  
12 goes right to that. We think the way to do that is  
13 through laboratory testing of spent fuel, and that's  
14 promised to be part of the Package Performance Study.  
15 Similarly, this issue of the size distribution of  
16 released particles -- now, this has been more of a --  
17 this particular issue has been more contentious in the  
18 debates over the consequences of a sabotaged terrorism  
19 incident where you're looking at the blast from a  
20 shape charge, possibly releasing a considerable  
21 quantity of physical material from the cask and then  
22 the size distribution of the particles becomes very  
23 important for the consequence assessment, perhaps less  
24 important for accident consequent analysis.

25 We think we know a lot about the behavior

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of Cesium-137 in fire environments, but we probably  
2 don't know enough in impact environments. And  
3 generally we need to know a lot more about what  
4 happens to the Strontium. To what extent is it  
5 affected by heat and under what circumstances? Again,  
6 that issue may be more important for total consequence  
7 assessment with the terrorism sabotage work than for  
8 an accident. And, certainly, CRUD behavior is an  
9 issue that's been noted by virtually all the people  
10 who've looked at the areas where we need more data.

11 And, finally, the implications of higher  
12 burn-up, the overall change in industry fuel  
13 management practices, which has, generally speaking,  
14 over the last 20 years, on average, resulted in about  
15 a 50 percent increase in burn-up. DOE to its credit  
16 has done a good job of looking at the implications  
17 both of burn-up and cooling time on the performance of  
18 specific representative spent fuels and accident  
19 conditions. But in general the issue of higher burn-  
20 up on the physical performance of fuel in accidents is  
21 an area that we would highlight. Next slide, please.

22 Well, we're getting late and I have the  
23 advantage of saying that this is work in progress that  
24 we're going to provide, and I can see there may be  
25 some reason for us to come back in a few months after

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the May 8 meeting on the Baltimore fire and after the  
2 May 30 filing on NUREG-1768. Let me review some  
3 general points.

4 The NRC has done a splendid job, let me  
5 say that again, a splendid job of stakeholder  
6 involvement in the first phase of the Package  
7 Performance Study as it relates to planning these  
8 tests, and I'm very heartened by that. Splendid not  
9 only in the way they have presented information but  
10 the way that they have allowed pretty much unfettered  
11 interaction between a variety of stakeholders -- state  
12 government, industry people but also members of the  
13 public and their staff at the public meetings that  
14 they've held. Our concerns now are whether there's a  
15 commitment to an appropriate level of stakeholder  
16 participation throughout the conclusion of the  
17 program.

18 Point Number 2, selection of cask to be  
19 tested. Of the casks that are currently certified, if  
20 you had to test one full scale, I'd say the GA-4 is  
21 the logical choice. On the other hand, the selection  
22 of the Holtec as the rail cask is open to question on  
23 a number of grounds. And, again, without belaboring  
24 the point here, this is an area that we will be  
25 addressing in our comments. How do you decide what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the best or most representative rail cask is if you're  
2 only going to test one?

3 Selection of test scenarios is an area  
4 that we'll also be commenting on. In general, I would  
5 give the NRC staff kudos for the way -- I don't know  
6 if that comes in the record -- kudos means they get an  
7 A grade for the way they have approached the impact  
8 scenarios. They unfortunately get an incomplete for  
9 the way they've approached the fire testing scenarios.  
10 Now, that doesn't mean that I agree with the scenarios  
11 or that I'll suggest that our team limit themselves to  
12 the two impact scenarios that they've identified, but  
13 particularly the willingness to model the backbreaker  
14 impact for the truck cask shows a willingness to go  
15 where no modelers have been willing to go before.  
16 And, frankly, that's the sideways truck impact with  
17 the bridge abutment. I can't take credit nor can any  
18 of our people take credit. Bill Rhein down at Oak  
19 Ridge started arguing that that was an impact scenario  
20 that should be evaluated, I believe as early as 1979.

21 Selection of cask testing facilities, we  
22 have some real concerns here with the presumption that  
23 Sandia is both going to design the test program and  
24 get the contract to carry out the tests. I've been  
25 told that there will be some type of competitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 procurement, but I think it's very important for the  
2 integrity of this testing program that the people at  
3 NRC who make the decision not only look at this issue  
4 of whether there's a real or perceived conflict of  
5 interest but they make sure that the testing facility  
6 that's chosen is the one that's appropriate for the  
7 particular set of tests that need to be carried out  
8 and also that the test facility is accessible and that  
9 their staff are conducive to stakeholder and other  
10 witness participation.

11 Program costs and availability of funding.  
12 They've been very shy talking about this. Someone  
13 finally got them to admit at the second meeting that  
14 more than \$20 million was their cost estimate. I  
15 think it could be considerably higher than that,  
16 perhaps between \$25 and \$30 million, but I'm just  
17 making assumptions based on our own cost analysis. I  
18 think they have an obligation to put a cost more  
19 precise than more than \$20 on what they're proposing.

20 And, finally, very important is the  
21 commitment to carry out the testing program,  
22 particularly if this discussion is dragged on for some  
23 time. Maybe we've just grown cynical in Nevada but  
24 we're quite concerned about a situation where we've  
25 raised this issue of testing and now every DOE and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry and NRC person who cares to says, "Wait a  
2 minute. We're going to deal with that testing issue.  
3 We've got the Package Performance Study tests." And  
4 that's fine if the tests are actually going to go  
5 forward, but if there isn't a commitment to carry out  
6 these tests, then it just complicates the discussion  
7 of testing. And on our part, we can just proceed to  
8 take these issues to the Congress and ask for creation  
9 of a testing program through congressional means.  
10 Next slide, please.

11 I'm not going to go into any detail here,  
12 but I just want to give you four out of my preliminary  
13 list of about 100 topic areas for specific comments on  
14 NUREG-1768. I think it's a mistake not to define  
15 failure thresholds and model them on the part of the  
16 people who seem to be willing to model almost failure.  
17 And I say again the modeling has been pretty close to  
18 failure on the impact analysis, but they've not done  
19 the same degree of modeling on fire performance.  
20 There also is some previously published work funded by  
21 the Department of Energy, carried out by Professor  
22 Miles Greiner at UNR. We've provided you with a  
23 summary report on some of the performance envelope  
24 analysis there. We think that kind of analysis should  
25 have been in the report.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's clear that there's a prioritization  
2 of impact versus fire testing and a lack of  
3 specificity in the staff and contractor opinion for  
4 fire tests. We have concerns about the assumption  
5 that the impact tests should be done doing impact  
6 limiters. Haven't decided yet which side we're going  
7 to come down on. The regulatory nine-meter drop test  
8 was done without an impact limiter to assess  
9 compliance. Some pretty high accelerations have been  
10 considered for the drop test options identified in  
11 1768 using impact limiters. But there is a question.  
12 We know a lot about impact limiter performance from  
13 our scale model testing, and do we need to do full-  
14 scale testing, in effect, to test impact limiters?

15           Test instrumentation is another big issue,  
16 both the reliability of the instrumentation in  
17 different combinations of tests and the availability  
18 and cost of different alternative ways of reporting  
19 and recording the data.

20           And, finally, the probabilistic metric on  
21 Page A2/A3 is a classic example of where we don't  
22 dispute the effort to approach -- or to apply  
23 probabilistic analysis, in this case it's an effort by  
24 the NRC to argue that the particular impact and fire  
25 scenarios they've proposed are realistic based on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probablistic analysis. My argument is that they have  
2 only used one set of numbers and there are a number of  
3 different assumptions they should have used for  
4 numbers of shipments, accident rates and the values  
5 that are assigned to different events in their event  
6 trees.

7           So there is an example of five of the  
8 specific types of comments we'll be making. Again, I  
9 very much appreciate the opportunity that you've given  
10 us today, and I hope it's not the last time that we'll  
11 have an opportunity to discuss these issues. Thank  
12 you.

13           MR. LEVENSON: Thank you. Let me just --  
14 so you realize you're not alone, we haven't seen any  
15 of the plans for the fuel testing either. But if you  
16 stop in -- I don't know whether the program will be  
17 anything like the one you're suggesting or not, but if  
18 it is, assume they accepted your program absolutely,  
19 then it wouldn't involve the same group of people, the  
20 same testing facilities or anything else, because it's  
21 essentially all with real fuel or with Cesium or with  
22 high burn-up so you have CRUD on the surface so that  
23 it really wouldn't make any sense to have it part of  
24 the same program. It would have to be done by  
25 different people, different places, et cetera. But we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 haven't seen that yet. Questions?

2 DR. RYAN: We received a packet of  
3 material as background to get us started today, and I  
4 just would like to call your attention to one of the  
5 papers in that packet and ask a couple of questions  
6 about it. It's "Radiologic Impacts of Incident-Free  
7 TNR Transportation to Yucca Mountain of Collective and  
8 Maximally Exposed Individuals." And in reading this  
9 paper I was confused. It looks like you're  
10 calculating exposures to a maximum individual and then  
11 applying cancer risk factors to that dose. And that  
12 doesn't seem to me to be, one, a fair assessment or,  
13 two, frankly correct, because the application of a  
14 risk estimator, and you quote, for example, the  
15 teratogenic risk of birth defects, I think, on Page 6,  
16 that doesn't apply to an individual.

17 No risk estimator from NCRP should be  
18 applied to an individual dose. It's just flat-out  
19 epidemiologically wrong. So you end up with doses and  
20 cancer deaths as you list them. Now, whether the FEIS  
21 did that too, I understand they may have just from  
22 reading what you've written here, I caution you to  
23 think about perhaps a different way to look at that.  
24 Maximal individual doses may in fact not be realistic.  
25 You should maybe take a look at probablistic kinds of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approaches to what public dose or worker dose or  
2 whoever it is might be and then be real careful about  
3 the application of cancer risk estimated because in an  
4 epidemiologic sense they do not apply to individuals  
5 clearly, and they may in fact not apply accurately to  
6 small groups.

7 So I just think that kind of analysis is  
8 not helpful in that it may mislead if people don't  
9 realize the limitations. And had you listed some of  
10 these limitations and artifacts that occur, that would  
11 have been one thing, and maybe I missed it, but I  
12 didn't see where you had brought all that together.  
13 So just a thought as you may reconsider additional  
14 analysis of these types.

15 MR. COLLINS: Bob, do you want me to --  
16 the Committee hasn't heard my dulcet tones yet, but --  
17 or do you want to field this.

18 MR. HALSTEAD: Let me respond first,  
19 generally, then turn you loose, Hank, although I want  
20 to warn you we are near the end of the time period.  
21 Your comments are very well taken and in particular we  
22 were trying to respond, frankly, in a preparation for  
23 litigation over NEPA issues with the way the  
24 Department had addressed these risks. I agree with  
25 some of what you -- certainly, I agree with what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 said about the ability to predict cancer risk in a  
2 specific individual, and I think that's a problem in  
3 all of the Department's EISs.

4 And it also relates to the issue of using  
5 latent cancer fatality as the measure of radiological  
6 health risks. And the process of critiquing them we  
7 probably didn't make it clear, certainly as Hank can  
8 say, that we have a lot of reservations about those  
9 approaches also. I do think it's important to note  
10 that with worker doses the key issue here is that  
11 there are potential issues depending on certain policy  
12 decisions for frankly fairly large routine doses to be  
13 delivered to workers.

14 DR. RYAN: I would also add there's a  
15 large body of worker dose evidence you could have  
16 drawn on to look at actual work doses for transport  
17 units in transport. I mean there is a large body of  
18 worker exposure data out there.

19 MR. HALSTEAD: Agreed.

20 DR. RYAN: So it's not a theoretical.  
21 That's a real one.

22 MR. HALSTEAD: Right. But data that was  
23 absent in the Department's analysis and again what --  
24 again, what I'm saying is what you saw was a very  
25 narrowly defined article basically responding to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 way the Department had dealt with these issues in  
2 their EIS and is not necessarily the way we would have  
3 or should have dealt with those issues in a holistic  
4 and general way.

5 DR. RYAN: I appreciate that, but the fact  
6 that you were narrow on purpose is not commented on in  
7 the report, and that's frankly a flaw of that  
8 approach. If you want to be narrow and you define it  
9 that way, I understand how you'd want to do that, but  
10 if you want to do as the title says, an accident-free  
11 assessment, that's a much broader question.

12 MR. HALSTEAD: Again, we're running -- I  
13 would really like afterwards as a follow-up to the  
14 meeting if you would be willing to give us your  
15 comments, I would very much be interested in receiving  
16 them and working them into our work plan.

17 DR. RYAN: Thank you. That's all.

18 MR. COLLINS: I just wanted to echo what  
19 Bob said. When we did that, when Bob and I wrote that  
20 paper it was basically to compare our results to the  
21 FEIS methodology in Appendix J, in Chapter 6, where  
22 they did use those peak cancer risks. And thank you  
23 for drawing our attention to that, the dubious  
24 methodology there.

25 DR. GARRICK: The only comment that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think I'd like to make is that I think one of the most  
2 important issues here is a sensible protocol for the  
3 tests, one that can be anchored to something that  
4 indicates that it's realistic and has some rational,  
5 technical basis. A lot has been said about the  
6 various risk assessments that have been performed in  
7 transportation, and while certain elements of the work  
8 has been very, very good, the truth is that the  
9 transportation risk assessment business is many years  
10 behind the quality of risk assessments that were done  
11 in the nuclear power plants ten, 15 years ago,  
12 particularly behind with respect to identifying  
13 specific contributors to risk, behind in terms of  
14 coming up with rational and convincing risk metrics,  
15 as you say, or risk measures, behind in terms of  
16 comprehensiveness of the uncertainty analysis and  
17 behind in terms of the scope.

18           The analyses have been very helpful and  
19 useful, but I think that particularly with respect to  
20 the cask and the kind of insults that it can receive,  
21 but there's still the need for a more comprehensive  
22 treatment of that, and I think it would be nice to see  
23 that actually in advance of serious decision-making  
24 about what the test protocols should be. In the ideal  
25 world, what you'd like to see is that if you had a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very comprehensive risk assessment of the  
2 transportation system and it would have to be  
3 carefully scoped, then you would like to think that  
4 there would be a rational mapping that you could do  
5 from the results of that analysis to the test  
6 protocols. And I think that's very much missing.

7 It's kind of -- when the PPS came out,  
8 members of this Committee were pretty critical of many  
9 aspects of it. One of the things we were critical of  
10 was the scope of the test, the protocols for the test.  
11 Another thing we were critical of was generally the  
12 absence of what we would call a comprehensive risk  
13 assessment, particularly with regard to uncertainty  
14 analysis, because that's where the risk really is. So  
15 I'd sure like to see more evidence that whatever we  
16 end up as test protocols that they can be anchored to  
17 some sort of technical case or analysis that convinces  
18 us all that there's real logic and rational thought  
19 associated with it.

20 MR. LEVENSON: George?

21 CHAIRMAN HORNBERGER: Thanks, Milt.  
22 Again, I just probably want to second John's comment  
23 just before I make any comment. I think that what I  
24 gather the activity that's been going on and the  
25 discussions about the PPS appear to have really gotten

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the dialogue going, and I think that is good to have  
2 all of the discussion to line this out.

3 I think that from my view, as like John's,  
4 some kind of systems approach is really where we need  
5 to go and we need to think about this not so much in  
6 the narrow sense of exactly what test needs to be done  
7 on what cask. For example, Jim made a comment about  
8 the institutional, potential institutional problem of  
9 someone who's in control here. And when it's not  
10 clear, then we have a problem. I don't think that  
11 that goes away just because we work on designing a  
12 test. I think that that somehow has to be built into  
13 our thinking about a test.

14 By the same token, we don't want to learn  
15 from terrible accidents like we have in the past, but  
16 by the same token if I think of the Exxon Valdez, I'm  
17 not sure exactly even in retrospect what kind of scale  
18 model test I would have done to prevent such an  
19 accident. I think that what is needed is to just have  
20 people think very carefully about the whole system and  
21 try to anticipate as best one can as what's going on,  
22 what may happen.

23 So, again, as John said, I think that  
24 perhaps in a broader view of the system, particularly  
25 taking into account the risks in the context of a risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis may lead us to define a protocol and testing  
2 program that may have a better impact overall for the  
3 whole program.

4 MR. BAHADUR: I just had a specific  
5 question for Dr. Resnikoff. You conducted a base  
6 study on the Baltimore fire and presented your  
7 results. Has this study been peer-reviewed?

8 DR. RESNIKOFF: You mean has it been sent  
9 to a journal? We've sent it to other of our peers in  
10 the State of Nevada to look over.

11 MR. BAHADUR: Okay. All right. And their  
12 conclusion was also matching with the conclusions that  
13 you had made?

14 DR. RESNIKOFF: Did they concur, is that  
15 what you asked?

16 MR. BAHADUR: Yes.

17 DR. RESNIKOFF: Yes. They gave us helpful  
18 comments that improved the paper, yes.

19 MR. HALSTEAD: Let me add to that. We've  
20 been unfortunately involved in a serious dispute with  
21 the NRC over the availability of data and in  
22 particular in three areas. First of all, we believe  
23 that our contractors were unwisely and perhaps  
24 illegally excluded from some meetings between the NRC  
25 and NIST back in July and August. Secondly, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requested reports that were withheld from us. We then  
2 filed a Freedom of Information Act action to obtain  
3 them, and the bottom line is it took us six or seven  
4 months to receive documents that had been completed in  
5 August. They weren't made available till February.  
6 And, finally, there's a whole range of reports which  
7 are claimed to be reports and turned out to be a  
8 handful of overheads that were given at a meeting that  
9 buttress critical technical points in the NRC's  
10 analysis.

11 Now, we fully intend at some future  
12 date to submit the analysis that RWMA has done along  
13 with the analysis that some of our other people have  
14 done possibly for the PATRAM Conference, possibly for  
15 waste management, and there are a number of journals  
16 where it would go through the peer review. And we  
17 don't always feel the need, frankly, to publish the  
18 peer review articles because we're writing things that  
19 are going into a review process, say, at the NRC. In  
20 this case, I think it is important that we submit that  
21 publication -- that we submit this material in a peer-  
22 reviewed forum. We haven't done it because we haven't  
23 been able to get the rest of the information that we  
24 need.

25 Now, hopefully that meeting on May 8 will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be the first step in resolving this issue, but this  
2 has become a terribly difficult political issue that  
3 has ended up besmirching the integrity of both sides,  
4 both the State of Nevada and the NRC, and we really  
5 need to find a better way to resolve technical  
6 disputes. That would then allow us to submit the work  
7 in a peer-reviewed forum having had access to all the  
8 information. It's a very fair comment that in fact  
9 we've not submitted the report to what would normally  
10 be considered an objective peer review.

11 MR. LEVENSON: I have one more question.  
12 I have one question. Like my colleague Mike here, I  
13 sometimes have trouble sleeping so I read all this  
14 stuff too. And there's a statement in here I found  
15 very interesting and that is that there were not  
16 detectable releases of any airborne hazardous  
17 materials in the smoke billowing from the tunnel  
18 fires, even though hydrochloric acid was in the tank  
19 car right next to the fire and leaked.

20 I don't find that very surprising because  
21 I experienced, which in the nuclear business is 60  
22 years this year, covers quite a few accidents, 12 core  
23 meltdowns, et cetera. And reaction in played out  
24 mechanisms are almost never properly modeled by the  
25 modelers. Always have to explain why are they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 overpredicting huge consequences.

2 I wondered if you had given any thought to  
3 whether there was anything to be learned from this  
4 that might help in doing analysis on tunnel fire? It  
5 seems to me that this is a good experiment, ought to  
6 get some use out of it.

7 DR. RESNIKOFF: I think we note that as an  
8 issue that we need to address, particularly after our  
9 meeting with the NRC consultants on the 8th.

10 (Off mic to Birky.)

11 DR. RESNIKOFF: I agree. In our study we  
12 assume 50 percent of the volatile materials got out of  
13 the tunnel to do an analysis, but that was just a  
14 conjecture on our part.

15 MR. LEVENSON: Yes. That doesn't  
16 correspond to any experience or experiment.

17 MR. KOBETZ: I just wanted to follow up on  
18 one thing that Mr. Birky did say earlier in the  
19 presentations, and that was that there was a concern  
20 that the regulations may not be conservative enough  
21 for fire with regard to the fire test. And I guess  
22 that's the one thing I haven't heard through all this  
23 as far as the safety issue. Does the state feel that  
24 there's a current safety issue that the regulations  
25 aren't adequate as far as your response to the PPS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 test protocols?

2 MR. HALSTEAD: Yes. I want to answer that  
3 first because Tim has made that point very clearly to  
4 me on several occasions. There's a point where if we  
5 had the technical information in hand to argue that  
6 the current standard was inadequate, we're not shy  
7 about filing a petition for rulemaking. And I guess  
8 that would be the appropriate route to go, and that's  
9 -- we've never frankly spent the amount of resources  
10 that are necessary to look at that question even  
11 though I say as early as 1986 one of our review groups  
12 said, "One thing you should think about is the  
13 adequacy of the current fire standard, both duration  
14 and maximum temperature." So the answer -- at the  
15 current time, I don't think we have sufficient  
16 information that I would feel would justify  
17 challenging the existing regulations.

18 MR. KOBETZ: Not just the fire but also  
19 any of the impact, anything else that they're doing.  
20 Because one of your things was talking about actually  
21 full-scale testing each of the casks.

22 MR. HALSTEAD: Well, understand, if you've  
23 read PRM 73-10, we're not shy about going into  
24 excruciating detail about the deficiencies regarding  
25 the vulnerability of casks to attack where shape

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 charges, so that's kind of the model we would follow.  
2 We would have to have done that much of our own  
3 analysis to feel that we could stand the heat of  
4 scrutiny, and frankly we don't have that information  
5 now. That's one of the reasons why we're going to  
6 pursue this I think in considerable detail and in  
7 depth.

8 MR. LEVENSON: Any questions or comments  
9 from anyone in the audience?

10 MS. GUE: I know it's the end of the day  
11 -- sorry, Lisa Gue with Public Citizen. I know it's  
12 the end of the day, but I just wanted to take a moment  
13 to thank --

14 MR. LEVENSON: Do you want to identify  
15 yourself, Lisa?

16 MS. GUE: I did.

17 MR. LEVENSON: Oh, okay.

18 MS. GUE: I wanted to take a moment to  
19 thank the Committee for holding this meeting and doing  
20 so in a public forum and Mr. Chairman for building  
21 time into the agenda for public comment. And I also  
22 want to appreciate the State of Nevada's persistent  
23 technical review of these issues and for bringing them  
24 to the attention of the Committee.

25 Public Citizen, as a public interest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 organization, has a long-standing commitment to issues  
2 of transportation safety as well as nuclear waste  
3 management, so the question of nuclear waste  
4 transportation is an interesting nexus for us of  
5 issues that we care deeply about and work in coalition  
6 with concerned citizen groups across the country. And  
7 I think that the Committee and the various agencies  
8 involved should have no doubt that this is a matter of  
9 significant public concern that cannot be addressed  
10 simply through a PR campaign but in fact relates to  
11 the question of credibility in terms of the various  
12 regulatory agencies involved, their credibility as  
13 regulators that protect public health and safety.  
14 And, unfortunately, the history with respect to both  
15 the NRC and DOE is not particularly inspiring in that  
16 regard.

17           And I think that this Committee actually  
18 should be playing a vital role to address that  
19 problem. And we were very concerned in the first  
20 round of these meetings when the Committee heard  
21 exclusively from an industry panel, and in fact we  
22 sent you a letter expressing our concerns, which  
23 incidentally we received no response to, but we were  
24 very happy to see this meeting subsequently scheduled,  
25 and we would hope that in the future the Committee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 build in this kind of balance to its presentations and  
2 perhaps takes more of the lead in addressing some of  
3 the questions that do remain about these issues. I  
4 think it's vitally important that ACNW as an  
5 independent advisory committee demonstrates its  
6 commitment to fully exploring dissenting views as well  
7 as the well-known positions of the nuclear industry.

8 On the issue of the Package Performance  
9 Study, well, there's a lot to debate in terms of  
10 detail, and we've heard some of it today. I think  
11 it's clear that this could be a very important study,  
12 and we'll of course be submitting comments, and maybe  
13 we'll send you a copy. But just to say, first of all,  
14 perhaps the -- I think perhaps the Commission could  
15 benefit maybe from some thoughts of the Committee in  
16 terms of whether this is actually a Yucca Mountain  
17 study or whether it's a generic study. I think  
18 there's some inconsistencies in how it's been  
19 presented, and it's important again in terms of  
20 credibility that it be accurately portrayed one way or  
21 the other. Thank you again.

22 MR. LEVENSON: Thank you, Lisa. Let me  
23 point out that I won't tell some of the people at the  
24 workshop what you said, because the people from DOT  
25 and the Railroad Association I think would resent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being included with industry.

2 MS. GUE: Government and industry.

3 MR. LEVENSON: Government and industry  
4 covers a pretty big percentage of the U.S. population,  
5 I'm afraid. Okay. Including the State of Nevada.  
6 Okay. I declare the workshop section of this as done,  
7 and it's back to you, George.

8 CHAIRMAN HORNBERGER: Thanks. We will now  
9 take a break, and we will reconvene in the room  
10 upstairs in 15 minutes.

11 (Whereupon, at 5:07 p.m., the  
12 Transportation Working Group meeting was concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701