

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
143rd Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, June 24, 2003

Work Order No.: NRC-967

Pages 1-191

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

143rd MEETING

+ + + + +

TUESDAY,

JUNE 24, 2003

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 10:30 a.m., George M.
Hornberger, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

GEORGE M. HORNBERGER, Chairman

B. JOHN GARRICK, Vice Chairman

MILTON N. LEVENSON, Member

MICHAEL T. RYAN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 SHER BAHADUR, Associate Director, ACRS/ACNW

3 NEIL M. COLEMAN, ACNW Staff

4 HOWARD J. LARSON, Special Assistant, ACRS/ACNW

5 MICHAEL LEE, ACRS Staff

6 RICHARD K. MAJOR, ACRS/ACNW Staff

7

8 ALSO PRESENT:

9 ROBERT ANDREWS, Bechtel SAIC Company, LLC

10 JIM DANNA, NRC

11 DAVID W. ESH, NRC

12 APRIL V. GIL, Department of Energy

13 TIMOTHY GUNTER, Department of Energy

14 TIM McCARTIN, NRC

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

Opening Statement 4

DOE Strategy for Resolving Key Technical
Issue Agreements 7

The Use of Risk Information as a Basis for
Agreement Closure

 Andy Campbell 66

 Dave Esh 67

 Bob Andrews 97

NRC Staff Report on the Risk Significance Ranking
of the 293 KTI Agreements 124

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

10:31 a.m.

CHAIRMAN HORNBERGER: The meeting will come to order. This is the first day of the 143rd meeting of the Advisory Committee on Nuclear Waste. My name is George Hornberger, Chairman of the ACNW. The other Members of the Committee present are John Garrick, Vice Chairman; Milton Levenson and Michael Ryan.

During today's meeting the Committee will (1) discuss the process of Yucca Mountain key technical issues, agreement, resolution and risk ranking with representatives of the Department of Energy and the NRC staff; and (2) discuss potential ACNW letters, including the status of KTI agreement resolution.

Howard Larson is the Designated Federal Official for today's initial session.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. We have received no requests for time to make oral statements from members of the public regarding today's sessions. Should anyone wish to address the Committee, please make your wishes known to one of the Committee staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It is requested that speakers use one of
2 the microphones, identify themselves and speak with
3 sufficient clarity and volume so that they can be
4 readily heard.

5 Before proceeding, I would like to cover
6 some brief items of interest. One, Ms. Tanya Winfrey,
7 who is the ACRW/ACNW Administrative Assistant received
8 the NRC Meritorious Service Award from the
9 Commissioners on June 12th during an agency-wide
10 ceremony on the green. Congratulations to Tanya.

11 Ms. Tina Ghosh, Ph.D. candidate from MIT
12 joined the Technical Staff on June 9th. She is
13 working with the ACNW Staff on PRAs and so forth and
14 is keeping interested in risk and uncertainty issues
15 at Yucca Mountain.

16 Third, in a June 3rd press release, the
17 world edition of BBC News discussed Neil Coleman's
18 paper titled "Aqueous Flows Carved the Outflow
19 Channels on Mars" which was published in the Journal
20 of Geophysical Research, Volume 108 and was actually
21 accepted on January 3, 2003. Congratulations to Neil,
22 too.

23 So we're going to move into our regular
24 session and John Garrick is the lead member on risk
25 and KTI, so I'll turn it over to John.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN GARRICK: Thank you, George.
2 I think that we're coming to the point in time where
3 we're really going to begin to test the issue and the
4 ability to risk-informed technical issues associated
5 with Yucca Mountain and to deal with the differences
6 between a safety case based just on a prescriptive
7 standard and the risk-informed safety case that also
8 includes a standard.

9 We have been coming up to this point for
10 a good long time and this Committee has stressed the
11 importance of having as a baseline what the experts
12 believe to be the real risk and go from that point to
13 whatever issues seem to be important enough that they
14 ought to be dealt with in relation to what the risk
15 is.

16 Our position is not one of detailed risk
17 assessment on every issue. Our position is one of
18 making sure that we understand what's driving the risk
19 and that whatever it is that's driving the risk is
20 sufficiently transparent that we can see what the
21 supporting evidence is for that contribution.

22 And so we'll be looking very carefully at
23 the issues throughout the morning, such as the way in
24 which the KTI agreements are importance-ranked. We've
25 read about the attempt to bundle some of the KTI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agreements together which in principle sounds like a
2 good idea and whether or not it's a feasible thing to
3 do in practice, we hope to learn something about that.

4 We also are hopeful of getting into the
5 issue of the treatment of uncertainty and how
6 uncertainty is propagated through the models. We've
7 seen a new term come into the discussion, namely
8 combined effects contributing to uncertainty. So we
9 have a lot to consider and these presentations are
10 going to be very important in that regard.

11 And so with that, as I understand it,
12 April Gil is going to lead off for the Department of
13 Energy and we'll introduce herself and her role as
14 well as the subsequent speakers.

15 April, we're pleased to see you.

16 MS. GIL: Thank you, Dr. Garrick. Do you
17 want me to sit here and use the mike or do you have a
18 portable mike.

19 VICE CHAIRPERSON GARRICK: There is one.

20 MS. GIL: Thank you very much. Good
21 morning. I'm very pleased to be here. It's been many
22 years since I've had the chance to talk to the
23 Advisory Committee and I wanted to say first off on
24 behalf of myself and our DOE team, we're very pleased
25 to be here today to discuss with the Committee our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach to resolution of KTI agreement items.

2 My name is April Gil. I'm the Division
3 Director for the Regulatory Interactions and Strategy
4 Division for the Office of Repository Development and
5 my team and myself are based out of Las Vegas.

6 First off, let me say that we're well
7 aware that there's a lot of interest in the
8 Department's approach to resolution of KTI agreement
9 items. We know that the Committee and the Commission
10 itself is very interested in the schedule and the
11 methodology that the Department will be using to
12 resolve these issues. And let me reassure the
13 Committee and the Commission that we're working very
14 closely with your staff to make sure that all the
15 agreements are explicitly and completely addressed by
16 the time of license application submittal which is
17 currently planned for December of 2004.

18 I just wanted to provide a little
19 background for folks who either weren't in the program
20 at that time or just a little refresher. I can see a
21 lot of familiar faces here from the KTI agreement
22 technical exchanges in management meetings.

23 We established 293 agreements with the NRC
24 in a series of very intensive public interactions over
25 a course of about 18 months. They started in April of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2000 and our last one was in September of 2001. These
2 agreements, we believe, were key to the NRC's finding
3 of sufficiency in allowing the Department of Energy to
4 go ahead with site recommendation, to implement
5 national policy for geologic disposal of high level
6 waste. So we feel that the KTI agreement items have
7 been a very effective way to focus the national
8 program and to allow clarify and transparency in what
9 is necessary for the Department to complete prior to
10 submittal of a license application.

11 And this will be familiar, I think, to
12 everyone in this room. This is NRC's status summary.
13 We get this on a weekly basis and make sure that it's
14 maintained. The accounting and the bookkeeping with
15 the KTIs can be challenging. This, I think, is the
16 most simple, straightforward explanation. Two hundred
17 ninety-three total agreements and 78 remaining --
18 excuse me, 78 agreements have been closed and 140
19 remaining.

20 We have determined that we needed to
21 revise the way we were addressing the key technical
22 issues and we've been working on this for some months.
23 Primary drivers for the changes were program
24 replanning due to the continued resolution from
25 Congress that had a significant impact on our budget

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and our program. Also, another significant input to
2 our approach was the availability of the Yucca
3 Mountain Review Plan in draft final form and you will
4 hear more about that later this morning from our other
5 speakers.

6 Another important thing that we've done
7 over the last year and a half, two years, is met
8 consistently, frequently with the NRC staff to
9 understand better exactly what is necessary to resolve
10 these KTI agreements. And the interactions include
11 public meetings, technical exchanges, Appendix VII
12 visits and also the letters that have gone back and
13 forth between the two agencies.

14 So I think that this has really been a
15 significant input to us in getting better
16 understanding exactly what's necessary for the
17 agreements.

18 So in developing responses, we've got an
19 understanding. We've also got an understanding of
20 what the NRC staff expects when we receive Additional
21 Information Needs from the NRC staff. Our goal is
22 always to be successful with the initial submittals of
23 the KTI agreements. We try to be as complete in the
24 documentation and the approach as possible. However,
25 there have been cases where the NRC staff has written

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back and said we need additional information in this
2 area on this original KTI agreement. So those are
3 termed Additional Information Needs rather than
4 requests for additional information which I understand
5 is used for licenses.

6 So we've had clarification of NRC staff
7 expectations and I know the NRC management and NMSS is
8 very aggressive and specific on this point. They want
9 to make sure that there's clear, mutual understanding
10 between NRC and DOE as to what's necessary.

11 And the discussions that we've had at
12 technical exchanges, I know ACNW members and staff
13 have been present at many of these. They are very
14 lively, open interchange of information that's
15 documented in formal meeting minutes afterwards and we
16 think those have been very helpful.

17 So our previous approach focused on
18 responses to individual agreements. There were cases
19 that we grouped them, but the vast majority of the
20 agreements we did them one at a time, so to speak.
21 And we realized that addressing the agreements in this
22 way was not as effective as taking an overall
23 integrated approach because many of the agreements are
24 related, not just within a specific key technical
25 issue area, but between KTIs, there are relationships

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between the agreements.

2 So our revised approach, we think, is a
3 substantial improvement over what we've been doing in
4 the past. And I know the Committee and the Commission
5 is well aware that the frequency with which we are
6 submitting agreement items has slowed down
7 considerably in the last few months. We have every
8 intention of getting those submittals back on schedule
9 and we'll do everything we can to make sure that that
10 happens. We're going to address the key technical
11 issues according to the relationship to the overall
12 system. It's a more holistic integrated approach and
13 one real benefit of this approach is with the
14 availability of Yucca Mountain Review Plan in draft
15 final form, we're able to organize the key technical
16 issues around the YMRP and the Safety Analysis Report.
17 And this effort, as I said, has been going on for some
18 months, has been very beneficial to us, to allow us to
19 focus on what's really necessary for the license
20 application.

21 So really what you're going to see today,
22 I hope you will agree, is a more integrated,
23 systematic approach and eventually more effective
24 approach to address the agreements.

25 We are still committed to addressing every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 single key technical issue agreement prior to
2 submittal of the license application. We're going to
3 explicitly address every KTI agreement and you will
4 see later today more about our approach, but when we
5 have what we call the story or integrated explanation
6 and discussion about the effect of the KTI, we're
7 going to have specific cross walks, we call them, that
8 show where every single KTI has been addressed.

9 So our goal again is effective resolution.
10 The revised schedule for submittal has been provided
11 to NRC. It just came yesterday. This is under
12 signature of Joe Ziegler to Janet Schleuter.

13 Now as you know, some of the KTI
14 agreements are not related to post-closure. Some are
15 pre-closure. So those specifically will be handled in
16 a more individual manner. Our grouping or bundling
17 approach that Dr. Garrick referred to is related to
18 the post-closure case. So pre-closure criticality in
19 some of the design KTI agreements will be handled
20 individually.

21 We're very sensitive to the time demands,
22 constraints and pressure on the NRC staff to review
23 these agreements. We're fully aware of the burden
24 that this places on the staff and the Commission. We
25 want to work with the staff. As we went ahead and did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our schedule, we were very cognizant of what we call
2 levelizing the output of the KTI agreements so that
3 rather than having large groups, discrete points, they
4 come in in a more equal time frame because this does
5 put a burden on the NRC staff for their review.

6 We want to have interactions, public
7 interactions with the staff to talk through our
8 proposals and our products. And we're hoping to do
9 that prior to submission of the bundles or the groups
10 so that we can gain information in what the NRC
11 staff's feedback is on our approach and make any
12 necessary revisions so that it will be acceptable upon
13 formal submission to the NRC.

14 And we have -- we already have an
15 aggressive schedule of interactions. We will be
16 revising the schedule as necessary to accommodate the
17 new grouping approach of KTIs.

18 So I'd like to introduce the next speaker
19 or does the Commission -- excuse me, the Committee,
20 want me to take questions now or do you want to wait
21 until the end of the session?

22 VICE CHAIRPERSON GARRICK: Any questions
23 at this point? We'll wait a while. We won't commit
24 to the others.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GIL: Thank you, Dr. Garrick. I'd
2 like to introduce the next speaker, Dr. Bob Andrews.
3 He's with Bechtel SAIC Company and he's the
4 Performance Assessment Manager and he's been leading
5 the approach to put together the bundles for the KTIs.

6 And then the final speaker will be Tim
7 Gunter who is with the Department of Energy who is our
8 interactions and KTI lead.

9 VICE CHAIRPERSON GARRICK: Thanks, April.

10 DR. ANDREWS: Thank you, April. I'm going
11 to go on to the next level of detail associated with
12 implementation of this in-graded technical KTI
13 responses in the context of the integrated technical
14 basis for the safety analysis report license
15 application, in particular, Chapter 2, the
16 post-closure elements of that, the license
17 application.

18 I will refrain from using the word safety
19 cases although we will be talking indirectly about
20 elements of a safety case as we walk through this
21 presentation.

22 If I can have the -- yes, you have the
23 slides.

24 (Slide change.)

25 DR. ANDREWS: What I'm going to talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is what the previous approach was, just to recalibrate
2 all of us. And that approach has changed for
3 particular KTI agreement items over the last 18
4 months, 24 months, and we'll talk about that change a
5 little bit now and a little bit this afternoon when we
6 talk about the risk-informed approach to KTI agreement
7 responses and our interchange with NRC staff on that
8 risk-informed approach. I won't talk about the risk-
9 informed approach this morning that much unless there
10 are questions.

11 And then I'll talk in a little more detail
12 the revised approach that April discussed and how
13 that's been organized, so the bases for the combining
14 of KTI agreements into integrated elements of the
15 technical basis for the license application. We'll
16 then correlate that to various elements. What we've
17 correlated that to in this presentation is the actual
18 KTI groups themselves, container life and source term,
19 repository design and thermo-mechanical effects,
20 etcetera, etcetera. Also correlated to the elements,
21 the 14 abstraction elements of the Yucca Mountain
22 Review Plan and I think or I would guess now that we
23 have the NRC's June 5th risk-informed approach letter
24 we can easily correlate to elements of that letter as
25 well. And I think when you see, I presume somebody is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to present this afternoon that letter and its
2 basis, you'll see some parallelism here and I'll try
3 to draw some of that parallelism as I'm talking as
4 well.

5 I won't talk about the individual risk
6 statements that NRC staff determined, but I will talk
7 about the mapping or parallelism of how they grouped,
8 the staff grouped KTI agreement items into like
9 categories, if you will. What you'll see will be
10 similar to this.

11 I'll take one example, response group.
12 Happens to be a fairly significant one. Happens to be
13 a high risk one. It's the indirect environment, the
14 environment on the waste package and the chemical
15 environment in particular. And show why, even though
16 it's scattered amongst 14 individual KTI agreement
17 items, there's a lot of similarity in how you address
18 them that has to address elements of those in an
19 integrated fashion. You can't -- it's difficult to
20 address any one in a stand alone fashion. And then
21 we'll finish with some conclusions.

22 If I could have the next slide?

23 (Slide change.)

24 DR. ANDREWS: Okay, the previous approach,
25 ever since the KTI agreements were initiated was to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the work. There was work required to address the
2 agreement item. Sometimes that work was additional
3 testing. Sometimes that work was additional data
4 evaluation or parameter development and discussion of
5 parameter uncertainty. Sometimes it was model related
6 and model uncertainty or the appropriateness of a
7 model or a process or feature that may have been
8 excluded from a model that was the basis of the
9 agreement item.

10 All of those, and sometimes it was
11 associated with do some additional analyses of some
12 type or another associated with the agreement item.
13 So there was work and there has been work going on and
14 sometimes that work has been presented as to the
15 Commission. That work is in the process of being
16 documented. The documents are generally controlled
17 documents such as calcs or analyses or model reports
18 or drawings or technical reports. So through the
19 work, you document the work in those controlled
20 processes. It's important to point out that those
21 controlled processes have other quality assurance
22 drivers other than just answer the technical question
23 that was the basis of the key technical agreement or
24 to answer the acceptance criteria of the YMRP
25 individual criteria in particular, the post-closure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria which is the focus of this talk.

2 There is software quality assurance model
3 validation issues, data qualification issues, checking
4 review issues associated with the development of
5 technical products over and above the technical
6 requirements, if you will.

7 The third step though was given, you have
8 the technical product and you have the work documented
9 in a technical product. It would be to extract the
10 relevant aspects of that work into more or less
11 discrete answers associated with the KTI agreement.
12 Those have, over the last 18 months or so generally
13 been submitted, as April said, as a response at a time
14 or sometimes things were bundled into two or three
15 responses that if they were of a similar topic and the
16 approach to address that particular agreement item was
17 the same type of approach.

18 The next step would be to actually develop
19 the technical basis and start preparing the draft
20 sections of the Safety Analysis Report in compliance
21 with the requirements, I guess I'll use the word, of
22 the YMRP and to present that into the SAR.

23 (Slide change.)

24 DR. ANDREWS: The next slide shows there's
25 some disadvantages of following that approach. One is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the individual key technical agreement item
2 responses are prepared prior to the integrated
3 technical basis of the safety analysis report being
4 prepared.

5 I suppose if you are on the receiving end
6 you would look at that as an advantage, rather than a
7 disadvantage. It allows you to have time to review
8 things and comment on them as appropriate prior to
9 them being in the Safety Analysis Report or related to
10 the Safety Analysis Report.

11 We'll come back to that issue here as we
12 talk later on.

13 The second item though is probably more
14 important is that taking the KTI agreement out of its
15 context of why is it important, why is it relevant,
16 why was it asked in the first place, what data
17 uncertainty issue was really the focus of that
18 particular KTI agreement item and why is that
19 uncertainty item potentially relevant to post-closure
20 performance or if it was a parameter or model or a
21 testing related question.

22 So placing them into the context of why
23 the question was asked, why is it potentially
24 important to the overall risk, to the overall
25 importance of the post-closure safety case and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 post-closure performance assessment was sometimes
2 difficult. I'm just trying to answer them in
3 isolation rather than in that context of that
4 technical basis that you're actually going to prepare
5 for the Safety Analysis Report.

6 If I could have the next slide, please?

7 (Slide change.)

8 DR. ANDREWS: So the revised approach, I
9 think April walked through the steps. The first two
10 steps are the same. it's do the work. Do those
11 tests, do those analyses, do those calculations, put
12 those on control products, whether they'll be analyses
13 or models or whatever is the control vehicle for
14 preparing in the QA sense that work and presenting
15 that work. If it's data, it's submitting the data to
16 a controlled source, in this case technical data
17 management system.

18 And then where you have the idea, if you
19 will, of preparing that technical basis, the
20 integrated technical basis that describes the barriers
21 and the basis for those barrier performance and to
22 organize those integrated technical bases for the
23 barriers in some way that's consistent with the Yucca
24 Mountain Review Plan, so that in some way it will map
25 fairly easily and fairly directly into the individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subsections of the abstraction sections of the Safety
2 Analysis Report, the 14 abstractions sections. And to
3 within that context, within that technical basis
4 context of that post-closure safety case, if you will,
5 is to address those KTI agreements.

6 Now in some cases, those KTI, in many
7 cases, I should say, those KTI agreements relate
8 directly to an element of that -- the post-closure
9 performance technical basis and you'll address it in
10 the course of writing the technical bases for element
11 A of that post-closure safety case and I'll come up
12 with what's A, B and C or 1, 2 and 3 here in just a
13 second.

14 In other cases though they really are a
15 discrete question. The question might relate to a
16 specific aspect of some test that nominally relates to
17 uncertainty associated with interpretation of that
18 test and uncertainty of that interpretation then
19 carries forward into uncertainty of data and
20 uncertainty of a parameter. So those might be
21 addressed more explicitly where they appropriately
22 reside in the technical bases.

23 VICE CHAIRPERSON GARRICK: Bob, I'm having
24 a little trouble really making the connection between
25 the integration and the technical bases. Both you and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 April identified the Yucca Mountain Review Plan and
2 the Safety Analysis Reports as the documents that's
3 guiding your end result here. But when I think of
4 integrating of these issues, I'm asking myself well,
5 what is the road map for this integration? And I
6 would assume that the road map has to be TSPA which
7 you've not mentioned.

8 If we're really talking about context of
9 the issue, I guess I'm still struggling with what is
10 that context and why isn't it the performance
11 assessment?

12 DR. ANDREWS: Let me -- if you bear with
13 me for about two more slides. We did not start with
14 the YMRP. We did not start with the Safety Analysis
15 Report outline, if you will. We started with the
16 processes and the integration of processes that are
17 potentially important to performance, that have to be
18 addressed, if you will, in the post-closure
19 performance assessment. And then we had various ways
20 and I'll come to here in a second of combining them or
21 splitting them in a way that developed the most clear
22 distinction of how to integrate individual responses
23 because you're not going to integrate the whole thing
24 when you're really talking about in-drift chemistry.

25 VICE CHAIRPERSON GARRICK: Yes, I agree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the integration idea. That's a very good idea.
2 I just have not yet comprehended it.

3 DR. ANDREWS: Okay, so I appreciate that
4 and bear with me. Maybe too many introductory slides.

5 So going to slide -- the next slide.

6 (Slide change.)

7 DR. ANDREWS: I'll try to get to the
8 methods that we considered. The advantage of this is
9 that developing that integrated technical basis allows
10 us and I believe also NRC staff to identify potential
11 gaps or weaknesses or additional information required
12 in an early enough time frame to gather that
13 additional information or do those additional analyses
14 or whatever might be the activity that's required.

15 Placing them within that context of the
16 integrated technical basis for the Safety Analysis
17 Report allows more transparent discussion of its role
18 as it affects or potentially affects the inputs that
19 go into the post-closure performance assessment. So
20 it's a bundling of information of like kind that
21 address a component part of the system that affects
22 the total system performance.

23 The relevance of that, putting that into
24 that context allows us to discuss, I think, more
25 readily why it was a KTI agreement and therefore more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 directly address that KTI agreement to begin with.
2 Most of the time, this isn't -- there is always
3 difficulty with generalities here, but most of the
4 time, those KTI agreements relate to either testing --
5 I'm going to start at the most fundamental level and
6 go up, either relate to a testing uncertainty or an
7 uncertainty associated with an interpretation of a
8 test, data uncertainty, parameter uncertainty that's
9 used in a model that's used to assess performance, a
10 model uncertainty itself, or a screening of features,
11 events or processes that were either included or
12 excluded in a discussion of why and the bases for
13 inclusion or exclusion of a particular process.

14 All of those, I think those of you who
15 have read the Yucca Mountain Review Plan realize are
16 elements of acceptance criteria for each of the 14
17 abstraction groups of the Yucca Mountain Review Plan.
18 So we're going to put them into the context of that
19 uncertainty of data parameters model processes and
20 features as they relate to integrated safety technical
21 basis.

22 The next slide --

23 (Slide change.)

24 DR. ANDREWS: The number of ways, I think,
25 one can use to combine like agreements or like issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or like elements of the system, one way is to look at
2 simply time. What happens in the first 100 years?
3 What happens in the next few hundred years? What
4 happens in the next thousand years and what happens in
5 the remainder of the time? And things are different
6 and change and there are different processes that come
7 into play at different elements of time and the
8 relative importance of those processes changes as a
9 function of time.

10 One could use space, where you are
11 spatially in the system.

12 One could use some definitions of state
13 variables, pressure, time, flux, radionuclide
14 concentrations, the elements of variable performance
15 are really written in the form of two state variables,
16 normally flux and water contacting waste and release
17 from waste and concentration, radionuclide
18 concentrations and reductions of radionuclide
19 concentrations as you travel through the engineered
20 system and the natural system.

21 One could arrange it as barriers or one
22 could arrange it as processes and like processes or
23 different scales. What happens at the mountain scale,
24 what happens at the drift scale, what happens inside
25 the drift, what happens inside the package, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happens back in the drift as packages degrade, by
2 whatever mechanism they degrade? What happens back in
3 the rock and what happens in the saturated zone and
4 finally the biosphere?

5 What I just walked through was the seven,
6 if you will, scales. I put those in an attachment to
7 this and those seven scales are nominally the seven
8 groups that the NRC staff used in their organization
9 of the risk-information report. It started with UZ
10 stuff, flow, seepage, climate, infiltration. It went
11 to in-drift things such as degradation of the
12 engineered barriers. It went on to release,
13 transport, mobilization and release from the package
14 and mobilization of radionuclides. It went on to
15 unsaturated zone transport, saturated zone transport
16 and finally the biosphere and then finally low
17 probability of destructive events.

18 So it was that grouping by scale,
19 nominally, that we started with. Having started with
20 that though we ended up going to the next slide.

21 (Slide change.)

22 DR. ANDREWS: The integrated elements of
23 the technical bases for the Safety Analysis Report
24 which became the integrated technical basis for the
25 KTI agreement responses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And Dr. Garrick, going to your question,
2 I think these 14 elements are well recognized as some
3 of the key elements of the TSPA. In fact, it's all of
4 the elements of the total system performance
5 assessment and their individual linkages. What we
6 haven't shown is the linkage in TSPA because the
7 questions, there are some explicit KTI agreements and
8 I'll come back to those here in a second, that are
9 specifically TSPA-related and how the linkage and how
10 the barriers are described and how the barriers are
11 quantitatively evaluated that are explicit TSPA
12 questions. I don't mean TSPAI, I mean TSPA questions,
13 Total System Performance Assessment, the model, the
14 analyses, the calculations, the validation, etcetera,
15 are explicit to TSPA. I'm talking here about the KTI
16 agreements that related to an element of the post-
17 closure technical basis for the license application or
18 the post-closure performance assessment.

19 Starting at the top with climate and
20 infiltration, going through unsaturated zone flow,
21 water seeping into drifts and mechanical degradation
22 and the high probability of seismic effects where high
23 is on the order of 10^{-4} or 10^{-5} per year occurrence.
24 The in-drift chemical environments, which are affected
25 by what happens in the rock and what happens in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drift; the degradation of the waste package and drip
2 shield and I think you can read the rest.

3 The next slide --

4 MEMBER LEVENSON: Before you leave that
5 one for a minute, is there any significance in the
6 difference in wording between 13 and 14 and what
7 you've just said? Does that mean you consider
8 volcanic events as 10^{-3} or 10^{-4} that you haven't
9 categorized them as low probability?

10 DR. ANDREWS: No, the significance is
11 between IV and XIV. There is a distinction between
12 seismic events of annual recurrence of 10^{-4} , 10^{-5} per
13 year and seismic events on annual occurrence of 10^{-6} ,
14 10^{-7} , 10^{-8} per year in terms of their effect on
15 degradation, their effect on package, their effect on
16 the drip shield, etcetera. And how they are handled
17 within the post-closure performance assessment will be
18 a little bit different whether they're in the 10^{-3} ,
19 10^{-4} annual recurrence interval versus if they're in
20 the 10^{-7} , 10^{-8} . No, we have not changed the
21 probability of volcanic events. They are a PDF that
22 goes from 10^{-7} to almost 10^{-9} per year. The mean I
23 think has changed a little bit, 1.6 or 1.8 times 10^{-8} .

24 So that's the only distinction there.
25 We're not trying to make a distinction between 13 and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 14.

2 (Slide change.)

3 DR. ANDREWS: If I go to the next slide,
4 this kind of puts them into spatial graphical context,
5 going from larger scale, unsaturated zone flow
6 processes into more local scale effects in the drift
7 and even finer scale effects inside the package with
8 respect to radionuclide mobilization, water contacting
9 waste, the chemistry on the waste, degradation of the
10 waste form itself and then going back out into the
11 rock. So that's more for information purposes.

12 Going on to the next slide, this maybe
13 gets a little bit at your question, Dr. Garrick and
14 hopefully the next slide as well.

15 (Slide change.)

16 DR. ANDREWS: If I just look at RDTME,
17 that's maybe not a good example.

18 Thermal effects on flow is a good example.
19 There are a number of TEF KTI individual agreement
20 items. Some of those relate to UZ flow, what happens
21 at a sort of large scale with respect to water seeping
22 into drifts. It really is a seepage issue that's
23 being asked and therefore a seepage answer should be
24 provided. Some of those are really related to
25 mechanical degradation and seismic effects even though

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it says thermal effects on flow, the real question
2 that's being asked is related to the degradation due
3 to that thermal effect, not thermal effect per se.

4 And some of those are even in-package
5 environment. They're asking thermal questions, but
6 it's a chemistry issue that is being asked. So we're
7 lumping and combining across individual KTI areas
8 which I know, if somebody has organized by KTI area,
9 then there are multiple people who are affected by a
10 particular KTI area, even though the issue really is
11 the chemistry in the drift or the issue is the
12 hydrology in the drift.

13 So this gives an initial cut mapping of
14 the KTI areas with the KTI integrated responses that
15 we are preparing.

16 I put down there for completeness the
17 pre-closure 1, even though it does not, obviously,
18 relate to the post-closure case. And I should point
19 out in the TSPAI one, there are a number of TSPAI
20 agreement items that find their way in individual
21 technical elements of the technical basis discussion.
22 The TSPAI, technical exchange, was the last technical
23 exchange other than the general one on thermal effects
24 and the repository design associated with thermal
25 loading strategy. So there was lot of additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individual items added there. The features, events
2 and processes discussions all got rolled into TSPA
3 201, 202, 203, 204 and those are going to be discussed
4 really where they belong which is in the individual
5 technical elements where that feature, event or
6 process relates.

7 That's a mapping to the KTIs.

8 (Slide change.)

9 DR. ANDREWS: The next slide maps it to
10 the 14 abstraction groups in the order that they are
11 presented in the Yucca Mountain Review Plan, the draft
12 final Yucca Mountain Review Plan. So in some cases
13 there is a one to one mapping. We are mindful, going
14 back to your question, Dr. Garrick, of the Yucca
15 Mountain Review Plan and the organization of the
16 Safety Analysis Report, but we didn't start with that.
17 We started with the integration of technical areas, of
18 technical process areas and like process areas at like
19 scales. So we started with a scale process
20 description and ended up with comparing it to the
21 Yucca Mountain Review Plan and making appropriate
22 changes to align it a little more easily and readily
23 and transparently with the Yucca Mountain Review Plan.
24 You see there are some elements that cross still
25 multiple abstraction groups as defined in the Yucca

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mountain Review Plan. I think you saw that in the
2 NRC's June 5 Risk Summary Report, too, that elements
3 of risk, elements of KTI agreements could map into
4 different elements of the Yucca Mountain Review Plan,
5 multiple elements of the Yucca Mountain Review Plan.

6 One that encompasses a fairly broad range
7 of categories is that number 3, the quantity and
8 chemistry of water contacting waste packages and waste
9 forms. Well, there's a lot of things in there.
10 First, there's water things associated with seepage
11 and in-drift processes. There's degradation effects
12 on water seepage and effects in the drift. There's
13 chemistry effects in the rock and chemistry effects in
14 the drift. There's water in the package and chemistry
15 in the package and so there's a lot of individual
16 issues and a lot of elements of the post-closure
17 performance assessment that are integral in that
18 chapter 3, if you will, the quantity and chemistry of
19 water contacting waste packages.

20 If I can go on to the next slide --

21 (Slide change.)

22 CHAIRMAN HORNBERGER: Bob, before you
23 move. If I did my sums right, those numbers in
24 parentheses add up to about 60?

25 DR. ANDREWS: Should be 62.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: Sixty-two? Maybe I
2 missed two. Okay, the remaining 80 or whatever are in
3 TSPAI and other areas in the other abstraction groups?

4 DR. ANDREWS: Yes, they're in the other
5 abstraction groups. For example, in package
6 environment probably has eight. The waste form
7 degradation and solubility, there's about six in
8 there. In UZ flow or UZ transport -- UZ flow, we've
9 addressed some of those using what we're going to talk
10 about this afternoon, but UZ transport is probably 15
11 KTI agreements sitting in there.

12 The actual TSPA ones that are specific to
13 TSPA like barriers, barrier descriptions. There's
14 only about eight really that are totally specific to
15 TSPA. I'm leaving out TSPAI 201, 202 which are really
16 FEPs, features, events, processes related that we're
17 going to map back out to where they really reside.

18 I think Tim is going to walk through the
19 actual sum of the remaining KTI agreements and their
20 schedules. That might also address your question.

21 Let me take one example. It's one that
22 was the focus of a lot of discussion. The KTI
23 agreements weren't the focus of a lot of discussion,
24 but we had a lot of technical discussion with the
25 Commission and with yourselves a few months ago

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with what's the chemical evolution and its
2 potential effect on degradation modes, on the drip
3 shield and the package, just the chemistry effects on
4 the degradation, not mechanical or stress or
5 thermal-related degradation models which also can
6 affect the engineered barrier performance.

7 These are 14 here, KTI agreements, read
8 between CLST, container life and source term; ENFE,
9 evolution of near-field environment; and TSPAI. I've
10 taken the liberty to always -- it's always very
11 dangerous to take the liberty of shortening the actual
12 words of a KTI agreement because they were very
13 carefully chosen words in the initial agreement and
14 you don't want to lose site of the meaning of those
15 words or the bases for the meaning of those words. So
16 given the fact that I've taken that liberty to put it
17 on to one slide, rather than six slides, you see that
18 most of these questions or all of these questions
19 relate to our uncertainty, either in data or
20 parameters or the model for the evolution of that
21 chemistry that may contact within the water that may
22 contact either the drip shield or the package and the
23 last two -- well, I'm sorry, the next to the last one
24 and the relevance of the testing environments that we
25 have done testing, corrosion, degradation, materials

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degradation testing within and compared to that
2 evolution of chemical environments in the drift.

3 So you see a range of things like an
4 update to one of the analyses documents. Well, that's
5 in the process of being prepared right now. What's
6 the range of chemical compositions that could affect
7 the degradation. That's really the heart of the whole
8 issue is what is the likely range, the uncertainty, if
9 you will, in the chemical constituents and the trace
10 constituents like fluoride, I think it's specifically
11 mentioned, in a couple of these KTI agreements, that
12 could affect the degradation due to corrosion
13 processes predominantly or stress corrosion cracking
14 of the drip shield or the package.

15 So we are putting these all into one
16 integrated technical response, related to environment
17 in the drip, chemical environment in particular in the
18 drip. It's also affected, chemical environment in the
19 drip, is affected by chemical environment in the rock
20 and the evolution of chemical environment in the rock
21 to become very intimately tied so there's some of
22 these that relate to the evolution of the chemical
23 environment in the rock. The second one, for example,
24 the thermo-hydro chemical model is in the rock.
25 That's the question there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So those are being put together in one
2 integrated response.

3 These 14 integrated responses have been
4 assigned, I guess is probably the best way of saying
5 it, to 7 lead authors; 7 lead authors, senior authors
6 who have been responsible for a lot of the work, but
7 are not currently authors of individual analyses or
8 model documents. The current analyses and model
9 documents that are being prepared and are providing
10 their output for input into the total system
11 performance assessment model for the license
12 application are in various stages of checking and
13 review. Those of you who are technical specialists on
14 QA audits that we've had over the last few months and
15 we'll continue to have over the next few months have
16 seen some of those products in varying stages of
17 development.

18 So we took seven people, senior people
19 outside of the development of those analyses models
20 and gave them authorship and writing responsibility,
21 if you will, to prepare these integrated responses and
22 integrated development of the technical bases for the
23 SAR.

24 So I think I have one more slide to
25 conclude.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 DR. ANDREWS: The conclusion slide. I
3 think there are some distinct advantages to
4 developing, if you will, pre-draft sections of
5 abstraction chapters of the Safety Analysis Report,
6 even though they're going to be arranged a little bit
7 differently, just on how technical areas combine. It
8 puts those key technical issues and the agreements
9 therein into the context of what is really not only
10 important to the post-closure performance, but I think
11 in the context of why they were written as KTI
12 agreements to begin with. It's generally related to
13 the uncertainty associated with data parameters
14 models, etcetera.

15 It consolidates those like agreements into
16 one response. It allows you to write one response in
17 that it addresses multiple KTI agreements and puts
18 them into that context.

19 As April said, we realize the downside.
20 This has been not been discussed I don't think
21 formally, although the letter went over yesterday,
22 right, of which KTI agreements were going to come in
23 when and which ones were in which of these 14 groups.
24 But there hasn't been formal discussion with the NRC
25 staff on this. And there will be some burden because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you've developed an answer to 14 questions in an
2 integrated fashion, but those 14 questions may have
3 different owners and different reviewers within NRC
4 staff, so we understand that burden that it may place,
5 but I think it has the upside advantage of early on
6 identifying, and early on means late this summer,
7 essentially, they start and Tim's going to have the
8 schedule here in a second, early on starting those
9 discussions of what goes into the post-closure
10 elements of the Safety Analysis Report itself.

11 So with that I'll stop there. Some back-
12 up slides that divided this up instead of into KTI
13 groups, divided it up into process groups which is
14 really where we started and ended up with what I
15 showed you. I don't want to show you a sausage being
16 made of how we did this integrated so I kept those in
17 the back-up.

18 VICE CHAIRPERSON GARRICK: Okay, Mike, any
19 questions? Milt? George? We'll probably have some
20 questions. I'm still very interested in making the
21 connection between -- this is partly an NRC and DOE
22 problem, of making the connection between the key
23 technical issue agreement items and the bottom line.
24 For example, when you say "basis for evolution of
25 brine water chemistry", my question is well, what is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the connection between the importance of brine water
2 chemistry and the CCDF? That's where I'm going.

3 And if I see that even though there may be
4 several orders of magnitude of uncertainty associated
5 with the impact of brine water chemistry, and that
6 makes a lot of people nervous, I don't much care if it
7 doesn't have an impact. And I haven't quite received,
8 I haven't quite arrived at a comfort zone yet for that
9 mapping, for that particular kind of mapping. But
10 maybe we will as we progress.

11 DR. ANDREWS: I think we're kind of
12 getting a little bit into this afternoon's discussion.

13 VICE CHAIRPERSON GARRICK: Right.

14 DR. ANDREWS: I think as April said, I
15 think both of us -- well, we'll speak for ourselves.
16 For DOE and the contractor receiving NRC responses to
17 KTI agreement items, that we have proposed to be
18 risk-informed, so use either a total risk-informed
19 approach, i.e., it didn't move the needle at all, or
20 use that in context with additional technical
21 discussion and a risk-informed approach and even
22 though they might be low-risk significance and we may
23 even agree that they're low-risk significance, you've
24 seen the letter of some of the ones that we've sent in
25 as low-risk significance and NRC in their letter to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Commission on June 5th agrees that they're low-
2 risk significance. But there is additional
3 information still requested that we can talk about
4 this afternoon and what the basis for that Additional
5 Information Needs request is.

6 VICE CHAIRPERSON GARRICK: Yes. I realize
7 that each of these items have to be addressed, but I'm
8 still very much more interested in their impact on the
9 results than any of the other issues.

10 Before we get too deep into the
11 presentation, we have a note that Dr. Frank Rahn of
12 EPRI wants to make a comment regarding April's talk.

13 Frank?

14 DR. RAHN: Yes, thank you. My name is Dr.
15 Frank Rahn. I'm with the Electric Power Research
16 Institute and I'm the manager at risk applications.
17 Can everybody hear me?

18 First of all, I want to applaud the
19 presentations today because I think this is genuinely
20 a step forward in terms of providing additional
21 insights as to the importance of the various technical
22 issues. We applaud both DOE and the NRC for the risk-
23 informing of this approach and being consistent with
24 modern regulation.

25 But the question I have is really what are we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to do with this information? And it has to do
2 with, I think, some of the things you had started to
3 touch upon, John, a few minutes ago is that a license
4 in Yucca Mountain is obviously of great importance
5 with regard to the national policy as well as for
6 public safety, but presumably when the DOE and NRC
7 agreements on the resolutions of the KTI was arrived
8 at, the risk prioritization information was not known
9 at that point.

10 Now it is available, so now the risk
11 importance we need to have, in my opinion, the
12 prioritization of the issues themselves in terms of
13 which are more important than others in terms of the
14 timing of that resolution, presumably those that are
15 of the highest risk importance would be resolved
16 first; secondly, the allocation of resources in terms
17 of resolving these issues; and lastly, the sufficiency
18 of knowledge required to close out the issues
19 themselves. And again, there is at least in my mind
20 one additional risk which hasn't been addressed and
21 that's the risk of timing. That is there is a risk in
22 not proceeding expeditiously in terms of getting Yucca
23 Mountain licensed according to the agreements and the
24 current schedule calling for a license application in
25 the December 2004 time frame.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now as I understand it and as the
2 presentation this morning went on, the KTIs have been
3 ranked according to high, medium and low. My specific
4 question really has to do with what are we going to do
5 with those that are ranked in the low category?
6 Presumably, if they are really low, that is if we have
7 sufficient confidence that they're priced in the right
8 category, why are they still on the KTI list?

9 A second and related question is really,
10 again, if they're really low, do we have to have a
11 resolution of these prior to the license application
12 itself? That is, would it be sufficient that a
13 license application go forward without a full
14 resolution of all the low categorized issues?

15 Now in the best of all possible worlds,
16 all of the issues would be resolved prior to license
17 application, but we all know that everybody, the
18 project, NRC, industry and what not are under some
19 rather stringent time constraints and timing is
20 important and the question really has to go to is it
21 necessary for a license application to go forward in
22 order for all the so-called low KTIs be resolved?

23 And likewise, for those that are ranked as
24 medium, what are we going to do with the medium-ly
25 ranked KTIs? Same questions come up. What do we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the allocation of resources? What are we going
2 to do in terms of timing, the resolution of these
3 issues? And lastly, what is the "standard of proof"
4 that we need to resolve these in some way that's
5 consistent within NRC regulation? So again, as I
6 stated, if we can, it's the best, if we can resolve
7 all the issues and we can't, what is the timing for
8 prioritization and I really would like to hear out of
9 this meeting either now or later this afternoon some
10 clarification from DOE and perhaps NRC as to some of
11 these issues.

12 Thank you.

13 VICE CHAIRPERSON GARRICK: Okay, thanks,
14 Frank. I think you've provided some interesting
15 points as background for our upcoming talks as well as
16 the ones we've had.

17 This issue of the schedule of the project
18 is indeed a critical one and the whole idea of a risk
19 perspective is to put ourselves in a position that we
20 are spending most of our time on what's really
21 important and I hope that that's the direction it
22 goes.

23 Okay, with that, unless there are other
24 comments, I guess we go to the third speaker and
25 that's Tim Gunter, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: Right. Good morning. Can
2 everyone hear me okay?

3 My name is Tim Gunter. I'm with the
4 Department of Energy in Las Vegas and I'm the lead for
5 NRC interactions and KTI resolution.

6 I'm going to talk a little more about
7 basically what NRC would expect to see in terms of KTI
8 resolution products and when you might expect to see
9 them, following on April's and Bob's -- they sort of
10 laid the strategy in how we developed our approach, so
11 I'm going to talk a little more, in a little more
12 detail about what you will see and when.

13 As we've already mentioned, the primary
14 objective is to explicitly and transparently address
15 each KTI agreement and additional information that has
16 been requested by NRC staff. And we've already
17 discussed that we want to do this in the context of
18 the total system, so I'm not going to go into much
19 detail on these bullets. I think we've probably
20 discussed most of this, but we want to put in a total
21 system context and not address it individually and
22 separately.

23 We want to use a technical basis for the
24 license application as far as the base for the
25 discussions that we'll refer back to and as mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we think this is one of the strongest advantages of
2 this approach is this technical basis document will
3 give NRC staff sort of a preview of what it expects to
4 make up the Safety Analysis Report.

5 And then as we also discussed it's
6 consistent with the Yucca Mountain Review Plan and
7 we've showed you the mapping in Bob Andrews' talk of
8 how it relates to the plan format.

9 Also, I want to mention that Don Beckman
10 is our contractor lead for this effort and he has a
11 senior staff of BSC and lab managers that are
12 assisting him. Bob Andrews is, of course, one of
13 those. And they have an almost dedicated effort to
14 this and they've been working hard over the last
15 couple of months to put this approach together and to
16 lay out, help us to lay out the strategy that we're
17 showing you today.

18 Next slide.

19 (Slide change.)

20 MR. GUNTER: There's 194 KTIs and
21 Additional Information Needs that we've mapped into
22 the logical groupings that we've showed you in the
23 earlier presentations. And we're preparing the
24 technical basis documents basically being in two
25 phases. The first phase we have begun -- actually,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've begun both phases, but primarily we're working
2 more intently on Phase 1 and we expect to that
3 completed this fall.

4 Late this winter and into the spring of
5 2004, after we complete the Phase 1, we will shift
6 more of our attention to the Phase 2 products which
7 I'll show you more in detail in the later slide.

8 So the NRC staff should start seeing
9 products delivered to them in the fall of this year
10 and that would continue through 2004.

11 And also, as we have discussed there,
12 there are a few KTI agreements that do not logically
13 fall in any defined group. There's about 13 of those,
14 primarily related with -- not related to post-closure
15 processes and we've scheduled those individually. But
16 we'll be working in parallel on those with the other
17 phases and those also go out through mid-2004.

18 MR. LEVENSON: Let me just ask a question
19 of semantics. I don't think there are 194 key
20 technical issues. You really mean agreements?

21 MR. GUNTER: Key technical issues and
22 agreements, and it also includes Additional
23 Information Needed, that has been requested by the
24 staff.

25 MEMBER LEVENSON: Because the KTIs, per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 se, there aren't that many.

2 MR. GUNTER: There's a total of 293 --

3 MR. LEVENSON: Agreements, not issues.

4 MR. GUNTER: Right. There's basically 9
5 KTIs.

6 MEMBER LEVENSON: Right.

7 MR. GUNTER: So it's 194 issues and
8 Additional Information Needs.

9 Next slide.

10 (Slide change.)

11 MR. GUNTER: Okay, we've talked about
12 we're going to provide the technical basis description
13 for each group topic and individual KTI agreements and
14 Additional Information Needs responses will be
15 discretely addressed.

16 What we envision is you'll have the
17 technical basis document and what we want to make sure
18 that we do is that either in that document each KTI
19 will be adequately addressed and identified or we will
20 provide, in some cases, additional information in
21 terms of an appendix to that document where it may not
22 be appropriate to go into that level of detail in the
23 technical basis document, but we would provide that
24 additional detail in the appendices.

25 But at any rate, we're going to identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the appendices to the document so that each KTI
2 agreement will be explicitly called out and addressed,
3 either in the appendices or a combination of
4 referencing back to the technical basis document to
5 address each KTI.

6 So we want to make sure that we're clear
7 and transparent, that we address each KTI agreement.

8 I think that covered basically that whole
9 slide. We'll go on to the last page which is sort of
10 a general schedule of what I've discussed.

11 (Slide change.)

12 MR. GUNTER: It shows the top line there,
13 the Phase 1 licensing case development. There are
14 seven groups in Phase 1 which we have started, work is
15 in progress on that now. And as I mentioned products
16 from that effort, you should begin seeing this fall.
17 That's in parallel with the specific KTI responses.
18 KTI agreement responses. There's about 62 of those
19 related to Phase 1. Those are in progress parallel
20 with the licensing case. And you'll see those
21 submitted either in parallel or within short time
22 frames of each other.

23 And then there's a few remaining
24 agreements that will continue on after the initial
25 submittal this fall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second phase, about the middle of the
2 page there, Phase 2, is the second group of 7. As I
3 mentioned, we have started on that to some extent, but
4 primarily we're focused right now on Phase 1. As
5 Phase 1 completes we'll shift our attention and
6 resources to those groups in Phase 2. And the process
7 is similar. We'll work in parallel to develop
8 specific KTI agreement responses as necessary and
9 submit those through the end of 2004.

10 In the bottom section of the schedule
11 shows those 13 ungrouped KTI responses. We'll be
12 working those again in parallel with Phase 1 and Phase
13 2 and submit those primarily on an individual schedule
14 throughout the 2003-2004 and some into early calendar
15 2005.

16 As April had mentioned, we basically
17 finalized the schedule last Friday and transmitted it
18 to NRC staff yesterday. So we don't have a lot of the
19 details in this presentation, but we did try to
20 levelize the submittals of the agreements to the
21 extent possible. There is somewhat of a peak this
22 fall in the August-September-October time frame which
23 is primarily the result we're trying to catch up from
24 early this year where we haven't submitted any
25 agreements since I believe January with the exception,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we submitted one last week. But as April mentioned,
2 there's a number that were due originally on the
3 schedule early this year, so we're trying to catch up
4 with those this fall as soon as possible. That's part
5 of the reason for the peak.

6 But to the extent possible, we tried to
7 levelize it so that it would be -- not make such an
8 impact on either our staff or NRC staff.

9 And for the remainder of this fiscal year,
10 it looks like about 46 agreements and Additional
11 Information Needs that we intend to respond to that
12 will be a carryover into the first part of fiscal 2004
13 into October time frame. There will be a number
14 submitted there that were originally in the 2003
15 schedule. So that's why that number is a little bit
16 low, but it will catch up early to fiscal 2004.

17 And overall, we believe we've pulled back
18 some of the outlying KTI agreements that were further
19 out in the schedule. We've shifted the peak from out
20 in 2004 into late of this year.

21 And that's the end of my presentation.
22 I'd be glad to take any questions anyone might have.

23 VICE CHAIRPERSON GARRICK: All right.
24 George?

25 CHAIRMAN HORNBERGER: So this all, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course, appears to make perfect sense, that is, things
2 that are related should be treated in related fashion.

3 It strikes me though that there is, at
4 least, the potential for a glitch here in that the DOE
5 staff groups things in a certain way, but unless the
6 NRC staff accepts that grouping, it strikes me that
7 there is at least the potential for a mismatch and so
8 you did all of your key technical exchanges on the
9 basis of KTIs and came to the specific agreements and
10 now you're going to transmit information even with a
11 cross walk to NRC staff. So I mean I can envision at
12 least whether this would happen or not, is that Bob's
13 example, you'd have CLST 1.01 and ENFE 2.04 in the
14 same group and the NRC staff might have different
15 people looking at this and the different groups in NRC
16 might come to different conclusions as to the adequacy
17 of the material presented.

18 Do you have either plans for on-going
19 dialogue with NRC staff to avoid this or contingency
20 plans for dealing with such disconnects, if they
21 arise?

22 MR. GUNTER: Yes, I think you point out a
23 real possibility and one of the potential drawbacks to
24 the plan.

25 What we have to try to work through that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is, as you mentioned, dialogue with NRC staff. April
2 mentioned our interaction schedule that we have
3 throughout the rest of this year and into next year.
4 Based on this new approach, we're going to go back and
5 look at that schedule and see where it makes sense,
6 maybe to change topics at meetings or add new
7 discussion topics. And it would be our desire to
8 discuss with the NRC staff ahead of time before we
9 make a submittal for a group, so that they're aware of
10 what we're doing and understand how it might cross
11 relate in their different technical staff areas.

12 It may not be feasible to do that, because
13 the schedule for everyone, but that would certainly be
14 our desire.

15 MR. McCARTIN: Tim McCartin, NRC staff.
16 Certainly, I guess I wouldn't want the impression that
17 when an agreement comes in to NRC and it's CLST, say,
18 1.03, that the CLST people look at it and that's it.
19 As noted, many of these agreements have tentacles that
20 go to other KTIs and other ideas and certainly the
21 appropriate staff are consulted and get together so
22 that yes, it goes out under a CLST KTI, but NFE
23 people, as appropriate, have been talked to, so it's
24 a single NRC voice that's going back. It would occur
25 whether they're grouped or not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: Right, and in fact, I think
2 we see evidence of that in the meetings with NRC and
3 also in their request for additional information where
4 we may be focused on a specific KTI agreement
5 discussion and more times than not get related type
6 questions from the staff as we're discussing that.
7 They are so interrelated to different areas.

8 VICE CHAIRPERSON GARRICK: Okay, any more?
9 Milt?

10 MR. LEVENSON: No.

11 VICE CHAIRPERSON GARRICK: I wanted to ask
12 the specific question on your schedule where you say
13 "prepare and submit the ungrouped KTI responses" and
14 that would continue through Fiscal Year 2005.

15 What is going to end up in that group
16 again?

17 MR. GUNTER: Right now, I believe it's
18 some long-term corrosion testing and some criticality
19 model validation reports. And what we would do -- we
20 plan on addressing all of them before license
21 application. So if anything extends beyond that, we
22 would envision before license application, making a
23 submittal that basically responds to the question and
24 it may have to FAR reference to data that is still
25 coming in, but -- in other words, we believe in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adequately defined path forward for that.

2 And we are still looking at those
3 agreements that are out before 2004 to see if there's
4 a way that we can pull those back and get them
5 submitted earlier.

6 VICE CHAIRPERSON GARRICK: Okay, I want to
7 pick up on George's question and comment a little bit
8 on this business of importance ranking of the
9 agreements. We're going to a lot more about that from
10 the NRC later where they have a specific approach to
11 ranking the agreements by high, medium and low.

12 And your goal, as it was pointed out by
13 Bob Andrews, "is to focus resources on those key
14 technical issue agreements for which unresolved
15 technical issues could impact the repository's ability
16 to meet
17 post-closure compliance standards."

18 That's very carefully written. But I
19 guess we're struggling a little bit with and we're
20 going to deal with this from the NRC's perspective as
21 well, but we're still struggling a great deal with how
22 you are going to actually importance-rank these and
23 how the contextualizing exercise is going to take
24 place. Certainly Andrews gave some clues on that, but
25 I'm curious as to what's going to happen there,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether you're going to take the ranking that's done
2 by NRC and address that in a kind of a feedback
3 fashion or whether you're going to take the initiative
4 when you submit your responses and go out on a limb a
5 little bit as to the importance of the issue with
6 respect to compliance.

7 Can you elaborate on the importance
8 ranking issue, you or Bob?

9 MR. GUNTER: I'll start and maybe Bob or
10 April would like to also jump in.

11 VICE CHAIRPERSON GARRICK: Okay.

12 MR. GUNTER: I think as we went through
13 this schedule, we didn't have the NRC's rankings that
14 they just issues, so to the extent possible when we
15 received it, we tried to, if not incorporate it, at
16 least see where maybe there were some disparities
17 between what we had ranked and what NRC had ranked.

18 So that would be the reviewing process to
19 sort of like a continuing process to try and match
20 those and -- I guess two things, where there are
21 differences and one, where there are similarities and
22 how we treat those as -- I think the question that
23 Frank asked, if it's low importance and everyone
24 agrees that it's low importance, do we treat it
25 differently? It seems that we should. But your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question is very valid. The question is how do you
2 treat it and I think we still have some dialogue and
3 discussions with NRC staff to clarify that.

4 Bob or April, would you like to add to
5 that?

6 DR. ANDREWS: Yes, let me add. This is
7 Bob Andrews. Tim's right. We didn't have the benefit
8 of NRC's June 5th letter to the Commissioners, but
9 interestingly enough, looking at that letter now, we
10 identified the ones first that we felt were
11 potentially the most significant and wanted to do
12 those first. The environment ones, the waste package
13 degradation ones, igneous activity, saturated zone,
14 flow and transport and those interestingly enough are
15 in NRC's letter what they viewed as the most
16 significant to risk. They broke the package up into
17 two particular ones, one in mechanical degradation and
18 one in corrosion degradation. Having said that, I
19 think it's fair when we look at the guidance in the
20 YMRP, it says evaluate uncertainty in X commensurate
21 with its significance. And what we are doing in
22 developing these draft sections of the technical bases
23 for the Safety Analysis Report, I was being very
24 mindful of that guidance addressing them in the
25 context of their potential significance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Having NRC's views of that I think is
2 extremely helpful to us because it allows us to say
3 okay, I'll take saturated zone and flow transport as
4 an example here. There are, I think, 16 KTI
5 agreements related to saturated zone flow and
6 transport. Twelve of those are either low or medium
7 and there's two, I think, that are high. Both of the
8 high ones relate to transport in the alluvium and they
9 relate specifically to absorption properties in the
10 alluvium.

11 So I think that helps us identify where we
12 need to pay most particular attention as we are
13 preparing the integrated technical basis discussion.
14 Clearly, flow is still important. You need saturated
15 zone flow. You need to understand boundary
16 conditions. You need to understand the geology
17 sufficiently in the context of its importance.

18 You also need to understand transport and
19 transport characteristics sufficiently. I think NRC's
20 high, medium and low kind of says how high that bar is
21 for saturated zone flow versus saturated zone
22 transport. I think we can talk more about it this
23 afternoon when we specifically talk about that report,
24 but I think that would be a very useful example.

25 VICE CHAIRPERSON GARRICK: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mike, you had a comment or question?

2 MR. LEE: Yes, thank you. Tim, I'm
3 looking at your slide 5 and am I to interpret the
4 Phase 1, 7 groups that mean 62 KTIs are going to be
5 covered by those 7 groups and similarly for Phase 2,
6 you'll have 121 KTIs covered by those 7 groups?

7 MR. GUNTER: That's for the initial
8 submittal this fall. There will be a few remaining
9 KTIs.

10 MR. LEE: And that letter that you
11 referred to yesterday, does that provide a road map,
12 if you will, for what agreements go to what bundle or
13 group?

14 MR. GUNTER: Yes. It lays out each group
15 and which KTI agreements fall under the group and a
16 schedule for submittal.

17 MR. LEE: Thank you.

18 VICE CHAIRPERSON GARRICK: Milt, did you
19 have a question?

20 MR. LEVENSON: No.

21 VICE CHAIRPERSON GARRICK: I think one of
22 the things that I'm sure the public is looking for and
23 we're still looking for is the packaging of these
24 agreements in such a way that we can make a real
25 connection between the agreement, the package and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bottom line results of performance, because otherwise
2 you can get lost in a sea of numbers and items and
3 detail that makes it very confusing to everybody. So
4 I would hope that the importance ranking would be done
5 in such a way that one could aggregate this into the
6 performance assessment in some effective way because
7 the performance assessment is the only document that
8 I know of that is designed to put issues in context,
9 in a numerical and analytical way. The Yucca Mountain
10 Review Plan and the Safety Analysis Reports are
11 products, if you wish, of trying to assimilate the
12 information for purposes of compliance, but it's not
13 -- they're not the documents that are going to provide
14 the real insights into the importance of specific
15 issues.

16 So I think the grouping and the
17 integration are absolutely critical and essential, but
18 I hope it's done in a way that one can -- to borrow
19 Bob Andrews' word, do an intelligent mapping from the
20 key technical issue agreement to the key technical
21 issues to the contributors to the performance of the
22 repository. That road map is extremely important and
23 I think we're still struggling with that.

24 Are there any other questions from the
25 floor? I think the comment that Frank Rahn made was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very important. I think timing in this whole process
2 is critical and I think we have the challenge of not
3 only deciding what's high and medium and low, but
4 being able to convince ourselves that what's in each
5 of these categories such as low and medium is not, in
6 fact, with a few different insights and assumptions
7 you could move into the high category and that's why
8 we cannot dispense with them quite as easily as we'd
9 like. We've seen this happen particularly in risk
10 assessment work in the past.

11 All right.

12 MS. GUE: Thank you, Mr. Chairman, It's
13 Lisa Gue with Public Citizen. I also wanted to thank
14 the Committee for devoting the time today to the issue
15 of key technical issue resolution which is also an
16 important problem for those of us with concerns about
17 the Yucca Mountain repository plan and as I'm sure
18 you're aware, the technical -- the Nuclear Waste
19 Technical Review Board, again, this spring reported to
20 Congress that the Department of Energy's technical
21 work on Yucca Mountain has a weak to moderate basis
22 and we hope that the NRC and the Committee will hold
23 a higher standard.

24 I just wanted to say perhaps needlessly
25 that Public Citizen does not share their views

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expressed earlier by EPRI, that the key technical
2 issues should be addressed so as to expedite the
3 licensing of a Yucca Mountain repository. In fact,
4 we're increasingly concerned to the extent that this
5 process seems to be a little bit turned on its head,
6 leaving the impression that there's a foregoing
7 conclusion in support of Yucca Mountain licensing and
8 the resolution of various technical issues are merely
9 a set of hoops to be jumped through first. It feels
10 a little bit like attempting to build a foundation
11 after you've already constructed the house.

12 We just really hope that the Committee
13 might be able to weigh in with the NRC in support of
14 what should be the obvious process of a confidence in
15 repository licensing, if it is warranted, flowing from
16 a sound technical basis and not the other way around.
17 Thank you.

18 VICE CHAIRPERSON GARRICK: Thanks. thanks
19 for that comment.

20 MR. LEVENSON: John, I have --

21 VICE CHAIRPERSON GARRICK: Go ahead.

22 MEMBER LEVENSON: Yes, I have a kind of a
23 generic question and that is in responding to the
24 agreements where you're submitting information that's
25 either been calculated or has been obtained

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experimentally, is there a policy of your submitting
2 best estimates or are you rounding everything upward
3 to bounding values?

4 The Committee, as you know, has been very
5 concerned about the fact that unless we deal with best
6 estimates and best evidence, we completely lose track
7 of what might or might not be risks. And so it's --
8 I'm curious as to what is the philosophy of submitting
9 data as part of this program.

10 MR. GUNTER: I'm going to see if maybe
11 Bob, maybe you can help on that? I think it's a sort
12 of mix.

13 DR. ANDREWS: Yes, I mean, the objective
14 is to reasonably characterize the uncertainty that we
15 have in data, in information, in the extrapolation of
16 those data to places where we don't have data, for
17 example, in spatial domain or in temporal domain.

18 So we're trying to reasonably capture that
19 uncertainty for a reasonable assessment of overall
20 system performance. And the individual components
21 that lead into that overall system performance.

22 Where there is very large uncertainty or
23 conflicting information, we might either expand the
24 range to encompass the whole range of uncertainty, or
25 if it's easier to defend, so now you have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defensibility issue. Take that more conservative
2 answer --

3 MR. LEVENSON: Let me interrupt you and
4 object to the use of the word "conservative" in a
5 meaning where it isn't necessarily conservative at
6 all.

7 I think that this Committee has really
8 focused a great deal on trying to say you need to
9 identify and carry the uncertainty, but that's a whole
10 separate issue from the question I'm asking. If there
11 is uncertainty when you present data, are you
12 including the uncertainty without identifying it as
13 uncertainty and just getting a rounded, upward number?

14 DR. ANDREWS: No, no, no. If it's data,
15 then it's the full range of the available data,
16 whether those data are project-specific data or
17 whether that information is other information
18 available in the literature. There's no --

19 MEMBER LEVENSON: Is that also true of
20 calculation? Calculated data?

21 DR. ANDREWS: Give me an example. Data
22 are generally observed and measured, not calculated.

23 MEMBER LEVENSON: A lot of the KTI
24 agreements, I think, require additional analysis in
25 calculations. And one of the things that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 encountered in looking into the detail is almost every
2 analyst tends to round things upward beyond the range
3 of real evidence and what we're saying is is that
4 being watched for as you respond so that you are, in
5 fact, presenting best evidence that you have, plus the
6 uncertainties.

7 DR. ANDREWS: I believe the answer is yes,
8 but if you have an example, probably it may be more
9 useful to talk about a particular example.

10 MR. LEVENSON: Well, if you sit through
11 the meeting of this Committee, you'll find at almost
12 every meeting, we dig up a half of dozen in
13 presentations that come to us when people are talking
14 about data and facts and numbers.

15 I was just wondering if you had a policy
16 in preparing these responses to, in fact, try to
17 provide best estimates to the best of your ability?

18 DR. ANDREWS: Yes. Best estimate with
19 their uncertainty, yes.

20 VICE CHAIRPERSON GARRICK: Okay, I think
21 unless there's more questions, we've come to a point
22 where we're supposed to break and I'll turn it back
23 over to the Chairman.

24 CHAIRMAN HORNBERGER: And, in fact, John
25 is exactly right, we are going to break for lunch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We'll reconvene at 1 o'clock.

2 (Whereupon, the foregoing matter went off
3 the record at 12:04 p.m. and went back on
4 the record at 1:03 p.m.)

5 CHAIRMAN HORNBERGER: The meeting will
6 come to order. This afternoon we are going to hear
7 presentations on risk significance ranking. And,
8 again, John Garrick is the cognizant member, so I'll
9 turn the meeting over to John.

10 MEMBER GARRICK: Okay. We're going to
11 first hear about the use of risk information as a
12 basis for agreement closure, and we're going to hear
13 from both NRC and DOE experts on this subject. And I
14 think Andy Campbell is going to set the stage -- or he
15 was.

16 MR. CAMPBELL: Yes, I'm here.

17 MEMBER GARRICK: Oh, okay.

18 MR. CAMPBELL: I'm Andy Campbell. I'm
19 Chief of the Performance Assessment Section at the
20 NRC. I just wanted to briefly introduce NRC speakers
21 today. Dave Esh is going to be talking about risk-
22 informed issue resolution. In essence, Dave's
23 presentation and I assume the follow-on presentation
24 by Bob Andrews by DOE are going to cover topics
25 discussed at a May 15 technical exchange between NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and DOE concerning kind of methodological issues in
2 terms of closing agreements on the basis of risk
3 analysis. And then after the break Tim McCartin and
4 Jim Danna from the NRC staff will be talking about the
5 NRC's risk ranking of the 293 agreements.

6 Today's presentations from the NRC are
7 intended to provide a status to the Committee, and the
8 final risk insights report from Tim McCartin's and Jim
9 Danna's presentation will be at the end of the fiscal
10 year, end of September this year, and we expect that
11 we would make a presentation to the Committee on that
12 final report. It will be a much thicker report. What
13 we're presenting today is essentially an executive
14 summary and a status report.

15 We're not necessarily looking for a letter
16 at this time; however, we are interested in the
17 Committee's ideas, thoughts and suggestions on
18 communicating risk insights and understanding of these
19 insights.

20 MEMBER GARRICK: Good. Thank you. Okay.
21 Dave?

22 DR. ESH: It's my pleasure to be here
23 today. Can everybody hear me okay? All right. I
24 think we need to get our presentation out. I'm going
25 to talk about the risk-informed process, give you some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of NRC's perspective. We had a recent technical
2 exchange with the DOE on May 15 on this topic, and I'm
3 going to be talking primarily about methodology, maybe
4 some practical aspects. Whereas the talks that follow
5 later in the day are going to cover more of the
6 implementation of this philosophy. But this process
7 is specific to issue resolution.

8 In some cases here, in most cases, when
9 we're talking about risk-informed issue resolution,
10 there is a subset of agreements that DOE wants to
11 resolve with risk information in lieu of the
12 originally agreed upon information, and NRC supports
13 that approach. The terminology that has been used has
14 been to refer to those agreements, but that's not
15 really important. What you do need to know is that
16 these agreements are pretty much two different types.
17 They represent in some cases an agreement to evaluate
18 the uncertainty associated with the model and whether
19 the treatment of uncertainty was appropriate in the
20 TSPA or in the sub-models.

21 And then some of those agreements
22 represent information where the actual uncertainty
23 range or uncertainty values or conceptual model were
24 questioned. So it's not necessarily a basis of
25 reducing the uncertainty but whether the treatment of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty was appropriate. And this is a direct
2 quote from our first letter on this topic to DOE, and
3 basically we wanted to reiterate that we encourage the
4 use of risk information for models data and barriers.

5 Just some overview and background, as of
6 9-21-02, which when we had the technical exchange was
7 the most recent information we had, DOE had proposed
8 31 agreements to use this risk information, and we had
9 received nine of those. The agreements cover multiple
10 areas of the TSPA, and one of our main concerns was
11 that the quantitative analysis that's performed to
12 evaluate the risk significance of those agreements
13 should address the system nature of the TSPA model,
14 and the uncertainties should be propagated through
15 that model. And a lot of this presentation I'm going
16 to cover that last aspect, but I'm also going to
17 summarize the main elements that we thought were
18 appropriate for risk-informed agreement resolution.

19 The overview of the DOE analysis is
20 basically DOE performed sensitivity analysis using the
21 TSPA model, so that's good. The uncertainty
22 associated with an agreement is evaluated, and
23 typically what was done is the behavior of a model,
24 whether it's from a parameter distribution, the model
25 itself or the uncertainty in a parameter distribution

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is set to a very, it's subjective, of course, but a
2 pessimistic state, so you've made the uncertainty to
3 -- or you've made the parameter and model behave at a
4 state that you don't expect. And then from that
5 analysis where they looked at an agreement, they
6 concluded that if the absolute change in the dose is
7 less than one millirem, then that agreement is not
8 important to meeting the performance objectives.

9 The main concern we have with this
10 approach is in and to itself it doesn't necessarily
11 recognize the system nature of the model and the
12 propagation of the uncertainty. Because the TSPA
13 model, you could probably take every parameter in it
14 and set it to a pessimistic value except maybe the
15 general corrosion rate and you would reach that
16 conclusion on the bottom line, which would say I don't
17 need to know anything about any of these parameters
18 except for one, and I don't know if that's necessarily
19 the right answer, maybe it is.

20 So what we get is this is a figure out of
21 one of the agreement submittals. It's also out of the
22 risk prioritization report by DOE. They'll take the
23 base case state, which is given by the solid lines.
24 The green is the nominal scenario, and then the blue
25 is with the igneous activity groundwater scenario.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then they'll set an agreement item, a parameter,
2 a model to a pessimistic state and evaluate what the
3 change in the dose is. So here you see relative
4 changes. The change in the base case dose is very
5 small. There's a more moderate change in the igneous
6 scenario from the sensitivity analysis. And from this
7 they would conclude that the model is not sensitive to
8 the changes in the infiltration rate.

9 Whenever we receive these agreements, or
10 originally proposed, I should say, these were the
11 areas that the agreements covered. The infiltration,
12 seepage, unsaturated zone flow, drip shield
13 performance, THC effects on seepage, this is thermal-
14 hydrochemical effects on seepage -- sorry for the use
15 of the acronyms -- and thermal-hydrological mechanical
16 effects on permeability. Those all impact water flow
17 in one way or another.

18 And then there were a couple of other
19 areas, in-drift chemistry and cladding performance,
20 which are -- sorry, in-package chemistry and cladding
21 performance, which are related to the source term, and
22 in-drift chemistry. And this middle one here was
23 probably the big hang-up that we had. Because in the
24 risk prioritization report, DOE did a propagation of
25 the uncertainty associated with these agreements, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the feedback that we had from our process level
2 experts is the uncertainty that was added into the
3 analysis for the in-drift chemistry was not
4 appropriate. And so that was our big sticking point
5 when it came to this problem.

6 This figure on Slide 8 is from the methods
7 and approach document, and it gives -- you don't need
8 to read the labels. Up here at the top it says --

9 PARTICIPANT: That's good.

10 (Laughter.)

11 DR. ESH: I did that on purpose. I wanted
12 to illustrate a concept without you getting tied down
13 in the details. The TSPA LA model is up here at the
14 top, and then all of these are documents or you can
15 think of them as documents or models that are going to
16 support that TSPA LA. And what I did is I took a red
17 block and I put it over the documents that were
18 associated with the agreement areas on that previous
19 page. So what you can see is that there's a number of
20 areas that may be connected or interacting that would
21 be influenced by that approach to resolve those
22 agreements using risk information.

23 This is the idea. TSPA is a system model.
24 So then in our responses to DOE when we started
25 receiving these, we had had a number of elements that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we needed in the information to resolve the agreements
2 with the use of risk information. And the elements
3 I'll cover in a summary on the next slide and then
4 provide a little more detail on the slides that
5 follow.

6 The main elements, and I'll paraphrase
7 these, the first one is why the analysis appropriate?
8 The second one is what did you do? The third one is
9 how much is it influenced by uncertainty? The fourth
10 one is, well, why do the results make sense? Why are
11 they believable? And the last one is partly due to
12 quality assurance but also to recognize that the
13 process that we are in is dynamic. So the model that
14 they may use right now to get their results on the
15 curve with the base case and the igneous case will be
16 an old model by the time we get a license application.

17 There will be a different model that's
18 used for the license application. That different
19 model may behave differently if you perform this same
20 analysis with it. And the analysis that we receive
21 now for these risk-informed agreements was also done
22 under an unqualified status even though DOE will tell
23 you, I'm sure, they have confidence in that analysis
24 and the conclusions they're making.

25 So for that reason, for those two reasons,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we believe an element of this process is that we get
2 a confirmatory analysis that supports the current
3 conclusions that would be made.

4 Now, the technical basis for quantitative
5 analysis, this is kind of a check balance situation.
6 You wouldn't expect that you provide a very high
7 degree of technical basis if you're being very
8 pessimistic in your analysis. So if you have an
9 uncertainty that maybe it is evapotranspiration in
10 the infiltration model and you say, "I'm going to be
11 very pessimistic and bound that effect in this
12 analysis," then we wouldn't expect a lot of analysis
13 or a lot of documentation expressing why that analysis
14 is appropriate. If it's easy to see that it's
15 bounding, then that's okay with us.

16 We would prefer that the analysis is as
17 realistic as possible, but that comes with a price.
18 It comes with a price of effort that you have to put
19 into developing whether that analysis is realistic or
20 not. So we have to deal with whatever the DOE gives
21 us, and if the DOE wants to be pessimistic, then
22 that's what we will review.

23 MEMBER GARRICK: Dave, isn't the problem
24 when you start using words like, "pessimistic," and
25 words like "ten times higher," isn't the problem is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you're implying that you know what the answer is?

2 DR. ESH: Yes. And that's -- I choose
3 pessimism, maybe it's still not the right word.
4 Conservatism, to me, implies that I know what the
5 answer is. Pessimism says based on my level of
6 knowledge I'm going to say it performs worse than
7 that, but I'm acknowledging that I don't know what the
8 true answer is. So, yes, I agree with you.

9 So we believe with this scaled approach to
10 how much detail you provide for your information for
11 the analysis, but we do need a documentation of the
12 analysis that explains what was done so that we can
13 review it and understand it, because these models are
14 complicated. There's many parameters, they're
15 integrated, and we'd just like an understanding of
16 what went into that analysis so we can tell whether
17 we're seeing an analysis of the effect of the
18 uncertainty that we were originally looking into.

19 So the treatment of model and parameter
20 uncertainty is the focus of this process, and we
21 expect just a reasoned argument why the analysis
22 appropriately represents the uncertainty or is
23 sufficiently bounding. We don't have an extremely
24 high information need for the appropriateness of the
25 analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this is an example, I took an
2 agreement, TSPA 319, which related to
3 evapotranspiration and the use of site temperature
4 data, to give you an idea of the problem that we're
5 dealing with. The agreement was addressed -- it
6 addresses infiltration and the infiltration rate in
7 the TSPA-FEIS model, according to DOE's documentation,
8 is about 12 millimeters per year, so the question
9 becomes, well, how do I change infiltration to
10 represent this agreement. And in this case, the
11 infiltration was set to a value over ten times higher
12 and an argument was made as to -- I don't know if it
13 was in TSPAI 319 or in a later agreement. In
14 particular, I know this agreement, unsaturated flow
15 under isothermal conditions 302, they provided what I
16 felt was an appropriate justification for the
17 distribution of the infiltration rates used in the
18 sensitivity analysis. So if somebody in the audience
19 wants to get an idea of what we're expecting and what
20 we're looking for, I think this is a good place to
21 look, and I could give somebody a reference to that
22 document if needed.

23 The second element is that adequate
24 documentation of the analysis, and basically we're
25 looking for enough information to allow for us to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand what was done without recourse to the
2 author. We don't want -- and I think that's part of
3 the normal quality assurance process is that there is
4 enough documentation that you don't have to rely on
5 the individual who generated the analysis.

6 And then, in addition, we have that some
7 models and assumptions within the TSPA may not be
8 integrated, so that's why we're asking for this
9 information. It is complicated, we'd like to know
10 what was done, but we're not asking for a detailed
11 description of -- we had stated that even in a summary
12 form like a table these are the changes that were done
13 for this analysis. That would be appropriate for us
14 to be able to tell what was done. We don't need to be
15 walked through the model in detail.

16 Consideration representation of
17 uncertainties, this is a big element for us. The
18 analysis should appropriately consider and represent
19 uncertainties, and I've talked about or written here
20 potential effects, related potential effects being
21 considered. And if not directly included, they should
22 be discussed at least in a qualitative manner. I'll
23 give you an example of this. Say you have an
24 agreement that deals with the performance of the drip
25 shield, and so in your model you say, "Well, I'm going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to degrade the performance of the drip shield or I'm
2 going to take it out or I'm going to do something to
3 the drip shield and evaluate what the effect of this
4 uncertainty is." Well, in that case, you're saying
5 that the function of the drip shield is only to limit
6 water contact with the waste, but the drip shield may
7 have other functions in the model that aren't
8 represented in the calculation, such as the
9 minimization of the seismic effects on the waste
10 package or the protection of the waste package from
11 aggressive chemical environments. So when we're
12 talking about related potential effects, that's what
13 we're talking about. These other things that are in
14 this integrated system model, how may they influence
15 the output?

16 So this is the main point: The TSPA is a
17 system model designed to integrate these abstractions,
18 process models. Abstractions are simplifications of
19 a process model. So for those of you that may not
20 know, the step in the process is you have fundamental
21 information, you develop a process model to represent
22 that information, and then in some cases you may use
23 those process models directly in your TSPA, but in
24 many other cases you have to simplify them to make
25 your model execution time reasonable or the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding of the model at an appropriate level of
2 detail. And so the abstractions that I mentioned here
3 are in some cases the simplification of the process
4 models that go into the TSPA.

5 And here we mention the combined effects
6 of uncertainty should be quantitatively assessed. I
7 believe Dr. Garrick mentioned in his opening remarks
8 somewhat of a new term, combined effects, but really
9 we're just talking about the propagation of
10 uncertainties. And combined effect came from Section
11 3.4 of DOE's risk prioritization report.

12 And one of the most important elements
13 besides the propagation of uncertainty and the
14 evaluation of it, we believe, is the understanding and
15 explanation of the results. Sometimes they may be
16 counterintuitive, and one of the reasons we use our
17 performance assessment code it's a simpler model, we
18 probably have, at least at this point, a higher degree
19 of understanding in that model, and we'll use it and
20 evaluate whether we get something consistent with DOE,
21 and if we don't, we then try to understand why and
22 that may lead us to a question of what they've done
23 their analysis with.

24 MEMBER RYAN: Could you give us a good
25 example there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ESH: Yes. The example of the
2 infiltration rates that I showed earlier and they had
3 the two curves, we performed a similar analysis to
4 that with our TPA code. We increased the infiltration
5 rates to a large amount, did the analysis and saw if
6 we got the same result or not.

7 The demonstration of understanding of the
8 model and results we believe is essential to
9 developing confidence in the conclusions. And this is
10 important for any scientific process for your
11 modeling, but in particular when your model is
12 complicated and there's lots of uncertainties, we
13 really find that this -- if you're not doing this step
14 in the modeling process, then you should be reasonably
15 uncomfortable with the conclusions you should be
16 making.

17 And we believe strongly in simple physical
18 arguments and presentation of intermediate outputs.
19 We believe that enhances confidence in the results.
20 And that's a really good step in the modeling process.
21 We get caught up in the details of the models, but
22 sometimes we need to step back and say, "Does this
23 make sense? Even if I can present a simple argument,
24 why does my model make sense? How would I convince
25 somebody that's not an expert in this field that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a reasonable model?"

2 Now I'm going to go into in some detail
3 the combined effect of uncertainty, and I have some
4 examples in here, they're fairly quantitative, so bear
5 with me. Insights from our performance assessment
6 model, we use the stochastic performance assessment to
7 evaluate the impact of uncertainty on performance,
8 which we call risk, for this repository system. For
9 our base case, ten percent of our realizations, and a
10 realization is just a probabilistic state of the model
11 that we use to represent uncertainty, ten percent of
12 those contribute 95 percent of the peak mean dose. So
13 it's not -- you get a non-linear response of the
14 performance assessment model. And usually it's this
15 propagation of uncertainty, which we call combined
16 effects also, which is driving the risk in the model.
17 That's what we observed from our performance
18 assessment model.

19 And here's an example from our code where
20 we've taken the high realizations -- this was a run of
21 the TPA 4.1j base case with 250 realizations, and I
22 semi-quantitatively pulled out parameters which I
23 thought would make a difference in the analysis. I
24 didn't perform a statistical analysis to pull out
25 these parameters. I did it based on my experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I took the five highest realizations, and I'm showing
2 the percentile that each of these parameter
3 distributions were sampled at for each realization.
4 And then the fifth column here shows the mean, so for
5 this case waste package flow multiplication factor the
6 mean state that it was sampled at for these five
7 highest dose realizations was the 87 percentile. Now,
8 the highest realization contributed about 16 percent
9 to the mean, and what we would like to conclude is
10 that it's not necessary for key parameters to be at
11 their extremes in order to have a meaningful
12 contribution to risk. It just takes some of the
13 parameters to be at higher values in combinations and
14 they lead to higher realizations. So the propagation
15 of uncertainty can significantly influence the risk.

16 And this is another example that is more
17 directly tied up -- or made to address the approach
18 that DOE was using, which is this is a hypothetical
19 model, it's done with the GoldSim software package,
20 which is really strong to propagate uncertainty and
21 evaluate simple models. I've identified three
22 parameters, A, B and C. The first one is a normal
23 distribution with a mean of five and a standard
24 deviation of one, so does the second parameter, and
25 the third parameter is uniform, from minus one to one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then just made a simple equation, and so these
2 three parameters are going into the equation, and
3 they're all uncertain. And if we run that, I ran it
4 for I think 10,000 realizations, and I checked the
5 stability, you get a mean of about 3.84.

6 And say this is the problem we're faced
7 with where we're looking at uncertainties in a system
8 model and we had a limit of 15. So we would say,
9 okay, we're good. Our result is below the limit. Now
10 say somebody comes along and they say, well, you have
11 additional uncertainty with A, B and C that's not in
12 this model, and now I want you to evaluate what the
13 effect of the uncertainties of A, B and C are on the
14 model.

15 Well, to evaluate them, labeled
16 Uncertainty 1, 2 and 3, I perform an analysis which
17 could be analogous to Agreements 1, 2 and 3. I
18 perform three analyses. The first one I change my
19 distribution. Remember it was five before and one;
20 now it's six and 1.5, and I leave the other two the
21 same. So this is similar to one-off sensitivity
22 analysis. And then I take my B and I change it and
23 then I take C and I change it, and I run each of those
24 cases.

25 And what I get is that for this local --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll call it a local sensitivity analysis, that each
2 of the means are below my limit of 15. So I would
3 conclude that, well, none of those uncertainties are
4 important to add into this model because I'm below the
5 limit in each case. However, if you do a combined
6 effect analysis that probablistically looks at those
7 uncertainties, you get a different result, you get a
8 mean of about 20. And this is common in uncertainty
9 propagation. But the issue becomes what needs to be
10 the set of analysis that you're putting together to
11 get this result?

12 And in this case, we had received 31
13 agreements. Those agreements that were addressing the
14 basis for models or parameters I believe you have to
15 do some sort of analysis like this that's looking at
16 the combination of those uncertainties. The ones that
17 are addressing whether the range of -- or whether the
18 uncertainties should be reduced, and you can do --
19 then I think you can do a one-off sensitivity analysis
20 and show that that doesn't impact the output.

21 MEMBER GARRICK: Yes. One of the things,
22 Dave, you have to really be careful with in this, and
23 I'm sure you are, is that you have to establish
24 consistency between parameter treatment. For example,
25 in some of the early results where there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty analysis performed, on closer examination
2 some of the critical parameters were assumed constant.

3 DR. ESH: Yes.

4 MEMBER GARRICK: And there was a
5 temptation to say that because you assumed it was
6 constant, such as solubility or something like that,
7 that it doesn't contribute to uncertainty. So the
8 parameter consistency check is really important when
9 you start doing this kind of thing.

10 DR. ESH: Yes. There are other
11 complications too. Say you have a parameter
12 distribution and you set it to its 95th percentile in
13 order to represent this uncertainty that you don't
14 have put in there, so you fix it to a deterministic
15 state.

16 MEMBER GARRICK: Right.

17 DR. ESH: The 95th percentile might not be
18 the most pessimistic state.

19 MEMBER GARRICK: That's right. That's
20 right.

21 DR. ESH: There might be some intermediate
22 value or additional complications in addition to the
23 one you mentioned to doing this analysis on these
24 complicated models.

25 So that's a second example of, okay,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty propagation in a system model, the first
2 being more directly relevant using the TPA code, but
3 each of those demonstrate the same sort of thing,
4 which is you need to consider the interaction of these
5 uncertainties and how they propagate through this
6 system model.

7 So in conclusion, though, we would say
8 that these extremely pessimistic analyses, or what I
9 believe are extremely pessimistic where individual
10 uncertainties are not required by the NRC. And we
11 agree that the margin between your analysis results
12 and the performance objective can be considered. So,
13 basically, that means if you're down at 1e to the
14 minus 8 millirem and you can go to 15, then, yes, you
15 have a lot more leeway in what you consider risk
16 significant then if you're at 10 millirem and your
17 limit is 15. That should be considered in this
18 process.

19 But where we somewhat disagreed with the
20 DOE was that the potential combined effects, this
21 propagation of uncertainty on risk, of these agreement
22 items that in some cases you can think of, you want to
23 drop that information out of the performance
24 assessment or not permanently represent it, one or the
25 other. That's the argument that you're basically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to make. So we believe that you need to look
2 at that combined effect and evaluate how significant
3 it may be with respect with risk. And this technical
4 analysis should appropriately consider the system
5 nature of this performance assessment model.

6 And in summary, here's -- the risk-
7 informed resolution can be done in lieu of the
8 original agreements. We believe that the technical
9 analysis should consider the system nature of the
10 model, the propagation of uncertainty, that confidence
11 in the supporting analysis and resulting conclusions
12 is an essential aspect to the risk-informed issue
13 resolution process.

14 Now, as I said, we did have a meeting on
15 May 15 that many of you were present, so you can --
16 I'm going to end now, you can turn your mental snooze
17 off and come back up to listen to the rest of the day,
18 but we have -- the summary of our meeting was
19 basically DOE was in agreement with us on the
20 additional information needs, such as the
21 documentation of the analysis, the explanation of the
22 results, those sort of things, except for the combined
23 effects of uncertainty analysis.

24 Here's a key point that, the next two,
25 that DOE is possibly reducing the number of agreements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or at least redistributing them. They said maybe 31
2 to approximately 20. But here was the big sticking
3 point. If you remember I mentioned the environmental
4 conditions for corrosion. As I think you'll hear Tim
5 and Jim Danna talk about this afternoon, that's an
6 area that we believe is high risk significance, and
7 originally in this approach that was an area of low
8 risk significance for DOE. So that was a stumbling
9 point, and it was a stumbling point in the combined
10 effect analyses too. But because DOE isn't taking
11 this approach for the environmental conditions, I
12 don't see that we're that far apart on the combined
13 effect of analyses anymore -- the combined effect of
14 uncertainty, I'm sorry.

15 So DOE will perform -- they agreed they
16 will perform an analysis with the final fully
17 qualified TSPA model that supports the conclusions
18 that they may have made with these preliminary models.
19 And if that turns out to be unsuccessful, then they'll
20 develop an alternative approach. So I'll be happy to
21 address any questions that you may have.

22 MEMBER GARRICK: George?

23 CHAIRMAN HORNBERGER: Just a
24 clarification, Dave. On your last slide, you started
25 out -- the first one says the DOE is in agreement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 except for the combined effect of uncertainty
2 analysis. And then farther on down I thought I heard
3 you say that you didn't think that you're very far
4 apart on treatment of the combined effect of
5 uncertainty. So have they agreed now or --

6 DR. ESH: Well, the difference was --
7 which slide are you on?

8 CHAIRMAN HORNBERGER: The very last one.

9 DR. ESH: Last one.

10 CHAIRMAN HORNBERGER: Very last one,
11 there. See the first one says that they don't agree
12 with you on the combined effect of uncertainty
13 analysis.

14 DR. ESH: Yes. This was -- and it's
15 written poorly. This was prior -- we disagreed with
16 them on the need to perform a combined effects
17 uncertainty analysis when they were including the
18 environmental conditions for corrosion. So they said,
19 "We don't need to do that," and we said, "Yes, it is
20 a part of this process, it is something you need to
21 consider, and the analysis that you did in Section 3.4
22 of the risk prioritization report didn't adequately
23 address this part of the problem." Then DOE said,
24 "Well, we're not going to evaluate the environmental
25 conditions for corrosion of the waste package with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this approach anymore," and so we still believe that
2 they need to consider the combined effect of
3 uncertainty, but that analysis that's in Section 3.4
4 of the risk prioritization report may be sufficient,
5 that we just need to get the other parts of it, which
6 were what was done in the analysis and an explanation
7 of the results and why they're reasonable.

8 So that's why I'm saying that I think
9 we're closer together. It will depend on those other
10 information elements which is the description of the
11 analysis and the understanding of the results, et
12 cetera, whether we would find that analysis -- and
13 it's my understanding that they have a resource
14 problem. They have key skills to do TSPA analysis,
15 and those skills are completely tied up with
16 development of the TSPA LA model, and they would
17 probably agree with that. So to do another analysis,
18 this type of analysis, that skill is locked up right
19 now doing something that they believe is more
20 important. So that's why there is this little bit of
21 a disagreement in that area.

22 CHAIRMAN HORNBERGER: Okay. But see if I
23 have it right now. Well, tell me this is wrong. I'll
24 rephrase it. So I might have heard you just say that
25 DOE has taken out the environmental conditions for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corrosion from the combined effects of uncertainty
2 analysis. And if that were so, then it would worry me
3 based upon the rest of your presentation because if
4 you're fixing all of the corrosion parameters at a
5 constant value, you're missing out on what you just
6 described as potential non-linear effects.

7 DR. ESH: Yes. I think I confused you.

8 CHAIRMAN HORNBERGER: Oh, okay.

9 DR. ESH: Remember we're talking about the
10 subset of agreements that they want to resolve with
11 this approach. So when they're resolving it with this
12 approach, then we're saying you need to do a combined
13 effect of uncertainty analysis. If it's not being
14 resolved with this approach, then it's going to go
15 into the TSPA LA model, and so the combined effect of
16 uncertainties in the LA model will be represented. So
17 think of it as this is an approach to evaluate some of
18 the agreements and they don't go forward from this
19 point into the LA or DOE's arguing that they're
20 already appropriately represented in our models, et
21 cetera. I know that's the case in some areas.

22 There was an agreement that talked about
23 fast flow paths, and all DOE did -- one of the things
24 they did in their response was summarize what their
25 model already has in it, which is one percent of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time it has fast flow paths in the unsaturated zone.
2 Is that more clear?

3 CHAIRMAN HORNBERGER: Yes.

4 DR. ESH: Okay.

5 MEMBER GARRICK: Milt? Mike?

6 MEMBER RYAN: It's a real clear
7 presentation. It's very helpful to see the treatment
8 of uncertainty and how you do it.

9 MEMBER GARRICK: Of course, when you're
10 doing this sort of work and you're trying to reach
11 some sort of judgment about the importance of
12 different agreements in this case, the reference has
13 to be the risk assessment and what changes in that
14 agreement how that would affect the risk assessment.

15 The other exercise you're going through
16 there are other ways to get risk insights, and one
17 exercise that you're doing right now is backtracking
18 from the results, such as the principal contributors
19 to dose and peeling the onion, so to speak, to see
20 exactly how that dose came about, which, is as we
21 recommended in the past, an effective way to get a
22 handle on the details of what's driving the risk.

23 Now, is the work that you're doing in that
24 area also being used to benchmark the importance of
25 the agreements?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ESH: Yes. I can't answer for DOE
2 but, as Tim and Jim Danna will talk about later, we
3 consider that sort of information whenever we develop
4 our risk insights. So I think that what they'll -- I
5 don't know if they'll go into detail on it, but we
6 come at it from a top down and a bottoms up, and in
7 some cases you learn different things. So we may do
8 a barrier analysis that we're looking at
9 underperformance of barriers, and we may also do
10 what's the potential contribution of a barrier from
11 the other direction, and you learn -- you get
12 different insights depending on those analyses that
13 you do.

14 MEMBER GARRICK: See, what we're really
15 looking for always is what is your reference for
16 reaching the judgments that you're reaching?

17 DR. ESH: Yes.

18 MEMBER GARRICK: And how much of it is
19 really analytically based? And what's the context of
20 that analysis? Is it the risk assessment, is it the
21 backtracking analyses, and I'm assuming it's all of
22 these. But if we're really talking about being risk
23 informed, it's got to be accurate to some sort of a
24 systematic, analytical process.

25 DR. ESH: Yes. I'd say we strongly -- if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I could paraphrase what we do, and they'll cover it in
2 more detail, is we strongly use quantitative
3 information but we're open-minded about you have to
4 understand the context of that quantitative
5 information that was generated. So we recognize that
6 some of the models may have limitations that don't
7 represent an effect or a process in the performance
8 assessment, but if we can do an analysis or do an
9 evaluation, sort of a "what if" type of thought
10 process, then that factors into our determination of
11 the significance. And, remember, we're on the
12 receiving end but ultimately it's DOE's responsibility
13 to make those determinations of significance or not,
14 but we try to be as informed of reviewers as possible.

15 MEMBER GARRICK: Yes. One of the things
16 that is very important about this whole process is to
17 see if carrying out these kind of exercises that are
18 more systematic and more risk oriented you have some
19 surprises over the knowledge base that existed, for
20 example, when you created the key technical issues in
21 the first place. Now, I realize that the key
22 technical issues, the nine issues, are at such a high
23 level that it's not likely that they all aren't very
24 important. But when you get down into the subissues,
25 that's where you may find some surprises. And if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's one thing that has come from a comprehensive
2 application of the risk thought process it's been
3 surprises, it's been that you expose contributors to
4 risk that you really didn't think were that important,
5 number one. And, number two, things that you thought
6 were important are not so important. Has there been
7 any surprises in where you were a few months ago or
8 maybe a couple of years ago with respect to what you
9 think was driving the risk and where you are now as a
10 result of these kind of exercises? And maybe Tim is
11 going to come to that, I don't know.

12 DR. ESH: Yes. I can't personally speak
13 for programmatic surprises, but I can give you a
14 personal surprise, which was when I started at NRC I
15 was in charge of the TPA code development, did a lot
16 of analyses and even did a lot of barrier analyses to
17 evaluate how significant, and in that case I was
18 looking at integrated subissues, or ISI. So I was
19 trying to get a handle on which of the integrated
20 subissues. And it might have come from a request by
21 you what are the important ISIs, and I was assigned
22 that project.

23 So I was doing analysis to evaluate the
24 integrated subissues, and one of the results that I
25 had was that the source term wasn't very significant,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the actual waste form dissolution rates, the spent
2 fuel dissolution rates. In recent analyses that I
3 think I've presented to you, whenever I got down into
4 that model and actually put it together and put it in
5 a spreadsheet and looked at what it was doing, there's
6 a broad range of spent fuel degradation times or
7 dissolution rates that come out of that model. On one
8 end, it could provide for very long delays. On the
9 other end, it could provide for not so long delays.
10 So in my mind, it completely changed my thinking about
11 that part of the problem.

12 From the quantitative output of just
13 looking at a barrier, it doesn't show up, and I would
14 say this isn't very important. But when I get down
15 into it, that could be an artifact of the way the
16 uncertainty is treated or the way that pessimism may
17 have been introduced into that model. And,
18 ultimately, you have to defend the model that you're
19 using, and it may be that it's too expensive to defend
20 that one end of that parameter distribution, and I'm
21 going to have it towards the other end of the
22 parameter distribution. So that's a personal example
23 of a surprise I had from doing this sort of analysis,
24 this sort of exercise.

25 MEMBER GARRICK: Okay. Any other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions from the staff? Anybody? I guess we go to
2 the next speech. We'll hear from DOE again, Bob
3 Andrews in particular.

4 DR. ANDREWS: Well, the objective -- is
5 this on well enough? The objective of this, I think
6 at your request, was to summarize that meeting, and
7 it's good that our summaries look pretty well the
8 same, so I cut through the chase and go to a few
9 examples that are different than Dave's and a few
10 numbers that are different and explain why they're
11 different.

12 But before I do that, I think it's
13 worthwhile to talk about a little of the history of
14 these risk-informed performance-based KTI agreement
15 responses. I think we talked to this group roughly a
16 year ago, maybe a little more than a year ago, about
17 the whole approach to prioritizing not just KTI
18 agreements but prioritizing the technical work
19 required to develop the bases for the license
20 application and address the KTI agreements and the
21 fairly elaborate approach we did to prioritize that in
22 light of funding limitations where the Department did
23 have to prioritize its work scope. And we presented
24 that to you roughly a year, maybe a little more than
25 a year ago.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part of that approach necessitated the
2 addressing of some of the KTI agreements using more
3 TSPA-based risk-informed based approach. We started
4 addressing them last summer. There was probably three
5 or four that were submitted last summer that only used
6 a TSPA sensitivity analysis, vary the parameter
7 distribution outside of its range or to an extreme
8 value within its range and see what effect it has.
9 And say based on that and that alone, so there was
10 probably four or five agreement responses done in
11 July-August of last year that were written that way.

12 The initial feedback we had from those
13 was, well, you didn't put them into the context of the
14 technical basis for that question, whatever that
15 question might have been. I think generally there was
16 a drip shield cracking issue and crack plugging KTI
17 agreement, there was a couple of infiltration issues
18 and the infiltration model issues that were being
19 addressed at that time using totally a TSPA
20 sensitivity analysis approach. The Department agreed
21 with the NRC staff comments made on those initial
22 submittals and revised how it was writing those
23 responses to add in addition to just, if you will, the
24 movement of the needle on the dose also provide some
25 additional discussion of why that uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution for that particular parameter or model
2 was appropriate, use other lines of evidence or other
3 information available to address the KTI agreement in
4 addition to the risk-based TSPA-based sensitivity
5 analyses.

6 There have been five submitted since last
7 summer. One was in November, the other four were in
8 January of this year. They were generally UZ flow,
9 unsaturated zone flow, heterogeneity and unsaturated
10 zone flow and uncertainty in infiltration. So the
11 total number was nine; however, one was closed, one of
12 those nine was closed on the basis not of the risk-
13 informed information that was provided but on the
14 basis of the additional technical information that was
15 provided. I just wanted to lay out that schedule
16 process with you. And that led up to last month's
17 technical exchange.

18 So if I can go to the next slide, I just
19 want to walk through that approach, the implementation
20 of that approach, take a different example than what
21 Dave took, and then my summary of NRC concerns that I
22 think Dave went through in sufficient detail so I'll
23 probably skip over that one and our planned path
24 forward. So if I could have the next slide, please.

25 Okay. I think I have talked about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternative approaches that we followed for all KTI
2 agreements. Some KTI agreements was go do X, whatever
3 X was said to be, go do that test, write that test
4 plan, submit those test data, revise or look at the
5 parameter distribution, whatever that issue was based
6 on that new science or revised engineering
7 information. But as Dave said, we had proposed on the
8 order of 30, I think 31 was the exact number, that
9 might be addressed in more of a TSPA risk-informed
10 process, i.e. it does not significantly affect the
11 compliance with the regulatory standard. We actually
12 did submit nine, it was really eight agreements that
13 were directly related to this, and the ninth one was
14 closed with other information, not the risk-informed
15 information. And the rest of this talk primarily goes
16 through things that we talked about during that
17 technical exchange in the middle of May. Next slide,
18 please.

19 Okay. The whole basis of using the risk
20 information, in particular using the total system risk
21 information, and here I'm going to focus now on the
22 use of the total system model, the total system
23 parameters, the total system analyses as that
24 definition of risk from the compliance point of view.
25 There might be other very logical definitions of risk,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 such as risk to a barrier or risk to understanding,
2 but we focused here on risk as it's defined with
3 respect to dose being the performance measure of risk.
4 Next slide, please.

5 Okay. The whole goal of this was to allow
6 ourselves to prioritize where to focus the limited
7 resources, on which KTI agreements, on which issues,
8 if you will, focus on those that either had the
9 greatest uncertainty or the greatest significance or
10 a combination of those as they affected risk. Okay.
11 Next slide, please.

12 Okay. So there was three criteria that we
13 used in trying to ascertain which KTI agreements were
14 in fact amenable to the use of total system risk
15 information as a means of potentially closing the
16 agreement. They're shown on this slide and the next.
17 We'll stay on this one for the time being. First is
18 the information requested is shown to have limited
19 significance to risk based on the importance to
20 repository performance during the 10,000-year
21 regulatory time period. Next slide.

22 And that information that is explicitly
23 requested in the agreement item is not required to
24 support the technical basis for that treatment of
25 uncertainty. So in other words, the uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treatment was, in our opinion, adequate within the
2 TSPA SR and TSPA-FEIS, the final environmental impact
3 statement TSPA, such that that range accommodated the
4 range of understanding and no more information was
5 required to expand that range, if you will. And the
6 information is not needed to support the description
7 of the barrier. So we were looking at barrier
8 capability and the description of barrier capability
9 as required in the regulation. And if it did require
10 that, then it was not a candidate for using total
11 system risk information as a means or a criteria for
12 addressing the KTI agreement. Next slide.

13 Okay. So I think Dave captured this as
14 well. Some agreement items called for additional
15 information to reduce uncertainty, and if we felt that
16 uncertainty was adequately captured and there was no
17 necessity to reduce the uncertainty and that it was
18 insensitive to that uncertainty, then it was okay, and
19 that was a basis for potentially addressing the
20 agreement item. Secondly, if there was additional
21 work needed to defend the current range of
22 uncertainty, i.e. additional information required, not
23 necessarily of questioning the uncertainty range but
24 defend that uncertainty range, and we can still
25 demonstrate that it's insensitive, then that was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 candidate for using risk information for. Next slide.

2 Okay. As I said, there have actually been
3 nine but eight were using risk information and nine
4 had additional technical information, that's my last
5 bullet there. Five of them related to climate and
6 infiltration, two, to flow and transport -- actually,
7 three were flow and transport, because the third one
8 that was closed was closed, it was UZ flow issue
9 associated with the heterogeneity in the unsaturated
10 zone flow model and the effect of that heterogeneity
11 on localized flow paths and on potential for seepage
12 where the flow might be increased. And so far with
13 the exception of the one that I just described
14 additional information needs have been identified for
15 all of the others.

16 I should say that of the UZ flow and
17 transport ones, they were all flow related, they
18 weren't transport related. I should also say that
19 when you map these nine or these -- let's talk about
20 these eight and not the one that was closed, these
21 eight to the June 5 NRC report on risk prioritization,
22 six of these are what have been classified as low, and
23 two of these have been classified as medium. The two
24 that have been classified as medium are associated
25 with the infiltration representation and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty in the infiltration representation. The
2 other ones have all been classified as low risk
3 significance. So we in a way agree that they're low
4 risk significance. The issue is did you provide
5 enough information to close those agreement items even
6 though you might agree that they're low risk
7 significance. So if we go onto the next slide, I
8 think I have an example more of an approach.

9 The approach had -- once we had the first
10 four and had gotten some feedback on those saying
11 additional technical information was desirable, we
12 revised the last five submitted in December and
13 January to include a section where additional
14 technical basis was presented. So each KTI agreement
15 had additional discussion of that particular
16 uncertainty, that was the focus of that KTI agreement,
17 and additional discussion of additional information
18 used to support that distribution. I'll come here
19 with an example on infiltration in just a second. So
20 there's a section in there on additional technical
21 bases, if you will.

22 There's then a discussion using variety
23 of different outputs associated with the TSPA model,
24 whether it be extreme value, one-offs, whether we use
25 some nominal neutralizations or some combined effect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analyses, limited as they were. We haven't submitted,
2 I don't think, any combined effect analyses to date,
3 but they are in the risk prioritization report, using
4 some combination of these to provide that information
5 in the context of that particular KTI agreement. So
6 there's two sections. There's actually an additional
7 qualitative discussion of the barrier and the barrier
8 capability and the impact of that KTI agreement vis-a-
9 vis that barrier and barrier capability. If I go to
10 the next slide --

11 CHAIRMAN HORNBERGER: Bob, your combined
12 effect analyses seems -- the way you describe there
13 seems to be not similar to what Dave Esh described;
14 that is, you're talking about the words say assumption
15 of extreme values occurring simultaneously in multiple
16 components, and it strikes me that -- I infer from
17 that that you're talking about doing, again, a one-off
18 analysis but with, to use Dave's words, pessimistic
19 values for five or six different things
20 simultaneously?

21 DR. ANDREWS: Yes. Yes.

22 CHAIRMAN HORNBERGER: Dave, am I right
23 that that isn't the approach that you had envisioned?

24 DR. ESH: Yes. I think the distinction is
25 that we're saying that the combined effect of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty is an important part of the process, and
2 DOE has selected to be pessimistic in each of the
3 individual analyses, and it puts -- there's a
4 difficult point in between there, so what does that
5 mean? Does that mean that you do a combined effect of
6 a whole bunch of very pessimistic things? We don't
7 want that, and DOE is saying, "We don't want to give
8 you that." But there's still that answer of what's
9 the combined effect of uncertainty.

10 DR. ANDREWS: Yes. I think another way to
11 think of it is in the risk report, just for
12 illustration purposes, the one we produced last
13 summer, wasn't -- it itself was not a KTI agreement,
14 it was a separate technical report. We present some
15 combined effect analyses in that as representative
16 examples of types of combined effect analyses. But
17 those analyses have not been used as a basis of any
18 KTI agreement responses to date, the combined effect
19 analyses. The one-offs and neutralizations have been
20 but not the combined effect. If I can go to the next
21 slide, please.

22 Okay. I picked -- Dave picked TSPA 319,
23 I think; I have 318. It's also infiltration. As I
24 said, a number of these were infiltration related. We
25 picked those, not only because we felt that we'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adequately captured the uncertainty in our TSPA but
2 also because most of the active field testing program
3 for infiltration had been completed. The USGS, the
4 prime area of people collecting that information,
5 although they collect related information for other
6 projects in the arid Southwest, the specific
7 application of the infiltration model for the TSPA was
8 pretty much done, and we felt we had a lot of multiple
9 lines of evidence to support the range of infiltration
10 rates that we were using in the TSPA.

11 The question here specifically relates to
12 that infiltration model and some assumptions embedded
13 within that infiltration model and some comments made
14 of the time of the technical exchange when that
15 infiltration model was being reviewed by NRC staff.
16 And the issue was a more realistic representation of
17 infiltration rates using an alternative model, if you
18 will.

19 We wrote that response in January of this
20 year and broke up the answer into two separate
21 answers. One part of the answer says that using
22 multiple lines of evidence and alternative
23 representations from those other lines of evidence,
24 thermal information, chloride information, information
25 from carbon-14 and the perched water zones and other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water balance type information, regional water balance
2 type information, that we believe our range of
3 infiltration rates represented over the mountain,
4 which was quite a broad range, it not only had a mean
5 and uncertainty on the mean but also had a spatial,
6 very wide spatial distribution over the crest of the
7 mountain with that spacial distribution being a
8 function of slope and angle and soil type and soil
9 thickness and vegetation, et cetera, that that was
10 adequate to represent the range of uncertainty
11 distribution. So we added some additional technical
12 discussion of those alternative lines of evidence.

13 In addition, we did a couple of extreme
14 value one-off sensitivity analyses using the TSPA, one
15 where we just changed the infiltration rate and the
16 other one where we changed the seepage. The next
17 slide shows the change in the infiltration rate slide,
18 which then changed a saturated zone flow and therefore
19 unsaturated zone transport. Although the range is
20 from zero to 250 millimeters per year, the average can
21 increase during climate changes over the 10,000 years
22 to roughly 12.5, so we'll say 13 millimeters per year.
23 But it's quite a wide spacial range.

24 The one-off sensitivity analysis increased
25 that and fixed it at the glacial maximum climate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infiltration rate. It still had spacial distribution
2 but it fixed it at that glacial maximum climate state.
3 That glacial maximum climate state occurs in the
4 climate model at about 70,000 years, I think, so we
5 just kind of moved that glacial maximum climate state
6 and said it occurs tomorrow and then evaluated the
7 effect of that on dose, what you see here. We did a
8 separate analyses of the effect of that on increased
9 seepage.

10 The next slide I think summarizes the
11 comments -- yes -- the comments back on this
12 particular KTI agreement, and the NRC staff said if
13 you continue down the technical-based approach, here's
14 the information we think is still required, additional
15 information needed to address that KTI agreement. And
16 if you choose to go down the significance or risk-
17 based approach, then here's the additional information
18 that we believe is still needed.

19 On the technical basis approach, the
20 second major bullet, gave us kind of, if you will, two
21 options, one to show that non-linear processes have
22 been adequately represented, and, two, that the model
23 that we've used is not underpredicting the
24 infiltration rate. So we do an additional comparison
25 of our infiltration rates and their distribution to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these other lines of evidence to show that we're not
2 underpredicting and other people's assessments of
3 potential infiltration rates to show that we're not
4 underpredicting it.

5 If we chose to go down the route of
6 addressing it from a risk significance point of view,
7 then for this particular KTI agreement it captures
8 three of the five elements that I think were in Dave's
9 closing slide. One was combine the effects of this
10 with all other KTI agreements that are being addressed
11 by risk significance, by low risk significance. So if
12 it's infiltration and it's flow and it's drip shield,
13 take those three as examples, then combine those three
14 effects and make sure those combined have a low risk
15 significance.

16 As Dave also said, they require, if we're
17 going to address it from a risk point of view,
18 additional description of the changes made so that
19 there's a greater understanding of what exactly was
20 changed. The documentation to date was inadequate, if
21 you will, for an independent reviewer to pick it up
22 without access to the analyst and determine exactly
23 what parameter was changed within the TSPA.

24 And the third thing was additional
25 descriptions of the uncertainties. We presented them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as means and variations of the means. We did not show
2 the full distribution upon which that mean was based
3 and look at portions of that distribution. I think
4 Dave presented an example just a few minutes ago of
5 looking at the top five realizations or the top ten
6 percent of all realizations and try to determine from
7 those is there any additional insights that can be
8 gained on what was driving the risk. So that's the
9 letter at the end of April. If I can go to the next
10 slide.

11 CHAIRMAN HORNBERGER: So when you -- so on
12 that last point now when you talk about realizations,
13 it leads me to believe that you're talking about
14 addressing these, say, combined effects by using TSPA.

15 DR. ANDREWS: That was their request. If
16 you're going to bullet two, if you choose door two --

17 CHAIRMAN HORNBERGER: Okay. Okay.

18 DR. ANDREWS: -- DOE, then you've got
19 these two choices.

20 CHAIRMAN HORNBERGER: No, I understand.
21 Okay.

22 DR. ANDREWS: If you choose door three,
23 then make sure all these three elements are addressed.

24 CHAIRMAN HORNBERGER: And is it your
25 understanding that the combined effects would involve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the use of TSPA with all the other parameter values
2 fixed at the base case level or are you talking about
3 doing a full-blown --

4 DR. ANDREWS: They would be sampled. They
5 would be fully sampled.

6 CHAIRMAN HORNBERGER: -- everything. So
7 it's a full TSPA analysis.

8 DR. ANDREWS: Yes. Yes. You would just
9 combine the effects of those elements that you were
10 risk informing. So maybe you would choose
11 infiltration, UZ flow, seepage and drip shield
12 degradation and look at those four elements at a
13 pessimistic value or an extreme value of the current
14 distribution and evaluate what that combined effect
15 is, other things all being kept at their uncertain
16 nominal distributions.

17 CHAIRMAN HORNBERGER: It still seems odd
18 to me that when you're talking about looking at
19 propagation of uncertainty, that you would do that by
20 fixing values at a 95th percentile value. Where is
21 the additional uncertainty? It doesn't -- somehow
22 doesn't compute for me.

23 DR. ANDREWS: There's no -- we have a
24 distribution --let me try to back up and see if this
25 will help. We have a distribution on infiltration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rates. We have three infiltration distributions and
2 each of those distributions has a wide range of
3 localized infiltration rates at a 30 meter-by-30 meter
4 sort of scale that come out of this model that's the
5 model in question. We've used that and compared those
6 to other indirect lines of percolation. There's no
7 other indirect measures of infiltration other than
8 global -- not global but kind of regional water
9 balance type information, maxi eken type average
10 infiltrations in arid regions, whether you're in
11 Israel or southern Nevada, which we also have used as
12 a basis to define reasonable infiltration rate
13 distributions. So we think we have a reasonable
14 uncertainty characterized.

15 Now, if you're going to evaluate the
16 effect of that uncertainty, one way is to just take it
17 -- to do its significance is to take it at extreme
18 values and see how it behaves given that that
19 uncertainty is picked at its extreme value. So it's
20 not doing, if you will, a regression on the
21 uncertainty of infiltration, because it might be
22 masked by 50 or 100 other things downstream of it.
23 You could do that by slowly, as John said, peeling the
24 onion off and limiting those and the uncertainty in
25 those until you got back to show me the uncertainty on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infiltration rate and its impact on system
2 performance, but then you would have fixed a lot of
3 things downstream of it. So in this case we're just
4 trying to fix the upstream thing, which is
5 infiltration and see its propagation by just fixing
6 it.

7 MEMBER RYAN: I appreciate that
8 explanation because that helped me a lot. I've been
9 struggling to think this through myself. But if you
10 look at David's Slide 18 where he showed the analysis
11 of the TPA 4.1j realizations, he showed that if you
12 look at the mean of the parameter uncertainties and
13 how that gave you insight for the system behavior, my
14 question is how do I get from this kind of individual
15 parametric evaluation of say infiltration rate that
16 you've described and then somehow translate that into
17 the behavior of the system where you might have six or
18 eight or other ten key parameters behaving across some
19 range of values?

20 DR. ANDREWS: Well, all the other elements
21 of the system are in that calculation and their
22 uncertainty.

23 MEMBER RYAN: But are they held constant
24 or are they --

25 DR. ANDREWS: No. No. They're allowed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- they're sampled off of their distributions.

2 MEMBER RYAN: Oh, they're sampled in the
3 same way as infiltration rate.

4 DR. ANDREWS: Yes.

5 MEMBER RYAN: Okay.

6 DR. ANDREWS: Yes.

7 MEMBER RYAN: That's helpful.

8 DR. ANDREWS: Yes. And I just do one case
9 where I fix infiltration, and everything else is still
10 sampled, so there's still 300 realizations or 100
11 realizations, I forget how many we used, and so
12 everything else is being sampled. Corrosion rates are
13 being sampled and solubilities are being sampled and
14 retardation coefficients are being sampled.

15 MEMBER RYAN: So you fix infiltration.
16 You then run it for different infiltration rates and
17 look at how infiltration --

18 DR. ANDREWS: Right. Right. In this
19 case, we just fixed it high. Let me go to the next
20 slide.

21 Okay. I think these five bullets capture,
22 at least in my words, the same five bullets that Dave
23 had -- test me on that. So let's go on to the next
24 slide.

25 Okay. For those KTI agreements that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe still are most appropriately addressed using
2 risk significance information, we agreed in that
3 technical exchange to provide some additional
4 information that was on Dave's slide: Additional
5 discussion of the technical basis for the change, why
6 the change was made the way it was, the basis for that
7 number chosen in that change, additional details on
8 the change, additional discussion of the results of
9 that change and the understanding of the results of
10 that change and additional discussion of the full
11 range of uncertainty associated with that change, not
12 just look at the mean and the mean response behavior
13 but look at the whole distribution, if you will, and
14 examine whether there are any other outliers.

15 Those results are all readily accessible.
16 We save all of the output files, so going in and
17 grabbing additional interim results from an output
18 file is relatively straightforward. What we said, I
19 think maybe we put it on the next slide -- wait a
20 minute, let me make sure I covered all these. Let me
21 go back to the previous slide, I'm sorry about that.
22 Yes, I think I covered those. Let's go on to the next
23 slide.

24 Okay. The combined effects analysis that
25 we have documented in the risk information report,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was last summer, we don't propose -- and as Dave
2 said, it's mostly a resource timing issue -- we don't
3 propose redoing or adding to any of those here in the
4 short time. When we -- the reason being is simply
5 that the TSPA for the license application is being
6 developed as we speak. The individual outputs from
7 those 28 abstractions that were on Dave's slide, the
8 little colorful slide that you couldn't read, those 28
9 outputs are being integrated into the TSPA model right
10 now. That model has to be developed, has to be
11 tested, has to be checked, has to be reviewed before
12 any results of that model are produced.

13 So the Department decided to focus its
14 energy on that model and the development of that
15 model, not additional, if you will, sensitivity
16 analyses based on a model that right now is a year and
17 a half old. So the model will be different. There
18 are component parts that are significantly different
19 from the TSPA SR, and it almost seemed not quite
20 meaningless but not productive exercise to do
21 additional combined effect analyses on that one now.
22 But those combined effect analyses and the effects of
23 uncertainty, as required in 63 and the guidance in the
24 YMRP, will be addressed using the TSPA LA model and
25 presented in the license application whenever those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analyses are done which will probably be next spring-
2 ish time frame.

3 I think -- is that it? I think that's it.
4 Yes, that's it. So that's all I have, and I'd like to
5 address any questions you might have.

6 MEMBER GARRICK: Okay. Milt, you got some
7 questions? George?

8 CHAIRMAN HORNBERGER: Bob, it seems that
9 we often get into situations where we can appreciate
10 Harry Truman's request for a one-armed economist, so
11 tell me why -- how you're going to explain this. On
12 one hand, DOE says that the unsaturated zone is a
13 significant barrier. On the other hand, the
14 sensitivity analysis says that it doesn't matter if
15 infiltration rates are an order of magnitude higher.

16 DR. ANDREWS: Okay. I think you have to
17 look at the definition of barrier. The definition of
18 barrier is anything that keeps water away from waste
19 or anything that slows or retards radionuclide
20 migration away from the waste. I'm paraphrasing now,
21 so it might not be the exact words, and Tim or
22 somebody would give me the exact words probably
23 verbatim. So those are the two definitions of
24 barrier, and using those definitions of barrier, flow
25 and transport, I mean I'll take the UZ as an example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the unsaturated zone does affect how much water can
2 contact waste. It sheds it off at the surface, and it
3 limits how much can seep, so it is a barrier if I look
4 at it from a water flow perspective.

5 If I look at it from a radionuclide
6 transport perspective, just looking at the unsaturated
7 zone again, your example, then also there are many
8 nuclides that it does retard,
9 or filter if it was colloiddally transported. There
10 are other nuclides that the delay time, if you will,
11 from the repository to the watertable is not delayed
12 significantly. There's some delay but not
13 significant. But it's significant for others. So if
14 I look at it from a nuclide-by-nuclide perspective for
15 transport and look at it from a water flow
16 perspective, from a flow water contacting waste
17 perspective, it is a barrier.

18 Does it significantly affect a dose
19 calculation? No, because there's other factors that
20 are more significant: The drip shield, the
21 environment, the waste package, the solubility.
22 Things like that are more significant than the -- and
23 I'm talking nominal performance now, not volcanic
24 event type performance, because there, of course, the
25 unsaturated zone, except for the case of indirect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intrusion, plays no role. But using a nominal
2 performance perspective those other factors are more
3 significant and, if you will, mask that contribution
4 of UZ.

5 Now, if you go out -- and I think we did
6 this in the SR -- if you go out there far enough in
7 time and you start looking at those nuclides that are
8 particularly solubility limited, and now I'm just
9 looking at the transport aspect of the UZ barrier, you
10 see that delay for different assumptions of absorption
11 characteristics in the unsaturated zone you see that
12 delay manifested itself in a TSPA type curve, but it's
13 out at 30,000 years or 20,000 years when the neptunium
14 solubility and neptunium releases end up being more
15 dominant than the technetium and iodine and carbon-14
16 type releases. So it is a barrier; in fact, it's two
17 elements of a barrier. It's flow barrier and it's a
18 transport barrier. It's just not as significant to
19 risk.

20 I think -- well, I think somebody's going
21 to talk about the June 5 risk report, and I think UZ
22 flow things were generally low and medium and UZ
23 transport things were generally medium risk from NRC's
24 perspective. But I think they also characterize it as
25 a -- they probably don't use the word, "barrier," but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an element of the abstraction case.

2 MEMBER GARRICK: Mike?

3 MEMBER RYAN: Nothing else.

4 MEMBER GARRICK: Maintaining a perspective
5 on these different concepts and terms is a challenge.
6 You know, aside from the suggestion that risk
7 information is not technical information, I guess I'm
8 reasonably satisfied with what I've heard, but these
9 terms are very difficult to discriminate. When you
10 talk about something being technical basis and
11 something being risk-informed basis or risk
12 information approach, and I think we're going to have
13 to be very careful about how we use such expressions
14 in the public documents if we want them to understand
15 it. And I don't know if you have any thoughts about
16 that, but when I look at technical information and
17 risk information and technical basis and try to
18 resolve in my own mind, yes, I can do it after awhile,
19 but it's not a particularly good set of descriptors
20 for adding clarity to the process. And anything you
21 can do to make that more straightforward I think would
22 be greatly appreciated.

23 DR. ANDREWS: I appreciate the comment.

24 MEMBER LEVENSON: John, I think a perfect
25 example of that contributing to the confusion is on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your first backup slide the first bullet says, "Risk
2 informed analyses are not meant to be realistic
3 projections of performance," and I think there's a lot
4 of us that don't understand that at all, because it's
5 what you're interpreting in this case that you have
6 done as part of a risk-informed analysis. As a
7 generic statement, it's just plain not right.

8 DR. ANDREWS: Yes. We investigated or I
9 guess discussed a number of ways of doing the risk-
10 informed analysis. I mean do you try to totally just
11 keep peeling off the onion until you get to that
12 particular parameter so that you can see its
13 contribution by itself? That's a worthwhile exercise
14 but also a very difficult exercise to keep peeling it
15 off.

16 MEMBER LEVENSON: Yes. And I think the
17 point that John was trying to make that I was trying
18 to emphasize is that this is not -- the language is
19 not for primarily discussion between experts who
20 understand what's intended. I think we just have to
21 be much more careful about the language we're using.

22 DR. ANDREWS: I appreciate that.

23 MEMBER LEVENSON: So that we don't give
24 false impressions of what's going on.

25 MEMBER GARRICK: Certainly, that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contradiction to why risk assessment was invented.

2 (Laughter.)

3 DR. ANDREWS: Yes. Yes. Yes.

4 MEMBER RYAN: You know, the next bullet
5 under it, I'll pick on the next one and second the
6 terminology question because it is a struggle if
7 you're not truly an expert to understand the usage of
8 the terminology, given the words are clear, but
9 sometimes what you intend to mean is hard. If
10 something has a probability of one of occurring,
11 whether it's a single event or a set of events, that's
12 deterministic.

13 DR. ANDREWS: Right, for that particular
14 event.

15 MEMBER RYAN: Not risk informed, it's risk
16 based.

17 DR. ANDREWS: Right.

18 MEMBER RYAN: So it would be, I think,
19 helpful to think about how do you get everybody on the
20 same page for terminology, and that's you and NRC and
21 the public and everybody in terms of understanding
22 what these words mean. That's very different from
23 what I would have defined as something that has a
24 probability of one.

25 DR. ANDREWS: I appreciate that comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Any questions from staff.
2 Neil? Rich? Mike? Anybody else? Okay. Thank you
3 very much. I guess that brings us to break time, Mr.
4 Chairman?

5 CHAIRMAN HORNBERGER: It brings us to
6 break time, Mr. Vice Chairman. So let's see, let's
7 take a 20-minute break.

8 (Whereupon, the foregoing matter went off
9 the record at 2:28 p.m. and went back on
10 the record at 2:49 p.m.)

11 CHAIRMAN HORNBERGER: We are now
12 reconvened officially.

13 Okay. We're going to continue our
14 discussion on risk-related topics. And, once again,
15 John Garrick is the person in charge, so I'll turn it
16 back over to John.

17 VICE CHAIRMAN GARRICK: Thanks, George.

18 I think without further ado, we'll
19 introduce Tim McCartin.

20 CHAIRMAN HORNBERGER: Okay.

21 VICE CHAIRMAN GARRICK: He's going to talk
22 to us about status of the high-level waste risk
23 insights initiative, something we're all very
24 interested in.

25 MR. McCARTIN: Okay. Thank you, Dr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Garrick.

2 Jim Danna and I will be presenting today.
3 I'll do the first half on the risk baseline, and Jim
4 will do the second half on the risk ranking.

5 As the cover slide indicates, this is a
6 status. We got the Commission SRM -- staff
7 requirements memorandum -- requesting this
8 information. We provided it to the Commission. We
9 did acknowledge that in October, as Andy indicated,
10 there is a final report. And I'll indicate this is
11 sort of an advertisement for what will be in that
12 final report.

13 Things might change as we do further
14 analyses, etcetera. I would like to say, although Jim
15 and I are doing the presentation, anything that covers
16 all of the performance of Yucca Mountain, and all of
17 the different issues, clearly there was contributions
18 from the NRC staff as well as the Center, and it
19 really was a group effort. We have the benefit of
20 making the presentation.

21 And I would like to say for people who
22 didn't catch it, there is a typo in the area code. I
23 am not at 302, wherever that may be.

24 (Laughter.)

25 It should be 301, but --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: I thought you did that
2 to reduce phone calls.

3 MR. McCARTIN: It would reduce phone
4 calls. Yes, I've noticed that over time.

5 (Laughter.)

6 Let me go to the next slide. Or I can do
7 that, that's right.

8 And, once again, I will be going over the
9 risk insights baseline. And in that I'm going to try
10 to give you some context for what we did, how we did
11 it, and then I'll go through some of the examples that
12 I think will get into some of the questions that were
13 asked this morning and earlier this afternoon. And
14 then Jim will go over the risk ranking and the next
15 steps in this effort.

16 With that, we'll go into the risk
17 baseline. In terms of the benefit of this risk
18 baseline, and certainly everyone is aware that the
19 Commission requested the information, the risk
20 ranking, but this risk baseline, as we started
21 developing it, we felt really serves a very useful
22 purpose in terms of communicating our insights to
23 others.

24 And over the years, I think in performance
25 assessment we've done a good job of analyzing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different problems, looking at the technical issues.
2 We haven't done as good a job giving people a sense of
3 pulling all this information together, and what does
4 it mean, and how does it affect the risk?

5 And I think this risk baseline is an
6 integrated system-level approach for risk-informing
7 our activities. It provides consistency in risk-
8 informed activities among the staff.

9 This is one of those activities that --
10 the staff is engaged in this one, in that you have a
11 lot of good, useful dialogue, conversation, arguments,
12 discussion. When you start saying I think this is
13 important, because we challenge each other on it --
14 it's a source of communication, and I think it's very
15 useful in that sense.

16 And also, as we heard from DOE, they've
17 read the document. We look on this document -- it's
18 a first step. We aren't saying this is the end in
19 all. It is a first look for us, but it's a source of
20 information that we can have discussions with the
21 Department to get a better sense of what's important
22 and why. And we think it will be very useful for the
23 program.

24 In terms of the process getting to this
25 point -- and this probably is the hardest, the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two or three slides -- how did we develop these risk
2 insights? It isn't as simple as just running the TPA
3 code and getting a dose number. There are many other
4 things that you have to factor in. We want to try to
5 explain that.

6 It's certainly -- you're always coming
7 back to the potential effect on dose, but we're using
8 all our information to date. And that information
9 comes from running the TPA code, subsystem analyses,
10 auxiliary calculations, and review of performance
11 assessments. DOE and EPRI have done performance
12 assessments, a review of those assessments, and I'll
13 point to some of the things that we have in our risk
14 ranking that really is related to other PAs, not
15 necessarily NRC's.

16 And so it's all that information you're
17 bringing to bear to get a sense of, what are the risk
18 significant aspects of a Yucca Mountain performance
19 assessment?

20 The way we did it, the initial draft was
21 developed by the performance assessment staff. We
22 then had it reviewed by the engineering and
23 geosciences staff, both here and at the Center. And,
24 clearly, I want to point out the insights continue to
25 evolve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is a first step of putting down the
2 insights in this way, as you'll see. We're continuing
3 to do analyses, and I'll try to point to the work we
4 hope to get done prior to October to help us.

5 But I'll say, in October, will we have all
6 the quantitative analyses done we'd like to? I'd say
7 no. But what we'll do is we'll point to areas where
8 we need to do further quantitative analyses to give a
9 better understanding of some of these risk insights.

10 In terms of what gets you into a high-risk
11 significance, what did we use as our measures, we were
12 looking for potential effects on a large number of
13 waste packages, effects on the release of
14 radionuclides, and the transport of radionuclides.

15 Multiple barriers is a consideration, and
16 this is the part that, clearly, if you only have a
17 handful of waste packages failing in your base case in
18 10,000 years, you're not going to get a high dose.
19 Does that mean nothing else matters other than the
20 waste package? We would say no. There is a
21 requirement for multiple barriers.

22 You'll see this more as I walk through
23 some of our insights, and I've chosen some that are --
24 that in my mind at least give examples of our thinking
25 process, that there's things that have the potential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to affect the risk. And you'll see that as I go
2 through.

3 But the question is, it's very hard in the
4 base case to get any significant releases. It tends
5 to have a lot of barriers, be it limited water,
6 limited release, long-lived waste packages, limited
7 transport in the saturated zone. You take all of
8 those, you generally aren't going to see a large
9 release.

10 But when you look at the system, what are
11 the things that really have the potential to affect
12 the risk if, for one reason or another -- it may be
13 wrong or the uncertainties are a little greater or --
14 there's a couple things that go wrong.

15 And that -- qualitatively, that's the best
16 I can do now. But as I go through the talk, you'll
17 see the areas where, hopefully it becomes clearer, our
18 thinking process. And that's what I want to try to
19 get through today is that thinking process.

20 And, clearly, as even Dave Esh alluded to
21 the model limitations and uncertainties, there's some
22 aspects of our model -- we don't have certain
23 processes. Well, how might -- you want to try to
24 think, how might that affect, if it was included in
25 there? And maybe you can do some offline analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But I look on the TPA code and other
2 performance assessment analyses, they assist your
3 risk-informing. They do not do the risk-informing for
4 you. You do have to use the gray matter between your
5 ears. There's no substitute for that.

6 Yes?

7 VICE CHAIRMAN GARRICK: Tim, you spoke of
8 how all of these factors enter into your forming your
9 opinions about the risk significance of things like
10 the agreements, the TSPA, your TPA, the offline
11 analysis, EPRI's work, etcetera. And that all of this
12 is taken into account when you assign priorities, I
13 assume, or risk significance.

14 Does that also feed back into your own
15 model to do improvements on the model?

16 MR. McCARTIN: Certainly. Certainly, yes.
17 And, in fact, in doing some of this risk ranking,
18 there were some things -- boy, we can't assess this
19 with our model. Maybe that's an improvement you want
20 to --

21 VICE CHAIRMAN GARRICK: Yes, that's what
22 I was getting at, because there are some features
23 of --

24 MR. McCARTIN: Absolutely.

25 VICE CHAIRMAN GARRICK: -- your model that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you don't --

2 MR. McCARTIN: Yes.

3 VICE CHAIRMAN GARRICK: -- you're not --
4 some issues with your model that you can't deal with.

5 MR. McCARTIN: Exactly.

6 VICE CHAIRMAN GARRICK: And --

7 MR. McCARTIN: Yes. And that's one of the
8 parts that -- be aware, it was kind of odd in that the
9 memo to the Commission represents our conclusions to
10 the October report, basically, but we haven't finished
11 the October report. So we sort of wrote the ending of
12 our mystery novel before we wrote the novel.

13 There will be additional things like that,
14 and that is an important feature. There are some
15 things we may identify -- boy, this might be
16 significant. We need to do a calculation like this to
17 get a better sense of it, and it may require a
18 modification of our code, or maybe an offline
19 analyses.

20 Some of the analyses it's indicated we
21 won't be able to do before October. We'd like to
22 identify the ones, and in those prioritize, well, what
23 should we work on first?

24 In terms of risk significance, many might
25 say this slide doesn't say much. It's sort of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "Goldilocks slide" -- too hard, too soft, just right.
2 But it's high risk significance as a potential to have
3 a significant effect on the risk estimate -- not too
4 surprising. Medium risk, some effect. Low risk,
5 little effect.

6 Think back to that other slide, though,
7 where we looked at the potential to effect large
8 number of waste packages. If you can't effect large
9 number of waste packages, you can't get here. It's
10 virtually impossible. So there are some ideas like
11 that.

12 And although this slide, I'll say, is
13 decidedly qualitative, as I walk through I want to
14 give you an understanding of the thinking processes
15 that we used to put things in the high, medium, or low
16 risk significance area.

17 In October, for every one of the
18 assertions that we have in the memo to the Commission,
19 we are intending to have documented the quantitative
20 analyses that we used to support each one of those
21 assertions. Some of them may be dose calculations.
22 Some of them could be barrier analyses or a subsystem
23 analysis. We may point to some DOE analyses.

24 But the desire is to at least show and
25 document a quantitative calculation or analysis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each one of the assessments -- the assignments that we
2 made. We're --

3 VICE CHAIRMAN GARRICK: But you've made no
4 quantitative demarcations between these, like --

5 MR. McCARTIN: Not a does it have to be an
6 effect of two orders of magnitude or --

7 VICE CHAIRMAN GARRICK: Well, you could
8 say if it has a 50 percent change in the central
9 tendency parameter for one or --

10 MR. McCARTIN: Certainly, in putting
11 things in the high, medium, and low, in our
12 discussions we talked about, gee, that's only going to
13 affect the dose at most by a factor of five, or we
14 talk to that.

15 And so generally I'd say you want it to --
16 a significant effect was if I had a -- if I was -- if
17 my arm was twisted to say it had to be at least an
18 order of magnitude or more -- at least. And as Dave
19 indicated, there was somewhat of a sense if you were
20 down at the micro rem range, an order of magnitude
21 doesn't mean a lot there.

22 So as I go through, I think you'll get a
23 sense of it. But we're hoping in October we'll have
24 more of the analyses that people will more directly be
25 able to see the quantitative sense of what was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intended.

2 But in the discussions everyone had
3 quantitative analysis they could refer to and discuss
4 when we went through it. It's just in terms of
5 actually having it documented for the short time that
6 we had to prepare that memo, it wasn't practical.

7 With that, I'm going to go -- that is a
8 backdrop of how we began the exercise. I'm now going
9 to go through a series of -- and I will admit, I did
10 not count them, but I'll say seven to ten examples
11 from the memo to give you our thinking as we went
12 through it, which will I think hopefully explain some
13 of the more qualitative words I used in the previous
14 slides.

15 First, you'll notice that we have -- and
16 in the memo, high, medium, and low. We did not always
17 have low. I'm not sure we always had medium. We
18 always had high. The desire was that we were complete
19 in identifying the things that we understood were
20 high, but we certainly did not try to identify all of
21 the low items. That would have been an enormous list.

22 But what we do identify -- what are the
23 high risk significant items? It might be -- we said,
24 well, you know, people might have thought this was
25 high; we have it as low or medium. As it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instructive, we included some of those items that we
2 thought would be useful. But neither medium or low
3 were categories that we tried to be complete. We
4 tried to be complete for the high.

5 I think we got a lot of processes. But,
6 clearly, if you wanted to populate the low risk
7 significance, you could end up with a very large list.

8 And for this particular slide -- this is
9 flow paths in the unsaturated zone above the
10 repository. You can see there, as Bob indicated, we
11 have no high risk significant items. We have seepage
12 into drifts, and one might say, well, gee, in our TPA
13 code without seepage we have zero releases. Why
14 shouldn't seepage be more important?

15 But part of this relates to how variable
16 the seepage is, and how much uncertainty is there in
17 that seepage? And it also is affecting -- the release
18 of neptunium is primarily one of the big factors. It
19 also affects water. But there's other things it's
20 affecting, not necessarily a direct effect on the
21 dose.

22 There's other things that have to happen
23 for neptunium to be -- once again, there's a nuclide
24 that in long-term doses is very important, but there
25 are -- there's the waste package, there's the release

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rate, there's solubility limits, and there's
2 retardation in the alluvium. So it's very difficult
3 for something that is a secondary effect to neptunium.
4 You need so many other things, and that's part of the
5 reason why it's not a high, it's a medium.

6 If I go to the quantity and chemistry of
7 water contacting the waste package, there were a
8 number of items that high risk significance -- what
9 gets you into high risk significance for the waste
10 package? We're looking for a process that could
11 affect a large number of the waste containers. Okay?

12 And certainly the near-field chemistry,
13 the brine chemistries, the temperatures at which these
14 develop, all have a significant effect on a large
15 number of waste containers. And so that's why these
16 particular processes ended up in the high risk
17 significant area.

18 In terms of degradation of engineered
19 barriers, high risk significance, the passive film on
20 the surface of the waste package is one of those
21 processes that results in you having a very low
22 corrosion rate for the waste package. Not surprising
23 that that's high risk significance.

24 But as I mentioned before, you need to
25 effect a large number of waste containers. You see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down at the bottom here we have juvenile failures as
2 low risk significance. I might look at my TPA
3 results. We have no failed containers, except for
4 juvenile failures, in the first 10,000 years. The
5 only releases we get are from juvenile failures.

6 One might say, well, gee, that's the only
7 release you're getting. That should be high risk
8 significance. Well, no. It's failing for -- in our
9 particular code, on average 40 waste packages. You
10 don't get high risk significance from a limited number
11 of waste packages.

12 And even though that's the single -- for
13 the nominal case, the single contributor for releases,
14 it actually ended up low, because you really can't
15 generate a large risk from a limited number of waste
16 packages. And that's kind of the sense -- in looking
17 at the processes, you're looking at things that can
18 affect a large number of waste packages.

19 In terms of mechanical disruption of
20 engineered barriers, earlier, Dr. Garrick, you asked
21 the question, were there any things -- has anything
22 changed? Here's one. Two years ago rock fall would
23 have been low risk significance.

24 There's a lot of uncertainty in this, and
25 that's another thing about -- I'd say, in general, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high risk significant things tend to have a lot more
2 uncertainty. But there's -- DOE has been looking at
3 rock fall. There's been some separate analyses by the
4 Center that suggest that we need to look at the
5 potential for the degradation of the drifts, effecting
6 a large number of waste packages.

7 VICE CHAIRMAN GARRICK: But on the rock
8 fall, you're still talking about things that would
9 enhance the onset of stress corrosion, for example,
10 more than you are mechanical failure of --

11 MR. McCARTIN: No, this would be
12 mechanical failure.

13 VICE CHAIRMAN GARRICK: This is --

14 MR. McCARTIN: It would be, yes, rupturing
15 the waste package.

16 VICE CHAIRMAN GARRICK: I'm very surprised
17 at that.

18 MR. McCARTIN: There is a lot of
19 uncertainty, and I would be the first to admit on that
20 one. But in terms of something we need to look at
21 that has the potential for risk significance, because
22 there's a possibility of a large number of failures of
23 the waste package --

24 VICE CHAIRMAN GARRICK: I can certainly
25 see how it would affect the corrosion model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: No, this is actual
2 mechanical damage to the waste package, such that
3 the --

4 CHAIRMAN HORNBERGER: So that --

5 MR. McCARTIN: -- would be breached.

6 CHAIRMAN HORNBERGER: So it depends upon
7 the size of the blocks coming down --

8 MR. McCARTIN: Well, this is static load.

9 CHAIRMAN HORNBERGER: Oh, static load.

10 MR. McCARTIN: This is static. The
11 dynamic actually still remains to be low risk
12 significance in that. But this is as the drift
13 degrades, and you get sort of a chimneying effect of
14 the rock load builds up, and, like I said, there's a
15 lot of uncertainty assumptions.

16 We're looking at it. For now, it's one
17 that we believe needs closer attention. This is one
18 of those that we expect to do further analyses. Right
19 now we have it high because of the potential for
20 effecting a large number of waste containers. As we
21 do further analyses, as the Department looks at things
22 further, it may change, but --

23 MEMBER LEVENSON: Tim, isn't really the
24 thing we're sort of talking here is, that doesn't mean
25 that it has a real significance. This is your list of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what has potential to have significance, is that
2 right?

3 MR. McCARTIN: Yes, I think that's a --
4 yes. Some things have more uncertainty to them than
5 others. This is one that I think you'll see we need
6 to do further analyses to better understand the
7 process. But for now, we put it as a high risk
8 significance, yes.

9 MEMBER RYAN: Just to move your thought
10 process along a little bit, if, for example, something
11 on static loads, the uncertainty set is very high, if
12 you reduce the uncertainty, it may actually change its
13 risk significance category by that reduction.

14 MR. McCARTIN: Absolutely.

15 MEMBER RYAN: Similarly, if something
16 becomes less certain, or you have another analysis
17 that gives you some other insight, it may move from
18 medium to high risk.

19 MR. McCARTIN: Yes.

20 MEMBER RYAN: So it's a very dynamic
21 process.

22 MR. McCARTIN: Absolutely.

23 MEMBER RYAN: Okay.

24 MR. McCARTIN: Yes, yes. This is an
25 evolving kind of effort. We look on it as a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 useful vehicle among the staff to have discussions in,
2 well, what kinds of analyses can we do to better
3 understand certain things? And that's a good example,
4 I think, of one.

5 MEMBER RYAN: I think the key for me, Tim,
6 is that it's a systematic way to do it, that you
7 can --

8 MR. McCARTIN: Yes.

9 MEMBER RYAN: -- you know, if you want to
10 lay out a line of reasoning, and somebody else wants
11 to duplicate it, they can --

12 MR. McCARTIN: Right. and --

13 MEMBER RYAN: -- see how you got there.
14 It's not a matter of conversation. It's a matter of
15 analytical trends.

16 MR. McCARTIN: Right. And for the memo
17 that went to the Commission, obviously we did not
18 reference any analyses or provide any curves. That
19 October report -- and I hate to get your expectations
20 up too high, but I will set myself up that way. The
21 desire is, for all of these we will have some
22 analyses, some references to support why it's there.

23 And I think, once again, that's the
24 process of continuing the discussions. I think it
25 will be useful in potential exchanges with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Department. Some of the analyses we'll point to are
2 the Department's analyses.

3 CHAIRMAN HORNBERGER: So it struck several
4 of us just looking at this particular slide that we
5 would now also rate backfill as high risk
6 significance?

7 MR. McCARTIN: If that remained there, and
8 backfill would eliminate that process, it would be
9 important. I mean, that would be one thing, if --

10 CHAIRMAN HORNBERGER: Backfill could
11 create the process by creating large static loads
12 on --

13 MR. McCARTIN: No, no, no. No, no. In
14 that the reason the static load builds up, the rock --
15 the drift is degrading, filling up the void space
16 that's there, because there is no backfill. If you
17 had backfill, there wouldn't be as much void space.
18 It goes away.

19 MEMBER RYAN: If you have backfill, don't
20 you have a static load?

21 MR. McCARTIN: Not like -- to the extent
22 of this. Yes. I mean, there's no suggestion -- I
23 mean, be aware -- and I don't know if the Center wants
24 to chime in on this one. But, in general, you're
25 looking at a static load on the order of tens to 50

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meters of rock above it to cause -- damage the waste
2 package.

3 The waste package isn't going to cause any
4 damage, and it just -- it's the nature of how -- not
5 going into too much detail, but the bulking factor --
6 when rock falls, how much space does it take up? And
7 it has to keep on taking up more space until it fills
8 up that void space.

9 VICE CHAIRMAN GARRICK: But isn't it --
10 can't there be a cumulative effect on backfill that
11 has the same phenomenon -- from the same phenomenon?

12 MR. McCARTIN: You don't have the -- well,
13 it will -- it could degrade to an extent, but you
14 don't have as much void space, because you've filled
15 it up with backfill. You're starting with much lower
16 -- a much lower empty space.

17 MEMBER LEVENSON: But you're not moving
18 stuff in from outside someplace. And if it's a
19 chimney effect, it just moves on up. The
20 disintegration of the rock above it -- we're not
21 talking about a dynamic load, so it isn't how far it
22 falls.

23 MR. McCARTIN: Right. It's --

24 MEMBER LEVENSON: Even if you only had an
25 inch at the top, the first big blocks of rock would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come loose and only settle an inch, and it still goes
2 up and you get the same amount of disintegration.

3 MR. McCARTIN: Well, think of it this way,
4 the -- let's say you have five cubic meters of void
5 space above a waste package. And I'm just making up
6 numbers. Don't hold me -- I'm just doing it off the
7 top of my head.

8 And if a cubic meter of rock falls -- and
9 it takes up five percent more space after it falls, so
10 now you have 1.05 cubic meters of rock that has fallen
11 on the waste package. But you also have created
12 another -- a cubic meter hole. So you've only taken
13 up .05 cubic meters of that potential five. You keep
14 going up until you -- that void space is eliminated.

15 It adds up quite a bit. There is a lot of
16 uncertainty, and it's being looked at to say the
17 potential has -- there's a potential for effect on a
18 large number of waste containers, and that's why it's
19 there.

20 To be continued. I mean, the analyses are
21 there. That's the benefit is the analyses -- you're
22 identifying what your assumptions are, the analyses
23 you're doing, and other people can weigh in on the
24 basis.

25 And I don't know if the -- I mean, I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the mining engineer expert on this, and I don't know
2 if anyone here or at the Center wants to add anything.
3 Raj?

4 THE CENTER: This is the Center. We don't
5 have the staff here to add anything.

6 MR. McCARTIN: Okay.

7 MR. NATARAJA: Let me just -- this is Raj
8 Nataraja. I would like to add a clarification here.
9 The question of the static load has been examined only
10 to the extent that has an effect on the drip shield.
11 We have not yet done the analysis on the waste
12 package. That's number one.

13 And, number two, we believe that if the --
14 the current design of the drip shields is such that --
15 at least the one that we analyzed is such that it
16 would buckle under the anticipated static loading.
17 And that will cause the load to be transferred onto
18 the waste package.

19 We haven't come to that level yet, and we
20 have not gone to the actual analysis of the impact on
21 the waste package itself. It may or may not have an
22 impact. That is something that we are going to
23 continue to analyze.

24 The second point about the issue of
25 backfill -- if you have backfill, the process of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degradation would not start at all, and that's how you
2 would prevent the static load from impacting on the
3 drip shield and not transferring the load further onto
4 the waste package.

5 So the degradation process has to start,
6 and then continue with time. It'll take hundreds of
7 years, we believe maybe even a thousand years.

8 So as Tim pointed out, there are lots of
9 assumptions and lots of uncertainties in the analyses.
10 But the fundamental issue is that based on some of the
11 analyses, DOE has already changed some of the designs
12 for the drip shield and strengthened some of those
13 components. So the new design is stronger, and,
14 therefore, may not buckle under some of the
15 anticipated loads.

16 So there's a lot more to be done. We have
17 considered this as one of the topics that we would
18 like to report to the committee on in one of the
19 future meetings.

20 MR. McCARTIN: Although I will say, Raj,
21 for this to get high risk significance there was an
22 assumption that there would be damage to the waste
23 package. I mean, if -- right, potential damage.
24 Because if it was just the drip shield, that never
25 would have been high.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN GARRICK: So that's an
2 example of something that really has a large amount of
3 uncertainty associated with it.

4 MR. McCARTIN: Yes. And it's relatively
5 new, but it is changed from, say, a year ago.

6 In terms of radionuclide release rates and
7 solubility limits, dissolution of the waste form is
8 high risk significance. You'll see performance of
9 zircaloy cladding. That's really in looking at DOE's
10 TSPA. As you know, we don't take credit for cladding
11 in ours, but looking at -- there is a potential there
12 for the zircaloy in the DOE TSPA. And so that's an
13 example of looking broader than our own performance
14 assessment.

15 Also, you'll see down here criticality,
16 probability, and consequences. Low risk significance.

17 If I look at radionuclide transport in the
18 unsaturated zone, once again, there's no high risk
19 significance. There is the potential for neptunium.
20 Once again, neptunium shows up quite a bit, and that's
21 -- in general, iodine technetium, they may get to
22 receptor locations first.

23 But as you've seen in some of our analyses
24 we've done previously, iodine and technetium are
25 extremely inventory-limited. Actually, the neptunium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- you'll see things come in risk significance -- not
2 high, but medium -- because of its potential impact on
3 neptunium. That generally larger doses, the potential
4 for them to occur are really due to the neptunium and
5 not due to iodine and technetium.

6 Also, the saturated zone -- once again,
7 we're looking at the flow distance through the
8 alluvium as medium risk significance. None for the
9 high risk significance.

10 And I had these two slides here, both the
11 unsaturated zone and the saturated zone flow system.
12 And Bob was right that there's -- we have no high risk
13 significance there. This is one of those areas -- and
14 I'll go back to some of the comments the committee
15 raised in terms of, are you doing realistic analysis?
16 We struggle sometimes with the unsaturated zone and
17 saturated zone not being high. And they don't appear
18 significant in our analyses.

19 A question there that we're asking
20 ourselves and thinking about -- I don't know if
21 there's much we can do at this time, because of the
22 complications. But is it due to the simplicity of our
23 model that actually if we had a more sophisticated
24 saturated zone model, would the saturated zone flow
25 properties show up as more significant?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As you know, we have a simple pipe model.
2 It's a pipe model that goes right to the group --
3 very, very simple. If we included more heterogeneity
4 -- and as everyone knows, saturated zone modeling, you
5 can get very sophisticated, very intensive, three-
6 dimensional calculations.

7 But here's one of those situations where
8 -- and this is where I think the discussions and the
9 dialogue are useful is that the approach you have in
10 your PA code is showing that it's not that
11 significant. But actually, if you got more
12 sophisticated in your analysis, it might have more
13 significance. And it's just the depiction we have in
14 our TPA code is very simple.

15 But you can get a sense of some of the
16 discussions that you don't want to rely merely on your
17 results. You have to think through looking at the
18 abstraction you've used, etcetera, and there could be
19 -- maybe we'll do some three-dimensional saturated
20 zone modeling to get a better sense of how simplistic
21 this is.

22 And I know, Dr. Hornberger, you brought up
23 the last time -- we assume the pumping well intercepts
24 all of the radionuclides. Well, it's pretty hard to
25 do in reality. One might look at Superfund sites and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pump and treat. It takes a lot of cycles to get
2 contaminants out of the ground. We assume that we're
3 100 percent effective.

4 But there is -- now, the question is, what
5 do you do, and how much resources do you want to spend
6 in doing that? But those discussions -- it's all part
7 of the thinking process in terms of identifying things
8 and their significance.

9 Well, as I've talked about the transport
10 in the saturated zone, retardation of neptunium in the
11 alluvium, it's one of those things that we rarely see
12 any doses in the first 10,000 years due to neptunium
13 in our base case. It's all iodine technetium.

14 But when you look at what's going on,
15 neptunium is one of those nuclides that has the
16 potential to cause significant dose. The fact that
17 we've -- it's delayed beyond 10,000 years. But if the
18 solubility limit changed, if you had more containers
19 failing, a little less retardation, what might happen
20 -- it's one of those things, you are counting on
21 things keeping neptunium beyond 10,000 years.

22 Not surprisingly, low risk significance
23 things like iodine technetium that really have very
24 little retardation are not risk significant.

25 Volcanic disruption of the waste packages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- well, probability we had as high risk significance.
2 Some might be surprised, the interaction of the
3 conduit and the repository, some of the different
4 scenarios possible for how many packages might be
5 disruptive. It was only medium risk significance.

6 It might change, potentially not changing
7 that much. It might be a lower probability, so we had
8 medium risk significance. But the probability itself
9 was the most important for this abstraction.

10 MEMBER LEVENSON: But, Tim, in this case,
11 you're only looking at the probability. You haven't
12 gone back and looked at whether the consequences might
13 be off by a couple orders of magnitude, which would
14 change it from what its significance really is.
15 Because it doesn't get its significance from
16 probability; it gets its significance from
17 consequences.

18 MR. McCARTIN: Absolutely. And we are
19 doing additional analyses with respect to the
20 consequences, and that's absolutely correct. We're
21 trying to refine some of those calculations.

22 And I didn't show it -- it's in a backup
23 slide -- but we do have, in terms of how much ash is
24 in an eruption, and the mass loading, how much of the
25 radionuclides are resuspended in the dust levels, are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aspects of the consequence calculation that are high
2 risk significance that, you're right, we are looking
3 at some of those assumptions and modeling aspects.
4 yes.

5 MEMBER LEVENSON: Do we have data -- you
6 know, there's been a few hundred above-ground nuclear
7 bombs detonated not very far from here. And there is
8 -- these were all done under conditions where there
9 was a lot of data collection.

10 Do we have data on how efficient
11 resuspension really is as compared to what a computer
12 says it might be?

13 MR. McCARTIN: Well, generally, we've
14 looked more at analog volcanoes rather than -- the
15 bomb blasts put up a limited amount of dust, I assume,
16 although I'm not an expert on that. But I know Britt
17 Hill at the Center went and they did some mass loading
18 measurements at some -- was it -- and I don't if John
19 Trapp -- was it Cerro Negro or -- Cerro Negro.

20 And so there has been some attempt to look
21 at what we'll loosely call representative volcanoes to
22 get a better sense.

23 MEMBER LEVENSON: Just out of curiosity,
24 how do you measure resuspension of volcano ash, when
25 you don't have a tracer like with the radioactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials? We're not talking --

2 MR. McCARTIN: Just the dust level. It
3 would be the dust level, and then there's an
4 assumption --

5 MEMBER LEVENSON: Yes, yes, yes. But if
6 you --

7 MR. McCARTIN: There's assumption of how
8 much of the radionuclides are entrained in the ash.

9 MEMBER LEVENSON: Yes. But from the TSPA,
10 that original dose is not significant. The major
11 significant contributor to dose arises just from
12 resuspension, and that's why I raised the question.

13 MR. McCARTIN: Yes. The dust level --

14 MEMBER LEVENSON: The volcano is perfectly
15 good for initial, but that does not appear to be the
16 major dose. Major dose significance seems to come
17 from resuspended material.

18 MR. McCARTIN: Absolutely. Yes. There is
19 a couple of models we have in the TPA code for the
20 dust level, and there's a decay with time to account
21 for the dust level -- would be the highest the year of
22 the event. But we do look for like an annual average,
23 and it is sensitive to that value, and we are looking
24 at dust levels for things and dust levels in the
25 Nevada area, etcetera.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes?

2 MEMBER RYAN: Tim, is that one high risk
3 because resuspension is so uncertain? Resuspension in
4 the respirable range varies over orders of magnitude
5 from any given, you know, dust loading on a particular
6 area. So --

7 MR. McCARTIN: Sure. Well --

8 MEMBER RYAN: -- is that the driver, or is
9 it something else?

10 MR. McCARTIN: Yes. The dust level is the
11 -- as far as in all the calculations I've looked at is
12 the primary driver for the dose. Now, there is a fair
13 amount of uncertainty.

14 MEMBER RYAN: Four orders of magnitude.

15 MR. McCARTIN: Well, and also it --
16 remember, it's -- there's a change versus time. It's
17 a time-dependent thing versus immediately after the
18 event over time it changes and --

19 MEMBER RYAN: No, let's take the event out
20 of it just for --

21 MR. McCARTIN: Okay.

22 MEMBER RYAN: -- the fun of it.

23 MR. McCARTIN: Yes.

24 MEMBER RYAN: And then look at what
25 happens once you get the initial passage and the dust

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 settles out. Resuspension and inhalation of
2 resuspension will vary four orders of magnitude based
3 on how you assume things like, you know, water vapor
4 and other --

5 MR. McCARTIN: Yes.

6 MEMBER RYAN: -- dust settling on top of
7 the dust you're interested in, and all of those kinds
8 of things.

9 MR. McCARTIN: Right.

10 MEMBER RYAN: I mean, there's a lot of
11 variables there.

12 MR. McCARTIN: Yes. Yes. It's very
13 uncertain. But I'll say, once again, the Center has
14 been looking at representative volcanoes or ash
15 deposits. I shouldn't say volcanoes. Ash deposits --
16 to try to get a sense of what the dust levels might
17 be, but it is very uncertain. Absolutely. That's
18 part of the significance.

19 MEMBER RYAN: And I have no argument with
20 it being high risk until you resolve that uncertainty.

21 MR. McCARTIN: Yes.

22 MEMBER RYAN: But once you recognize it's
23 the uncertainty that's driving the bus rather than the
24 actual event itself, then you can turn your attention
25 to, how do you reduce the uncertainty?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: Right. And that's exactly
2 what -- I'm sort of excited about this memo. Even
3 though we wrote the conclusions today, as we tie the
4 quantitative analysis, why did we say, say, mass
5 loading? And we give you guys, and others, here's the
6 model -- a brief explanation of the model and the TPA
7 code, the parameter range, and you'll see the range of
8 uncertainty, etcetera.

9 And that I think is a way to continue the
10 dialogue in a more quantitative sense. I mean, I
11 realize that today it's more qualitative, but the
12 desire is for everything we've put down here we have
13 a quantitative basis for what we've said.

14 And that is where I think the -- we can
15 really make some progress on people saying, "Well,
16 that doesn't make any sense at all." If you do this,
17 this -- you know, or, yes, that looks about right.
18 And I think the discussions with that October
19 deliverable, where we can tie it and give you a sense
20 of the uncertainty we have --

21 MEMBER RYAN: Sure.

22 MR. McCARTIN: -- over time with mass
23 loading.

24 MEMBER RYAN: Well, I mean, to me -- I
25 mean, it's my own view, but ultimately that leads to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confidence.

2 MR. McCARTIN: Sure.

3 VICE CHAIRMAN GARRICK: Tim, if it turned
4 out that the probability of future igneous events was
5 smaller than 10^{-8} , would it be on there?

6 MR. McCARTIN: No.

7 VICE CHAIRMAN GARRICK: So does that
8 suggest that 10^{-8} is kind of your threshold for the
9 likelihood of an event to be in the high risk
10 category?

11 MR. McCARTIN: Well, it didn't -- as Mike
12 indicated, it didn't get into that category. I mean,
13 it's primarily because of the consequences, or, as
14 Milt was saying, I mean, if it was -- if the
15 probability was less than 10^{-8} , it's screened out.

16 VICE CHAIRMAN GARRICK: Yes, I know.
17 That's why I'm --

18 MR. McCARTIN: Yes.

19 VICE CHAIRMAN GARRICK: -- raising the
20 question. Yes.

21 MR. McCARTIN: But it's the -- yes, I
22 mean, right now the probability is -- appears to be
23 above 10^{-8} . And so it's an event that needs to be
24 considered. When it occurs, the consequences are high
25 enough. Even with probability weighting, it's on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 order of a millirem or so, and it needs to be factored
2 into the analysis.

3 VICE CHAIRMAN GARRICK: Yes. Okay. I was
4 just curious if this had any influence on helping you
5 establish thresholds for high risk events.

6 MR. McCARTIN: No. No.

7 VICE CHAIRMAN GARRICK: Okay.

8 MR. McCARTIN: I can talk risk all day, of
9 course. But the next three slides are just summaries
10 of all of the ones, and I guess it -- I would prefer
11 to skip these three. They're there for completeness
12 of the high risk ones. And I can go through them
13 quickly, but I guess I would prefer that -- just a
14 summary and yield to Jim to get to the risk ranking,
15 because I think I took as much -- you know, a fair
16 amount of time, so --

17 VICE CHAIRMAN GARRICK: Okay. Very good.
18 We may come back to you if he leaves us any time.

19 MEMBER RYAN: Just one --

20 MR. McCARTIN: Sure.

21 MEMBER RYAN: -- as you pointed out, for
22 all of these summaries the devil is really in the
23 analytical models that you use to support each one.
24 So we'll be looking ahead to that.

25 MR. McCARTIN: Yes, absolutely. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly -- like I said, the desire is to have a
2 quantitative basis for all of -- not just the high --

3 MEMBER RYAN: Right.

4 MR. McCARTIN: -- but the mediums and
5 lows, yes.

6 MR. DANNA: Can everybody hear me?

7 Thanks. As Tim said, Tim discussed the
8 risk insights baseline and its relationship to
9 performance assessment and the quantitative analysis.
10 What I'll do is I'll discuss the application of that
11 baseline to the rating of the risk significance of the
12 293 agreements.

13 You'll recall that risk ranking the
14 agreements was the focus of the first risk insights
15 initiative. We presented the preliminary results of
16 that first exercise to the committee in April of last
17 year. That first exercise attempted to risk rank the
18 agreements individually, without an integrated system-
19 level understanding of the risk significant issues of
20 the system.

21 While that was considered to be a
22 successful communication exercise, it was recommended
23 that we repeat the exercise with more of a
24 quantitative basis.

25 So this second risk insights exercise was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initiated in October/November of 2002. The intent
2 there was to first develop the risk insights baseline,
3 which provided the system perspective for the
4 quantitative basis, and then from that derive the risk
5 ranking of individual agreements.

6 A little background on the Commission's
7 SRM. During the waste arena briefing in March of this
8 year, the issue of prioritizing the agreements was
9 raised by the Commission, and specifically how that
10 prioritization would be related to risk significance.

11 The Commission issued a staff requirements
12 memorandum on March 19th, and in that SRM they
13 requested that the staff provide to them the risk
14 significance rank listing of the agreements based on
15 the risk insights initiative.

16 In that SRM, the Commission also requested
17 a ranking of the anticipated staff effort and
18 anticipated technical difficulty for the agreements.
19 And the Commission asked that these rankings be
20 expressed in terms of low, medium, and high.

21 Now, to do this, we turned first to the
22 risk insights baseline. We felt that the baseline
23 provided the integrated system-level understanding of
24 the risk significance of the various technical issues
25 associated with the system. Essentially, as Tim

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed, the baseline we feel is the synthesis of
2 what we know based on our experience to date,
3 primarily based on performance assessments and other
4 supporting calculations.

5 We thought that by developing the baseline
6 first we'd be able to create the story explaining what
7 we know and why we have certain positions on what's
8 important and what's not important.

9 We took this integrated approach, as was
10 discussed earlier today, because the staff felt that
11 the risk significance of individual agreements should
12 not be evaluated in isolation without the system-level
13 perspective. And also, that the risk significance of
14 an agreement cannot always be evaluated with a
15 quantitative risk calculation.

16 As Tim discussed, the performance
17 assessment staff who participated in developing the
18 risk insights took a first cut at rating the
19 agreements. The agreements were grouped in technical
20 areas, and individual staff members went through their
21 areas of expertise and drew relationships from the
22 risk insights baseline that Tim has summarized to the
23 individual agreements.

24 These ratings were then reviewed by the
25 engineering and geosciences staff, in much the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way that the risk insights baseline itself was
2 developed.

3 Now for the results. This process led to
4 41 of the agreements being rated as high risk
5 significance, 92 were rated as medium risk
6 significance, and 160 were rated as low risk
7 significance.

8 Two things to keep in mind. One, this is
9 a broad ranking of risk significance. It's described
10 by ratings of high, medium, or low. As you mentioned
11 earlier, there was no quantitative demarcation point
12 between high and medium, medium and -- we didn't feel
13 that we -- that that is something that's doable on an
14 agreement-by-agreement basis, because of the nature of
15 the agreements. But we, instead, related it back to
16 the system perspective.

17 To fully understand the rankings for
18 individual agreements, one would turn to the risk
19 insights baseline for this integrated system
20 perspective.

21 First, I'll discuss the high risk
22 significant agreements, and then I'll discuss the
23 medium and low risk significant agreements.

24 The high risk significant agreements are
25 specifically related to high risk significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 insights. As with the risk insights, these agreements
2 are related to features, events, and processes of the
3 system that could affect a large number of waste
4 packages.

5 They could significantly affect releases
6 from the waste package or could significantly affect
7 the transport of radionuclides. Those are the same
8 three points that Tim mentioned in developing the set
9 of high risk -- high significant insights.

10 Thirty-four of the 41 high risk
11 significant agreements were related to the technical
12 basis supporting DOE's understanding and
13 representation of the post-closure repository in six
14 technical areas. In the next slide I'll summarize
15 those six areas.

16 The other seven of the high risk
17 significant agreements are related to general post-
18 closure performance assessment issues considerations,
19 and preclosure safety analysis.

20 VICE CHAIRMAN GARRICK: So is that saying
21 that the 34 -- the primary issue there is uncertainty?
22 Because you didn't receive sufficient evidence from
23 DOE to consider them going into another level? So
24 is --

25 MR. DANNA: That's both the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis and uncertainty that may be related with the
2 technical basis. It would depend on the individual
3 agreement. If the technical basis is not clear, or we
4 don't necessarily agree with their technical basis, we
5 would ask -- there may be an agreement to ask for more
6 information.

7 If there's enough uncertainty, we may not
8 disagree, but we may feel the level of uncertainty is
9 great enough that it warrants additional information.

10 VICE CHAIRMAN GARRICK: Okay. So it's
11 both an acceptability --

12 MR. DANNA: It's both.

13 VICE CHAIRMAN GARRICK: -- of the
14 technical basis as well as an uncertainty.

15 MR. DANNA: That's right. As Dave pointed
16 out, the agreements -- they vary greatly in their
17 nature. They cover a lot of different pieces of
18 information. Some get at the technical basis, but
19 others resolve uncertainty issues.

20 VICE CHAIRMAN GARRICK: Thank you.

21 MR. DANNA: I mentioned that 34 of the
22 high risk significant agreements were related or could
23 be grouped into six post-closure issues. These are
24 the six issues, and we've also included a number of
25 agreements within each issue. And this should match

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up pretty well with what Tim presented.

2 First, there's agreements related to
3 corrosion of the drip shield and the waste package,
4 including the chemistry of the water contacting the
5 drip shield and the waste package. And there were 18
6 agreements in that area that we considered to be of
7 high risk significance. Well, no surprise there.

8 The second would be the mechanical
9 degradation of the drip shield and waste package due
10 to long-term degradation of drifts. That was the
11 issue that was discussed earlier regarding the rock
12 fall. And there are actually six agreements that
13 address that issue.

14 Third would be the effects of in-package
15 chemistry and the dissolution of the waste form. This
16 was that second point -- agreements or issues that
17 could affect the release of radionuclides from the
18 waste form. We identified four agreements directly
19 related to that topic.

20 Number four, radionuclide transport in the
21 saturated zone. There were two agreements related to
22 that area. Probability of volcanic disruption of the
23 repository, one agreement. And entrainment and
24 transport of radionuclides in volcanic ash, there were
25 three agreements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Those are the 34 agreements we considered
2 to be of high risk significance related to post-
3 closure model abstractions.

4 The remaining seven -- of the remaining
5 seven, six are related to general PA -- performance
6 assessment issues, primarily evaluation of realism and
7 conservatism, and the representation of uncertainty in
8 their models. And they are broader issues; they are
9 not related to any specific technical area.

10 And, finally, the last agreement that we
11 considered to be of high risk significance was related
12 to preclosure initiating events, specifically the
13 consideration of aircraft crashes.

14 I'll just note that of those 41 high risk
15 significant agreements, four are already completed,
16 and six are in review.

17 VICE CHAIRMAN GARRICK: Are either of you
18 prepared to go out on a limb and say which of the 41
19 you are most concerned about?

20 (Laughter.)

21 MR. DANNA: That's the high and higher,
22 highest --

23 (Laughter.)

24 Tim, are you prepared to go out on a limb?
25 No? I think at this point we had -- we felt we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough information to provide the information that the
2 Commission was asking for in terms of high, medium, or
3 low.

4 VICE CHAIRMAN GARRICK: Yes. I wasn't
5 meaning the top one, but maybe the top three or four
6 to give you a partial way out.

7 (Laughter.)

8 I'm in a position --

9 MR. McCARTIN: Not to duck things --
10 generally, I think we would look at the corrosion of
11 the waste package, where there's 18 agreements. You
12 know, as a group, that's probably the one that comes
13 out the most significant.

14 MR. DANNA: Moving on to the medium and
15 low risk significance agreements, these are generally
16 related to information that's supportive of the high
17 risk significant agreements. Let's say related maybe
18 not primarily but secondary, or they may be related to
19 less risk significant features, events, and processes.
20 Or they are needed to provide baseline information for
21 the repository system.

22 Ninety-two medium risk significant
23 agreements, requested information expected to have
24 some influence on risk estimates. Tim pointed that
25 out in his presentation. They need to support high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk significant agreements, as I mentioned -- and
2 they may address the area of significant uncertainty.

3 The low risk significant agreements, of
4 which there were 160, while they requested information
5 that may have little effect on the risk estimates, we
6 feel that they're still necessary to provide more
7 routine baseline information of the site. And we want
8 to emphasize here that even though this information
9 may not be considered of high risk significance, we
10 feel it's still necessary and fundamental to
11 supporting an adequate understanding of the repository
12 system.

13 We don't equate low risk significance with
14 not being necessary. And I think DOE mentioned they
15 do have every intent of providing information to
16 address all of the agreements.

17 Now, I just want to, in the few remaining
18 slides, discuss the next steps. The path forward for
19 completing the risk insights initiative -- as you all
20 know, we provided the risk insights baseline, the
21 ranking of the agreements, to the Commission on
22 June 5th. Andy mentioned that we consider this to be
23 executive summary.

24 We're here today briefing you on our
25 status and progress of this task, and we look forward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to your feedback, so that we can incorporate any areas
2 that you have into the final report.

3 We hope to complete the final report by
4 October, and this draft insight -- risk insights
5 report would include the baseline, but also, more
6 importantly, the documentation of the supporting
7 quantitative information for the risk insights that
8 Tim summarized.

9 We'll also include in that report the
10 ranking of the agreements. And while we provided that
11 to the Commission in June, we may find as we move
12 towards October, we may have to make some minor
13 modifications.

14 In parallel with completing this report,
15 we intend to incorporate what we have found. We'll
16 incorporate these risk insights into the -- our
17 prelicensing issue resolution activities, specifically
18 moving towards completion of the agreements.

19 How can we do this? We can do this in
20 several ways. One, we can use the risk insights to
21 guide the level of steadfast effort that should be
22 expended in reviewing the particular agreements. We
23 can also use it to guide our need for additional
24 information requests from DOE. And, third, in terms
25 of scheduling, receipt of agreements, and prioritizing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our reviews, we can use this to determine when
2 multiple agreements come in where we should focus our
3 resources.

4 Additionally, we think we can use the risk
5 insights baseline to identify areas for discussion
6 with DOE in terms of prelicensing interactions,
7 technical exchanges, as I said, requests for
8 additional information, but also looking at and
9 evaluating their schedule for completing the
10 agreements.

11 One of the concerns the Commission had was
12 that the most important agreements, those of highest
13 risk significance, would be bunched to the end, and we
14 wouldn't have time to incorporate that. So while we
15 don't have control over that process, we'll certainly
16 look at how those agreements would be received over
17 the next year and see how things might line up to
18 avoid any kind of train wreck.

19 In a broader sense, we think the risk
20 insights baseline is important, not just for this
21 exercise of ranking the agreements, but we think it
22 has a more fundamental importance throughout the
23 prelicensing and licensing process. During
24 prelicensing issue resolution, as I stated, it can
25 guide us in our agreement closure activities, and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requesting additional information, and in guiding
2 exchanges with DOE.

3 But beyond prelicensing, we feel that this
4 is a useful tool in communicating our understanding of
5 the repository system -- what's important, what's not
6 important, or what's less important, I should say --
7 communicating that both internally and externally.

8 And also, we think this is a first step in
9 providing a useful basis for conducting the risk-
10 informed license application review as described in
11 the Yucca Mountain review plan.

12 Finally, in closing, first, we'd like to
13 thank you for this opportunity to discuss our status
14 and progress with you, and we look forward to your
15 comments, to incorporate those into our October
16 report.

17 And I want to reemphasize two important
18 points. One is that the risk insights baseline is
19 intended to be a reference point for both prelicensing
20 and post-licensing activities. But also, that as
21 analyses are conducted and new information becomes
22 available, it's our intent to revisit and revise and
23 update these insights, that this is not a static
24 process but it's a dynamic set of insights that will
25 change as technical information and quantitative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis become available.

2 And with that, thank you for your time
3 this afternoon.

4 VICE CHAIRMAN GARRICK: Thank you.

5 Comments from the committee? George?

6 CHAIRMAN HORNBERGER: Tim used the
7 metaphor that this is in some ways like writing your
8 conclusion of your mystery novel before you write the
9 novel. And, of course, that then leads to the
10 question of whether or not this puts pressure on you
11 to suppress any evidence that the butler was indeed
12 innocent.

13 (Laughter.)

14 MR. DANNA: No. In fact, we -- that's why
15 we emphasized -- we fully recognize this will evolve.
16 And while we provided this to the Commission in June,
17 I think in that letter we state that this may change.
18 This is not the last word.

19 MR. McCARTIN: Yes. This was not intended
20 to be a self-fulfilling promise. As we go through the
21 analyses, if things change, they change. And we were
22 careful to point out to the Commission that, you know,
23 this is -- you've got a snapshot right today of what
24 our thinking is. As it evolves, we would expect that
25 if things change drastically we would go back to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission and let them know, and let other
2 stakeholders know that.

3 But it -- you know, the biggest thing, I
4 mean, information continues to come in from DOE. We
5 continue to -- as you know, the TPA 5.0 code is --
6 soon will be ready to use. We're going to get
7 additional insights.

8 Some of the things -- and I guess I'll
9 point to -- one of the items I didn't point out, but
10 the failure mode of the degradation of the waste
11 package is something we do not have in our TPA code.
12 We have a model that when it starts to leak, they all
13 leak the same. It doesn't matter whether it was a
14 juvenile failure, which is a little stress corrosion
15 crack on a weld, or a big corrosion hole, or a big
16 rock going through it. They all leak the same.

17 And we thought, you know, we probably --
18 we're looking at revising that, that there should be
19 -- gee, early on, if it's just juvenile failures,
20 these little cracks, it should have a different water
21 inflow mode than others. So there's things like that
22 that are going to continue to come into the code, and
23 we'll see how -- whether it's a big impact or not.

24 CHAIRMAN HORNBERGER: The other thing that
25 I'm curious about is making a link to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentations we heard this morning. So, in fact, now
2 what you've done is risk ranked the individual 293
3 agreements. How do you see this playing out with
4 integrated or bundled -- or whatever the term we're
5 going to use is -- agreements?

6 MR. DANNA: Well, I think -- not knowing
7 too much about the bundling, but the bundling -- a
8 particular bundle would include both high, medium, and
9 low risk agreements, depending on the area. What I
10 don't think we saw was the rank of individual
11 agreements.

12 I think we took a different approach when
13 we started from the big picture, identified what was
14 important, and then bundled agreements or ranked
15 agreements in that way.

16 VICE CHAIRMAN GARRICK: Milt?

17 MEMBER LEVENSON: Yes. As is sometimes
18 the case, I get hung up on a word. I think we all
19 understand --

20 VICE CHAIRMAN GARRICK: Usually it's
21 "risk."

22 (Laughter.)

23 MEMBER LEVENSON: I think we all
24 understand, and may have been the ones that originally
25 encouraged this activity, to look at what are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potential high, medium, and low risks, as a way to
2 focus resources, to make sure what you look at.

3 What somehow has disappeared from all of
4 the slides is that word that all of these are
5 potential. This is a -- I mean, we don't understand
6 that -- this is a public meeting and a public record.
7 And I think we need to make it clear that, in fact,
8 that's all they are.

9 If you delete the word "potential," and
10 you say you know what is the high, medium, and low,
11 then why are you asking for more information? I mean,
12 the whole reason for doing the analysis and getting
13 more information is to determine which of these, in
14 reality, may be a high risk.

15 There may be some things that you had
16 listed as a low risk that when you get the rest of the
17 information and do the analysis you're going to move
18 them up. And so I -- you know, it's not an important
19 word for communication with us, because we understand
20 and we know. But it seems to me that for the public
21 record we really need to clarify that this is at a
22 point in time, this is a potential rating to help
23 guide priorities and focus.

24 VICE CHAIRMAN GARRICK: Thank you.

25 Mike?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: My caution is along the same
2 lines. First of all, I think it's very insightful and
3 systematic in its nature, and that's very positive
4 because, again, you can communicate from one analyst
5 to another I think a lot more effectively when you
6 have a tool that's useful.

7 But like Milt, you know, often we talk
8 about projected doses, and we drop projected -- and we
9 talk about doses as if they're actual and real. So I
10 second the caution that we need to make sure we don't
11 drop our modifiers.

12 And when we're -- you know, and I think in
13 a good way getting excited about a particular issue
14 and evaluating it, we have to recognize that it's not
15 a guaranteed event or a happening. But it's just
16 something to evaluate because of a potential that you
17 continue to carry that forward. But other than that,
18 it looks real good.

19 I guess maybe it's a question to you,
20 John. Are we going to get another -- or to you, Tim.
21 Are we going to get a chance to look at a draft of
22 your report before it's turned in in October, or
23 what's -- how does that play out in your view?

24 MR. McCARTIN: Well, I guess I hadn't
25 really thought about it. But --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: We're hearing your update,
2 but like we agreed that the numerical details of -- of
3 the assessment are probably what are really very
4 interesting to us.

5 MR. McCARTIN: Sure. Yes.

6 MEMBER RYAN: So maybe it's looking at
7 that part of it again. I don't know. I'm just
8 asking, is that possible, or we should do that, or --

9 VICE CHAIRMAN GARRICK: I think that would
10 be very good, if we could get access to it.

11 MR. CAMPBELL: As we develop this report,
12 we'll look for the appropriate opportunity to where it
13 has come together enough that it's useful to the
14 committee to be able to see all of the elements there
15 in the report. If we give it to you too early,
16 obviously, then it's -- you're commenting on something
17 that's in flux.

18 MEMBER RYAN: Right.

19 MR. CAMPBELL: But we'll look for an
20 appropriate opportunity to provide that report to you.

21 MEMBER RYAN: And I guess I say that in
22 responding to the question of, you know, getting our
23 feedback is really looking at the report rather than
24 just the final chapter, knowing the middle chapters
25 are still in progress would be -- probably be a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 place for us to be.

2 MEMBER LEVENSON: And I'd like to add
3 something to my comment. Tim, I hope you appreciate
4 that the reason -- one of the reasons for my comment
5 is I think this work is very good, and that people are
6 going to be referring to it. And, therefore, it's
7 more important that the public record make clear what
8 it is.

9 MR. McCARTIN: Absolutely. The point is
10 well taken. And it's a useful -- it comes at the
11 right time, because, obviously, as -- as we're
12 starting to write chapters or write sections and
13 provide -- it's good to give that context. You're
14 absolutely right. And these are potential estimates
15 of risk significance, yes.

16 VICE CHAIRMAN GARRICK: Tim, there's one
17 -- you spoke earlier about getting some feedback from
18 the committee, and I think you've gotten some
19 excellent ideas. And I have one that I may not
20 articulate very well, but it is something that I think
21 would bring a lot more credibility to the claim that
22 these rankings are really risk-informed.

23 And as I read your summary document, your
24 baseline risk summary document, the summaries were
25 excellent. You outlined the issue, and then you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed the issue. But what was missing was that
2 each issue was kind of discussed in a stand-alone
3 isolated sense.

4 And I'm still struggling with the issue of
5 linkage to the one thing that is the best supporting
6 evidence you have of context -- namely, your risk
7 assessment. And that is not really addressed in these
8 summaries.

9 For example, if I look at a risk
10 assessment as a structured set of scenarios, and I
11 want to -- and I'm told that the degradation of the
12 engineered barrier system is a high risk issue, then
13 what I'm looking for in the structured set of
14 scenarios is how often the degradation of the
15 engineered barrier system appears as an event.

16 And that gives me some real evidence that
17 these guys know what they're talking about, because
18 it's very much tightly anchored to the one analysis
19 that they did that is for the purpose of providing
20 context.

21 And I think that if there's any way you
22 could introduce more connections with your risk
23 assessment, with your TPA, I think it would add a lot,
24 especially now that you're in the domain of trying to
25 importance rank, which I agree with all of the members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that this is -- this is very valuable work. This
2 brings clarity and insight to the process that, you
3 know, we haven't had before. But I do think there is
4 something missing here.

5 MR. McCARTIN: Yes. Yes. That's a good
6 comment, and it's -- as you know, I think for the past
7 year or so we've been coming to you with some of work
8 right on our cutting edge.

9 VICE CHAIRMAN GARRICK: Right.

10 MR. McCARTIN: Yes, it's something to
11 think about, and --

12 VICE CHAIRMAN GARRICK: It all relates to
13 the cross-cutting and integration that is -- goes on
14 here, and that you eventually want to get out of your
15 performance assessment.

16 MR. McCARTIN: Right. And you're right,
17 that's -- it's something to think -- you're right.
18 That tie to the linkage through is not there, and,
19 yes, we need to work on that. Yes, that's useful.

20 VICE CHAIRMAN GARRICK: I think earlier in
21 the day we had somebody in the audience that wanted to
22 make a comment. And I think we'll ask them to
23 announce their name and affiliation and give us their
24 comment.

25 MR. MALSCH: Yes. Actually, I just had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two questions. I'm Marty Malsch. I'm with the law
2 firm of Eagan, Fitzpatrick, and Malsch. We represent
3 the State of Nevada on Yucca Mountain related matters.

4 I have two questions, one to the NRC staff
5 and one to DOE. And the one to NRC staff is as
6 follows. I can understand how a risk ranking of the
7 KTIs would be useful in prioritizing staff resources.
8 But lurking behind the scenes here, I infer also the
9 concept that a risk ranking of the KTIs could dictate
10 the contents of an eventual license application.

11 And so my question to the staff is: what
12 staff interest in public health and safety is served
13 if a risk ranking of the KTIs leads to an application
14 which is less complete in terms of issue resolution
15 than it might otherwise be?

16 And I ask that question because, although
17 ordinarily it would make no difference whether a
18 matter is resolved in the preapplication phase or
19 afterwards, in this case, once an application is
20 accepted for docketing, the staff review will be under
21 a statutory time deadline, in which case if there are
22 surprises and things which are -- were believed to be
23 of a low significance turn out to be high
24 significance, now they have to be resolved during a
25 strict time deadline.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so it would seem to me it would be in
2 the staff's interest to have an application which is
3 more complete than not. And so I wonder what staff
4 interest would be served in that event if the KTI
5 priority rankings are used to encourage DOE to file a
6 less than complete license application.

7 That was my question to the staff.

8 My question to DOE is this: it occurred
9 to me that if DOE is using its TSPA to risk rank
10 questions about the essential validity of the TSPA,
11 that is assuming some essential validity in the TSPA
12 itself, and so that prompts my question whether using
13 a TSPA to risk rank questions about the TSPA isn't
14 engaging in some sort of circular reasoning.

15 Thank you.

16 VICE CHAIRMAN GARRICK: I don't know if
17 anybody is here that wants to comment on behalf of the
18 NRC. But if -- they are certainly free to do so, if
19 they would like to.

20 MR. CAMPBELL: I'm going to take a stab at
21 answering the -- actually, Janet is there, so I'm
22 going to defer to Janet.

23 MS. SCHLUETER: Well, I'd like to make a
24 couple of comments from a program perspective. And it
25 addresses some of the EPRI comments earlier today, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is that our position on the importance of the
2 agreements has not changed, regardless of the outcome
3 of our risk exercises.

4 They're still important. We still believe
5 that regardless of whether they're ranked low, medium,
6 or high, they still need to be addressed prior to the
7 license application. And doing so will help ensure
8 that the license application is complete.

9 I think we all heard this morning that the
10 Department of Energy intends to explicitly address all
11 of those agreements as part of the grouping effort
12 that will take place between now and license
13 application. That's a new effort. We just received
14 that letter last night. We haven't had the chance to
15 digest that information. We will be doing so.

16 We intend to have public interactions with
17 the Department of Energy to discuss that. The risk
18 initiative is new. It's new on the part of the NRC.
19 The DOE has just received the staff's response to the
20 Commission. That's dated June 5th. There is learning
21 on their side that needs to take place.

22 We need to have these discussions, so that
23 we can identify areas of differences, if you will, in
24 approach, so that we can better understand those, and
25 have the transparency I think that we all need in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moving forward in addressing all of these agreements
2 prior to LA.

3 So there's nothing in the NRC's approach.
4 I mean, we still consider all of the importance to --
5 the agreements to be important and to be addressed
6 prior to LA. It's just, as Tim and others have
7 described, the low, medium, and high could have some
8 bearing on the level of effort, the resources, the
9 prioritization of when the work comes in, particularly
10 if we find that we received several groups together
11 that have a large number of agreements contained in
12 them.

13 We'll certainly have to prioritize those
14 review, and it may as well dictate the level of
15 information that the Department of Energy chooses to
16 provide to us. And the measuring stick is still: did
17 they meet the intent of the original agreement? And
18 that's the judgment that the NRC staff will be making.

19 VICE CHAIRMAN GARRICK: Thank you.

20 And it might be one of the reasons for
21 talking about the process being a risk-informed one as
22 opposed to a risk-based licensing process.

23 From DOE, April, did you want to say
24 something?

25 MS. GIL: Yes. Dr. Garrick, if I could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just ask Bob Andrews to respond a bit about the
2 circular reasoning using TSPA.

3 DR. ANDREWS: Yes. I think maybe it was
4 misunderstood, but the TSPA analyses were not
5 answering the question of the technical bases. We've
6 tried to address the technical bases with additional
7 information or corroborative-type information to
8 support the technical bases.

9 The TSPA-type analyses were being used to
10 evaluate the significance, you know, of that
11 uncertainty and its potential significance to one
12 particular performance measure -- that being dose --
13 not the underlying technical bases themselves. So
14 that was being addressed by other means, if you will.

15 VICE CHAIRMAN GARRICK: Thank you.

16 Frank, did you want to make a comment?

17 DR. RAHN: Yes. Frank Rahn from EPRI.

18 I wanted to reprise a little bit my
19 comments from earlier today. First of all, I wanted
20 to compliment NRC for a fine presentation, and lots of
21 progress appears to have been made in the last year or
22 so in this area, which I find to be very encouraging.
23 And I think it's very important work.

24 Some of my comments this morning is at
25 EPRI we're trying to look at risk with what I call a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 capital R, which means not only the subject at hand
2 but the greater risk. And there was a discussion a
3 few minutes earlier about "potential risks," which I
4 think was well taken in terms of what we are looking
5 at.

6 But also, when we look at risk with a
7 capital R, we look at what I call real and present
8 risks, which are things like physical security. And
9 what's interesting to note is -- on one of the slides,
10 things like airplane crashes were important to our
11 understanding of the issue, and it was rated as a high
12 risk significant issue.

13 So when you take into account the
14 capital R risks, and that includes things -- we worry
15 about things like fuel being stored above ground as it
16 presently is, which as I indicated represents a clear
17 and present danger as opposed to a potential risk, how
18 do you balance that off?

19 And partly it is to move forward in an
20 expeditious basis in terms of the licensing
21 application. I'm not aware of any legal reason why
22 all of the low risk significant issues have to be
23 resolved prior to licensing to the LA itself, apart
24 from the agreement that appears to exist or does exist
25 between DOE and NRC on the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, again, I raise the issue whether or
2 not from a total risk standpoint whether or not it
3 makes sense, or at least we keep in the back of our
4 mind whether or not it's a requirement that all of the
5 low risk issues have to be resolved prior to the LA
6 itself, or whether or not if there is sufficient
7 confidence that they can be taken care of in the LA --
8 during the LA period prior to the actual license being
9 issued, whether or not that would serve the greater
10 public good and public safety.

11 VICE CHAIRMAN GARRICK: Thank you.

12 April?

13 MS. GIL: Dr. Garrick, I feel compelled to
14 say something, primarily on the basis of what Mr. Rahn
15 said this morning. I just wanted to reiterate that
16 DOE has plans in place to explicitly address every
17 single KTI agreement on a schedule that supports the
18 December '04 license application submittal.

19 Now, a few of the agreements are scheduled
20 for completion after 12/04. However, we promise to
21 give the NRC a path forward for resolution to address
22 these items prior to LA submittal. And I think I
23 mentioned earlier, I take the KTI agreements very
24 seriously and personally, because my name is on a lot
25 of the letters in which the KTI agreements were made.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I consider those to be commitments between the
2 Department and the NRC.

3 And I think for the purposes of public
4 perception it's very important that we maintain those
5 commitments, and that the Department maintain its
6 promises to address every single one.

7 We've just submitted a revised KTI
8 schedule to NRC. They just got it yesterday. They've
9 recently completed their risk significance ranking
10 results, which we've been looking through with
11 significant interest. Both agencies are going to have
12 to take time to evaluate the approaches and see how
13 they affect what it is we're planning on doing.

14 The NRC's risk insight baseline is going
15 to be very helpful to DOE. And I really appreciate
16 the work that both Tim and Jim have done on that. I
17 think it's very helpful to us. As I mentioned, we
18 looked at it with quite a bit of interest.

19 We're going to use it to refine our
20 approach and assist us to concentrate on what's
21 important. But remember, to us all of the KTI
22 agreements are important, and we will address every
23 single one.

24 Thank you.

25 VICE CHAIRMAN GARRICK: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CAMPBELL: John, can I just --

2 VICE CHAIRMAN GARRICK: Yes. Andy
3 Campbell?

4 MR. CAMPBELL: -- add one more thing?
5 It's important to keep in mind that all of the
6 agreements that were made were based upon, if you
7 will, somewhat of an integrated approach by the
8 various KTIs to identify key issues. The agreements
9 weren't just made out of thin air. They actually
10 represent a large amount, over many years of staff
11 work.

12 And those agreements, at that time they
13 were put together, it was felt that those were
14 important to having a high quality license application
15 in the door. This risk ranking doesn't nullify those
16 agreements, but what it does is it tries to put all
17 293 into some context in terms of importance.

18 But it was never our intent to remove from
19 the board a large number of agreements simply by
20 calling them low. It's just they're lower in
21 importance than mediums and highs. And that's, I
22 think, where we view all 293 agreements. They are
23 important, but they have differing levels of
24 importance.

25 VICE CHAIRMAN GARRICK: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It certainly has to be a confidence
2 builder to have the analysis evolve in such a way that
3 you have high confidence that the most important
4 things are being ferreted out, and that you can
5 allocate your resources accordingly.

6 It seems that that's the logical thing to
7 do, and that you're developing some basis for doing
8 just that -- and without neglecting any of the items,
9 any of the 293, or 294 I saw once today, items.

10 All right. Any other questions, comments,
11 or what have you? You have been an excellent set of
12 briefers. We are right on schedule. And we got
13 through pretty much what we wanted to, and we
14 appreciate it a great deal. And we look forward to
15 hearing more about this later.

16 Okay. Mr. Chairman?

17 CHAIRMAN HORNBERGER: Thank you, John.

18 We are going to take a five-minute break.
19 We will no longer be on the record. We won't need the
20 recorder. This will give people who want a chance to
21 not hang around and listen to us talk about our
22 reports a chance to leave. So a five-minute break.

23 (Whereupon, at 4:17 p.m., the proceedings
24 in the foregoing matter went off the
25 record.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701