

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on the Medical
 Uses of Isotopes

Docket Number: (not applicable)

Location:
 Rockville, Maryland

Date: Wednesday, February 21, 1996

Work Order No.: NRC-528

Pages 1-283

1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
MEETING
ADVISORY COMMITTEE ON MEDICAL
USES OF ISOTOPES
(ACMUI)

+ + + + +

WEDNESDAY

FEBRUARY 21, 1996

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, T2B3, 11545
Rockville Pike, at 8:30 a.m., Barry A. Siegel, Chairman,
presiding.

COMMITTEE MEMBERS:

- BARRY A. SIEGEL, Chairman
- DANIEL S. BERMAN, Member
- JUDITH I. BROWN, Member
- DANIEL F. FLYNN, Member
- A. ERIC JONES, Member
- ROBERT M. QUILLIN, Member

1 COMMITTEE MEMBERS: (CONTINUED)

2 JUDITH ANNE STITT, Member

3 DENNIS P. SWANSON, Member

4 LOUIS K. WAGNER, Member

5 THERESA WALKUP, Member

6 JEFFREY F. WILLIAMSON, Member

7

8 ACMUI STAFF PRESENT:

9

10 LARRY W. CAMPER,

11 Designated Federal Officer

12

13 DR. PATRICIA HOLAHAN

14

15

16 ALSO PRESENT:

17

18 DR. DONALD A. COOL

19 SHAWN GOOGINS

20 KATE LOUISE GOTTFRIED

21 DICK GROSS

22 MARK SELIKSON

23 HUGH THOMPSON

24 JOHN VILLFORTH

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A G E N D A

<u>Agenda Item</u>	<u>PAGE</u>
Opening, Larry Camper	4
Comments by the ACMUI Chairman, Barry Siegel	8
Overview of Achieving a National Approach to the Regulation of Ionizing Radiation in Medicine Dr. Donald A. Cool	10
Report on Recommendations of the National Academy of Sciences, Dr Patricia Holahan	25
Discussion of National Academy of Sciences, Institute of Medicine Report: "Radiation in Medicine: A Need for Regulatory Reform	65
Comments	
Shawn Googins	133
Mark Selikson	137
Summary by IOM	
Kate Gottfried	171
John Villforth	182

P-R-O-C-E-E-D-I-N-G-S

(8:40 a.m.)

1
2
3 MR. CAMPER: In the interest of time and trying
4 to stay on schedule the Chairman has asked if we could get
5 started, so I'm going to start to proceed and do that. Are
6 you on the record? Okay.

7 Good morning, ladies and gentlemen, I am pleased
8 to welcome you to Rockville, Maryland and to the NRC
9 headquarters for this public meeting of our advisory committee
10 on the medical uses of isotopes

11 I am Larry Camper, I am the Chief of the Medical
12 Academic and Commercial Safety Branch, and I have been
13 designated Federal Official for this advisory committee
14 meeting.

15 This meeting is an announced meeting of the
16 advisory committee, and it's being held in accordance with the
17 rules and regulations of the General Services Administration
18 and the Nuclear Regulatory Commission. This meeting was
19 announced in the Federal Register on the 26th of January 1996
20 and on the 15th of February 1996. That notice stated that the
21 meeting will begin at 8:30 a.m., and we are slightly late.

22 The function of the advisory committee is to
23 advise the NRC staff on issues and questions that arise on the
24 medical use of byproduct material. The committee provides
25 counsel to the staff but does not determine or direct the

1 actual decisions of the staff or the Commission. The NRC
2 solicits the opinions of counsel and values the opinions of
3 this committee very much. Staff requests that the committee
4 reach a consensus, if possible, on the various issues that
5 will be discussed to day, but also values stated minority or
6 dissenting opinions. We ask that you, if you could, please
7 clearly articulate those dissenting opinions as we discuss the
8 specific agenda items.

9 The agenda for this special meeting of the ACMUI
10 will focus primarily upon the considered deliberations of the
11 National Academy of Sciences Institute of Medicine Committee
12 for the review and evaluation of the medical use program of
13 the Nuclear Regulatory Commission. The deliberations of this
14 committee are contained in the report entitled "Radiation in
15 medicine, a need for regulatory reform."

16 In addition to the NAS report the ACMUI will also
17 discuss two other significant issues. First, a proposed
18 rulemaking entitled "Reporting requirements for unauthorized
19 use of licensed radioactive material." And secondly, "Staff
20 action items resulting from resent internal contamination
21 incidents."

22 As part of their preparation for this meeting I
23 have reviewed the agenda from member's finance and employment
24 interest. I have not identified any conflicts that based upon
25 the very general nature of the discussion that we're going to

1 have during this meeting. Therefore, I see no need for any
2 individual member of the committee to recuse themselves from
3 the discussion. However, if during the course of our business
4 you determine that you may have some conflict, please state
5 that for the record and recuse yourself from that particular
6 aspect of the discussion.

7 I would like to take this opportunity to
8 introduce the members of the committee for the benefit of the
9 public in attendance. Starting to my extreme left we have Dr.
10 Jeffrey Williamson. And we have Theresa Walkup next to him.

11 Dr. Williamson and Ms. Walkup are new members of
12 the committee. They have been approved by the Commission for
13 seating on the committee. They are still undergoing the
14 formality of document review and presentation of backgrounds,
15 etcetera, which is currently under review by the agency.

16 They will participate in the discussions today.
17 Unfortunately in view of their current status, they cannot
18 vote on consensus building, but they can take an active role
19 in participating in the discussions. And we welcome you and
20 we encourage you to take an active part.

21 I would like to comment with regards to Dr.
22 Jeffrey Williamson, for the physics community I am quite proud
23 to say that Dr. Williamson recognizes a reinstatement of a
24 second medical physicist position on the committee, and he
25 brings to bear a considerable amount of expertise particularly

1 in the areas of brachytherapy and high dose rate remote after-
2 loading. So we're glad to have you aboard.

3 Next is Dr. Wagner, Louis Wagner, who is also a
4 medical physicist on the committee.

5 Dr. Dennis Swanson is our radiopharmacist.

6 Dr. Judith Stitt representing radiation oncology
7 and therapy.

8 Mr. Robert Quillin representing State's
9 regulator's perspective. He's with the State of Colorado.

10 Next, sitting at the table today, is Dr. Patricia
11 Holahan who is currently the acting section leader for the
12 medical and academic section filling in for Dr. Piccone, who
13 is here. Josie is back in the audience. Josie is currently
14 on a rotational assignment dealing with the agency strategic
15 assessment activities and so she's doing a higher calling at
16 the moment in time, and Trisha is filling in for us.

17 Of course to my left is the esteemed Chairman,
18 Dr. Barry Siegel.

19 To my right representing the FDA is Dr. Eric
20 Jones.

21 Next we have Ms. Judith Brown representing
22 patients rights and consumer advocacy concerns.

23 And finally, Dr. Dan Berman who is our
24 cardiologist representing, he's also a nuclear medicine
25 practitioner, but he's representing the cardiologist

1 activities on the committee.

2 With that introduction I have one or two
3 administrative comments for the benefit of the public and is
4 welcome the public here. It's good to see the attendance and
5 the interest.

6 To my rear, out the doors at the end of the
7 hallway you'll find rest rooms. The men is on the left, the
8 ladies is on the right. We also have a cafeteria on the first
9 floor which has a full assortment of goodies. They have
10 coffee and other things you might like. So please help
11 yourself to them.

12 So with that as a background I would then turn
13 the meeting over to Dr. Siegel to chair.

14 CHAIRMAN SIEGEL: Thank you. The esteemed
15 chairman is under the weather so you'll hear my cough as a
16 constant accompaniment of the day's sound effects.

17 We have a lot of business. The Federal Register
18 announcement for this meeting solicited written commentary for
19 members of the public but did not specifically budget time for
20 a commentary for members of the public. However, as per our
21 usual practice, at the Chair's discretion members of the
22 public may be allowed to make statements at varying times
23 during our discussion, points of information.

24 We also have a specific request from the American
25 College of Nuclear Physicians, Society of Nuclear Medicine to

1 make a statement, if time permits, but they wish to do so
2 tomorrow. And so we will until tomorrow morning on that.

3 And, if other members of the public wish to make
4 statements, they should let me know so that I can figure out
5 whether or not we have the time to do it.

6 This is one of the few meetings of the ACMUI that
7 I have come to with almost no clue how we are going to proceed
8 during the course of the day. I personally have a philosophy
9 of chairing a committee that the chairman should be about 98
10 percent certain what's going to happen when he or she comes
11 into a committee meeting. And at Washington University where
12 I chair the radioactive research committee I actually prepare
13 the minutes before the meeting and all I do is leave the votes
14 blank. Occasionally I have to change something in the
15 minutes, and I do, but I have always done all my homework.

16 In this case I found it very difficult to
17 anticipate how we're going to structure this discussion and
18 what we're going to conclude. I have some reticence even
19 about whether we should be in a position to second guess an
20 esteemed panel of the National Academy of Sciences and
21 Institute of Medicine, but nonetheless we are being asked to
22 do so in part because I asked that we have the opportunity to
23 do so, and that's part of the reason we're here.

24 And so with those few introductory comments let
25 me introduce Don Cool who is going to give us a brief overview

1 and hopefully help us understand why we're second guessing the
2 National Academy.

3 DR. COOL: Thank you, Barry.

4 Good morning everyone. Let me first welcome you
5 all to Washington. And I particularly welcome our new
6 members. This is your first time here.

7 And you are correct, Barry. In fact in this
8 meeting I also am not exactly sure where we may be headed in
9 this particular process. You can think of the whole possible
10 range of quotes, you know, an old Chinese proverb "May you
11 live in interesting times." And certainly we are at this
12 point living in some very interesting times with a lot of
13 things which are moving the whole regulatory program not only
14 in medicine but in a variety of areas in the whole materials
15 regulation area around. Almost as if we were pieces of the
16 continental plate and we're having some grinding on the edges
17 and there's a lot of friction going on and there's
18 occasionally these sudden bursts of release, something
19 suddenly slips and everyone seems to go sort of ballistic over
20 some period of time.

21 Don't take that analogy too far, but there are a
22 lot of different things that are going on right now. And what
23 I want to do here for the next couple of minutes is just sort
24 of to outline for the committee some of the kinds of
25 activities that are going on within the commission and give

1 you some idea to the extent that I can do so about the
2 directions that the staff may be proceeding, some of the
3 possibilities for how the NRC may look at this report. What I
4 can tell you is unfortunately limited because some of those
5 decisions have not yet been made, and then to go ahead and
6 lead us into the discussion on the report.

7 So the first thing I want to do, I'm going to
8 throw up one overhead, if I can get that to work. It appears
9 that it's going to. My belief in mechanical types of things,
10 transportation kinds of things has been severely jolted this
11 weekend. You need to know that I am one of the people who in
12 fact rides the MARC rail trains every day, and of course MARC
13 rail proved on Friday that it's perfectly capable of messing
14 things up.

15 The airlines over the last couple of days have
16 proved perfectly capable of messing a number of things up, as
17 most of you have experienced, when an airline ran off the end
18 of the runway and proceeded to shut down National for a little
19 while.

20 All of those give us sort of little hints and
21 tidbits and reminders that as much as we would like to neatly
22 craft and organize and box and control in detail everything
23 that we would like to do and have everything neatly scripted
24 out and have all of our nice little plans firmly in place,
25 that occasionally things do not work out the way that we would

1 like them to.

2 A year and a half or so ago we went to the
3 National Academy of Sciences Institute of Medicine. What we
4 were asking them to do was to take a look at the medical
5 program. There were a number of issues that were being
6 raised. Certainly there was a lot of comment, pro and con,
7 more con than pro for the most part, with regards to the
8 program that was going on within the NRC at the time.

9 We asked them to take a look at the overall
10 risks, both in the use of Atomic Energy Act, AEA, types of
11 materials and all of those things which are not covered by the
12 Commission, which in fact is, as the National Academy has
13 pointed out, a significantly larger chunk of the overall
14 amount of treatment that goes on here in the United States, to
15 try and take an examination of some of the policy issues and
16 implications that would underlie the regulation either by the
17 NRC or by states or other authorities and bodies, and to do a
18 critical assessment of the framework of regulation and to see
19 if they could provide some recommendations for either
20 continuing the program, alternatives to program or otherwise.
21 You all have copies of the pre-publication draft which the
22 National Academy released in December.

23 This afternoon we will have representatives from
24 the Institute of Medicine, National Academy who will be here
25 and provide an overview of the report, the process they went

1 through and be able to answer questions and engage in a
2 discussion, so I am not going to attempt to second guess or
3 otherwise represent where they may be. But rather to talk
4 about what we now need to do as a result of the fact that we
5 have this piece of information in front of us.

6 What we were looking for was some recommendations
7 on how to try and achieve uniform national approach to the
8 regulation of ionizing radiation in medicine. Clearly
9 recognizing that we have only one small portion of that
10 particular approach and how to try and harmonize. That's one
11 the favorite words running around the agency here and there is
12 "Risk harmonization regulation," "harmonization." We can try
13 and get to a more harmonized approach to the system. What
14 kind of criteria there might be for measuring the
15 effectiveness of the programs that are out there.

16 The National Academy has presented us with a
17 report. They have prepared a number of recommendations. And
18 in a moment or two Dr. Holahan is going to walk you through
19 what those recommendations were, just so that we're starting
20 from the same script. It's a very interesting set of
21 recommendations. I don't know exactly what each of you at
22 this point may believe in terms of agreement or disagreement,
23 nor am I asking you to tell me at this point, that's part of
24 one of the things that we need to go through is to see where
25 we stand with regards to agreement or disagreement.

1 On the other hand I do not see us here as a
2 second guessing or a re-evaluation of what the National
3 Academy has done. We have impact now this marker which is
4 sitting out here and we need to determine how to proceed.

5 In talking with our chairman before the meeting,
6 he asked can you give me some idea of what the staff is going
7 to do with this report? And very frankly, I wish I could tell
8 you that. Because I wish there was a nice simple answer that
9 I could tell you the staff is going to proceed to do X, Y, Z,
10 Q and W in that particular order. Unfortunately that is not
11 the case, there are at least three separate distinct
12 possibilities for directions in which the staff could proceed
13 here.

14 The staff in fact has a proposal in front of the
15 Commission for the Commission to consider. That is still
16 subject to Commission consideration, and they have not made a
17 decision on that. But basically the range of approaches
18 ranges from the possibility the Commission can tell the staff
19 go forward, do good, do exactly what NAS said, extract the NRC
20 from the medical program.

21 In which case a particular set of actions would
22 need to be done in order to execute that kind of approach. If
23 that were the case, what would be extremely useful to me and
24 my staff, who then have to carry forward that particular sword
25 and execute that particular kind of downsizing, is how to move

1 from what are actually relatively broad sweeping
2 recommendations, do this, do this, do this in terms of broad
3 outcomes.

4 Translate that back into how do I get there from
5 here, how do I actually achieve the kind of goals that we are
6 looking for, uniform regulatory approach, even transition,
7 some transition period, some continuity of approaches, if the
8 Commission were to more or less unilaterally start to proceed
9 down the road as in fact the National Academy has suggested in
10 at least one of its recommendations.

11 There are at least two other possible routes that
12 the Commission could proceed in. One is that the Commission
13 could use a more participatory process to try and develop that
14 new regulatory approach, the next layer below the
15 recommendations. The Commission has in fact a number of
16 mechanisms for working with agreement states, non agreement
17 states, the public, in developing policies and regulations.

18 Examples of enhanced participatory types of
19 rulemaking where public workshops or otherwise are used to try
20 and elicit a wide variety of feedbacks, get a lot of different
21 kinds of groups involved who may not have had an opportunity
22 to suggest where the pitfalls are and the kinds of approaches
23 to moving the NRC perhaps away from the level of regulation
24 that we have had right now.

25 The Commission has available to us a group or an

1 approach which is now known as an operational committee, you
2 can put that in quotes if you'd like, which allows us to work
3 in a committee format with agreement states for the federal
4 organizations and in fact perhaps with non agreement state
5 through representation such as the Conference and Radiation
6 Control Program Directors to have a committee provide the
7 staff and the Commission with discussion and recommendations
8 for that more detailed level of implementation, how to get
9 from here to there.

10 We have another possible route, and that is in
11 fact to give the entire consideration at this point to an
12 ongoing activity within the Commission which has been called
13 strategic assessment. The Commission has underway at this
14 time a broad sweeping re-examination of what we do as an
15 agency to fulfil our mandate under the Atomic Energy Act and
16 how we go about doing that. Where we'll place our resources,
17 the kinds of resources, going back to the basic fundamental,
18 what do we need to do, what are we required to do, what is the
19 best approach to doing it.

20 Dr. Piccone, whom you are used to seeing this
21 chair here is in fact one of the people who is detailed to
22 that particular effort over the next several months.

23 And another possibility which the Commission
24 could pursue is to ask the group which is doing that overall
25 examination of the entire regulatory program, extending well

1 beyond medical to take the medical piece of the program, in
2 particular the recommendations of the National Academy, as
3 part of its effort and to fold it into the overall
4 recommendations which that group is supposed to provide the
5 Commission.

6 Each of those have distinctly different time
7 frames. If the Commission were to say staff, go ye forward and
8 get us out now, we would be in a relatively quick time frame
9 where we would be looking for things that we could proceed to
10 start doing relatively quickly to begin an extraction process.

11

12 If you were to proceed in a strategic assessment
13 kind of approach, the current schedule has some
14 recommendations due to the Commission in the May time frame
15 with some discussions, perhaps some focus groups or other
16 public interactions in the June, July types of time frames,
17 and some final considerations by perhaps August of this year,
18 a relatively fast ambitious schedule.

19 If you were to pursue an operational committee
20 type of approach with agreement states, other federal
21 agencies, if you were to pursue interactions through public
22 workshops or otherwise, that would have yet a slightly longer
23 time frame due to the necessity to set up the committee, have
24 them meet and plan and have opportunities for those workshops
25 and public input. So that might be a pattern which would move

1 us on into perhaps the November, December type of time frame.

2 So that is to give you a sort of broad view of
3 the possibilities. So where does that leave us here, given
4 that we are in sort of late February. We have a report in
5 hand, we have a set of recommendations.

6 I think that this committee can give both the
7 staff and the Commission some input with regard to the pros
8 and cons of possible approaches, the pros and cons or need for
9 additional interactions that may be necessary to implement the
10 kinds of recommendations that the National Academy has made.

11 Certainly a view with whether or not the
12 committee agrees or disagrees and why will be of value to
13 everyone concerned. Without attempting to second guess or
14 otherwise the academy, but some of the recommendations can be
15 viewed in some sense as being at least parallel, perhaps even
16 in conflict, somebody go off and do this such as the
17 congressional, and if they don't then you go do this other
18 sort of thing, which if you tried to do both of those
19 simultaneously could get you into a strange sort of
20 juxtaposition of activities. You know, so how might the staff
21 look at trying to balance out some of the different kinds of
22 recommendations and considering timing.

23 And then what I think is most important for
24 myself and the staff right now is the considerations of taking
25 those broad recommendations, go do this, do this and do this,

1 which are stated in terms of outcomes, and have your views,
2 thoughts, approaches, comments with regards as to how to
3 actually do that translation from a regulatory program which
4 exists, codified in 10 CFR, to something which would implement
5 that kind of approach, if you assumed that the Commission were
6 to pursue implementation of at least some of the
7 recommendations because there is a large gap in between there.

8 I cannot wave any sort of magic wand and NRC is
9 out of medical. Some rulemaking is going to be necessary,
10 some changes in guidance, changes in inspection procedures.
11 And for each one of those things there is going to have to be
12 some corresponding changes that will be necessary in other
13 portions of the regulatory community. Agreement states
14 picking up additional things, agreement states or perhaps non
15 agreement states obtaining additional authorities, questions
16 with regards to control for federal facilities for which
17 states under their current jurisdiction in fact have no
18 jurisdiction in particular locations in areas. So there are
19 number of those kinds of implementation questions, the next
20 tier down which are particularly critical for us to attempt to
21 move forward in whatever process.

22 And that kind of information will be useful
23 irrespective of whether the Commission tells me tomorrow go
24 extract us, or whether the Commission says have the strategic
25 assessment group do it, in which case the strategic assessment

1 group will need this kind of information in order to craft
2 their recommendations. Or as input to any kind of operational
3 committee or public workshops which would enable us to get a
4 larger expansion of views.

5 So that in brief is the kinds of things that are
6 going on within the approach and the directions which the
7 Commission may proceed. Certainly we are going to do
8 something with it. I would expect the decision with regards
9 to a course of action to be made within the next couple of
10 weeks. The National Academy briefs the Commission next
11 Tuesday. And I would expect that there will probably be a
12 decision by the Commission, and we are in fact now, for those
13 of you who haven't been following, we do have a Commission
14 again with the appointment of Greta Dicus as Commissioner,
15 we're back to normal operations of vote and consensus process
16 within the Commission, and some direction of the staff as to
17 how to proceed forward.

18 Let's put this in a little bit of context of some
19 of the other geologic plates that happen to be moving around
20 at the time. There is considerable ongoing discussion about
21 what should happen with materials regulation programs as a
22 whole. This is in fact only a subset of them and perhaps a
23 more broad question of should agreement states have all of the
24 control in materials areas. Should the Commission be pushing
25 for all states to be agreement states. Playing over on the

1 edge of this, perhaps it's the drumming marching the beat, is
2 the question of fees and costs and some of those associated
3 things which vary considerably. The questions of who was
4 responsible for generating this sort of underlying regulatory
5 program and who is perhaps the right group to do that.

6 Then there is the ever present question of what
7 do we do with the last event? You know, we have already
8 talked some and I know the ACMUI is already on record as
9 requesting the staff to be cautious and careful in response to
10 the contamination events which happened last year at the
11 National Institutes of Health and the Massachusetts Institute
12 of Technology.

13 The staff now has the findings of the incident
14 investigation team for the Massachusetts Institute of
15 Technology. I believe the committee was provided with a copy
16 of that report. The staff has a series of actions which have
17 been directed by the executive director for operations to look
18 at issues associated with control of material associated with
19 securities and material, associated with the responsibilities
20 and authorities of radiation safety officers, and a variety of
21 other things which deal with large materials programs.

22 They came about in the context of a large
23 research program. But if I look at the kinds of licensees
24 that I have and I look at the people around this room, what
25 kind of license do you operate under? You operate under a

1 broad scope license. And that is exactly the kind of licensee
2 that tripped this particular trigger, got everyone all wound
3 up.

4 As with any event, people tend to have their
5 reactions do some sort of loop where they greatly exceed
6 probably the level that they should react to and, if
7 everything were to work real nice, they would loop back to
8 whatever the appropriate response level was.

9 Now, unfortunately you might all know the
10 biological systems sort of, if we're really lucky, have a
11 damping function to that point. We need to try and figure out
12 where that is.

13 I'm providing this kind of background to the
14 committee mostly to ask you to keep in mind the fact that
15 there are things besides the National Academy report in terms
16 of the overall materials program, in terms of several
17 particular events which the Commission and the staff are also
18 going to need to factor into and explain to someone or
19 multiple someones, our friends down on the Hill as well as a
20 number of others in terms of the kind of approach which
21 considers all of those options together for regulatory forum.

22 That concludes the things that I wanted to
23 outline for you. I will leave it to you, Barry, as to whether
24 you would like Dr. Holahan to walk you through the
25 recommendations or whether you would like to have some give

1 and take initially before we get into that.

2 CHAIRMAN SIEGEL: I'm loose. Does anyone have
3 any specific questions for Don while he's here?

4 All right, why don't we do just what's scheduled.
5 And Trish, why don't you walk us through the National Academy
6 of Sciences' recommendations.

7 I think that Don just made a very important point
8 and that is we should think about how our institutions and how
9 practices in the real world will function if the NRC simply
10 somehow got out of the medical business but the NRC was still
11 in the overall materials business. Would much really have
12 changed in the final analysis?

13 And so the notion that you just raised about the
14 NRC somehow extracting itself from the whole materials program
15 and essentially forcing all states or encouraging all states
16 to become agreement states actually is the model that fits
17 best with the recommended National Academy of Sciences'
18 approach.

19 So that's where I think we should keep that in
20 mind when we talk about predominantly medical issues, that we
21 should try to extend our thinking to materials issues overall.

22 Go ahead.

23 DR. HOLAHAN: Okay, and thank you.

24 I'm not going to try and go through the details
25 of the report. As Dr. Cool mentioned the Institute of

1 Medicine will be this afternoon and they will probably go
2 through more of the specific details.

3 One of the things I did want to outline though is
4 they looked at seven different alternatives for the regulation
5 of medical use program. And their preferred alternative was
6 briefly to give the regulatory authority over the medical uses
7 to the states and rely on the states to expand their existing
8 programs, their existing radiation control programs, that are
9 currently applied to NOARM to include byproduct as well.

10 One of the provisos in the report that only
11 licensed users will have access to byproduct material. And
12 then the report also identifies a federal agency other than
13 NRC to exercise the leadership role in the radiation safety
14 community. And such a federal agency would assist in
15 developing recommended state laws and regulation, provide a
16 leadership role, act as an information clearing house, and
17 distribute resources for training and research.

18 So that's basically a summary of their preferred
19 alternative, and I'm sure they'll give you more details this
20 afternoon.

21 To implement this preferred alternative, they
22 came up with eight recommendations, two of which were directed
23 to Congress, three to NRC, and three to the states and CRCPD,
24 the Conference for Radiation Control Program Directors.

25 What I'd like to do is just sort of step you

1 through the recommendations and then sort of let you know a
2 little bit as to where we are and what we're currently doing.

3 The first recommendation is that Congress
4 eliminate all aspects of NRC's medical use program that
5 includes Part 35 and the regulatory activities that are
6 conducted under Part 20 that are applicable to medical uses,
7 the aspects relating to occupational workers and members of
8 the public.

9 MEMBER WAGNER: Trish, may I ask a question?

10 DR. HOLAHAN: Yes.

11 MEMBER WAGNER: In regard to the application of
12 this, I'd just like to understand the NRC's point of view
13 about the application here. My reading and understanding is
14 that it applies to medical uses both in research and at
15 research institutions as well as in hospitals and with
16 patients?

17 DR. HOLAHAN: Yes, my reading of the report is
18 that it does indicate that it also applies to biomedical
19 research, as I read through the report, in addition to the
20 direct medical uses.

21 CHAIRMAN SIEGEL: But just by comment, it's
22 pretty vague on that. I kept trying to read that one point
23 very carefully and I don't know whether biomedical research
24 means that the NRC should have nothing to do with the
25 materials uses in medical institutions or whether it means

1 that the NRC shouldn't be involved with human uses of
2 byproduct material or radioactive material. And I just
3 thought the report was unfortunately more than a little
4 ambiguous about that.

5 DR. HOLAHAN: Yes, they did not define what they
6 meant by biomedical research, whether or not they were
7 considering non human research as well.

8 Okay, the second recommendation to Congress was
9 that Congress should direct the Secretary of Health and Human
10 Services to support, coordinate and encourage the following
11 activities involving regulation, and that includes supporting
12 the operation of the conference of radiation control program
13 directors; providing a mechanism or a venue for the review and
14 evaluation of suggested state regulations for control of
15 radiation which currently the CRCPD does put out for
16 regulation of ionizing radiation; assisting states in
17 implementation of their regulations; aiding in the assessment
18 of the effectiveness of state programs through the collection
19 and analysis of data. And this where I had indicated before
20 in terms of an information clearing house.

21 Helping develop survey methods by which the rate
22 of adverse events for a wide range of procedures and devices
23 could be measured; the error rates or rates of adverse events;
24 monitoring the effects of deregulation; enhancing the training
25 and standards for all health care personnel; and also

1 investigating future significant radiation medicine incidents.
2 So those were the two recommendations directed to Congress.

3 The next three recommendations were directed to
4 NRC. Based on reading through the recommendations it appears
5 that they believe Congress would take action within two years.
6 The first recommendation is that NRC should immediately relax
7 enforcement of 10 CFR 3532 and 3533 through its present
8 mechanisms. And as you're probably all aware, that's the
9 quality management role, and the reporting and notification of
10 misadministration.

11 Secondly, the committee recommends that the NRC
12 initiate formal steps under it's Administrative Procedures Act
13 to revoke Part 35 in its entirety, and basically pull itself
14 out of the regulation of the medical uses of byproduct
15 material. This is if Congress fails to act within two years,
16 which is why I indicated that they are assuming, or it appears
17 that they are assuming, that Congress may act within two
18 years.

19 Finally, their third recommendation to NRC is
20 that NRC separate the cost of formulating regulations from the
21 cost of administering those regulations. In effect that again
22 from a review of the report, that the development of
23 regulations applies to all licensees including those in
24 agreement states, whereas actual inspection and enforcement
25 applies only to the NRC licensees. So they are recommending

1 that we separate those costs out.

2 The final three recommendations are to the CRCPD
3 first of all, and then two to the state legislatures. First
4 of all, they recommend that the CRCPD look at Part 35 and
5 incorporate those aspects of Part 35 that they believe are
6 relevant into their suggested state regulations for control of
7 radiation.

8 Secondly, that all state legislatures, that
9 includes the agreement states and non agreement states, enact
10 enabling legislation to incorporate byproduct material or
11 reactor generator material into their existing state
12 regulatory programs for non byproduct material.

13 And the final recommendation is that the CRCPD
14 and the states together re-evaluate their regulations and
15 procedures pertaining to radiation medicine. And, if you
16 think back to recommendation A2, this was to be done in
17 working with HHS in terms of evaluating effectiveness of
18 regulations and deregulation.

19 Okay, what we have done to date and I'll sort of
20 give you a little bit, Dr. Cool sort had walked through some
21 of the issues, but we did publish a Federal Register notice on
22 January 22nd seeking public comment, noticing that we had
23 received a copy of the report and seeking public comment on
24 the report.

25 In addition, copies of the report were provided

1 to the governors of all 50 states plus the Territories and
2 District of Columbia, and also to all the radiation control
3 programs for all states. And we have requested comments on
4 the expected impacts to those states.

5 Additionally, we have provided copies to all the
6 federal agencies that are mentioned in the report including
7 HHS, DOT, EPA, the Department of Defense and their respective
8 Department of the Army, Navy and Air Force, Department of
9 Veterans Affairs, and OSHA. And then copies of the report
10 have been provided to the Congressional Oversight Committee
11 and yourselves, and also all the regions.

12 As Dr. Cool mentioned there will be a Commission
13 briefing next week by some of the committee members of the
14 Institute of Medicine, and that's scheduled for next Tuesday.

15 We have also done a preliminary review of the
16 report, and as such we have identified several issues for your
17 discussion which you all should have in your briefing books.
18 And just for the public I'm just going to walk through those
19 issues and then I'll turn it over to the committee to walk
20 through, if they like.

21 Okay, the first one is I outlined what the IOM's
22 preferred alternative was. It's does the ACMUI agree with the
23 preferred alternative and the eight recommendations that
24 they've come to propose to implement.

25 Also, do the bases or rationale that is used in

1 the report actually support their conclusions that they have
2 reached to come up with this preferred alternative.

3 I can put these all back up, if you'd like, as
4 you walk through them.

5 The second one, Appendix L of the report includes
6 a dissenting opinion. The committee did not reach full
7 agreement and so there is a separate appendix on the
8 dissenting opinion by one of the committee members. And what
9 we're looking for is your comment on the rationale that he
10 outlined in that appendix.

11 As I outlined before, recommendation B2 indicates
12 that, if Congress fails to act, that we pursue withdrawal
13 through the Administrative Procedures Act. Now, in order to
14 do that Section 81 of the Atomic Energy Act does allow certain
15 uses to be exempt from the requirements for a license.
16 However, such action does require a prior finding by NRC that
17 it would not unconstitute an unreasonable risk to the common
18 defense and security and to the health and safety of the
19 public.

20 And a question to the committee is, on what
21 scientific basis might NRC make such a finding that there is
22 no unreasonable risk and pursue such a withdrawal.

23 Also within the report it indicates that there is
24 a lack of data in terms of adverse events both in other areas
25 of radiation medicine as well as other areas of medicine. And

1 again how does support making such a finding in Section 81.
2 Would that type of data be essential in determining the
3 effectiveness of the regulatory program.

4 One of the recommendations to the committee was
5 to assess the effectiveness of a regulatory program, and they
6 did make a statement in there that they did not address that
7 recommendation.

8 Also then we would need to do a rulemaking to
9 revoke Part 35 and how best could NRC proceed to do a
10 regulatory analysis to support the rulemaking.

11 If NRC could not make findings or Congress did
12 not enact legislation and NRC retained its current statutory
13 authority, does the committee have any recommendations to what
14 necessary revisions should be made to Part 35.

15 If NRC were to withdraw from the aspect of
16 patient safety based on a finding that adequate protection of
17 patients was provided, what revisions should then be made to
18 Part 35 to provide adequate protection of occupational workers
19 and members of the public.

20 I mentioned earlier that recommendation B2 again
21 suggested that NRC revoke Part 35 in its entirety through it's
22 Administrative Procedures Act. However, unlike the
23 recommendations A1 and A2 this recommendation does not address
24 a federal guidance role in any way. And the question is, is
25 how could uniformity be achieved under this recommendation if

1 no federal agency is identified to provide a guidance or a
2 leadership role. Is this a necessary aspect of their
3 recommendations.

4 Okay, again, if Congress enacted legislation or
5 to findings in Section 81 were made, the necessary findings
6 were made in Section 81, and NRC statutory authority for
7 medical use was deleted in its entirety and the states were to
8 assume this authority, what action should be taken and by whom
9 to insure a smooth transition and that there are no regulatory
10 gaps.

11 Again, we have recommendations that are sort of
12 to the bottom line recommendations as to where we should be,
13 the question is how do we get there, if the recommendations
14 were accepted as is.

15 Another issue to be address is what approach
16 could be used to assure uniform protection of patients in the
17 light of differences or potential differences and state
18 priorities in terms of funding, industry pressure and consumer
19 interest. How best can uniformity be assured for patient
20 protection.

21 Again, in recommendation B1 the committee
22 recommended that NRC withdraw or immediately relax enforcement
23 of 3532 and 3533, the quality management rule and reporting of
24 misadministration.

25 Within the report, as I read the report, it also

1 included monitoring as part of the enforcement. Some of the
2 questions then to the committee is what, if any, are the
3 conceptual problems or the basis for the quality management
4 role. Could NRC modify the implementation of the QM rule
5 without losing the basic concepts. And what would be the
6 basis for NRC or the rationale to discontinue inspection of
7 the rule without revocation of the rule.

8 Furthermore, what is the basis for the necessity
9 for relaxation, for the immediate action rather than going
10 through a rulemaking process or take action as part of the
11 overall recommendations.

12 And finally a question again to the committee is,
13 if NRC were to follow these recommendations, what follow-up
14 action should NRC take in the event of a misadministration
15 that results in either a serious injury or even possibly
16 death.

17 Another issue that the committee focused on was
18 the lack of data, as I mentioned before, in terms of adverse
19 events. And the committee urged NRC to continue to cooperate
20 with FDA, has provided the MOU to obtain data on devices and
21 drugs as well as biological processes, or rather products, I'm
22 sorry.

23 And the committee also determined that there was
24 a need for improved databases on the actual incidents of
25 adverse events and misadministration. Again both in radiation

1 medicine and in other aspects of medicine.

2 How can we go about achieving the improved data
3 collection, what is the need for these databases. And if NRC
4 was to remove itself from the medical use area, why should NRC
5 continue to gather such data on user errors, drugs and
6 biological products to share with FDA. Now, if NRC continued
7 as the committee recommends in the role of regulating the
8 manufacturer and production, then there would still be some
9 interest in the sealed sources and device reviews and
10 therefore there may be some information on devices, but in
11 other areas is there a need to collect information on user
12 errors and drugs.

13 Finally, the last two questions or issues relate
14 more to the state's implementation and how the states could
15 provide uniformity. One of the notes in the report was that
16 the committee could find no real evidence to suggest that
17 state regulation is not working well or that all radiation
18 medicine should be subject to federal regulation, but they did
19 note that despite attempts at federal coordination the
20 regulation of other sources, non byproduct sources, is
21 fragmented.

22 So is there evidence or what is the evidence
23 really that state regulation is working well in all states or
24 working well in some specific states.

25 And finally will the states uniformly adopt,

1 voluntarily adopt, the CRCPD's suggested state regulations in
2 the absence of any real compelling mandate placed on either
3 CRCPD or the states.

4 The report did indicate that NRC would continue
5 to license again the manufacturing distribution and
6 production, and therefore all users must be licensed to
7 receive material. But will this provide the uniformity that
8 is being requested, or that the NRC was seeking
9 recommendations on.

10 And as an example, in the recently passed
11 mammography law, Congress provided a compelling reason in that
12 facilities -- or there would be no reimbursement unless the
13 facilities had enacted the -- unless they were certified.

14 So these are some of the issues that we sort of
15 put on the table for discussion by the committee, and unless
16 you have any specific questions I'll leave it to the
17 committee.

18 CHAIRMAN SIEGEL: Just a few non controversial
19 questions.

20 DR. HOLAHAN: Yes.

21 CHAIRMAN SIEGEL: Which also put us at risk of
22 breaking the NAS's legs before they get a chance to talk to
23 the Commission, which is another interesting problem. If we
24 conclude that the report is badly flawed, it's interesting
25 that we will have gone on record before they have actually

1 made a Commission briefing. And I don't know what the risks
2 of our doing that are, but it's something we should keep in
3 mind as we go through this.

4 Let me make a few comments before we start here
5 because I really still have not got a clue on how we ought to
6 structure this discussion. But as I read this report a few
7 principles came across that actually I think are the same
8 principals that we have discussed on a number of occasions and
9 that we have presented to the Commission on a number of
10 occasions, and that as you know I carried to the National
11 Academy of Sciences on our behalf when I made a presentation
12 at one of their meetings. And those principals really are as
13 follows:

14 First of all that the Nuclear Regulatory
15 Commission as an anomaly of the law of the land has
16 responsibility for regulating only a small part of ionizing
17 radiation use in medicine. And it just happened that way
18 because that's the way thing occurred. The focus at the time
19 that the Atomic Energy Act was passed was on nuclear reactors
20 and bombs and the focus was not on the rest of ionizing
21 radiation use.

22 During the process of fostering the peaceful uses
23 of atomic energy, the Atomic Energy Commission got itself into
24 the business of fostering medical research, fostering medical
25 applications and simultaneously developed a regulatory

1 program, but their statutory authority only extended to
2 byproduct material or, if we had any reasons to use source
3 material or special nuclear material in medicine, I guess
4 their authority would extend to that level.

5 So it's only a small part and it's an anomaly of
6 a law that is now almost 50 years old or 40 years old at least
7 as amended. That's number one.

8 Number two, we all have agreed repetitively that
9 the risks from ionizing radiation that derives by byproduct
10 material is not unique by comparison with ionizing radiation
11 that derives from NOARM or ionizing radiation that is machine
12 produced, 140 KEV photon has the same capacity for ionizing
13 whether it comes from NOARM or byproduct material or an x-ray
14 generating machine. It doesn't make any difference, the risks
15 are identical.

16 Number three, the risks of ionizing radiation use
17 in medicine are not intrinsically greater than the risks of
18 other things that occur in medicine. We've talked about the
19 risk of surgery, the risks of chemotherapy. And although one
20 might narrowly focus that on the risks to patients, and that
21 certainly is the most logical focus when you talk about the
22 risks of things that occur in medicine, there are public
23 health and occupational safety implications of the rest of
24 medicine.

25 We worry about the disposal of things that are

1 contaminated with radioactive materials in hospital settings
2 because they're radioactive when in fact the biological
3 hazards associated with things that were contaminated by a
4 patient make the radiation risks pale by comparison.

5 We worry about the risk because of releases to
6 the general public or releases of radioactive material into
7 waste streams and into the atmosphere, but the public health
8 risk of the emergence of things like multiply drug resistance
9 streptococcus pneumoniae, and I'll spell that for you later,
10 or the pneumococcus for those of you who don't know the
11 correct current terminology, make the kinds of risks that we
12 deal with with radiation also seem relatively small by
13 comparison. Now, the public health implications of resistant
14 bacteria and unregulated antibiotic use over the last 50 years
15 are pretty substantial.

16 Consequently, based on those tenets, this
17 committee has been on record repetitively of saying that the
18 regulation of ionizing radiation in medicine should be
19 conducted under some uniform set of regulations that affect
20 all sources of ionizing radiation whether that's housed within
21 a federal agency or whether that is somehow distributed to the
22 states to do individually since the states, one could argue
23 and the National Academy of Sciences has argued, are doing the
24 lion's share of the work now.

25 And a second portion of our recommendation is

1 that whoever has responsibility for that should not have the
2 narrowly focused vision provided by the Atomic Energy Act or
3 some radiation control act, but should have a more broadly
4 focused vision relating to medicine as a whole so that the
5 tradeoffs between an extra dollar's worth of regulatory
6 expense in ionizing radiation can be made against a dollar's
7 less regulatory effort devoted to controlling the misuse of
8 antibiotics, to take the example that I just took.

9 And I think that has been our principal that
10 we've talked about half a dozen times, at least twice to the
11 Commission and at least half a dozen or a dozen times at these
12 meetings, and we've been pretty consistent in reaching those
13 conclusions.

14 So we need, I think if we try to remember those
15 principals it will help us try to understand whether our past
16 thinking is consistent with the National Academy of Sciences'
17 thinking. That's number one.

18 Number two, there is a thread that runs through
19 the NAS report and a thread that we've talked about before and
20 that is this issue of would ionizing radiation use in medicine
21 be as safe as it is were it not for the NRC having regulated
22 it to the hilt for the last 40 years. And I know Judith has
23 raised that question repetitively. And I am reminded a little
24 bit of the story of, I guess it's the man on the train riding
25 through some country who has a amulet around his neck, and the

1 passenger next to him asks him why do you wear that amulet and
2 he says it's to ward off tigers. And the response is, but
3 there are no tigers in this country, and the answer is, the
4 amulet is working.

5 And so in a way I think you can, one can-- I once
6 challenged Chairman Selin to suggest that what we really
7 needed was a randomized controlled trial where we deregulated
8 ionizing radiation use in half the country and continued to
9 regulate it in the other half, and then really try to find out
10 whether the events that we are so concerned about or that the
11 NRC is so concerned about are really occurring at the noise
12 level as we as practitioners have suggested repetitively or
13 whether the NRC intervention has really had the beneficial
14 effect that the NRC wishes to repetitively pat itself on the
15 back and say see, we're doing great and it's because we're
16 here.

17 And a corollary to that is, Trish just said, well
18 what would happen when we get the next serious
19 misadministration that results in injury or death. And I
20 think the one thing we need to remember is we certainly don't
21 want to continue to have government by yo-yo. And reacting to
22 the last bad event is not an intelligent way to govern.
23 Unfortunately it is the way the government appears to work in
24 the United States. And I don't know whether all the words we
25 can shed on that are going to do much, but we should try to

1 remember that principal when we respond to the NRC.

2 Now, does anybody want to counter anything I just
3 said as principals that I believe we have generally
4 established and usually reached a consensus on before we go
5 any further.

6 Lou?

7 MEMBER WAGNER: Barry, one issue I think was
8 brought up by the RSNA in the report, and I took note of their
9 dissention with the idea that the regulation should be under
10 one agency for the use of radiation in medicine. They
11 recommended or they suggested that there are entirely
12 different risks associated with radiation which is introduced
13 into a patient versus radiation that is machine produced. And
14 they didn't feel that the regulation would be appropriate to
15 be monitored by a single agency. And I just wanted to make
16 note of that in the report.

17 And I think there are some important issues,
18 although the risk of ionizing radiation are the same no matter
19 where it comes from in terms of irradiating the body, the
20 method of how it is introduced is entirely different in those
21 two things and there are some very significant issues in terms
22 of the potential risks of how it might be introduced.

23 CHAIRMAN SIEGEL: I'm not sure I agree with you.
24 I mean that's the RSNA's viewpoint from the viewpoint of their
25 constituents and the turf that they are choosing to protect.

1 I would actually argue that the more, the larger
2 the component of this that is regulated by a single entity or
3 in a single fashion, the more likelihood it is that the
4 regulated community has an opportunity to have its voice
5 heard.

6 And one problem in the past has been is that the
7 nuclear medicine community and the radiation oncology
8 community relative to radiology as a whole is a relatively
9 small segment and lacks the clout, if you want to use that
10 sort of nasty word, to have it's viewpoint be heard and get
11 the full light of day.

12 So, well in fact I've made the argument on a
13 couple of occasions that, if we applied an NRC-like regulatory
14 schema to all of medicine, that having a couple of hundred
15 thousand doctors involved and all the pharmacists and
16 everything else would insure that the process would achieve
17 some greater level of balance than it has when it's only the
18 NRC dealing with byproduct material with a relatively small
19 constituency of regulated, members in the regulated community,
20 that don't have a lot of clout in the final analysis, that
21 can't get Congress to change it for them because they just
22 don't carry enough weight.

23 So I understand the RSNA's viewpoint, but yes
24 sure machines are different, machines don't pollute the
25 streams and the air, but the overall radiation safety issues

1 in the final analysis can be broken down to trying to
2 understand what the risks are and then trying to create a set
3 of regulations.

4 I mean teletherapy is currently NRC regulated and
5 it's a form of machine produced. And so I don't know that I'm
6 swayed by the RSNA's argument.

7 Lou?

8 MEMBER WAGNER: May I just make one other comment
9 though. I think the focus that we should try to look for is
10 on why the system is broke, what are the mechanisms which
11 caused it to be broke. The issue here in regard to internally
12 administer radiation or externally administer radiation, I
13 have a little bit of experience with from my state because it
14 appears to me in my state much of the regulations that come
15 down for machine-generated radiation are just simply
16 transferred from what the NRC recommends through internal
17 administration. And that doesn't work. It simply doesn't
18 apply all the time, and we're constantly fighting with the
19 state because of the inapplicability in that area.

20 And I think there's a lot of issues like that
21 which are going to be very difficult to deal with in this
22 committee and in the future with regard to these
23 recommendations that are important for us to address.

24 CHAIRMAN SIEGEL: Dennis?

25 MEMBER SWANSON: I think one other principal that

1 in fact this committee is embodied in is that there needs to
2 be active involvement of the regulated community in the
3 development and evaluation of regulation. And certainly we've
4 seen a very positive approach on the NRC's part in recent
5 years in that regard. But I think it's critical that that be
6 one of the principals of however this is regulated. And in
7 fact I think that's one the big areas where it got broke.

8 CHAIRMAN SIEGEL: Lou?

9 MEMBER WAGNER: Yes. I think we still have to
10 focus on the idea of where it got broke. And I liked Dennis'
11 comment a lot. One of the factors that I didn't see in the
12 report, which maybe we also ought to think about, is the fact
13 that they did allude at least in the report to the fact that
14 the expertise in medicine to the NRC was grossly lacking
15 within the NRC. Now, the NRC seeks recommendations from the
16 medical community as with this committee regarding its
17 recommendations and things, but there is actually no clout of
18 medical expertise within the NRC itself in making and
19 describing and enforcing the regulations.

20 So I think that Dennis' comment is very good. I
21 don't see within this IOM report recommendations as to how to
22 solve that aspect of the problem that I think we agree was
23 broke.

24 CHAIRMAN SIEGEL: Jeff, do you have a comment?

25 MEMBER WILLIAMSON: Well, yes. I guess the

1 thoughts that I've had trying to read this report are in a
2 slightly different direction. I do want to say regarding
3 medical use, I really agree with your enunciation of the set
4 of principals. So I suppose in my mind I find it helpful to
5 distinguish kind of three levels maybe of regulation that we
6 might think about.

7 I mean there are first of all, I suppose some
8 general practices which are applicable to all forms of
9 ionizing radiation, and they pertain I think largely towards
10 minimizing the epidemiological risk of exposures of large
11 groups of people.

12 So I'm thinking of regulations that would
13 identify maximum permissible exposures to the general public,
14 to occupationally exposed workers regardless of whether
15 they're working with byproduct material electronically-
16 generated x-rays, whether it be in medicine or nuclear
17 reactors or wherever. So they're sort of core of basic safety
18 standards which, you know, maybe in my view it would be better
19 to have a uniform set of standards across the country rather
20 than one state allow 100 sievert per year, millisievert per
21 year, occupational exposure and another adheres to something
22 else. That's sort of confusing.

23 I suppose the second level of regulation then
24 would maybe pertain to the specific properties of radioactive
25 materials as opposed to electronically-generated sources of

1 ionizing radiation. Namely those that when the machine is
2 turned off go away versus those where there is some lingering
3 presence, and that does present some different issues
4 regarding if a source is lost or false from a controlled state
5 and unintentionally exposes some group of people.

6 So there are then maybe rules and standards
7 regarding the transportation of sources, shielding
8 requirements, requirements on record keeping so sources don't
9 get lost and mislaid, and so on and so forth. And that again
10 is an issue that it seems to me totally independent of whether
11 it's medical use or some other kind of use.

12 And then finally I think we come to medical use.
13 And I really think a lot of what has inflamed the regulated
14 community is recent attempts by NRC to get into the issue of
15 managing quality of the treatment of patients. And I think
16 that any kind of sort of regulatory approach that's going to
17 focus on what seemed to clinical practitioners to be sometimes
18 very superficial aspects of the treatment without taking sort
19 of global view is just doomed to fail.

20 Either, you know, you have to come with some
21 sort of a system that encourages and fits in with sort of the
22 global management of the patient, and that's going to focus
23 not just identify the patient in two ways, but is this the
24 proper thing to be doing for this patient with this clinical
25 presentation.

1 And even as physicists, you know, I have my role
2 in checking that, but NRC doesn't recognize that as having any
3 importance at all, you know. They're focused on relatively
4 remote and low probability events.

5 And I really don't -- I guess I find it difficult
6 to see how a prescriptive system can do that. It seems some
7 sort of a more set of standards or evaluations or something.

8 But I think it's sort of the third level, maybe
9 if we distinguish between these three levels of what's needed,
10 maybe it would be a little easier to structure our discussion.
11 Because it seems most of the points that resonate with me in
12 the National Academy of Sciences report pertain to the issues
13 and controversies surrounding the sort of third level, that is
14 the involvement of regulatory agencies in the delivery and
15 monitoring of treatment to patients as distinguished from the
16 issue of safety to practitioners and members of the public.

17 CHAIRMAN SIEGEL: Good.

18 Any other comments before we continue?

19 Donald?

20 DR. COOL: I'd like to take just a moment. I was
21 very interested by a couple of the comments here. I remind
22 the committee in this discussion that one of the things we
23 were looking for when we originally went out to obtain these
24 recommendations was to get some view of how to get a uniform
25 consistent national viewpoint.

1 And, Barry, you make a very interesting comment a
2 minute ago about the effectiveness of a single entity and the
3 voice that individual groups would have versus a variety of
4 entities which might be out there, which is in fact the
5 present situation now.

6 One of the questions that has bothered me
7 personally about this process, about the recommendations and
8 otherwise, is how you obtain any sort of uniform consistency
9 as I move from one place to another. Particularly given a
10 recommendation which would appear to fragment the
11 responsibility in 50 different ways. Or how to obtain some
12 consistency given that 50 individual organization states plus
13 some Territories and otherwise.

14 Looking then at the different levels, because you
15 do have a couple of different levels. One of the questions
16 that we were attempting to ask here was the difference in
17 levels. I think if we were to hold a long discussion we would
18 all agree that everything that had been done in the past was
19 by no means perfect. I will be the first to tell you that.
20 And I am not here today in an attempt to defend any particular
21 program. There are some things that I think personally I
22 would significantly change even if the regulatory authority
23 were to remain with the Commission.

24 If I step back out of the role of director of
25 industrial nuclear safety, what I would like to see achieved

1 is a uniform consistent approach which has the right kind of
2 focus on the right kinds of issues, issues associated with
3 protection of physicians, nurses, those who are going to be
4 occupationally exposed because they are using this material
5 and they are using it for some particular purpose. In that
6 sense you are not really any different from a lot of the other
7 groups. The folks that walk into the power plant every day
8 are receiving occupational exposure because they're attempting
9 to work with radioactive material to achieve some end that
10 happens to be a different end.

11 The same sort of thing happens with a
12 radiographer or a mammographer, those who would run in a
13 radiator, those who run a research reactor, those who prepare
14 radiopharmaceutical. All of those are obtaining risks or
15 accepting risks because they are working with a material to
16 produce some particular product or value or information.

17 Secondly there is a general charge towards
18 protection of the public. And one of the issues to be derived
19 here, one of the issues which may in fact be critical in a
20 decision of how to proceed overall is what you mean when you
21 say public. Because there is no single public necessarily
22 when you go out there. When I say public do I mean the
23 patient. Certainly he is a member of the public, eh's not an
24 occupational worker.

25 But that's very different from the person sitting

1 in the cafeteria who is probably very different from the
2 husband, wife, significant other, kids and otherwise of the
3 person being treated who may yet be different from the person
4 whose house sits across the street. And the relative
5 ambitions and approaches that we take to provide protection
6 for those different groups.

7 So there are a couple of issues that you've laid
8 out on the table that I hope you'll be able to explore a
9 little bit more. But the consistency approach and how to
10 achieve that, and irrespective of where that's located, it may
11 well not be within the NRC because of the limitations that,
12 Barry, as you've rightly pointed out, AEA gives us a very
13 little box in which to play.

14 But I would hope that in going and solving the
15 problem we would just not succeed in moving the box around.

16 CHAIRMAN SIEGEL: Agreed.

17 Lou?

18 MEMBER WAGNER: I was just going to ask some
19 questions because I'm a little confused about this idea of
20 consistency.

21 What we have now in place, the NRC comes up with
22 its recommendations. Now, agreement states have to follow
23 them. But agreement states can deviate from them as long as
24 they're more restrictive, which in many cases they are. So we
25 don't have a total uniformity of regulations across the board

1 in the first place simply because that's in force. In my
2 state we have more restrictive rules in some cases than what
3 the NRC has.

4 CHAIRMAN SIEGEL: Let me interrupt for just a
5 second.

6 MEMBER WAGNER: Yes.

7 CHAIRMAN SIEGEL: That level of consistency
8 though only applies to byproduct material.

9 MEMBER WAGNER: Of course, but then my state does
10 what many other states do is take those rules and apply a
11 narrative.

12 Of course, and the way things would work within
13 the IOM's recommendations is that you would have a federal
14 agency which would make recommendations for uniformity, and
15 the states would have the option in that case of adopting or
16 not adopting them so that instead of being more restrictive,
17 they could be less restrictive if they wanted to. That's the
18 only one difference that I see in all these recommendations.

19 But otherwise we don't have uniformity completely
20 today because we have some places that are more strict than
21 others.

22 MR. CAMPER: A comment on that, Lou.

23 It's an interesting comment, and I find some of
24 Jeffrey's comments very interesting for the same reason.

25 In another part of my career I spent about eight

1 years as a consulting health physicist and medical physicist,
2 and we had clients in about 26 different states. And what I
3 found was very interesting. Some states did exactly what you
4 just said, they would apply NRC criteria, either regulatory
5 criteria or guidance criteria, to everything whether or not it
6 was an item of compatibility.

7 In fact, if you look at Part 35 today, very
8 little is an item of compatibility. However, it has
9 transcended the lines and it gets applied.

10 In some cases I found variances in the ways in
11 which regulatory guides were used. Some states required an
12 exact commitment to a regulatory guide, and some states had
13 variances thereof.

14 And what I also found was, is that while the NRC
15 sort of puts its rulemaking process out for public comment,
16 due process, etcetera, many times the state regulatory
17 agencies apply things through the licensing process because of
18 a number of encumbrances. Either their legislatures meet only
19 periodically or there are certain procedures that they don't
20 follow, in other words their legislatures don't have capacity
21 to deal with.

22 So what the regulators do then in order to
23 achieve what they believe to be a reasonable level of safety,
24 is they impose license conditions. And sometimes the things
25 that I would find that were being imposed by license

1 conditions were much more stringent, if you will, than the
2 NRC's regulations.

3 So I agree with you totally that, based on my own
4 personal observation as a practicing physicist, that I saw
5 great inconsistency. And it's not clear to me what level of
6 consistency that we have today at all in fact.

7 CHAIRMAN SIEGEL: Sure.

8 Bob?

9 MEMBER QUILLIN: Let me give a perspective from
10 the state's point of view. Just so everybody understands when
11 the NRC promulgates a regulation, they establish what they
12 call a division one, two, three, four, whatever it is, level
13 of compatibility for that regulation.

14 I don't remember these exactly, but basically
15 division one says it would have to be exactly the same as the
16 NRC regulation. Two says you have to be essentially the same.
17 Three is sort of optional. Then there is a level in there
18 where only NRC can regulate that. And then five is really
19 open to whatever you want to do so to speak.

20 So the NRC sets this level of compatibility and
21 then the state, agreement state is expected to enact a
22 regulation which matches that NRC regulation exactly or
23 essentially the same, etcetera.

24 In our particular state, just as an example, our
25 state statute says that our regulations have to be the same as

1 the suggested state regulations. That's the SS regulation for
2 control of radiation. And unfortunately what we face is that
3 the suggested state regulations take some time to develop and
4 sometimes the NRC regulation time frame, which the NRC gives
5 you to implement this regulation, comes due before the
6 suggested state regulation ever comes around to being, so we
7 have to adopt a version of the federal regulation depending
8 upon the compatibility in a time frame which is such that the
9 suggested state regulation has not been developed yet.

10 There's been this historic problem of delay and
11 development of the suggested state regulations.

12 Suggested state regulations go across the board.
13 They apply not only to radiation medicine, but to x-ray, to
14 natural occurring radioactive materials, x-rays in the medical
15 settings, x-rays in industrial settings, etcetera. When the
16 suggested state regulation process development occurs, they
17 try to bring in obviously the state people who have some
18 knowledge in this, but also federal people and in some cases
19 go outside government to participate in this process and add
20 depth to it.

21 I hate to volunteer anybody, but Dick Gross from
22 the FDA is here and he's been participating in this kind of
23 activity for many years and probably can tell you more about
24 it than I can.

25 But it's a long involved process. We have, one

1 of the things that we have at the state level that the federal
2 government doesn't have, for example in Colorado when we have
3 a rulemaking process, we have a public hearing on that which
4 anybody can get up and say whatever they want to say. If it's
5 a significant change from what we proposed, the process starts
6 all over again basically.

7 And even after this process is done and the
8 rulemaking board is agreed with the rule, it goes before a
9 legislative council. The legislative council has a crack at it
10 to see whether they think the rules is within your legislative
11 purview and intent. And if they disagree with that, then you
12 have a hearing before a legislative committee, which you'd
13 normally lose, but anyway you can try. I've tried it twice
14 and I lost twice so that's why I know.

15 But anyway, in many states the process is much
16 more open and much more involved than it is at the NRC level
17 rulemaking. And there's much more involvement in trying to
18 resolve issues before it ever gets to the public hearing stage
19 and NRC level. But you know we've got all these other hurdles
20 to jump through beyond what the NRC has to jump through.

21 So rulemaking at the state level is not an easy
22 process. It's a long involved process. And you're looking at
23 the NRC over your shoulder to see the compatibility issue,
24 you're hoping that the suggested state regulations are in
25 place so that you can use them as a guide, but they may not

1 be. And sometimes you just have to go ahead and act without
2 all these things behind you.

3 CHAIRMAN SIEGEL: Let me ask a question, Bob,
4 before we take a break in a minute here, and it will help me
5 develop something later. How did Colorado do it's bit with
6 the Medical Quality Standards Act, what kind of hoops did you
7 all have to jump through to get a program in place and to
8 create any special Colorado provisions of that and how
9 complicated was it?

10 MEMBER QUILLIN: Well, I can tell you that we
11 are one of the states that is --

12 CHAIRMAN SIEGEL: I said medical and I meant
13 mammography?

14 MEMBER QUILLIN: Oh, mammography?

15 CHAIRMAN SIEGEL: Yes.

16 MEMBER QUILLIN: I'll just tell you that as far
17 as the quality management program, we have treated that with
18 benign neglect. We never enacted that particular regulation
19 even though it's a compatibility issue.

20 CHAIRMAN SIEGEL: So shouldn't he be imprisoned
21 right this moment since he's already past due? I actually
22 meant --

23 DR. COOL: That's the subject of another
24 discussion off the air.

25 CHAIRMAN SIEGEL: I actually meant, tell me about

1 Mammography Quality Standards Act. I want to know what
2 Colorado did.

3 MEMBER WILLIAMSON: Before the Mammography
4 Quality Standards Act, MQSA, went into being, we actually had
5 a movement in Colorado to try to tighten up some of the
6 mammography issues. We had already regulated the equipment
7 issue so that the equipment part of it was taken care of.

8 But the movement was in Colorado was to try to
9 regulate the radiographer who actually, the mammographers, who
10 actually performed the procedure because of some questions
11 about qualifications there. So we had a statute in place
12 which we were implementing which required that mammographers
13 actually passed the ARRT exam to perform this.

14 We were not regulating the position part of it at
15 all. The position part of it was not regulated. So when MQSA
16 came in we didn't have that much more to do because the ACR
17 certification process, the regulations we already had in place
18 other than really to negotiate with the FDA to perform the
19 inspections and then to start doing the annual inspections
20 required by the act. So it was a relatively painless project
21 to get into in our particular state.

22 CHAIRMAN SIEGEL: Was it painless in Texas, Lou?

23 MEMBER WAGNER: Absolutely not. The state of
24 Texas decided to enact their version of MQSA before MQSA was
25 enacted. And now what we have in the state of Texas is we

1 have to follow both MQSA and state of Texas rules, sometimes
2 which are in conflict, and it becomes a major issue for us.

3 I'll give you an example. The state of Texas
4 says that we have to perform monthly phantom tests. The rules
5 within the regulations right now on those monthly phantom
6 tests within the state of Texas follow the old recommendations
7 of the ACR. The new recommendations of the ACR are entirely
8 different. The problem is now we've got two sets of
9 regulations, both of which are in conflict. And I value what
10 the state of Texas tells me to do in that regard, I'm actually
11 outside the practice of medicine, standards of the practice of
12 medicine.

13 This is where problems start really developing
14 with state's issues versus national issues. And I think there
15 are things that we have to think about. I don't know what the
16 solutions are. I find that when the state has made up
17 regulations and come with the recommendations from apparently
18 the CRCPD, in many cases these regulations have been
19 absolutely ludicrous.

20 An example, the state proposed a regulation that
21 said you have to check your focal spot on your mammography
22 machine and, if the focal spot gets smaller by ten percent,
23 you have to change the x-ray tube. In other words, if the
24 image gets better, you've got to throw it away.

25 There are so many things that go on like this

1 that it really gives me great trepidation to think of the
2 states.

3 CHAIRMAN SIEGEL: How often does the focal spot
4 get smaller though?

5 MEMBER WAGNER: I've seen it once.

6 CHAIRMAN SIEGEL: Okay.

7 MEMBER WAGNER: I've seen it once. It turned out
8 that the filament burned out and then rewelded.

9 But things like this occur and it does give me
10 great trepidation to think that the IOM has given, passed over
11 such authority to the states without performing an
12 investigation into how good are the states doing themselves.
13 And therein lies to me a big problem. I'll be anxious to hear
14 what the IOM has to say in regards to what they've done with
15 that.

16 CHAIRMAN SIEGEL: Dennis?

17 MEMBER SWANSON: I just wanted to comment on Dr.
18 Cool's concerns regarding a uniform standard of occupational
19 and public exposure limits and uniform standards of patient
20 care.

21 With regard to uniform standards for occupational
22 and public exposure limits, I think I'm in agreement that
23 there needs to be some kind of a uniform national standard.

24 With regard to patient care issues, let me
25 present an anecdote. Let me present an anecdote. If I look

1 what goes on in pharmacy, we have a national association of
2 boards of pharmacy. The NABP develops model rules and
3 regulations so it's sort of synonymous with the role of CRCPD.
4 The state boards of pharmacy can adopt those model rules.
5 They can adopt them completely. They can adopt parts of them.
6 Or they can ignore them. Being somewhat of a transient
7 individual, I've had the opportunity now to work in four
8 different states as a licensed pharmacist. Each state has
9 had its own set of pharmacy rules and regulations that differ
10 in a prescriptive manner from one state to another one. But,
11 I can tell you, in all four states, the quality of
12 pharmaceutical care does not vary. Even though the
13 prescriptive rules and regulation's different.

14 So, I'm not sure that that uniform standard of
15 patient care is as much of concern as it relates back to
16 specific regulations as what you might think.

17 CHAIRMAN SIEGEL: Judy, you have a comment?

18 DR. STITT: Yes, I'm sort of struggling with it
19 but let me go ahead and just put it on the record.

20 As a physician and a cancer doctor, I deal
21 primarily with women who have breast cancer and using
22 radioactive isotopes for treating gynecologic cancer. So, I
23 hear our radiologist growl about the mammography rules and
24 then I think you know nothing compared to what we've been
25 living with for all these years with isotopes.

1 But in looking at, and I understand what the
2 diagnostic radiologist, looking at the medical viewpoint, when
3 they're talking about the mammography regulations. But my
4 view, and this, again, my very own interior view of what the
5 mammographers have to put up with, really talks about the
6 machine qualifications, inspection. And when I try to look at
7 the QM rule brachytherapy, there are some of those issues.
8 But I think that that has really moved into the practice of
9 medicine to a far greater extent than any other aspect of
10 medicine or ionizing radiation.

11 And that's one of the things that I think maybe
12 has caused some of the comments in this report is that
13 particular aspect of this very small part of ionizing
14 radiation. And then that new extension of here's how you're
15 going to practice medicine. Because I think a lot of that
16 rule comes down to it.

17 And again, in trying to compare it to the other
18 part of the work I do which has to do with breast cancer and
19 mammograms, I think they're both regulatory sorts of issues
20 but I think they were set up differently and they're carried
21 out differently.

22 Just some food for thought.

23 CHAIRMAN SIEGEL: Why don't we take the scheduled
24 15 minute break.

25 (Whereupon, at 10:10 a.m. a brief recess until

1 10:33 a.m.)

2 CHAIRMAN SIEGEL: We are now back on the record.

3 The next order of business is for us to decide
4 how we want to proceed. And let me -- two thoughts. One is,
5 first of all, for us to go right into question 1 which was, do
6 we agree that the preferred alternative picked by the National
7 Academy of Sciences before we've heard from the National
8 Academy of Sciences seems a little bit unfair.

9 So, I'm going to suggest that we defer that
10 question until we've heard from them early this afternoon.
11 And then we can, perhaps, after we've heard their thinking a
12 little bit more clearly, we can attack that question.

13 The other thing it seems to me as I've listened
14 to the discussion this morning and as I read the report, and
15 I'm sure all of you have this concern, that there are some
16 apparent inconsistencies in the recommendations that, as Trish
17 pointed out, if Congress doesn't do this, then you do this.
18 And please do that. But no mechanism for the transition is
19 provided.

20 It really does seem to me in a way that the
21 fundamental underpinning of the National Academy of Sciences
22 recommendation, principle recommendation, has to be some
23 action by Congress to change the regulatory schema. And in
24 the absence of that, it seems to me much harder to understand
25 how the NRC, given the law that it currently administers, is

1 going to make some of the broad sweeping changes that the
2 National Academy of Sciences recommends.

3 So, I thought what we might want to do now, but
4 I'm open to suggestions, is to try to look at those questions
5 that are least dependent on Congress doing something and most
6 dependent on the NRC taking whatever actions it can take of
7 its own accord.

8 DR. STITT: Could I ask a question that relates
9 to what you said?

10 CHAIRMAN SIEGEL: Sure.

11 DR. STITT: That is that this court has to go to
12 Congress, or that's the primary way to make a change. But how
13 does that happen? Does Congress have to do -- to respond to
14 this?

15 CHAIRMAN SIEGEL: Of course not.

16 DR. STITT: That's what I would assume. So tell
17 me -- is there anybody here who can tell me more about that
18 particular gap? I do not understand.

19 MR. CAMPER: Well, the recommendation to the
20 Congress is that it would enact legislation that would change
21 the authority of the Nuclear Regulatory Commission. Now, that
22 could happen one of several ways. Either a congressman or
23 group of congressmen could read the report, could become
24 interested in and agree with the findings and recommendations,
25 and could pursue initiating legislation. Another avenue would

1 be that individuals or organizations might attempt to bring to
2 the Commission -- their congressmen the recommendations and
3 try to develop -- stimulate an interest in their congressmen,
4 or group of congressmen, or senators, to initiate legislation.

5

6 One of the things that makes it difficult, I
7 think, in terms of the congressional action is that our
8 organization has oversight by several congressional committees
9 which is always complicated, not only for this particular type
10 of legislation but for any legislation when you have multiple
11 oversight committees involved.

12 But generally, it would be one of those things.
13 Either a congressman, or senator, or group thereof, would take
14 an interest in the report and would decide to pursue the
15 recommendation. Individuals or organizations would capture
16 the attention and interest of their congressmen and would
17 advise, suggesting that they pursue and that would happen.
18 It's hard to say just how that might play itself out.

19 DR. STITT: What's the likelihood that no one
20 would take any interest in this? Or would prefer to let it
21 sit? Is that at all possible? Is it possible that no one
22 would want to take this to Congress and it could sit there
23 quietly?

24 MR. CAMPER: Well, it would be -- I would be very
25 hard pressed to comment as to what Congress might or might not

1 do. I mean, I can --

2 DR. STITT: But is it possible?

3 MR. CAMPER: I can venture my own personal
4 observation. That's all that it is. And that is that this is
5 an election year and we are involved in big issues such as
6 budget issues and so forth and so on. I don't see this being
7 high on the scope of attention, frankly, in Congress.

8 Now, but then again, one never knows.

9 Marjorie was pointing out to me another thing
10 that could happen in Congress is, and I was -- my comments to
11 you were backwards. What would Congress do? What would it
12 initiate? Another way that Congress could pursue action is
13 that the Commission could go to the Congress and suggest
14 legislative change to the Atomic Energy Act that would remove
15 the agency's authority for byproduct materials as it relates
16 to medical use, medical to be defined getting back to some of
17 the earlier comments about research versus totally medical
18 human use. But that is another way it can happen.

19 DR. HOLAHAN: The report has been provided to all
20 NRC's congressional oversight committees. So those
21 committees, or the chairman of those committees, are aware of
22 the report.

23 CHAIRMAN SIEGEL: Jeff?

24 DR. WILLIAMSON: Yes, I guess along the same
25 lines, I, too, would like to ask a point of information. The

1 sort of B conclusions or recommendations that the report has
2 made that, for example, you relax immediate enforcement of the
3 quality management program and the misadministration reporting
4 rules, and so on. What's the process for doing that and what
5 level of control do you have for, without legislative action,
6 basically retracting large parts of Part 35?

7 MR. CAMPER: In answering that, let me try to
8 just pick up one more thought on this other question. You
9 know, the question was, what might Congress do. You know, the
10 Commission, as Don explained in his opening comments, has
11 several pathways open to it. I mean, it could, for example,
12 decide that upon review and listening to the National Academy
13 of Science during its report, that they've heard enough and
14 they want to move to truncate the involvement of the agency,
15 and could do so through the legislative approach,
16 recommendations to Congress.

17 It also, the Commission, that is, could also
18 decide that it may decide to dramatically modify Part 35. And
19 go through a rulemaking process to effect that change and go
20 through the normal public comment gathering probably
21 facilitated meetings, et cetera.

22 There's another pathway that Trish covered in her
23 opening comments, too, and it's under your question 3. That
24 the Commission could consider. Now, that calls for a very
25 strong litmus test in that the action would necessitate a

1 prior finding by NRC that the exemption of such classes,
2 qualities, or users of such material would not constitute an
3 unreasonable risk to the common defense and security to the
4 health and safety of the public. That's another pathway that
5 creates a possibility that could be pursued.

6 Now, getting back to Part 35, 32, and 33 of the
7 quality management rule. That's a little bit easier to deal
8 with in terms of action the Commission might choose to take.
9 We have been for the last two years now gathering data as we
10 inspect the implementation of the quality management programs
11 by licensees. And we have compiled a database that
12 demonstrates all those findings. It talks about the numbers
13 and types of violations, how the licensees were meeting or
14 failing to meet the requirements of the rule, and so forth and
15 so on.

16 One of the things that we want to do is, in the
17 very near future, from the staff's standpoint, and again, I
18 call upon this so much because as Don pointed out earlier and
19 I think Trish reiterated, we have presented to the Commission
20 a staff plan for how to deal with this. And we now as a staff
21 await feed back from the Commission as to what it thinks of
22 the staff's plan. Does it want to pursue that. And we could
23 talk about what the staff's recommendation is. But, again,
24 qualifying that with the fact that the Commission has to make
25 the final choice and tell us how to proceed.

1 But we have been gathering this information on
2 the inspection of the QMTI. We want to go through an analysis
3 of what it has shown us. Currently, the temporary
4 instruction, we call it a TI, associated with that rule is due
5 to expire in August of this year. Amongst the things that we
6 have been pondering is to try to do a prompt analysis of what
7 we have found as we have inspected the rule, see what those
8 conclusions are, and perhaps move to truncate the inspection,
9 the TI, of the quality management rule. But that's something
10 that the staff has a fair amount of leeway in suggesting to
11 the Commission that it do.

12 Amongst the options that the Commission could
13 consider would be to pursue some prompt rulemaking, if such a
14 thing exists, to eliminate the quality management rule, or
15 components of the quality management rule. Another possible
16 option is, and this again is a bit more manageable and
17 controllable by the staff in terms of how it might proceed to
18 make recommendations to the Commission. We could do things
19 such as exercising enforcement discretion as it relates to the
20 quality management rule.

21 The truncation of the TI. In other words,
22 ceasing to inspect the implementation of it. Saying we've
23 seen enough. We've inspected enough facilities. We've
24 learned enough. We know what the outcome is. We know how
25 many misadministrations are occurring today as compared to how

1 many misadministrations occurred pre-QM rule, and we know what
2 the finds are. And we therefore don't think that the
3 continued resources by licensees or by the agency warrants
4 that activity. Those kinds of movements could be made, or
5 recommendations could be made, to the Commission.

6 So, there's a spectrum of possibilities as it
7 relates to the QM. And it's far easier to deal than the
8 question, of course, at large.

9 CHAIRMAN SIEGEL: Lou?

10 MR. WAGNER: Bob Quillin, could you give me some
11 insight as to why the state of Colorado has taken its posture
12 regarding the QM rule? What about the QM rule does the state
13 of Colorado find difficult to enforce or not want to enforce,
14 or whatever?

15 CHAIRMAN SIEGEL: Before you answer, let me
16 interject. That we are -- No, I'm not going --

17 MR. QUILLIN: Read me my rights.

18 CHAIRMAN SIEGEL: You've got the right to remain
19 silent.

20 The direction the discussion is heading is
21 exactly where I wanted it to go, which is that we should
22 discuss NRC questions 8 and 9 first as things that we can
23 discuss that the NRC can deal with that have nothing to do
24 with what Congress does. And then we probably want to move to
25 question 4 after that, I think.

1 But let's start with 8 and 9, quality management
2 rule> How it could be changed. What's conceptually wrong
3 with it. And as a start to that, we can begin by finding out
4 why Colorado thinks it's no good.

5 Gee, is that a loaded question?

6 MR. QUILLIN: Colorado never said it was no good.

7 I'll tell you this from my perspective. And that
8 is that I've been in clinical practice myself. I've been an
9 NRC licensee and I'm now a regulator. So I've seen both sides
10 of the fence.

11 My personal perspective was that the cost of this
12 rule offset the benefits of the rule. The cost to the
13 licensee and the cost to our regulatory program exceeded the
14 benefit of the rule. And the fact that it was not
15 justifiable. We have to do a cost benefit analysis for our
16 rulemaking process. And in all honesty, in the past I have
17 not been impressed by the NRC's cost benefit analyses
18 rulemaking because we looked at it. We couldn't see it was
19 justified.

20 CHAIRMAN SIEGEL: Lou.

21 MR. WAGNER: I would also like to state that
22 whenever I talked to the regulators within the state of Texas,
23 they respond with a measured element of disdain for the QM
24 rule. So it is quite clear to me that it is not just the
25 people who are practicing medicine but it is also some of the

1 regulators in the state who think that the QM rule is
2 inappropriate. And perhaps that is exactly the issue. The
3 cost and difficulty of implementing this rule exceed the
4 benefits to be gained from the rule.

5 CHAIRMAN SIEGEL: Judith?

6 DR. STITT: Comment along the same line.

7 I was asked by the American College of Radiology
8 to write standards for high dose brachytherapy and low dose
9 brachytherapy. The ACR has standards for a variety of things
10 including mammography, external beam radiotherapy, et cetera.
11 And when I -- the QM rule bugs me because it looks like what
12 professional organizations should be doing to set up standards
13 of practice. And I think that's where it lies. It should
14 reside with the clinicians, the professionals, to establish
15 standards. This could be something that's national and then
16 also viewed by the states. Certainly the ACR is a national
17 organization. That's how it influences me and my bias towards
18 it.

19 CHAIRMAN SIEGEL: Larry.

20 MR. CAMPER: Let me just share a couple of
21 observations with you about the QM rule, having inherited that
22 1990 when I became the section leader for the medical and
23 academic section and then being actively involved in a team
24 that brought it to fruition.

25 I can remember vividly the criticism that was

1 being levied against the quality management rule. I'll never
2 forget the time when I was asked to give a 20 minute talk at a
3 professional meeting and I was told to limit it 20 minutes
4 because it's a tight schedule and that's all they're going to
5 want to hear. And one hour and 30 minutes into the
6 presentation with 15 people behind the speaker lined up
7 criticizing the rule, I thought, well, this is baptism by fire
8 at best.

9 But the complaints that I heard a lot are the
10 ones that are being echoed again here today. And that is that
11 you had a low frequency of occurrence of misadministration.
12 Something on the order of 10 to the minus 4. And yet, you're
13 proceeding to put in place arguably what are very prescriptive
14 criteria for what we as medical practitioners believe is the
15 noise level for errors. And why are you doing that because
16 it's not going to improve our performance, anyway, and these
17 are types of things that we as professionals should be
18 involved with ourselves.

19 Now, the principles of the QM rule, the five
20 objectives, seem to have been fairly well received. I think
21 that there was an underlying feeling by many and a lot of
22 state regulators have expressed to me that you don't need to
23 be doing this. This is not where we should expend resources
24 and so forth. But the Commission felt that it did not want to
25 remain in a watch mode. In other words, just receive reports

1 of misadministration, some of which were consequential. They
2 wanted to try to do more to improve that standard.

3 And as a result of that, what was supposed to be
4 created as a performance based rule, and I think the
5 objectives arguably are performance based, was put in place.
6 But I think as often is the case, the devil's in the details.
7 And it deals with implementation. And I watched first-hand
8 this process occurring. I watched it in the inspection arena.
9 I watched it in the enforcement arena. And I'm not
10 criticizing anybody. I'm just saying I watched the process
11 unfold and there was a tendency towards prescriptiveness.

12 And I will never forget when I was visiting on
13 the West Coast along with Sally Merchant who was a project
14 manager for the QM implementation, and we were instructing a
15 room full of therapists and physicists who were subcontractors
16 of Lawrence Livermore National Lab who had the contract to
17 review the submitted programs. And I watched this room of
18 physicists and therapists become more prescriptive in their
19 thinking, become more prescriptive in the questions that they
20 asked. And the reason was, interestingly enough, and probably
21 of no surprise to anyone, is that someone had to make the
22 judgment call on whether or not a submitted program passed the
23 test and sign off that this program had been reviewed.

24 And my observation as a regulator is that any
25 time you have a submission of a program and then someone or

1 someones in the regulatory body, whether they're the actual
2 regulators themselves or the contractors working for the
3 regulators, have to make a judgment call. They want criteria
4 for a pass/fail. They want something to cling to to defend
5 their judgment, if you will. And I think that the major flaw
6 in the quality management rule, and arguably there are a
7 number of them, but I think the major flaw was in its
8 implementation. And I offer that just as an observation of
9 how, to at least some degree, that process happened,.

10 CHAIRMAN SIEGEL: Lots of people.

11 Lou?

12 MR. WAGNER: I think it's an extremely good point
13 because what I see is one of my biggest problems with
14 regulation is the following. You take a standard practice and
15 as long as it's a standard of practice in a generalized rule,
16 you can live by that through your professional functions. But
17 once you take the standard of practice and make it a
18 regulation, there becomes a zero tolerance and no flexibility.
19 Your professionalism goes down the drain and you are now
20 handcuffed and you can't function in various circumstances
21 where you need to make decisions that are unusual.

22 And therein lies a lot of the difficult I see
23 with the whole regulatory process and the QM rule probably is
24 a fine example of this difficulty. There's a matter of
25 professional function but you cannot be prescriptive about

1 professional function. It's not something you can write a law
2 about and say, well, if you deviate from this, then that's
3 wrong. It's very difficult to do that and to make that whole
4 with zero tolerance. That's part of the problem with the
5 regulatory process in general.

6 CHAIRMAN SIEGEL: Jeff?

7 DR. WILLIAMSON: Yes, I guess I would like to
8 level a few -- direct a few comments to the quality management
9 rule, too. At specific things.

10 I think no one would argue that there should be
11 clearly defined written prescriptions that the proper patients
12 should be treated. That plans and calculations should be
13 checked. And that has been a standard of practice far longer
14 than the existence and implementation of QM rule and I really
15 would wonder how much it's stimulated people to,
16 practitioners, to adhere to a higher standard of quality
17 treatment delivery.

18 But I think one of the problems with it is it's
19 sort of narrowness. It sort of pretends to be a comprehensive
20 quality assurance program but it's not. It's focused on such
21 specific safety endpoints. And I think one of the comments
22 that the report, the National Academy of Sciences report, made
23 is that it said basically regulation of safety will always be
24 invasive if divorced from the issues of clinical efficacy and
25 competence of the practitioners. It's also not really a test

1 of the quality of the program, the inspection and enforcement
2 process. It's basically a test of your compulsiveness in
3 filling out paper work. It is an enormous burden. I don't
4 know where the figure for costs was come up with but I know it
5 consumes probably 200 hours, 300 hours, of staff time in our
6 institution simply to document everything.

7 And, you know, we're not punished if we violate
8 the rule for a poor quality treatment. We're punished for not
9 documenting it. So, it holds practitioners to a far higher
10 level of documentation than any standard of practice in our
11 field or any other medical field to my knowledge. So, I think
12 that's a problem.

13 And I think the issue of prescription versus good
14 judgment that Lou brought up is important. I think that
15 physicists and physicians are not quality assurance machines
16 and computers that go on blindly checking everything. There's
17 a great deal of judgment called for in a particular clinical
18 situation. When is more investigation and thorough checking
19 required and when it's not, factors that the rule does not
20 take into account.

21 So, I honestly think the sort of whole program of
22 trying to prescribe a treatment delivery quality assurance
23 system just isn't going to work. And maybe that's something
24 we could discuss, what are our visions of perhaps how to best
25 encourage this sort of thing in the field which is no doubt

1 the laudable intent of the rule.

2 I think also we need to look at, again,
3 uniformity. This, remember, is 10 percent of the practice of
4 radiation medicine. We don't -- aren't required to do this
5 for the other 90 percent and it creates a real dissonance in
6 everyday practice, in my writings and talks on quality
7 assurance now. I used to say there were basically three basic
8 end points for quality assurance in brachytherapy, delivering
9 the right dose, getting the right sources in the right place
10 for the right time, and so on.

11 Now I have to add a fourth goal. And that is,
12 part of the goal of quality assurance is to minimize the
13 liability of the institution vis à vis regulation and other
14 sorts of legal initiatives. And that means creating sort of a
15 paper work shield to protect the institution. And so we are
16 having to divert a lot of resources from basically clinical
17 care in order to survive the challenges imposed upon us by
18 regulators and other legal forces types of liability, too.

19 Of course, lawsuits have to be included in this
20 and it kind of -- I don't think it helps to sort of have to
21 portray regulators in this sort of cynical light. That like
22 you're now one of the bad things we have to protect patients
23 from. And our institutions from. You're not helping us.

24 So, it really sets, I think, into motion a very
25 sort of unfortunate scenario.

1 MR. CAMPER: You know, a couple of observations
2 in response to your comment. My observations about our
3 findings, if we have inspected programs, quality management
4 programs, has been a mixed bag in the sense that I think that
5 I genuinely believe that some programs are better as a result
6 of the QM rule. They're better in terms of the quality of the
7 written directives that they create. They are better in terms
8 of the observations they make about their program and the
9 attention they focus upon continuing quality improvements.

10 By the same token, I also think, though, to a
11 large segment of the community it's been a real pain in the
12 neck because the practitioners who are interested in creating
13 the kinds of written documentation that you alluded to, that
14 are interested in insuring that the radiation is administered
15 as requested, for them it's been quite a regulatory burden.

16 And so, your challenge, then, with the question
17 as a regulator, what has been the net result of the product?
18 Now, interestingly enough in that vein, when the rule was put
19 in place, the Commission charged the staff with coming back to
20 it three years post rule, which would have been 1995, and
21 giving the Commission some assessment of how the QM rule went.

22 We were -- we had planned to do that as part of
23 our -- and we did give a signal during our last annual
24 briefing of the Commission on the medical use program. But at
25 that time, we told them that we needed to gather more

1 inspection findings via the TI before we could get back to
2 them and give them more detailed findings.

3 Now, we would have done that this year but, of
4 course, as we all now know, a number of events have overtaken
5 that in the sense that we're now looking at the program at
6 large rather than focusing upon certain aspects of the
7 program. I think it's certainly no secret. We've discussed
8 it previously with this committee, that there was a feeling
9 within the management of NRC, certainly myself and Don Cool,
10 and Carl Paperiello, and Hugh Thompson. I mean, there is a
11 feeling amongst the management that there is a need to change
12 aspects of Part 35, to recommend changes to the Commission for
13 consideration in changes to Part 35.

14 But once again, that initiative has been put on
15 hold as we awaited the National Academy's report. So now we
16 find ourselves dealing with this mega issue as opposed to what
17 to do only about the QM rule itself.

18 CHAIRMAN SIEGEL: Dennis?

19 MR. SWANSON: I think another consideration here
20 is that the QM rule fails globally as a quality assurance
21 program. I'd like to think that one of the objectives of the
22 NRC getting involved in this is to receive reports of
23 misadministrations so as to provide a database whereby we can
24 go out and look at what causes these misadministrations, or
25 what is associated with them.

1 By the nature of the reporting requirements,
2 you've limited the number of reports of errors, thereby
3 limiting very much your database. And thereby not providing
4 any useful information in the interest of public safety. And
5 I think that's a fundamental problem --

6 MR. CAMPER: Because of the narrow definitions of
7 misadministrations?

8 MR. SWANSON: Exactly. And then if you broaden
9 the definitions of misadministration to include everything,
10 then you're in a huge conflict with the regulated community.
11 That's where this all started out at.

12 So, it's failed globally as a quality assurance
13 program and I think that's what we really need to get to, is
14 actually reporting all errors and then truly taking a look at
15 what causes these errors if we're doing our job.

16 CHAIRMAN SIEGEL: Yes, I mean, as a corollary to
17 that, it goes back to something we talked about with the
18 Commission many, many moons ago. Which was the issue of
19 looking for the bad apples as opposed to trying to use a
20 regulatory agency in a predominantly educational mode to
21 really fulfill a public service.

22 And my biggest concern with the whole quality
23 management rule has been the criminalization of
24 misadministrations is the term that I've used. I mean, as
25 opposed to following Demming's principle that each defect is a

1 treasure from which we can learn something and perhaps make it
2 better for the world at large, in the case of a
3 misadministration I can tell you that from the viewpoint of a
4 licensee, it is not treasure to realize that you are now going
5 to have the NRC descend upon you, occupy your resources for
6 weeks to come potentially, maybe only a couple of days if it's
7 not too bad. Have a large amount of written response. Have
8 you have institutional legal counsel involved because every --
9 I mean, my university lawyers say the following. They say,
10 dealing with the Nuclear Regulatory Commission is a
11 fundamentally legal event. And it cannot be left to the
12 medical professionals who understand the issues. When you
13 have a problem with the NRC, it has to be turned over to the
14 general counsel's office because we can't let you do it
15 because you don't have the authorization for the institution
16 to negotiate with these folks.

17 That's a mistake. That's not where we want to
18 be. Where we want to be is national clearing house, best
19 overall knowledge about problems, best overall knowledge about
20 radiation risks, and try to foster making things better as
21 opposed to going out and punishing the people who are doing a
22 bad job. That's, to me, the fundamental conceptual problem
23 with the rule and certainly it's the fundamental conceptual
24 problem with the way the rule's been implemented.

25 MR. CAMPER: Yes. For the benefit of the

1 committee and in particular the new members, let me just shed
2 some light on that.

3 Basically what's happened here is if you go back
4 over time, you find that misadministration reporting
5 requirements go back to 1980. But along the way they've been
6 changed. Now, with regards to the QM rule which became
7 effective in '92, the threshold for misadministrations was
8 essentially doubled. And of course, the reporting threshold
9 for diagnostic misadministrations was changed dramatically and
10 they essentially went away because of that. And arguably,
11 that's a very positive thing.

12 But what happened was along the way, as we now
13 look back upon it and know is that, previously
14 misadministrations started out to be a reporting of an event.
15 It's an error in the delivery process. And when that occurs,
16 it ought to be brought to the attention of the agency. Perhaps
17 it has generic implications. Perhaps that information needs
18 to be disseminated. So forth and so on.

19 Well, when the QM rule came along, what happened
20 was previously most misadministrations did not result in a
21 violation. But with the QM rule, a mechanism then was put in
22 place for violations to occur. Now, violations do not occur
23 in every case with a misadministration today. However, they
24 do occur more frequently as violations than they did prior to
25 the QM rule.

1 And that's because of two reasons. In the early
2 stages when misadministrations occurred, people were failing
3 to implement a quality management program. Later on, once
4 the QM programs had been implemented, in those instances when
5 a violation did occurred associated with a misadministration,
6 it was often because they didn't follow their own procedures
7 as identified in their submitted QM program.

8 So, the net result of that is, and I think this
9 is something else that has served to further enflame the
10 community, and it's the enforcement issue again, is that we
11 now see violations for misadministrations as a result of
12 failures, if you will, in the quality management program which
13 result in events that have minimal, if any, consequence.
14 Because, as we all know, most misadministrations are not
15 overexposure. They're exposures that are under that which was
16 required or requested to be administered. So, you have an
17 event of no consequence that results in a violation.

18 Now, those violations, in and of themselves,
19 don't always get to severity level 3, but some times they do.
20 And of course, that has a very much of an inflaming aspect
21 upon the community.

22 So, I think one can look at it and say, have
23 misadministrations continued to play out of, and the reporting
24 of them under the quality management rule, as was the original
25 intent of misadministrations, and one goes back to 1980. And

1 I think that the argument can be made that no, it hasn't,
2 because it's moved now more toward an enforcement scenario as
3 opposed to only a reporting scenario. I mean, I've heard that
4 complaint many times. And I think there's a legitimacy to
5 that complaint.

6 CHAIRMAN SIEGEL: Dennis?

7 MR. SWANSON: Getting back to one of these
8 questions, how can we improve data collection. I think it's
9 important to note that there are in existence the FDA, USP,
10 adverse drug reaction reporting program which is a voluntary
11 reporting program. There's also now in existence the USP
12 medication error reporting program. I mean, medication errors
13 happen throughout the pharmaceutical world, not just with
14 administrations of radioactive ionizing radiation.

15 And that program is in existence. How you force
16 people, if you can do that, to report to that program, I think
17 is a question. If any time you try to force people to do
18 something, you're going to get in this kind of a bind, or
19 regulate it. But, certainly those programs, to answer that
20 question, are in place. And if we can somehow through the
21 professional groups as supported and recognized by the NRC,
22 encourage reporting through those mechanisms, I think we could
23 probably get more data along the lines that we want.

24 CHAIRMAN SIEGEL: Lou?

25 MR. WAGNER: I'd like to try to make an analogy

1 here about criminalizing something versus having other methods
2 of seeking change.

3 First of all, when you make things regulations, I
4 have no doubt that many people's quality management went up.
5 Any time you raise the consciousness of people for the need to
6 do something right, you will have some kind of a response to
7 that which is positive. So there's nothing wrong with raising
8 the consciousness. How you raise that consciousness is
9 another issue.

10 Now, there's another issue going on right now
11 that is outside the purview of the NRC in relation to
12 interventional radiology. There are injuries that are
13 occurring from interventional radiology. These injuries have
14 been reported to the FDA and the FDA has responded by taking
15 action of recommending that people, (a) be aware of these
16 issues, and monitor radiation doses that are received when
17 they perceive that radiation might exceed a certain level
18 during a procedure.

19 That has really raised the consciousness of a lot
20 of people throughout the country, too. I get calls all the
21 time from people all over the nation wanting to know more
22 information about, (a) how do I measure dose, and, (b) could
23 you provide some of the educational materials to me on this.
24 And then I've gotten letters from people telling me how great
25 it is they have this educational material and the effect it's

1 having on physicians.

2 So, it's hard to measure how effect you can have
3 through certain actions. But this is an action whether it was
4 the FDA does not go in with inspection people and enforcement
5 people and try to make criminals out of the events that
6 occurred, but rather take a more positive aspect. Make it
7 available to practitioners. Bring it to their attention and
8 call for a need for change, a need to improve.

9 Two different situations, I think both of which
10 are having consequences. But they're handled in entirely
11 different manners. Now, the one with the interventional work
12 is not meeting with great resistance. It's not meeting with
13 great resistance.

14 CHAIRMAN SIEGEL: Jeff.

15 DR. WILLIAMSON: Yes. Maybe our chairman will
16 rule it inappropriate, but I'd like to revisit the issue of
17 uniformity aside from the question of whether the QM rule has
18 any effectiveness in promoting quality. And that is the basic
19 question. Why is radiation oncology and nuclear medicine
20 ionizing radiation treatment any different than any other
21 medical subspecialty that does potentially lethal procedures
22 on patients for a defined benefit? Why should the federal
23 government be making rules relating to misadministration and
24 quality of treatment for radiation medicine when they, say,
25 don't for chemotherapy misadministration? What is wrong with

1 the current system that this particular sub-sub-area, since
2 you're only addressing 10 percent of radiation medicine, why
3 is it called for for special attention?

4 I think reporting misadministrations is one
5 thing. I think one of the more punitive aspects of the
6 misadministration enforcement is the requirement that of
7 notification to the patient and/or relatives regardless of the
8 medical implications of the event. That's surely an intrusion
9 in medical practice that's played out in one case in our
10 institution. It just consumed huge amounts of staff time on
11 our part and I'm sure on your Region 3's part, too.

12 So, why is use of reactor byproducts called out
13 for this special intention? What rational basis is there for
14 this QM rule?

15 CHAIRMAN SIEGEL: There you go.

16 MR. CAMPER: Put that spotlight closer.

17 Well, I understand where you're coming from.
18 Again, let me -- what you have is a situation where the
19 Nuclear Regulatory Commission has developed a posture and a
20 culture for regulatory approach. While the agency has its
21 critics, it also has those who praise how it's gone about
22 conducting its business. And by and large, I think we're
23 often complimented on keeping the genie in the bottle by and
24 large, if you will.

25 Now, when you get to the medical end of it, you

1 ask yourself, well, should you be applying the same kinds of
2 vigor and approach as you're using to keep the genie in the
3 bottle at large. Because obviously the levels of risk are
4 quite different.

5 Now, in the case of the quality management rule,
6 the then sitting commission had before it several options. It
7 could have gone for a prescriptive rule which, if you go back
8 in history of this particular rule, back to 1986 or so, you'll
9 find that we originally were headed down a pathway of a very
10 narrow and prescriptive rule. 1987, the advisory committee on
11 the medical use of isotopes said that if you must do this,
12 then it should be a performance base rule, if you're going to
13 do it at all. And so then we embarked upon an attempt to try
14 to put in place a performance base rule.

15 Now, performance base rules in and of themselves
16 are an interesting concept. Just what does it mean and to
17 whom does it mean it, and how do you implement once you have
18 it? But, the Commission had before it several options. I
19 mean, it could have, getting back to I think the point that
20 has been made either by Dennis or Lou. I mean, it could have
21 gone the information route. It could have simply said let us
22 put out an information notice, draw more attention. Or, let
23 us put out some type of generic communication such as a
24 bulletin and request certain things. Or, let us issue a
25 policy statement of some type. Or, let us move toward a wait

1 and see mode, and wait until we get more data, see how things
2 are really going.

3 But the Commission opted to pursue rulemaking.
4 And, as we all know, once you go the rulemaking route, you are
5 entered into standardization by regulation. And again, I
6 think it is fair to say that we have always taken a fairly
7 strong approach to regulation and subsequent inspection and
8 enforcement. I mean, what this agency puts on the books, it
9 will inspect and it will enforce. Unlike some other federal
10 agencies who take a bit more of a *laissez faire* approach to
11 their inspection enforcement program.

12 So, for whatever reason, it's easy to look back
13 now and criticize, but the decision was made to go toward
14 rulemaking. And as I said earlier, then you get into the
15 devil's in the detail. While I think that we try to put in
16 place a performance base rule with the objectives, the five
17 objectives, I think as we continue to implement that rule and
18 try to insure that we were getting commitments from licensees
19 -- I mean, I'm often asked the question, for example, if it
20 was performance based, why did you have licensees submit the
21 program? And the reason for that was, we thought about it. I
22 mean, we thought about it a lot. And in the final analysis,
23 there was two reasons, really.

24 One is because we have operated in the posture
25 having licensees bring to us their program and then we work

1 with them, if you will, or we say bring us another rock until
2 it has the right shade of color and the right lustre, and we
3 feel comfortable the program that is in place is going to be a
4 reasonable and safe program.

5 We also asked ourselves, look, if you're going to
6 go to all the trouble of having licensees develop these
7 programs, don't you owe the license community the obligation
8 of looking at those programs, of reviewing those programs.
9 Because, if you think it's important enough to impose it upon
10 them, it ought to be important enough to review it. So, then
11 you get into, okay, so we decided to review them. Well, once
12 we started reviewing them, I've already espoused some of the
13 problems that came along as we did that.

14 So, I offer that as somewhat of an explanation.
15 I hope it tells how we got where we are, at least to some
16 degree.

17 DR. WILLIAMSON: I guess I wasn't asking for an
18 explanation. I mean, I've been part of some of the history of
19 it, too. But what's wrong with the quality management rule is
20 it's an anomaly. That's what my basic point was.

21 MR. CAMPER: I understand.

22 DR. WILLIAMSON: It doesn't seem that there's a
23 fundamental deficiency in medical practice associated with
24 reactor byproduct materials or maybe it's not clear to me
25 there isn't any area of medical practice with such an enormous

1 error rate that it calls for global federal regulation of how
2 treatment is delivered in the various medical subspecialties
3 to patients.

4 And one has been singled out, not even a whole
5 one but 10 percent of one. You can -- It's one of the
6 fundamental contradictions in the approach.

7 CHAIRMAN SIEGEL: Do you have a comment? You
8 looked like you were --

9 MS. BROWN: I had a thought but I --

10 CHAIRMAN SIEGEL: Going to let it slide for a
11 moment.

12 MS. BROWN: I will.

13 CHAIRMAN SIEGEL: Well, in terms of conceptual
14 problems with the QM rule, I think we've expressed a few
15 thoughts about that.

16 Theresa?

17 MS. WALKUP: I want to interject something on
18 somewhat a more simple level. But those of us that work with
19 patients each day know that especially those that are dealing
20 with cancer have faced death at some point in their treatment
21 and what this QM rule and the way that it -- when a problem
22 does occur and with the criminal aspects, and the way the
23 media gets a frenzy over all this, we have to deal with those
24 patients that come in the next day with a bigger problem. And
25 I think we need to realize it how it effects the patients and

1 the public as a whole on how we handle these issues.

2 I don't know if I'm getting my point across. But
3 it does affect them and I think sometimes in a negative way.
4 I just wish there was a more kinder, gentle way to handle
5 these problems.

6 MR. CAMPER: I think one of the things that I
7 find disturbing as I listen to some of the comments that are
8 being made and I've heard the term criminal used a couple of
9 times now. You know, we really don't impose criminal
10 sanctions as a result of the quality management rule. I'm
11 unaware of any criminal sanction that we've imposed.

12 I think what happens, though, unfortunately, is
13 that licensees, because of the inspection/enforcement process
14 and the fact that some levels are imposed, they feel as if
15 they're being treated as criminals. I mean, as a regulator,
16 we're not treating them as criminals literally by definition.
17 But they certainly feel that way. And that's somewhat
18 disconcerting as a regulator to hear that.

19 And it certainly wasn't the intent, I'm sure, of
20 that particular rule. And it certainly isn't the intent of
21 the inspection and reporting process. But the fact that
22 people feel that way for what are arguably minor mistakes,
23 just the same, is disconcerting, whether or not that was the
24 intent or the reality, in fact.

25 CHAIRMAN SIEGEL: Marjorie just reminded me the

1 same thing that Larry said, which is that an NRC violation,
2 for the most part, is not a felony. And so, the term
3 criminalization is perhaps an incorrect term. However,
4 standing on my First Amendment rights, I would point out that
5 it feels like criminalization much of the time. And that
6 really is the point I was trying to get across. Not that the
7 NRC is treating the people who do this as felons, but rather
8 that it does sometimes feel that way.

9 So, the conceptual problems with the rule, I
10 think as this committee has said many times, and this
11 committee is in fact on a record at a meeting at the Sheraton
12 Reston, I recall, of saying you ought to trash this baby
13 before you put it out on the street with a couple of
14 abstentions and one not contest or something like that.

15 The conceptual problem was the rule took very
16 good principles and converted them into a very awkward
17 structure that was much more complicated than it needed to be
18 and then people who tried their best to institute the
19 principles found themselves getting stuck because they had
20 written something in a strange way in their own plan and then
21 they found they were being held to details that they hadn't
22 expected that they were going to be held to. In part, because
23 they didn't understand what they were putting down on paper
24 and they created an awkward scenario.

25 I've recounted the fact that we initially felt

1 like really good guys and we extended the rule -- the plan to
2 include those things that it didn't have to include like all
3 diagnostic administrations and non byproduct material. And
4 then we realized that we were committing ourselves in a way,
5 in effect contractually, to something beyond what the NRC
6 required. And so, in a rather silly way, I went back and
7 revised the plan and weakened it to make it a non-NRC
8 inspectable plan even though what I end up doing in my
9 practice is essentially the same thing. I just had to divide
10 it into two documents, the NRC inspectable document and the
11 non-NRC inspectable document. And Jeff does the same thing in
12 radiation oncology. And in a way, that's kind of silly.

13 If, as I've said in the past, if the NRC had just
14 said certain kinds of activities require the direct
15 involvement of the authorized user, that that in a way would
16 have met the objectives of the quality management program at
17 least for nuclear medicine, and I think largely for radiation
18 oncology, it would have solved the problem of people coming in
19 and getting doses of I_{131} for whole body scans when in fact it
20 was a bone scan was order by simply requiring that if you give
21 5 millicuries of I_{131} , an authorized user has to be the one who
22 makes that order. That would have been a relatively simply
23 prescriptive thing which I know an ACMUI and a former life
24 argued against, but that relatively simple thing would have
25 addressed an obvious cause of several past problems that the

1 NRC, based on its national perspective of looking at incoming
2 data said, we've seen 25 events and this is clearly the route
3 cause of those 25 events. Here's a relatively simple
4 solution.

5 So, one simple approach would be to -- not a
6 simple approach. One approach would be to convert the
7 existing quality management rule to its minimalist
8 prescriptive components, those that were there at the starting
9 gate. And to in a way, perhaps, expand your data collection
10 activities so that you get a broader group of data to allow
11 you to have a national perspective. But then relax what you
12 do with the data until you're convinced that there's a problem
13 that really needs national solutions, again so that we don't
14 have the government by yo yo approach that I alluded to
15 before.

16 One Indiana, Pennsylvania event doesn't mean that
17 we need a rulemaking. It simply -- and that was a case where
18 a standard of practice wasn't being followed independent of
19 NRC rules that were or were not in place.

20 MR. SWANSON: And if I can emphasize?

21 CHAIRMAN SIEGEL: Please.

22 MR. SWANSON: Critically take a look at if you're
23 going to expand your data collection of doing it through an
24 independent agency such as the USP where the program's already
25 in place, which then takes you directly out of the loop. But

1 you can certainly still have the outcome of that data as far
2 as taking a look at the types of problems, the causes of
3 problems, et cetera. Which then takes you out of a direct
4 policeman, direct involvement with it. And as I said, the
5 program's already in place.

6 DR. STITT: And along that same line, the AACM
7 and the American College of Radiology, have standards,
8 professional standards, that are very useful along that line.

9 CHAIRMAN SIEGEL: Jeff?

10 DR. WILLIAMSON: Yes, I would also say it would
11 greatly help data collection if it could be dissociated from
12 the concept of harm to the patient and the need to report it
13 to the patient, and so on. If you had sort of a clear
14 definition of on technical grounds what sorts of events device
15 failures, computational failures, that you were interested in,
16 those could be reported and perhaps have some other category
17 for patient, those events that have a potential for patient
18 injury.

19 CHAIRMAN SIEGEL: Yes. The other -- A conceptual
20 problem with the rule that we've talked about numerous times
21 is the patient notification issue. And this advisory
22 committee repetitively has said that patient notification, as
23 currently constructed, is wrong headed. There's been some
24 minority opinion occasionally on that.

25 But that I think the National Academy of Sciences

1 actually made a relatively straight forward recommendation in
2 that regard, that the NRC simply be told whether or not the
3 patient was notified and be told the reasons when the patient
4 was not notified. But not requiring that the only
5 circumstance under which a patient not be notified is where
6 doing so would cause harm and then forcing the case where you
7 have to prove that harm would in fact be caused. Which really
8 becomes a terrible, terrible judgment call. And we've
9 recently visited some events in this committee where that all
10 has come to light. And I'm still very confused by that whole
11 requirement.

12 So, that certainly would be one approach that
13 would soften the quality of management programs, soften the
14 rule, get it back to its more prescriptive elements that,
15 based on the kinds of errors that were seen in the past. I
16 would argue for, also, a substantial reduction in the audit
17 functions associated with the rule. It's -- You all are in a
18 better position to know what you're learning as a result of
19 inspecting programs and what they're finding in audits. I
20 certainly, in our nuclear medicine program, we look at all
21 administrations, have found no errors.

22 Except, we've occasionally found some little
23 paper work problems. We've occasionally found one check box
24 on a form that wasn't filled out. And everything went
25 according to Hoyle in terms of the actual administration, but

1 a form wasn't filled out. Now, we say, now what do we have to
2 do exactly to -- what kind of record do we have to create to
3 make it clear to the NRC inspector that we recognized that
4 this box wasn't checked but there really wasn't a problem and
5 we discussed it at a committee meeting. And in a way, that
6 all seems like a kind of much ado about nothing when you have
7 a program that didn't have any problems.

8 And having watched the much more complicated
9 audits that Jeff has conducted for brachytherapy and until we
10 trashed our Cobalt 60 machine, for teletherapy, I think the
11 problem is magnified by a factor of 10 with regard to
12 radiation therapy because the number of placed in the medical
13 record where the check mark might not have been made is so
14 much greater in an in process, multi-component brachytherapy.
15 And even though, in the case of radiation oncology, the
16 results may be in the chart but they somehow didn't get
17 transferred to the NRC form -- not the NRC form but the form
18 that was constructed as the inspectable document for the NRC.

19 So, I think the audit function should be relaxed.
20 I'm not prepared to say exactly to what level of detail it
21 should be relaxed.

22 Other comments on this general theme?

23 Lou?

24 MR. WAGNER: Well, I think we haven't addressed
25 one of the issues, the last sentence of item 8. The NRC were

1 to follow this recommendation which I think now they've heard
2 pretty much a consensus from what's been spoken. I don't know
3 if there's any dissenters or not. What follow up actions
4 should NRC conduct in the event of a misadministration
5 resulting in serious injury or death? And I'm not sure how--
6 I'm personally not sure how to start to address that answer
7 because I've not seen what the NRC now does in response to
8 that. I mean, clearly, I think that the events, if it results
9 in a really serious injury or death, there should be some
10 investigation. But to what level, by whom, and to what
11 extent, I'm still fuzzy.

12 DR. FLYNN: I disagree with that. I'll give you
13 an example with -- since you brought up Indiana, Pennsylvania.
14

15 When it was determined that there could be a
16 generic problem with an HDR piece of equipment, one of the
17 responses was that all the users of HDR equipment should have,
18 let's say, an authorized user should be physically present.
19 There should be an independent survey of the patient. There
20 should be an emergency equipment standing by. And there were
21 several incidents that occurred after that, including outside
22 the state of Pennsylvania, including one in Mississippi where
23 if the authorized user wasn't there, there could have been
24 another serious complication or death.

25 So, I think -- I'm trying to understand what

1 would happen if there wasn't a, let's say, a national party
2 like the NRC or someone else in existence at the time of
3 Indiana, Pennsylvania? Well, I assume that the state of
4 Pennsylvania would have inspected. They would have kept
5 something within the state of Pennsylvania.

6 But what would have happened in Mississippi?
7 What would have happened in other places where you only had
8 300 users but you had a federal authority that could then send
9 out a two or three page information bulletin, not requiring a
10 lot. Just requiring an -- that this could be a problem. A
11 source could break off. And a few simple steps which didn't
12 cost anybody anything to do to monitor that from happening
13 again.

14 So that was a response to a serious injury. And
15 I think it was effective.

16 MR. WAGNER: But Dan, I don't know what I said
17 that you disagreed with. You said you disagreed with
18 something. What was it I said that you disagreed with?

19 DR. FLYNN: Well, I thought you were saying that
20 you couldn't think of any instance where the NRC had followed
21 up on a serious --

22 MR. WAGNER: Oh no, I'm sorry. If --

23 DR. FLYNN: -- administration or death whereby
24 they were able to prevent, let's say, the occurrence of --

25 MR. WAGNER: No, I didn't say that. I didn't

1 mean to say that if that came across. That was not my intent.
2 My intent was to get us to address the issue and to figure out
3 what should be done and by whom. To what extent should be an
4 investigation into this and what should be the actions. That
5 was just a question. Like I said, I was fuzzy as to what we
6 should do. I really didn't know.

7 And I think the past history there can teach us a
8 lot as to what those recommendations should be.

9 MR. CAMPER: Let me try to clarify something from
10 a process standpoint. It's interesting as I read the question
11 which, of course, flows from the recommendation, and it's this
12 idea of discontinuing the inspection and enforcement of 35.32
13 and 35.33. By enforcement, as written, I assume that means
14 don't require it.

15 Now, what happens is the following. We have
16 misadministration events defined in 35.2. We have reporting
17 requirements in 35.33 which capture misadministrations. And
18 there's certain time lines for notification to the agency and
19 so forth. Well, when these events occur, we then have a
20 process for dealing with them. We have a management
21 directive, a .10, which deals with medical event analysis.

22 And in the case of misadministrations, and
23 depending upon the severity of misadministration, we then
24 follow the procedure set forth in the that management
25 directive. And in some cases, depending upon the severity of

1 the event or events, it can also trigger another process that
2 we have which leads us to the AITs, the augmented inspection
3 teams, or the IITs, the incident investigation teams. So,
4 it's not clear to me, unless you don't have reporting of
5 misadministrations in 35.33, why we wouldn't continue to
6 conduct the same types of reactions to misadministration
7 events, particularly more significant and severe ones, as we
8 currently do.

9 But, now, obviously if you lost the reporting
10 requirement, we would not have an awareness and therefore
11 could not in turn react to it following the guidelines that I
12 was touching upon.

13 CHAIRMAN SIEGEL: Jeff?

14 MR. SWANSON: Well, I guess one way to answer the
15 question is, what should the federal government do if a
16 surgeon operates on the wrong patient, what should the federal
17 government do if five times the dose of prescribed
18 chemotherapy is given a patient? Now we come back to the
19 fundamental issue, I guess, of just what is the role of the
20 federal government, or state government for that matter, I
21 guess, in regulating this particular aspect of medical
22 practice.

23 CHAIRMAN SIEGEL: So we need to know who are the
24 Jeffersonians and who are the Hamiltonians around this table
25 to try to figure out which direction we wish to go.

1 No, I mean, your point is well taken, Jeff. And
2 that's the point that we've made repetitively. In a way, even
3 though I don't want it, the most logical thing to do is to
4 have the medical regulatory commission for all of medicine
5 that has a set of rules that say this is the way that surgery
6 has to be practiced and these are the expectations. And this
7 is the way drugs have to be administered. And when there's an
8 event, you go out and investigate it, and you disseminate
9 information when you find generic problems.

10 But that's not the way the United States has
11 evolved its health care system, rightly or wrongly. Should--
12 is there anything special about ionizing radiation that
13 warrants this level of regulation. And my answer has been no.
14 But on the other hand, I think the NRC, or whatever agency
15 takes over that function, can serve a very useful purpose as a
16 national clearinghouse of data. I think having an independent
17 group of individuals come in and look at a serious event and
18 try to evaluate what happened can in fact result in important
19 information being generated, lessons that can be learned.

20 And then the question is, is what you do with the
21 lessons, is do you create a bunch of new rules or do you put
22 out an information notice, or an alert much as the FDA would
23 often do when they see an event like this and don't frequently
24 go to a set of new regulations. It's only when something
25 really gets much more serious that new regulations devolve.

1 And that, I personally would not argue for you losing your
2 information gathering capability so long as you remain in the
3 middle of this process.

4 I've argued all along that if we could dissociate
5 the information gathering from all the rest of the horrendous
6 stuff that happens when you report a misadministration, that
7 we would be served much better by the overall quality of the
8 information that comes in. BecaUSe, in a way, the lawyers
9 would be out of the loop. It would just be professional
10 health physicists talking to medical professionals and health
11 physicists about what went wrong without the layer of lawyers
12 in between trying to make sure that people's liability is not
13 being jeopardized by the discussion.

14 MR. CAMPER: Well, you make a good point in this.
15 I think it goes beyond just the question of whether you're a
16 Hamiltonian or a Jeffersonian, as you're pointing out. It
17 really has to do with ionizing radiation. Because arguably, I
18 mean, I think I can make a convincing argument that the states
19 also, not just the Feds, but the states also apply standard to
20 ionizing radiation in medicine that they don't apply to other
21 aspects of medicine. And that surveys and reporting
22 requirements, and so forth, are in place that you don't see
23 with anesthesiology or chemotherapy, or other modalities that
24 have just as much potential, if not more, for harm.

25 CHAIRMAN SIEGEL: But to what extent did the NRC

1 contribute to that? I mean, these two processes were feeding
2 on each other.

3 MR. CAMPER: Right.

4 CHAIRMAN SIEGEL: And although the states may
5 have got in first in the early '20s with some minimalist
6 regulations, certainly the existence of the Atomic Energy
7 Commission and then subsequently agreement state programs that
8 required adequacy and compatibility had a lot to do with the
9 shape of the state process.

10 MR. CAMPER: I agree, that is a factor. Of
11 course, other factors, public perception. Public expectation,
12 be it valid or not, there is a certain expectation which has
13 been generated in the public about the demon ionizing
14 radiation. And as a result of that, there has been a set of
15 expectations which have evolved over time.

16 DR. WILLIAMSON: Well, I don't want to put myself
17 in the Jeffersonian or Hamiltonian box. I brought it up
18 because I honestly think this is the thought that's -- the
19 premise that's behind the committee that wrote this report. I
20 mean, they're really saying, look at this way. Look at it
21 rationally. Why is this being singled out? That's my read of
22 their basic frame of mind.

23 I guess the regarding inspection of things
24 incidents, I would have to agree, really, with Barry. I think
25 it would be -- it's useful whenever there's a serious incident

1 of sort of generic importance that involves lots of different
2 similar devices or practices across the country from sort of a
3 practical point of view. It's a real service to the community
4 to have somebody go there, independently investigate it, and
5 disseminate the information regarding this incident to all
6 users regardless of sort of what bureaucratic jurisdiction
7 they fall under vis à vis radiation protection.

8 The final comment is my comments are directed to
9 the medical use, medical practice restrictions. I'm not
10 really directing my comments towards basic occupational --
11 public and occupational health and safety standards, transport
12 of radioactive material, and so on.

13 CHAIRMAN SIEGEL: A moment's silence. Wow.

14 Have we covered question 8, more or less?

15 MR. CAMPER: Well, there is one. What would be
16 the rationale to discontinue without revocation of the rule
17 and what is the urgency? What is the necessity for immediate
18 action as opposed to adjusting the QM rule, if you will,
19 through a normal rulemaking process that might also adjust
20 Part 35 at large? The academy recommends that we do this
21 immediately.

22 CHAIRMAN SIEGEL: Discontinuing inspection and
23 enforcement so long as the rule is in place seems unlikely to
24 me.

25 MR. CAMPER: Well, it raises a number of

1 interesting and difficult questions.

2 CHAIRMAN SIEGEL: On the other hand, changing
3 what you do with the information is something you can decide
4 to do internally without a lot of major procedural change. I
5 mean, you could continue to inspect as a way of gathering data
6 because inspection is one way you gather a fair amount of your
7 data. But, with the focus of trying to use the information
8 primarily for improving your database and creating better
9 information dissemination about what problems you're finding
10 in the world at large.

11 MR. CAMPER: Well, certainly we can -- you are
12 correct that we can adjust inspection procedures. We can
13 adjust enforcement activities. In the case of this rule, most
14 likely, we would want to have any such adjustment go by the
15 Commission in receiving -- and receive its approval. Due to
16 the nature of this particular rule, the controversy associated
17 with this rule, a previous override of OMB by the Commission
18 and it relates to this rule, to get the buy in or the
19 endorsement of the Commission as opposed to a staff or
20 management adjustment in inspection procedures.

21 But again, the specific question of what is the
22 immediacy? What is the rationale for the immediacy in doing
23 that as opposed to -- I mean, clearly the Commission could
24 choose to do it as a show of good faith, if you will, to the
25 community and to the National Academy. And say, we've heard

1 this specific complaint. We have three or four years of data
2 now and we've analyzed that data. And we believe based upon
3 that analysis and findings, so forth and so on, the number of
4 misadministrations really hasn't changed a lot. There's some
5 events going on now that may change that number. But at least
6 thus far the number of misadministrations haven't changed a
7 lot. Roughly it's about what it was, give or take a few cases
8 as pre-rule.

9 But that aside, what other rationale could there
10 be for immediately pursuing as opposed to pursuing an
11 adjustment to the rule or a review and critical assessment of
12 the rule through a typical public process associated with
13 rulemaking? Particularly if we were doing facilitated
14 workshops and that type of thing.

15 So, are there any thoughts as to why the
16 immediacy of it?

17 CHAIRMAN SIEGEL: It's hard for me to get into
18 the head of the National Academy of Sciences panel, but my
19 guess is that their thinking was that since this has been a
20 focus of so much of the problem, that addressing this problem
21 first is one way to demonstrate that there is in fact some
22 action occurring.

23 They make the argument, and we also make the
24 argument, that this rule probably hasn't had much real impact.
25 And that it's created a lot of work at a lot cost and probably

1 hasn't really changed the numerator drastically. And so, that
2 if one subscribes to the fact that this is a rule that really
3 wasn't necessary in the first place, that this was a rule that
4 probably hasn't accomplished anything substantive in terms of
5 its ultimately objective, mainly reducing the number of
6 misadministrations in the second place.

7 If you further argue that the ACMUI recommended
8 that this rule not be put in place. And if you also argue
9 that the OMB said the rule was not consistent with the paper
10 work production act, then you could make an argument that
11 immediate either withdrawal of this rule or immediate
12 relaxation of its implementation and enforcement would be an
13 appropriate thing to do as a first focus of something that
14 obviously has riled up the medical community. And I know
15 we've been talking about this for six years now, or ten years,
16 or 14 years, or whatever it is. But certainly we've been
17 talking about it at this table or its equivalent for six
18 years. And so, that would be the only argument, I think, for
19 doing it immediately.

20 Will much change in the country? Will there be
21 instantaneous financial savings? There will be some savings
22 in audits. We've all have done all this work about creating
23 these cockamamie plans. And so that's there. You can't take
24 back the effort we've put into those.

25 That would be my principal argument for making it

1 immediate.

2 Other comments, folks?

3 DR. STITT: I've got a comment. Just when you
4 read and see over and over again the report comments that make
5 the statement, equal treatment of all ionizing radiation would
6 be a sensible national policy, and then they reiterate that in
7 some different ways. Consequently, unequal treatment of
8 different sources of ionizing radiation in medicine can be
9 construed as illogical if not counterproductive. And it comes
10 down the QM rule in that those particular types of isotopes
11 are being treated unequally and I think some immediacy would
12 be a show of good faith certainly is one of the stumbling
13 blocks in the practice of medicine.

14 And if you want to look at it from a little
15 different perspective, the point that Judith is here to make
16 sure we don't forget, the individual who thinks that they are
17 being protected or they are being kept safe in some fashion
18 while that's not necessarily the case. As an individual in
19 the community, we have a set of rules that relate to certain
20 types of isotopes and not to others.

21 And so I think that the policies really relate in
22 a very incomplete fashion and inconsistent fashion. So that
23 the public should not think that things are being relaxed. And
24 in fact, it's a very inconsistent approach to start with. And
25 the way it came from is, as for Jeffrey's question, nothing

1 that the NRC made up. It was established many, many years
2 ago. It's based in history.

3 MR. CAMPER: Interestingly enough, your comment,
4 Barry, that we've already developed the programs, and so forth
5 and so on, and therefore the cost of that and the burden of
6 that has past. Interestingly enough, we recently had to do
7 the renewal of the information collection requirements
8 associated with the QM rule for OMB. And the mainstay of the
9 cost of the rule over the next three years has to do with
10 implementation of the rule by the agreement states.

11 As Bob pointed out, Colorado has -- I forget the
12 exact words he used -- but Colorado hasn't chosen to implement
13 the rule. It turns out about 16 or so of the agreement states
14 have. 12, 13, have not or are in various stages thereof. But
15 when we originally projected the cost for the rule, the
16 assumption was because of the three year implementation by the
17 states because of the compatibility requirement, in other words,
18 they should have implemented it by 1995, turns out a large
19 percentage of them had not. If one looks at the cost of the
20 rule in the next three years, you find that the majority of
21 that cost is imposed upon agreement state licensees and
22 agreement state regulators to review said programs.

23 And my point is that in terms of the immediacy
24 argument, if one assumes that the points that have been made
25 are valid and so forth, then in addition to that, you could

1 appreciate a substantial cost savings.

2 CHAIRMAN SIEGEL: Go ahead, Dennis.

3 MR. SWANSON: I was just going to say. I think
4 you have a tremendous opportunity here to tie your analysis of
5 the cost with the requirement that the agreement states have
6 to adopt this with your review of the effectiveness of the
7 program to come up with a decision that it's not as cost
8 effective a program. And maybe that's the basis of your
9 decision to stop enforcement of it immediately.

10 CHAIRMAN SIEGEL: In terms of fairness, one, as
11 an NRC licensee who is at risk of being fined for violations
12 related to a quality management rule, it seems a little unfair
13 that nearly half of the agreement states are no longer
14 compatible and are allowed to continued in that fashion. That
15 would be another argument for -- You're not applying this
16 uniformly despite your intent and it would be another argument
17 for just dropping the baby.

18 MR. CAMPER: Yes, we wrestle with that very issue
19 here recently. Following a meeting of agreement state
20 managers last year, we wrestled with this issue of what to do
21 given that the compatibility due date was upon up. Ultimately
22 a decision was made by the Commission to extend a deferral of
23 compatibility during the review of agreement state programs if
24 they had implemented the QM rule.

25 And really, the rationale for that was is that we

1 knew that the entire -- the NAS report was forthcoming. A
2 review of the program was forthcoming. And therefore, why
3 bring this burden to bear where in a year's time, which is
4 what we deferred that for, you may know more than you know
5 now.

6 But, while that's the good side, the down side of
7 it is, you're right. There is an unfairness there that exists
8 today for NRC licensees who have in fact had to deal with the
9 program.

10 DR. FLYNN: Have you ever taken an agreement
11 state and withdrawn that agreement? I --

12 MR. CAMPER: Not that I'm aware of that we've
13 ever withdrawn. We've had an agreement returned to us but I'm
14 unaware of us ever withdrawing an agreement. Maybe some of
15 the others -- Any attorneys --

16 Marjorie, do you have an awareness that we've
17 ever withdrawn an agreement? I don't think we ever have.

18 DR. FLYNN: Because that's another example of
19 non-uniformity, as Barry was saying. How many more years
20 would you go on in states, let's say like Massachusetts,
21 whereby we're required to do all these things while you allow
22 other states to go on year, after year, after year, where the
23 authorized users don't have to comply with the requirements?

24 MR. CAMPER: Well, we have two standards that we
25 impose upon the states. One is adequacy of programs and the

1 other is compatibility of programs. We have a much more
2 aggressive approach to inadequate programs. And an
3 intolerance thereof. Regards to compatibility, it's variable.
4 I mean, some states remain in the status of not being
5 compatible for a number of years, for legitimate reason.
6 Because, as Bob pointed out, the mechanisms they use to put in
7 place their regulations are often lengthy and cumbersome.

8 But with regards to this particular issue, we
9 extended the deferral of the compatibility finding upon the
10 implementation or the lack thereof for only one year. And
11 that was because, again, we were looking at this issue in a
12 much larger perspective.

13 But once that one year passes, we have to revisit
14 what we're going to do about that. And a lot of that will
15 depend upon what the Commission has decided to do about the
16 medical program in toto by that point in time.

17 CHAIRMAN SIEGEL: Right. Should we move on to
18 question 9 in the little bit of time before lunch? How can we
19 achieve improved data collection on actual incidents and rates
20 of adverse incidents and misadministrations. I think we've,
21 in a way, largely addressed that, or partially addressed that,
22 by suggesting that your legitimate need to gather information,
23 or the legitimate need to gather information about events
24 relating to ionizing radiation uniformly, which would be the
25 ideal, still stands because a national clearinghouse for the

1 data to look for national trends that might -- that any
2 individual practitioner will never be able to figure out, and
3 that even individual states may not be able to figure out, is
4 a laudable activity for a federal agency.

5 Now, the trick, though, of course, is the
6 dissociation of the gathering of the data from turning it into
7 a very unpleasant experience from the people who are willing
8 to give you the data. And in a way, you could argue that you
9 might want to go back to something like lowering the reporting
10 thresholds, having the reports come in quarterly instead of
11 within 24 hour telephone notification to the operation center.
12 It's not good enough to call the region. And then working
13 with the data.

14 I mean, certainly earlier reporting of events
15 that cause serious injury or death would be logical. But for
16 the events that cause no harm, what you should be interested
17 in is did those events occur because the machine X isn't
18 working properly and there was one last week and now, oops,
19 there's now nine others. And something's obviously changed
20 and you're in touched with the company that makes machine X
21 and you find indeed there's a software problem and the next
22 thing you now, there's an information notice out to the world
23 at large.

24 Gathering this data in a less judgmental way, I
25 think, would serve you well. Whether quarterly reporting of

1 diagnostic administrations in the past was useful is arguable
2 because maybe the threshold was set too low and maybe the kind
3 of events you really needed to gather was not properly
4 captured by the rule. But I think you and we helped you think
5 about what is it you really want to know about, what will help
6 you detect generic problems, then making the reporting
7 requirement be broader but less judgmental would be a good way
8 to get where you ought to be, I think.

9 Comments?

10 MR. SWANSON: Can you make the reporting --
11 consideration, can you make the reporting so it's anonymous?
12 Or, they don't have to provide their name or they can provide
13 their name? I mean, that's kind of the way that the adverse
14 drug reaction reporting and the medication error reporting
15 programs work, so that people don't feel that they're going to
16 come back and be haunted on these issues. That's how they've
17 gotten around some of that. And it's just a thought to throw
18 out there.

19 MR. CAMPER: Is that voluntary reporting?

20 MR. SWANSON: It's a voluntary reporting program
21 Confidentiality is maintained if they do give their name. Or
22 they don't have to give their name.

23 MR. CAMPER: One of the things that's always
24 troubled me about the data on misadministrations and so forth,
25 and we see it now, we have a -- under our office of AEOD, we

1 now have a database which is in place. And we have volunteer
2 reporting of misadministrations by the agreement states. And
3 I've watched that, as you always have with any new process,
4 sort of a growth curve where the reporting of
5 misadministrations improves over time, even though it's
6 voluntary, because people understand what the requirements are
7 and the value associated with the reporting, and so forth and
8 so on.

9 But having said all those positive things, I
10 still look at the total numbers of misadministrations
11 reporting and it appears to have voids in information. And
12 then the result, then, is that you never really know through a
13 voluntary program how many events are actually occurring. And
14 of course, another part which we've talked about in great
15 length from time to time, is we don't know what the
16 denominator is, either. We have some pretty good idea, I
17 think, because we know the trends and practice studies and so
18 forth. But voluntary reporting, it's not clear to me that
19 that's an improvement in data collection.

20 You believe that the collection of the data has
21 merit?

22 MR. SWANSON: Yes, I think that there's going to
23 be problems with any reporting system that you try to
24 establish. I would encourage that you think about a voluntary
25 reporting program. And in that light, that you work very

1 closely with the various professional organizations because I
2 think the professional groups, through their standards, can
3 help to make sure that that voluntary reporting does occur or
4 does occur with a higher frequency than perhaps it does now,
5 or perhaps you expect it does now. Let's put it that way.

6 But that would be an approach I would recommend.

7 CHAIRMAN SIEGEL: Dan?

8 DR. BERMAN: With respect to misadministrations,
9 it's -- I wasn't around at the time when it was determined
10 that the level of misadministrations should only be at the
11 higher level of diagnostic mistakes or therapeutic mistakes.
12 But when you look over the report of the Institute of
13 Medicine, and they say that the rate of these
14 misadministrations is infinitesimal, they're ignoring a type
15 of misadministration that isn't reported. And it leads to a
16 little confusion that ultimately could reach the public.

17 In other words, I think it's much more frequent
18 than only 10^{-4} that a patient who was an
19 unintended patient gets an amount of diagnostic radionuclide.

20 CHAIRMAN SIEGEL: I don't think the past database
21 bears that out. When mandatory reporting of diagnostic
22 misadministrations was required before the QM related rule
23 changes, those things had to come in quarterly and the 10^{-4}
24 frequency for diagnostic for
25 misadministrations was where the number was living. It was

1 not wildly different from that, correct?

2 MR. CAMPER: That's generally correct, yes.

3 We also have more specific data. I can't
4 remember the numbers now but we were saying patients who were
5 not intended to receive materials but who inadvertently did
6 receive, there was something -- there was an estimate of what,
7 a couple hundred of those a year, I think. Between 100 to 200
8 of those were estimated per year.

9 And of course, what has happened is the
10 Commission has made some changes now making it clear that even
11 in those cases, the criteria associated with diagnostic
12 misadministrations is the determining factor, or otherwise you
13 would have some patients, so-called blue patients, at 100
14 millirem and you would have pink patients at 5,000 millirem.
15 And that didn't seem to be a terribly orderly way to proceed.
16 So now they all are subject to the threshold for diagnostic
17 misadministrations of 5,000 millirem.

18 DR. BERMAN: Just in my own experience, I've seen
19 that the human error rate, I believe, in misadministrations
20 with diagnostic agents is closer to -- is underestimated by
21 what is reported here. And I'm not stating that this is a
22 major public health hazard but just I think in terms of the
23 record, that the frequency with which we have errors in misuse
24 of diagnostic amounts of radioactivity is somewhat higher than
25 what has been alluded to in this report.

1 CHAIRMAN SIEGEL: I'm not sure -- Well, I think
2 the numbers in this report are based on therapeutic data and
3 the extreme kinds of diagnostic. And those do occur at a
4 lower frequency than the diagnostics. And I agree with you.
5 I mean, there certainly are some mechanisms by which
6 diagnostic misadministrations in the past might not have been
7 reported. And intended patient can become an intended patient
8 simply by requesting that the referring physician create an
9 order for that study fairly quickly and then all of a sudden
10 it's not reported any more.

11 But, that's all the past and nonetheless, I think
12 it is reasonably safe to say that the event rate in diagnostic
13 nuclear medicine has been a very low even rate. Nonetheless,
14 there's some legitimate need to gather information about
15 trends in this area, and in fact, there's legitimate need in
16 all of medicine. It seems not likely that we're going to get
17 a better mechanism any time soon for the rest of mechanism.

18 It would be nice to know about anaesthesia as it
19 would be nice to know how often the wrong foot is amputated or
20 the wrong lung is resected and those kinds of things. We
21 don't have an easy way of getting at that. That really is
22 where the fundamental fix ought to occur if the country
23 believes that that's the kind of data we ought to have.

24 If the NRC continues to want to do its bit, then,
25 under the Atomic Energy Act, then relaxing the reporting

1 thresholds, getting the reports less frequently, and
2 gathering, as I've suggested, before some denominator data
3 with each quarterly report. How many diagnostic
4 misadministrations did you have in the last quarter? Three.
5 Describe them briefly. And how many diagnostic doses did you
6 administer during the quarter? You even got some
7 instantaneous denominator data as well there, assuming the OMB
8 will allow you to collect those data. And I understand that
9 problem.

10 That seems to me a better way to fulfill a
11 legitimate national need without linking it to the odious
12 portions of the QM rule as it's currently conceived or
13 conceptualized by many of us.

14 Jeff?

15 DR. WILLIAMSON: Again, I don't know if it's
16 appropriate but I think it would be probably worth knowing
17 what these event rates are in the other 90 percent of ionizing
18 radiation medicine, too. So it might be appropriate for us to
19 endorse the concept being applied generally to LINAC based
20 radiation therapy as well teletherapy, for example.

21 CHAIRMAN SIEGEL: Well, I think that's part of a
22 general endorsement that I suspect that we will all endorse,
23 that uniform -- a uniform approach to ionizing radiation makes
24 sense so that we can understand these overall even rates.

25 I mean, the NAS report is -- one could criticize

1 it because they say, well, we really don't know whether things
2 are better in NRC regulated states than in agreement states
3 because we don't have all the data about the agreement states.
4 And we really don't know whether byproduct material is better
5 or worse than non-byproduct material because we don't have the
6 data. And I would only submit that that's the tiger argument
7 that I alluded to earlier.

8 I think there is reason that the -- and Judith,
9 you're going to view this as a trust me, I'm a doctor
10 statement, and it is -- but there is reason that the NRC can
11 draw upon its advisory committee when we tell you that it is
12 our belief that things that occur with non-byproduct material
13 and things that occur with diagnostic radiology are not at
14 wildly higher or wildly lower rates than things that occur
15 with byproduct material.

16 MR. SWANSON: I think it has a lot to do with the
17 spirit of the issue, too. If somehow the NRC can convey to
18 the community that the purpose of this is to collect
19 information to help the community and the public, and it's
20 truly done that way, and that information is shared is back
21 again to the community, then I think you're going to get the
22 community's buy in.

23 MR. CAMPER: Well, the place in medicine where
24 radiation, I think, were more events occur, if you will, is
25 repeat X-rays. That occurs a lot.

1 Now, the consequence is not there. It's nothing.
2 But there are an awful lot of repeat X-rays that don't get
3 reported. Now, it's gotten better as techniques have been
4 standardized, as we've gone more towards automated systems,
5 and so forth. But there's still a lot of repeats. But we
6 have no idea what they are.

7 CHAIRMAN SIEGEL: But the collective dose from
8 that --

9 MR. CAMPER: Oh, I understand.

10 CHAIRMAN SIEGEL: -- is substantially higher than
11 from all the byproduct material misadministrations put
12 together.

13 MR. CAMPER: I understand.

14 MR. WAGNER: There's also other regulatory means
15 by which those things get controlled and that is they're
16 expensive. They cost a lot and then people, the
17 administrators, work very hard to get those repeat rates down.
18 We have little charts we post in the areas to try to get
19 competition amongst the technologists to get their repeat
20 rates down to show how they're doing against another group.
21 And it builds a little bit of internal competition to try to
22 keep those repeat rates down because they get expensive.

23 CHAIRMAN SIEGEL: It's a big push for digital
24 radiography systems, too, so that rarely, if ever, have to
25 retake.

1 The second part of question 9 was if NRC lacks
2 statutory or regulatory authority governing the medical and
3 biomedical research of byproduct material, why should NRC
4 continue to gather data on user errors, drugs, and biological
5 products to share with FDA under its memorandum of
6 understanding with FDA unless reimbursed by another federal
7 agency? I think that's sort of a self answering question.

8 If you weren't involved, you wouldn't be the ones
9 gathering the data, right? Isn't that really the answer?

10 On the other hand, as long as you're involved,
11 then there's reason for you to participate in the data gather
12 for the part that you're responsible for. And, again, this is
13 an issue of where Congress gets into this loop. This unless
14 reimbursed by another federal agency is a good questions. I
15 mean, if Congress thinks some of this stuff is important
16 because it's good for the country to know about these things,
17 then Congress ought to figure out a good mechanism to get it
18 paid for as well. So we'll put the challenge to them.

19 And at that point, are we ready for lunch, folks?

20 MR. CAMPER: So moved.

21 CHAIRMAN SIEGEL: See you back at, let's say,
22 1:10.

23 (Whereupon, the Advisory Committee was recessed
24 at 12:06 p.m. to reconvene at 1:10 p.m. this same day.)

25

1

2

3

4

5

6

1 A-F-T-E-R-N-O-O-N P-R-O-C-E-E-D-I-N-G-S

2 (1:15 p.m.)

3 CHAIRMAN SIEGEL: Can we go back on the record?

4 We're missing Bob and Judith, but they'll be here in a moment.

5 Oh, Bob's here. Great. There are a couple of folks who made
6 requests to make some big comments to the committee regarding
7 some things we've already talked about and some things we're
8 about to talk about.

9 And I have decided that -- they both promised
10 they would be brief, so I'm going to give them about three
11 minutes each and let them do it. Three minutes is effusive on
12 my part. Just so we stay on schedule. So either Mark
13 Selikson or Shawn Googins, whichever of you wants to go first,
14 you may.

15 Why don't you come up to the front podium and
16 please introduce yourself for the record. Indicate your
17 affiliation so that we capture that all on the transcript.

18 MR. GOOGINS: Thank you. I'll use quite a bit
19 less than three minutes. My name is Shawn Googins. I'm a
20 certified health physicist. I work at the National Institutes
21 of Health right here in Bethesda. I've also had the
22 opportunity as working as a regulator for the Environmental
23 Protection Agency, so I've seen things from both sides.

24 I just want to preface this with the fact that
25 these are my personal opinions and do not necessarily

1 represent those of my employer, the National Institutes of
2 Health. So far this morning, the committee has concentrated
3 on the QM rules, at least the point I hear, and the effect on
4 medicine.

5 But biomedical research also affects medicine
6 quite profoundly in the development of new diagnostic and
7 treatment modalities. And the Institute of Medicine report
8 makes the same recommendation that the NRC should withdraw
9 from the regulation of biomedical research. The observations
10 made by the IOM and this committee this morning are the same.

11 And I'd like to share some of my personal
12 observations. The NRC all too frequently focuses on process
13 and punishment. And after being a licensee, I can tell you we
14 do as well feel like we're treated like criminals, as many
15 medical people do. And also to reflect that there is also a
16 practice of health physics.

17 And overly prescriptive regulations in the form
18 of 10 CFR 10 and in Part 35, which carry with them many
19 necessary health physics procedures also divert money and
20 resources away from the important things that we're trying to
21 do, that is treating cancer, diagnosing illness, and treating
22 other illnesses.

23 And in this standard of practice reflecting about
24 before, going to a regulation into a zero tolerance such that
25 a licensee is penalized and in position of violations with

1 regard to regulations, but not necessarily the net effect on
2 safety or overall risk.

3 The response is disproportional to the actual
4 risk. And I have some examples of things like that. First
5 of all, recommendations that say should often become shall in
6 the eyes of an inspector and tend to focus on the actual
7 limits and exceeding limits rather than the actual -- and the
8 process of guilt rather than helping or assisting a licensee.

9 And it is -- in my opinion, it's been a very
10 unpleasant experience. Some of the issues and things to
11 reflect upon here is survey methods such as in Part 35,
12 conducting a survey and requiring that a dedicated check
13 source be sent with the instrument and always with the
14 instrument and sent with the time of calibration.

15 This is a practice issue here. There are other
16 ways to assure the proper response of instrumentation. And
17 the fact that this is in a regulation, as a matter of fact,
18 discourages use of perhaps the most appropriate instrument,
19 that being an ionization chamber.

20 Secondly, requiring contiguous surveys of areas
21 surrounding therapies of patients with either implants or
22 administered radiopharmaceuticals when practice and previous
23 monitoring can demonstrate for a given level of administration
24 that the regulatory limits are not exceeded, but requiring a
25 licensee to do it every single time causes an additional

1 expense and something with no net benefit.

2 One other issue is the item of press releases for
3 the -- whenever a licensee has a violation. The NRC appears
4 to have a propensity to issue press releases on items which
5 are not of particular significance just for the fact that this
6 is their procedure and they issue a press release. And I'll
7 have some comments about that later on relating to AIT that
8 was present at NIH.

9 But overall, to sum up, that I think the
10 parallels that you have drawn today, this morning, with the
11 effect on medicine has the net effect on biomedical research.
12 And the two are integrally connected and meshed together, such
13 that if you impact biomedical research, you are also impacting
14 medicine and the level of patient care and treatment that will
15 -- the medical community will ultimately be able to provide.

16 CHAIRMAN SIEGEL: Thank you. Any questions for
17 Shawn? Mark?

18 MR. SELIKSON: Yes, my name is Mark Selikson.

19 CHAIRMAN SIEGEL: Wait until you get to the
20 microphone, please.

21 MR. SELIKSON: My name is Mark Selikson. I'm
22 Director of Radiation Safety at the University of
23 Pennsylvania, and I'll say the same disclaimer. I'm not here
24 representing them. Just as a professional who's been close to
25 this issue for over 20 years now, I guess, something like

1 that.

2 I wanted to echo some of the things Shawn said
3 and just make a few comments that might add to your
4 discussion. I notice it was heated this morning. But a
5 couple of comments. One, I think this anomalous argument --
6 and I know you made it over here a couple of times -- I think
7 that's an issue that says oh, well that bears investigation,
8 but I'm not sure that's a criticism in and of itself, just the
9 fact that something is anomalous.

10 Another thing is that we always talk about how
11 much time and effort that is associated with regulation. I
12 think that's inherent in the regulatory process. We like to
13 make things as efficient as we possibly can. But you will not
14 regulate something cost free -- free in terms of labor and in
15 terms of time.

16 And I think when it comes to this quality
17 management, I think it's kind of a general consensus that
18 maybe this wasn't the best idea. It is really getting back to
19 when the decision was made to regulate it. Larry pointed out
20 before that back in '92 the evidence was there or the numbers
21 were there, that you were down in the noise region, 10^{-4} .

22 And that the Staff knew this at that time. So I
23 think the question should really be -- and you as a group --
24 or Barry, you were here, and many of you here -- had been
25 saying that at that time and maybe for a couple of years

1 previously. So to me, the fundamental question is why did it
2 go forward? If the Staff knew that it was inappropriate and
3 this committee knew it was inappropriate, then why did this
4 whole very rigorous program -- I mean, everybody knows how
5 much time and effort's gone in here.

6 And by the way, that's just one example of rules
7 and regs that are out there that may be less than effective.
8 And there should be some review of that process, almost like
9 an incident report. Maybe the NRC should ask -- be asked to
10 answer the question why did this mistake happen, what changes
11 are you going to make to make sure that it doesn't reoccur?

12 You know, the kinds of things they make us go
13 through sometimes when we make a mistake. Maybe that's
14 something you should think about here as well. Anyway, I just
15 wanted to get those comments -- good luck to you on a complex
16 question.

17 CHAIRMAN SIEGEL: Good, thank you. All right,
18 while we're waiting for the folks from IOM to come, shall we
19 tackle --

20 MR. CAMPER: Tackle 11?

21 CHAIRMAN SIEGEL: What's 11?

22 MR. CAMPER: I think it's the last one.

23 CHAIRMAN SIEGEL: I know it's the last one.

24 Well, the only trouble with tackling 11 is that 11 still
25 depends on whether we think the recommended approach is really

1 the right approach. And I'd sort of rather hold it, but I
2 don't feel strongly. I mean, I can be swayed. Looking at
3 three or four.

4 MR. CAMPER: Four.

5 CHAIRMAN SIEGEL: In a way, four is the next
6 logical one in the -- not much really changes what at least
7 could the NRC do that would be more logical, at least in our
8 eyes, about Part 35. Great, we're hearing a lot of comment
9 here. I guess we love it!

10 Does anyone want to take a stab at that one?
11 General issues related to Part 35. I mean, what do we not
12 like about Part 35?

13 MEMBER WILLIAMSON: Well, I'm never at a loss for
14 words, so if no one else will speak -- as I -- this is
15 specifically -- this question focuses on protection of
16 occupational workers and members of the public. Part 35 has
17 numerous small procedures, very explicit procedures, that are
18 required.

19 For example, there's a highly detailed
20 description of how -- if you're using brachytherapy sources,
21 how all the sources are to be counted in the safe before you
22 remove any and how they're all supposed to be counted at the
23 end when you return them and so on. And just as a sort of
24 general comment, I think it might be better if the regulation
25 were less prescriptive and merely announced, you know, the

1 goals are you should be able to account for the sources at all
2 times -- not lose them, not lose control.

3 The regulation says develop a process for doing
4 that. Instead of perhaps having very detailed requirements
5 that -- for example, when we receive I-131 oral solution in
6 our hot lab, we of course have to assay the activity. We do
7 not open the vial or have really any chance of contamination
8 at that time, but nonetheless, we're required, as I believe,
9 to do surveys of the work area before and after.

10 It would seem that perhaps the level of detail in
11 Part 35 is very highly prescriptive and it could be -- given
12 that the basic end points are listed as regulatory end points
13 you're supposed to achieve, you know, could be left to the
14 professional discretion of the, you know, health care workers
15 to make decisions at that level exactly what sort of process
16 is needed to inventory sources.

17 You know, if they're not lost, you know, why
18 should there be a concern? And if there arises an incident,
19 well then, you know, it would be -- could even -- might be
20 incumbent then upon the user to develop an improved program.
21 I guess that's my general comment about Part 35.

22 CHAIRMAN SIEGEL: We might want to try to --
23 before you go, Lou, you might want to try to approach this in
24 terms of big picture items. And if you look in your copy of
25 the NAS report, you've got Part 20 and Part 35 there. So

1 after Lou makes his general comment, then I -- maybe try to
2 walk us through some big picture items and see what elements
3 of Part 35 we think are archaic and what elements would exist
4 no matter what went forward in the future.

5 Lou?

6 MEMBER WAGNER: I think it's important for the
7 NRC to understand that there is a tremendous disproportion in
8 regards to the need for certain regulations at various
9 institutions, especially in their enforcement program. I
10 mean, part of the problem is the following. If you're a large
11 program and you're running a real good program, you still have
12 this enforcement policy that goes through in a very
13 scrutinizing way what's going on.

14 And if you find small violations, you still issue
15 citations and violations for these things, which cause a lot
16 of concern amongst people to answer and to appropriately
17 address. But you don't get any evaluation of the overall
18 program. Good program, bad program, diminished efficiencies.

19 That is where I think a lot of the prescriptive
20 problem comes in. It's not that the philosophy is wrong.
21 It's simply that we've made these regulations and we require
22 zero tolerance. And that zero tolerance level for a large
23 program versus a small program is disproportionate. Just the
24 example, I have a facility where we do 500 wipe tests a year
25 because we always get these packages of radionuclides in, and

1 we have to do wipe tests on every one of them when they come
2 in.

3 They don't contain any large amounts of activity.
4 And I don't see where they really represent a real harm to
5 people, and there's no issue about they're leaking or broken
6 or damaged or anything; but we've got to do wipe tests every
7 time. We've never found any contamination on any of these
8 shipments.

9 The inspectors come in and find that twice we
10 didn't document what we did, so we get written up for that.
11 Yet 498 times, we had complete documentation of everything we
12 did for this whole system, and we're running a good program.
13 But the focus is on these two times where you didn't document
14 it.

15 It's this kind of a problem with regard to
16 looking at the overall quality of a program and how -- what
17 are the people doing good? What are they doing well? What's
18 the important things they should keep and keep functioning and
19 keep nurturing? Instead of looking at the positive things,
20 we're always looking and focusing on those negative aspects.

21 And that's causing the -- a lot of the difficulty
22 from the user's point of view is to what's wrong with this
23 program.

24 MR. CAMPER: Let me stimulate the conversation a
25 little bit, the discussion, by sharing with you some

1 observations that the management and Staff had made about Part
2 35. I mentioned earlier this morning that if -- I think
3 there's a high probability that if the Academy stay had not
4 been put in place by the Commission, that we would probably be
5 well on our way at this point in the process of revising Part
6 35.

7 Every since 1987 when Part 35 was last revised,
8 the Staff has been collecting observations about Part 35.
9 These have been presented to us by professional societies,
10 licensees, inspectors, our own observations, and the
11 headquarters staff in dealing with technical assistance
12 requests for the regions.

13 A practical problem that we see is being an
14 impediment and so forth. And there are really three or four
15 major categories of things that we could observe -- and I
16 could go on and on and on in the details, but I won't. But
17 I'll give you three or four key observations just to stimulate
18 the discussion.

19 One is that we know that there are parts of Part
20 35 that simply do not track the current state of technology.
21 An example of that is high dose rate remote afterloading. I
22 mean, arguably HDR's are of such a nature that they warrant a
23 separate and distinct section within Part 35 similar to what
24 we do for teletherapy units.

25 Now today, we have in place a policy and guidance

1 directive dealing with HDR. We have updated that in the
2 recent past following the event in Indiana, Pennsylvania. But
3 one of the things that concerns me is as a manager is that
4 we've never subjected all the kinds of things that we've put
5 into the policy and guidance directive, FC86-4.

6 And in fact, the subcommittee of the ACMUI worked
7 with us last September on that particular guidance document
8 and others. But it would be worthwhile and appropriate to
9 subject all that guidance to the public process, putting in
10 place those aspects of that guidance which warrant being
11 elevated to the level of a regulation than having to undergo a
12 public scrutiny comment and so forth.

13 And there are other technologies. The gamma
14 knife, for example, is another one that comes to mind.
15 Another broad category is that to the extent possible, Part 35
16 could be made more performance oriented. The classic example
17 that comes to mind whenever I get on this particular issue is
18 the criteria that we have in Part 35 with regards to
19 evaluating dose calibrators.

20 I think it's arguably very prescriptive. As you
21 probably know, there is an ANSI standard that deals with
22 evaluation of dose calibrators. An approach could be embodied
23 whereby licensees would follow the ANSI standard or some
24 equivalent as opposed to having to do this prescriptive
25 requirements.

1 And sometimes those prescriptive requirements
2 result in some of the violations that have been alluded to in
3 that someone doesn't do a constancy evaluation of the dose
4 calibrator 365 days of the year. They do it 360 days of the
5 year, and that results in a violation; albeit a minor
6 violation, but a violation just the same.

7 So this question of movement toward performance
8 versus being so prescriptive. Another issue that we have
9 observed is this issue of using industry standards wherever
10 possible. You know, from a regulatory standpoint, if you
11 could have industry develop those standards which they deem to
12 be appropriate and safe and that ensure protection of the
13 patients and public health and safety and so forth, and then
14 embody those in the regulations so that everyone will
15 participate, not just voluntarily participate because they're
16 an industry standard, then that seems like a worthwhile thing
17 to do.

18 The idea of putting into Part 35 only those
19 things which are essential as a requirement. Arguably there's
20 some things in there today that can be viewed as being
21 somewhat superfluous and not essential in the context of a
22 regulatory requirement. And then finally, the idea of trying
23 to line up more carefully the guidance that exists and provide
24 alternatives in the guidance.

25 If one looks today in Regulatory Guide 10.8, one

1 finds an example as a guidance. Well, sometimes that guidance
2 becomes a regulatory reality. And maybe what you should have
3 is a general requirement of a performance nature and then
4 several options for achieving that or several organizations
5 identified that have developed programs that would lend to a
6 licensee being able to use that to achieve compliance of the
7 regulation, and therefore substantial modification to Reg.
8 Guide 10.8 for that reason.

9 And there are many others. But that just gives
10 you some idea of some of the observations that we have made
11 about Part 35 and some of the things that I think that we
12 would have probably already moved toward modifying through a
13 rule making process if we weren't, you know, where we are
14 currently in terms of looking at the program at large.

15 The other one that comes to mind very quickly is
16 we currently have very prescriptive authorizations in 35.400.
17 We say that particular radionuclides as sources can be used
18 for certain purposes. That really ought to be modified to say
19 that they can be used for any reason or approach for which
20 they have been reviewed and approved.

21 So those are some examples of the kinds of things
22 that we have seen, and hopefully that will help you think in
23 terms of broad consequences.

24 CHAIRMAN SIEGEL: So is it -- is this question
25 really premature to answer? I mean, in the event that

1 something drastic does not happen as a result of the NAS
2 report that involves change and enabling legislation or --
3 then isn't it a given that Part 35 is going to be revised
4 along with your long range plans anyway?

5 MR. CAMPER: Well, certainly if we were to -- if
6 the agency were to stay in the business of the medical
7 program, then certainly I think there's a high probably that
8 Part 35 would be revised. I think the value though of your
9 comments and dissertation at this point in time is the
10 Commission has before it a significant decision to make in
11 terms of how it wants to proceed with the NAS report.

12 I think there is value to the Commission in terms
13 of getting a perspective from this committee as to -- if we
14 look at Part 35 today and if, in the final analysis
15 commission, you decide to remain in the business or Congress
16 doesn't take you out of the business, what do we think is
17 warranted for change in Part 35.

18 I think that could be of value to them in their
19 decision making process.

20 CHAIRMAN SIEGEL: Got it.

21 MR. CAMPER: At this point in time.

22 CHAIRMAN SIEGEL: All right, then let's just go
23 through it. Redo all of Part 35 in the next 20 minutes. Is
24 that enough time?

25 (Laughter.)

1 We wouldn't want to overdo it.

2 DR. HOLAHAN: If I can just make a point before,
3 is the way -- and it would be helpful too is first of all, all
4 of Part 35, if we're keeping patient safety in there and also
5 if a finding can be made that there is adequate protection for
6 patient safety, how do you protect public health and safety.

7 CHAIRMAN SIEGEL: Got it.

8 DR. HOLAHAN: Of occupational workers.

9 CHAIRMAN SIEGEL: In terms of things we said this
10 morning, I think if we look at definitions currently in Part
11 35, we would -- this committee would probably say that the
12 definition of a misadministration needs to be changed to first
13 of all something altogether different than -- a different
14 word, and that it be linked to some new reporting requirement
15 that allows the NRC to capture information about untoward
16 events as part of a function whereby it serves as a
17 clearinghouse for that data and tries to look for systematic
18 or generic trends.

19 And I think we've pretty much said this morning
20 that the whole misadministration concept is something we just
21 as soon see thrown out with Part 35, that you should still
22 gather data. I'm just kind of flipping through this, and then
23 -- big general administrative requirements.

24 So do all think that the concept of an ALARA
25 program, requirement for radiation safety officer, and the

1 requirement for a radiation safety committee are necessary in
2 order to use byproduct material or non-byproduct material in a
3 medical institution for either research purposes or medical
4 purposes?

5 Or are those concepts that are needed any longer?
6 Bob?

7 MEMBER QUILLIN: Personally, I never saw the
8 usefulness of a radiation safety committee for a purely
9 clinical facility. I can understand the need for it for a
10 research facility where you're talking about research
11 activities where you might have an institutional research
12 review committee, that sort of thing.

13 But I never saw the purpose of a radiation safety
14 committee per se for just a straight clinical program.

15 CHAIRMAN SIEGEL: What do others feel about that?

16 MEMBER STITT: I don't know which came first, the
17 chicken or the egg; but this would -- a radiation safety
18 program committee and an officer -- well, at least a committee
19 are required for hospital accreditation purposes. You can
20 find any number of different agencies, certainly JCAHO, that's
21 one of the things they're looking at.

22 CHAIRMAN SIEGEL: Jeff, you were going to
23 comment, or Lou, either one.

24 MEMBER WAGNER: Well, as far as hospitals are
25 concerned, my experience with radiation safety committees in

1 hospitals are that most of the people on the committee don't
2 know what you're talking about and have a large difficulty in
3 trying to understand what you're trying to get across.

4 And the person who really runs the show is the
5 radiation safety officer of the hospital. He's the guy who
6 really knows what's going on and he organizes it and plans it,
7 and basically it's a reporting mechanism. Now, it might be a
8 way of disseminating information, but I don't know how
9 effective that really is.

10 There probably is some usefulness to a radiation
11 safety committee in a hospital in terms of trying to
12 communicate information. And I'll just give you an example
13 with ours -- radiation safety officer is aware of difficulties
14 with radiation incidents across the nation. He goes to the
15 committee, he says here's what's happening across the nation,
16 now what should we recommend to the hospital to do in order to
17 make sure this doesn't happen at our institution.

18 That's an example of how our committee worked in
19 order to try to bring things to people's attention. And then
20 the committee makes recommendations to the staff, the medical
21 staff, as to things that ought to be done. So I think it is a
22 forum for making communication. There is that benefit.

23 At the university level, I would like to
24 stimulate some discussion from other people because from my
25 own personal experience is that many members on the radiation

1 safety committee do not have a thorough understanding of all
2 the duties of the radiation safety office. Many members on
3 the committee don't know where all the laboratories are that
4 are being regulated and things that are going on.

5 And I think that the NRC's idea is admirable, but
6 I don't think that it is -- that the radiation safety
7 committees always meet the full function and anticipation of
8 the NRC in terms of its operation simply because it's very
9 difficult to run by committee.

10 And I think the important things that I always
11 depend on is I've always stated to my committee the most
12 important thing is how confident is the radiation safety
13 officer and his staff to bring to the attention of the
14 committee those features that need to -- need our input and
15 our facilitation.

16 And if the radiation safety committee -- you
17 know, the radiation safety officer rather and his staff aren't
18 good, the radiation safety committee's not going to be
19 terribly functional either except to recognize that and
20 perhaps try to recommend a change.

21 CHAIRMAN SIEGEL: Jeff?

22 MEMBER WILLIAMSON: Well, I guess I tend to agree
23 with Bob on one part. I think it's a useful vehicle in a
24 large medical institution where there are many users and, you
25 know, very complex array of competing programs using

1 radionuclides and lots of safety concerns and labs being run
2 by scientists and individuals that otherwise, you know, might
3 not have much oversight.

4 So I think it's kind of useful for getting an
5 overview of the scope of the operations, providing a level of
6 review for the radiation safety office. Are they doing a good
7 job and can plugging in some component of management into the
8 operation of the program.

9 You know, the way I'd like to think about it is
10 if we didn't have NRC requiring us to have it, what kind of
11 radiation safety committees and programs would we have in our
12 institutions? That's sort of the conceptual -- since we're
13 sort of questioning the foundations of the regulations, that
14 might be sort of a useful way to think about it. As
15 professionals for different types of institutions, what would
16 we need?

17 I suspect in a very small facility with just a
18 few focused activities, you know, Bob might well be right.
19 And the very detailed requirements of meeting at least
20 quarterly with a quorum and so on might in effect just be sort
21 of for show effectively and of no real importance to an
22 institution of that size.

23 So again, it might be better to -- I suppose
24 outline in regulation form the objectives of a successful
25 administrative structure, what it's supposed to do and kind of

1 leave it to the institution to figure out how to structure one
2 instead of prescribing that it meet in a certain way.

3 CHAIRMAN SIEGEL: The only problem with leaving
4 it to an institution is that it means that you're also leaving
5 it to an inspector. And that's where we get into difficulty.
6 I agree with you. I mean, a community hospital that only has
7 a nuclear medicine service, doesn't do radiation oncology -- I
8 mean, it's kind of silly for them to have a radiation safety
9 committee.

10 The one guy who does the nuclear medicine is the
11 radiation safety officer. He regulates what he does, and
12 presumably hospital management -- presumably hospital
13 management is paying attention to the fact that environmental
14 regulations are being dealt with and that exposures are being
15 dealt with, and you don't really need a committee to do that.

16 In a complex place like Washington University
17 where we've got 500 laboratories, a committee structure is
18 something that probably would exist even absent the NRC
19 because a committee is a way for management to draw lots of
20 different forms of expertise and to provide it with the muscle
21 that it needs to wrestle with recalcitrant scientists in
22 laboratories, people who are being trouble makers, and things
23 that occur in large institutions.

24 So a committee structure probably would have
25 existed. I'm attracted to the concept of RSO responsibilities

1 and radiation safety committee objectives as being objectives
2 of the program if one can figure out a way for the NRC,
3 assuming they stay in the business, to administer these
4 programs without it being left to the discretion of individual
5 inspectors, because that's where we'll run into a serious
6 problem.

7 Larry?

8 MR. CAMPER: Just as a bit of history, some of
9 the logic that went into the creation of the RSC goes
10 something like this. First of all, it grew out of the old
11 isotopes review committee.

12 CHAIRMAN SIEGEL: Right.

13 MR. CAMPER: Back in the days when institutions
14 were more actively involved in actually approving
15 radiopharmaceuticals and their use, if one goes back in the
16 60's and 70's and that type of thing. When the regulations
17 were changed, the emphasis was placed upon that committee, or
18 what was that committee, as a radiation safety function.

19 And some of the logic went like the following.
20 If you have a committee, then you're getting institutional
21 participation and buy in and active responsibilities in all of
22 those places where materials are being used. It also serves
23 as an additional audit function on your radiation safety
24 program. And you have management participation because the
25 success of a radiation safety program ultimately dwells with

1 the highest level of institutional management buy in and
2 participation.

3 And then finally, the idea that the radiation
4 safety officer in some cases felt that they were functioning
5 as a lone wolf with little or no support from institutional
6 management or with no entity to turn to for a collegial
7 interaction to resolve radiation safety problems. So those
8 were some of the kinds of logic that went into the creation of
9 the requirement for the radiation safety committee.

10 CHAIRMAN SIEGEL: Right, and I think, you know,
11 your document -- your NUREG on management of radiation safety
12 programs in medical institutions talks about the tripod. And
13 I think conceptually those are good. The notion that some of
14 the very prescriptive parts of this could be lightened up I
15 think would be attractive.

16 Small committees -- do small committees really
17 need to meet once a quarter in a place where everything is
18 working like a charm? Does that really have to be a
19 requirement?

20 Yes, Lou?

21 MEMBER WAGNER: I'd like to proffer the concept
22 or idea for discussion that the ALARA as a regulation ought to
23 be eliminated, and that ALARA as a principle should be
24 promoted. And I'd like to respell ALARA. I'd like to respell
25 it with a lower case a, lower case l, a lower case a, capital

1 R, lower case a (alaRa). Because I believe the sense of
2 reasonable has gotten out of control.

3 Too much of the regulation that I see coming out
4 from my state is as low as absolutely achievable rather than
5 is reasonably achievable. So I think that as a regulation, it
6 ought to be abandoned; but as a principle and a concept, it
7 ought to be promoted.

8 MEMBER SWANSON: I would agree with that. I
9 think it's basically the same thing we talked about today with
10 quality management rules. The principle here that's a
11 standard that has now become a regulation, okay. So I would
12 agree 100%.

13 CHAIRMAN SIEGEL: Jeff?

14 MEMBER QUILLIN: A question. Where did the
15 industry standard get developed that ALARA means that in
16 medical institutions, you know, the allowable limits are 1/10
17 of those in Part 20 for occupationally exposed individuals?

18 MR. CAMPER: That's an interesting question. My
19 recollection is that for years and years and years, you know,
20 it was a qualitative concept rather than a quantitative
21 concept. But sort of a working rule of thumb under the
22 qualitative approach was trying to achieve a factor of 10%.
23 And I think along the line, that became memorialized as a
24 quantitative value.

25 MEMBER WILLIAMSON: Then, you know, my comment

1 would be that that sort of seems that's what ALARA means. It
2 just means the real limits by de facto limits are 1/10 of
3 those published. It's -- we ought to just republish Part 20
4 and say the limits are 500 MR per year, if that's what you
5 want.

6 No, well don't do that. I mean it facetiously.
7 I take that back. But it seems -- it's a contradiction that
8 it's expressed the way it is. And for that reason, I think it
9 should sort of -- I would agree, it should be dropped because
10 that's not what it means anymore.

11 MR. CAMPER: I think what happened along the way
12 is in an attempt to move from the qualitative -- to have some
13 standard that everyone would strive for, because to want ALARA
14 might mean 70% of the release value; to someone else, it might
15 mean 10%; to someone else, it might mean 1%; to someone else,
16 it might mean 90%.

17 I think it became a working number. I don't
18 think there's really much more a basis to it than that.

19 CHAIRMAN SIEGEL: All right, do we want to -- I
20 guess Kate Gottfried is here. We're waiting for a slide
21 projector, so we won't proceed. Let's keep going then. All
22 right, we've sort of dealt with RSO's and ALARA and RSC's, and
23 I guess we're arguing for reducing their prescriptiveness
24 without having specific language in mind on short notice.

25 What about 35.25, my favorite regulation? The

1 one that allows you to be cited no matter what goes wrong!
2 Someone probably wasn't following the instructions of an
3 authorized user at some point in their life history. How
4 often do you all use 35.25 as a basis for --

5 MR. CAMPER: I don't know how many times that
6 citation occurs per year, but I -- it's certainly one of the
7 more frequently cited violations.

8 CHAIRMAN SIEGEL: I mean, it's hard to argue with
9 the principle that in this particular activity, you want the
10 individuals in whom you've given the major responsibility --
11 to whom you given the major responsibility, namely the
12 authorized users -- it's hard to argue with the fact that you
13 want them to be in control and that you want the supervised
14 individuals to follow their instructions.

15 On the other hand, it is in a way demeaning to
16 the supervised individuals because it implies that they are
17 not capable of making any judgements. And it ends up being a
18 very, very stringent rule. And so that any time anything
19 happens where it turns out that a supervised person was making
20 a judgement call, then you have an opportunity for a violation
21 under 35.25.

22 And it's not really the way people work.

23 MR. CAMPER: The supervision issue is an
24 interesting one. If you go back and look at the statements of
25 consideration for the 1987 rule making, there's some

1 interesting words in there that something along the lines of -
2 - you know, individual physicians are in the best position --
3 the authorized users are in the best position to determine
4 what constitutes an adequate level of supervision because of
5 the differences in the practice of medicine and the
6 differences in state law and so forth.

7 And therefore, we have exercised I think a fair
8 amount of discretion with regards to the supervision
9 violations. Most of the supervision violations for 35.25 are
10 when there is a clear indication that there was not
11 instruction. It's a 35.25(a)(1) violation that occurs more
12 time than not.

13 And that's a situation where the inspector
14 determines, based upon discussions, typically with the
15 technologists, that instruction wasn't provided on a
16 particular aspect of the program. You know, 35.25(2) does
17 require the supervised individual to follow -- that is cited
18 occasionally, because they do not follow a program -- they
19 were instructed. A program does exist, but they do not follow
20 it.

21 That is a citation occasionally. But more of
22 them are against (a)(1).

23 CHAIRMAN SIEGEL: What about -- how often does
24 (a)(3) become a problem? Because I have been personally
25 moderately concerned about what constitutes an adequate audit

1 of the supervised individual's use of byproduct material.

2 MR. CAMPER: I would say that (a)(3) violations
3 are the most infrequent of the ones against 35.25, and for a
4 couple of reasons. You have the word periodically in there,
5 which of course has a band of flexibility associated with it.
6 And again, I would say that's occurring when it becomes clear
7 to the inspector that there is no ongoing review of the
8 individual's work.

9 You know, we've had a couple incidents recently
10 where they were double dosing, for example, you know,
11 patients. And it became clear in that case that there was
12 absolutely no review. There was little or no supervision
13 occurring, and there was no review of the activity of these
14 individuals.

15 Because reasonably, in the case that I have in
16 mind, the authorized user should be able to detect via the
17 dose log. Because actual dose entries were entered that were
18 much higher than called for in the clinical procedures manual.
19 So the point is, 35.25(a)(3) occurs occasionally. I don't
20 know again the exact number, but it's probably the least of
21 the three.

22 CHAIRMAN SIEGEL: Bob, do the standards state
23 regulations include a 35.25 equivalent?

24 MEMBER QUILLIN: I honestly don't know.

25 CHAIRMAN SIEGEL: Okay, I don't know either. Is

1 it likely they would based on your perspective?

2 MEMBER QUILLIN: I just don't remember.

3 CHAIRMAN SIEGEL: Okay. You know, if you were
4 writing them from scratch, is that something you would
5 include? How about that? Let me put it to you that way.

6 (Laughter.)

7 MEMBER QUILLIN: No, that's a different question.

8 CHAIRMAN SIEGEL: I know it is! I asked it
9 intentionally that way.

10 MEMBER QUILLIN: I understand that.

11 MEMBER STITT: I'll answer for Bob.

12 (Laughter.)

13 MEMBER QUILLIN: Thank you.

14 MEMBER STITT: No, my comment is I just had to
15 have my privileges reviewed to sign on again for the
16 University of Wisconsin. This would be a very typical thing
17 that my medical -- my chairman and the chief of staff at my
18 hospital want to review my performance. So there's a whole
19 variety of things that can be reviewed. Infections, deaths,
20 performance in a variety of ways.

21 These are medical standards that I don't know
22 that I would write into this sort of a document. But as a
23 physician, you are reviewed -- is easily one of the ways a
24 department would look at a radiation oncologist or a nuclear
25 medicine doctor.

1 CHAIRMAN SIEGEL: Yeah, except in this case,
2 these are the -- these are not the authorized users who are
3 being reviewed. These are the technologists whom you
4 supervise who are being reviewed and -- no, that's okay. And
5 the fact -- how you determine whether or not they routinely
6 follow your instructions.

7 Jeff?

8 MEMBER WILLIAMSON: Well, I think they -- the
9 intent of this regulation, as so many, is good. What it says
10 it that in an institution that has a treatment delivery system
11 or process for some type of modality, there should be sort of
12 good interpersonal communication among the team members in
13 delivering that therapy.

14 There should be good records kept, there should
15 be, you know, various levels of oversight where, you know, the
16 records are reviewed and the physician correctly conveys to
17 the treatment deliverers what is desired. It also says the
18 intent is that there should be well trained and qualified
19 professionals carrying out the appropriate tasks.

20 I think this sort of -- I find this section for
21 myself, being sort of a supervised individual, sort of a
22 little insulting like I'm sort of some monkey that needs to be
23 periodically retrained in some very mechanical, rote way. And
24 you know, maybe there are a certain level of employees whose
25 involvement is so peripheral in the treatment, that might be

1 so, that there's, you know, few things, you know, that have to
2 be explained over and over again.

3 But I think sort of the prescriptiveness is sort
4 of missing the main intent. And I would again suggest that
5 some sort of a intent or goal based specification of what the
6 goal of this be put in there, and I really think that to cite
7 an institution, as has happened, because an employee didn't
8 realize that the various procedures they were carrying out
9 were required by the quality management program and instead
10 answered, it's because good treatment practices require it --
11 that's not right to use it for that kind of reason.

12 MR. CAMPER: See again, one of the fundamental
13 historical logics, if you will, was -- if you look at the
14 wording under 35.25(a), it says that a licensee that permits
15 the receipt possession user transfer byproduct material by an
16 individual under the supervision of an authorized user, ie. a
17 physician, shall be instructed -- so forth and so on.

18 In other words, (a) says you shall instruct; (b)
19 says you shall follow; (c) says you shall periodically review;
20 and (b) is Barry's fatal flaw where you're responsible
21 regardless. Well, one of the underlying logics there was is
22 that if you look in Part 35, the only individuals that are
23 called out from a regulatory standpoint of having some minimum
24 level of training experience are authorized physician users,
25 authorized nuclear pharmacists, and teletherapy physicists.

1 These supervised individuals that are alluded to
2 in 35.25 can be anywhere from certified technologists,
3 dosimetrists, to on the job trained individuals with little
4 formal training. So what it was doing was placing a great
5 deal of responsibility and importance upon supervision by the
6 authorized user.

7 And that was part of the underlying logic in the
8 approach.

9 MEMBER WILLIAMSON: But it's not really true that
10 any of them are complex radiation oncology procedures.

11 CHAIRMAN SIEGEL: Right, and we've actually
12 recognized in recent meetings that there were additional
13 professionals that needed to be incorporated in any revision
14 of Part 35 that would have essentially authorized user
15 equivalent status like brachytherapy physicists. And we
16 actually -- I think the term we suggested was just medical
17 physicist, right, last time around?

18 Dennis?

19 MEMBER SWANSON: Larry, am I correct that in your
20 previous discussion about where you want to go with these that
21 you want to get more of a standard and less prescriptive? So
22 could I view that a standard here might be that individuals
23 should have appropriate training and experience commensurate
24 with their duties?

25 Would that be a standard, for example?

1 MR. CAMPER: Possibly, possibly. I also think,
2 frankly, if we ever get into reviewing Part 35, if we do that,
3 I mean, I think we ought to go back at some point and ask
4 ourselves what is the role of the authorized physician user
5 today. Because I think the regulations as they currently
6 exist had in mind an authorized user that played an active
7 role in the development and administration of materials and so
8 forth.

9 I don't think that the authorized user
10 necessarily means the same thing in 1996 as it did 25 years
11 ago. And so I think if we -- again, if we ever go that way
12 and revise Part 35, I think that we ought to explore that
13 underlying issue as well.

14 CHAIRMAN SIEGEL: Yeah, we're less important now
15 than we used to be. Technologists make all the decisions now.

16 (Laughter.)

17 And I wish I were kidding you! Are you ready to
18 answer my question?

19 MEMBER QUILLIN: Yeah, I'm ready to answer your
20 question. Actually, I think under our medical practice act in
21 Colorado, the physician is responsible, and it's under B in
22 the -- or C -- regulations here. The person under them is not
23 a licensed practitioner of some sort. They are responsible
24 for the acts and omissions of the supervised individual.

25 So basically that's covered under a medical

1 practice act. The other things I think are rather
2 straightforward. But I think the problem is, as Larry pointed
3 out, the concept of the authorized user has changed over time.
4 And the authorized user, as I think -- or was originally
5 envisioned here, really doesn't exist in many cases anymore as
6 far as one sole person who has knowledge over all things and
7 does all things and everybody else is just sort of a --
8 working under their direct supervision.

9 There are many specialists now in this field who
10 -- with expertise that maybe the authorized user is aware of
11 what the expertise is but doesn't know actual mechanics of
12 what they're doing.

13 CHAIRMAN SIEGEL: Are you referring to nuclear
14 medicine specifically or to radiation oncology?

15 MEMBER QUILLIN: Brachytherapy, for example.
16 What I said was that you don't know all the mechanics of what
17 they're doing. Actual steps. You know what the outcomes are
18 and procedures are, but you --

19 MEMBER STITT: Well, when I'm listening to the
20 conversation, I was curious because you said that there's less
21 -- well, Larry, that the definition has changed and the
22 practice had changed. And I actually wasn't sure what
23 direction you meant and whether it referred to nuclear
24 medicine or radiation oncology.

25 You're right in the high dose rate arena. I

1 think that frustration as a clinician is that so much of what
2 goes on with the remote afterloading could be lower -- it
3 could be high dose rate -- is that if the physician lost some
4 of that control where you were placing sources in certain
5 specific body parts and certain orders, because it's all
6 computer generated.

7 And so there can be whole parts of the
8 computerized process that are lost to the clinician. We
9 depend even more so on the physicists, and they have to try to
10 make qualitative assessments and really speak down to us about
11 this is or this is not going well. And several things that
12 we've all seen recently relate to software for computers --
13 brachytherapy computers, and problems in software.

14 And we really are no longer as knowledgeable
15 because of that different layer of technology that's evolved.
16 So in that sense, I think particularly with the high dose rate
17 technology -- actually remote afterloading technology has put
18 the therapeutic oncology -- in that position.

19 MR. CAMPER: Yeah, the point that I was making
20 was that if one goes back and looks at the history of the
21 authorized user concept, you'll find that those were typically
22 physicians that were actively involved in developing and
23 applying the application of radiopharmaceuticals or sealed
24 sources in therapy.

25 What's happened over time though is that many

1 authorized users today simply want to use radioactive
2 materials in the course of practice of medicine and have
3 little or no interest in supervising as authorized users did
4 historically. Now, authorized users that are radiation safety
5 officers have a different set of functions, of course.

6 And all I was saying -- and I think this is what
7 Bob's getting at too, is in addition to that, you also have an
8 emergence now of more highly trained individuals who play a
9 more active role in the delivery of the radiopharmaceuticals,
10 be it diagnostic or therapeutic, than you used to 25 or 30
11 years ago when the AU was playing a much more aggressive role
12 -- the authorized user was playing a much more aggressive
13 role.

14 And all I'm really saying is that if we look at
15 the concept of supervision, we should also look at the concept
16 of who supervises and why.

17 CHAIRMAN SIEGEL: Good. We'll come back to this.
18 Now we're going to proceed with our regular schedule and let
19 Kate -- are you ready, Kate? Okay, and let Kate Louise
20 Gottfried from the National Academy of Sciences Institute of
21 Medicine tell us more about the report.

22 Kate, we have been discussing the report for much
23 of the morning. What we have carefully avoided doing was
24 discussion of whether we agree with -- a discussion of whether
25 we agree with the alternative you selected and with the

1 principal implementation strategies that you chose. What
2 we've been focusing on instead are those things that NRC could
3 do assuming not much changed.

4 And there were some specific questions we had
5 from the NRC, and we focused on those. So I think we'd like
6 from you -- I know you've prepared to give us an overview of
7 the report. We've all read it. But we'd very much like to
8 know as much as possible about the rationale that led you to
9 your preferred alternative.

10 MS. GOTTFRIED: Great. Do I need to talk into
11 this mike? I guess so.

12 CHAIRMAN SIEGEL: It will move a little bit if
13 you want to move it.

14 MS. GOTTFRIED: Well, first I'd just like to
15 thank you for the opportunity to be here today.
16 Unfortunately, John Villforth, which is why we scheduled this
17 for this afternoon, was supposed to accompany me. I know you
18 all know what's in the report, that you've seen it, you've
19 read it.

20 And actually these slides, I'm going to run
21 through them really quickly and then just focus on the
22 preferred alternative and the recommendations. I understand
23 that Patricia already went over the recommendations with you
24 this morning. This is what I use when I go to present the
25 report elsewhere, not to an as informed audience.

1 John is at a hearing this morning, and so we were
2 hoping he would be able to make it by this afternoon. And
3 originally, that was not scheduled at the time that we
4 appointed today for the presentation. And I definitely
5 apologize for that, because I think, you know, you need the
6 benefit of committee members and their expertise.

7 The other unfortunate consequence of this whole
8 timing and scheduling of this presentation is that we're going
9 to be briefing the commissioners next week on the 27th, which
10 is an open public meeting. There will be several committee
11 members, probably six committee members attending that
12 meeting.

13 And we had thought they would be back to back so
14 that you would have the benefit of that information as well.
15 And that's something that was beyond our control. Having said
16 that, let me just start off.

17 Everybody knows that the committee was called.
18 Reminder of who the committee members were. The methodology
19 that we used to carry out the study. I'm just looking to see
20 if there's anything that I should note in addition to what's
21 on here. I think you're all aware that we have commission
22 papers, committee meetings, public hearing, QM panel and site
23 visits.

24 I'm not going to belabor this. This was a
25 statement of task that the NRC provided the IOM with. This is

1 just an expansion of that. This was a table we used to
2 present the scope of the study. Those items in gold are
3 subject to NRC regulation. The ones in white not subject to
4 NRC regulation.

5 The committee looked at the entire scope, both
6 yellow and white. It's basically broken down into radioactive
7 materials and machine produced radiation. These were the
8 subcommittees. Everyone knows we had a public meeting. Okay,
9 the committee derived a variety of goals. These were the
10 three goals that the committee pursued.

11 To promote greater uniformity of regulation of
12 all ionizing radiation in medicine. To shift federal
13 oversight to an agency experienced in matters of public
14 health, and to further ensure adequate protection of the
15 public's health and safety. And to consolidate regulation of
16 all ionizing radiation in medicine by delegating regulatory
17 authority for reactor generated byproduct materials to the
18 states, which presently regulate NOARM, approximately 98% of
19 radiation medicine.

20 Before I get into this, I will take some time now
21 to talk about our approach to the preferred alternative.
22 Chapter five of the report, which as an aside should be out in
23 final sometime in March, is really the heart of the report.
24 It focuses on what were the proposed recommendation -- well,
25 the proposed alternatives that would result in the eventual

1 recommendations that the committee made.

2 The focus of those alternatives really should be
3 on alternative C through F. The other alternatives, the
4 status quo, the laissez faire approach, and then sort of all
5 encompassing, were in fact because the committee wanted to
6 consider the entire spectrum of options. The reality is that
7 the heart of the discussion by the committee focused on
8 alternative C through F; and in particular, alternatives C, D
9 and E. F was discarded because it calls for a centralization
10 of all ionizing radiation subject to federal regulation, which
11 is currently not the system.

12 And again, felt to be too all encompassing and
13 not too -- and something that would not achieve the
14 committee's end, which was to ensure adequate public health
15 and safety, but in an efficient, expeditious manner.
16 Alternative C, D, and E are all sort of a variation on the
17 theme. C, state control; D, the preferred alternative; and E,
18 again a variation of alternative D, but with some authority
19 for federal regulatory authority.

20 I'd say that the committee spent meetings three,
21 four, five and six debating these issues and continuously.
22 And they revisited them, and they deliberated, and they came
23 up with proposals, and they revised those proposals and spent
24 an extensive amount of time really debating the virtue of
25 federal regulation of ionizing radiation as opposed to federal

1 guidance.

2 And I'm terribly sorry that John Villforth isn't
3 here today, because John of course is a strong proponent for
4 federal -- some federal influence. Because in fact, the
5 committee really did struggle between state control,
6 alternative C, and some federal influence. And I would say
7 that John Villforth's expertise, among a number of other
8 committee members who deal with the area on a day to day basis
9 wielded a lot of influence with respect to having some federal
10 involvement in the area.

11 So what was the issue with respect to federal
12 regulation and the alternative? Alternative D -- well, the
13 first recommendation refers to the elimination of NRC's
14 medical use program. And elimination of the NRC's medical use
15 program from the committee's perspective would not alter the
16 basic structure of federal regulation.

17 That the federal government would still retain
18 responsibility for the entire area with respect to the
19 generation, transport, non-medical use, disposal of
20 radionuclides, and for the approval of radiopharmaceuticals
21 and certification or approval of equipment that generates
22 ionizing radiation.

23 The committee's perspective was that we're
24 looking at a very small area that needs to be examined, and in
25 fact, revised. But that overall, federal regulation of this

1 area would not in fact be changed. As a consequence, the NRC
2 and its agreement states would continue to license the
3 production of byproduct material for radiation producing
4 devices and radiopharmaceuticals in the medical context.

5 The NRC and its agreement states would, as
6 relates to the non-medical use of byproduct material, continue
7 to license the production and use of byproduct material. The
8 DOT would continue to regulate the transport of radioactive
9 materials.

10 EPA would continue to develop guidelines that set
11 occupational and public exposure limits to be implemented by
12 the respective federal agencies. The FDA would continue to
13 regulate the manufacturer and labeling of radiopharmaceuticals
14 and medical devices. It would also continue to regulate the
15 MQSA.

16 DOD, VA, PHS, would all continue to be
17 responsible under the regulations of the appropriate agencies
18 for the safe use of radioactive materials and radiation
19 producing machines in their hospitals and laboratories. And
20 HCFA, with respect to Medicare and Medicaid, would continue to
21 develop reimbursement guidelines.

22 Based on -- and I can only say that it's a matter
23 of deliberation and confidential discussion amongst the
24 committee over a protracted period of time, the committee
25 derived the preferred alternative. The committee felt that a

1 regulatory structure that transferred authority to the states
2 and identified a federal agency other than the NRC to work in
3 conjunction with the CRCPD and other professional
4 organizations to develop recommended state laws and
5 regulations for all ionizing radiation in medicine.

6 And the committee spent a great deal of time also
7 determining or considering what type of guidance this entity
8 should in fact provide. The following is a list. Again --
9 Mr. Villforth. John Villforth's just walked in. The
10 identified federal agency would assist states in establishing
11 regulatory programs and trained radiation control personnel,
12 address problematic incidence of national concern, educate the
13 public of the benefits and risks of radiation medicine,
14 conduct research so the science of radiation medicine
15 continues to advance, collect risk data, and monitor the
16 effects of deregulation.

17 Recommendations then were made before both
18 Congress, the NRC, the CRCPD, and to the states. And then the
19 rest is just -- which I know you've reviewed this morning -- a
20 repetition of the recommendations made by the committee.

21 The point that Senator Glenn made in an article
22 that appeared after the report was released was that he would
23 like to recommend adoption of the committee's recommendations,
24 but he would add that in fact he would like to see it
25 monitored over a -- and he didn't describe in any detail in

1 how he would want it monitored or over what time frame.

2 But that in fact he thought that was essential.

3 And of course, the committee doesn't agree with that at all.

4 John, the -- one of the questions really revolved -- or the
5 main question that the ACMUI has put to us is what the process
6 was for deliberation and deriving the preferred alternative.

7 And I have described the process as the committee
8 met and over the course of several months, really focused on
9 our alternatives and proposing what the preferred alternative
10 would be. That that was the result of extension deliberation,
11 and that the main emphasis was state control versus some sort
12 of federal influence.

13 I would love to open it up and have you ask some
14 specific questions or to -- to myself or to John. I don't
15 really think it's worth going over the -- do you want to do
16 that?

17 CHAIRMAN SIEGEL: No, I think I agree with you.

18 MS. GOTTFRIED: Okay.

19 CHAIRMAN SIEGEL: I think that's fine. We
20 probably saw them this morning, and we all have a pretty good
21 feel for them. Dennis, you had a question? You were ready to
22 jump in?

23 MEMBER SWANSON: Just one comment. You kind of
24 took me back by your statement that the committee didn't
25 recommend monitoring of the program. I actually thought that

1 that was one of the tasks of the federal agency --

2 MS. GOTTFRIED: No, no, they did; I'm just saying
3 they don't have any disagreement with Senator Glenn's comment
4 that he would in fact push for a monitoring of a -- if there
5 were deregulation.

6 MEMBER SWANSON: Okay, and then I do have a
7 specific question. If one of the goals was to promote greater
8 uniformity of regulation of all ionizing radiation in
9 medicine, what deliberations -- why did the committee stop at
10 simply the medical use? Why did they not also look at
11 uniformity and regulating the production and distribution of
12 byproduct material?

13 And in particular, related to my area of
14 practice, which is pharmacy -- nuclear pharmacy, we're right
15 -- certainly what we do in nuclear pharmacy is directly
16 related to the medical use of radioactivity. We're regulated,
17 in fact, by the NRC under -- not under Part 35, but under Part
18 32.72.

19 So I'm real curious as to how all of these
20 recommendations are going to affect the practice of nuclear
21 pharmacy, and are we going to have to continue to exist under
22 a dual set of regulations?

23 MS. GOTTFRIED: Well, and that's a great
24 question. I don't have the answer for you. In terms of what
25 the committee restricted itself to, we really had to adhere to

1 the statement of task provided by the NRC. And I think in the
2 area that you're outlining, it became an area that was beyond
3 the expertise of the committee at that point.

4 I don't know if you want to add anything to that,
5 John. I think that the issue of uniformity is certainly the
6 issue that the committee was grappling with. And the fact
7 that that should be what the committee strove towards --
8 there's so many details and nuances that the committee just
9 could not address.

10 CHAIRMAN SIEGEL: Lou?

11 MEMBER WAGNER: I'll ask the question I asked
12 this morning. There's reference within the document that the
13 IOM's recommendations pertain to medical uses, as well as
14 biomedical research. Could you elaborate a little bit on the
15 scope of what the IOM meant by incorporating also biomedical
16 research?

17 MS. GOTTFRIED: That was an issue that came up
18 because of all the various people who deal with research and
19 radionuclides in research and the fact that you wouldn't want
20 to have a dual system with respect to -- if in fact the NRC
21 was removed from the regulation of radionuclides in the
22 hospital setting, and then how that would apply to people
23 conducting research in laboratories within a hospital.

24 So they were able to make that expansion.

25 MEMBER WAGNER: But would this, for example,

1 include biomedical research in a medical school? Would your
2 recommendations apply to a radiation program of research
3 within a medical school that's disjointed from any hospital
4 affiliation?

5 MS. GOTTFRIED: That was the intention, yes.

6 MEMBER WAGNER: Okay. What about biomedical
7 research that might occur at reactor facility sites such as up
8 in the state of Washington and other places? If they're not
9 affiliated with a medical school, would they still come under
10 this type of regulation?

11 MS. GOTTFRIED: My sense is that they would.

12 CHAIRMAN SIEGEL: John, at least for the record,
13 could you just introduce yourself and --

14 MR. VILLFORTH: Excuse me, I'm John Villforth.
15 I'm with -- a member of the committee. And I was with the
16 Food and Drug Administration. I'm now with the Food and Drug
17 Law Institute, which is a non-profit organization downtown.
18 It's my understanding that the intention was that all
19 biomedical research -- we're talking sort of the animals in
20 vitro types of stuff that will eventually lead to human use
21 should be covered under this provision.

22 CHAIRMAN SIEGEL: So restated, it really means
23 that the materials program currently administrated by the NRC
24 as it applies to medical institutions would transfer to this
25 new responsibility? Because really, you'd have to deal with

1 the whole materials program with a medical institution focus.

2 MR. VILLFORTH: I think it's the medical --
3 ultimately the medical research, whether it's in the medical
4 institution or if it's in a -- if it's at Brookhaven in the
5 reactor side as opposed to the hospital side that technically
6 would be -- as a part of the intention of this.

7 CHAIRMAN SIEGEL: Okay. Jeff?

8 MEMBER WILLIAMSON: Yeah, where would basic
9 standard setting reside such as occupational exposure
10 limitations and so on? Also maximum MPD's for the general
11 public. Would it be possible that New Jersey and Texas, for
12 example, could have different whole body exposure regulations?

13 MR. VILLFORTH: It's possible. You know how
14 those state folks are.

15 (Laughter.)

16 The intention, I think, was that the type of
17 oversight that's been provided in the past by the conference
18 of radiation control program directors through the suggested
19 state regulations was a way to provide the uniformity and
20 consistency. Now, there's no requirement that those things --
21 up until now, there's no requirement that those things be
22 mandated to the state.

23 The intention, I think, was that those are the
24 good -- that's a good basis in that that process would
25 continue. The suggested state regulations would continue.

1 And as the need for -- in new areas or new modalities or what
2 have you, that those would be incorporated. And that would
3 include the occupational side of things as well as the whole
4 schmier, the whole nine yards.

5 MEMBER WILLIAMSON: Okay, so the occupational and
6 public safety standards, all of that would revert to the
7 states, so most of Part 20 would be -- as well as 35? I'm
8 confused, I'm sorry.

9 MR. VILLFORTH: I don't think the idea was to
10 change the 10 CFR 20 types of requirements and take that away
11 from the NRC. Because it involves all the industrial and all
12 the other research applications -- non-medical research
13 applications. That would reside with the NRC. That material
14 -- however, the concepts that are contained in the suggested
15 state regulation.

16 So there's an element of consistency as to how
17 they would be adopted. But I don't think the intention was to
18 pull away the occupational side of this away from the NRC.

19 MEMBER WILLIAMSON: Okay, so basic standard
20 setting that's independent of medical practice and common to
21 all ionizing radiation uses would stay in Part 20 and
22 presumably all the state regulations would be compatible with
23 it?

24 CHAIRMAN SIEGEL: At the moment, in a way, isn't
25 it a little bit by default that that's with Part 20 and not

1 coming out of the EPA? Isn't it kind of by agreement between
2 the NRC and the EPA that the NRC is setting those standards
3 rather than the EPA setting those standards? Don't they have
4 the ultimate federal authority to do so if they chose to

5 MR. VILLFORTH: You're talking about the old
6 Federal Radiation Council responsibility, and I suppose
7 technically the EPA would have the ability to set those
8 standards under its old Federal Radiation Council guidelines
9 much in a similar way that they did in 1975 and said x-ray
10 performance standards --

11 CHAIRMAN SIEGEL: Did you want to address that
12 question?

13 MR. COOL: Just for the record once again, I'm
14 Donald Cool. I'm Director of the Division of Industrial
15 Medical Nuclear Safety. NRC issues its requirements in Part
16 20, implementing the agencies requirement to implement the
17 EPA's federal guidance authority. Kate Louise Gottfried noted
18 that in their proposal, federal agencies would continue to be
19 in the implementing role of the federal guidance, which is
20 under the mandate of the Environmental Protection Agency.

21 EPA now implementing -- as John Villforth had
22 indicated -- the old Federal Radiation Council, if you go back
23 now 30 years or so, for occupational and public exposure. The
24 latest occupational exposure, federal guidance having been
25 written in 1987; the latest public exposure guidelines, which

1 have been subjected to some comment, but the official ones go
2 back to around 1960.

3 And it's those guidelines which NRC implements
4 through Part 20.

5 CHAIRMAN SIEGEL: Just to elaborate though on the
6 question about state non-uniformity, is there anything in the
7 current structure that would prevent Colorado, say, from
8 deciding that the public health limit -- member of the general
9 public limit should be 10 millirems per year?

10 MR. COOL: Most of those basic limits -- most of
11 the Part 20 definitions and fundamental limits are fundamental
12 matters of compatibility adequacy. They're what Bob Quillin
13 called earlier today division one where they're supposed to
14 match.

15 CHAIRMAN SIEGEL: Okay. So that -- so in the
16 final analysis at the moment, the NRC is setting the
17 standards, but the EPA has some role in the process, and then
18 the states have to follow?

19 MR. COOL: That's basically correct. In fact,
20 most of the time NRC and EPA are sort of running their
21 processes in parallel. In the occupational case, the revised
22 federal guidance for occupation exposure and revised Part 20
23 were being developed simultaneously. We in fact went ahead
24 and moved forward also with the public exposure arena thinking
25 back at that time that the federal guidance for public

1 exposure would be shortly behind the occupational guidance.

2 We are now eight years later, and that might not
3 have been such a good assumption.

4 CHAIRMAN SIEGEL: Larry?

5 MR. CAMPER: I had a couple of minor questions,
6 and then maybe what might be a more major question in terms of
7 the alternatives. In looking through the slide on federal
8 authority maintained, you say that DOD, the VA and the public
9 health service would continue to be responsible under the
10 regulations of the appropriate agencies for the safe use of
11 materials.

12 And it wasn't clear to me exactly what the
13 committee meant by that. I looked at a couple of pages in
14 your text last night and tried to get an understanding, but
15 what I'm focusing upon is the safe use. For example, we
16 currently issue licenses to DOD facilities. We currently
17 issue licenses to the VA and the public health service
18 hospitals for the use of materials.

19 And I was curious exactly what you meant by
20 continue to be responsible under the regulations of the
21 appropriate agencies. What appropriate agencies were you
22 referring to there? Were you referring to DOD, DVA, PHS
23 themselves, and does that imply self regulation? What were
24 you getting at there?

25 MR. VILLFORTH: I think the intent was that this

1 would not apply to the federal agencies, that the federal
2 agencies would continue to work out their relationships with
3 the NRC in whatever fashion, whether that would -- you might
4 issue a broad license to the particular element of the
5 military or the public health service to accommodate that or
6 not.

7 But that would not be something that was going to
8 be under this consideration.

9 MR. CAMPER: So you envision then that NRC would
10 continue to license those entities referred to there?

11 MR. VILLFORTH: Yes.

12 MR. CAMPER: The next question I had was under
13 the federal guidance, the identified federal agency would
14 assist states in establishing regulatory programs and trained
15 radiation control personnel. I'm just curious, what
16 mechanisms did you consider as a committee when you looked at
17 that, that that federal agency, in this case DHHS, would
18 assist the states in establishing regulatory programs.

19 What mechanism were you thinking about with that
20 suggestion? I mean, how would that -- what would be the
21 mechanics of that? How would it play itself out?

22 MS. GOTTFRIED: Well, in part, that referred to
23 the prior experience that the FDA had with respect to the MQSA
24 and using that as a model. That the FDA was a convener and
25 worked with the various professional organizations to derive

1 the regulations that were then put in place.

2 MR. CAMPER: I see.

3 CHAIRMAN SIEGEL: And actually we haven't gotten
4 to that part of our discussion yet, but I mean, that was the
5 model that I was going to throw out on the table is the one
6 that had to work. Because one of the things I'm concerned
7 about is that it seems like alternative D really is absolutely
8 contingent on congressional action to put alternative D in
9 place.

10 And that there almost is no way the NRC can move
11 towards alternative D on its own. Is that the committee's
12 consensus on that thought or not?

13 MR. VILLFORTH: I get my numbers mixed up. Which
14 one --

15 CHAIRMAN SIEGEL: You need something like the
16 MQSA for medical use of ionizing radiation to put in place a
17 set of federally mandated standards that the states would then
18 administer, and presumably there would have to be some teeth
19 attached to it. And teeth could be HCFA reimbursement or the
20 fact that if you don't do it, then the federal government
21 comes in and takes over your state or something like that.

22 (Laughter.)

23 Manifest destiny, or whatever it is.

24 MS. GOTTFRIED: Well, there was actually some
25 sentiment that the NRC could initiate, for example,

1 elimination of Part 35 on its own given proper legal counsel.
2 So that recommendation (b)(2) talks about NRC initiating
3 formal steps under the APA to revoke Part 35. And then if
4 Congress fails to act within two years in response to the two
5 recommendations to Congress stated above -- in other words,
6 I'd like to see Congress step in and take some action.

7 In the event that it can't or won't, what are the
8 options for the NRC?

9 MR. CAMPER: And under that model, who filled in
10 then? Who took over those responsibilities? If the NRC were
11 to remove itself, let's say in the course of a year's time,
12 for example, what was the committee's thoughts as to who would
13 fill in that regulatory void, if you will, at that point?

14 MR. VILLFORTH: The states.

15 MR. CAMPER: The states?

16 CHAIRMAN SIEGEL: But absent some congressional
17 mandate like the MQSA that they have to administer this new
18 process, what would be their incentive for doing so?

19 MR. VILLFORTH: You're asking what the stick is
20 to do that?

21 CHAIRMAN SIEGEL: Right.

22 MR. VILLFORTH: I don't think there is a stick.

23 CHAIRMAN SIEGEL: I mean, the only stick that you
24 really hold out in the report is the fact that people in that
25 state wouldn't be able to get the materials that NRC controls.

1 It turns out that, you know, you can make technetium in a
2 linear accelerator if you're clever and choose to.

3 It's expensive. So there potentially would be
4 work arounds. What? It might be less expensive than license
5 fees. How much -- and this may be a tough question, but how
6 much were you bothered by the how hard the states had to be
7 pushed to get where you wanted the states to be, and
8 especially in terms of ensuring that the states would achieve
9 the level of uniformity that I think we agree and that you all
10 thought was appropriate so that -- I mean, we wouldn't want
11 there to be five standard deviations of difference behind the
12 way things are done in Idaho and the way things are done in
13 Massachusetts.

14 MR. VILLFORTH: I think it's a difficult question
15 to determine how much we're going to -- how much of an
16 incentive is going to move us in that direction, particularly
17 when you have the non-medical side -- the whole industrial
18 side there that's unadjusted. So you've got this kind of
19 schizophrenic way of dealing with these sorts of byproduct
20 materials.

21 On the one hand, you want to encourage the states
22 to pick them up in the medical area. On the other hand,
23 there's nothing to give an incentive to the industrial or
24 other kinds of applications of byproduct materials other than
25 being handled in the traditional fashion. I think if this

1 thing gets looked at, one has to ask the question if you go
2 this far for this -- you know, the Congress may want to look
3 at this and say this -- you know, maybe this doesn't make
4 sense.

5 This was not the charge of the committee to go
6 beyond the medical arena. But it begs, I think, the question
7 does one need consistency in all the use of byproduct
8 materials.

9 MR. CAMPER: So I assume then for that reason
10 that that's why the idea of expanding the existing agreement
11 state program -- in other words, the states that currently do
12 not regulate byproduct material that are currently regulated
13 by the NRC have a great deal of responsibility and work to do
14 under the model as proposed.

15 Similarly, that could be accomplished through the
16 agreement state program. And so what I think I'm hearing is
17 that that wasn't an alternative because it went beyond the
18 scope of medicine.

19 MR. VILLFORTH: That's correct.

20 CHAIRMAN SIEGEL: Yes, Dan?

21 MEMBER BERMAN: A lot of the import, I think, of
22 the report is based on the idea that only about 10% or less
23 than 10% of radiation medicine is covered by what the NRC
24 regulates. But isn't it -- did the committee give any thought
25 to the possibility that the fact that the NRC has been so

1 involved in that 10% may have had a spill over effect on how
2 the states treat the rest of the 90%?

3 And if that 10% -- that if you turn around and
4 remove the regulation of the 10%, that it might lead to
5 increased variability of how the whole of ionizing radiation
6 is handled.

7 CHAIRMAN SIEGEL: That's why they still have
8 federal guidance --

9 MS. GOTTFRIED: In part, that's true.

10 CHAIRMAN SIEGEL: -- in alternative D.

11 MS. GOTTFRIED: I mean, I think that's a fair
12 question. And I think the committee felt that in fact -- if
13 you talk to some people around the country, they will say that
14 the NRC's influence with respect to byproduct may in fact
15 influence their overall programs. The notion is to sort of
16 take that and authorize the states to expand and include it so
17 that in fact their programs will be maintained and
18 strengthened.

19 You know, whether that will occur -- and I guess
20 going back to the previous question, and I just feel compelled
21 to add some of the committee's sentiments with respect to the
22 degree of variation from state to state. This is a very
23 minuscule area of radiation medicine. And it's very minuscule
24 in terms of what states regulate in general.

25 And there's great variation in aspects within the

1 health care field and within environmental issues, etc., etc.
2 And so in fact, it becomes a philosophical issue in terms of
3 state regulation versus government intervention. And I think
4 that's important to recognize. And the committee felt, with
5 respect to a cost benefit and with respect to the incidence of
6 "misadministrations or adverse events," that in fact the
7 "risk" was worth assuming and testing.

8 CHAIRMAN SIEGEL: Jeff?

9 MEMBER WILLIAMSON: I was going to, you know, ask
10 about this issue. Did you assess or make any attempt to
11 assess the variability of regulatory practices and their
12 effectiveness in the federally unregulated 90%? That is,
13 assess the consistency of state practice.

14 MS. GOTTFRIED: We did. We actually wrote to all
15 the states. We tried to get the regulations from all of the
16 states with respect to NOARM and byproduct material. We
17 talked with the CRCPD. Their database was less than up to
18 date with respect to those issues. It was very, very
19 difficult to obtain accurate information with respect to
20 regulation of NOARM.

21 CHAIRMAN SIEGEL: Judith?

22 MEMBER STITT: A question. The preferred
23 alternative identifies a federal agency other than the NRC to
24 work as the federal agency that would provide guidance. Could
25 you just comment on the choice of the Department of Health and

1 Human Services?

2 MS. GOTTFRIED: I'll be glad to start off, and
3 I'm sure John will have some additional comments. The
4 committee felt that the DHHS, and in particular -- well, DHHS
5 as the Department of Health and Human Services, and then in
6 particular the Food and Drug Administration, has an extensive
7 background history in dealing with issues of radiation.

8 And in fact, the training there is also more
9 attuned to issues of public health and safety with respect to
10 medical issues. And so, in fact, DHHS might in fact -- might
11 be a better locus for this area since there is that history.
12 Although the committee stepped short of actually saying it
13 should be FDA or CDRH within FDA, it suggests as a
14 possibility. But the committee did not want to assume as sort
15 of a presumptuous attitude and prevent the secretary from
16 designating where it should fall within HHS.

17 MR. VILLFORTH: I think that's right. I think
18 you were pulling on the history that the FDA was involved.
19 And as Kate said, they didn't want to be presumptuous. I
20 think that what's happening downtown, at least this morning
21 with Senator Kassebaum with her new senate bill where I was at
22 the -- or preparing her proposal is to move the -- all the
23 radiopharmaceutical programs from the Center for Drugs into
24 the Center for Devices and Radiological Health.

25 Now, what -- there were -- hearings are going on

1 through this afternoon and through tomorrow. I have no idea
2 whether -- to what extent that will be commented on, but
3 that's in the bill. And whether that will end up in the --
4 that will go anywhere or not, but it's interesting that that
5 particular proposal had been made to -- I guess recognizing
6 that perhaps radiopharmaceuticals aren't really drugs in the
7 same sense that some other things might be defined as drugs.

8 It's a little loose translation. But it's an
9 interesting observation. So I think some things are happening
10 down there too. Down there being in Congress.

11 CHAIRMAN SIEGEL: Lou, you had a comment?

12 MEMBER WAGNER: Yeah, on the recommendation
13 (a)(1), page 16, there is a sentence here that specifies some
14 of your goals of removing authority from the federal level.
15 And you say first it eliminate prescriptive and costly
16 regulations that yield marginal risk reduction. Did the IOM
17 investigate whether or not state regulations that are not NRC
18 driven are perhaps also prescriptive -- too prescriptive and
19 costly, and that indeed the states will end up perhaps falling
20 to the same folly that the NRC has fallen to?

21 MR. VILLFORTH: I don't know that that was
22 considered that the states would be overly prescriptive. I
23 think the feeling was -- and it's just a feeling that I had --
24 that the states were not particularly enthusiastic about the
25 specifics of some of 10 CFR 35 in terms of quality, the

1 quality assurance, or the aspects that have to do with the
2 patient reporting. And my impression was that that was not
3 something that was greeted with a lot of enthusiasm within the
4 states. And I may be wrong.

5 MEMBER WAGNER: Well, I think that that's
6 probably true. I'm not sure what all the motivation for it
7 would be, but I think that that is true in part. But I'd like
8 you to read some of the state regulations and see how
9 prescriptive they are and how costly they become for users
10 because they're equally as burdensome in many cases.

11 The other issue is in regard to the IOM's
12 investigation into the causes of why the regulations perhaps
13 got out of hand and were overly prescriptive and too costly,
14 did the IOM really investigate the actual cause?

15 I know there was a lot on the history and there
16 was a description of the history of what occurred, but could
17 the IOM possibly give us any insight into why this occurred,
18 what was the mechanism, the driving force? Was it a matter of
19 knee-jerk reaction to events, single events, or was it a
20 matter of something intrinsic within the regulatory way that
21 they develop regulations that could have led to the state
22 we're in today?

23 MS. GOTTFRIED: I don't think the committee
24 really understood that or knew. The history, in fact, gives
25 some suggestion of the way in which regulations are developed,

1 but there is no documentation that we could uncover or that we
2 really focused upon in order to understand that.

3 It's an interesting question. My own sort of
4 guess is that that's part of the way in which things unfold
5 when you're developing regulations.

6 MEMBER WAGNER: The thing that I worry about is
7 now if we turn it completely over to the states, we're going
8 to have 50 different regulatory bodies falling to the same
9 folly, committing the same errors that were done before
10 without any recognition of why they got themselves into that
11 fix in the first place.

12 MS. GOTTFRIED: I think that's a fair question,
13 although, I mean, the hope and expectation is that the CRCPD
14 in its divine wisdom and its expertise will, in fact, be an
15 important leader and, in fact, provide models for the states
16 to adopt.

17 CHAIRMAN SIEGEL: I think Dan's been chomping at
18 the bit.

19 MEMBER FLYNN: Yes. It's a follow-up. I'm
20 somewhat concerned about your statement that you tried to get
21 all the state regulations. That means you didn't get all the
22 state regulations. Is that correct?

23 MS. GOTTFRIED: Correct.

24 MEMBER FLYNN: Well, then --

25 MS. GOTTFRIED: We've got a hodgepodge from the

1 various states in terms of what exists. And we've got
2 millions of pages of things from some states and fewer pages
3 and comments that said, "Well, we have four volumes. We don't
4 know how we'd get them to you." It was really not something
5 that was a clean, "Give us Statute X, Y, and Z for us to
6 review so that we can understand the way in which you
7 regulate."

8 MEMBER FLYNN: Well, that concerns me because it
9 seems very premature for you then to put the whole program
10 onto the states. I mean, it sounds to me then you have no way
11 to evaluate whether the CRCPD's suggested state regulations
12 are being implemented by the states or being adopted by the
13 states. And I'd be very concerned about states that didn't
14 respond.

15 For example, I don't see what would be the
16 problem with Alternative E. And I'm surprised, then, you
17 didn't adopt Alternative E, which goes one step further than
18 Alternative D by giving regulatory authority to a federal
19 agency in a situation of last resort, namely no state program.

20 You don't have the evidence to present to us that
21 the states are doing it. You haven't collected, you haven't
22 even gotten, responses from all the states. The responses
23 you've got have been nonuniform. You have no way to see
24 whether the state programs even comply with the CRCPD. So I
25 really don't understand your recommendation at all.

1 MR. VILLFORTH: I'm under the impression that the
2 conference does do some evaluations and has done some
3 evaluations on certain states. So that there is an attempt
4 through the conference to get a sense of uniformity.

5 In terms of the extent of that, I don't know how
6 extensive it is, but there is some element of quality control
7 in that process. I think that the experience that FDA had
8 with, say, the X-ray or the industrial side, the industrial
9 machine side, of this with the states' programs would indicate
10 some elements of consistency.

11 Quantitatively I can't give you an answer to
12 that. And I don't know what the numbers were when you --
13 whether you have the actual numbers, Kate, from the response
14 to the regs. I think they're so close to the suggested state
15 regs I didn't note whether those are different.

16 I'm not sure that having all of those regs would
17 necessarily be an indication of the quality of the state
18 program. I think you have to go independently and see how
19 well they are being maintained.

20 MEMBER FLYNN: But wouldn't you want to know, at
21 least on a voluntary basis, how well the states have
22 recognized the CRCPD in terms of: Have they seriously
23 considered some important suggested state regulations that,
24 let's say, the CRCPD felt were extremely important and very
25 core recommendations that perhaps a number of states haven't

1 adopted?

2 Perhaps those are the states with very weak
3 programs. These are the states you're going to turn the
4 entire program over to. They're probably the states you
5 haven't gotten responses from.

6 So Alternative D doesn't give a backup, a
7 fallback position, where this federal agency, whatever that
8 federal agency might be, can step in and provide the
9 protection to the citizens of that state in that event.

10 MR. VILLFORTH: I have seen some data -- I don't
11 have access to them, and I don't know how far back they go --
12 showing the comparison of some of the state programs with
13 those who have adopted the regulations and how extensive they
14 are.

15 The conference did put some of that out in the
16 past. There are probably some other people here who can
17 comment on that much better than I can who have been involved
18 with the conference.

19 I'm not sure that my being unable to answer that
20 necessarily means that it doesn't exist.

21 MS. GOTTFRIED: And I would like to just add
22 again, as we were discussing earlier, it's an important point,
23 but the 90 percent that's already subject to state regulation,
24 what's going on with that in terms of people being concerned
25 or not concerned, we don't have this outcry that there's

1 inadequate regulation of NOARM. And there are hundreds of
2 death as a consequence or even misadministrations.

3 I think you really have to take into
4 consideration the expense and the time consumption and all of
5 those issues that people who were dealing with medicine on a
6 day to day basis consider and the safety of the public and
7 whether or not there is, in fact, a disconnect.

8 MEMBER FLYNN: Well, many of these states, quite
9 frankly, may not have the expertise. And they simply adopt
10 the NRC regulations and apply them to linear accelerators and
11 radiation oncology.

12 MS. GOTTFRIED: Why would they change, then?

13 MEMBER FLYNN: Some may not.

14 MS. GOTTFRIED: I guess I don't know what would
15 make us presume that, in fact, they would suddenly rescind
16 their existing regulations for NOARM.

17 MEMBER FLYNN: I'm just not confident that the
18 states are administering the regulations in a relatively
19 uniform fashion. I haven't seen that. That's why I thought
20 perhaps all 50 states had responded to your request for
21 information, but I guess they haven't.

22 MR. VILLFORTH: I would say with my experience in
23 the machine area, X-rays specifically, that if one goes back
24 and looks at the extent with which the states have conducted
25 surveys, conducted enforcement programs, have worked with the

1 federal government or the FDA in this area, I would guess that
2 there's a tremendous degree of effectiveness and efficiency
3 there.

4 I don't know the data for the byproduct material.
5 I think a large extent is also applied to the NOARM. And,
6 again, you've got people here in the audience who could
7 probably speak more competently on that.

8 CHAIRMAN SIEGEL: Larry?

9 MR. CAMPER: My question is sort of a follow-on
10 to Lou's question and deals with cost. As I read the report,
11 the conclusion is reached that the NRC program is expensive.
12 And in Chapter 4 you provide a fair amount of data in terms of
13 numbers of the cost of our programs, fees collected, licensure
14 costs, et cetera, et cetera.

15 But I didn't see a comparable body of information
16 for the states. And, therefore, I could reach no conclusion
17 as to what the delta is between the two approaches. Did you
18 decide that that wasn't necessary or that the data wasn't
19 available or you didn't think it was necessary to reach a
20 conclusion? Why no comparative information?

21 MR. VILLFORTH: I don't remember that we went out
22 and tried to get that information. It's a good question.

23 I think that certainly one of the presumptions is
24 that the state people working in the area if one is doing a
25 hospital inspection, one has all the sources available, both

1 machine NOARM and byproduct material. There certainly is an
2 efficiency in that process, as opposed to going into a
3 hospital for just X-ray and then having somebody from the
4 regional office go in there for byproduct material. It has to
5 be a cheaper process than having somebody come out of the
6 state capital and go into a facility and review all of the
7 radiation sources that are there.

8 MR. CAMPER: But, as a practical matter, though,
9 many of the states are using inspectors strictly for X-ray,
10 for example, and strictly for materials uses.

11 MR. VILLFORTH: I'm sorry? Say it again. The --

12 MR. CAMPER: Some states --

13 MR. VILLFORTH: Yes.

14 MR. CAMPER: -- are, in fact, using inspectors
15 strictly for materials uses and strictly for X-ray uses. The
16 inspectors are not one and the same.

17 MR. VILLFORTH: I don't know that. Again, you're
18 probably right for some of the programs. And some of them are
19 split.

20 MR. CAMPER: Right, exactly.

21 CHAIRMAN SIEGEL: Jeff?

22 MEMBER WILLIAMSON: Yes. When I read the report,
23 I agreed with many of the sort of basic philosophical
24 premises, but I was concerned a little bit at the lack of
25 specificity, not so much in the criticisms of the existing NRC

1 regulatory framework, but I really didn't see articulated a
2 sort of positive vision of what a successful regulatory
3 framework for ionizing radiation medicine would be.

4 And without sort of echoing what Lou said,
5 putting your thumb on what is the cause why we have this sort
6 of awful problem now and what is to prevent one big Attila the
7 Hun from becoming 50 little Attilas? Attila the Hun? I got
8 the number right here. That that concerns --

9 MEMBER SWANSON: Attilas the Huns.

10 MEMBER WILLIAMSON: Attilas the Huns? Okay.

11 So that concerned me. And I'll put it in the
12 form of a question. What's your positive vision for what an
13 appropriate regulatory framework, regardless of who
14 administers it, would be for medicine?

15 MR. VILLFORTH: Well, first of all, I would say
16 it wouldn't be regulatory. It would be public health. And
17 under public health, I would say that there are two elements.
18 One is a regulatory element, and one is an educational
19 element.

20 And I think the states tend to be focused in on
21 public health, and I think the states use regulations as a
22 tool. The states also use education as a tool to try to
23 accomplish their mission.

24 And it would seem to me the vision would be that
25 if one can get this out of a federal regulatory program, NRC,

1 which is attuned to the regulatory process, and put it into a
2 state which has the sensitivity to use education as well as
3 regulation, that you're going to achieve public health much
4 better than you would under the present system.

5 MEMBER WILLIAMSON: I guess I was more concerned
6 -- I think many of my concerns as a practicing physicist have
7 to do a little less with NRC and agreement state involvement
8 in protection of personnel and public health and so on and
9 more on what seems to me to be a well-intended but still
10 somewhat misguided intrusion into the practice of medicine as
11 it's applied to specific patients, that there are specific
12 criticisms; for example, the quality management program, the
13 misadministration reporting rule.

14 So back to more specifically the issue of quality
15 in medical practice, what would be your answer, as opposed to
16 public health, if I'm understanding?

17 MR. VILLFORTH: I'd like to think that public
18 health is quality, but I'm not quite sure I understand your --

19 MEMBER WILLIAMSON: Quality of medical treatment
20 delivered to the patient, I guess, if --

21 MR. VILLFORTH: And that is to make sure it's
22 available, on the one hand, and to make sure that it's safe
23 and effective, on the other hand. So you're talking about the
24 spectrum of it. And that's to me what it's all about or I
25 think that's what the committee reflects that it's all about.

1 And I think the way to do it is as identified here.

2 The collegial environment that I think that many
3 of the states have been involved in, many of the states have
4 started in these programs years back without a regulatory
5 mandate and had to use a collegial environment to get things
6 done.

7 And then as the regulations develop, I think they
8 still, many of the states, continue or most of the states
9 still continue with that cooperative effort. And it doesn't
10 mean when they have problems they don't use the enforcement as
11 a tool, but I think that that has been perceived as missing
12 under the NRC program, that it's been very -- I've heard words
13 "punishing" in its enforcement.

14 MS. GOTTFRIED: In addition, in terms of quality
15 issues, I think it's really important to recognize that
16 quality is not something that you regulate necessarily at the
17 federal government level and that, in fact, there's a
18 tremendous amount of in the marketplace drive for controlling
19 quality and that as we enter into the era of managed care,
20 we're going to see that more and more.

21 And the reality is that there are so many
22 organizations, the JCHO, all the different professional
23 organizations, that relate to issues of quality.

24 CHAIRMAN SIEGEL: Lou?

25 MEMBER WAGNER: How do I put this in perspective

1 here? First of all, I'd like just to make the comment that
2 the fact that you got voluminous regulations from some states
3 should have been a clue that perhaps in some states they're
4 over-prescriptive. And this is simply going to be repeated on
5 a massive scale unless there's some guidance as to how to
6 prevent over-prescriptive regulation. And I was disappointed
7 in the lack of that within the report.

8 So what I would like you to focus on now is the
9 answer to this question. When you made the decision regarding
10 going to states or having a federal body, what is it within
11 that decision led you to believe that the mechanism to prevent
12 the very things that we have now from occurring would now
13 occur in the way you would want it to occur? Why the state
14 decision versus a federal oversight body? What made you draw
15 that line between those two?

16 MR. VILLFORTH: Well, again, as I said, the
17 states are there. They've done this. They've worked in that
18 collegial environment in the beginning of those programs
19 that's evolved. They're closer to the users.

20 And I think that there's a greater sensitivity
21 and a commitment on their part with their advisory committees
22 to be responsive. I think there's a perception that
23 Washington's a long way from most of the states, and it's hard
24 to influence the decisions that go on with the regulatory
25 process in Washington. It's easier to have a sensitivity in

1 that process at the state level.

2 What will prevent them from being more
3 prescriptive if we have, which we have, the suggested state
4 regulations, which provide some consistency? It's going to
5 take a breaking with their state colleagues for somebody to go
6 off and be unreasonably prescriptive with some aspect of a
7 regulation. I think the whole purpose of the conference and
8 the purpose of the various committees that meet constantly on
9 these areas is to try to provide a consensus among the states
10 to be in line.

11 Now, anybody can pop up. Any state can pop up
12 and do something ridiculous. What's to prevent that? I don't
13 know that there's anything to prevent that other than the
14 possibility that their colleagues or the federal agency that's
15 supposed to overlook this will have an influence.

16 CHAIRMAN SIEGEL: Dennis, then Dan.

17 MEMBER SWANSON: One question I have --

18 CHAIRMAN SIEGEL: I'm sorry.

19 MEMBER SWANSON: And maybe you can enlighten me.

20 CHAIRMAN SIEGEL: Up next.

21 MEMBER SWANSON: Who constitutes the conference
22 on radiation control program directors? How are people
23 appointed to this? What mechanisms do they have to ensure
24 involvement of the regulated community in the development of
25 their model regulations and evaluation of their model

1 regulations? Do they publish these in Federal Register
2 notices, like the NRC does? Is there a mechanism for ensuring
3 that the regulated community is actively involved in model
4 regulation?

5 MR. VILLFORTH: You almost have to again go back
6 to the audience and find out whether notices of availability
7 of these are published. Do you guys know?

8 MEMBER QUILLIN: They're not published in the
9 Federal Register.

10 MEMBER SWANSON: Notices of availability are
11 available?

12 MEMBER QUILLIN: I don't think so, no.

13 MEMBER SWANSON: Okay. So the answer is there is
14 no way to assure other than the -- go ahead. Dick Gross?

15 CHAIRMAN SIEGEL: Please come to a microphone and
16 identify yourself.

17 MR. GROSS: I've been successful at avoiding this
18 microphone up until this point. I'm sorry to raise my hand.
19 I'm Dick Gross. I'm with Food and Drug Administration, the
20 Center for Devices and Radiological Health. And the reason
21 I'm standing up now is that I've worked with the conference
22 now for about 10 years, I guess, as the FDA project officer
23 for the federal funds that fund this program.

24 With respect to the operation of how the
25 suggested state regulations work, for one thing, they're in

1 the process of changing those methods. And so what I say
2 right now may not be true in about six months.

3 But right now the regulations as they are
4 developed, the regulations themselves come from a lot of
5 different places. They come from: one, federal regulations,
6 where federal regulations must be adopted by a state and NRC
7 regulations or EPA regulations or OSHA regulations or -- I
8 don't know. You guys can list them off a lot better than I
9 can.

10 Where those regulations demand that they be
11 identical, that's a pretty simple process. They don't get
12 into the suggested state regulations document until they're
13 federal regulations. So they come directly from there.

14 The next source of ideas for regulations comes
15 from things like the NCRPM, National Council on Radiation
16 Protection Measures. Acronyms get embedded too deeply, I'm
17 afraid.

18 The concepts that are outlined in those kinds of
19 documents get then translated by a working group within the
20 conference to take these concepts and put them into
21 regulation. That process involves people on the committee,
22 which include members of state radiation control programs.
23 There are some federal people involved in that typically and a
24 range of what are known as advisers, who are people from the
25 medical profession or industry or wherever who are interested

1 in that topic. And they participate in the development of
2 that.

3 And so from that point, then they go through the
4 development of a final draft. The draft gets circulated for
5 review. Now, who does it get circulated to? Well, obviously
6 the people who have been working on the document are expected
7 to take care of their constituents. And, therefore, the
8 professional groups, the industry groups and so on are
9 involved in that review. And then it also comes eventually to
10 the federal agencies for concurrence or not. And then it is
11 published as a final document available from the conference.

12 The process from that point, though, I think is
13 important to this group. I think it's very important to
14 understand that once a regulation shows up in the suggested
15 state rules does not necessarily mean that it's going to wind
16 up in state rules because the states also have their
17 administrative procedures acts which require them to go
18 through an open process of adopting these rules. And so, as a
19 matter of fact, everybody gets now a third crack depending
20 upon where you're coming from, at least a second crack at how
21 these rules are going to be finally implemented.

22 And so I think it's important to recognize that
23 the suggested state regs are simply suggestions, that before
24 they can become enforceable by anybody they have to go through
25 the individual state administrative procedures that are

1 required to implement these regulations.

2 Thank you.

3 CHAIRMAN SIEGEL: I think Bob was next, actually.
4 Yes.

5 MEMBER QUILLIN: I just want to add one thing to
6 what Dick said, and that is that the conference publishes a
7 newsletter which basically updates the membership and those
8 who take that newsletter as to what rulemakings or suggested
9 state rulemakings are in the process. So that it also invites
10 participation to for people who want to participate in that
11 process.

12 CHAIRMAN SIEGEL: Dan, go ahead.

13 MEMBER FLYNN: What you brought up about managed
14 care I think is very important in terms of assuring quality.
15 Some insurance companies are requiring, for example, radiation
16 oncology facilities to be accredited by some body. And I know
17 because I was a site visitor. I'm on a committee for the
18 American College of Radiology.

19 But the American College of Radiology standards,
20 as other professional societies, are developed at a national
21 basis with feedback and input from everyone in all the states
22 and a certain number of core standards, let's say, in
23 radiation oncology are developed. And when these facilities
24 are surveyed, they're surveyed on the basis of whether they
25 meet these core standards.

1 Now, the American College of Radiology has almost
2 50 state chapters. They could have delegated these standards
3 to be developed in each of the 50 states, which I think would
4 be a nightmare personally to have 50 sets of standards by
5 which the facilities in those states would be judged. And
6 then I can see these insurance companies dealing with Montana
7 and Nebraska and Idaho, all with different standards and not
8 quite sure where to put things.

9 The same with the JCHO. They don't have 50 state
10 JCHO chapters with 50 sets of regulations.

11 So when I read your report, I think putting the
12 power in the states is important. And uniformity is
13 important. But I guess I still don't understand why Choice E
14 isn't superior to Choice D because if you had some very loose
15 or distant federal oversight they could look at, let's say, in
16 the 50 states, they may find two or three states which are too
17 prescriptive and maybe two or three states which aren't
18 prescriptive enough and aren't meeting these core standards,
19 which are developed on a national basis. And so I think
20 that's where I personally feel the weakness is of the report.

21 But I think Choice E is much better than Choice D
22 for that reason.

23 CHAIRMAN SIEGEL: Lou?

24 MEMBER WAGNER: I'd just like to comment that the
25 prescription I just heard about how the CRCPD goes about doing

1 things and offer to the states and the states offer to their
2 constituents for comments is exactly the same as what the NRC
3 is doing on a national scale. I don't see any difference.

4 It is completely, it is very much dominated by
5 people within the bureaucracy who have domination over what
6 it's going to be in decision-making powers. And it ultimately
7 comes down that you end up with rules that, even though the
8 advice is against the rules and even though this Committee
9 recommended against a QM rule and did other things, it still
10 comes out. And they come out in these overly prescriptive
11 forms. And it still gets generated the same way. And I don't
12 think this is going to stop the process unless there's some
13 good guidance as to how to stop the mistakes of the past.

14 CHAIRMAN SIEGEL: To use this morning's analogy,
15 50 yo-yos, instead of one.

16 MEMBER WAGNER: Yes, 50 yo-yos, instead of one.

17 CHAIRMAN SIEGEL: We were talking about
18 government by yo-yo and reacting to the last bad experience as
19 the way we govern in the United States much of the time.

20 You're attracted to Option E. Summarize for us
21 just for a moment why F, what the principal arguments against
22 F were. Were they primarily because you thought F would be
23 too expensive? Because clearly ensuring uniformity would be
24 best achieved if there was one federal agency, ideally a
25 medical agency, not a radiation agency per se, that had

1 overall responsibility, at least so it seems to me.

2 MS. GOTTFRIED: F I think: a) was the cost, but
3 also b) was the issue of now you're federalizing all
4 regulation of radiation medicine. And the committee felt that
5 that was more extreme than they wanted to propose, that, in
6 fact, you know, 90 percent isn't being regulated at the
7 federal level, it's not necessary, and you're going to create
8 an additional monolith.

9 CHAIRMAN SIEGEL: So that the committee was
10 dominated by Jeffersonians, rather than Hamiltonians.

11 MS. GOTTFRIED: Absolutely.

12 CHAIRMAN SIEGEL: Absolutely. Jeff?

13 MEMBER WILLIAMSON: No. You've said essentially
14 what I was going to say, that, remember, they were driven by
15 the view that it's not rational to make radiation medicine an
16 anomaly when it appears that none of the rest of medicine has
17 this kind of oversight nor appears to need it.

18 CHAIRMAN SIEGEL: Judy, you've been very quiet
19 today.

20 MEMBER BROWN: I have. I was interested in the
21 composition of the committee and specifically the separate
22 statement by Robert Adler. Can you tell me how his remarks
23 that must have gone through the deliberations were received?
24 Was it a total one against the world or --

25 MS. GOTTFRIED: There was unanimity amongst all

1 the committee members with the exception of Robert Adler. And
2 the committee and the IOM, the National Academy of Sciences,
3 recognizes an individual committee member's right to, in fact,
4 register a formal disagreement or supporting statement for
5 their perspective and that, in fact, that goes through the
6 review process, as does the entire report. And it was felt
7 that there are instances where those statements might not be
8 incorporated into a final report, although they're rare. And
9 in this instance, there was no question that this should be
10 included in the report.

11 MEMBER BROWN: Thank you.

12 CHAIRMAN SIEGEL: Jeff?

13 MEMBER WILLIAMSON: Well, to restate my concern
14 in a different way, the argument against federalization of
15 regulation in radiation medicine is essentially the
16 Jeffersonian one. But, yet, what concerns me is that nothing
17 in your proposed mechanism turning everything over to the
18 state and the Council of Radiation Program Directors assures
19 us that they're going to follow sort of the Jeffersonian
20 dictates of your philosophy. There's nothing at all, it seems
21 to me, to make them do anything except sort of slavishly
22 follow NRC -- well, I shouldn't. Let me rephrase that.

23 It sounded like from the description a lot of the
24 content of these suggested state regulations was basically
25 simply sort of imitating or adopting in more general form what

1 NRC ruled should be the case with the 10 percent of federally
2 regulated medicine.

3 And so what is there in your -- I don't
4 understand what mechanism there is to sort of prevent this
5 mechanism from simply following the path, well-established
6 pathway, of the past of over-regulating, maybe not just the 10
7 percent, but now 100 percent, of radiation medicine in a way
8 that is a complete contradiction with the rest of the practice
9 of medicine?

10 MR. VILLFORTH: Well, I think the answer is that
11 it hasn't been done that way as far as the rest of ionizing
12 and non-ionizing radiation as far as the states are concerned.
13 I don't think that I'm aware that they're out aggressively
14 pursuing something that's detrimental or overly prescriptive
15 or what have you.

16 I think the states are saddled with an incredibly
17 complex problem of dealing with the EPA and the OSHA and the
18 FDA and the NRC and so forth. And I think they're trying to
19 do the best they can with those kinds of resources. So I
20 don't think they were out there looking for new areas to
21 become overly restrictive. And it hasn't been that way that
22 I'm aware of in the machine-produced areas.

23 You're shaking your head. You disagree.

24 MEMBER WILLIAMSON: I'm no expert, but my
25 understanding, there are some states that have extremely

1 active and vigorous enforcement agencies and kind of have
2 pretty much taken the NRC perspective and generalized it to
3 NOARM, if I've got the acronym right. Among the states by
4 reputation, not through any thorough investigation I've done,
5 would include New York, Texas, extremely vigorous and
6 aggressive by reputation.

7 MR. VILLFORTH: I was talking about
8 machine-produced radiation.

9 MEMBER WILLIAMSON: I'm talking about
10 machine-produced radiation, too.

11 MR. VILLFORTH: You said NOARM. I'm confused.

12 MEMBER WILLIAMSON: NOARM I thought was your
13 acronym for stuff that was produced by other sources, other
14 than byproducts.

15 MR. VILLFORTH: No. It stands for Naturally
16 Occurring and Accelerator-Produced Radioactive Material.

17 MEMBER WILLIAMSON: Yes.

18 MR. VILLFORTH: So it's radioactive material.
19 It's not machine, not X-rays and --

20 MEMBER WILLIAMSON: Okay. I'm talking about
21 external. I'm from radiation oncology. So I --

22 MR. VILLFORTH: Right.

23 MEMBER WILLIAMSON: -- naturally think of linear
24 accelerator when I think of the 90 percent.

25 MR. VILLFORTH: Well, that wouldn't be NOARM.

1 Well, the materials would be NOARM, but the accelerator would
2 be machine-produced.

3 CHAIRMAN SIEGEL: Dan?

4 MEMBER BERMAN: I think the opposite side of the
5 coin might also occur. And that's what I was getting at
6 before. I think there are certain states that probably don't
7 consider that they have the expertise or want to put much time
8 into regulation development as others. And they follow NRC
9 guidelines, probably extrapolating from the 10 percent
10 potentially to the 100 percent.

11 It's possible that if there is no longer the 10
12 percent being regulated, that a laissez-faire kind of approach
13 could develop in certain states with respect to overall
14 regulation in radiation medicine and that you get into the
15 problems that were the kinds expressed about the laissez-faire
16 approach if there aren't any teeth put into making states
17 comply with a certain level of regulation. Was that
18 considered by the committee?

19 MR. VILLFORTH: I don't recall that there was any
20 discussion of any punitive action or financial action that
21 would be taken against a state. I don't think that was a part
22 of any of the options if they did not comply or became so lax
23 in their enforcing of it.

24 MEMBER BERMAN: No. Was the potential that there
25 could be a laissez-faire development in certain states if

1 there's no longer an NRC control of the 10 percent?

2 MR. VILLFORTH: Yes.

3 MEMBER BERMAN: Was that discussed? And what was
4 the outcome?

5 MR. VILLFORTH: No. I think the point might be
6 that in some states where, for whatever reason, whether it's
7 the medical community or the user community, that the
8 consumers might feel that even what is recommended by the
9 suggested state regulations is too restrictive and that one
10 should go to a laissez-faire approach. That could happen,
11 yes. So there was a potential for that to occur.

12 CHAIRMAN SIEGEL: And that would make Thomas
13 Jefferson happy.

14 Judith?

15 MEMBER STITT: Question: If the states then took
16 over this business, that would I assume increase their cost of
17 doing business? Is that absorbed by the state or monies come
18 from any other directions to take on this business?

19 MR. VILLFORTH: It's going to cost the states
20 more, whether that goes through, whether they adopt user fees
21 to pick that up or whether they transfer from other programs.
22 And that's a concern, and that's possibly the kind of
23 question, concern that was expressed here, that it may be more
24 an economic reason for laissez-faire than it would be for a
25 philosophical reason. It's a potential.

1 CHAIRMAN SIEGEL: Any other? Bob?

2 MEMBER QUILLIN: One of the statements in here is
3 that if there was not a state program to license a facility,
4 then they could not receive material. Was there any
5 discussion of what would result from that alternative? Was it
6 just assumed that they, therefore, would get a licensing
7 program or what would happen where a state such as Wyoming,
8 which has no program and has no intention of getting a
9 program, stays the same?

10 MS. GOTTFRIED: You're referring to they wouldn't
11 get byproduct material?

12 MEMBER QUILLIN: That's right.

13 MS. GOTTFRIED: The committee considered that,
14 and they felt that that was, in fact, a very important aspect
15 of the report and that, in fact, it would be an incentive for
16 the states to expand their existing programs to incorporate
17 byproduct materials.

18 CHAIRMAN SIEGEL: I heard that Wyoming wants to
19 buy its services from Colorado.

20 (Laughter.)

21 CHAIRMAN SIEGEL: Larry?

22 MR. CAMPER: Under the federal guidance the DHHS
23 would play in the model, there's one of the things that they
24 were going to do: monitor the effects of deregulation. The
25 deregulation that's being referred to there is what, the

1 effect of NRC withdrawal?

2 MS. GOTTFRIED: Yes.

3 MR. CAMPER: Over time?

4 MS. GOTTFRIED: Yes. Barry?

5 CHAIRMAN SIEGEL: Theresa?

6 MEMBER WALKUP: My question is under A2. It's
7 the one following his. "Enhancing training and standards for
8 health care personnel." Could you explain what you meant by
9 that and who exactly would pay for that?

10 And the reason I'm asking is radiation therapists
11 and people on that level right now by the ART responsible a
12 lot of times with downsizing in hospital and the costs are
13 responsible for their own continuing education. Is this going
14 to be another financial burden on those people or is this
15 going to be supplied by the Health and Human Services?

16 MS. GOTTFRIED: I think the thought in this
17 instance was that one of the guidance areas that the HHS
18 should be involved in is educational and so that there would
19 be an emphasis from the federal level to help and assist in
20 the training of personnel.

21 MEMBER WALKUP: So you're talking about at the
22 college level or at the working level or --

23 MS. GOTTFRIED: We'd not get into that kind of
24 detail, but my assumption is more along the lines of in the
25 workplace, as opposed to within the educational system itself.

1 But I suppose if it was determined that it should start at an
2 earlier phase, then that was something that they could look
3 at.

4 CHAIRMAN SIEGEL: Lou?

5 MEMBER WAGNER: Did the committee recognize that
6 there is a preponderance or a pervasive difficulty in the
7 education and qualifications of people who are performing
8 procedures with ionizing radiation?

9 MR. CAMPER: May I ask a trailer as you think
10 about your answer? More specifically, in 1980 there was the
11 Omnibus Reconciliation Act. You're familiar with that. And
12 through that process DHHS brought to bear the concept of
13 licensure of technologists, for example, in the states.

14 It is now 16 years later. I think it's had a
15 mixed pathway of success or failure depending on how you look
16 at it. Did the committee look at the track record of how that
17 training implementation and licensure has gone? And would
18 that be some benchmark of success perhaps in the future for
19 DHHS in the area of training of personnel?

20 MR. VILLFORTH: I don't know that the committee
21 looked at the effectiveness of that program. The template is
22 there through that program if it's needed as described here.
23 There is regulatory authority for that training, which would
24 apply to nuclear medicine as well as X-ray and any of the
25 other applications. So that the tool is there. And that's

1 administered by one of the other elements in the Public Health
2 Service.

3 So no, I don't know that I know the effectiveness
4 of that.

5 CHAIRMAN SIEGEL: Lou?

6 MR. VILLFORTH: I could give you a guess, but --

7 MEMBER WAGNER: But you didn't answer my
8 question. And my question was: Did the committee address any
9 issue or have any findings that there was a deficiency in the
10 education or the training of some individuals who are
11 responsible for the delivery of radiation in medicine?

12 MR. VILLFORTH: No. I don't think the committee
13 went out and searched that information that nuclear medicine
14 physicians or radiologists or technologists needed additional
15 training, I think. But the question of quality assurance and
16 the aspects of radiation protection in these specialties,
17 there's always the importance of continuing education. And
18 these are the kinds of things that have some value.

19 I think, again, the mammography quality assurance
20 is not a bad example where there is some supplemental training
21 and awareness that needs to be done in that area.

22 CHAIRMAN SIEGEL: All right. Looks like we're
23 questioned out for the moment. We still have a lot of work to
24 do as an Advisory Committee here. I think it's time for us to
25 take a break, 15-minute break. And then when we resume, we

1 will start to tackle some of the remaining questions. We hope
2 you will be able to stick around as we tear down your report.
3 Remember, we're a friendly audience.

4 (Whereupon, the foregoing matter went off the
5 record at 3:28 p.m.)

6 CHAIRMAN SIEGEL: Professor Wagner, seat thyself.
7 Professor Williamson, sit down.

8 We're about to provide you with wisdom now. Are
9 we ready? All right. We are back on the record. All right.
10 We have had a chance to ask some key questions of the folks
11 from the NAS and IOM. Now I think we need to get back to the
12 questions, at least as a framework for continuing the
13 discussion. I actually think we can just charge right in now
14 and attack question one, since that's actually the one we've
15 talked the most about for the last hour and a half. So let's
16 do it.

17 I am not quite sure of the right way to do this,
18 but I suppose we could begin by asking how many of us support
19 alternative D as it's currently expostulated by the NAS IOM.
20 I only use real words.

21 The other way to do it would be to just go around
22 the table one at a time and say which alternative would each
23 of us have picked and why. Which would you find more helpful?

24 MR. CAMPER: Well, I think it would be
25 interesting, be valuable to the staff and particularly to the

1 Commission to know as a question is whether or not the
2 committee agrees with the recommendation of the academy, given
3 that you have been in the position of advising us on policy
4 matters for some time now.

5 Then in addition to that, specifically where each
6 committee member stands may be of value as well. Actually I
7 guess I'm saying I think both are important. I think both are
8 important.

9 CHAIRMAN SIEGEL: Okay. Let me suggest that we
10 also consider the following. One is that D as currently
11 configured, we are troubled by the fact that D doesn't seem to
12 have very much teeth. So another way that we could consider D
13 is D with more teeth. Namely, D modeled after something like
14 the Mammography Quality Standards Act, where there was a
15 Federal mandate with a set of regulations put in place by a
16 Federal agency to be defined and administration by the states,
17 but in accordance with the Federal mandate.

18 So that is a little bit stronger than Federal
19 guidance.

20 MR. CAMPER: That's E. You just explained what E
21 was.

22 CHAIRMAN SIEGEL: Well, it's not quite E. It's D
23 and F. It's E-ish. D-ish E, I suppose.

24 MR. CAMPER: I think it's a little bit different.
25 E seems to imply that the Federal Government steps in in those

1 cases where the states have not, for whatever reason, chosen
2 to implement a program or an acceptable program.

3 As opposed to having the hook, if you will, that
4 currently exists in the MQSA, in that the MQSA must be
5 conducted in facilities, because if your facility doesn't
6 undergo the certification process, thou shall not be
7 reimbursed.

8 MEMBER FLYNN: I guess I didn't know what teeth
9 meant. You mean you're going to step in with gums with no
10 teeth?

11 CHAIRMAN SIEGEL: Teeth would be no
12 reimbursement. That's I mean currently one way the Federal
13 Government makes things work for medicine, is to say if you
14 don't do this, you don't get Medicare reimbursement. Since
15 Medicare is arguably anywhere between 40 and 50 percent or 40
16 percent in most hospitals, and increasing as the boomers get
17 older -- yes, Medicare is going to go to managed care, so that
18 will be even worse. That will be a double whammy.

19 At any rate, where was I? I lost my thought. So
20 that would be the teeth on D and a half, if you will. Would
21 be a federally mandated program administered by the states,
22 and necessitated by that's how you get reimbursement. It
23 still allows the states to have some latitude, but still a
24 little bit Jeffersonian. That's one thing.

25 Now the other thing, concept that Larry threw out

1 on the table and mentioned briefly, and I want to make sure
2 all of you understood that, was this issue of simply figuring
3 out a mechanism, Congress figuring out a mechanism, that would
4 essentially force all states to become agreement states, which
5 means that essentially all the materials programs lock, stock,
6 and barrel transfer to the states.

7 At that point, the NRC is left with essentially
8 no licensees except for Federal facilities.

9 MR. CAMPER: That would appear to be the case,
10 right.

11 CHAIRMAN SIEGEL: Then they have to get all their
12 license fees from Federal facilities, which is a good thing.
13 No, but the NRC then is left in a position of creating policy
14 but not directly administering licenses. It transfers a lot
15 to the states. In some ways, it seems cleaner than kind of
16 saying that what is going on in the hospital is this is
17 regulated this way, but what's going on in another part of
18 society is regulated differently. So that's another option
19 that I think we ought to consider.

20 I don't really know how to structure this. But
21 why don't we just start off with the simplest way to do it.
22 How many of us feel that we would endorse alternative D as
23 laid out by the NAS IOM outright, and just go with their
24 choice? Let me just do that as a show of hands.

25 I guess ideally -- or we can go around the table.

1 Theoretically the non-voting members would not participate in
2 this statement. Lou.

3 MEMBER WAGNER: I would not endorse D. My
4 opinion is that I don't feel that the report is thorough
5 enough to have identified the source of the problems that we
6 currently have today.

7 They have identified the problems, but they have
8 not identified why we have the problems. I feel that unless
9 we identify why we have the problems, we are doomed to repeat
10 the failures of the past. I think D is a prescription for
11 doom by having the states take over.

12 CHAIRMAN SIEGEL: Well, as long as we're doing
13 that, why don't you say which of the alternatives --

14 MEMBER WAGNER: I think in all the alternatives
15 there's aspects that I like and aspects that I don't like. If
16 I were to devise my own alternative, it would be to first come
17 up with a prescription as to how a regulatory organization
18 should be structured in order to have checks and balances to
19 make sure that over regulation and interference into the
20 practice of medicine is avoided to the extent possible.

21 I do not see any recommendations on checks and
22 balances in the form of adopting a specific program. Without
23 that, I can not make any further recommendation.

24 I would venture to say it would be okay to turn
25 it over to the states if we could adopt measures by which

1 these checks and balances could be implemented at states
2 levels. But there is nothing there to prevent states from
3 just repeating what the NRC has done. So I can't endorse
4 that.

5 As far as the Federal Government is concerned, I
6 do not think that the -- I guess if there were one that was
7 preferred, I would adopt for alternative E, which would be the
8 least of all the other problems. I'd take alternative E and
9 then hope that a system could be developed by Federal
10 authority to have enough checks and balances in it to ensure
11 that we don't repeat the problems of the past.

12 CHAIRMAN SIEGEL: So you are in effect saying
13 that you think the administrative procedures act works better
14 in the Federal Government than it does at the state level, in
15 terms of ensuring that appropriate public input into rule
16 making occurs at all stages of the process?

17 MEMBER WAGNER: Yes, but I feel uncomfortable to
18 some extent with that, because I also know that other aspects
19 of medicine are not regulated as much as radiation. Now we
20 are doing what the NAS didn't want to do, which would be to
21 expand Federal authority over all, 100 percent of medicine.

22 So right now, it's difficult for me to devise an
23 answer, not having had the wisdom of many months of inquiry,
24 et cetera, and deliberation in looking at alternatives in the
25 systems. I can only specify that of the things that are done

1 here, there doesn't seem to me to be enough homework to know
2 what the real good alternative would be at this time. I think
3 more homework has to be done.

4 But alternative E at this time would probably be
5 my preferred naive preference at this time. But I must
6 preface it with in fact I think it's naive.

7 CHAIRMAN SIEGEL: I think that part of what we
8 are doing here is we're drawing on our own long experience to
9 give an impression, recognizing that we didn't spend anything
10 like as much time on this as the National Academy of Sciences
11 did. But nonetheless, we've read their report carefully and
12 listened to their arguments, read their arguments, and can
13 express our impression as part of the next part of the
14 process, which is to help guide the NRC to figure out how they
15 are going to react to this thing.

16 Dennis.

17 MEMBER SWANSON: Yes. I support proposal D from
18 the standpoint of, you know, the states are currently
19 regulating 90 percent of the use of ionizing radiation. It
20 doesn't make any sense to not give them the other 10 percent.

21 Also, the states are currently regulating the
22 professional practices associated with providing medical care
23 in general. It doesn't make any sense to separate this out
24 into another agency. So for that reason, I think it makes
25 sense to give the states the power to regulate this.

1 I think I share some of the concerns where I see
2 proposal D coming up a little short, is I'm very concerned
3 that there needs to be some type of mechanism to ensure active
4 involvement of the regulated community in the development of
5 the model regulations, the evaluation of the regulations, et
6 cetera. I don't see where that comes into this currently.
7 Okay?

8 I have a concern about that. I don't think the
9 answer is E, necessarily. I have the same downside to
10 creating a national Federal regulatory authority over medical
11 uses. Okay?

12 CHAIRMAN SIEGEL: That's actually F, isn't it?

13 MEMBER WAGNER: Well, F is the one that is
14 completely centralized. E is one that has some reserve
15 Federal authority.

16 CHAIRMAN SIEGEL: So you meant E?

17 MEMBER WAGNER: I meant E.

18 MEMBER SWANSON: And I think the other concern is
19 as has already been expressed, there has to be some stick in
20 making sure that the states do actually assume the regulation
21 of the by-product material.

22 CHAIRMAN SIEGEL: So do I hear you saying D and a
23 half?

24 MEMBER SWANSON: D and a half, yes. I think we
25 need to go a little further with D, okay?

1 CHAIRMAN SIEGEL: So it's D with a stick,
2 basically.

3 MEMBER SWANSON: D with a stick, and to ensure
4 involvement of the regulated community, somehow.

5 MEMBER STITT: Well, you're not going to hear
6 much different from me. The thing that I just don't
7 understand, and I thought that Dan brought the question up
8 well, is what do the states do, how do they do it differently
9 between the states, and when asked about the leaders didn't
10 support their case by saying well some responded, some didn't.
11 We've got thousands of paper here, and we've got some toilet
12 tissue with some regulations written from that state. And I'm
13 not going to adopt your attitude, I'm a doctor, trust me.
14 Because Judith, she rightly calls us on that. I'm a state,
15 trust me, but I do wonder are they slogging around in the
16 dark? Are they more competent than we here seem to be giving
17 them credit?

18 It would seem that a 10 percent ought to be able
19 to be added to the 90 percent that they already manage, but I
20 think that there are complex issues that because they are a
21 small part, each state wouldn't might have some reluctance to
22 come up with adequate overall guidelines.

23 So I also support some form of a Federal
24 involvement of work being carried out at the state level. I
25 guess I'm saying a D plus.

1 I think D as it is written, there's not much
2 connection between the federal and the state. I think there
3 would be a lot of wondering around looking for sources, so to
4 speak, figuratively as well as literally.

5 CHAIRMAN SIEGEL: Okay. Bob.

6 MEMBER QUILLIN: I think I would probably go with
7 D and a half. I put it down. When I looked at D, I looked at
8 it through several different lenses. One lens was if I were
9 at a state or federal person, how would I operate in this
10 environment. Although under D they do go into some discussion
11 on the funding issue, they don't really flush that out so that
12 you have feeling for what this would cost, who would be paying
13 for it.

14 Right now, both at the federal level and at the
15 state level, money is a major issue. If there's no funding to
16 do this, no new funding to do this, the source of funding,
17 government stream, whatever you want to call it, it's just not
18 going to happen either at the state level or at the federal
19 level.

20 That was one of my concerns about D, is how this
21 new Federal agency activity within HHS was going to be able to
22 do what they were supposed to do.

23 I was also concerned about the issue of the stick
24 wasn't there. So the term was D with a stick.

25 I wasn't quite willing to go all the way to E,

1 but it does have some positive aspects. So I am somewhere
2 between D and E.

3 CHAIRMAN SIEGEL: Okay. We'll start at that
4 other end. Dan.

5 MEMBER BERMAN: Not much to add. I actually
6 don't see much of the drawbacks of E. I think I am concerned
7 that D as stated is too much like C. That it's kind of
8 optional. I see kind of a federal advisory role with D, but
9 there's no necessity that the state follow what the federal
10 agency would be stating.

11 So it is either D, I think in order to avoid too
12 much of drifting into the laissez-faire and being kind of very
13 contrary to the goals that were set out to improve uniformity
14 of use of ionizing radiation, the missile goal that we were
15 trying to look at, that I think we would go too far with D of
16 creating greater disparities, and that we need either D with
17 kind of stick or E, in order to handle that problem.

18 CHAIRMAN SIEGEL: Yes. I think implicit in all
19 of this is our thinking would seem to imply that the stick
20 that they held out, which is that you wouldn't be able to get
21 by-product material if you didn't have a program in place in
22 your state, wasn't enough of a stick.

23 MEMBER STITT: Is that what they kept referring
24 to as the bully pulpit? We put that on our list for the
25 glossary here, but where does that phrase come from and what

1 in the world is the origin?

2 CHAIRMAN SIEGEL: I don't know. You'll have to
3 ask Teddy Roosevelt about that.

4 MEMBER STITT: But they used it over and over and
5 over and over again. So it must have been --

6 MEMBER WAGNER: But he did want to carry a big
7 stick.

8 MEMBER BERMAN: Just related to what you brought
9 up, I think there would be the states that wanted to just
10 adopt their own system and wanted to be iconoclastic, save
11 money, they were anti-regulation, and I think there will be
12 some states along those lines, would find a mechanism of
13 avoiding this problem of being able to obtain by-product
14 material. That's a suspicion I have.

15 CHAIRMAN SIEGEL: Okay. Judy.

16 MEMBER BROWN: My background and experience
17 doesn't really qualify me to make judgements between these
18 choices. But I can tell you a few things that I would like to
19 see.

20 One is -- and I guess it puts me in a position of
21 the D with teeth or E-ish, if there has to be a choice between
22 these.

23 Personally, I like Robert Adler's statement, the
24 dissenting opinion. I'm not sure how much of that is my knee-
25 jerk consumer advocacy or just made a lot of sense to me, just

1 as someone reading it.

2 I do know that I don't trust the states, many of
3 them.

4 CHAIRMAN SIEGEL: Because you think they won't go
5 far enough or they'll go too far?

6 MEMBER BROWN: Because I wouldn't want to be in
7 them if I was sick.

8 CHAIRMAN SIEGEL: Do you want to name some
9 states?

10 MEMBER BROWN: Massachusetts is not one.

11 I would scared about giving authority to them,
12 the ones I have in mind. I guess I want the most over-arching
13 guidance and authority from a Federal uniform source that
14 could be provided to the states, and you know, taking over I
15 guess the E part where they aren't competent or need help,
16 that there would be some place they could go to.

17 I think that's all.

18 CHAIRMAN SIEGEL: Okay. Dan.

19 MEMBER FLYNN: I would favor D. I think maybe I
20 read it different -- E. Maybe I read a different E than you
21 all read, because I'm going to quote this.

22 It says, "The most critical --

23 CHAIRMAN SIEGEL: What do you favor? You say E?

24 MEMBER FLYNN: E. "The most critical feature
25 distinguishing alternatives D and E" -- this is the committee

1 talking -- "pertains to a situation in which the state does
2 not elect to devise a program for regulation or rescinds the
3 existing program because of economic or other considerations."

4 It says here, "Alternative E has all the
5 advantages of alterative D, except it goes one step further
6 than D by giving regulatory authority to a Federal agency in a
7 situation of last resort, namely, no state program."

8 Then on the disadvantages, the committee said,
9 "Incorporating a legislative provision that authorized the
10 Federal agency to regulate states that have no program raises
11 the following issues. First, what is the minimum level of
12 regulation that would be required by the states to prevent
13 Federal regulation."

14 I do not think that is such a difficult issue. I
15 think this Federal agency, one of the mandates would be to
16 make sure that the states are not too prescriptive. This is
17 the Federal agency. To make sure the states don't interfere
18 with the practice of medicine, and look for the out-lyers.

19 You have 50 states out there. There may be two
20 that are too prescriptive getting involved in medical issues.
21 You may have two or three that have for economic reasons have
22 just abandoned the whole program.

23 Alternative D allows the CRCPD, which is not a
24 Federal agency, but it would be sort of acting like an
25 advisory role in a federal way. I don't think -- that has no

1 teeth behind it.

2 I think that this alternative E, a Federal agency
3 with very loose controls, extremely loose controls, working
4 with CRCPD could do a much better job.

5 I think the reason, you know, to turn this over
6 to the states, you know some of the states are very strong.
7 Texas, Illinois have very strong programs, very strong
8 opinions how the program should be run.

9 But some of the states, from contacts I have had,
10 are very weak. The reason why they regulate 90 percent is
11 because they follow one in a copycat-like fashion after the
12 NRC.

13 When the NRC is not there any more and changes in
14 medicine develop, who are they going to copycat after at that
15 point? Then as you see all this non-uniformity developing in
16 states with different economic priorities, I think things will
17 get worse. I think it will be more expensive to regulate 50
18 separate programs that have this non-binding CRCPD kind of
19 floating around there with some suggested regulations.

20 I think alternative E does not give strong
21 authority to the Federal agency, but it is a reserve Federal
22 authority, just like it's described. I think that is a much
23 better alternative.

24 I'm surprised -- I was quite surprised that they
25 chose D. I thought that the way they wrote it, including the

1 disadvantages, they were going to be pointing towards E. So I
2 would adopt E.

3 CHAIRMAN SIEGEL: Okay. Eric, realizing you're
4 speaking for yourself.

5 MEMBER JONES: I'm not a voter, am I?

6 CHAIRMAN SIEGEL: Yes. I think you actually are
7 a voting member.

8 MEMBER JONES: Well, I'm serving with the FDA.
9 So I have quite a bit of bias in this.

10 One of the things I see that's a big problem is
11 that our agency does not regulate the practice of medicine.
12 That's where we're -- we don't have any uniformity.

13 The problem I am getting at is that this agency
14 is doing that, is regulating it. NRC through its quality
15 management program is regulating it. The problem is is that
16 between the agencies, we really haven't got any -- we did not
17 come to some sort of uniform agreement if we could have done
18 that.

19 The NRC has had a definite clear role in managing
20 all this in the past, and probably still should continue to do
21 that. I do like the idea of keeping the management of
22 medicine, however, with the state licensing authorities. That
23 is the practice of medicine.

24 But actually the use of ionizing radiation going
25 into the states, it's true they vary a great deal. We were

1 looking at pharmacy, the practice of pharmacy with regard to
2 PET. We found that we were unable to get a uniform feeling as
3 to how pharmacy was regulated.

4 I am hearing the same thing here with the
5 Institute of Medicine report. There's some variation about
6 how the states would regulate things. So it would need some
7 strong Federal oversight. If this were put into one agency,
8 again resources would have to be a concern, as to where those
9 resources would come from, and the states' resources as well.

10 So there's a sort of a pie in the sky approach
11 here, as to what we think we'd like to see and what actually
12 may come about. I'm not sure that any particular suggestions
13 are likely to happen. But I --

14 CHAIRMAN SIEGEL: How sanguine of you.

15 MEMBER JONES: Exactly. I do think that the FDA
16 would I think from the community's point of view be a very
17 good sight for situating all this radiation control and
18 regulation. Again, it's resources.

19 Somehow we would have to try to apportion out the
20 regulation of medicine into the states. I'm not sure how that
21 would be implemented. So I'm sort of caught up with situation
22 E. I do think we need a very strong central overview, because
23 there's such a variety of quality out there between the
24 states. I agree with everybody that's made a comment along
25 that line. You just don't know what you're going to get

1 between states with regard to practice of medicine. I'm not
2 sure that they are all equivalent.

3 Again, if I were a patient, I don't know which
4 state I'd choose to land in, but you don't often get that
5 choice. It happens wherever you happen to be. But some
6 uniformity would be what I'd be in for.

7 CHAIRMAN SIEGEL: In a way though it sounds to me
8 like you are arguing for G, which is an over-arching Federal
9 agency that contains the practice of medicine.

10 MEMBER JONES: Well that would suit my kind of
11 bureaucratic approach, wouldn't it?

12 CHAIRMAN SIEGEL: In a way, that would be the
13 fairest to ionizing radiation use in medicine, because it
14 means every physician would be in the same boat. We'd all
15 have to put up with the Federal presence in our face every day
16 of the week. We'd learn to live with it.

17 MEMBER JONES: I'm not sure that would be less
18 expensive. Thinking of safety and effectiveness, the public
19 health situation, it may not be the least expensive, but it
20 may be the safest thing for people.

21 MEMBER WAGNER: I'd like to make the comment and
22 a statement that I think the major deficiency of this IOM
23 report is the fact that it simply did not look at the
24 mechanisms of regulation development and enforcement that led
25 to the state of affairs we are in right now. It did not look

1 at that mechanism.

2 It gave us the history of what occurred, but it
3 did not set down any concepts or ideas, as these are the
4 problems. For example, is the fact that the regulations are
5 passed and finally approved by an organization that has very
6 little and almost zero medical background the problem? That's
7 an issue. They didn't address that. There's no where in here
8 that that's addressed.

9 CHAIRMAN SIEGEL: No. Actually, they do address
10 it. If you look at --

11 MEMBER WAGNER: They make the statement that
12 that's true. In one place they do make a statement that that
13 is the background and that that's a problem. But they are not
14 delineating in my opinion. They are not delineating it
15 anywhere else. I mean it's sort of hidden in there. But it
16 really to me is a very vital point.

17 It's a vital point -- and I don't mean that that
18 particular issue is a vital point. I mean that the whole
19 process by which these regulations come about has flaws.
20 That's why we've gotten to the state of affairs we're in.
21 Unless we identify those flaws and find ways to correct those
22 flaws, we're going to end up doing the same thing again.
23 That's why I had such a difficult time looking at these
24 options, because none of these options look good to me. They
25 are all options of how to change things, but I didn't see

1 there the really good solid options as to how to correct
2 things. That is the difficulty I have with this whole thing.

3 I would like to see a document that would be
4 investigating to try to find out how do you change the
5 regulatory process to get regulation and enforcement to be
6 effective for the protection of the public and the protection
7 of patients, without being over-prescriptive and burdensome to
8 the good practitioners out there who are trying to get the job
9 done.

10 CHAIRMAN SIEGEL: Well a fundamental problem, and
11 perhaps the fundamental problem, is government by yo-yo.
12 Virtually everything that's in part 35 was originally
13 something that had been imposed by license condition in
14 response to a perceived problem that often was based on a few
15 events.

16 Not everything, but almost everything came about,
17 many of the very prescriptive things. Here was a problem, we
18 had to fix it. Okay, how are we going to fix it. Well, we'll
19 make it license conditions across the board.

20 Then when part 35 was consolidated, a lot of
21 those things were put into part 35. They were there. They
22 were subject to public commentary, but there wasn't a great
23 deal of incentive for the NRC to tear it all down and start
24 from scratch and say what are the objectives.

25 The part 35 re-write was really an attempt to

1 codify the culture that had already been established, as
2 opposed to leaving it up to individual regions and license
3 writers and inspectors to get it all set down in concrete.

4 A fix, and that's part of what we talked about
5 earlier today, is to literally look at part 35 and say what
6 are the goals of this regulatory process, what do we want to
7 achieve, and what does it take to achieve that.

8 MEMBER WAGNER: I think if that wisdom would have
9 been in this report, this report would have been improved by a
10 major amount. It is that kind of wisdom that I think is
11 important for people to look into in order not to repeat the
12 problems of the past.

13 CHAIRMAN SIEGEL: Well the report is saying it
14 obliquely. What it's saying obliquely, tear down part 35 and
15 let the to-be-generated newest version of the SSRCP or RCR be
16 the thing that guides what the states are going to do.

17 MEMBER WAGNER: Yes. That is absolutely right,
18 but I think that that is really a cop out. Because what
19 really would have been nice is for them to say whatever
20 regulatory agency is set up, here's how it should be set up to
21 protect against repeating problems of the past. This is what
22 it should do. This is how it should have its checks and
23 balances in the rule making and enforcement process. There's
24 nothing like that in here.

25 CHAIRMAN SIEGEL: I haven't told you what I think

1 yet, although you'd probably know at this point.

2 I am actually torn between F, which is complete
3 centralized Federal authority because of the fact that I think
4 it has the potential, said naively, to be the most efficient,
5 but I know better.

6 It has the potential to be the one where the
7 Administrative Procedures Act process would work the most
8 effectively, because all the people in the country focusing on
9 something that all the members of the regulated community in
10 the country focusing on a proposed rule that they don't like
11 is possibly better than people in 50 individual states trying
12 to do the same sort of thing.

13 So F is one direction I'm torn, but in the final
14 analysis, I end up with D and a half as being Jeffersonian,
15 which I'm a little bit of. Providing flexibility that fits
16 best local needs while yet still leaving a strong standard
17 setting role for the Federal Government.

18 I would couple D and a half with the notion that
19 the enabling legislation and the enabling regulations would
20 basically tear down part 35 and start from scratch in terms of
21 what those regulations that the states are going to administer
22 would look like, and would be very clearly based objectives
23 based on what is really essential for public health and
24 safety.

25 We have not really addressed this issue. We will

1 come to it. I would get as far removed from patient-related
2 issues as possible, and would be as much focused on public and
3 occupational worker issues in the process of doing that,
4 because I think patient-related issues as I've said a million
5 times, there's nothing unique about ionizing radiation that
6 needs a higher level of protection than all the rest of
7 medicine. Ionizing radiation is just one more tool used by
8 doctors. It's dangerous.

9 We use devices. We use drugs. We use surgical
10 procedures that have never been evaluated by any Federal
11 agency and likely never will be. There are mechanisms at the
12 physician censure level and at the tort law level for dealing
13 with the way medicine is practiced. So that's where I vote.

14 So the way I am reading the consensus of the
15 committee is that we are concerned that option D as it is laid
16 out hasn't really completely thought through how this
17 collegial almost voluntary system is going to work
18 effectively, even though we're attracted to the process that
19 the Federal agency would be this leader and guider and
20 educator, we're not sure that states left to their own devices
21 will follow through with it, and that we're either more in
22 line with D with teeth or E, and maybe there really is no
23 difference between D with teeth.

24 MEMBER STITT: Tell me what -- as I hear people
25 talking, there's various euphemisms, D with teeth, with a

1 stick or whatever, reads to me like E. How are they
2 different?

3 CHAIRMAN SIEGEL: Well, it's more than the
4 Federal Government rushing in to fill a void. It's having a
5 front end thing that says basically you had better comply or
6 here is what's going to happen. What's going to happen is,
7 there won't be reimbursement.

8 To me, a simple form of teeth is tying it to HCFA
9 reimbursement for that particular aspect of medical care in
10 that state or in that facility.

11 That approach also -- and D and D with teeth also
12 leave the option for professional organizations to get in with
13 various types of deemed status, an ACR or SNM accreditation
14 program of a nuclear medicine practice can work under a state
15 approach, may work, just like it works now for mammography.

16 Jeff.

17 MEMBER WILLIAMSON: Is it possible to ask a
18 question about your opinion? I know I can't give my own
19 opinion.

20 CHAIRMAN SIEGEL: We're not really voting, so I
21 was being unfair. Why don't you and Theresa both tell us how
22 you would come down on this issue. We're really not voting,
23 we're generating --

24 MR. CAMPER: Jeffrey, you are at liberty to
25 espouse your opinion and take an active role in discussion.

1 It's only when the votes are actually taken that you have a
2 limitation at this point, okay?

3 CHAIRMAN SIEGEL: Well I apologize then, because
4 I actually perceived we were sort of voting on this. But
5 we'll call this opinion generation.

6 MEMBER WILLIAMSON: Well alright. Well I wasn't
7 sure how to distinguish your view from option B, laissez-
8 faire, because it seemed to me that the part you said --
9 whatever the new regulatory system is, it should stay as far
10 away from the regulation of the actual medical treatments as
11 possible. That's what all this is about.

12 As I understand the report, it's not suggesting
13 the abandonment of occupational or public safety standards vis
14 a vis exposures of employees.

15 CHAIRMAN SIEGEL: I'm not suggesting that either.

16 MEMBER WILLIAMSON: So it's just those things
17 that the report takes aim at, those specific regulatory
18 activities that involve the delivery of the treatment to
19 patients and surrounding research.

20 I'll give my opinion I guess. I guess when I
21 read the report and think over my own experience, I am less
22 concerned about the consequences of under-regulation in the
23 various states, should it be turned over to the states.

24 I do think there are certainly very profound
25 disparities in the standards of practice across the United

1 States, but my belief is that the current part 35 style
2 regulatory system has contributed very little really to the
3 sort of improvement of quality, at least in my chosen field.
4 There has always been a very big commitment to quality in the
5 20 years I have been in the field. There certainly are some
6 practitioners that are on the other end of the tail, and I'm
7 sure the regulations have helped bring a few people, a few
8 institutions into the fold.

9 But my overall belief, is that it has not been
10 the major dynamic by which quality is preserved in radiation
11 oncology. So in a sense, I'm a sort of option B, laissez-
12 faire. I really don't think that things like the quality
13 management program really help.

14 On the other hand, I do perceive there sort of is
15 a problem with non-uniform standards of technical practice in
16 my field. I would like to see a sort of non-punitive
17 regulatory system erected that could really make some good
18 contribution to improving the quality of care. I do not think
19 the current one makes much, in my opinion.

20 Again, I want to make it clear I'm not attacking
21 basic safety standards for members of the public and workers
22 in radiation. It's simply that I think the report is right.
23 There is no more reason to find radiation medicine treatments
24 more suspect and bad than orthopedic surgery treatments or
25 cancer surgery or chemotherapy in my mind.

1 So I guess I would be in the end, sort of an
2 option D if there were some mechanism to ensure that an
3 appropriately interactive and collegial system could be put in
4 place of the current part 35 that could make some substantive
5 contribution to the improvement of the uniformity of radiation
6 medicine delivery.

7 I think this is not a very simple problem to
8 address. If it were simple to give a solution, we'd have
9 solutions on the table that we could -- specific solutions we
10 could discuss, but there aren't.

11 It seems to me something like the Mammography
12 Standards Act comes closest, which is it's basically an
13 enunciation of some basic practice standards, a lot of
14 flexibility, what are the mechanisms that you use to implement
15 those standards, including an array of protocols developed by
16 the professional societies, and kind of an inspection that
17 certifies you and looks at sort of the basic -- what are the
18 basic infrastructure of quality treatment delivery is there,
19 and doesn't hammer you because you didn't check off the box
20 that says did I identify the patient in two ways, or something
21 like that. It's not focused on that.

22 So I think that sort of provision, I could sort
23 of buy a level of Federal involvement under that condition.
24 If it's going to be the same as what we have now, I'd almost
25 rather have option B to be honest. So I guess a D plus with

1 these two qualifications, being one to try to maintain some
2 sort of a uniformity in this standard of practice, and that it
3 be a truly useful vehicle for improving quality of radiation
4 medicine as I've attempted to characterize it.

5 CHAIRMAN SIEGEL: As we talked about this
6 morning, quality by education and real quality improvement as
7 opposed to quality by inspection.

8 MEMBER WILLIAMSON: Yes.

9 CHAIRMAN SIEGEL: Lou, you had a comment before
10 we --

11 MEMBER WAGNER: I'm getting very concerned about
12 the idea that we're holding up the MQSA law, something that we
13 should reverse.

14 I think the MQSA rule is in many ways way too
15 prescriptive from the legislative point of view. From the
16 legislative point of view what's in the law as to what has got
17 to be done is to me in many situations bad. It's not good.
18 It doesn't have the flexibility that it needs in many
19 respects. I think we have run into this in a few instances.

20 So I don't want to hold that rule up as being
21 something we should model after. I think it did a great job
22 in bringing to the attention of the medical community the need
23 to codify your quality of imaging in mammography in order to
24 provide good medical care. It did a wonderful job in that.
25 It also did a wonderful job in bringing people up to higher

1 standards of practice.

2 But there are things in it that are overly
3 prescriptive, overly costly and unnecessary. Those
4 unfortunately are in the law and can't be changed by the FDA.

5 CHAIRMAN SIEGEL: I only suggested that it was a
6 model. I didn't suggest that we should copy it exactly.

7 Okay, Theresa.

8 MEMBER WALKUP: Being new at this, I feel like I
9 should abstain. But I wonder if perhaps we shouldn't work at
10 fixing what we have more so than throwing it out and starting
11 over.

12 In order to be consistent, we're going to have to
13 have some sort of Federal leader, which we already have with
14 the NRC. Just letting it go in the states' hands concerns me
15 a little bit. I lived in the state of Texas for a while. I
16 do realize what can happen. That does concern me.

17 Right now I'm in Oklahoma. I think we're in the
18 process of heading that direction. So it's just a concern of
19 mine.

20 I really would rather abstain from saying which
21 one I feel --

22 CHAIRMAN SIEGEL: Okay. That's fine.

23 MEMBER SWANSON: Thank you for those comments.

24 CHAIRMAN SIEGEL: Texas is certainly taking it in
25 the ear today. Dan.

1 MEMBER BERMAN: We went around and we seemed to
2 have picked one of the alternatives that was proposed. Just
3 related to Theresa's comment, I guess by not speaking, we are
4 I think all of us seem to be accepting the concept that the
5 NRC should not be the vehicle, shouldn't be the agency
6 involved in this kind of regulation.

7 I think there is some of let's just start over on
8 this whole process and do it in some other agency that's more
9 directly related to health. We spent a lot of time looking at
10 the differences between E and B. I think we ought to at least
11 give some thought to whether we are endorsing the concept of
12 just starting over with a more health related agency.

13 CHAIRMAN SIEGEL: I think that was actually one
14 of the precepts that I laid out this morning, that we had
15 regular -- had consensus on. Was that -- uniform regulation
16 was a goal ideally within an agency with responsibility for
17 assessing the risks and benefits of all of medicine rather
18 than one that was just focused on radiation alone.

19 The NAS is appropriate they say in their
20 discussion of alterative F, that appropriate regulation of
21 ionizing radiation of medicine demands knowledge and
22 experience with the medical issues, that those should be
23 emphasized over knowledge and experience with byproduct
24 materials.

25 I guess I really do believe that. Being able to

1 put this in its overall medical perspective is a key component
2 of the equation. So implicit in what we were saying I think,
3 unless anyone wants to go backwards, is that we were endorsing
4 the NAS concept that housing this somewhere more closely
5 linked to health made more sense to us. Does anyone disagree
6 that we were saying that?

7 MR. CAMPER: May I interrupt you for a minute?

8 CHAIRMAN SIEGEL: You may.

9 MR. CAMPER: I hate to interrupt this important
10 deliberation at this moment in time, but we do have --

11 CHAIRMAN SIEGEL: Like anybody is going to pay
12 attention to it.

13 MR. CAMPER: Seriously, we do have an important
14 guest who is here for a very important purpose. We have Mr.
15 Hugh Thompson, who is our Executive Director of Operations,
16 who has dropped by to visit. He has a special mission in
17 mind, Dr. Siegel.

18 MR. THOMPSON: Maybe I should come up here.
19 Barry, you may have to come up and join me in a moment.

20 CHAIRMAN SIEGEL: I'll stay.

21 MR. THOMPSON: Many years ago, gosh, it must have
22 been about six, we elected to make a real shift in the way
23 this committee was operating. It was a shift that the agency
24 hadn't really been able to come to grips with for some time.
25 they said it would never work, that you could not allow one of

1 the committee members to chair the committee. I said there's
2 no other way that it really will work. We looked around to
3 find the individual that we thought would be like the first
4 astronaut, will be the first person fired off into this never-
5 never land of being the chairman of the Advisory Committee for
6 the Medical Use of Isotopes.

7 Barry only had one request when we approached
8 him, could we change the title from ACMUI to Advisory
9 Committee on Medical something else. But we never quite got
10 around to changing the title. It has been a time of real
11 vision. I think you have brought that vision along with the
12 members that you've worked with over the years. You have
13 worked with a wide variety of memberships. Your skills at
14 reaching consensus or allowing differing views to be presented
15 in a very professional way is certainly appreciated by all of
16 us at the commission, particularly those of us who deal with
17 the activities that all of you have to deal with.

18 We are not sure whether right now you are dealing
19 with the transformation from a caterpillar to a cocoon to a
20 butterfly or visa versa. I mean we are talking about really
21 some enormously important activities that this committee has
22 been involved with. You have been involved with and directly
23 and personally involved in many of these, I wouldn't
24 necessarily call them troubling times, but challenging times.
25 They have obviously been a bit of trouble.

1 We all have had the fundamental objective at our
2 heart, is protecting public health and safety and protecting
3 the patients obviously in trying not to interfere with
4 medicine. The judgements being made in those areas are ones
5 as you debate today. But I think that with all good faith and
6 all good effort, you have done a yeoman's job in your
7 leadership for this advisory committee.

8 On behalf of the chairman, I'd like to read a
9 plaque. This was the time we knew we had you for sure.
10 Apparently you will be coming back for a few other things, but
11 this is a certificate of appreciation presented to Barry
12 Siegel in recognition of your service as Chairman of the
13 Advisory Committee on the Medical Use of Isotopes, which
14 resulted in a significant improvement in the Nuclear
15 Regulatory Commission's understanding of the use of byproduct
16 materials in medicine.

17 So if I could present this plaque to you today.

18 (Applause.)

19 MR. THOMPSON: Thank you very much. It's been a
20 privilege on my part to know you professionally and to also
21 know you as an individual. I will cherish those thoughts. I
22 hate to see you depart. But maybe if we're out of the nuclear
23 medicine area, will be one of the areas that we'll part on,
24 we'll meet on other fields at other days.

25 CHAIRMAN SIEGEL: Very good.

1 MR. THOMPSON: Thank you very much.

2 CHAIRMAN SIEGEL: Thank you.

3 I said something at my last meeting of the FDA
4 Advisory Committee to the effect that old gadflies never die.
5 It is true here too. Thank you very much.

6 MR. THOMPSON: I look forward to the results of
7 today's deliberations.

8 CHAIRMAN SIEGEL: We'll keep truckin.

9 MR. THOMPSON: Keep going.

10 CHAIRMAN SIEGEL: Okay. We have at least 15 more
11 minutes here.

12 MEMBER BERMAN: I'd like to correct him.
13 Actually, you've done a yo-yoman's job.

14 (Laughter.)

15 CHAIRMAN SIEGEL: Yes. It's not entirely clear
16 how many more meetings we're going to have before my term is
17 officially up, which I guess is the end of the Federal fiscal
18 year.

19 MR. CAMPER: It's in the summer of this.

20 CHAIRMAN SIEGEL: September 30, or thereabouts.

21 MEMBER BROWN: So you will be chairing the May
22 meeting?

23 CHAIRMAN SIEGEL: Well, we actually have already
24 picked a date in April, not in May because of the fact that I
25 am going to be in Korea and/or China for a good fraction of

1 May. But it's not clear that we're having an April meeting
2 yet. That is to be determined. But I would emphasize that we
3 probably do need to decide quickly if we're going to.

4 There is a possibility that we're going to have a
5 commission briefing either in May or June or something like
6 that. If we do that, then we will need a day's meeting at a
7 minimum to prepare for it as we have done in the past.

8 MR. CAMPER: Let me take this opportunity to make
9 a couple of comments to sort of clear up a couple things so
10 that members of the public will know, and for that matter, all
11 the members of the committee.

12 We did take this opportunity today for Mr.
13 Thompson to provide Barry with this plaque, thanking him for
14 six years of very valuable service. We did that as Barry is
15 alluding to, because we weren't certain if there was going to
16 be a meeting in April.

17 We certainly have plenty of issues that the
18 committee can deal with, but it's a function of how does this
19 meeting go, what does the Commission decide to do about the
20 NAS Report. There's a number of questions that have to be
21 answered in the short-term for us to reach a decision upon
22 that point.

23 So we took this opportunity, knowing that we had
24 him today to provide him with the plaque, not knowing that
25 there would be or would not be an April meeting.

1 The second point is is that we as you know in the
2 past, there have been at least one occasion that I can recall,
3 if not two, when the committee has actually briefed the
4 Commission directly twice. The rule on that has become one of
5 either party can ask for the briefing. Either the Commission
6 can request it or the ACMUI can request it if they feel that
7 there are issues worthy of such an interface.

8 Well we learned yesterday afternoon that the
9 Chairman is interested in a briefing in May. Now I emphasize
10 Chairman because we are, all the agencies are also going
11 through transition, where we now for the first time in some
12 time have a Commission functioning as a quorum, but I think
13 it's safe to assume that there is an interest by the
14 Commission in a briefing by the ACMUI in May, given the view
15 expressed by the Chairman yesterday.

16 So I think there is a high probability that the
17 Commission briefing will take place in May. So one of the
18 things you're --

19 CHAIRMAN SIEGEL: Ideally when I'm out of the
20 country.

21 MR. CAMPER: One of the things you are going to
22 need to decide is in reaching some of your answers today in
23 preparation for that briefing, and whether or not you feel an
24 additional meeting is in order, or subcommittee meeting or
25 what have you as you prepare for that briefing.

1 One of the things we've been asked to do today is
2 to pulse the committee on possible available dates for
3 participation in that briefing. So if by the close of
4 business tomorrow you can have some idea of possible dates,
5 that will be helpful to us as we proceed with the planning for
6 such a briefing.

7 Then the final point is Dr. Siegel departs the
8 committee, a couple of other administrative issues are worthy
9 of mention. One is that we have published a Federal Register
10 notice and sought nominations for the nuclear medicine
11 physician to replace Dr. Siegel. That process is ongoing,
12 just as with every solicitation of nominations for the
13 committee. Ultimately that position will be filled.

14 Obviously Dr. Siegel's departure leaves a
15 tremendous void to be filled as far as a chair of the
16 committee. The staff has recommended, and the Commission has
17 approved the appointment of Dr. Stitt to serve as the chairman
18 of the committee once Barry departs. So that is what Hugh was
19 alluding to as he was leaving. Obviously Dr. Stitt has some
20 big shoes to fill, but we have great confidence in her. We
21 look forward to working with her, just as we have Dr. Siegel.

22 So those are the administrative points I wanted
23 to cover.

24 CHAIRMAN SIEGEL: All right. All that said. I
25 can't tell you how thrilled I am about a May Commission

1 briefing. I can't imagine how we're going to fit it into the
2 schedule.

3 What is our pleasure for the remaining time
4 today? We can keep trucking for a while. We can --

5 MEMBER BROWN: Adjourn until tomorrow.

6 MEMBER WAGNER: Yes.

7 MEMBER BROWN: Adjourn until tomorrow.

8 MEMBER WAGNER: We could do that.

9 MEMBER BROWN: We're only talking 15 minutes
10 here, right?

11 CHAIRMAN SIEGEL: Well, unless we just kept going
12 because we were so energetic we wanted to keep going.

13 MEMBER WAGNER: Let's look and see what we've
14 got.

15 CHAIRMAN SIEGEL: That's not really what I think.

16 Trish, which of the remaining questions, based on
17 the things we've talked about up to this point would you
18 identify as the most important to you in terms of being sure
19 that we provide you with our input.

20 MEMBER STITT: Barry, while she's thinking, let
21 me ask you a question. You raised a question to us, and we
22 haven't answered it. Are you going to go back to it tomorrow?

23 CHAIRMAN SIEGEL: Which?

24 MEMBER STITT: We looked at options. You kind of
25 polled the group, but none of us really got into Federal

1 agency as being the guiding agency.

2 CHAIRMAN SIEGEL: I think we just discussed that.

3 MEMBER STITT: You brought it up as a question.

4 I didn't think we --

5 CHAIRMAN SIEGEL: I actually thought that based
6 on the morning discussion that it was implicit that we were in
7 favor of DHHS in some form as being responsible for that.

8 MEMBER STITT: I guess the only reason I wanted
9 to see if everybody agrees with that, and does that become
10 another salient point of our discussions here.

11 CHAIRMAN SIEGEL: Does anyone have any concern
12 that that's the right recommendation? Would anyone prefer
13 EPA? Just checking.

14 MEMBER WAGNER: How about OSHA.

15 CHAIRMAN SIEGEL: OSHA or the IRS or you name it.

16 MEMBER WAGNER: Or NRC. That's an option.

17 CHAIRMAN SIEGEL: I think the medical focus,
18 given what we've talked about, is really key. I am still
19 wrestling with the fact that this is primarily medical versus
20 materials. I'm still not totally reconciled how we're going
21 to have this kind of dual process. I'm not sure whether they
22 need to be separated.

23 I am very attracted to Larry's approach of having
24 50 agreement states plus territories, somehow figuring out how
25 to deal with Federal facilities and having the NRC, at least

1 with respect to issues of occupational exposures and public
2 exposures, setting the standards, and letting the states run
3 essentially agreement state programs.

4 I find that concept attractive. It gets the NRC
5 itself intrinsically out of the inspection and enforcement
6 business and gets it into the policy setting business.

7 MEMBER WAGNER: I guess one other issue though
8 which maybe we haven't addressed yet today that perhaps is
9 important. I forgot to ask the question when the IOM was
10 here.

11 You know part 20 is never addressed, or never was
12 addressed. Everything here centralizes around part 35. But
13 indeed, when you talk about occupational exposure in the
14 medical environment, you are talking about situations that
15 indeed have differences as opposed to occupational exposure in
16 the industrial environment. I wonder if you set up a system
17 where you try to take 35 out but 20 stays in place with the
18 NRC, now the NRC is still only concerned with occupational
19 exposure as it relates to that for byproduct materials. It
20 does not address --

21 CHAIRMAN SIEGEL: I think a state-administered
22 system would essentially put part 20 as the responsibility of
23 the states.

24 MEMBER WAGNER: I know. Therein I'll point out
25 your problem.

1 MR. CAMPER: Well, the model as proposed calls
2 for the NRC to eliminate its involvement in the medical
3 program, that being part 35, and those regulatory activities
4 under part 20.

5 Now what that translates into is if there is no
6 part 35 and there are no medical licensees, there is no part
7 20 NRC regulations in place for occupational workers in the
8 medical setting.

9 MEMBER WAGNER: Okay. That then clears it up.
10 Thank you.

11 DR. HOLAHAN: I was just going to follow up on
12 what Larry had said, is part 20 only applies to NRC licensees.
13 However, if your license under other parts of NRC regulations
14 and therefore are still an NRC licensee aspects of part 20
15 could apply. But if you are a medical licensee only a part 35
16 licensee, that goes away.

17 MEMBER WAGNER: Okay, thank you.

18 DR. HOLAHAN: Part 20 --

19 CHAIRMAN SIEGEL: But that's why it's important
20 for any of us to work toward, either for this entire materials
21 program to transfer to the states or for materials associated
22 with medical institutions to transfer to this new system.
23 Because otherwise, if you're working one day in the nuclear
24 medicine lab and you get an exposure, and then the next day
25 you walk over to your research lab, how do you know whether

1 you report an over exposure to the NRC or to the state? It's
2 the same thing that happens now in byproduct versus non-
3 byproduct material. That inconsistency needs to be
4 eliminated, however it's done.

5 MR. CAMPER: I have two questions, Barry. So
6 with regards to the question of DHHS as being the agency, are
7 you in a position now where you feel that you have consensus,
8 the committee has consensus?

9 CHAIRMAN SIEGEL: I think so, but we can -- well,
10 does anyone disagree that we think of all the agencies we can
11 think of at the moment, short of some brand new agency, the
12 one we would recommend is DHHS?

13 I think we have consensus.

14 MR. CAMPER: Good.

15 CHAIRMAN SIEGEL: My way in viewing this is the
16 person I would like to be responsible for deciding ultimately
17 whether a radiation protection program in medicine is
18 consistent with the overall needs of medicine is the Assistant
19 Secretary for Health, who will advise the Secretary of Health
20 and Human Services, who is less often a doctor.

21 MR. CAMPER: The other question I had is if I
22 look at question number one of our issues, does the ACMUI
23 agree with the preferred alternative chosen by -- I'm getting
24 a no sort of.

25 CHAIRMAN SIEGEL: You are getting a no with a

1 modifier. We're opting for D and a half rather than straight
2 D, which we thought didn't have quite enough teeth in it.

3 MEMBER FLYNN: Well one of us opted for E.
4 Probably four of us opted for E.

5 CHAIRMAN SIEGEL: Well, two or four.

6 MEMBER WILLIAMSON: One non-binding voter opted
7 for part of -- what was the one I voted, B? I've forgotten.
8 What was the laissez-faire one?

9 CHAIRMAN SIEGEL: Yes, maybe three or four said
10 E.

11 MEMBER FLYNN: I was E.

12 CHAIRMAN SIEGEL: Yes, but I think there also is
13 not that much distinction between D and a half and E.

14 MEMBER STITT: Particularly since you are making
15 D and a half up.

16 CHAIRMAN SIEGEL: Since I'm making D and a half
17 up.

18 DR. HOLAHAN: Do you want me to identify the
19 specific -- oh I'm sorry.

20 CHAIRMAN SIEGEL: Sorry.

21 DR. HOLAHAN: You had asked me about the other
22 question.

23 CHAIRMAN SIEGEL: Do you have more, Larry, or is
24 that it?

25 MR. CAMPER: No.

1 CHAIRMAN SIEGEL: Okay.

2 MR. CAMPER: No, I do have a question when you
3 finish this discussion.

4 CHAIRMAN SIEGEL: Okay.

5 MR. CAMPER: The question is is the following
6 question. Do the basis or rationale used by the IOM committee
7 support their conclusion? We've heard a great deal of
8 discussion that indicated that you didn't think that it did.
9 Some of the criticisms were levied about the degree to which
10 they answer some of these questions in terms of the state
11 regulatory programs, for example.

12 MEMBER STITT: Well, I think that's one of the
13 reasons that I am more an E person, because I don't agree that
14 material was presented in the report tells me that what I
15 think we should be looking at can be managed by the states.
16 So therefore, I don't feel that D is a preferred choice to me.

17 MEMBER FLYNN: I agree with Judith.

18 CHAIRMAN SIEGEL: Although I think I'm not
19 defending one position or another. I think what we may simply
20 be suffering from is lack of data rather than a frank
21 condemnation of the statement.

22 I'm not sure we know exactly what basis, and
23 maybe John wants to comment on this, exactly what basis led
24 the committee to conclude that they thought the states would
25 in fact be able to do an adequate regulatory job under

1 scenario D.

2 One conclusion is is that they seemed to be doing
3 what is perceived as an adequate regulatory job for the 90
4 percent that they currently control. It's hard to argue with
5 that conception.

6 On the other hand, a more detailed sampling of
7 actual state practices as a data base would have made for a
8 more compelling belief that that conclusion was correct.

9 So -- Jack.

10 MEMBER WILLIAMSON: Well, another underlying
11 theme of what the plus means, the D plus as I hear different
12 people saying, and I've said in my own way too, is that
13 there's a concern of having 50 different part 20s and part
14 35s. There is a concern about lack of uniformity and sort of
15 basic standards. That is a different sort of D than it seems
16 the Institute of Medicine had.

17 Their D was concerned with just reserve Federal
18 authority in case no program existed at all. Here the
19 preoccupation has been more concerned with consistency of the
20 basic standards. No question maybe that the states shouldn't
21 enforce them, but what are the standards going to be.

22 In fact, Larry has raised the concern that if
23 part 35 goes, there isn't a nationwide part 20. It does seem
24 to me that that's the kind of a standard that should cover as
25 broad a geographic area as possible, and that really what is

1 needed is a sort of part 20 sort of document or regulation, a
2 nationwide standard that covers all forms of ionizing
3 radiation and isn't specific to whether it's medical use or
4 industrial use or whatever.

5 MEMBER WAGNER: Well, just to support a couple
6 statements there. The facts are that the IOM's recommendation
7 to hand it to the states was under the assumption that with
8 the organization set up under the guidance of the CRCPD, there
9 would be more uniformity. But in fact, the NRC provides its
10 regulations. The CRCPD has been set up for some time, so
11 there is guidance on the Federal level already in existence.
12 Yet two of the people here -- three of the people have stated
13 that there really isn't a lot of uniformity in the states.

14 People who have experience from state to state to
15 state said there isn't uniformity in the states. So it's
16 quite clear that even with current guidance by the CRCPD,
17 there's not uniformity. I don't think it's going to achieve
18 that by just turning it over to the states and still having
19 the kind of oversight that they are recommending. I think you
20 need to have something that will be a little bit more
21 authoritative. But that won't happen unless you focus on why
22 the development of these regulations go sour.

23 CHAIRMAN SIEGEL: But we have said that already.
24 Rebuild the medical regulatory program from scratch federally
25 mandated, and let the states administer it with some teeth at

1 the Federal level to ensure that the states have to do it, and
2 that the states are supervised in the way that they do it.
3 That is D and a half.

4 That strikes me as stronger than just reserve
5 Federal authority, which is call in the militia if the states
6 are not doing their job adequately.

7 MEMBER WAGNER: Maybe you should call it E and a
8 half.

9 MR. CAMPER: May I make a suggestion? One of the
10 things that the Commission has asked us to do, and of course
11 Barry knows this very well, is whenever possible, is to reach
12 consensus within the committee. Or if you don't have
13 consensus, to identify dissenting or differing opinions.

14 Maybe what would be simpler here would be to
15 focus upon only the alternatives that were used by or
16 identified by the IOM. Then specifically answer the question
17 as to whether or not you agree with their preferred
18 alternative. Address that question. If it turns out the
19 answer is no, and I think that it is, then describe succinctly
20 as you can, the preferred alternative, in view of this
21 committee I mean.

22 CHAIRMAN SIEGEL: Didn't I just do it 30 seconds
23 ago for you?

24 MEMBER BERMAN: But I think actually you
25 articulated in the last 30 seconds very well, in a way that I

1 don't think I had heard before. I think it's more clear to
2 say that we don't accept any of the alternatives the way they
3 were put out, and that we actually proposed something that was
4 a modification of one. You stated it so well in that last
5 point, I think that's what we ought to --

6 MEMBER WAGNER: Yes. I would like to see a
7 consensus vote from the committee in regard to what you said,
8 just to see if there's a consensus with that particular
9 statement of the program, because --

10 CHAIRMAN SIEGEL: Who wrote it down?

11 MEMBER WAGNER: I think your articulation was
12 very good. I think we all know what it was.

13 CHAIRMAN SIEGEL: We'll have to come back in a
14 week when we have the transcript in order to see what we said.
15 No. Should I say it again, see if I can get it again?

16 Rebuild the medical regulatory program from
17 scratch. I did say before but didn't say 30 seconds ago, that
18 would be reassessing objectives. So that is the equivalent of
19 what NRC would have done if it had redone part 35 from
20 scratch.

21 So we are saying we endorse that activity, number
22 one. Number two, federally mandate that program, but as a
23 program to be administered by the states with a mechanism that
24 essentially forces the states to comply and whether that -- I
25 don't know what the legal mechanisms, the legal options

1 available are, but certainly one that we know works is tying
2 it to reimbursement by HCFA. Then Federal monitoring of the
3 states compliance.

4 That's essentially the concept. All of which of
5 course also then contains the notion that we would magically
6 transform the current quality by inspection, punitive mean-
7 spirited system to one that is collegial and educational, and
8 designed to help medical professionals do a better job.

9 How could you vote against that?

10 MEMBER STITT: Did you want to put an agency's
11 name in there?

12 CHAIRMAN SIEGEL: The agency that would
13 administer it at the Federal level is DHHS. I think we have
14 already said that.

15 MEMBER BERMAN: And the agency to develop it
16 would also be something within DHHS?

17 MEMBER WILLIAMSON: And it would cover 100
18 percent of the ionizing radiation medicine.

19 CHAIRMAN SIEGEL: Correct. Absolutely. So we've
20 got lots of things. You want to add something else?

21 MEMBER SWANSON: As part of that process of
22 reconstructing regulation, it is again the active involvement
23 of the regulating community. I'm going to keep coming back to
24 that.

25 As you just received a plaque in recognition of

1 the contributions that you've made to this advisory committee
2 to the regulation of byproduct material, that process has to
3 continue and it has to be stated.

4 CHAIRMAN SIEGEL: One can only hope that it will.
5 I guess in some ways, the Federal Administrative Procedures
6 Act provides a slightly higher level of assurance than do 50
7 state administrative procedures acts. At least that's my gut
8 feeling about that.

9 All right. So we have a concept on the table
10 now. We don't have to take a formal vote. We can see if
11 anyone wishes to demure. Failing a demure, we've reached a
12 consensus.

13 MEMBER BERMAN: I think if we rebuild it from
14 scratch, taking into account ways in which it went awry in the
15 past. He didn't say it this time around.

16 CHAIRMAN SIEGEL: Do we have a consensus? It
17 looks like we've got a consensus on that. All right. Good.

18 Having reached a consensus on that important
19 question, now you're going to give us 10 seconds more about
20 the most important remaining questions. I'll tell you why I'm
21 wanting us to focus on the most important ones in two seconds.
22 They are?

23 DR. HOLAHAN: Okay. What -- I think it would be
24 beneficial if the committee could at least comment on the
25 dissenting opinions.

1 CHAIRMAN SIEGEL: Okay. Two?

2 DR. HOLAHAN: Then in terms of number three,
3 four, five, those sort of all tie into if there's no
4 congressional action taken. So I think in terms of looking at
5 the basis, that NRC could make a finding that there's adequate
6 protection of public health and safety either across the board
7 or whether it's adequate protection of patient safety, which
8 would then tie into question number four, to address that
9 question.

10 Then again in terms of if we did follow, and I
11 think you raised the question to Kate this afternoon, is under
12 recommendation B too, would there be any uniformity in terms
13 of Federal oversight. So that question may have gone away.

14 Then I think six and seven, if we can get to
15 those it would help. Maybe seven and six, in that order.

16 MEMBER WAGNER: Can you give us that order again?

17 DR. HOLAHAN: Well, a comment on two, and then
18 three and four I think can be combined to lead into a general
19 discussion. Five I believe has been addressed. I don't know
20 if there's anything additional the committee wanted to add to
21 that. But then seven and six.

22 I think there was part of a discussion on 11 as
23 you were discussing your D plus. I don't know if you wanted
24 to address 10 if you have the time.

25 CHAIRMAN SIEGEL: I think 10 and 11 we have

1 already sort of addressed.

2 DR. HOLAHAN: Yes.

3 CHAIRMAN SIEGEL: In saying we're kind of unsure
4 about 10 and --

5 DR. HOLAHAN: And I think you felt that there was
6 a necessity for 11.

7 CHAIRMAN SIEGEL: That there needs to be some
8 sort of mandate to make 11 work.

9 All right. The reason I'm wanting to make sure
10 we're focused tomorrow morning is -- and I mentioned this to
11 Larry, but I haven't said to you, I am hoping we can actually
12 have a discussion of other issues to start at 1:00 rather than
13 at 2:00. I plan to catch a 4:40 plane, so if we really go
14 until 3:30, it may be pushing it. I mean I can do it in an
15 hour, but I'd rather if we can get that other stuff out of the
16 way an hour earlier if possible.

17 DR. HOLAHAN: I'll have to check.

18 CHAIRMAN SIEGEL: We can only ask. Then we'll
19 plan on the morning in focusing on these remaining questions.
20 Any comments?

21 MR. CAMPER: No.

22 CHAIRMAN SIEGEL: We can adjourn for the day.
23 We'll see you all at 8:30 tomorrow morning.

24 (Whereupon, at 5:05 p.m. the proceedings were
25 adjourned, to reconvene at 8:30 the following day.)

