

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on the Medical
 Uses of Isotopes

Docket Number: (not applicable)

Location:
 Rockville, Maryland

Date: Thursday, February 22, 1996

Work Order No.: NRC-528

Pages 284-476

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers

1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 + + + + +
4 ADVISORY COMMITTEE ON THE MEDICAL USES OF ISOTOPES
5 (ACMUI)
6 + + + + +
7 THURSDAY
8 FEBRUARY 22, 1996
9 + + + + +
10 ROCKVILLE, MARYLAND
11 + + + + +

12 The advisory Committee met at the Nuclear Regulatory
13 Commission, Two White Flint North, T2B3, 11545 Rockville Pike,
14 at 8:30 a.m., Barry A. Siegel, Chairman, presiding.

15 COMMITTEE MEMBERS:

16	BARRY A. SIEGEL	Chairman
17	DANIEL S. BERMAN	Member
18	JUDITH I. BROWN	Member
19	DANIEL F. FLYNN	Member
20	ROBERT M. QUILLIN	Member
21	JUDITH ANNE STITT	Member
22	DENNIS P. SWANSON	Member
23	LOUIS K. WAGNER	Member
24	THERESA WALKUP	Member
25	JEFFREY F. WILLIAMSON	Member
26	A. ERIC JONES	Member

1 ACMUI STAFF MEMBERS:

2 LARRY CAMPER

3 PATRICIA HOLAHAN

4 TORRE TAYLOR

5

6 ALSO PRESENT:

7 MARJORIE ROTHSCHILD

8 JOHN GLENN

9 CYNTHIA JONES

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	A G E N D A	
2	<u>Agenda Item</u>	<u>Page</u>
3	IOM Report Continued	287
4	Discussion of Proposed Rulemaking, "Reporting	
5	Requirements for Unauthorized Use of	
6	Licensed Radioactive Material"	
7	Cynthia Jones	389
8	Staff Action Items resulting from Recent	
9	Internal Contamination Incidents	
10	John Glenn	424
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 P-R-O-C-E-E-D-I-N-G-S

2 (8:39 a.m.)

3 CHAIRMAN SIEGEL: We are back on the record and
4 ready to resume the morning session.

5 Our business is to continue working our way
6 through the questions about the NIS/IOM report and then, when
7 we get around it, to talk about the issues with internal
8 contamination events and security of radioactive material a
9 little bit later in the day.

10 Where we left off yesterday, and I am unaware,
11 before we go, of any requests for public statements this
12 morning, so we will just charge into our own business.

13 Where we left off yesterday was essentially a
14 conclusion that this committee was uncomfortable with D as
15 articulated by the committee and felt that a slightly stronger
16 version of D or bordering on E was closer to where we would
17 have put ourselves, thereby indicating that we believe that
18 some federal authority was appropriate and that some
19 centralization of policy making was appropriate and some need
20 to insure that the states would not go off in a laissez faire
21 way, needed to be built into the regulatory system lest there
22 be fifty different versions of Part 20 and some states that
23 regulated medical safety issues and others that didn't touch
24 them whatsoever.

1 So, that approach, though a little bit different
2 from the NIS approach, still holds to the basic principle of
3 wanting uniform regulation of all sources of ionizing
4 radiation and also believing that regulatory oversight should
5 rest with an agency whose primary focus is health rather than
6 radiation, per se.

7 Okay. So that is where we were.

8 Professor Wagner?

9 MEMBER WAGNER: I'd like to comment and add one
10 thing.

11 I think we also reviewed the idea that the entire
12 rule-making and regulatory process needs to be examined.

13 CHAIRMAN SIEGEL: Correct.

14 MEMBER WAGNER: To find the fault with what we
15 did in the past in order to devise a new regulatory system
16 that would be more effective in the future.

17 CHAIRMAN SIEGEL: Right. I forgot to include
18 that we recommended that basically Part 35 would be rebuilt or
19 whatever its replacement set of regulations would be.

20 MR. CAMPER: Question. Lou, do you have any
21 ideas about how such a review should be conducted?

22 MEMBER WAGNER: No. I was hoping for that from
23 the IOM, like I said. But I think at this time it is the time
24 to start thinking about how that should be done.

1 My first step would be to look at how we did
2 things in the past, why do we come to the conclusions and the
3 regulations that we have? Why do we have the enforcement
4 agency we have? Why do we feel that the enforcement has too
5 much authority and is a little bit out of control? Why is
6 this and what got us to this point and how do we avoid this in
7 the future?

8 I think that is what needs to be investigated and
9 looked at.

10 CHAIRMAN SIEGEL: So, do we want to continue
11 working through Part 35 or would you rather have us just
12 charge into question 2?

13 DR. HOLAHAN: Well, actually then I think we got
14 into the IOM. Perhaps if we focus on the IOM report and get
15 into number 2 and then move into --

16 CHAIRMAN SIEGEL: Okay. That's fine.

17 We want to talk briefly about the rationale used
18 in Mr. Adler's dissenting opinion and our thoughts on whether
19 he is no standard deviations from the mean or three standard
20 deviations from the mean.

21 Anyone wish to begin.

22 MEMBER STITT: I reviewed this again yesterday
23 and you were talking about the minority report, right?

24 CHAIRMAN SIEGEL: Correct.

1 MEMBER STITT: And I remarked upon the similarity
2 between what we had discussed at the end of the day yesterday
3 and some of the points that he made.

4 In the very last paragraph, his concern, "I
5 object to the uniformity envisioned in the report, to wit, a
6 repeal of all federal authority over its medical uses."

7 He then goes on to say, "I favor re-examination
8 of risks and appropriate restructuring of regulatory
9 approaches," which is sort of amusing because that is the part
10 we discussed yesterday.

11 I think we have actually more in common with that
12 segment of the report than with the body of the report.

13 CHAIRMAN SIEGEL: Yeah, I think that we are
14 somewhere in between the two extremes. He makes the point
15 that he is uncomfortable with just assuming that the states
16 will take it up and we made this same point.

17 He made the point that tearing down the
18 operating, established federal authority and just starting
19 from scratch with the states didn't make sense and we made,
20 essentially, the same point. We thought there still needed to
21 be some central authority.

22 He made the point that the principles of the
23 Quality Management Rule weren't what's wrong, it was the way
24 that the Quality Management Rule was implemented and enforced
25 and we complete agreed.

1 So, I think in the final analysis we are not in
2 wild disagreement with Mr. Adler's dissenting opinion, but
3 neither are we in wild disagreement with the majority NIS
4 report. We are somewhere in between.

5 He makes valid points and we don't think his
6 arguments should be just thrown out with the bathwater.

7 MEMBER FLYNN: Also, he has a footnote on page
8 264 and I am sure it is hard to go through this and read every
9 single footnote carefully. But his footnote, number 15 on
10 page 264 refers back to one of the strong arguments made for
11 alternative D which is that -- and this seemed to be
12 emphasized several times.

13 That, "The NRC and its Agreement States would
14 continue to regulate the manufacture of byproduct material.
15 The manufacturers would not be able to distribute radioactive
16 byproduct material to users unless they were licensed by the
17 states.

18 Consequently, this requirement provides an
19 inducement to the states to expand and revise their existing
20 control programs to include the byproducts."

21 He brings up a good point that -- if you look at
22 that footnote, I can find that section.

23 "The proposal establishes no criteria for the NRC
24 to apply in order to determine whether a state's regulatory
25 program meets some type of standard."

1 How would the NRC decide whether the states
2 simply have appropriately included byproducts in their program
3 or not? Who is actually overlooking this process? There is
4 no one.

5 I think a lot of confidence is put in the states
6 and I think that the thing that is missing is that I don't see
7 any comprehensive analysis of current state programs.

8 I see people who have asked for states to supply
9 documents and many states have not supplied any documents and
10 you assume that these documents exist. But maybe they don't
11 exist. Or maybe they exist and they can't find them.

12 CHAIRMAN SIEGEL: I suspect the latter, maybe.

13 MEMBER FLYNN: I don't think that some states
14 really look into these, some very small states really -- it
15 may be a laissez faire sort of program whereby if a major
16 program occurs, then call us, but we have no really active
17 program.

18 I am suspecting that that could be the case in
19 some states. I'm talking about some of the smaller states.
20 Do you have any other information to suggest otherwise?

21 CHAIRMAN SIEGEL: No, I don't have other
22 information, but by the same token one could take a counter
23 argument approach of where are the bodies?

24 So, if you have a state where the practitioners
25 are largely self-regulated and there is a very open approach

1 and the state does little more than say register -- and there
2 are some states that don't do much more than that. Then it
3 means that the practitioners are functioning essentially in a
4 self-regulated mode with, potentially, the state having the
5 authority come in if a disaster occurs.

6 In the process -- one of the things that we have
7 gotten into -- and we talked about it yesterday, is our desire
8 to have federal authority because we want uniformity and we
9 want to make sure that the states have some level of
10 involvement.

11 But I think we should not get into the trap of
12 starting to overemphasize the risks of what we are talking
13 about here.

14 We all agree that high dose brachytherapy done
15 incompetently has the potential to be dangerous, not only to
16 patients but to members of the general public.

17 On the other hand, I think this committee is long
18 on record as saying that diagnostic nuclear medicine has to
19 really get bad to start hurting patients or members of the
20 general public.

21 Even when you look at the abuses, even when you
22 look at the things that the NRC has found to be so egregious
23 like technologist that, on their own accord, decide to double
24 the administered doses of radiopharmaceuticals because that
25 makes the day go faster.

1 If you actually try to say, based on the
2 scientific evidence what harm has been done to those patients,
3 you are very hard pressed to find scientific evidence that
4 those individuals have been harmed.

5 Do we think it is the right way to practice
6 medicine? No. But is it an imminent danger to the public
7 health and safety? It is neither that either.

8 So, I would say we need to be a little bit
9 careful that we don't find ourselves all of a sudden saying
10 that what we do for a living is incredibly dangerous, because
11 it is not more dangerous than the rest of medicine but with a
12 few exceptions at the extreme end of what is involved with
13 radiation medicine.

14 Jeff?

15 MEMBER WILLIAMSON: Well, I guess just to follow
16 up on that. In reading appendix L, I think he somewhat
17 exaggerates the risks and exaggerates the importance of the
18 existing regulatory system in promoting quality.

19 I think the fact that there aren't noticeable
20 numbers of bodies, as you put it, floating around in the 90
21 per cent of radiation medicine that is not regulated
22 federally, indicates that largely what maintains quality and
23 holds the radiation enterprise together is its sort of
24 internal quality assurance and practices and practice
25 patterns.

1 I find that he is really arguing in this that
2 federal regulation is an essential tool. I think that
3 although he points out the need for restructuring regulations,
4 I think that he imagines something very similar to the current
5 system is what is needed.

6 MEMBER FLYNN: Or he imagines that there may be
7 some greater degree of uniformity that we should strive for
8 that we shouldn't have one state that has one set of
9 regulations and another state in Texas or Illinois have a ten
10 fold or hundred fold increase in the requirements.

11 And I don't think you need to see bodies. I
12 think the problem is that the trend looked at general
13 principles and some of the ones that you spoke about yesterday
14 in terms of ALARA principles.

15 Well, if people are getting higher doses than
16 they need to, they may not have any scientific evidence of
17 harm, but I don't think it is a good thing to do. And I don't
18 think we should promote states to have ten and a hundred fold
19 variations in their programs.

20 And you don't see bodies if you don't follow
21 ALARA principles.

22 CHAIRMAN SIEGEL: Correct. Lou? Larry, go
23 ahead.

1 MR. CAMPER: I want to make an observation about
2 your comments. It really gets back to Lou's concern that I
3 have heard him say several times now.

4 Why are things the way that they are?

5 Your point, and I think it is a valid point, is
6 you are talking in terms of risk. What is the risk here and
7 what are the consequences of some of these events?

8 I believe, based on my own experience, if we
9 developed regulations and enforcement programs that were
10 purely based on risk only, we would have a totally different
11 regulatory posture.

12 I think this agency would; I think a lot of other
13 agencies would as well.

14 Part of the thing that causes the problem that
15 you have raised several times, Lou, is that there are many
16 expectations of regulators by different segments of the
17 population. The practitioners have a view and risk is
18 something that you are familiar with very much in your day-to-
19 day way of doing business and therefore you form a set of
20 expectations of how regulators should behave and treat you as
21 practitioners.

22 The public has a different set of expectations.
23 Some segments of the population have yet an even more extreme
24 set of expectations. Congress has a set of expectations.

1 And there is no question that certainly this
2 agency has reacted to even singular event which have in turn
3 been put in place a rigid and vigorous regulatory approach.

4 And what happens is, over the years, if you react
5 to singular events, at some point when you pause and look at
6 the aggregate you find what arguably some people would call
7 even a draconian approach.

8 But you get there because of all these different
9 expectations of the system.

10 So, just an observation from a regulator's
11 standpoint. And of course bodies is not the level at which
12 regulators would be expected to react. The threshold for
13 reaction should be much, much lower than that.

14 Now, some people that mis-administrations is far
15 too low and I understand why they do. But it is not harm and
16 it is not bodies either.

17 One other point on Dr. Flynn's comment here on
18 this footnote number 15. The last sentence of that footnote
19 is the one that I found the most interesting and I have
20 thought about this a number of times as I have read this model
21 as proposed.

22 It says, "Whether or how the NRC would have such
23 authority if all the agency's medical use program, is
24 unexplained." I think it is important to note that under the
25 model as proposed, we would be out of the game. Either

1 Congress would take us out of the game or we would take
2 ourselves out of the game. We would no longer have an
3 involvement in medical use.

4 Sooner or later, it is not clear to me, what that
5 means to the existing Agreement State agreements. Because
6 those Agreement States agreements, we had authority for
7 byproduct material at the time.

8 I don't pretend for one moment to be an attorney
9 and I don't see anyone here from the Agreement States program,
10 but I have to believe that some review would have to take
11 place of the existing agreements and perhaps new agreements
12 put in place or something, with modifications or some sort of
13 codicil to that effect.

14 But the bottom line is, I think that last
15 sentence is most profound because under the model as proposed
16 we are out of the game, totally.

17 MEMBER WILLIAMSON: I don't think that report
18 suggests precipitously jumping out of the game. They talk
19 about a transition period I'm sure to address those issues.

20 MR. CAMPER: Well, I am referring to his
21 particular concern that there be some federal presence and
22 some qualifier for how state's programs are adequate.

23 And we simply, at some point, would no longer be
24 involved.

1 MEMBER SWANSON: A thought I've had is a
2 consideration. One way it seems that you could attack this
3 issue fairly rapidly and insure interim regulation would be to
4 take the NRC medical use program, including within that its
5 advisory committee activities and its Agreement State program
6 and transfer that program from the NRC to basically reporting
7 in the DHHS structure.

8 Along with that transfer, the existing budget
9 would then cover the budget issues that go along with that.

10 What that allows you to do then is basically
11 insure that you have continued regulation during the period of
12 transition. You can expand on your Agreement State program to
13 basically focus your attention on the non-Agreement States now
14 to begin to bring them up to assume responsibility for their
15 own programs which would seem to go along with this report.

16 And, also at the same time, you can rewrite the
17 Part 35 regulations within that structure. So that would give
18 you a way to develop a set of "uniform regulations" that the
19 states could operate under.

20 MR. CAMPER: It's a different model, of course,
21 than the one proposed, and it has a lot of -- it would require
22 legislation.

23 MEMBER SWANSON: If it is going to require
24 legislation, I think that you would also want to look at a
25 structure in that where if you did do that and that was your

1 agency and say you called it a commission on the medical use
2 of isotopes, I think you would want to have leadership of the
3 commission that would represent both the medical community and
4 probably the leadership from the existing NRC structure also.

5 So, you might have like two commissioners of
6 that, one representing each side of the situation which then
7 gives you a system of checks and balances on it.

8 CHAIRMAN SIEGEL: I don't know how the federal
9 feels about commissions these days, given that organizations
10 that require multiple people to get together to make decisions
11 may be ultimately less efficient than those that have a single
12 administrator.

13 No offense intended to anyone in this building.

14 Lou?

15 MEMBER WAGNER: I think it is important that we
16 understand. And you made the comment, Barry, and I wish to
17 expand on it just a little bit.

18 What we are recommending really must, must, must
19 have a tempered control to it. The facts are that we are
20 really recommending that we go from a 10 per cent regulatory
21 status to a 100 per cent regulatory status.

22 We run the very severe risk that at the federal
23 level, the regulatory process will get out of control again
24 and start emphasizing very low levels of risk with very tight

1 restrictions and make it a far more miserable situation than
2 it currently is.

3 That risk is there and it is real. And I think
4 it is very important that the recommendations of this
5 committee emphasize that the regulation that is needed is the
6 regulation to protect workers and the public. And that a very
7 strong revolution in how the regulators control the practice
8 of medicine needs to be examined so that we don't get into the
9 over-prescriptive problems that we have had in the past.

10 I can give you fine examples of how states over-
11 prescribed and make hay-day out of very small risks. I have
12 fine examples of that use of gonad shields in CT, for one.
13 Things like that where silly ideas are brought forth as
14 important regulations. Nonsense. And we have to make sure
15 that this kind of thing doesn't occur in the future.

16 We run a very sever risk with this kind of a
17 recommendation and it must accompanied by a big precautionary
18 note of precaution in regulating the practice of medicine.

19 CHAIRMAN SIEGEL: I agree. I think, in part,
20 that is one of the overriding reasons to see this housed in
21 DHHS rather than in the NRC because of the fact that we have
22 reasonable confidence in the fact that the DHHS will look at a
23 regulatory scheme in the light of the overall risks of
24 medicine, the overall resource allocation in medicine and can
25 get a better handle on it.

1 And I think past experience with DHHS suggests
2 that. They are a federal agency. They have just the
3 propensity to over-regulate based on the last bad experience
4 as does any other federal agency.

5 On the other hand, I think my experience leads me
6 to believe that the large number of physicians within DHHS,
7 the much greater overall understanding of the health care
8 system, tempers their approach because of the experience that
9 the people that work at that agency have as distinct from the
10 people who work at this agency.

11 And that is not meant to be an attack; that is
12 just an observation.

13 You have worked at DHHS in a variety of
14 capacities for a long time now. Do you agree with the
15 statement that I just made?

16 MEMBER JONES: I think there is the sense of
17 progress that is built in to it. But we are really a data-
18 driven organization and that is something that helps guide us
19 in what we are doing. It is not just our own practice.

20 CHAIRMAN SIEGEL: FDA is data-driven.

21 MEMBER JONES: Exactly.

22 CHAIRMAN SIEGEL: I'm not sure HCFA is data-
23 driven.

24 MEMBER JONES: No, but I think they try to be.

1 CHAIRMAN SIEGEL: They try to be. But lacking
2 data, then they just simply decide not to pay for it until we
3 have the data. And that is okay too. I can understand their
4 motive.

5 Jeff?

6 MEMBER WILLIAMSON: Following Lou, I just wanted
7 to suggest we not sort of appear to be endorsing the full
8 content of the dissenting opinion because he makes a number of
9 claims here.

10 One, that the level of risks are much higher than
11 the apparent or no misadministration rates would suggest. He
12 argues that it is not true. That current regulatory
13 enforcement practices are unnecessarily burdensome and
14 intrusive. And, moreover, that regulatory authorities indeed
15 have the right if not the obligation to intrude in the
16 practice of medicine.

17 That is how I am reading this. He has defenses
18 in this appendix of all those views.

19 CHAIRMAN SIEGEL: Right. I do not think that we
20 were suggesting that we agree with all his statements , but
21 simply that we agree with some of his concepts about not
22 moving as far away from the federal government as alternative
23 D suggested.

24 Judith?

1 MEMBER BROWN: Before we leave it, I just feel it
2 incumbent upon me to make some kind of statement in agreement
3 with the dissenting opinion here.

4 I guess in the context of Newt Gingrich being
5 Speaker of the House and Pat Buchanan possibly being a
6 presidential candidate and the attempts to dismantle the
7 consumer agencies we have had like EPA, OSHA, CPSC and even
8 FDA, I am concerned about the political climate emerges from.

9 I guess what I would like to do is agree strongly
10 with Robert Adler in his writing and read the part that I
11 found particularly compelling into the record so that it
12 appears in our minutes, not only in the kind of obscure
13 appendix L of the IOM report.

14 On page 264 he says, "That so objectionable is
15 federal authority to the committee members that they
16 specifically issue even a minuscule dollop of residual federal
17 regulatory authority. I find this unacceptable.

18 Regrettably, my experience with state authorities
19 and professional medical societies does not leave me sanguine
20 about their ability to deal with radiation hazards in a
21 completely acceptable fashion.

22 Not only do state authorities often have limited
23 resources and expertise, they often find it more difficult
24 than would federal authorities to resist political pressure
25 from those they regulate."

1 I just wanted to second that statement.

2 CHAIRMAN SIEGEL: Lou?

3 MEMBER WILLIAMSON: Judy, I agree with you
4 completely, but from a slightly different point of view and
5 that is the opposite can occur.

6 The state regulators can be so overburdensome
7 that they can interfere with the practice of medicine and
8 actually end of being counter-productive to their charge to
9 protect people by hand cuffing practitioners with higher
10 expenses, higher regulation and attention to detail that is
11 just simply unnecessary.

12 So, I agree with that view, but I think we have
13 to look at it from many different perspectives.

14 And I read Mr. Adler's statement and many points
15 in there I agreed with. But I have to tell you I purposely
16 did not look at his profession before I read it. I wanted to
17 see what he had to say.

18 And as I read it, one thing was very obvious to
19 me: This man has never been directly regulated by the NRC.
20 He has never felt the burden of na investigation. He has
21 never felt the burden of an inspection. He doesn't know what
22 it is like and how the simple principles can be carried to
23 such an extreme that it just gets out of hand.

1 And that I think is the problem with the
2 regulatory process. I agree with his principles. There is
3 nothing wrong with the principles.

4 I don't fear the federal authority as much
5 perhaps as the rest of the committee members who perhaps are
6 reflecting upon one all their experience with one aspect of
7 government which was the NRC and the way that it was
8 regulating them.

9 MEMBER BROWN: I appreciate your comments on
10 that. The part that bothers me -- I don't think anyone is
11 arguing for the status quo here. I think we are all seeing
12 the need to change and the kind of punitive and as you say
13 criminalizing kinds of things that the NRC has done to those
14 that they regulate. At least they made them feel like
15 criminals you are saying.

16 But the part that Mr. Adler talks about is that
17 the mood of the committee was such that they wouldn't, as he
18 says, "accept even a minuscule dollop of residual federal
19 regulatory authority". That is the other end of the pendulum
20 and I don't want to go there.

21 CHAIRMAN SIEGEL: Neither do we.

22 MEMBER BROWN: Right. I am not suggesting that
23 the committee does, but I am just speaking for myself.

24 CHAIRMAN SIEGEL: Bob?

1 MEMBER QUILLIN: I want to comment on several
2 things that have been discussed yesterday and today.

3 One item there has been comments about what state
4 programs have or don't have, who looks at them and who doesn't
5 look at them.

6 Unfortunately, in this discussion it has never
7 been clear whether we are talking about the current situation
8 or the situation as would be envisioned under one of these
9 options.

10 But I can tell you what the current situations is
11 for an Agreement State. On an average of two and four years,
12 we have a complete review by personnel from the commission.

13 Now, under the new program called the IMPEP
14 program, there is state representation on the review team and
15 also the team that reviews the documents, once it comes to
16 headquarters.

17 So, there is a regular review of Agreement State
18 programs. Now there is not a regular review of any other type
19 programs such as an x-ray program. That is not done by DHHS.

20 Program directors on request will do a complete
21 review of all activities, but that is only on request.

22 At the present time there is an oversight, there
23 is a way of looking at whether the Agreement State program was
24 doing a competent job. What its strengths and weaknesses are.

1 MEMBER SWANSON: Bob, do you find that an onerous
2 process or a --

3 MEMBER QUILLIN: Well it is a challenging process
4 but I think it is necessary because it is very easy to get in
5 a situation where you overlook something or somebody else is
6 doing is a better way. I think it is a valuable process.
7 I've gone through these kinds of reviews throughout my entire
8 career so I don't think it is an onerous process.

9 Another issue our authority to be an Agreement
10 State comes out of the Atomic Energy Act and relates to the
11 fact that the NRC has the authority and the NRC gives up this
12 authority, there is some question of what authority we would
13 have then. Especially if another agency didn't get legislative
14 authority to do this.

15 It is very possible that if the NRC unilaterally
16 gave up authority, nobody would be regulating this area.
17 Especially if HHS didn't get the resources or authority to do
18 it.

19 So, that is a distinct possibility.

20 I would also like to comment about a statement
21 that was made yesterday by representatives of the study about
22 their data requests to the states.

23 We received two separate requests from the IOM.
24 The first, if I remember was just a generalized question.
25 Then there were some specific questions that I think were

1 shown here in the appendix. I don't remember them asking for
2 a copy of the regulations, but if they did ask for a copy of
3 the regulations, I am sure that we sent them one.

4 But a copy of our regulations, which consists of
5 everything from protection from radiation to uranium mill
6 tailing regulations is about twice this thickness. And if
7 they asked for it, that's what they got.

8 And every state does their regulations in a
9 format that follows whatever the state model is, the state
10 numbering system is and they don't follow the NRC numbering
11 system.

12 So, I am sure that the Institute of Medicine, if
13 they got these regulations, threw up their arms and said we
14 don't know what to do with them now that we've got them
15 because we have all this paper and we just don't have time to
16 look at them. So they just stuck them aside and that was it.

17 We didn't highlight what they were looking for
18 and we didn't go anything beyond just furnishing the
19 regulations which is what we typically do when people ask for
20 our regulations.

21 A comment on Adler's dissenting opinion. I have
22 to agree with two things that he said. One is, on page 259 he
23 says, "One simply cannot draw meaningful quantitative
24 conclusions from data drawn from such disparate sources."

1 And I think one of my problems with the Institute
2 of Medicine report is the data just is not there to support
3 the finding.

4 But I also agree with another statement. He
5 says, "I repeat my general support for transferring the
6 medical use program to an agency like the FDA," on page 263.

7 I think that although he has concerns about how
8 this decision was reached and some of the conclusions that
9 were made, he came to the same basic decision that the
10 committee did yesterday when we voted on how we would like to
11 see this program go.

12 CHAIRMAN SIEGEL: The conclusion that the data
13 are not there is an easy position to take if what you want is
14 the data in a well-digested, uniformly acquired form that came
15 from a single, comprehensive study of byproduct material risks
16 versus non-byproduct material ionizing radiation risks, versus
17 surgery, versus chemotherapy.

18 Unfortunately, nobody has ever done the study and
19 we are actually on the record as a committee recommending to
20 the commission several years ago, and I remember Commissioner
21 Rogers saying to me why would the NRC have any interest in
22 funding such a study. I recall we recommended that the NRC
23 should actually figure out a way to fund such a scientific
24 study because medicine needed the data. And I agree it might
25 not be in NRC's overall interest to fund the study.

1 But if you look at the composite information in
2 the literature about the risks of various forms of medical
3 practice, and admittedly you have to do a little assumption
4 generation, but we all know that risk assessment done by
5 federal agencies involves a fair amount of assumption and
6 often times the conservative approach is the one that is
7 taken.

8 So, even using conservative assumptions, if you
9 couple the analysis of the literature with the experience of
10 medical practitioners who obviously have some axes to grind
11 but are not necessarily intrinsically evil people, you will
12 find that the risks in this realm are not greater than the
13 risks in the rest of medicine.

14 I absolutely stand on that, and I think that
15 Adler is just one more person that doesn't understand
16 radiation risks has made the statement that he has made.

17 We are never going to overcome this problem in
18 medicine, the NRC is never going to overcome this problem, the
19 fact that the public at large is simply not capable of dealing
20 with stochastic risk. It is just too complicated for the
21 average member of the general public to understand.
22 They just can't deal with it.

23 MEMBER FLYNN: And you think the states are?

24 CHAIRMAN SIEGEL: No, I don't.

1 MEMBER FLYNN: See, I think you probably
2 misunderstood what I said yesterday. I think there should be
3 some comprehensive analysis of all state programs. And this
4 group of radiation protection program directors should be on
5 that committee. But so should nuclear medicine and radiation
6 oncology physicians and medical physicists.

7 Because I keep on hearing from you that you are
8 worrying about the state regulators. I think that if we did
9 such a comprehensive analysis between programs, we are not
10 going to recommend more regulations for the states, but we
11 would take away such things as gonadal shields for CAT
12 scanners.

13 And I think such a comprehensive program would
14 make things easier in Texas, but it might also put at least
15 some minimal regulations that physicians and medical
16 physicists could agree to in states that have nothing.

17 MEMBER WILLIAMSON: Well, another way
18 to say what you just said is there aren't so
19 many talented thinkers about these problems that we should
20 feel confident that 50 states will install 50 sets of staffs
21 who will be enlightened thinkers about the problem. I think
22 the chances that you can get a credible scientific analysis of
23 risks versus benefits is greater if it sits with a central
24 federal authority than if it sits with 50 individual states.

1 I mean there are some states that wouldn't even
2 be able to field an advisory committee based on the number of
3 people in the state who have enough real, genuine scientific
4 expertise in these areas.

5 I don't mean just an average radiologist who
6 finished the residency program and thinks he knows something
7 about radiation risk, but someone who spends a reasonable part
8 of their life thinking about this problem and tries to
9 understand the frame work of risk assessment as opposed to
10 shooting from the hip.

11 That is why I disagree with the IOM and really
12 think that some central federal authority at some level in the
13 process is absolutely essential, because I think we get a
14 better product if it comes from the best minds collected
15 together, even in this town.

16 (Laughter)

17 MEMBER WILLIAMSON: I think probably everybody in
18 their own way has said this on the committee. Just to
19 underscore, just speaking for myself, I think we are also say
20 it should be a different agency. It should not be an agency
21 that is exclusively occupied with safety issues and is in the
22 mode of zero tolerance.

23 In the hope that we are getting more progressive
24 and not only more effective but also less burdensome set of

1 regulations for those physicians are practicing according to
2 the standards of practice.

3 I was talking during one of the breaks and one of
4 the NRC staffers said that the real problem is that the
5 standard deviation on the low end is about 10 per cent of the
6 practitioners that are really bad that kind of drive the
7 regulations.

8 As a result of the way that we do things, we try
9 to force those the people on the tail to come into the
10 standard deviation, and as a result, we burden all of the 90
11 per cent.

12 So, I think some kind of performance-based
13 standard that lets whatever the new regulatory
14 structure effectively get at and motivate that 10 per cent of
15 really sub-standard practitioners without unnecessarily hand
16 cuffing and harassing the vast majority of radiation medicine
17 practitioners that are doing a very good job. Not a perfect
18 job, because a perfect job cannot be done without infinite
19 resources.

20 CHAIRMAN SIEGEL: Maybe we should make as a
21 recommendation that this new agency, whatever it is, install
22 all regulations with a sunset provision that forces them to be
23 periodically re-evaluated to avoid the kind of ratcheting
24 problem that we acknowledge that has led to current Part 35.

1 The government by yo-yo problem that simply is
2 not going to go away. As long as we continue to live in a
3 democracy that is structured the way that this one is we will
4 continue to have government by yo-yo. And I don't see any way
5 around it.

6 Every time there is an event, some congressman is
7 going to say that it is their job to make sure that this kind
8 of event doesn't happen again. He or she will be well-meaning,
9 hold a public hearing, the right people will get exercised
10 about the problem, legislation will get introduced, our
11 pressure will come to bear on the federal agency that is
12 responsible and there will be another regulation.

13 The only way around it is a sunset, so that as
14 people tend to forget the thing that precipitated the problem,
15 you at least have the opportunity to look back and say it
16 really wasn't a problem, it was an aberrant single event and
17 we really didn't need this regulation.

18 That could be one thing you could try to build
19 into a new agency, because you only have to watch the
20 *Washington Post* once a week to get a feel that this is
21 unfortunately the way that this government works.

22 MEMBER WILLIAMSON: I think maybe another way of
23 putting it is that some sort of risk assessment criteria
24 should be systematically built in to the mandate the
25 regulatory structure.

1 CHAIRMAN SIEGEL: Well, all regulations have risk
2 assessment, but they are still subject to the political
3 pressure that the yo-yo effect brings to the process. We just
4 have to be realistic that that is the way the government
5 works.

6 A fresh opportunity to rebuild the system does at
7 least have the option to build in sunseting provisions into
8 the regulations as something that the system could incorporate
9 at the front end.

10 MEMBER JONES: I'm asking. Are you saying the
11 yo-yo effect comes about from the regulatory agencies?

12 CHAIRMAN SIEGEL: I don't think there is any
13 doubt that it comes about from a mixture of public outcry,
14 congressional outcry and then the regulatory agencies
15 sometimes initiate, but often times respond.

16 As was clearly articulated in this report, it is
17 hard for the NRC to know what line to walk, when on the one
18 hand, we sit here as an advisory committee and the community
19 at large says trust a doctor. There really isn't a problem.
20 There's really nothing to regulate. You've blown this all out
21 of proportion.

22 And on the other hand you've got the Cleveland
23 Plain Dealer saying how incompetent the NRC has been in
24 protecting the public, and you've got Senator Glenn's
25 committee saying, "You guys didn't do your job." And you've

1 got the GAO saying, "Look at the chaos in radiation safety
2 protection criteria across the United States and the world."
3 And so the NRC says, we've got to chart a course through this
4 somehow, and let's find something that's somewhere in the
5 middle that doesn't have the regulated community tying us up
6 in court all day long and can least get the senators off our
7 back.

8 MEMBER JONES: I don't think you're going to get
9 rid of the yo yo effect because I perceive a good deal of it
10 comes from Cleveland Plain Dealer sort of situation.

11 CHAIRMAN SIEGEL: I agree you can't get rid of
12 it, but an agency can built into its procedure an ability to
13 periodically redo its risk assessments. And risk assessments
14 of a regulation that was created in haste in response to the
15 last yo yo, Nader, had the potential to be rescinded when
16 people have had five years to reflect on the reality of the
17 data.

18 I mean it's a highly reasoned approach that's
19 highly unlikely to occur, but it never hurts to be a wishful
20 thinker.

21 MEMBER STITT: Barry, you recommended to us maybe
22 a couple of years ago, "Breaking the Vicious Cycle", and yo yo
23 is such a catchy phrase, but that's what it's about, the knee
24 jerk responses to public outcry, and Congress people that are
25 trying to get their name in front of their constituents to

1 keep their visibility high. But that's a very interesting
2 discussion.

3 CHAIRMAN SIEGEL: Steven Bryer was right on
4 target on this.

5 There's the other book. Did I send you all an e-
6 mail about that science and nonsense, or whatever? That book
7 by Stephen Milloy? Because that is an amazing book. It's a
8 book about how the science of risk assessment can be twisted
9 to make it conclude almost anything you wish it to conclude.
10 The case control study is an interesting scientific
11 methodology. And if you haven't read this book, it's 50
12 pages. It's free. And those of you who want it, I'll send
13 out another e-mail message after this meeting telling you how
14 to get it, because it's both entertaining and damnably true.

15 MEMBER QUILLEN: You can also order it by e-mail
16 too.

17 CHAIRMAN SIEGEL: You can order it by e-mail.
18 It's a wonderful book.

19 I think we've addressed Question 2, while
20 continuing to address a big picture along the way.

21 Question 3 is an interesting one, just to read
22 it.

23 "On what scientific basis might NRC make a
24 finding that there's no unreasonable risk to the health and
25 safety of the public, and thereby pursue withdrawal per

1 recommendation." B2, which says, that the NRC should initiate
2 formal steps under the Administrative Procedures Act, to
3 revoke Part 35 in its entirety, if Congress fails to act
4 within two years in response to the A1 and A2 recommendations
5 to Congress.

6 The question goes on to say,

7 "With the lack of data cited in the report how
8 could NRC make the findings necessary in Section 81 of the
9 Atomic Energy Act, if current congressional action was not
10 taken. Would this data not be essential to determining the
11 effectiveness of a regulatory program, or are there other
12 bases upon which action could be taken? How could NRC do a
13 regulatory analysis to determine the cost benefit of
14 rulemaking?"

15 One way of interpreting these complicated
16 questions that Trish posed to us is, on what basis could NRC
17 decide to overturn its existing medical policy statement?
18 That is in part another way of rephrasing it. And, in
19 addition to on what basis they would just throw out Part 35
20 and stop regulating medicine. And let me start with a partial
21 answer by saying, I think that what we've set up to now
22 suggest that we are sufficiently locked into the concept that,
23 if Congress doesn't act many of the other IOM recommendations
24 become moot, and in a way we're not sure we could tell you a
25 clear scientific basis for just throwing all of Part 35. We

1 might help you if you loop back to where we would have been
2 without the IOM report. We would have planned on helping you
3 rebuild Part 35 from scratch, based on an item by item risk
4 assessment; what's really necessary in the year 2000; what
5 level of patient protection is really required versus what can
6 we document as being provided by self regulation in the
7 medical community. What level of environmental protection is
8 really necessary. Are assays really necessary with year 2000
9 generators? And we could have done that, but I think I
10 personally am uncomfortable that we could sit right here right
11 now and quote for you the scientific literature that would
12 say, if Congress doesn't act you should just send Part 34
13 because the IOM tells you to do it.

14 Now I'd be curious to see what the rest of you
15 think.

16 MEMBER SWANSON: I think the question this raises
17 in my mind is, who do you have to justify this finding to? If
18 you need to justify it to the public -- going back to earlier
19 comments -- I'm not sure that any scientific data is going to
20 take away the public's concern about radiation risk, no matter
21 how much you collect. If you have to justify it to Congress,
22 again, I think you're facing the same problem. If you have to
23 justify it to yourself, well maybe that's a different issue.
24 But my sense is that you're going to have to justify it to the
25 public.

1 MR. CAMPER: Well, Marjorie is here, the Office
2 of the General Counsel. Perhaps she could discuss the
3 procedure and mechanics of that particular component of the
4 Act much better than I, but I would invigor from my
5 perspective that if the Commission were to decided for example
6 to change its medical policy statement, and to address the
7 rationale called for in the cited section, they would
8 certainly have to subject that to public scrutiny. I would
9 envision published the policy change, and it would be subject
10 to comment. There would probably be public commission
11 briefings, etc., etc.

12 So I think the answer is, in layman's terms, the
13 Commission would have to explain its move to its constituency;
14 that being, the regulated community, the public and the
15 Congress.

16 Marjorie, you want to comment on that?

17 MS. ROTHCHILD: Certainly. Could you just repeat
18 the question?

19 CHAIRMAN SIEGEL: I can repeat it. The question
20 is, if NRC were to decide that it was going to just assume
21 Part 35, the NRC would have to make a regulatory analysis.
22 The things that put Part 35 in place in the first place, which
23 was its judgment that the public health and safety was being
24 protected by these regulations, that it now had scientific
25 evidence that it didn't need these regulations anymore. And

1 that's really the question. So who would have to be
2 satisfied?

3 My answer to the question would have been, that
4 the people who have to be satisfied, is the NRC has to build
5 the legal arguments that its statutory responsibilities given
6 to it by Congress have been fulfilled based on this scientific
7 analysis.

8 MS. ROTHCHILD: Well, I guess I would approach it
9 maybe from a different point of view. I would say that
10 Section 81, which is cited there, the Atomic Energy Act, which
11 is cited in the questions. That has provisions at the end
12 that state that NRC can, if it makes the necessary findings,
13 exempt certain classes or quantities of use from the
14 requirement for a license. So I would assume that that's one
15 basis upon which the Commission, if it wanted to, could either
16 rescind Part 35 in its entirety -- If we're talking about make
17 other major changes that's a basis for doing so.

18 So I think Section 81 is a place where one might
19 look first if you're assuming that Congress doesn't act and
20 the Commission wanted on its own to say exempt all medical use
21 of byproduct material for the requirement for a license.

22 So I agree with them, the entity that would have
23 to be satisfied would be the NRC. In other words, if it's
24 going that route, the Section 81 route, that states it can

1 exempt these uses or quantities provided it makes certain
2 findings.

3 So, does that answer you question?

4 MS. ROTHCHILD: I think so.

5 So further comment on this question?

6 Jeff?

7 MEMBER WILLIAMSON: I'm not sure I know if this
8 literature, but I guess before we leave the topic it would be
9 interesting to know if there is any body of literature in the
10 different branches of radiation medicine documenting various
11 sorts. I suppose we could classify things into
12 different -- but probably treatment delivery areas would be
13 the most likely thing the literature would address of one kind
14 or another.

15 In other words, is there other data besides the
16 collected misadministration statistics, which seems such a
17 tiny number as to make these comparisons like they're 10 more
18 misadministrations this year than last year, like totally
19 statistically meaningless. Where their other data in the
20 professional literature, if anyone knows about that, could be
21 useful in addressing the issue.

22 CHAIRMAN SIEGEL: That may be handling the
23 question in not quite the right direction on that. This is
24 kind of a tough question. What do we recommend that the NRC
25 just unilaterally withdraw from medical licensure, and

1 basically -- From the materials end what does that mean if you
2 were to do that? It means that our party material could be
3 shipped in interstate commerce and received by who?

4 MR. CAMPER: Well if you look at the wording it
5 says, "Exempt certain classes, quantities, or users of
6 byproduct material from the requirements of a license." What
7 that means to me is, is that the Commission can make a
8 determination that based upon some body of evidence that it is
9 not necessary any longer to regulate the medical use of
10 byproducts material, and therefore not have the necessity of
11 issuing licenses for such use of byproduct material.

12 Now if we assume for sake of discussion that the
13 Commission made that determination, it then does raise a
14 litany of questions such as the one you just posed. And that
15 becomes, what is the basis by which institutions can possess
16 and use radioactive material?

17 Would the states, despite a departure by a
18 federal agency, which had regulated this area, believe that in
19 the interest of its citizenry and to protect public health and
20 safety, it would be necessary for medical institutions to have
21 a license to possess and use byproduct material? Now
22 obviously I don't know the answer to that, but it raises those
23 kinds of questions.

24 But, based on my own experience, it is difficult
25 for me to conceive a scenario in which the public would want

1 the possession and use of radioactive material absent a
2 license to do so by some authority. It's difficult to
3 envision that. But the fundamental thrust of this question
4 is, is that, if one looks at our regulation, Section 81, as
5 Marjorie has said, there is a vehicle available to the
6 Commission to allow such a relaxation. The question would
7 have to be, on what basis could the Commission reach that
8 finding? And you've stated it so very well, Barry. There's
9 just not a body of scientific information that has the right
10 kind of pedigree and credibility that the Commission can turn
11 to and say, this is what we can base this decision to depart
12 upon. And that's what we're searching for, because we like
13 you know, it's not an easy thing to come up with.

14 It particularly becomes compounded when -- As I
15 was having a conversation with Barry, we were off the record.
16 It becomes vertical when you have a situation where in fact,
17 albeit a few, there had been deaths involved, with the use of
18 ionizing, radiation and medicine. And how does that factor
19 into the overall body of knowledge. Again, bearing in mind
20 that there is a constituency to satisfy; that is, a complex
21 constituency.

22 CHAIRMAN SIEGEL: There have been deaths, but
23 there have been deaths from antibiotics too, and the only
24 license you need to receive antibiotics is a license to
25 practice medicine.

1 MR. CAMPER: Right, and what that argues for is
2 that the wrong standard of performance being applied to
3 ionizing radiation.

4 MEMBER WILLIAMSON: There's also deaths with non-
5 byproduct material generated radiation as well.

6 MEMBER JONES: This is raising a question in my
7 mind, about Section 81 talks about certain classes and
8 quantities. Do we really want to have the therapeutic part
9 given up by the agency? Perhaps only the diagnostic levels
10 should be turned over to the states or freed up. We're
11 looking at things like alphaemitters coming along. I'm not
12 sure that our agency has that capability or where that's going
13 to come from.

14 CHAIRMAN SIEGEL: Well, because that's really not
15 what we're saying. What we're saying is there still should be
16 some federal policymaking authority and some federal
17 authority, but with programs that are administered by the
18 states. We are not recommending that this just be turned over
19 to the states, lock, stock and barrel.

20 MR. CAMPER: Let me just draw a distinction here.
21 But if you focus on Question 3, which is Recommendation B(2).
22 Recommendation B(2) says, NRC, if Congress does not pursue
23 this within two years then you do it. In terms of the
24 contents of the recommendation it's not clear who would
25 assume.

1 CHAIRMAN SIEGEL: But I think one way to answer
2 that is in a way this is getting concatenated, we've sort of
3 given a vote of no confidence that the states on their own and
4 medical professional societies on their own will do the job
5 adequately. And consequently we are sort of inexorably linked
6 to Congress doing something and failing that. Then what we
7 would help you do is carefully rebuild Part 35, and that might
8 in fact result in exempting some of the things that are
9 currently covered under Part 35. For example, it's possible
10 that the things that are currently -- pollution and excretion,
11 we might say that there's no reason in the world that you need
12 a license to do any of those kind of studies anymore. We
13 might also say, there's no reason in the world that you need a
14 license to use diagnostic radio pharmaceuticals, as long as we
15 were going to be stuck with a system that still discriminated
16 byproduct from non-byproduct material, and byproduct material
17 from other forms of ionizing radiation. But on the other hand
18 we seem to be so strongly on record of being in favor of a
19 uniform consistent approach to the regulation of all ionizing
20 radiation that we would I guess conclude that we really don't
21 support Recommendation B(2) is the final analysis. Because
22 failing congressional action to make it uniform, we're very
23 dissatisfied with the outcome altogether and then we're just
24 back to square one, and we'll help you rebuild Part 35.

1 MEMBER WILLIAMSON: I just have a question. I'm
2 not too clear in my own mind what the regulatory consequences
3 would be if Part 35 is gone, but all the other various parts
4 of the Code of Federal Regulations that impact on the users,
5 not necessarily medical, byproduct material would have. So,
6 if Part 35 were gone how would the other remaining sections of
7 the Code of Federal Regulations impact a hospital?

8 MR. CAMPER: Well, a removal of Part 35 would
9 create a domino review effect, if you will. In other words,
10 we would have to take a look at the other parts of the
11 regulations and what those implications might be for medical
12 facilities. If a Part 35, then the question becomes what
13 happens to licensure as we now know it.

14 MEMBER SWANSON: What happens to patient release
15 criteria?

16 MR. CAMPER: Well it depends upon what model you
17 look at. If you look at the model as envisioned by the
18 Academy Part 35 goes away in its entirety. Well with that
19 goes the good and the bad in its entirety. Their model
20 supposes that the states would rise to the occasion, would
21 regulate byproduct material, and there would be some guidance
22 provided. But it's not clear at all about what currently
23 exists in Part 35, what would happen to it. I don't think
24 that's clear at all. Frankly I think different states would
25 do it differently.

1 But getting back to Jeffrey's question, their
2 model calls for Part 35. It also calls for those parts of
3 Part 20 which deal with medical use. Just things as
4 occupational workers and medicine which are effected by
5 Part 20. So if you take strictly their model, what it calls
6 for as Part 35 goes away in its entirety. That raises
7 questions about licensure. They believe the states will pick
8 that up, and the hoop will be that their licensees can't
9 receive material once they in fact have licenses. Maybe that
10 will happen to 81, I don't know.

11 So the simplest answer is, I think if Part 35
12 went away we'd have to look at, what other regulations apply
13 to medicine that apply to all other users of byproduct
14 material and determine what that impact would be.

15 DR. HOLAHAN: I'd just like to add something to
16 that though, as medical use licensees the license is issued
17 pursuant to Part 30, so there is still a license in terms of
18 Part 30, and as Larry said, there may still be a license, and
19 then they need to comply with other parts of the regulations.
20 So it could be that Part 35 would go away, they would still
21 have a license for the possession and use of the material.

22 CHAIRMAN SIEGEL: Right. And in theory.

23 MR. CAMPER: That's difficult to envision,
24 because that is correct with Part 30, but if one looks at
25 Part 30, we also issue license to Part 34, to industrial

1 radiography, Part 35, to medical, Part 36, to radiators,
2 Part 39 to well-logging. I mean specific parts have been
3 created to implement a very general licensure requirement.
4 It's not clear to me that if you remove Part 35 why you would
5 still need to have a license given how we have implemented
6 licensure. I mean it raises a difficult question.

7 CHAIRMAN SIEGEL: Well if except that if you
8 believe that the principle objective of continuing licensure
9 is control of environmental general public and occupational
10 exposure. If the NRC weren't controlling occupational
11 exposure to radiation OSHA would be doing it, as they're doing
12 it for non-ionizing radiation, or the states would be doing
13 it. Or if you happen to have a Department of Energy funded
14 cyclotron the DOE takes over that responsibility for you. So
15 the protection requirements are there, and you could I think
16 imagine a paradigm where basically you get a license under
17 Part 30 and your responsibility is to ensure that the license
18 material is handled such that Part 20 is complied with; that
19 the members of the general public don't get in excess of
20 100 milligram per year, and occupational workers don't get in
21 excess of 5 grams per year, and you add one thing which says,
22 members of the general public can get up to 500 milligrams per
23 year from patients released pursuant to medical therapy. And
24 then what you do, you leave it up to licensees to devise the
25 systems that ensure that Part 20 is complied with.

1 Now, the problem with that of course is that
2 we're right back to square one, which is, whether the
3 licensees are doing an adequate job is in the eyes of the
4 beholder and the beholder in this case is the NRC, and we end
5 up having a series of license conditions, and we're no better
6 off than we were when we started. We might be better off on
7 the first day, but within six months we'll be in much worse
8 shape.

9 MR. CAMPER: Two thoughts on that. They have
10 models that one can envision to deal with this. The Academy
11 has come back with a particular model. Under their model it
12 calls for the Congress to do certain things and for this
13 agency to do certain things. Their's is an extreme model, if
14 you will, but there's any number of other ways you can tackle
15 this.

16 The other problem you have in all this, getting
17 back to the model that Barry was just talking about, is you
18 have 40 or 50 years or regulatory history now, and regulatory
19 history like law which is built on precedent, it becomes
20 difficult to depart from, unless you have very strong
21 rationale and can defend that rationale in the eyes of the
22 public. It's just a very difficult thing to do.

23 But I did want to comment on one thing that Barry
24 had said, with regard to Section 81 and a revision to Part 35,
25 if you look carefully at the word that's in Section 81 it does

1 talk about exempt certain classes, quantities or users of
2 byproduct material. I would imagine that there's several
3 approaches the Commission would have available to it under
4 that section. In other words, we talked a few minutes ago
5 about the idea that you simply exempt medical use in toto.
6 But I can envision a more workable scenario, an easier
7 scenario to tackle in terms of this committee, if in the final
8 analysis the Commission decides to stay in and we modify
9 Part 35, and you can look specifically at the issue of
10 exempting certain classes of licensees under Part 35 or
11 certain quantities of material, or certain types of users.

12 The most readily available example that comes to
13 mind is the limited diagnostic application, or diagnostic
14 applications for example. That becomes a little bit easier as
15 a model to work with for this committee.

16 CHAIRMAN SIEGEL: Until we start talking about
17 the turf issues.

18 MR. CAMPER: Right, that's true. As opposed to
19 what is the scientific basis for complete and total
20 withdrawal.

21 MEMBER QUILLEN: Barry, I'd just like to make a
22 comment about something you said which is the OSHA issue. And
23 OSHA in non-agreement states retain authority to look at
24 radiation issues. And if you've ever been to an OSHA

1 inspection you think that the NRC inspections are easy,
2 because the OSHA inspections are even more onerous.

3 CHAIRMAN SIEGEL: Correct. No, I'm not
4 disagreeing. We have OSHA come and inspect us for our non-
5 byproduct radiation exposure. It's quite entertaining.

6 We've more or less answered Question 3.

7 How much is it worth continuing with 4, in terms
8 of continuing walk through Part 35 or is it premature? We
9 started yesterday.

10 My concern with walking through Part 35 is I hate
11 to shoot from the hip. It seems to me like that's the subject
12 of a 10 day meeting.

13 CHAIRMAN SIEGEL: I agree. Clearly if the
14 Commission decides to take the approach that, okay, after
15 consideration either in terms of what they now know or in
16 terms of what they might gain over the next several months or
17 what have you, that we're going to stay in the game. Then
18 clearly at some point there would be a definitive working
19 session of this committee, in which we would carefully dissect
20 Part 35 in painful detail, and determine whether this should
21 go or it should stay, or it should be modified, or how that
22 might be. And I think that's something we would ask you do
23 early on in the game before we went into any type of proposal
24 making or even an ANPR to discuss the issue. So there would

1 be the opportunity to go through that; it would be an absolute
2 necessity.

3 I guess the thing that would be interesting at
4 this point in time, rather than getting into some of that
5 detail we were headed down yesterday, just philosophical
6 observations about Part 35, general observations about
7 Part 35, may have some utility at this point. But I don't
8 feel even strongly about that.

9 MR. CAMPER: Mr. Ayres reminded me yesterday that
10 we hadn't talked about training and experience.

11 CHAIRMAN SIEGEL: Your favorite topic.

12 MR. CAMPER: My favorite topic. And so a meeting
13 without training and experience would not be a meeting. It's
14 reasonably clear that one of the things we'd want to see
15 changed in Part 35 is a whole approach to training and
16 experience validation. At least in theory, the paradigm we've
17 suggested in the past is the paradigm we would try to build
18 on, which is one of minimalist radiation safety training and
19 documentation via examination or some deemed organization
20 taking on that function, as opposed to the current system
21 which is artificial.

22 The alternative approach, just to put the other
23 side of the paradigm, is to raise the bar substantially and
24 make the individuals who are trained at the highest possible
25 level, which runs into potential restraint of trade problems,

1 but then you can throw out all the rest of the regulations.
2 That's one of Carol Marcus's favorite models, which is, just
3 make sure the absolutely best people are doing the job and
4 then you really don't need the Part 35. Well trained people
5 plus Part 20 is all you need. That would be an interesting
6 topic for debate, but not something we can do in the next ten
7 minutes.

8 CHAIRMAN SIEGEL: Well what's going on today in
9 health care in efforts to reduce costs and maximum utilization
10 of personnel, cross training of personnel, so forth and so on,
11 complicates that issue even further, and you're right, it
12 would take a long time to get through it.

13 MEMBER WAGNER: Would it be appropriate for this
14 committee at this time to take on the recommendations that we
15 did give the NRC yesterday, and look for a consensus amongst
16 the committee? And I believe the recommendations yesterday
17 were, that the QM rule should be rescinded. I think the
18 second recommendation was that ALARA as a regulation be
19 removed, but as a concept be promoted. And I'd like to see if
20 on those two points whether or not it would be appropriate for
21 this committee to form a consensus or see if there is a
22 consensus on this at this meeting and make it a formal
23 consensus for recommendation to the Commission.

24 CHAIRMAN SIEGEL: I actually think we'd reached
25 that already.

1 MEMBER WILLIAMSON: There was also some
2 discussion about modifying the reporting criteria, and
3 disassociating it from the requirement --

4 CHAIRMAN SIEGEL: That was part of the discussion
5 that we had, and I've actually been reasonably comfortable
6 that we've reached a consensus on those issues.

7 MR. CAMPER: Actually you identified three or
8 four key points as a rationale for rapid departure from the QM
9 rule.

10 MEMBER FLYNN: Let me just comment on something
11 that Bob had pointed out. I suspected that what you had said
12 was true, because states, the way they put together their
13 programs would put them together in vastly different methods,
14 and so to get all this documentation with the states would be
15 very difficult to go through to compare paragraph to paragraph
16 and chapter to chapter. And I'm also assuming that with the
17 22, or if it's a 21 now, non-agreement states, that because
18 you are used to responding to the NRC because you are being
19 overlooked by them, you are probably more accustomed to
20 getting requests for your documents and having your documents
21 at least cover certain areas for them to review them. But the
22 22 non-agreement states may not be accustomed to outside
23 entities asking for their programs.

24 When you talk about rebuilding Part 35, instead
25 of rebuilding Part 35 in terms of actually rewriting it, I

1 suggest that you consider coming up with minimum core areas in
2 Part 35, and taking these core areas, and actually
3 investigating as a study to see how well each of the 50 states
4 can -- how are they covering these just very basic core areas
5 for the non-byproduct material. And that would be quite a
6 study, but it would be probably very important to do, before
7 you would jump to transferring all of the authority to the
8 states.

9 I'd be less worried about your state because you
10 are used to having outside scrutiny, than I would be for the
11 22 states that are non-agreement states.

12 MR. CAMPER: I would envision that if we ended up
13 going the rewrite Part 35 route, and I think that as part of
14 that process we would want to go back to basics and have this
15 committee work this closely. And actually, Dr. Williamson
16 proposed an interesting model early on in some of his comments
17 yesterday that I think we would want to look at any rethinking
18 of the regulation where you talked about, there are certain
19 things that a general practice is applicable to all forms of
20 radiation. There are certain specific properties of
21 radioactive material that need to be looked at, and of course
22 the question of medical use, and what's the proper role of
23 regulation with regards to medical use. But under a model or
24 something similar to that, a basic review of the very
25 foundation of Part 35 would have to take place before any

1 rewriting. That would be just an adjustment, a band-aid.
2 What you really need to do is go back to basics and create a
3 new Part 35.

4 CHAIRMAN SIEGEL: Dan.

5 MEMBER BERMAN: Just for the record, since you
6 brought up the training requirements issue, I think that the
7 general tenor of the discussions has been that there is for
8 diagnostic nuclear medicine a very low level of risk. And
9 when you look at Part 35 you see rather excessive language
10 dealing with the rate of radiopharmaceuticals, and the
11 handling of radiopharmaceuticals, and then the delivery of the
12 radiopharmaceuticals requiring a very broad training of the
13 user. Pursuant to what you had mentioned before, you had seen
14 certainly in the spirit of recommendations that, if there
15 isn't a rather rapid migration towards the recommendations of
16 the Academy, that any rewriting Part 35 would be appropriate
17 to be majorly reducing the requirements for this limited use
18 of radiopharmaceuticals for diagnostic purposes.

19 CHAIRMAN SIEGEL: I don't disagree with you. I
20 think many of the requirements related to diagnostic uses
21 don't need to be there. Rechecking in a dose calibrator, a
22 dose that was dispensed by a commercial pharmacy, it's a nice
23 check, but when you get something from the hospital pharmacy
24 already loaded in a syringe you don't send it for chemical
25 assay to ascertain the pharmacist has put the correct material

1 in the syringe. You trust the pharmacist's professional
2 practice to believe that you're getting the right material.
3 The wipe testing that occurs in most diagnostic nuclear
4 medicine facilities, yes, there is technician present on the
5 floors and door handles of nuclear medicine facilities, but
6 no, the public is not being harmed by that technician, and it
7 will be gone in the morning.

8 So many of those things could be reexamined on a
9 case by case, detailed basis, and I think they would be. My
10 sense is that we've hit the big picture items in Part 35 in
11 terms of your thinking and talking to the Commission.

12 We're do for a break. My sense of what we have
13 left to talk about on this stuff is that it's going to be
14 under an hour.

15 Don't you think?

16 DR. HOLAHAN: I think so.

17 CHAIRMAN SIEGEL: Substantially. And therefore I
18 would ask that while we're breaking we see if we can get the
19 folks who want to talk to us about the P-32 related stuff
20 sooner rather than later, and whenever they get here we'll
21 stop and divert to them, and then we'll go back to whatever's
22 left with this and wrap up our business. I'd just soon get
23 them on the docket this morning if we can.

24 Anybody disagree with that? I'm assuming it's
25 doable?

1 MR. CAMPER: We'll try to do that, Barry.
2 They're on for 1:00 at this point. We'll pulse them and see
3 what we can do.

4 CHAIRMAN SIEGEL: Yes. I mean if we can we can;
5 if not, we'll take a long lunch I guess.

6 All right. Let's take a break.

7 (Whereupon, the proceedings went off the record
8 at 10:04 a.m. and resumed at 10:30 a.m.)

9 CHAIRMAN SIEGEL: We are back on the record.

10 I've had a request from our transcriptionist
11 friend that people not speak directly into the microphone
12 because it's breaking his eardrums. So these are very
13 sensitive microphones and, if you work at about this distance,
14 you'll be just fine.

15 Okay, we do not have a definite word on when John
16 Glenn and Cindy Jones are coming to talk to us. We're hoping
17 they'll appear sometime in the next 25 minutes, but it's only
18 a hope. So let's keep trucking with the questions and we'll
19 see what happens. If not, we may end up taking an early lunch
20 break.

21 We are to question four I think. Never mind, we
22 did question four. Emilie Latella says never mind.

23 Six, if NRC statutory authority for medical use
24 were deleted, it requires the subjunctive, in it's entirely
25 and the states were to assume this authority, what action

1 should be taken and by whom to assure that there are no
2 regulatory gaps in the national medical use regulatory program
3 during the transition?

4 So Dennis already put a suggestion on the table.
5 This is going to go fast. I think in a way we are so
6 concatenated with congressional action that to assume that all
7 of a sudden there would just be a vacuum is, we think,
8 unrealistic and not consistent with our recommendation. But
9 maybe I'm not --

10 DR. HOLAHAN: I think the other point thought
11 that we were trying to get at in that question is even if
12 congressional action goes forth, things are going to happen, I
13 mean it's not going to be, okay, today you don't regulate and
14 today you do. There needs to be some fort of transition, and
15 I guess the question is more how do we go through that
16 smoothly if that were to happen.

17 DESIGNATED FEDERAL OFFICER CAMPER: Let me just
18 add that I think Bob has pointed out very well some of the
19 encumbrances the states face in terms of going through
20 creating statutes and so forth. My best guess is, if Congress
21 were to enact the NAS recommendation as proposed, it would
22 probably take five to seven years, and that's just my personal
23 guess, for all states to put in place legislation and statutes
24 and so forth to conduct their own programs. I say that based

1 on my experience in watching states move from non agreement to
2 agreement state status.

3 It takes several years. In some cases as much as
4 several years. Then you have a situation, bear in mind, that
5 you have some states today that have little or no program, and
6 they would have to move from little or no program to a
7 byproduct materials program of some reasonable magnitude. The
8 question is during that transition period of some duration,
9 what kind of steps and actions should be taken to insure that
10 there are no regulatory gaps. You're looking just at going
11 into the states area, but coming back into the federal side of
12 it over to the Department of DHHS. I'm not sure -- they're
13 not comfortable with taking this on.

14 I would that -- I was accused yesterday of being
15 somewhat sanguine about this ever coming about. I have a
16 feeling that there's going to be a lot of reluctance at least
17 to see this change. And what the committee needs to do is
18 work with this more rather than trying to pass it off to
19 another agency. I'm not sure exactly that it's going to be
20 acceptable to try and make this change that the IOM has
21 suggested, particularly since it's an opinionated report
22 without much data backing it up to help us make a decision to
23 support that decision.

24 CHAIRMAN SIEGEL: I'm not totally sure I follow
25 our point, Eric. I mean the principles that this committee

1 has espoused which are similar to many of the principals
2 espoused by the IOM committee where this desire for uniformity
3 and regulation of ionizing radiation coupled with that being
4 done by an agency whose primary mission is health. And yes I
5 agree the Department of Health and Human Services, if simply
6 handed this today by some magical transfer mechanism without
7 appropriate enabling legislation from Congress, appropriate
8 funding and the proper direction, would probably say no we
9 can't do this job given our current budget constraints and
10 with the people we have, but that's equally unrealistic.

11 I mean I think the whole set of recommendations
12 is built on the assumption that Congress is willing to act,
13 that Congress believes that some uniform approach to
14 regulation of ionizing radiation with central federal
15 responsibility at some level and distributed administrative
16 responsibility to the states is an appropriate thing to do.

17 If Congress does not choose to do that, then I
18 don't see any easy way out of the current situation. I think
19 we're then basically stuck with NRC continuing to do byproduct
20 material, and we can help the NRC restructure its medical
21 byproduct material program and hope that the states will
22 follow suit with respect to their non byproduct material
23 programs following NRC's lead. But short of that I don't
24 see, if Congress doesn't act, I don't see how we're going to
25 make this uniform.

1 Just one thing, seeing Al Lohrman out in the
2 audience made me think about, and that is the potential of a
3 Tenth Amendment issue here, whether Congress will view that it
4 has the right to create uniform national regulations or
5 uniform national statute relating to things that are not
6 currently covered by the Atomic Energy Act. They might say
7 that the Constitution didn't give us the right to do this and
8 therefore we probably should steer clear of it.

9 I just throw that out. It's just food for
10 thought. I haven't got a clue. I'm sure there's a way around
11 it. I'm sure there's a way to tie it all to health care
12 reimbursement under HCFA that makes it not sound like it's
13 related to getting into a new area of governance that was
14 formerly left to the states.

15 DESIGNATED FEDERAL OFFICER CAMPER: Let me
16 explain why we asked this question. The question supposed
17 that our authority has been deleted in its entirety. And the
18 states are assuming this authority. We say what action should
19 be taken and by whom to insure that there are no regulatory
20 gaps. The thrust is from a practitioner's standpoint, some of
21 you function in agreement states, some of you function in NRC
22 jurisdiction. Obviously this question is a question that we
23 will have to wrestle with at great length as we go through any
24 decoupling process. But it's an early pulsing question as to
25 what types of problems do you envision as you think about it

1 at this point. And it really is from the standpoint of being
2 practitioners. Some of you involved with states, some of you
3 involved in jurisdiction, NRC jurisdiction, can you see early
4 problems that we should be thinking about as regulators as we
5 try to go about some orderly decoupling process.

6 CHAIRMAN SIEGEL: Say that again?

7 DR. HOLAHAN: But including the involvement with
8 DHHS. I mean to make that part also a smooth transition, if
9 DHHS -- if Congress did include DHHS in the legislation. And
10 again there is a gap in terms of the transition, if it did go
11 from NRC to DHHS.

12 CHAIRMAN SIEGEL: Why does there have to be a
13 gap?

14 DR. HOLAHAN: Well, will there be maybe the
15 question is and how do you insure that there isn't, both as
16 the states pick it up and DHHS develops their program in
17 accordance with recommendation --

18 CHAIRMAN SIEGEL: Perhaps a solution in a way is
19 perhaps a simplistic one, but it's a solution that gets right
20 to the heart of it. You would basically just transfer -- you
21 know, one day there was an Atomic Energy Commission and the
22 next day there was ERTA and the AEC -- and NRC, excuse me, and
23 I'm sure that that dismantling took a fair amount of
24 transition but it was accomplished. The responsibilities were
25 split and it occurred.

1 And a similar sort of thing, if one day the
2 medical use program of MNSS all of a sudden all the employees
3 were DHHS employees in some new part of the FDA or some new
4 branch of DHSS, it could be done. I mean that's an
5 administrative problem.

6 DR. HOLAHAN: Okay.

7 CHAIRMAN SIEGEL: And it doesn't necessarily
8 imply that there is a regulatory gap and that the public
9 health and safety will go down the drain during the period
10 while people are running around like chickens with their heads
11 cut off trying to figure out what to do because I can't
12 conceive that our government is going to let that happen. I
13 mean there will be a well-ordered transition plan worked out
14 now matter how the authority is shifted, if it's shifted
15 within the federal government. It won't go according to
16 clockwork, but there will be a plan.

17 MEMBER SWANSON: I also think, you know, and part
18 of the reason why I made that suggestion is I think, if we're
19 going to do this practically, you've got to build on the
20 agreement state program which is -- I mean you're going down
21 the line towards where this wants to go anyway with your
22 agreement state program, so it would be foolish not to build
23 on that existing program to get where this report wants to go.
24 I mean to just drop it and say we're going to start over from
25 scratch doesn't make a lot of practical sense to me, okay.

1 CHAIRMAN SIEGEL: And I can't envision Congress
2 doing that.

3 MEMBER SWANSON: I can't either.

4 CHAIRMAN SIEGEL: I just can't see Congress
5 saying as of this date the NRC stops, as of this date a new
6 federal agency that has to start from scratch begins to
7 process. It just seems illogical that they would do it that
8 way. They occasionally do things that are illogical, but this
9 thing is even more illogical than usual.

10 Jeff?

11 MEMBER WILLIAMSON: It seems that, you know,
12 there is an existing process by which non agreement states can
13 get converted into agreement states. And if an congressional
14 action is going to take five to seven years, surely the
15 transition would be a lot easier if in that interval a lot of
16 hard work through existing mechanisms were focused on
17 transforming non agreement states into agreement states. What
18 are the means currently at NRC's disposal for affecting such
19 transitions?

20 DESIGNATED FEDERAL OFFICER CAMPER: To agreement
21 states you mean?

22 MEMBER WILLIAMSON: Yes, to induce non agreement
23 states to become agreement states.

24 DESIGNATED FEDERAL OFFICER CAMPER: I think
25 that's the operative word right there is "inducement." I mean

1 you have a situation today where a number of agreement states
2 have chosen to become such, 29 I believe it is, there are a
3 number of others that are in the process, Oklahoma,
4 Pennsylvania, Massachusetts to mention a few, but my
5 observations have been that for what reason that process takes
6 a long time.

7 And it's as much -- I mean a state has to go
8 through a number of steps to become an agreement state. And
9 typically what slows it down is the state itself. I mean when
10 we receive the applications from the states and then when you
11 go through a regulation review, a process review, we look at
12 their resources, there's a number of hoops they have to jump
13 through to become an agreement state. But I think we go
14 through that part of it fairly fast, but the states pursue at
15 different speeds for a whole lot of different reasons. Some
16 of which are politics, some of which they have to plant the
17 idea with a particular legislator or governor and then see it
18 ferment over time, there are a number of reasons.

19 But I think the problem is, and what you just
20 said, and that is what wasn't addressed by the committee, and
21 I now know why based upon John Rappaport's answer yesterday,
22 and that is because the idea of exploring the expansion of the
23 agreement state program, because it encompasses all materials,
24 wasn't an option that the committee felt was appropriate to
25 even consider because it was beyond the scope of the study.

1 But the issue of what do you do to entice those
2 states, that have not yet chosen to become agreement states,
3 to become so is a very interesting question.

4 I would envision that things could be done, and
5 certainly the easy parts are providing technical assistance,
6 taking steps to have them work through some type of
7 cooperative arrangement from a learning standpoint with those
8 states which are currently agreement states and so forth and
9 so on are the fairly easy part of it.

10 The difficult part of it is, is for whatever
11 reason a number of states have simply chosen not to become
12 agreement states. Some of that is politically motivated, some
13 of it is resources, some of it is low population density and
14 therefore they don't feel like they're going to need such a
15 program. I mean we have some of the states in the west like
16 Wyoming and Montana that have no interest, at least thus far.
17 We had Idaho, which was an agreement state that gave the
18 agreement back. The governor chose to give the agreement
19 back.

20 So I what you'd have to do is try to find a
21 mechanism, and I don't really know what that is honestly, to
22 stimulate those governors of those states which have thus far
23 opted not to become agreement states to do so. There had to
24 be some carrot in there that made it worthwhile for them to
25 pursue it.

1 CHAIRMAN SIEGEL: You could announce that you're
2 going to increase your fees by a factor of 100 five years
3 hence --

4 MEMBER WILLIAMSON: And all the NRCs would be up
5 in arms.

6 CHAIRMAN SIEGEL: -- and that would be an
7 enticement for people to become agreement states.

8 MEMBER JONES: How much complaints do you have
9 with those agreement states, are they really agreement states
10 or is that just a euthanistic term?

11 DESIGNATED FEDERAL OFFICER CAMPER: Well,
12 actually the agreement state program I think is working very
13 well. In fact I thought Bob did a very eloquent job of making
14 some comments about the agreement state program. And I'm only
15 going to add to what he said, the agreement states go through
16 a very rigorous process to become agreement states. They go
17 through a very scrutinise review by our agency in terms of
18 the regulations. We, much to their chagrin, we impose upon
19 them compatibility. And we view them as co-regulators working
20 together to insure public health and safety. They don't like
21 the compatibility word, but we impose upon them adequacy of
22 regulations and compatibility. Adequacy is almost never an
23 issue. Compatibility can be an issue.

24 The impact review that Bob referred to is a
25 rigorous review of their program. We provide training to the

1 agreement states. We interface with their management through
2 working groups. And I think by and large the program works
3 very well.

4 By contract, those states that are not agreement
5 states, we have minimal interaction with the regulators. We
6 do interface with the CRCPD. We do review suggested state
7 regulations. But it's much more aggressive and formal on the
8 agreement state side than on the non agreement.

9 MEMBER SWANSON: Could you foresee a scenario
10 where you could have like agreement state compacts or there
11 could be cooperative agreements between states to have one
12 state regulate for another state, for example to cover your
13 problems with Montana and Wyoming?

14 DESIGNATED FEDERAL OFFICER CAMPER: Well, I don't
15 know. Anything is possible I guess, but personally I doubt it
16 because I think again you get into, you know, parochialism and
17 territoriality and preferences within particular state borders
18 for how to do things. And, you know, we have a model that's
19 worked with varying degrees of success, the compacts created
20 by the Low Level Radioactive Waste Policy Act. We're now 16
21 years or so into that thing. This has varying degrees of
22 success.

23 MEMBER SWANSON: I think it's a very different
24 issue that we're talking about.

1 DESIGNATED FEDERAL OFFICER CAMPER: Oh, it is a
2 very different issue. But I'm saying there is a model that
3 has some different degrees of success. But I guess it's
4 possible, but I think there is a lot of things to overcome to
5 achieve that particular model.

6 CHAIRMAN SIEGEL: We could privatize it.

7 DESIGNATED FEDERAL OFFICER CAMPER: We could do
8 that too.

9 CHAIRMAN SIEGEL: That's another approach. I
10 mean I mentioned yesterday, you know, just kind of jokingly,
11 Colorado taking over and doing the job for Wyoming, but I mean
12 taken to an extreme that argument could be that you could
13 privatize the business of nuclear regulation or ionizing
14 radiation regulation. I'm not quite sure the United States is
15 ready for that concept yet, but.

16 DESIGNATED FEDERAL OFFICER CAMPER: Well, even in
17 the academy's model, at one point they talk about this idea of
18 states forming consortiums to assist each other in providing
19 the regulatory services that are needed to carry out a viable
20 program. I guess that's certainly possible. I mean I
21 wouldn't rule them out. I know that there was a great deal of
22 preference from state to state within its boundaries as to how
23 it wants to regulate materials uses, but it's certainly
24 possible.

25 CHAIRMAN SIEGEL: Eric, you had a comment?

1 MEMBER JONES: Well, I'm not sure I should say
2 this, but I was thinking back a few years ago when I was on
3 the outside and not working with the federal agency and the
4 entire radiopharmaceutical program was shifted from the NRC to
5 the FDA, I'm not sure that my colleagues out n the community
6 are entirely happy with what we were doing with the regulation
7 of drugs. And I just wonder, if we did the same thing with
8 shifting the radiation control over, whether we'd be any
9 happier with that as a community.

10 In other words I guess I feel very cautious about
11 the IOM suggestion of moving this NRC. And I'm not clear in
12 my mind how much control NRC would retain, how much
13 responsibility would be moved into DHHS.

14 CHAIRMAN SIEGEL: Right. I mean I agree with
15 that concern. And particularly the issue of how you separate
16 one part of the materials program from another part of the
17 materials program. It's still a little bit, more than a
18 little bit, it's unclear to me exactly how that occurs. And
19 although I suppose it's possible that all material uses in
20 medical institutions could come under the purview of this new
21 organization and the states, it seems awkward that there would
22 be parallel tracks for well-logging on the one hand regulated
23 by the NRC in 21 states and for medical uses now regulated by
24 the state with DHHS.

1 So, you know, all the states becoming agreement
2 states coupled with oversight of the medical stuff in a health
3 related agency is kind of the cleanest way to deal with the
4 whole thing simultaneously.

5 The mechanics are still not clear to me, but I
6 think that although I agree with you, Eric, that the community
7 is not overwhelmingly pleased with all the things that the
8 Food & Drug Administration has done for the furtherance of
9 nuclear medicine, I think that comparing pre-1975 with post-
10 1975 behavior is potentially dangerous because the character
11 of drug development changed. A lot of things changed that
12 would have made the old Atomic Energy Commission approach more
13 awkward.

14 And so, could the FDA have done better? Sure,
15 the FDA could have done better. But let's assume that the
16 NRC had decided that it all of a sudden wanted to tighten up
17 its approach to letter radiopharmaceuticals out on to the
18 market place under the old Atomic Energy Commission Authority,
19 I think we would have had a far, far more difficult time
20 convincing five NRC commissioners that there was a drug lag
21 related to radiopharmaceuticals that needed to be dealt with.
22 Then we would have been talking to physicians in the position
23 of commissioner and the Food and Drug Administration, and the
24 Assistant Secretary for Health or whatever level we chose to
25 target.

1 So I don't think the mere fact that it moved to
2 FDA is intrinsically a mistake. And my personal belief is
3 that I would rather be discussing this whole regulatory schema
4 with an agency that deals with overall health issues rather
5 than with an agency that deals with just radiation issues and
6 is worrying about zero tolerance reactors as 98 percent of
7 what it does for a living. Just the mind set I'd rather be
8 focused on. Personal preference.

9 And you might prove to be right, but it will only
10 be because it just didn't evolve the right way, not because
11 the FDA was intrinsically the wrong place for it to go, in my
12 opinion.

13 Others?

14 So did we answer this question or not really?

15 DESIGNATED FEDERAL OFFICER CAMPER: One of the
16 things we look forward to, getting back to Jeffrey's point, as
17 Trish Holahan mentioned early on, we have sent this report out
18 to all the governors of the 50 states and have asked for
19 feedback in terms of their impressions of the recommendation,
20 what the impact would be upon their states, how long would it
21 take to affect such a change, so forth and so on. I don't
22 know to what degree that in and of itself will stimulate
23 further dialogue or interest in those governors with the
24 agreement state programs, but it may have some impact in that

1 regard. But it's premature yet to be able to say, I just
2 don't know.

3 CHAIRMAN SIEGEL: Any more comments on item six?

4 MEMBER FLYNN: Just one more comment.

5 CHAIRMAN SIEGEL: Yes.

6 MEMBER FLYNN: I was just looking at some of the
7 list of non agreement states, and the non agreement states
8 these are some of them, Alaska, Idaho, Montana, West Virginia,
9 Wyoming, Delaware, Vermont, and Washington, D.C. is a non
10 agreement state. And I think that some of these will, like
11 Alaska for example, very sparse population, very disbursed.
12 In Alaska, and I just had to go through this recently, there
13 are three radiation oncologist in the state of Alaska, so
14 we're talking about some areas with very sparse resources, and
15 maybe not a lot of people who can put a lot of their time into
16 trying to devise a program.

17 So I think it's really important that when you
18 dismantle Part 35, again my suggestion would be to come up
19 with some very minimal, not highly regulated, very minimal
20 core values I guess to see how these states, or how is
21 Washington, D.C. for example, looking at non byproduct
22 material, are they? I mean how are x-ray machines in
23 Washington, D.C. handled? How are they handled in Alaska?
24 Just to gather the information, not to encourage them to

1 regulate more, but just see what are they doing right now. I
2 mean I don't know.

3 CHAIRMAN SIEGEL: I think the conclusion to six
4 is, is that any precipitous deletion of NRC authority simply
5 doesn't make sense. And I suppose it's good to be prepared
6 for it, I just can't imagine it happening. I agree with you
7 this is going to occur by an orderly transition of some sort
8 assuming Congress decides to act on this. And there will be
9 confusion during the period of transition because there will
10 be some dual regulation for a while, but that's the only way
11 we're going to get to a better circumstance because there's no
12 magical solution to this unfortunately.

13 So anything else or have we pretty much done
14 this?

15 Seven, I don't think we explicitly did seven, but
16 I think we've addressed seven about how to insure uniform
17 protection of patients in the light of potential differences
18 in state priorities, industry pressure and consumer interest.
19 We basically addressed seven by saying we voted for D with
20 teeth, right, or E?

21 And we've already dealt with 10 and 11. So where
22 do we stand?

23 MEMBER BERMAN: Barry?

24 CHAIRMAN SIEGEL: Yes.

1 MEMBER BERMAN: Just if we're going to skip
2 seven, one thing that Dennis brought out yesterday in
3 questioning the people from the IOM was that I think we're
4 uncertain as to who makes up the CRCPD. And it seems as
5 though the CRCPD was a convenient group, a mechanism for the
6 IOM to turn to to help generate some kind of a uniform
7 standards. And it's not really very well, it probably isn't
8 as a group, as well developed as it would have to be in order
9 to really function well if the NRC were to disappear from
10 their activity.

11 And I think it would be good of us to be
12 considering that strengthening the CRCPD would be an important
13 part of this new approach, if it were to come into effect.

14 CHAIRMAN SIEGEL: Actually I think we were even
15 stronger than that because we were essentially saying that
16 some central federal authority still needed to be present.
17 And that won't make the CRCPD superfluous, but if the
18 standards get developed by the central federal authority, then
19 the standard state regulations of the CRCPD will in fact
20 follow what the federal authority has done.

21 Do you have a comment?

22 MEMBER QUILLIN: The Conference on Radiation
23 Control Program Directors is an organization whose membership
24 is basically the 50 states and the Territories also. The
25 voting membership or the program directors and I am a voting

1 member for an example, there is an executive office in
2 Frankfurt, Kentucky and the work of the conference goes on
3 through a number of different committees.

4 Dick Gross mentioned yesterday the committee that
5 looks at the suggested state regulations, but there are
6 committees that look at other issues too. And they are also
7 liaisons to various professional groups. For example I am a
8 liaison to the American National Standards Institute for the
9 conference, and I follow the ANSI activities and make a report
10 periodically on that .

11 The fundamental activity that the conference does
12 that relates to this report is the suggested state
13 regulations. And that activity has changed somewhat in the
14 past few years to try to expedite the regulatory process, the
15 development of regulations, and to get them out in a much
16 earlier form.

17 Just to reiterate what Dick said yesterday, those
18 regulations are developed by a committee which consists of
19 state and federal participation and also outside participation
20 by interested parties. Representatives of the American
21 College of Radiology for example frequently work with the
22 committee on medical issues. And non medically you'll see
23 industry representatives depending upon what industry is being
24 affected for example.

1 So it's an organization which I think has been
2 very effective over the years. The challenge it faces, as
3 alluded to in these two IOM reports is the fact that it's
4 federally funded. The vast majority of its funds come from
5 the federal agencies. And as the federal agencies' funding
6 has been cut back, the CRCPD's funding is likewise threatened
7 with reduction. So the question is, you know, how are they
8 going to be funded in the future to continue their activities.

9 CHAIRMAN SIEGEL: Lou?

10 MEMBER WAGNER: Within the CRCPD I guess the
11 regulations are made and the voting members come up with some
12 consensus. Would you give me some idea how many of the voting
13 members are actually practicing medical people, MDs, medical
14 physicists, people who actually are practicing?

15 MEMBER QUILLIN: None of them are because we're
16 talking about the people in the conference are basically the
17 state radiation control program directors and their staffs.
18 These are not people who practice medicine on the side.

19 MEMBER WAGNER: And my criticism I guess by
20 handing this over and making them such an authority is that
21 you're going to have the same problem we've got now. Because
22 within the NRC one of the biggest criticisms is the lack of
23 medical input, and it's the same darn problem. And I guess,
24 if I wanted to give advice to the NRC is how to change their
25 program to be more effective, it would be to incorporate more

1 medical professionals into the regulatory making and
2 enforcement process. And to figure out a way to get that to
3 go.

4 This committee, look at the composition of this
5 committee, and look at the recommendations we have given you
6 in the past, and look at our record in terms of what we've
7 done, how you've gone against it and then what's come back to
8 you.

9 I mean I think that there is a lot of lessons to
10 be learned here. I don't wish to have those who are
11 regulating completely dominate the whole thing, but I think
12 you need a stronger hand as to when the people who are going
13 to be regulating it to get a stronger hand about the input on
14 how this regulation is going to affect the practice. And I
15 think this committee has been very effective at being
16 extremely concerned about protection of people, about
17 professionally performing the duties correctly, and doing the
18 right thing for the people of this country. And that's what
19 we need as better input in the regulatory process.

20 DESIGNATED FEDERAL OFFICER CAMPER: Just a
21 comment on that, Lou. I believe that this committee has
22 increasingly done the very thing that you're alluding to.
23 I've watched this committee certainly grow in the last six
24 years in terms of its involvement. And it's gone from what
25 was pre-1990, arguably a fairly modest technical advisory

1 committee, into a committee that has increasingly affected
2 policy not only in terms of specific rulemakings, but has
3 increasingly affected policy in terms of which way the agency
4 should go with its medical use program.

5 I mean I think, and I've heard Barry comment,
6 that we've certainly, you know, bring things to us sooner.
7 Not only when you have a consensual model that now is embodied
8 within proposed regulatory language, and we've done that.
9 Now, the QM Rule was debated by this committee, but the QM
10 Rule, the development of it also predated the changes in this
11 committee which occurred in 1990. But if you look at the
12 patient release rule for example, I think this committee had a
13 profound impact upon the patient release rule.

14 And I think that all of us agree that this
15 committee has increasingly worked the way that we wanted to
16 work and has impacted policy. And I think it's healthy, alive
17 and doing well. And I agree that it's essential that that
18 occur.

19 In addition to that the Commission started its
20 Medical Visiting Fellows Program. We have Dr. Pollycove who
21 has been on the staff with us now for several years, and of
22 course Dr. Rotman, the radiopharmacist was there. So I think
23 in fairness to the Commission it has made a number of changes
24 to be receptive to the medical community and to try to get
25 more input. I mean the idea that the committee is chaired by

1 one of the member of the committee and so forth, it was a
2 change. So I think they've been receptive.

3 Now, could we go further? Perhaps. One of the -
4 - we have in the agency is the idea of full time physicians on
5 the staff. Frankly I don't think there's a lot for them to do
6 on a full time ongoing basis. Therefore, now Dr. Pollycove
7 has been very effective and useful to us in terms of
8 reviewing. For example, he played an active role in doing the
9 radiopharmacy guide which is currently under development and
10 about to be published for comment.

11 But keeping a full time position busy in an
12 ongoing fashion is something that you have to ask the merits
13 of that. By the same token, I think the approach the
14 Commission has taken thus far to get that active input is
15 working well. Can we do more? Probably so. But I think it's
16 working pretty well.

17 So I agree with you in terms of the input, and I
18 think that the committee can help us make the revision to Part
19 35. And if we're to stay in the game, I think that this
20 committee will play an active role in getting a revision of
21 Part 35, and we'll probably end up with a lot more reasonable
22 regulation as a result thereof.

23 CHAIRMAN SIEGEL: Yes.

24 MEMBER WAGNER: Just one other issue and that is
25 that not only in the rulemaking process, and I really

1 appreciate the changes that have occurred, they clearly have
2 made an impact. But also in the enforcement area, that's
3 another issue. More medical professionals should be involved
4 in that enforcement process and the decisions about how to
5 enforce what is on the books.

6 And I think that the onerous issues have been
7 brought to the attention of the past and they have been
8 somewhat ignored in terms of the enforcement. We need a
9 cooperative effort from the agency with the medical regulated
10 community to exchange information and to perform enforcement
11 in such a way that it encourages the exchange of information
12 about how things go wrong so that we can better improve these
13 things in the future.

14 Right now it's the onerous task of enforcement.
15 I think there is a lot of regulated people out there who would
16 rather keep shut about any problems, keep their mouth shut
17 about it and not bring it up to the attention of people simply
18 because they fear what can happen with regard to the
19 enforcement issues.

20 MEMBER WILLIAMSON: Well, I think it would be
21 helpful, maybe, to have some sort of a basic sense of what is
22 the sort of breakdown of professional qualifications in FDA
23 and in NRC. So I'll ask, in your reactor regulation division
24 which, as I understand, is your largest focus, what percentage
25 of the professional enforcement and rulemaking people are ex-

1 reactor professionals, health physicists and nuclear
2 engineers. And in the medical program how many medical
3 physicists and ex-medical practitioners are represented.

4 I think that both sides of the house have within
5 its ranks ex -- for example, on the reactor side you're
6 dealing primarily with nuclear engineers, other types of
7 engineers, health physicists, and a very large percent, and I
8 don't know exactly what it is, but a very large percent have
9 field experience within the reactor power industry. Some are
10 with nuclear Navy, some are with the various utilities. But I
11 would say there is a very high percentage.

12 Now, I could speak more specifically to the
13 medical program because I have more familiarity with the
14 backgrounds of all the individuals that we have. There with
15 perhaps the exception of one or two people, every member of
16 the medical program staff comes from either an engineering or
17 physics background associated with medical use of ionizing
18 radiation and has field experience, every one of them.

19 A number of us have been RSOs or assistant RSOs,
20 or consultants in the private industry. We have no physicians
21 on the staff with the exception of Dr. Pollycove, but we do
22 have staff that has an active understanding of therapeutic
23 applications of ionizing radiation, research applications of
24 ionizing radiation. Most of us, as I say, I can only really
25 think of one or perhaps two that have not actually had

1 extensive dealings with it -- for example radiation oncology,
2 medical physics and health physics, and medical research.

3 DESIGNATED FEDERAL OFFICER CAMPER: Even I can
4 distinguish between health physics and practicing radiation
5 oncology physics or nuclear --

6 MEMBER WILLIAMSON: Oh, so would I. I'm aware of
7 the distinction.

8 CHAIRMAN SIEGEL: Any other comments on this
9 general issue that we're on?

10 All right, failing that I think we've actually
11 reached --

12 MEMBER BERMAN: Barry, I guess just one more.
13 Bob Quillin earlier today made I think a very thought-out
14 comment about what he thought would be the impact of the
15 change if the Institute of Medicine report is enacted. And I
16 thought that his comments actually were good background to our
17 suggestions. What I'm saying is that I thought that Bob
18 Quillin's earlier comments were potentially important
19 background to the rationale behind our suggestion as a new
20 alternative to be considered. Because I thought that they
21 took into account the potential several changes that would be
22 potentially -- several aspects of the program that's currently
23 in place that might be lost with a new system, if the
24 Institute of Medicine plans to simply enact it as is.

1 For example the comment about the periodic
2 inspections of the relationship between agreement states and
3 the NRC, acting as kind of like a JCHO review, it improves the
4 quality of what the agreement states are doing, but that might
5 be lost.

6 So my suggestion was that in some way that those
7 comments could be highlighted in relationship to our proposal.

8 CHAIRMAN SIEGEL: Okay.

9 Any other comments?

10 Jeff?

11 MEMBER WILLIAMSON: Is there a sense that another
12 recommendation of the Institute of Medicine report is being
13 disagreed with, namely that the Council of Radiation Program
14 Directors, you know, be the responsible entity for drafting a
15 more uniform set of regulations?

16 CHAIRMAN SIEGEL: I think that was built in with
17 D with teeth.

18 MEMBER WILLIAMSON: Yes.

19 CHAIRMAN SIEGEL: And for E. They seemed, I'm
20 not saying they're throwing the baby out with the bath water
21 completely, but it seems to me that we believe that the way to
22 get uniformity is through some central authority that has the
23 ability to impose that level of uniformity.

24 And I mean the problem with the CRCPD, unless --
25 state regulations is the word "suggested," and they either can

1 or cannot be adopted and they run the risk of 50 different
2 versions of Part 20. And that's just not acceptable, at least
3 in my way of thinking.

4 All right, I think we've beat this baby to death.
5 And we have reached the end of this discussion.
6 Unfortunately neither Cindy Jones or John Glenn are presently
7 available. We have reason to believe that John Glenn might be
8 finished with a meeting in a few minutes, but we don't know
9 that for a fact.

10 DR. HOLAHAN: No, not until noon.

11 CHAIRMAN SIEGEL: No, not until noon. Will he be
12 available at noon, do we know that?

13 DR. HOLAHAN: We don't know.

14 CHAIRMAN SIEGEL: So we're still in limbo. Well,
15 the problem is I don't want to break for lunch until 1:00
16 o'clock. Any change we can get better data if we took another
17 ten minute break to find out what's going on or are we likely
18 to have the best data we're going to get at the moment?

19 Let's just scratch for five minutes and see if we
20 can just get a better sense whether these folks might be
21 available.

22 (Whereupon, at 11:13 a.m., off the record until
23 11:30 a.m.)

24 CHAIRMAN SIEGEL: We cannot locate any of the
25 folks that were supposed to speak to us originally at 2:00

1 o'clock and are now planning on speaking to us at 1:00
2 o'clock.

3 We do have a few administrative issues that we
4 can deal with. And what we're going to do is break for lunch
5 now and be reconvened at 12:30 with the hope that they will
6 have shown up, and maybe we'll have reached them by 12:30 and,
7 if not, we'll deal with the administrative issues between
8 12:30 and 1:00, and then we'll be back at the planned revised
9 1:00 o'clock time and we'll get out of here.

10 So lunch.

11 (Whereupon, at 11:30 a.m., the proceedings in the
12 above-entitled matter were adjourned to reconvene this same
13 day at 12:30 p.m.)

14

15

16

17

18

19

20

21

22

1 on the patient relief rule, for example. Certainly as always
2 there's a number -- we can certainly put together an effective
3 and meaningful technical agenda for a one-day meeting.

4 However, having said that, again though I think that a major
5 determinant is what the commission decides to do in the near-
6 term future.

7 CHAIRMAN SIEGEL: Okay. Having heard that, are
8 there specific items that any of us have in mind that even
9 barring that, you would think would warrant an April meeting?

10 MEMBER FLYNN: If we didn't have an April
11 meeting, when would the next meeting be, in the fall?

12 CHAIRMAN SIEGEL: Either in the fall or depending
13 on the next part of the administrative discussion. If we have
14 a commission briefing then we would almost certainly need a
15 pre-meeting to make certain that what we were going to do at
16 the commission briefing made sense, and that we're all in
17 agreement on it.

18 If we do it that way, then we would potentially
19 have the opportunity to do some business in addition to
20 getting ready for the commission briefing as part of our
21 meeting prior to the commission briefing.

22 But otherwise, the next meeting would be the
23 regularly scheduled fall meeting, which hasn't been scheduled
24 yet, but it would be Judy's meeting. You would shoot for the
25 October time frame presumably. Dan.

1 MEMBER SWANSON: At our last meeting, we had
2 discussed the possibility of having a Friday session following
3 this one, that was going to deal with specifically looking at
4 limited diagnostic -- requirements for limited diagnostic use.

5 What happened with that discussion?

6 MR. CAMPER: Well, it's still alive as far as we
7 are concerned. This meeting of course was a special meeting
8 to deal with the NAS report exclusively. We did add on two
9 additional items at the request of the chairman.

10 But from our vantage point, if the committee
11 wanted to focus on the T&E issue or more specifically, what
12 type of training should be in place for limited uses of
13 materials, I mean that's certainly something we could work
14 with you on if you feel it's important to talk about it, a
15 timely subject.

16 MEMBER BERMAN: I guess the only consideration is
17 if the Institute of Medicine Report is enacted, then I think
18 that whole discussion would become meaningless, redundant. So
19 I think we probably should wait to see what the outcome is of
20 the Commission determination on how to handle the report.

21 MR. CAMPER: There's two ways to look at a
22 potential April meeting. You can have an April meeting where
23 an agenda would be created along the more classical lines that
24 would have different issues. Or you can have a meeting where
25 the agenda would focus upon what the agency is doing at that

1 time as a result of any decision the Commission might have
2 made.

3 CHAIRMAN SIEGEL: But if we do that, I think
4 April may be a little premature.

5 MR. CAMPER: Possibly.

6 CHAIRMAN SIEGEL: That just seems like not enough
7 will have happened yet, is my gut feeling.

8 My inclination is to say that we ought to keep
9 the April dates on the book, but recognize that there's better
10 than even chance that we're not going to have that meeting.
11 Let's wait and see what the Commission says. If it looks like
12 there really is a strong reason for us to go forward with an
13 April meeting based on what this commission does with its
14 initial reaction to the NAS report.

15 Like if the commission says we don't think any of
16 this is going to fly, but rebuild part 35, then we ought to
17 have a meeting that attacks training and experience as a major
18 component.

19 MR. CAMPER: Or for that matter, again as I said,
20 we have submitted a plan to the Commission. I'm not at
21 liberty to discuss publicly the details of that plan at this
22 moment in time. But the staff has submitted a plan to the
23 Commission for its consideration as to how to process and to
24 proceed with the NAS report that we have.

1 Even though I'm not at liberty to discuss the
2 plan, I would say the following. If in fact the Commission
3 decides to go with the staff plan, then a committee meeting
4 would be of value to discuss the plan, how we're going to
5 proceed, some of the plan elements of that overall plan, and
6 so forth and so on. That could be of utility. I can readily
7 see why that would be useful.

8 But again, I won't know until we get feedback
9 from the Commission.

10 CHAIRMAN SIEGEL: So we'll just leave those dates
11 open for right now.

12 The second item was, as you heard earlier today,
13 we've had a request from Chairman Jackson to provide a
14 commission review. We haven't done one -- it's been a couple
15 of years now. She was asking for something around May.

16 My initial reaction was ugh. That's U-G-G-H for
17 the transcriptionist, because of the fact that my next three
18 months are awful to say the least. I'm out of the country for
19 12 of the days in May and have some requirement to actually
20 earn my living the normal way some of the months -- some of
21 the days that I am in town.

22 What the commissioners apparently wish to hear
23 about is our thoughts about the NAS IOM report. Obviously
24 we've done a lot of work over the last day and a quarter or
25 day in a half crystallizing our thinking. I'm still a little

1 bit reticent to suggest that this committee has done all of
2 its homework with respect to the NAS IOM report.

3 We punched some holes in the report, and it's an
4 appropriate form of peer review. The individuals who have
5 expertise in the same matters that they reviewed, and we gave
6 our impressions and we have our preferences and our concepts.

7 But to say that we have constructed the
8 equivalent of that report and have come up with a carefully
9 considered detailed plan for getting from point A to point D
10 with teeth, no pun intended, I think would be unfair. We've
11 talked about it and we've talked at length, but I don't think
12 we'd be prepared to sit down and draft a document that is the
13 minority report repaired by the ACMUI in supplement to the NAS
14 IOM report.

15 So one concern that I have about giving our
16 recommendations to the Commission as early as May is that I
17 think that -- we're going to concatenate a little bit here, I
18 think that we depend on hearing what the staff is being
19 directed to do and which the direction the Commission is
20 leaning, to know whether we can then give our advice about
21 those particular leanings.

22 So if we knew all of that by May, then I could
23 conceivably squeeze a May commission briefing in with a
24 committee meeting the day before. My gut feeling is is that

1 it's going to get delayed into June or something like that.
2 That is just my sense.

3 I think the best we can do is ask you to please
4 pass that information back through the EDO to the
5 commissioners for us and say that we weren't sure we were
6 going to be ready to meet with them in May.

7 MR. CAMPER: Okay. We can do that.

8 CHAIRMAN SIEGEL: Do any of you wish to
9 substantially disagree with that? I'm not sure that jumping
10 in in May buys us very much, until we're a little bit clearer
11 what the agency's response is to the NAS report. Bob.

12 MEMBER QUILLIN: Do you have any idea what the
13 time lines are in assessing this report from the agency?

14 MR. CAMPER: Well yes and no. I know the time
15 line suggested in staff's plan to the Commission for how to
16 proceed with the NAS report. What I don't know is how
17 promptly the commission will get back to the staff on the
18 plan.

19 At the outset of this meeting, Dr. Cool pointed
20 out several possibilities. You know, the commission could
21 look at the staff's plan and say, yes, that's what we think we
22 should do, please go do that. Or they might say, go do that
23 with this modification. Or they might opt to roll it into the
24 strategic assessment initiative that is underway currently,
25 which has a timeline along the summer months.

1 It's just, it's difficult to say at this moment
2 until I get more feedback from where the Commission is going.

3 Now having said this though, again though I can
4 readily see again that if the Commission were to opt to go
5 with the staff's plan, that an April meeting for further
6 deliberation by this committee on the NAS report, and perhaps
7 a more clear articulation of the alternative what you think is
8 your choice, might be useful.

9 But again, I can't say too much about that at
10 this point, until I get feedback from the Commission as to
11 whether or not they want to endorse our plan. That is all I
12 can say about the timing of this plan.

13 CHAIRMAN SIEGEL: Jeff, you had a comment?

14 MEMBER WILLIAMSON: I was just wondering what
15 role any briefing this committee would make to the Commission
16 would sort of -- what role that would play in their
17 deliberations, both over your staff implementation --

18 MR. CAMPER: I think it's extremely valuable. I
19 mean various chairmen can speak from his own experience. But
20 my observation about the importance the commission has placed
21 upon this committee in how it does its business and the role
22 it plays has increased substantially.

23 I know the briefings that I have seen, I mean
24 there was an active viable briefing I thought.

1 MEMBER WILLIAMSON: I guess I was asking a more
2 specific question. Do they want some immediate input from us
3 in the course of making some decision about your proposal
4 before them currently?

5 CHAIRMAN SIEGEL: They'll get some input by way
6 of the minutes of this meeting, which pass to Don Cool, and
7 then from Don Cool to the EDO. From the EDO, to the
8 Commission. This is not a committee that reports directly to
9 the commission. It reports to the director of -- actually
10 Carl.

11 MR. CAMPER: No. It's actually Don, regional
12 director of --

13 CHAIRMAN SIEGEL: It's Don, okay.

14 MEMBER WILLIAMSON: What is EDO, by the way?

15 MR. CAMPER: Executive Director of Operations.

16 MEMBER FLYNN: I remember that two years ago,
17 that some of the commissioners actually read the transcripts
18 and had prepared questions. They were well prepared two years
19 ago to our committee. They wanted to get a second opinion and
20 also ask specific questions.

21 CHAIRMAN SIEGEL: I agree with what Larry said.
22 When there have been substantive issues to discuss, the
23 eyeball to eyeball meetings with the commissioners have been I
24 think quite effective. We've had an opportunity to get our
25 medical viewpoint laid in front of them quite clearly and the

1 interchange has been useful. We've had a chance to understand
2 their viewpoint. It has been very worthwhile.

3 My only point of being a little bit hedgy about
4 all this is as worthwhile as it is, it is a moderate amount of
5 work for the chairman of this committee to prepare for a
6 Commission briefing. Consequently, I want to make sure that
7 any time I still have to do a Commission briefing, and I think
8 I can probably speak for Judith, that we have important issues
9 to take to the Commission, so we don't just prepare some
10 slides that have fluffy things on them and kind of smile at
11 each other across the table in the other building.

12 MR. CAMPER: Well, two points. One on Jeffrey's
13 comment. What we understand at this point, Jeffrey, is that
14 the chairman has expressed an interest in knowing what this
15 committee's reaction to the IOM report was.

16 Secondly, --

17 MEMBER WILLIAMSON: Is this a timing question
18 then? I mean June or July, should we suggest a June or July?

19 CHAIRMAN SIEGEL: Why don't we defray the answer
20 to that question until I get the chance to look at my calendar
21 and let Torre know what it looks like.

22 I think May is -- I'm anticipating particularly
23 tricky. But June or July might be better. But I want to look
24 at my calendar since I intentionally don't carry it with me so
25 I never have to commit while I'm on the road.

1 MEMBER BERMAN: In terms of timing for substitute
2 input to the commissioners, I wouldn't think there would be a
3 more important time than this one, where the whole nature of
4 the NRC's involvement in medicine is now being brought into
5 question. This is a committee that they've worked with in the
6 past. They have an outside blue ribbon panel making a
7 suggestion as to how things should be changed. I would think
8 that input from their own advisory committee might be very
9 important.

10 CHAIRMAN SIEGEL: I don't disagree, but I just
11 want to reiterate the point I made that one of the things we
12 criticized about the NAS report in terms of some of the things
13 they recommended was that they didn't seem to have the data
14 that would support all their recommendations.

15 For us to go forward with our recommended
16 alteration without necessarily having the clear data to
17 support our alternative recommendation puts us in just as
18 awkward a position I think.

19 So that's why I am being cagey. I just -- I
20 agree that it's important. I'm not saying we should put it
21 off indefinitely. I'm just not sure that May is the right
22 time, and that we'll know enough about the process.

23 I think that today -- yesterday and today's input
24 will reach the commissioners.

1 MR. CAMPER: The commission will be provided with
2 a copy of the transcript and of the minutes.

3 MEMBER STITT: And how would a meeting with them
4 -- it would be different, I understand how, but would we be
5 trying to accomplish something different when we meet with
6 them than having them read the transcript?

7 CHAIRMAN SIEGEL: It is just more effective to
8 talk to people face to face and have them ask questions about
9 why -- I mean, just like we did with John Villforth and Kate
10 Louise yesterday. How did you reach that conclusion and try
11 to probe a little bit, rather than just reading the written
12 minutes, which will by their very nature be telegraphic.

13 MEMBER STITT: There are a couple of other
14 questions. If that's the nature of what the meeting would be,
15 is June or July a reasonable time? Is that distant? I think
16 part of the problem is I don't understand what the next steps
17 would be. It may be that no one knows what the next step
18 would be.

19 CHAIRMAN SIEGEL: That is what I am really
20 suggesting is, is that we sit tight until we see what the next
21 step is. If it looks like the Commission reacts to this
22 staff's suggestions in a way that suggests that all this is on
23 a very fast track, then I will just reconsider everything I
24 said and we'll come here in April and we'll talk about this

1 more, and we'll plan a Commission briefing some time in May.
2 That's what we'll do.

3 I'm saying we just need to maintain our
4 flexibility now.

5 MR. CAMPER: What I was going to do was to --
6 we'll provide them with the transcript and the minutes as
7 promptly as we can. We'll also share with them the timeline
8 feedback that we've had thus far.

9 We'll also ask the EDO to pulse the Commission as
10 to whether or not they feel there is a sense of urgency to
11 have a briefing by the ACMUI or the chairman of the ACMUI as
12 part of their deliberative process.

13 If we get a signal back that we really do want to
14 see it now, because it's important to decisionmaking now, we'd
15 try to figure out a way to make it happen.

16 CHAIRMAN SIEGEL: Jeff.

17 MEMBER WILLIAMSON: What data collection do we
18 need to undergo? I guess you mentioned that we're lacking
19 data to support our preferred suggestion. Clearly data is
20 lacking for all sorts of positions one might take on this
21 issue, but I guess that raises the question what could we do
22 to sort of improve the knowledge base?

23 CHAIRMAN SIEGEL: I don't think there's much that
24 this particular committee can do in terms of gathering the
25 data. That's a good question.

1 I mean our biggest concern was what level of
2 state's willingness was to accept all this responsibility that
3 would be ensured.

4 You may be right, Jeff. I don't know the answer.
5 I think we just need to let this one percolate for a couple of
6 weeks and see what happens. Then I know how to reach nearly
7 all of you by E-mail, a few of you by Fax.

8 MEMBER WAGNER: Will the minutes of this meeting
9 reach the Commission before the briefing by the IOM?

10 CHAIRMAN SIEGEL: The transcript could, minutes
11 not a chance.

12 MS. JONES: The transcript can, but it probably
13 won't.

14 MR. CAMPER: When will the transcript be ready,
15 Torre?

16 MS. JONES: I'll have one copy tomorrow, and I'll
17 have today's copy on Monday. So we can hand carry them and
18 bypass all the --

19 CHAIRMAN SIEGEL: There is a strategy that we
20 have never used in the past that we could. I am willing to do
21 it with your help.

22 MS. JONES: The only problem is, we have to have
23 a way to do this and provide the copies.

24 CHAIRMAN SIEGEL: But there is a strategy, which
25 is that we could prepare pre-minutes that would be if Larry,

1 Trish, and Torre put their heads together and just quickly and
2 with my help, we drafted out a summary of the key items of our
3 recommendation, not the full minutes, Torre, but literally
4 outline form. It wouldn't contain all the reasoning, but it
5 would at least have the key elements and our key answers to
6 the questions. Then we could get that as a first round
7 document.

8 We've talked about that as an option in the past.
9 We have actually talked about it with the commissioners, but
10 have chosen to follow this approach of the more formal
11 minutes, which take typically about 30 days to produce after
12 we have the transcript.

13 There is nothing, I believe, that would prevent
14 me from drafting a memo to Dr. Cool that says the ACMUI made
15 the following major recommendations at its meeting last week,
16 and full minutes will follow.

17 MR. CAMPER: That would be fine. It would be our
18 preference that we get something to the Commission depicting
19 the committee's viewpoints on the IOM report before they are
20 briefed by the Academy. I think that is very important.

21 MEMBER WAGNER: I think it's very important that
22 those points also include the committee's perceptions of
23 weaknesses within the IOM report itself. I think it's very
24 important that it contain the perceptions of the weaknesses
25 within the IOM report, as perceived by the committee.

1 CHAIRMAN SIEGEL: Let's see what we can capture
2 in a page and a half worth of bullets. I think being
3 realistic about my time constraints, it's not going to be the
4 usual 20 page minutes.

5 Okay. So we've dealt with our administrative
6 issues, and now we're right on schedule.

7 So we're going to talk about proposed rulemaking,
8 reporting requirements for unauthorized use of licensed
9 radioactive material. Cindy Jones from Operations Branch is
10 here to discuss that with us.

11 MS. JONES: I took the liberty of three-hole
12 punching your overheads today.

13 CHAIRMAN SIEGEL: You have missed our discussion
14 for the last day and a half.

15 MS. JONES: Yes.

16 CHAIRMAN SIEGEL: One of the terms we have talked
17 about a lot in the last day and a half is the term that we
18 have labelled government by yo-yo.

19 MS. JONES: Did I miss much?

20 CHAIRMAN SIEGEL: Do you understand that concept?

21 MS. JONES: Yes.

22 Well welcome, everyone. I'm sure you have had a
23 busy time the last day and a half or so. What my aim this
24 afternoon is, and then John Glenn who you are all probably
25 familiar with after me, will be discussing some of the outcome

1 of the recent incident investigation team report, which was on
2 the ingestion of phosphorous 32 at the Massachusetts Institute
3 of Technology in Cambridge, Massachusetts.

4 John Glenn went as the team leader of that
5 report, and of course as was in the Indiana, Pennsylvania
6 incident which occurred, which Dr. Glenn and I were involved
7 with as others, outcomes -- a fairly substantial report. This
8 one contains quite a bit of information on internal dosimetry
9 of this individual that was contaminated, very good reading.

10 It also contains a response from MIT in regards
11 to how they responded to this report. So what I'll be going
12 over is after we have these incident investigation teams, the
13 team is responsible for putting together the findings, both
14 findings about the licensee, and also findings about what
15 NRC's regulations or regulatory framework provides.

16 There were a couple of very interesting findings
17 in this one as well. Just to bring you up to speed on this
18 incident as well as the incident at the National Institutes of
19 Health, which is still ongoing, they were most likely the
20 result of a deliberate act by a knowledgeable person. Much
21 more beyond that, we're not at liberty to discuss at this
22 point, since there still is an ongoing investigation at both
23 MIT and at NIH.

24 There also was an issue about security and
25 control of radioactive materials at both facilities, in that

1 the team felt, in particular the IIT, which again is the
2 Incident Investigation Team that looked into the Massachusetts
3 incident, were weak. I'll go over that in a few minutes.

4 Management oversight of the radiation protection
5 program was weak as well. In addition, one unique aspect of
6 an incident investigation team is that we're given no holds
7 barred, so to speak, to look at the NRC regulations. In this
8 case, the team found that the regulatory standards as well as
9 guidance regarding security control of byproduct material were
10 inconsistent. We'll go over some of those as well.

11 MIT licensee overall response was very good. The
12 licensee did do a very good job as far as the internal
13 dosimetry and counting analysis of the individual for some
14 months after the event and the intake occurred.

15 Also, NRC reporting requirements are not specific
16 regarding intentional contamination or by use of deliberate
17 acts. That primarily is the discussion that John Glenn will
18 go into after my discussion this afternoon.

19 There were six major concerns that the IIT came
20 up with regarding what improvements could be made to either
21 licensed activities or to regulations. The first one was
22 security and control of radioactive materials.

23 The team felt that MIT's program for security and
24 control was not effective to deter or detect diversion of
25 byproduct material. That's a question that the commission is

1 dealing with and the staff was dealing with as we look into
2 both of these investigations.

3 Part of the recommendation from the Executive
4 Director to the staff was that the staff needs to evaluate the
5 existing regulations regarding security and control, and also
6 regarding accounting for an inventory of radioactive material.

7 Current regulations for both limited and
8 broadscope licenses do not address the level of detail to
9 which accounting for radioactive material is required. As a
10 result, there was a concern regarding 10 CFR 20.2201 which
11 requires licensees to report theft or loss of material which
12 are greater than 10 times the quantity listed in appendix C,
13 but it's not clear if this regulation is intended to require
14 that licensees perform inventories to determine if that level
15 of material is there or if there was discrepancy noted in
16 their inventory.

17 So there may be a requirement or a proposal for a
18 requirement in a regulation which were requirements.

19 One of the things that we need to look at rather
20 immediately, and we proposed to our management, is that we
21 issue what is called a policy and guidance directive to both
22 materials and inspection staff, licensing and inspection staff
23 in the regions as well as headquarters on what security and
24 control of radioactive material is.

1 A number of these incidences were escalated
2 enforcement resulting in severe level three violations. We
3 need to be clear, both in our guidance to licensees as well as
4 internally consistent so that we have a clear direction on
5 security and control.

6 The second recommendation made by the incident
7 investigation team was that there were a number of precursor
8 events which the team felt could have given either the
9 licensees in this country or the NRC some information about
10 perhaps this was a problem waiting to happen. Therefore, they
11 wanted to look at how the information was collected by the
12 Office of Evaluation and Operation -- let's see, Analysis and
13 Operational Data, AEOD, more acronyms for you to learn -- and
14 to see how that information can be disseminated to both
15 inspection staff, licensing staff, and licensees.

16 The other thing that they found is there was a
17 number of information and events that were reported in
18 agreement states, and how can we get that information to
19 licensees about precursor events. Again, John Glenn will go
20 over what kind of events these were.

21 But the agreement states are under a voluntary
22 participation program regarding how they get their information
23 on events to our data base. That process is becoming
24 automated and it is getting better. There is some effort to
25 improve it. But from when the information comes in to how

1 fast it gets out to the people that need it is what needs to
2 be worked on more.

3 We'll also look at the need for international
4 nuclear material events, probably through IAEA, International
5 Atomic Energy Agency, and we'll develop and work with
6 international programs as appropriate, to get that kind of
7 information again to the people that need it.

8 One of the other recommendations was for
9 reporting requirements. In this case, the team found that the
10 reporting requirements were unclear for intake. Specifically
11 it was regarding this regulation in part 20, which is 2202
12 regarding licensee's requirement to notify the NRC in the
13 event involving loss of control of licensed material that may
14 have caused or threatens to cause a total effect of dose
15 equivalent of greater than five rem in a period of 24 hours.

16 There was some difference of opinion as to how
17 that would be interpreted. MIT, as well as some NRC staff
18 interpreted this to mean that even though the intake may
19 deliver a total effective dose equivalent of over five rems,
20 it will not do so in 24 hours, and therefore, it was not a
21 reportable incident.

22 This was how MIT felt. That was the reason why
23 they did not report the incident until almost two months after
24 it occurred.

1 So what the staff is proposing to do is to issue
2 an information notice which will go out to all licensees
3 clarifying the requirements and just to make the statements a
4 consideration that were in part 20 a little bit more
5 explainable.

6 Again, it's the intake of radioactive material in
7 24 hours and that the committed effective dose that is
8 received by an individual during a 50 year period following
9 the intake.

10 It didn't seem to be too confusing afterwards,
11 but when you are in the middle of an event --

12 CHAIRMAN SIEGEL: What does that paragraph in
13 part 20 say now?

14 MS. JONES: This is what it says. I didn't bring
15 a copy of the regulations. But this is what it says.

16 CHAIRMAN SIEGEL: That's the current language?

17 MS. JONES: Yes.

18 CHAIRMAN SIEGEL: So why were they confused, just
19 out of curiosity.

20 MS. JONES: They felt that the total, and perhaps
21 John can tell me exactly --

22 DR. GLENN: I don't think this is the wording,
23 because the word intake doesn't appear I don't think. Due to
24 an intake maybe, but it's not actually the intake in a 24 hour

1 period that occurs in the regulations. If it were, I don't
2 think it would be a problem.

3 MS. JONES: Yes.

4 MEMBER WAGNER: What is the regulatory section?

5 MS. JONES: 2202.

6 CHAIRMAN SIEGEL: It's not in there. We have an
7 incomplete part 20.

8 MS. JONES: What I can do is give you a copy of
9 that in the correct language.

10 The current NRC guidance regarding the assignment
11 of dose requires that the internal dose be assigned to the
12 calendar year in which the intake occurred. But MIT and a
13 number of other NRC staff felt that it could be confusing. So
14 we are issuing an informational notice which basically
15 restates what the regulations already have. 2202-B. Part
16 20.2202.

17 MEMBER WILLIAMSON: So it was interpreted that no
18 reporting had to be done because they felt that five rem or
19 whatever hadn't been given in 24 hours?

20 DR. GLENN: That's correct. To be fair to MIT,
21 let me clarify it a little bit.

22 They essentially had two factors that they were
23 taking into account. One is the dose turned out to be two
24 percent below five rem. The IIT did conclude that they had
25 reason to believe that it threatened to cause an exposure in

1 excess of five rem early on. Some of the data indicated it
2 was over five rem. Some didn't indicate it was over five rem.

3 So the team did conclude they had reason to
4 consider reporting it on the basis of a threatened to cause an
5 exposure above five rem.

6 MS. JONES: And the words threaten to cause are
7 in the regulations.

8 DR. GLENN: Right. They never concluded that it
9 had in fact exceeded five rem. In fact, we concluded that
10 they came in slightly under five rem at the end.

11 However, the author did raise this issue that the
12 reporting requirement was for the dose received in 24 hours.
13 They interpreted that to be actual energy deposited in tissue
14 over a 24 hour period.

15 MEMBER WAGNER: Yes. The wording is quite clear.
16 Twenty four hour notification. Each licensee shall within 24
17 hours of discovering the event, report any event involved in
18 loss of control of licensed material possessed by the licensee
19 that may have caused or threatens to cause any of the
20 following conditions. Number one, an individual to receive in
21 a period of 24 hours an annual effective dose equivalent
22 exceeding five rem.

23 So it's quite clear that it says in a 24 hour
24 period. That is the interpretation. It wasn't within a 24

1 hour period. It occurred over a longer period because of the
2 decay.

3 CHAIRMAN SIEGEL: The more interesting question
4 is, is how can you receive an annual effective dose equivalent
5 in 24 hours.

6 MEMBER WAGNER: It says the total.

7 CHAIRMAN SIEGEL: Thank you. Okay.

8 MS. JONES: So you will be seeing probably a
9 newsletter article on that, as well as an information notice.

10 Another concern that the IIT had was regarding
11 management oversight. I think the report shows the staff at
12 this licensee facility, as well as a radiation safety officer,
13 really did a very good job at assessing the dose to the
14 individual. But there were a number of concerns regarding
15 management oversight regarding broad scope licensed programs
16 with respect to the RSO radiation safety officer, radiation
17 safety committee and authorized user and supervisor.

18 One of the things that the staff is planning to
19 do of course, we had already recognized the need that this was
20 a concern. Last year we issued a new reg 1516 which was
21 entitled, "Management of Radioactive Material Safety Programs
22 at Medical Facilities." That was developed and issued last
23 January, 1995, to help licensees in developing a sound program
24 for adequate management of their radioactive material program.

1 One of the things that we are tossing around the
2 idea of, and I've actually drafted some language, is for an
3 advance notice of proposed rule making. Part 35 of course is
4 very good at being able to explain the roles of radiation
5 safety officer, radiation safety committee, authorized user
6 and supervisor. The intent would be to strengthen part 33 to
7 be more similar to that.

8 ANPR, if you are not familiar with that process,
9 is putting together draft language. In this case, would also
10 have some questions for people to answer. You know, do you
11 think this is a good idea, is this not such a good idea. What
12 proposal would you have for strengthening these kinds of roles
13 at licensing facility. It would be for usually an extended
14 period of time for comment, four or six months.

15 Then the staff looks at all the comments that
16 they get back. Sometimes we get good advice on how we can
17 improve the language. Sometimes we get changes that indicate
18 the rule is really not needed, this rule change and so forth.

19 So we go out with an ANPR which would clarify
20 these rules and we would add also or propose a requirement for
21 inventories of unsealed byproduct materials, since the
22 incident investigation team, as well as other team inspections
23 around broad scope facilities has found that inventory control
24 or requirements for inventories is a concern and can lead to
25 loss of control of radioactive material.

1 CHAIRMAN SIEGEL: Can you give me a hint about
2 what you are thinking about in terms of inventory
3 requirements, inventory frequency, what discrepancies you
4 would allow between inventory and what you expect to have?

5 MS. JONES: It hasn't even really gotten that
6 far. It may be just a question in the rule. Currently I
7 don't have it written in the proposed ruling.

8 CHAIRMAN SIEGEL: Okay.

9 MS. JONES: It just says inventory would be
10 required. It may be up to the licensee to determine how that
11 program is established.

12 A number of licensees have computer programs that
13 they run their inventory requirements off of. A licensee
14 could choose how to do that. I don't think we would prescribe
15 what exactly they need to do.

16 MEMBER WAGNER: This is an interesting point,
17 because I think the IOM's recommendations were for medical
18 institutions. It clearly impacts now on different parts of
19 the regulations if you take broad scope licenses to medical
20 institutions. There's my further implication here.

21 MS. JONES: One of the other things is you are
22 probably aware of, is there is a draft regulatory guide out
23 which is DG-0005. This was a revision to the reg guide 810.5.
24 We were thinking that this perhaps may need to be put on hold
25 until we either issued the NPR or decided what to do with part

1 33, because of course it does talk about how a program would
2 apply for and what kind of package they would put together for
3 broad scope programs.

4 Of course if part 33 is significantly changed,
5 then that regulatory guide on how to put together your package
6 for your program would also need to change. So that may be
7 put on hold pending incorporation of this.

8 All these items that I am talking about today are
9 currently with the executive director for operation. They
10 will be reviewed and then approved, and then a time line is
11 put forward. But it is a fairly quick timeline as far as ANPR
12 would expect that if it is approved by the executive director
13 that we could imagine seeing it out on the street in May or
14 June timeframe.

15 MEMBER WILLIAMSON: May I ask what is part 30 and
16 what is part 33 in their functions?

17 MS. JONES: I don't have the exact title. Part
18 33 is for licenses of broad scope. I should have brought
19 part, my regulations with me.

20 MR. CAMPER: Part 30 is the broad administrative
21 chapter that deals with licensing. Part 33 is specifically
22 licenses of broad scope.

23 MS. JONES: Adequacy of NRC's guidance and
24 procedures for event response. This is more for the NRC to
25 look at and to improve.

1 As I mentioned before the Office of Evaluation
2 and Operational Data, the AEOD, is responsible for putting
3 together internal procedures on how we put together elevated
4 response teams for incident investigation.

5 At the highest level of course is the incident
6 investigation team. AIT, a lower level than is called
7 augmented inspection team.

8 MIT's incident investigation team -- why do we
9 have three acronyms here. MIT had an incident investigation
10 team. NIH was an augmented inspection team. One of the
11 things that we're looking at is we need to correct and
12 probably clarify how an AIT becomes upgraded to an IIT, and
13 what kinds of factors should be strengthened in how an AIT is
14 conducted, exit and entrance interviews, use of transcribed
15 interviews.

16 The NIH inspection team did not used transcribed
17 interviews. They were not aware of the fact that that could
18 have been available. Part of what we can do in the future is
19 better training of those individuals that are on the team, so
20 that they are aware of what is available, and use transcribed
21 interviews when we need to.

22 Media coverage was really pretty well, but the
23 exchange of information between individuals, between licensee,
24 between the NRC, and then in NIH's case, it involved a Federal
25 investigation as well. So we have a number of different

1 people that are involved with this investigation, and a better
2 procedure needs to be made so that we can mesh together and
3 better coordinate.

4 We'll also look at the adequacy of guidance for
5 how we charter or how we start these AITs and IITs as well,
6 which involve deliberate acts which were not covered before
7 under the current guidance.

8 The last issue that the IIT came up with was
9 regarding the adequacy of NRC's guidance for licensee response
10 to intakes. This had a number of different components.
11 Analyzing the intake itself of radioactive material. In NIH's
12 case, analyzing the fetal dose.

13 When licensees seek outside medical expertise,
14 should we be perhaps giving them some guidance on who they can
15 contact, how they can contact facilities like REATs and so
16 forth.

17 Then also for NRC staff, in particular
18 inspections staff who monitor licensee evaluation of intake,
19 what types of training and also procedures are available
20 regarding the inspection staff on how to better analyze and
21 monitor that.

22 One thing that has come out of the Office of
23 Research or will be shortly is a new reg which is called
24 Contribution of Maternal Radionuclide Burdens to Prenatal

1 Radiation Doses. Dr. Shlomo Daniff has been working on that
2 in that with a contractor. That will be issued in May, 1996.

3 In addition, the large new reg that we use, which
4 is about three inches thick on interpretation of bioassay
5 measurements, I don't believe will need to be revised, but
6 there may need to be a supplement issued so that we can better
7 clarify for licensees how and when to collect, for example,
8 urine samples, how to store them, when to collect them, what a
9 24 hour period means.

10 As you read in the new reg on the Massachusetts
11 incident, it's just not as simple as collecting 24 hour urine
12 specimen. In order to provide some clarification and guidance
13 to licensees, we're going to probably issue a supplement to
14 that or additional guidance probably in IN or a newsletter
15 article.

16 Let's see. In summary then, we do have a number
17 of ongoing actions which are on a fairly brisk timeline.
18 There is a proposed rule out for public comment regarding
19 required reporting for deliberate mis-use of radioactive
20 material. John will be talking about that. The comment
21 period was for a period of 30 days. He'll also be mentioning
22 that.

23 Evaluation and security and control regulations
24 and guidance, we'll be beefing that up, and explaining a
25 little bit more to licensees, as well as to our inspections

1 staff, what we can do in the interim until perhaps a
2 rulemaking change is made.

3 We'll determine the need to develop requirements
4 for inventory and accounting. As I mentioned before, it may
5 be as a question in the ANPR for part 33, or it may be just a
6 separate section, and get comments back from the licensee
7 community.

8 One thing I should mention about the ANPR is that
9 the state of Illinois has drafted this language and has been
10 working on beefing up their "part 33 regulations" in the past
11 year and a half or so. They shared with us their part 33 rule
12 language so that all I really had to do was take that and then
13 convert it to our language, and then take the incidents and
14 lessons learned from these two events as well as some others,
15 to put it in there. So that we do have a lot of input from
16 the agreement state area already in this issue.

17 We'll evaluate the current regulations and
18 guidance regarding restricted, unrestricted, and controlled
19 areas. As you may recall, there was a rulemaking effort
20 underway about a year and a half ago regarding controlled
21 areas. For those of us on the non-reactor side of the house,
22 we wanted to eliminate controlled areas for material
23 licensees. That went out as a proposed rule. That rule was
24 retained. The controlled area in fact still is in part 20.

1 It raised some questions, which I really won't go
2 into detail right now. It's in the report from Massachusetts.
3 But there was quite a bit of confusion regarding controlled
4 areas. When you cite controlled areas, when you cite
5 restricted areas. We'll be putting together some guidance for
6 licensees on when to clarify, and what areas should be cited
7 as restricted, controlled, or unrestricted. Apparently there
8 really isn't guidance in that area.

9 Then as we go through each of these tasks from
10 the incident investigation team, where we see the need to
11 provide or put in regulations, the proposed regulations, we'll
12 do so. In some cases, regulations will not be changed. They
13 just need to be clarified through an information notice and/or
14 a newsletter article.

15 So, any questions?

16 CHAIRMAN SIEGEL: Probably several. First of
17 all, it seems fairly obvious that several of these issues are
18 potential agenda items for whenever it is we have the next
19 meeting. So I would like to just get that out on the record.
20 Because I think there's some real important implications for
21 these activities for academic medical institutions. So the
22 ACMUI, as we requested at the last meeting, would certainly
23 like to have some input into the practical effects with these
24 things.

1 Maybe I need to ask John this, but I can start
2 with you. How are you going to do your cost-benefit analysis
3 in terms of deciding where to set the bar in terms of security
4 of byproduct material at academic institutions?

5 MS. JONES: Good question.

6 DR. GLENN: Actually, I think it even goes beyond
7 cost-benefit. It gets into technical feasibility as well. I
8 think that's one of the hard things we're going to have to
9 struggle with, because the immediate thing might be to say
10 well to a tenth of an ALIs. That would be the thing to have
11 control to this sort of thing.

12 But if you are talking about discrepancies for a
13 therapeutic shipment of iodine 131 of 150 millicuries, you are
14 never going to see an ALI, 10 ALIs, or whatever if that
15 happens to be missing from that shipment. So there's a lot of
16 analysis that you need to go into in terms of technical
17 feasibility as well as cost benefit.

18 CHAIRMAN SIEGEL: Because as you obviously know,
19 the culture in most academic institutions is a lot different
20 than the culture in a power plant. The kinds of security that
21 universities which are kind of free places are likely to
22 impose on their staff from an institutional point of view, and
23 then the kind of security requirements that the staff are
24 likely to be willing to live with.

1 I mean part of being a university professor and
2 having tenure is that you don't have to pay attention to
3 anybody. That's part of the culture of the job, is that you
4 can say or behave any way you wish, and you can't be fired
5 because you have tenure.

6 It's just that kind of culture that imposing
7 exceedingly stringent security requirements for relatively
8 small amounts of radioactive material in most instances, has a
9 potential to really really disrupt academic institutions in a
10 serious way, and to appear unwarranted, and this is akin to
11 the discussion we've been having for the last day and a half,
12 when there's hazardous chemicals that are not so regulated and
13 hazardous biological materials, some of which are regulated
14 but many of which are not in those same laboratories.

15 So it's again, how far do you let the Atomic
16 Energy Act push through the culture in an institution when
17 it's only one of the potential hazards that have to be dealt
18 with in that institution.

19 MS. JONES: Well, I don't think we'll go so far
20 as to make it unreasonable. I mean a number of us have been
21 licensees, and certainly can recognize that.

22 The concern that we had is we did have guidance
23 that was out on the street in the form of a health physics
24 position. That contradicts the regulations. So that's our

1 responsibility to be able to correct that guidance, and
2 correct it in a way that is reasonable for licensees.

3 One way we can do that is through the comment
4 period.

5 DR. GLENN: Let me add a little bit to that since
6 I was on the team and made some of these recommendations.

7 I think if you read the report, you'll find that
8 what the team raised most was the fact that we had a
9 regulation that really restricted down to zero. We had
10 guidance that said well, it's at least up to appendix E
11 quantities and it could be even more than appendix E
12 quantities that you don't have to secure.

13 That is the situation we say really has to be
14 fixed. We can't have that contradictory regulations and
15 guidance like that.

16 CHAIRMAN SIEGEL: I don't disagree with that. I
17 hope you don't go to zero though, because it ain't possible.
18 It just can't happen. Besides, don't forget all that missing
19 plutonium that you can't account for.

20 MEMBER WAGNER: What's going to be our procedure
21 here? Are we going to go through this summary report that we
22 received in our pre-packets for this meeting? Is John going
23 to give a report or what are we going to do here?

24 CHAIRMAN SIEGEL: Well, John is going to tell us
25 about the proposed rule.

1 MS. JONES: If there are specific questions on
2 the staff action items that you had, probably John or I could
3 --

4 MEMBER WAGNER: Well, there's a lot of findings
5 here, like on security control of radioactive materials in
6 laboratories and things. I ran through what you found and
7 I've read the words. I have no idea what they mean and why
8 they are findings. I'd like you to elaborate on them because
9 I don't understand them.

10 Crowded laboratory areas and benches limited the
11 line of sight of workers to visitors and to areas in which
12 radioactive material was used or stored. It's very inspecific
13 and probably needs to be, because you are trying to summarize
14 things, but I can't get a picture of what we're talking about
15 here.

16 Are we talking about laboratory benches that had
17 stuff piled up so high on them that people couldn't see what
18 they are getting around? I mean it says it's crowded
19 conditions. What does that mean?

20 DR. GLENN: Let me comment on that. It's sort of
21 all of the above. I guess the most striking thing when you
22 went into this particular suite of laboratories was that it
23 was not laid out in hallways and labs that run off of the
24 hallways. Instead, this complex was laid out like a maze. So

1 to get from one laboratory to another, you might have to go
2 through two other people's laboratories.

3 This is also a laboratory where there is a lot of
4 competition to work for the director of the laboratory. So it
5 was crowded. There was equipment and stuff piled all over.

6 In particular, the area where the radioactive
7 material was stored was sort of in a middle laboratory which
8 if there happened to be someone whose lab bench was right next
9 to the refrigerator, it could be seen. Otherwise, people
10 could wander in from outside the suite of laboratories or from
11 another laboratory into this area where the material was
12 stored, open the refrigerator, take whatever they wanted,
13 leave. No one would have ever detected it.

14 In fact, the team members in late on Friday
15 evening or on Saturday morning were able to walk in and have
16 access to the storage area. So the whole picture was one of
17 there was material that was supposed to be secure. Anyone --
18 well, that's a little far, but there was no effective means
19 for the people in that laboratory to control access to it.

20 MEMBER WAGNER: Were there radioactive materials
21 signs around appropriately? Were things appropriately
22 labeled?

23 DR. GLENN: The signs were very prominent. There
24 was no problem with the signing.

1 MEMBER WAGNER: So what you are saying is that
2 with the signing, that unknowledgeable person at least would
3 be able to read the signs, and they wouldn't go into a
4 refrigerator and store their food necessarily in the
5 refrigerator?

6 DR. GLENN: I think one thing you have to
7 realize, this II team was not looking at the incidental
8 intruder. We were talking about someone who came in to take
9 material.

10 MEMBER WAGNER: Okay. But it's very difficult to
11 access some of this.

12 MEMBER SWANSON: I have a disconnect there
13 though. This is an intended -- if somebody intends to do
14 this, who is to say that that's not somebody that is
15 authorized to be in that lab to begin with?

16 DR. GLENN: One thing that I think if you read
17 the full report you'll find out. The IIT did not conclude
18 that the cause of this incident was security. It's just that
19 it was one of the contributing causes, because good security
20 would narrow down the number of people who could have
21 perpetrated the act.

22 MEMBER WAGNER: I can tell you I know in our
23 laboratories in our facilities, if there was somebody on the
24 inside who wants to get at radioactive material in our labs,

1 short of putting a security guard outside, I don't see how
2 we're going to stop them.

3 In intentional acts, willfully taking material
4 from some of the labs, when you're talking about small --

5 CHAIRMAN SIEGEL: That's what John just said. At
6 least that limits it to employees who can get into the
7 building, as opposed to --

8 MEMBER WAGNER: Somebody from outside.

9 CHAIRMAN SIEGEL: Just walking in off the street.

10 MEMBER WAGNER: Some anti-nuclear person or
11 something, who comes in and wants to try to sabotage things.

12 MS. JONES: A number of our laboratories --
13 excuse me, licensees have requirements for either securing
14 radioactive material either by closing the door to the lab, or
15 being in attendance.

16 In many cases, usually around lunch hour, you can
17 go in and the laboratory is unlocked, and there's quite a bit
18 of material around. So we're just trying to instill that
19 there's a sense of security and control that licensees need to
20 take account when we find that there have been these
21 deliberate acts that have taken place.

22 DR. GLENN: Let me just add a little bit of what
23 MIT did in this particular laboratory to address the issue.
24 That was, they put a lock on the refrigerator, and they made
25 it so that there were four custodians of the refrigerator.

1 Now does that eliminate the possibility that one
2 of those four custodians will take material out and do
3 something with it? No, it doesn't. But we certainly would
4 have a much better idea of where to look and where to begin
5 the investigation to find out what happened, who did it, and
6 how, under the current situation than in the situation that
7 existed prior to the event.

8 MEMBER WILLIAMSON: So I guess in summary, if you
9 feel the existing regulations on security of radioactive
10 materials in laboratories are adequate and sufficiently clear
11 but they simply weren't following established practices?

12 MS. JONES: Actually, I don't think they are
13 sufficiently clear. That's the problem.

14 DR. GLENN: Yes. What we said is they may be,
15 but there is conflicting guidance out there. That needs to be
16 straightened out.

17 MS. JONES: Yes. The regulations clearly state
18 zero. The health physics Qs and As and the health physics
19 positions say appendix E quantities or possibly higher, which
20 is a number greater than zero. So we need to clarify that.

21 CHAIRMAN SIEGEL: You're confused, Lou?

22 MEMBER WAGNER: I'm still confused. I'm trying
23 to work all this out. First of all, could you explain to me
24 that difference. Could you state just one more time, because
25 I am very slow, could you please --

1 CHAIRMAN SIEGEL: He's from Texas. That's why
2 he's slow.

3 (Laughter.)

4 MEMBER WAGNER: Where is this conflict in the
5 regulations that things are confusing that you are trying to
6 clear up. That's what I'd really like --

7 CHAIRMAN SIEGEL: Well part of the problem is we
8 only got in our books a small executive summary. What you
9 needed was the whole book to be able to find some of this
10 stuff. We can --

11 MS. JONES: I found it really quickly. We can
12 send you a copy of this. It's on page 5-3 of the report. But
13 there's a section that was called Regulations for Security and
14 Control. It reiterates what's in 20.1801 about storage and
15 control.

16 It says, licensee shall secure from unauthorized
17 removal or accessed license materials that are stored and
18 controlled in unrestricted area. The licensee shall control
19 and maintain constant surveillance of licensed material that
20 is in controlled or unrestricted area and that is not in
21 storage.

22 However, the Qs and As that I mentioned, which
23 were part of the health physics positions as well, had
24 question set, and these were published back in 1992, which
25 inquired if the regulations in those parts, parts 20.1801 and

1 1802 would impose on one on all quantities of radioactive
2 material however small, to which the NRC responded no.

3 On two, on quantities that are exempt from
4 labelling in accordance with 20.1905, which we also
5 corresponded no. So clearly, we were giving mixed signals.
6 That is part of the findings. The licensee certainly was
7 using the guidance as many licensees have done. We have found
8 a mistake that we need to correct and clarify for licensees.

9 MEMBER WAGNER: I guess part of the problem
10 though becomes to what level of security. It's rather vague
11 in that it says you must secure against unauthorized removal.
12 Clearly if a crook goes in there and breaks the lock and takes
13 it out, by definition it's not secured from unauthorized
14 removal. So now you've got to go to another level of
15 security.

16 Where in the guidance does the user know to what
17 level security this must be maintained in order to meet the
18 regulatory standard?

19 MS. JONES: That is what we'll have to work on.

20 DR. GLENN: And Lou, I think you jumped way ahead
21 of the regulation and even considered regulation when you said
22 that we would require security beyond a lock. I think a lock
23 in most circumstances is going to be considered adequate
24 security.

1 MEMBER WAGNER: I'm asking that question because
2 it's -- I mean we don't always have locks on all our
3 refrigerator doors, but we have locks on all the rooms.

4 CHAIRMAN SIEGEL: But Lou, I'll bet you if you
5 walk up and down the halls of the labs in most of your medical
6 center at lunch time or at the end of the day when people
7 would be ideally locking their labs so that their computers
8 don't get stolen, you will find that many of the labs are in
9 fact unlocked because people left for the end of the day, and
10 they just forgot to lock the labs.

11 It turns out that with a little bit of attention,
12 helped by events like this, that institutions that are willing
13 to take a little time and effort to think through the problem
14 can actually make dramatic changes in very short periods of
15 time in the security level and the level of security awareness
16 in the institution.

17 At Washington University, and I won't say for a
18 moment that we're perfect, having seen NRC announcements of
19 various forums on the Internet and also aided by the fact that
20 I was aware of these things, our radiation safety committee
21 has sat down and talked about this. We have now security in
22 three hospitals, plus the university main campus, plus the
23 medical school.

24 Basically, when they do their walk-throughs at
25 night, they are checking to make sure that all labs are

1 locked. When labs are not locked, they are doing two things.
2 They are leaving a notice on the lab that they lock and say
3 why it was locked. These are labs that are posted for
4 containing radioactive materials. And then notifying the
5 Radiation Safety Committee.

6 Second offenders are going to lose their
7 privileges until they indicate to us how they are going to
8 establish a system of ensuring security in the laboratory so
9 that we can make an effort to bring ourselves more in
10 compliance with the spirit, if not the letter, of part 20.

11 We are big and a very complicated institution. I
12 think other institutions can make similar sorts of efforts.

13 MEMBER WAGNER: I think one of our problems that
14 we've noted is the fact that all the cleaning people at night
15 tend to go down the halls and open up all the doors.

16 CHAIRMAN SIEGEL: They need to learn not to do
17 that. That is a common problem. They simply need to be
18 instructed.

19 MS. JONES: What we used to do at UCLA was put
20 the garbage cans outside the door.

21 MEMBER WAGNER: Some of the things that I saw in
22 here that I started asking questions about, and that is
23 looking at the security of the building. Was this a building
24 solely dedicated to research and to such use of radioactive
25 materials, or is this a multi-use building where you have

1 classrooms and other things inside the building along with
2 other laboratories and things like that?

3 DR. GLENN: This building was mainly for
4 research. I don't believe there were any classrooms in it.
5 But it wasn't restricted to radioactive research. I mean
6 there were other activities in the building.

7 MEMBER WAGNER: The point that I guess I'm making
8 is that I know with our building, if we look at our security
9 outside, yes, we have a card entrance type of security to get
10 in, but I know when I get to my building and I have forgotten
11 my card, I just wait for a student to come around. The
12 student goes and I just follow him right on in.

13 DR. GLENN: That's exactly what the IIT found.

14 MEMBER WAGNER: Of course. Short of increasing
15 your costs for security, I'd want to make sure there was real
16 need to increase the costs of security in these circumstances.
17 That's a simple one, and I don't know how you really get
18 around that other than you simply only have one entrance and
19 you've got to go through a guard to get in.

20 CHAIRMAN SIEGEL: I think the point you are
21 making is that this has to be thought through very very
22 carefully, because there is the potential to wreak major
23 cultural havoc and potentially for risks that don't warrant
24 major cultural havoc.

1 Even if you look at the precursor events and the
2 considered history of the total amount of use that occurs,
3 we're still not talking about large numbers of events. We're
4 not talking about a major problem. So remember that the yo-yo
5 should stay up rather than necessarily going to the full
6 extent of its excursion.

7 John, we were talking about government by yo-yo
8 earlier before you were here.

9 Jeff.

10 MEMBER WILLIAMSON: Where do you intend to set
11 this lower level, I guess, below which you don't have any
12 concern whether the materials inventoried/secure whatever.
13 Are you going to leave it at zero as the current regulation
14 says or go with what seems more practical and reasonable
15 guidance?

16 MS. JONES: I can't predict what the future will
17 hold, but we clearly -- having had a hand in writing the
18 questions and answers, our intent was appendix E quantities.
19 That that was a reasonable -- that those are quantities that
20 we talked with National Energy Institute. NEI worked on those
21 Qs and As with us.

22 They were the liaison for the materials
23 community, and felt that that was a reasonable amount. It may
24 be that in the interim guidance, we can say okay this is the

1 level we're using. We'll reiterate what was in the Qs and As
2 and then work on rulemaking to fix that.

3 But as Dr. Siegel mentioned, we will have to put
4 forward the risk basis for that cost benefit analysis. That's
5 some work that we have yet to do in research.

6 MEMBER WAGNER: I still have got a few more
7 questions here. If you had done that, if you set it at that
8 level, would it have changed anything in regard to these
9 events potentially occurring?

10 MS. JONES: I can speak for the National
11 Institutes of Health. There was a security and control issue
12 at that facility.

13 MEMBER WAGNER: Was it at those levels?

14 MS. JONES: It was above those levels.

15 DR. GLENN: It was above those levels at MIT
16 also. The intake was approximately 10 times the Appendix C
17 limits. So clearly, there was more in that refrigerator than
18 was discussed as not needing security in the Qs and As.

19 MEMBER WAGNER: I can see a lot of problems
20 coming in with this inventory, because how frequently would
21 you have to take this inventory and monitor. You are talking
22 about materials that have a 14 day half-life here. So they
23 are going to be decreasing in their activity rather rapidly.
24 They might not be used as frequently. They might be used only
25 intermittently or whatever.

1 How frequently would somebody have to take an
2 inventory and to look at their materials in order to make this
3 effective?

4 MS. JONES: Well, we would propose that licensees
5 determine what frequency that inventory would be at. I don't
6 think -- you know, we're not in the process of establishing
7 very prescriptive regulations. We typically have or are in
8 the process of providing regulations where we allow the
9 licensee to come in with a proposal and establish that
10 frequency and basis for that.

11 MEMBER WAGNER: I think that's a very difficult
12 issue though, because when you are using these low levels of
13 radioactive material that emit only beta particles and trying
14 to take an inventory of the routine basis where you would pick
15 up on that, and then making that an effective means by which
16 to protect people within the department, I think that has to
17 be scrutinized very carefully, because it's a great idea, but
18 is it a practical matter that you can really do to get an
19 effective result.

20 I would say there's a lot of questions as to
21 whether or not you can with some of these activities.

22 MS. JONES: I would say that MIT was an excellent
23 example of how they were able to have an inventory and come up
24 with how much of it they lost, which coincidentally was exactly
25 the amount that ended up in this person.

1 MEMBER WAGNER: Is the purpose of the inventory
2 to try to prevent incidents or is the purpose of the inventory
3 simply to say if an incident occurs, to figure out how much is
4 gone?

5 DR. GLENN: Both. Certainly the prospective kind
6 of protection would involve large quantities. I mean when you
7 have a big discrepancy can you pick that up.

8 CHAIRMAN SIEGEL: Any other questions for Cindy?
9 If not, John.

10 MS. JONES: Thank you.

11 CHAIRMAN SIEGEL: Keep us posted.

12 DR. GLENN: What I'm going to discuss is the
13 first piece of any rulemaking that came out of the IIT, and it
14 had to do with the fact that we didn't have a clear
15 requirement that, when wrongdoing is associated with the use
16 of radioactive materials, that the NRC be notified and have
17 some chance to assess it, and investigate, at an earlier
18 stage.

19 As Cindy's already mentioned, the two events that
20 we're talking about are the NIH at Bethesda and the M.I.T.
21 event in Cambridge, Massachusetts.

22 At NIH, the eventual dose estimates were above
23 our regulatory limits. And I don't have it on the slide here,
24 but, of course, it was also the embryo fetus that was exposed
25 as well.

1 Also, there were a significant number of people
2 involved in either a separate or a secondary contamination
3 event at NIH, so that a total of 27 people had measurable
4 intakes or uptakes of P-32.

5 MEMBER WAGNER: How many of those got the dose,
6 of eight to 12 rem?

7 DR. GLENN: The one got that. The fetus got
8 approximately that much, in the same range, slightly smaller.
9 The others, significantly less. An order of magnitude less.

10 Again, I missed the first part of Cindy's, but
11 one thing is that there was a water cooler at NIH that was
12 found contaminated, and that may have been a source for many
13 of the 27 people who were contaminated.

14 MEMBER WAGNER: How did -- do we know how the
15 person who was pregnant got contaminated?

16 DR. GLENN: That's an ongoing investigation.

17 MEMBER WAGNER: Okay.

18 DR. GLENN: One thing the IIT found out, in
19 looking at -- you know, what was stated that an investigation
20 team looked at if there was a precursor. Should we have known
21 that something like this could happen, should we have had some
22 preparation for this? Some regulatory, mechanism, authority
23 in place.

24 And I was actually surprised at the number of
25 similar events that we were able to identify, by going through

1 historical notices, by asking the agreement states for
2 information.

3 And these are the ones that were most
4 significant. There were some other ones was well, but with
5 either smaller quantities, or of a different nature.

6 I might mention that the one at the University of
7 California, in 1978, was probably the most significant one of
8 all. It involved three people.

9 One individual had an uptake estimated at three
10 to four millicuries, and there was external contamination as
11 well. And there were actual radiation burns found on the skin
12 of the most exposed individual.

13 The IIT did try, actually, to find out why we did
14 not react more at that time, because the NRC was aware of
15 that. We were able to review the reports of the event.

16 And I can only speculate. But this report came
17 in in February of 1979, and it could be the Commission was
18 distracted by other things that happened in March of 1979.
19 So, but, we could not nail down why more wasn't done at that
20 time.

21 An event that I had been aware of was Brown
22 University, in February of 1982. But I just realized, in the
23 slide, that we said agreement states. It was at that time,
24 too. Okay, so that is correct.

1 In Rhode Island, very similar situation to the
2 ones that we had in the two more recent events. In that it
3 was found in the sink, and so many of the same features that
4 we saw in these other two.

5 Washington University, in the early eighties.
6 This was a deliberate intake by the person found with
7 contamination. And this is the one that was pretty well
8 wrapped up.

9 Most of these, who did it is still kind of an
10 open question, but this is one where the technician, who had
11 access to the materials, eventually they had self-administered
12 material.

13 We had an event with iodine-125, at a research
14 laboratory in the VA in the Bronx in '84. We have Albert
15 Einstein, Duke University. Again, this one, potentially,
16 could have been very significant.

17 We didn't have enough details to know whether
18 that 5.96 is real or not. I think it's kind of an upper bound
19 of what it might have been.

20 But you will see at six millicuries, we're
21 talking about some pretty hefty doses, to the exposed
22 individual. And, again, that was unresolved as to whether it
23 was self-administered, or whether someone else did it.

1 University of California, we had an iodine-125
2 uptake in `91. And we found one in Toronto, Canada, but this
3 one we learned of by a little bit of happenstance.

4 It was an agreements -- all agreement states
5 meeting, and we were discussing the, all the people were
6 discussing the IIT, and the representative from Canada
7 mentioned that they had had a similar event a couple of years
8 before.

9 This one was interesting because they, in fact,
10 got a confession, and the individual went to jail. That
11 individual is now out. Now that he's out, he's saying that he
12 really didn't do it, he was advised incorrectly by his lawyer
13 to confess.

14 But, as in this case, it was not self-inflicted.
15 It was a roommate gave the material to his roommate, so it was
16 kind of an interesting case.

17 CHAIRMAN SIEGEL: John, I'm actually surprised
18 that you're surprised at the number of events. I'm surprised
19 it's as small as it is.

20 DR. GLENN: It could be that there are quite a
21 few more. This is what we were able to surface, that was
22 documented either by the NRC or the agreement states, but no
23 one had ever pulled it all together, and so there could be
24 quite a few more.

1 MEMBER SWANSON: I'm not sure I agree with that
2 statement. I mean, these are deliberate incidents, where
3 people are deliberately doing this, okay, I mean.

4 I don't -- I think there's lots of instances of
5 contamination out there, but I really don't think that there
6 are a lot of people out there deliberately putting radioactive
7 materials in other people's sandwiches, okay. Come on. I'd
8 like to think that, in the society we live in, there's better
9 than that.

10 MEMBER WAGNER: I don't know what the situation
11 is, but there's two different kinds of situations. Number
12 one, if it is an intentional act and they're using radioactive
13 material, it seems to me they'd want that to be found, because
14 that's a material which you can find, and you can say, "oh,
15 I'm contaminated."

16 You can't do that with other things, with other
17 substances. So it seems to me like they want it to be found,
18 as a prank or joke, or whatever, and it's intentional for that
19 reason.

20 Others, it's just simply stupid people who really
21 have no concept of radioactive material, and think it's a joke
22 to go do these things, and then it accidentally ends up as
23 somebody imbibing radioactive material.

1 Those are your two circumstances. I'm frankly as
2 little surprised that it was such a small number, but I'm glad
3 it is.

4 DR. GLENN: One of the striking things about the
5 NIH and M.I.T. events to is note how close the eventual doses
6 were to the limit. And you wondered whether that was part of
7 the initial event.

8 One thing that we try to do, in mounting an
9 Incident Investigation Team, is to come up with the root
10 cause.

11 This team was not able to come up with a root
12 cause, because we couldn't identify who and we couldn't
13 identify why. Therefore, it makes it kind of difficult to say
14 what is the root cause, of what the event was.

15 We did know what were some contributing causes.
16 One, as we discussed a little bit earlier, M.I.T.'s program
17 for controls and accounting for radioactive material was not
18 effective.

19 And the team chose to deter or detect deliberate
20 diversion of radioactive material. So we were taking note
21 that that's not the cause, but it contributed in that, if it
22 had been better, it might have been deterred, or it might have
23 been detected and resolved a little bit faster.

24 The one that brings us to the rule-making is that
25 NRC did not have reporting requirements, in place, to collect

1 information about deliberate acts, in order to assess the
2 frequency. So we do not know how often these kinds of things
3 occur.

4 And third, NRC did not disseminate information
5 about known precursor events, and did not inform licensees of
6 the NIH event until four months after its report.

7 So, again, do we have a purpose for gathering
8 this information? Yes, that's to share it with licensees, and
9 to integrate it into our regulatory program.

10 Okay. What do we consider doing? With respect
11 to the middle one, the fact that we don't have the
12 information, we can take no action. Essentially, just count
13 on getting the same type of reports we get today.

14 We could go in and amend the licenses to require
15 people to report these things, or we can amend the
16 regulations.

17 The first alternative, to do nothing, we
18 rejected, because we wouldn't learn anything about these
19 potentially deliberate activities. We wouldn't be able to
20 take necessary follow-up actions, or to conduct investigations
21 in a timely manner.

22 I can't say that we would have had a better
23 chance of finding out the root cause, if we had been there
24 earlier, but think, certainly, by the time you get there, two
25 months after the event has occurred, the trail is cold.

1 People have told their stories so many times that
2 you're not likely to gain much information that is going to
3 change as you ask more people, and follow up on the
4 investigation.

5 So the timeliness of response, I think, is a very
6 important aspect for the NRC. And I'm not saying that we're
7 willing to have an official investigation for every report.

8 That's one of the fears of licensees, is that, if
9 you report this, every time there's going to be an AIT or an
10 IIT.

11 I can assure you that the resource demands upon
12 the agency are such that, for that self-correcting error, in
13 fact, is the way it would be going. But we do need to know
14 about it to have some ability to assess early on.

15 The second alternative, to do it by licensing
16 wasn't chosen, because that's -- it would cost too much money,
17 it's not effective, and it wouldn't work.

18 And, of course, we chose the rule-making, because
19 it answers all the problems we have with doing nothing.

20 We get prompt reporting, we can confer with the
21 licensee, taking appropriate action to assess the consequences
22 of the situation, and to reduce the likelihood of further
23 exposures.

24 Now, this is one I didn't mention before, but I
25 think this is an important aspect. If there is something

1 going on, if someone has crossed this boundary, where they're
2 trying to harm people with radioactive material, it's
3 important that that be clearly detected, and the person
4 removed from doing that, or that there at least be some
5 deterrents put up.

6 The upswing is that the rule-making process is an
7 open process. It does allow public participation. It
8 provides the NRC the opportunity to hear from the public,
9 including licensees, in terms of instrumentation powers.

10 MEMBER WAGNER: Why aren't there other
11 alternatives? Like the NRC issuing an advisory to licensees,
12 delineating what they are required to do by the rules.

13 And, also, delineating the need that, if there is
14 a subversive event, that it needs to be reported in order that
15 the NRC can make proper investigation.

16 Under these circumstances, why is it necessary to
17 make it a rule that now will punish not the guy who committed
18 the act, but, actually, the licensee, if they somehow are
19 found to be in violation of the rule by some interpretation.

20 I don't know why we have to threaten the licensee
21 with punishment, or violation of a rule, in order to try to
22 elicit important information like this from them.

23 DR. GLENN: There are kind of two aspects to your
24 question. Let me take -- the first one is, from impact on the

1 public, and having to go out and get clearances in order to do
2 this.

3 If we ask licensees to voluntarily report, we
4 have to go through some sort of process. But that gets to
5 your next question. And that is why is it that we would want
6 to be able to force that request.

7 And that's judgment on our part, that this is
8 something that's important enough for us to know about that it
9 should be a requirement, and not a voluntary process.

10 MEMBER WAGNER: I guess I have to take that. I
11 disagree with that attitude, because I think it is that kind
12 of attitude that creates derision amongst those who are
13 licensed.

14 And they then tend to be less willing to come up
15 with information, and are more likely to take a posture of
16 trying to cover up situations, rather than to be cooperative.

17 Because now they're made criminals, if certain
18 situations -- not really criminals, but they're criminalized
19 in they're eyes, and they're very reluctant to do that. I
20 think there's a better approach --

21 DR. GLENN: You're only criminalized if you
22 willfully don't report what's required to be reported.

23 MEMBER WAGNER: Sure. But then there's going to
24 be an investigation. People are going to come in, you're
25 going to have a lot of public exposure, you're going to have a

1 lot of publicity exposed with these things, that create
2 problems in a rule-making situation.

3 If you can elicit information from these people,
4 freely, and have a more friendly face with them, to show that
5 you're there to help them. That yes, they have a problem, and
6 "yes, we can help you solve this problem and take care of this
7 issue," it's a totally different response.

8 And I'm very concerned about this mindset, that
9 we have to make it a rule, and have to punish them if they
10 don't. These are acts that have to get under control, but I'm
11 not sure you're using the right psychological approach.

12 DR. GLENN: Okay. I will mention, and I guess,
13 if we don't make it a requirement, then people are going to
14 say "well, I don't want to report anything unless I have to,
15 because I'm going to get in trouble with my institution if I
16 go to the RSO about this, and it's not a requirement." And we
17 do see that problem in particular.

18 MEMBER WILLIAMSON: Excuse me. Don't you already
19 have rules on folks, to protect people in the whistle-blower
20 capacity, like that, from their institutions? Who voluntarily
21 communicate?

22 DR. GLENN: Yes.

23 MEMBER WILLIAMSON: Aren't there rules that cover
24 that already?

1 DR. GLENN: It does protect the whistle-blower.
2 It doesn't protect the NRC from the mindset of the
3 institution, and all the people at the institution, that they
4 don't want to have the headaches that come with letting the
5 NRC know about it.

6 MEMBER WAGNER: Yes. But my experience is that,
7 if somebody thinks that they've been contaminated by radiation
8 or anything, and they think they're a victim of something,
9 they're concerned about that. And it's going to be hard to
10 keep that from getting out, getting to the public, and getting
11 back to other people.

12 I mean, it's the RSO who's the person who's going
13 to have to take the lead, and decide what to do, and hopefully
14 to be responsible about those things, but.

15 And I think there's two different approaches, and
16 I don't think that you've given a lot of consideration to the
17 alternate approach, because I don't even see it as an option
18 that you listed.

19 DR. GLENN: Well, essentially, the option is
20 voluntary reporting, and I admit, we didn't discuss that.

21 MEMBER WAGNER: Well, it isn't always voluntary,
22 though. I mean, it's a matter that there are rules, already
23 in effect, that say that, if the exposures get above certain
24 levels, you've got to report those.

1 And what you're now saying is that you're making
2 more of a rule for lesser contaminations, in situations which
3 now takes it one -- you're ratcheting it up.

4 DR. GLENN: What we're saying here is, in fact,
5 deliberate acts -- the idea that there is someone who is going
6 to use licensed material in order to harm another person, is a
7 substantial interest of the NRC.

8 MEMBER WAGNER: Yes.

9 DR. GLENN: That is the position.

10 MEMBER WAGNER: I agree with that position.

11 CHAIRMAN SIEGEL: Then, if you agree with that
12 position, how is the NRC going to get the information if it
13 isn't reported?

14 MEMBER WAGNER: It's the same way that the FDA
15 says that it's very important for them to know about any
16 injury to a patient from a device that produces x-rays, you
17 know.

18 CHAIRMAN SIEGEL: That's mandatory reporting,
19 currently.

20 MEMBER WAGNER: Yes, that's correct. That's
21 right.

22 CHAIRMAN SIEGEL: It used to be voluntary, but,
23 under the most recent device amendments, that requirement is
24 now mandatory.

1 MEMBER WAGNER: That's correct. That is a matter
2 that -- and that also involves a clear injury to someone, too.
3 That's correct.

4 I guess you have drug, pharmaceutical things
5 which are voluntary, or drug reactions, or things of that
6 nature, which are voluntary. I don't know what the measure of
7 success is for those things.

8 But those are also various areas where it's
9 voluntary reporting. So there are several precedents. And
10 the fact that I didn't see it as an alternative, I guess, is
11 what's really bothering me.

12 MEMBER BROWN: I'm curious. Do you think what
13 they're asking would be unduly onerous, in your institution?

14 MEMBER WAGNER: No. I don't look at that as
15 being unduly onerous. No, I don't. What I guess is the
16 problem that I have is I look at the victim, and I look at the
17 perpetrator.

18 And the person who's really guilty here is the
19 perpetrator. That's really the guy who we'd like to get
20 after, that's the one we want to catch.

21 But the people who are using these things,
22 they're the victims, and now we're making rules, which now
23 make them, make the victims, the people who break the
24 regulations, and are in violation, if they don't do something,
25 because of what some other criminal did to them.

1 MEMBER BROWN: But it's intended to protect those
2 victims from the criminals.

3 MEMBER WAGNER: Yes, I understand the intent. I
4 don't have any problem with the intent. The intent's great.
5 No problem. We do have to get the information.

6 MEMBER BROWN: I guess I just struggle with my
7 knee-jerk reaction, when I come to consumer advocacy, and I'm
8 wondering if you were having a similar knee-jerk reaction
9 concerning the regulation.

10 MEMBER WAGNER: No. What I'm, saying is I didn't
11 see any other alternative up there, as to how to get the
12 information, and how to solicit the information.

13 I didn't see it listed as an alternative, which
14 tells me there's a mindset that that alternative doesn't even
15 exist. We saw other alternatives. We didn't see that one.

16 And I think that there are precedents, in other
17 industries, where the other alternative is a viable
18 alternative to try to get that information, without making the
19 victim somehow a person who can violate the law by the fact
20 that there's some interpretation that hey, this might have
21 occurred.

22 CHAIRMAN SIEGEL: Look, I think -- why don't --
23 you made your point. We're through talking about.

24 DR. GLENN: Your comments have been precisely
25 made.

1 MEMBER WAGNER: Okay.

2 CHAIRMAN SIEGEL: Let's talk about this first
3 part first, and then deal with it. And then we can go on to
4 the second part.

5 DR. GLENN: Yes. Okay. And I put up the
6 proposed rule languages that was published in the Federal
7 Register.

8 And what it proposes is the licensee shall notify
9 the NRC Operations Center by telephone, as soon as possible,
10 but not later than 24 hours after discovering one, licensed
11 radioactive material was used for a purpose not authorized by
12 the applicable license or regulation.

13 So that's the first test, in order to be
14 reportable, is that it's outside the licensed activity. Some
15 things might be, if your use is authorized by the license,
16 that would be an activity not authorized.

17 But, if General Motors started giving radioactive
18 materials to people, their license doesn't permit that. So
19 that would be not authorized by the license.

20 In terms of medical institutions, it might be if
21 the radioactive material is being given to patients, but not
22 under the supervision of an authorized use. Someone else is
23 authorizing the use of material.

24 So, somehow we've gotten outside the bounds of
25 what the license itself authorizes. And, in that case, we're

1 really outside medical use, even though it's a medical
2 institution as is defined in Part 35.

3 Second test. Such use cause, or has the
4 potential to cause an exposure to an individual, regardless of
5 whether or not it exceeds the regulatory exposure limit, as
6 identified in 10 C.F.R 20.2202, which is the microrem
7 threshold.

8 So, a purpose not authorized by the license, but
9 which does not result in -- or would not result in exposure,
10 is not captured by this either. The only thing I can come up
11 with, and I'm not sure this is a good example, would be
12 falsifying records.

13 Clearly, the license doesn't allow you to --
14 doesn't want you creating false records, but that would not
15 fall under this reporting requirement, because it doesn't have
16 the intent of causing anyone to be exposed.

17 And, finally, such use must -- was intentional,
18 or the licensee receives information that the use was
19 allegedly intentional. So there's two things. One, either
20 you know it was intentional, or someone has alleged that it
21 was intentional. If it passes all three of those tests, then
22 you have to report it to the NRC.

23 CHAIRMAN SIEGEL: Let me talk about an extreme
24 example here for a moment, and see how you would react to it.
25 An educational institution -- this doesn't work.

1 If I take a non-exempt quantity of a radioactive
2 material into a classroom that wasn't authorized to have
3 radioactive material in it, then I've done something that
4 wasn't authorized by the license.

5 I did it intentionally. I'm a teacher. And the
6 exposure to people in the class could be measured in
7 microrems. Does that fit this?

8 DR. GLENN: I think it probably does. If
9 teaching was not one of the uses listed in the license, then -
10 - most educational institutions include teaching as one of the
11 uses of radioactive material, but if --

12 CHAIRMAN SIEGEL: Is that what you want to
13 capture, those kind of events?

14 DR. GLENN: Not particularly, but we might.

15 MEMBER WILLIAMSON: I think the intent of
16 personal harm or injury.

17 DR. GLENN: Yes, but now you're going inside
18 somebody's head. We're trying to make a test that doesn't
19 require that you actually get inside somebody's head.

20 MEMBER WAGNER: I think the use that I see, at
21 some places in Texas, is where radioactive material is taken
22 to the pharmacy to go to an x-ray room, to see if the
23 healing's faster.

1 They never take it out of the bottle or anything.
2 They just carry it on over there. It's in transport, and they
3 can look and see whether the shielding is adequate.

4 Now, the intent there is quite good, because the
5 intent is to make sure that you're going to be reducing
6 exposure to members of the public.

7 But that very use, in itself, will cause a few of
8 the x-rays to get through the shielding material, and possibly
9 expose somebody on that other side of that wall.

10 DR. GLENN: I guess the question is is that out
11 of the bounds of the license?

12 MEMBER WAGNER: And that's exactly right. That's
13 the point here. And I'm not sure that that use by that
14 technician might not meet that definition.

15 DR. GLENN: I'll give you an example, which we
16 would consider would trigger that. This is an example that --
17 something very close to this happened anyway.

18 Let's say that you're expecting an emergency
19 drill, and you decide to put radioactive material that can
20 easily be moved on people's skin. But you've never gotten
21 approval on your license to do that.

22 That would be an activity not authorized by the
23 license, it results in exposure to individuals, and was
24 intentional. And that would be reportable.

1 MEMBER WILLIAMSON: Do you want to know those
2 kind of things?

3 DR. GLENN: Yes.

4 MEMBER WILLIAMSON: What things do you -- what is
5 it that you really want to know? It sounds like you want to
6 know incidents where the radioactivity is used almost in a
7 criminal way to injure somebody. And that implies intent to
8 harm, doesn't it?

9 DR. GLENN: I agree with you. The intent to harm
10 is there. But I don't know -- can you give us a regulatory
11 test for intent to harm?

12 MEMBER WILLIAMSON: Allegedly intentional, is
13 that what you mean? Come on.

14 MEMBER SWANSON: You could do the opposite. You
15 could say, under two, such use listed in one, about causes, it
16 has the potential to cause a non-beneficial exposure to the
17 individual.

18 DR. GLENN: That would even be -- that would be
19 more dangerous, I think.

20 MEMBER SWANSON: I don't think so. The potential
21 --

22 DR. GLENN: Unless it's medical exposure.

23 MEMBER SWANSON: Testing the room's equipment is
24 beneficial exposure.

25 DR. GLENN: Yes.

1 MEMBER SWANSON: Putting it in someone's sandwich
2 is not beneficial exposure, okay.

3 DR. GLENN: Hopefully, there is not routine
4 violation of condition one. I guess what we're hearing is
5 that there may be a lot of circumstances that are -- which are
6 violations of condition one. Those can be fixed. I mean, a
7 simple license amendment would fix those.

8 MR. CAMPER: The authorization to encompass
9 things, like Lou's example.

10 CHAIRMAN SIEGEL: I'm more concerned about
11 interpretation of condition one. Unfortunately, the copy of
12 Part 35 we have here is an old one. We don't have one that's
13 been updated with the radiopharmacy changes.

14 And I'm just -- I'm trying to just think if
15 there's anything, in terms of the use of by-product material
16 in medicine that could be viewed, that we would view as a
17 routine practice, but that you could somehow interpret as not
18 authorized by the applicable license.

19 I don't think there is. I mean, if we can afford
20 the radiopharmaceutical, then give me a therapeutic
21 pharmaceutical for something that I'm labelling, would it fit
22 this reporting requirement?

23 I think the radiopharmacy rule has fixed this
24 completely. My question is is there anything in brachytherapy
25 or teletherapy regulations which could -- that we would

1 consider a routine practice, would be captured as condition
2 one. Jack, do you have an answer to that, or?

3 MEMBER WILLIAMSON: Well, some questions at
4 least. I'm -- it's never been clear to me, for example, that
5 the authorized use really addresses, for example, quality
6 assurance, dosimetry measurements, and other things like that.

7 Which we need to do, but, you know, I'm
8 not really aware that our license addresses it in general. It
9 certainly does for radiopharmaceuticals. I know I've inserted
10 it in some of the amendments I've written recently, just to
11 cover myself.

12 CHAIRMAN SIEGEL: Check sources and [Inaudible
13 word] sources.

14 MEMBER WILLIAMSON: Yes. So what if I take a
15 source out to do some measure strength, and maybe a student is
16 observing, okay. Would this be covered as an occupational
17 [Inaudible word]?

18 It's intentional. This person gets a
19 microsievert of a radiation. Do I have to report that to you?
20 That I allowed a student to watch me calibrate sert?

21 DR. GLENN: I think that's certainly within the
22 intent of what we think we're operating on, on most broad
23 scope licenses, but I won't swear that you couldn't find
24 licenses written in such a way that it wasn't permitted.

1 MEMBER WILLIAMSON: Or Louis' example, where, you
2 know, he's moved the radiopharmaceutical to a room, to test
3 the shielding integrity.

4 DR. GLENN: I don't know. Do you know the
5 definition of research and development? Because almost all of
6 these broad scope license, to do these kinds of things, have
7 research and development as one of the activities. That would
8 be 30-something P, I think.

9 CHAIRMAN SIEGEL: I have it. Research and
10 development means "theoretical analysis, exploration or
11 experimentation." That's good.

12 Or "to the extension of investigative frames,
13 materials of a scientific or technical nature into practical
14 applications or for experimental or demonstration purposes,
15 including experimental production or testing of models,
16 devices, materials, and processes."

17 "Research and development, as used in this part
18 and in Parts 31 through 35, does not include the internal
19 ingestion or administration of by-product material, or the
20 radiation therefrom to human beings."

21 DR. GLENN: I think that that would cover almost
22 all of the activities that people have mentioned so far.

23 MR. CAMPER: One observation here, in terms of
24 what's being raised. When somebody tells us that, when we

1 develop studies under the rules, if it goes that way. But we
2 need to be clear about these points.

3 DR. GLENN: Yes.

4 MEMBER WILLIAMSON: I just would hazard a general
5 opinion, having discussed a few examples. That you would just
6 -- even though the criterion may not be absolutely clear, you
7 put it in there, what you really want.

8 You want these things to be reported to you that
9 involve isotopes used with the intent as a weapon, more or
10 less. That's really what you'd like to know.

11 DR. GLENN: We certainly want to catch that, and
12 we might want to catch a little more than that. But I'm
13 afraid that --

14 MR. CAMPER: Let me give you another example,
15 where it's not a weapon, it's not designed to harm, it's when
16 the technologist decides that it's going to image the other
17 technologist's scanners [Inaudible words]. Not a weapon, not
18 [Inaudible word], but it's not authorized.

19 DR. GLENN: And I've seen that happen.

20 MEMBER WILLIAMSON: That's happened a lot. Sure,
21 I have, absolutely.

22 MEMBER WAGNER: I had a technologist once, who
23 wanted to prove that they weren't screwing up on the imaging.
24 They injected themselves to help prove it.

1 CHAIRMAN SIEGEL: Ever since they took those
2 fluoroscope machines out of shoe stores.

3 (Laughter.)

4 DR. GLENN: Certainly, if you have suggestions on
5 better ways to word it to get at the intent.

6 MEMBER WAGNER: John, my biggest problem is that
7 a lot of these regulations -- it's matter that it's very
8 difficult to interpret them correctly.

9 And the intent of the regulation gets somehow
10 buried in the legalistic wording and the precise wording of
11 these things. And I think that's where a lot of the anxiety
12 is created, between the licensee and the NRC.

13 And we really need to have a better communication
14 somehow. I don't know how to do it, but we really need a
15 better communication of why are we doing it, what is our
16 intent.

17 And, you know, if you do it this way. The
18 examples we brought up. We already showed that, at the
19 beginning, we're struggling with what exactly is the meaning.

20 It makes RSO's and other people -- it gives them
21 anxiety, in looking at these things. They're inclined to say
22 "well, gee, does that fall under this rule?"

23 It's just like the same problem you had at
24 M.I.T., looking at the 24 hour situation and the

1 interpretation. It gives us anxiety all the time to know
2 "well, gee, are we within, or are we not within these bounds?"

3 DR. GLENN: We'll accept help, in terms of
4 sharpening that up. Now, the thing is should it be a
5 regulation? I guess you can comment on that, too. But, if
6 it's going to be a regulation, is there a better way to say
7 it? We certainly need your help.

8 MEMBER FLYNN: If you have a regulation, will you
9 have a regulatory guide also, that could be two or three pages
10 long, maybe four or five examples for the RSO's to understand
11 the intent of the regulation?

12 DR. GLENN: We hadn't been planning on that, but
13 that's certainly -- it wouldn't have to be a long regulation.
14 I think three or four pages long, giving the four or five
15 examples that you're thinking about.

16 MEMBER WILLIAMSON: If the concern of it being a
17 regulation and being sort of broad like this is that -- I know
18 if something slips by, you know it doesn't fit your intent.

19 If you find out that you slip up, even though
20 it's a totally trivial violation, it's a very -- it's a level
21 three, they're going to come after us, and harass us
22 unmercifully.

23 We've had this happen with the administration
24 criteria, where I'm sure tens of thousands of dollars were
25 spent over what was essentially an administrative,

1 misadministration. There never was an issue of harm to
2 patient. There was no, not even a blip in the treatment.

3 So I'm concerned that, when it's written as a
4 regulation like this, the punishment's attached, and the
5 intent is not spelled out in a very clear way, and could
6 capture a lot of innocent things that could be used as clubs
7 to beat institutions unfairly.

8 CHAIRMAN SIEGEL: The issue here is prevention.

9 DR. GLENN: That's the point. I mean, that's the
10 whole point.

11 CHAIRMAN SIEGEL: Okay. I actually think that
12 you two guys are overreacting to this a little bit. I, having
13 explored now some of the thinking a little bit, with John, if
14 you realize that we've got three fairly explicit conditions
15 that have to be met.

16 First of all, that it wasn't something that was
17 authorized by the license. That, at least in the case of most
18 broad licenses, institutions -- most of the things we've
19 suggested that we might be worried about are, in fact,
20 captured by the license.

21 Two, and the second is that it was intentional or
22 has been alleged to be intentional. And those are pretty
23 uncommon intersections of two conditions, to do it.

24 One thing that might soften it, and I'm sure
25 you've all talked about it, is, instead of saying no limit,

1 did you consider the possibility that you might set a lower
2 threshold for reporting than the M.P.D.'s?

3 As a way of capturing more events, but not
4 necessarily capturing the sublimely ridiculous sort of
5 microsievert exposure, because someone carried this, I guess,
6 from room A to room B, and that wasn't authorized by the
7 license.

8 DR. GLENN: Yes. I guess it -- I'm sure it's
9 been considered, but the problem is, that the sense, the
10 intent that we're trying to get at -- what's the threshold for
11 intent, I guess, maybe. Yes, we're trying to get into heads
12 again.

13 MEMBER WILLIAMSON: When you say intent, you're
14 trying to get in, you've already done that, the [Inaudible
15 words].

16 DR. GLENN: Well, maybe we'll put the next one
17 up, because we sort of go a little further. So that you don't
18 feel that you have to stretch your imagination too much, in
19 terms of the intent. And that is that, if you're in doubt,
20 report.

21 That's essentially what Section B says. "The
22 licensee shall notify the NRC Operation Center, by telephone,
23 as soon as practical, but not later than 48 hours after
24 discovering that provisions (a)(1) and (a)(2)_ occurred, and

1 that the licensee cannot rule out that the use was
2 intentional."

3 So, if you have -- it was not permitted by the
4 license, it had the potential to expose the person, and you
5 can't rule out the use was intentional, report it.

6 CHAIRMAN SIEGEL: John, every time a technologist
7 undergoes a thyroid bioassay, and the thyroid counts are
8 elevated, you have to say to yourself, "oh my God, now that
9 could have happened because that technologist did therapy
10 yesterday.

11 But, wait a minute. Couldn't someone have
12 intentionally given that person iodine-131 in their coffee,
13 and oh my God, it could be intentional? I have 24 hours to
14 launch an intensive investigation. And, depending on what I
15 find, I have to call the NRC." In all fairness, this --

16 DR. GLENN: Maybe that's why we need a threshold,
17 because, you know, if the person could have gotten an exposure
18 as part of their routine activities, and whatever you find is
19 within the bounds, that could happen in that routine activity,
20 maybe that -- the presumption should be that it was part of
21 the routine activity.

22 CHAIRMAN SIEGEL: And cannot rule out. So
23 anything I find, there's no way I can rule out that it was
24 intentional.

1 MEMBER SWANSON: Can't you reword that to say
2 that, you know, it's either -- that the fact that it was
3 intentional was either known, or suspected.

4 CHAIRMAN SIEGEL: Well, that's what it says, in
5 the first one.

6 MEMBER SWANSON: Yes. It needs to end right
7 there.

8 CHAIRMAN SIEGEL: I think it's just major, major
9 --

10 MEMBER WILLIAMSON: Wait a second, Barry. It
11 does say 1(a) has to be true, (a)(1) has to be true. And that
12 means there would have to be a documentative, non-authorized
13 use.

14 CHAIRMAN SIEGEL: No.

15 MEMBER WILLIAMSON: Yes.

16 CHAIRMAN SIEGEL: Go backwards. Let me see.

17 DR. GLENN: I think what we intended -- What
18 you're saying -- I think what Barry's saying, there could
19 always be one of those acts as well as what the person is
20 authorized to do.

21 CHAIRMAN SIEGEL: You can't ever rule out (a)(1).
22 If you find that a human being has activity in them, you can't
23 ever exclude that didn't occur, because it wasn't by way of
24 (a)(1). How can you exclude it?

1 And I'm assuming that no license authorizes
2 someone to divert radioactive material into someone's coffee.
3 No license assume that. Anytime there's internal intake, that
4 always was a possibility, and, therefore, condition (a)(1) is
5 instantaneously satisfied.

6 DR. GLENN: And I see what you're saying. Take,
7 for example, the M.I.T. exposure. The person found it doing a
8 survey first. The person did work with P-32, it was possible
9 that they could have had contamination.

10 What made us determine that it was a deliberate
11 act was that it was ten times whatever he worked with, at any
12 one time.

13 As the idea that a person continually
14 contaminates himself with small amounts of P-32, gets up to
15 that large a quantity, it would stretch credulity quite a bit.
16 It seems like it had to have been --

17 MEMBER WAGNER: What you have is an internal
18 conflict, with what you have up there, because (a)(10 makes it
19 sound like you know that it was used for a purpose not
20 authorized.

21 But, then, when you go to this B over
22 here, it says "and the licensee cannot rule out the use was
23 intentional." Well, if you know (a)(1) -- after discovering
24 that provision (a)(1) has occurred.

1 Once you know (a)(1), you don't need (b), "and
2 the licensee cannot rule out," because, by virtue of the fact
3 that it occurred under (a)(1), it had to be intentional, for
4 that. It was not authorized, and you determined that it was
5 not authorized.

6 MEMBER SWANSON: You could change that by saying
7 that the provisions of (a)(1), (a)(2), and (a)(3) have to be
8 met. And that it was allegedly intentional, and you can't
9 prove it otherwise.

10 MEMBER WILLIAMSON: I think that that's true.
11 Maybe (b) should just be strengthened, because you can --
12 you've written it in such a way that, if you don't have proof
13 that it was unintentional, it was intentional.

14 Act as if it were intentional, rather than what
15 you probably mean is there's some prima facie evidence that it
16 was intentional.

17 DR. GLENN: Well, you certainly don't want to
18 hear about every possible violation.

19 CHAIRMAN SIEGEL: That's one way to keep you from
20 sending out teams to investigate.

21 (Laughter.)

22 MEMBER WAGNER: What you really want to know
23 about is --

24 CHAIRMAN SIEGEL: Operators are standing by.

25 (Laughter.)

1 MEMBER WAGNER: What you really want to know is
2 if there was some subversive action. And that's really what
3 you want to know. You want to make it clear to the licensee
4 that he must have reason to suspect that this was a subversive
5 action. You want to communicate that.

6 DR. GLENN: And, if they have any suspicion, we
7 want them to err on the side of reporting it rather than not
8 reporting it. That's really what this is saying, err on the
9 side of reporting.

10 MEMBER WAGNER: That's right, but the way it's
11 worded, it's clearly got some internal conflicts that aren't
12 getting that message across appropriately. Maybe you need the
13 word subversive. Maybe that word subversive.

14 DR. GLENN: Then we get into an argument about
15 what subversive means.

16 MEMBER WILLIAMSON: We know that. Now, you've
17 got the argument of suspicion. You have to prove a state of
18 suspicion, so.

19 CHAIRMAN SIEGEL: One person at a time. The
20 House Committee on Un-American Activities.

21 (Laughter.)

22 DR. GLENN: C, I don't think it has judicious,
23 telling you who to report it to.

1 MEMBER STITT: I don't understand. There are so
2 many conditions, and so many subcategories. And there's a 24
3 and there's a 48.

4 And, you know, it's easy to look back at things,
5 but various points, probably a very common one. And how to
6 you know, if you're looking at a tech's readings?

7 DR. GLENN: Well, you think it's not -- well, the
8 48 hours essentially gives you time to do some investigation,
9 and, at the end of that time, if you haven't reached a
10 conclusion, report it.

11 MEMBER STITT: So you're required to do a 24 hour
12 report, and then a 48 hour report, depending on what criteria?
13 I think we need more staff to work these.

14 MEMBER WAGNER: You've got to do this in 24
15 hours. You've got a busy day. You've got other obligations
16 you've got to do. There are obligations to patients, and
17 things you've got to carry out. You're supposed to stop
18 everything, because there might have been a minuscule exposure
19 that was intentioned?

20 DR. GLENN: It's not our intent to capture those.

21 CHAIRMAN SIEGEL: I think, if what we're looking
22 for really occurs, you do want to take some time out, and look
23 into it. But I think I've heard the message about B.

24 DR. GLENN: One fix could be to just quit with A.
25 We'll consider that. D just points out that, if you make a

1 report because it's an overexposure, that takes care of the
2 reporting requirement.

3 CHAIRMAN SIEGEL: I see. So you don't have to
4 report it twice?

5 DR. GLENN: You don't have to report it twice.

6 CHAIRMAN SIEGEL: That's true for al reporting
7 requirements, isn't it? I mean, if something has --

8 DR. GLENN: I think so. Unless, I guess, if
9 there's something you don't disclose about the event. If you
10 just report that there's been an event, and there's another
11 reporting requirement that really should disclose something
12 else about it, then that might be.

13 In this case, we're being very clear. If you
14 told us that it's an overexposure, we're probably going to
15 investigate it, so we don't need to know anything more.

16 CHAIRMAN SIEGEL: Just, for the record. Is there
17 a consensus of the Committee, B is overkilled? Judy, do you
18 agree with that, too?

19 MEMBER BROWN: If you [Inaudible words].

20 CHAIRMAN SIEGEL: We have consensus on that.

21 DR. GLENN: Okay, just the cost analysis, as it
22 was presented in the Federal Register notice. We were
23 estimating that there could be up to 20 of these per year.

1 That's a guess. We know about about one per
2 year, so this is assuming that we're only getting about five
3 percent, through current methods.

4 We estimate 20 hours, in determining the cause of
5 the event, preparing the report, complete management review of
6 it, and call to the NRC Operations Center.

7 We have not included in there if the NRC decides
8 to send an IIT. How much time that's going to take, in terms
9 of the staff time.

10 But that's really under our emergency response
11 and enforcement, and that sort of thing. It's already been
12 accounted for, in other regulations. So, any comment on that?

13 CHAIRMAN SIEGEL: John, when you send an IIT out
14 to an institution, do you bill the institution for the cost of
15 the?

16 DR. GLENN: No, we don't. No institution could
17 probably bear the cost.

18 CHAIRMAN SIEGEL: Because that would certainly be
19 a disincentive to report it.

20 DR. GLENN: Yes.

21 MEMBER WAGNER: Not even the NIH?

22 CHAIRMAN SIEGEL: Any comment about the cost
23 analysis?

24 MEMBER SWANSON: Do we have any idea of a cost
25 benefit analysis? We're spending 46,400 dollars. What's the

1 benefit accrued from that? I mean, if you take these two
2 events we looked at, what did the NRC involvement change in
3 how the patients were taken care of?

4 DR. GLENN: I think we we're saying that this is
5 really an adequate protection kind of thing. That, if there
6 are deliberate acts occurring out there, that that's a
7 sufficient threat that we really don't have to do the normal
8 cost-benefit, 2,000 dollars per person analysis.

9 Though, again, at 46,000 dollars it would only be
10 23 rem would justify the cost. So, if someone reported four
11 of them, about five rem, you know, and we could have in some
12 way deterred those, the cost would be covered.

13 MEMBER SWANSON: I don't think that's a cost-
14 benefit analysis. What I'm saying is you're going to get this
15 information.

16 What have you seen that, by you having this
17 information, has changed how this -- I can't say the patient
18 in this case, the victim of this event has been treated?

19 Because you pointed out, clearly, in M.I.T. that,
20 you know, the actions of the institution were appropriate in
21 taking care of the individuals involved. So what's the
22 ultimate benefit of this to the public, the public member?

23 CHAIRMAN SIEGEL: That's actually not the
24 purpose. I mean, that's not the principal purpose. The

1 principal purpose is not to ameliorate injury to the
2 potentially injured parties.

3 The principal purpose is to gather the
4 information, to determine if there is any trend that warrants
5 intervention.

6 So that -- I mean, if in fact M.I.T. and NIH
7 really are the first two events in what is a unidoser, as
8 opposed to the Unabomber, the NRC having access to that
9 information is the best way to become aware of it.

10 MR. CAMPER: Intervention may be informing.

11 CHAIRMAN SIEGEL: I mean, at least in theory,
12 that is the one public reason for the information to come to a
13 central clearinghouse.

14 MEMBER SWANSON: But, in practicality, if
15 somebody set out to deviate, to do this, they're going to do
16 it.

17 They're going to find a way to do this. So I'll
18 go on record saying I really don't think that there's going to
19 be much benefit derived from this, okay.

20 MEMBER FLYNN: I think a person who does this
21 once, though, may do it more than once, and may move from lab
22 to lab. And, if they can get their hands on, instead of a
23 half a millicurie, can get their hands on 50 millicuries, then
24 you could have some have some deaths with [Inaudible words] in
25 about three weeks.

1 But the couple of the accidental exposures, where
2 they did get 50 millicuries, I mean, their white counts
3 dropped to zero basically. Those were accidental exposures in
4 cancer patients.

5 So I think what would concern me is one or two
6 individuals, who have some psychotic problem, if they do this
7 once, and they're working in a laboratory environment, and
8 they move from one institution to another. I'd be concerned
9 that they could do this a second time or a third time.

10 MR. CAMPER: Or copycatting by someone else.

11 DR. GLENN: One of the reasons why M.I.T. was an
12 iodine case was there's a possibility that there was
13 copycatting, I mean.

14 MEMBER WAGNER: I just had another observation.
15 I'm very concerned about the fact that there's no threshold
16 for reporting in terms of doses.

17 And the issue that I have here is that you do
18 want everything to be reported, even down to very low levels.

19 The exposure results, in less than a millirem,
20 for example, the person's still going to be reporting. And
21 I'm not sure that that, not having some kind of a threshold,
22 isn't appropriate for this.

23 How much consideration have you given to that
24 idea, of a zero versus some other more reasonable threshold,

1 like maybe one-tenth of the MPD, or something like that, as a
2 reporting threshold, for this kind of event?

3 DR. GLENN: We can certainly re-look at it. If
4 you really pass all three of those tests with flying colors,
5 it's hard to have a threshold.

6 I mean, if it's clear it was not authorized --
7 well, I guess, what you're saying is two is only conditionally
8 met before, for a very small exposure. That they have to
9 expose an individual.

10 MEMBER WAGNER: Yes. That's right.

11 MR. CAMPER: These are intentional, or allegedly
12 intentional events. It shouldn't be driven by thresholds. We
13 want an awareness.

14 MEMBER WAGNER: It's something to think about.
15 I'm not sure about it. I haven't given it a lot of thought.

16 There's an issue, I think, with regard to how --
17 the thing, I guess, I'm worrying most about is how are the
18 users going to interpret this, and how much anxiety is it
19 going to cause them?

20 What are they going -- are they going to be able
21 to use this, in a practical sense, without much burden, or is
22 it going to cause a lot of anxiety, when you get down to these
23 really small amounts?

24 DR. GLENN: Yes.

1 MEMBER WAGNER: And that's what I have a problem
2 with.

3 DR. GLENN: I think one of the things that we're
4 concerned about is, if you do put in a threshold, then you
5 have people measuring to see how close to the threshold --
6 once you draw a line, then people work to that line, and make
7 calls.

8 They may make a bad call, whether to report it or
9 not, because they think they're going to be under, but then
10 they turn out to be over the line and that sort of thing.
11 But.

12 MEMBER WAGNER: Yes. And I agree with your point
13 that it's quite uncanny that the exposures in both cases were
14 just marginally at the limits.

15 It's almost as if the person who did it thought
16 that, if he worked under the limits, it would never be
17 reported. That it would be a ha-ha, at the institution.

18 And either that person is sitting around
19 laughing, and saying "gosh, look how I got the NRC involved."
20 Or else that person's sitting around, saying "oh my God, I
21 really screwed up. I got them involved, and I didn't want
22 to." I mean.

23 DR. GLENN: The opposite possibility is also
24 there. That, if somebody wanted to do something to get a lot
25 of attention, it wouldn't really be that harmful.

1 MEMBER WAGNER: Yes.

2 CHAIRMAN SIEGEL: John, what was that radioactive
3 material getting into the [Inaudible word] waste stream? So -
4 -

5 DR. GLENN: Deliberately. I think it had to be
6 deliberately.

7 CHAIRMAN SIEGEL: You can't -- that's where you
8 really get into problems.

9 DR. GLENN: I see. So you're saying that --

10 CHAIRMAN SIEGEL: A vial of -- ten microcuries of
11 P-32 gets thrown into the regular trash. The researcher says
12 "I can't be bothered with it." Maybe it was intentional, but
13 there's no way to know.

14 It gets thrown into the regular trash. It has
15 the potential to cause exposure to an individual. And that
16 potential to cause exposure really now gives you a huge amount
17 of latitude, in terms of what you would define as being
18 captured by item two. And it could have been intentional.

19 So, it wasn't authorized under the license, it
20 has the potential, and it could have been intentional. It's
21 got to be reported. Here, boy, is this going -- even A is
22 going too far.

23 MEMBER WAGNER: You're finally coming around to
24 seeing my point of view.

1 CHAIRMAN SIEGEL: No, I absolutely understand the
2 NRC point of view, in terms of wanting to capture willful acts
3 of subversion. I like the term. But I just don't think you
4 want to catch these little events --

5 DR. GLENN: Well, that's what I'm saying --

6 CHAIRMAN SIEGEL: -- that might have been
7 intentional.

8 DR. GLENN: Remember, we're not after the might
9 have beens. You know, where there's an explanation for it but
10 we can't rule out that it was deliberate.

11 CHAIRMAN SIEGEL: But B clearly has to go, then.
12 But even A still has potential problems.

13 MEMBER FLYNN: In this four page reg guide, if
14 the intention is that there may be between one and 20 --
15 between one case and 20 cases a year that may be reported, and
16 give three or four examples, it's going to really clear as to
17 what the intention is. If you're expecting --

18 DR. GLENN: Examples may be the best way to do
19 it.

20 MEMBER FLYNN: Examples, because you're saying we
21 expect maybe one case a year, maybe up to as high as 20, and
22 these are the kinds of cases that we are focussing on.

23 MR. CAMPER: But, again we need to be in
24 statements of consideration space. We need to draw these
25 clear distinctions as examples, perhaps, in the SOC.

1 MEMBER WAGNER: Some of this wording. You're
2 using this word intentional, and why is it difficult to put
3 into number two, (a)(2), where you say "has the potential to
4 cause an exposure to an individual."

5 Why can't you make it more qualified, in that it
6 is an act that appears, at least has the appearance or the
7 intention of exposing an individual? If it has the intention
8 of exposing an individual, that's really what you're trying to
9 capture.

10 DR. GLENN: We think the way we put one, two, and
11 three together, I mean, we've already done that.

12 MEMBER WAGNER: Yes, but it's not clear, because,
13 if you read it in the order that it's in, that doesn't come
14 out, to me. But the intention to expose an individual is what
15 the point is.

16 And that clears up Barry's point about throwing
17 it into a trash can. That clearly was not intended, because
18 it was in the trash.

19 CHAIRMAN SIEGEL: I stored a sealed source in an
20 unshielded cabinet, because it was more convenient for me.
21 But I wasn't intending to expose other people.

22 It has the potential to cause exposure, it was a
23 willful act, it wasn't authorized by the license, but I wasn't
24 really trying to harm people. I was just being a little
25 stupid. Report it?

1 MEMBER WAGNER: That's got to be taken care of
2 internally. That's an internal consideration.

3 CHAIRMAN SIEGEL: I mean, I don't see an
4 instantaneous fix, at the moment, in my own head, but I do see
5 problems with this, and I suspect --

6 DR. GLENN: What I'm hearing consistently is the
7 boundaries aren't clear.

8 MEMBER WAGNER: It's very true.

9 CHAIRMAN SIEGEL: The language captures too much.

10 DR. GLENN: And I can tell you that I know that
11 the staff struggled with the language. We thought we'd done a
12 pretty good job, but you're telling us that we haven't done
13 well enough.

14 MEMBER STITT: Well, I'm not sure you can ever
15 get the product you wanted. Even though you've got some good
16 examples in here, as I read them through, I nodded my head yes
17 and no.

18 But, you know, I could be involved in something,
19 and decide it doesn't fit, and then you could come back later
20 and say it certainly did. I can understand why you would have
21 interpreted it this way.

22 I mean, so you're always going to lose, without
23 some sort of boundaries. But we actually don't want any
24 boundaries, any levels, any minimums.

1 DR. GLENN: Well, you want a boundary on the
2 wrongness of it. We don't want a boundary on the significance
3 of the individual event, because we were

4 saying that the significance can go beyond the actual
5 exposure in the event.

6 MEMBER WAGNER: I think intentional exposure of
7 individuals is a very critical aspect. That the RSO, or the
8 person in charge must determine that there was an intentional
9 effort to expose someone.

10 MEMBER WILLIAMSON: Or evidence thereof, some
11 reason.

12 MEMBER WAGNER: Yes. And then I think, if you
13 transferred a little more authority to the RSO -- I know
14 you're suspicious of them a lot of times. But you've got to
15 give them a little bit of leeway to make that interpretation,
16 so they feel comfortable with what they did.

17 If it's a matter that -- I think they have to be
18 given a little more of that authority, because it's something
19 that simply has to be turned over. They have to determine
20 whether or not there was an intent to expose somebody.

21 And that's something, you know, that's always
22 going to be controversial, because the RSO inspector is going
23 to say "well, we think it was intentional." "Well, we
24 didn't." And there's always going to be a reason for one side
25 or the other.

1 But, when there's clear cases, then I think that
2 it's evident. I mean, if the water cooler is contaminated,
3 there's clear indication that this was an intent to expose.

4 DR. GLENN: And I think, in most of the cases
5 we're interested in getting reported, it will be fairly clear,
6 but -- and you're telling me we need to define the boundaries.

7 To finish up here. We did ask for public
8 comment, and your comments will be taken into account. But,
9 if you want to make more comments, you're welcome to do it.

10 One thing I will mention is there was a 30 day
11 comment period. We have had several requests for an extension
12 of the comment period, and we will be doing something shortly
13 on that. There will be more time to comment.

14 CHAIRMAN SIEGEL: Why did you elect only 30 days
15 on this one?

16 DR. GLENN: Because we felt that it was important
17 enough that it needed to get out in a hurry. But given the
18 fact that people were telling us that they don't have enough
19 time to make appropriate comments, we're going to expand the
20 comment period.

21 MEMBER WAGNER: The other comment I guess I'd
22 make, John, is that, in terms of citing people and violations,
23 if an RSO intentionally covers up something, or intentionally
24 withholds information that should have been reported, that's a
25 serious violation. That is quite clear.

1 But, a lot of times, these rules and regulations
2 get so convoluted and difficult to interpret, that RSO's spend
3 a good amount of time just trying to figure them out.

4 And they become victim to the convolution of the
5 regulation. And that, I think, they live in fear of, which is
6 part of our problem here.

7 You know, I sympathize with the fact that yes, if
8 somebody tries to really cover up information, or willfully
9 does not report something that should be reported, that's
10 wrongdoing. But.

11 DR. GLENN: Again, the one thing people are going
12 to report. But what you're saying is it's not going to be
13 easy to determine when.

14 MEMBER WILLIAMSON: What I was suggesting was
15 just say in clear, everyday English this is the category of
16 cases you want captured.

17 DR. GLENN: If you've got the clear, everyday
18 English, send it to us.

19 MEMBER WILLIAMSON: Cases where somebody tries
20 to, intends to injure another person via the mechanism of
21 radiation exposure. That's what you want, but you get kind of
22 very legalistic definition of that. That doesn't make it
23 exactly clear what you intended.

24 CHAIRMAN SIEGEL: But that means that a prank
25 wouldn't be captured.

1 MEMBER WILLIAMSON: Yes. It should be refined to
2 include pranks, too, I think.

3 DR. GLENN: Send your language.

4 CHAIRMAN SIEGEL: Good. Any other comments on
5 this?

6 (No response.)

7 Thanks, John. We appreciate your making the time
8 to tell us about this, and we're glad we got a chance to
9 express our concerns about it.

10 MEMBER FLYNN: Just one other point. That, at
11 Oak Ridge, at REACTS, they do have an international registry
12 of radiation accidents, and I'm not sure if it includes some
13 of these European exposures, too.

14 CHAIRMAN SIEGEL: All right. Anything for us,
15 that's relevant to us? No.

16 MEMBER WAGNER: I have your e-mail here that
17 states "I just finished reading Science Without Sense, by
18 Steven Milloy," M-I-L-L-O-Y. This is your e-mail.

19 CHAIRMAN SIEGEL: Oh, good.

20 MEMBER WAGNER: And --

21 CHAIRMAN SIEGEL: You're really a pack rat,
22 aren't you?

23 (Laughter.)

1 MEMBER WAGNER: I have too much -- I just want
2 you to tell me what I have got to do to get that, off of here,
3 off of the e-mail.

4 CHAIRMAN SIEGEL: Send it over. Put it on the
5 record so everybody in the United States can know about this.

6 MEMBER WAGNER: That was the problem with the e-
7 mail, I think, because it said to get it, but I didn't see how
8 I was going to get it.

9 CHAIRMAN SIEGEL: Yes, it's the Cato Institute,
10 and I thought this e-mail message contained Milloy's address.
11 No, but there's actually an e-mail address you can order it
12 from, and I was going to give it to you. It doesn't. I'll
13 get it for you.

14 MEMBER WAGNER: Okay.

15 CHAIRMAN SIEGEL: Okay. All right. Is there any
16 other business left undone? If not, as far as I'm concerned,
17 we can adjourn, and that means Larry can do it officially.

18 MR. CAMPER: I would like to make just two
19 comments in closing. I would like to thank the members,
20 again, for the deliberation on the NAS report, and on these
21 regulations. Again, we thank you. I appreciate your efforts.

22 And I'd also like to thank, on the record, the
23 representatives of the National Academy, Kate Louise Gotfried
24 and John Villforth.

1 They, yesterday, had to present a report,
2 obviously, that's somewhat controversial. They had to defend
3 those findings. And I commend them for doing the best job
4 they could. Thank you. That's -- and I declare the meeting
5 closed.

6 (Whereupon, the foregoing meeting of the Advisory
7 Committee on the Medical Uses of Isotopes went off the record
8 at 2:56 p.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22