

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on the Medical  
                              Uses of Isotopes

Docket Number:       (not applicable)

Location:  
                  Rockville, Maryland

Date:                    Friday, April 11, 1997

Work Order No.:       NRC-1076

Pages 324-497

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**

**1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
 NUCLEAR REGULATORY COMMISSION  
 + + + + +  
 ADVISORY COMMITTEE ON MEDICAL USES OF ISOTOPES  
 (ACMUI)  
 + + + + +  
 FRIDAY  
 APRIL 11, 1997  
 + + + + +  
 ROCKVILLE, MARYLAND

The Advisory Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11565 Rockville Pike, at 8:00 a.m., Judith Anne Stitt, Chairman, presiding.

COMMITTEE MEMBERS:

JUDITH ANNE STITT, M.D.	CHAIRMAN
JUDITH I. BROWN	MEMBER
DANIEL F. FLYNN, M.D.	MEMBER
JOHN GRAHAM	MEMBER
ANDREW KANG, M.D.	MEMBER
WIL B. NELP, M.D.	MEMBER
DENNIS P. SWANSON, M.S., B.C.N.P.	MEMBER
LOUIS K. WAGNER, M.D.	MEMBER
THERESA WALKUP, C.M.D.	MEMBER
JEFFREY F. WILLIAMSON	MEMBER

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
 1323 RHODE ISLAND AVE., N.W.  
 WASHINGTON, D.C. 20005-3701

1 ACMUI INVITED GUESTS:

2                   AUBREY GODWIN

3

4 ACMUI STAFF PRESENT:

5                   WILLIAM B. McCARTHY

6

7 ALSO PRESENT:

8                   LARRY CAMPER

9                   CATHY HANEY

10                  SUSANNE WOODS

11                  SALLY MERCHANT

12                  MARK ROTMAN

13                  DONNA-BETH HOWE

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## A-G-E-N-D-A

2	<u>Agenda Item</u>	<u>Page</u>
3	Status Report on Rulemaking and Guidance,	
4	Cathy Haney	327
5	Advanced Notice of Proposed Rulemaking	328
6	Revision to 10 CFR 35.75	369
7	NUREG-1569	377
8	Quality Management Temporary Instruction	382
9	Carbon-14 Petition	419
10	University of Cincinnati Petition	430
11	Discussion of May 8 Commission Briefing	433
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
 1323 RHODE ISLAND AVE., N.W.  
 WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:20 a.m.)

CHAIRMAN STITT: All right. It's after eight o'clock. We're ready to go with our final half day of the session, and this morning first presenter -- are we just moving up the agenda from nine to eight?

MR. CAMPER: Yes.

CHAIRMAN STITT: Okay. Take it away Cathy.

MS. HANEY: Good morning.

What I would like to do this morning is to zip through some different projects we've been working on and give you a status report of where we are on a particular project. Being relatively new to this position, I might not be able to answer any in-depth questions that you have, but I do have the cognizant staff here, and if I run into trouble answering a question, I'll ask for assistance from the back row over there.

These are the items that I'd like to cover today. First is the advanced notice of proposed rulemaking. Then I'll discuss a little bit about the patient release rule and the associated regulatory guide; NUREG-1569; the temporary instruction and the quality management analysis; and then the Carbon-14 petition for rulemaking that we have.

Okay. As far as the revision of Part 33 goes, this was discussed at previous ACMUI meetings. On November

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 14th, 1996, there was an advanced notice of proposed  
2 rulemaking. This notice had 11 questions, and it also  
3 contained some proposed rule language.

4 On February 12th of this year, the comment period  
5 closed. We received 21 comments during this time period. We  
6 had comments from private citizens, from corporations,  
7 academic institutions, federal agencies, state agencies, and  
8 professional societies.

9 There were 11 questions that were raised in the  
10 Federal Register notice. I've grouped them into three  
11 different categories. The first set had to do with codifying  
12 licensing practices. The next had to do with more generic  
13 issues associated with broad scope licenses, and then a group  
14 that would be inclined in the defining of the broad scope  
15 licenses.

16 Under the codifying of licensing practices, these  
17 are the questions, more or less the content of the questions  
18 that was asked. What I'm going to do is go through and give  
19 you an idea of what the commenters provided to us.

20 The first one has to do with the responsibility  
21 of licensing management for radiation safety program. Here  
22 this question was meant to focus on the importance of the  
23 management structure, reporting paths, and the flow of  
24 authority.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There were 16 comments that we received in this  
2 area. The majority of the comments were against bringing this  
3 into the regulations. They said that the roles of the  
4 management vary significantly for the different type of broad  
5 licenses, and therefore, it would be very difficult to do, and  
6 that it was necessary to keep the flexibility for any size  
7 program in the Part 33.

8           Those that were in favor of it felt it was  
9 important to standardize the requirements for all broad scope  
10 licenses.

11           The next question had to do with the duties and  
12 responsibilities of the radiation safety officer and the  
13 radiation safety committee. Key in this question was the  
14 training and experience requirements for the radiation safety  
15 officer.

16           Again, the majority of the commenters were  
17 against this, felt that it was very difficult to do this in  
18 the regulation, given the different sizes of the programs, and  
19 it was better left in guidance space.

20           Those that felt that it should be included in the  
21 regulation felt that it should be performance based, and it  
22 should be commensurate with the licensed activities.

23           The next question had to do with the training and  
24 experience of the authorized user. Here we have the guidance  
25 currently in the regulatory guide, and we were looking at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 flexibility for developing program specific requirements for  
2 the facility.

3           Again, the majority were against bringing this  
4 into the regulations, feeling that it was not practical,  
5 citing diversity, and feeling that it should be left in  
6 guidance space.

7           Those that were in favor of this requirement felt  
8 that it was important to set high standards and increase the  
9 training for these individuals, given the types of the program  
10 and the rigorous nature of these programs.

11           The next question had to do with incorporating  
12 topics addressed that are in the regulatory guide right now,  
13 things like administrative procedures, inventory and  
14 accountability, audits and appraisals, and safety evaluations  
15 and exposure control.

16           In this case, all of the commenters were against  
17 bringing this into the regulations. There were no -- none of  
18 the commenters were in support of this. Basically it was left  
19 -- those against it felt it was best in guidance space.  
20 Things are working fine; leave it there; don't make any  
21 changes.

22           The last question had to do with permitting  
23 licensees to make changes to the radiation safety program.  
24 Right now in Part 35, licensees are allowed to make  
25 ministerial changes to their program without coming in for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 license amendment. Should something like this be brought into  
2 Part 33?

3 The majority of the comments were in favor of  
4 this, felt that it would be a good idea because it would avoid  
5 unnecessary license amendments, and it would encourage  
6 licensees to take advantage of rapidly changes in the  
7 technical improvements in technology that's out there.

8 Those against it felt that the current program  
9 was working well and let's leave it alone.

10 The next group of questions had to do with what I  
11 will call generic issues. The first one was should there be  
12 requirements for inventory and accountability of licensed  
13 material. This question is founded in should it be codified,  
14 and feeling that some of the requirements for inventory and  
15 accountability were inconsistent in the regulations.

16 The majority, again, felt that this was not  
17 needed in Part 33. They felt the current requirements were  
18 adequate and leave it in licensing and inspection place.

19 Those that were in favor of bringing this into  
20 the regulation said that we needed to. You could go ahead and  
21 bring it in, but make sure that there was some flexibility in  
22 the requirements, and any need should be based on the hazard  
23 of the material.

24 The next question had to do with separating risks  
25 from internal exposure pathway and external radiation. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was brought into the ANPR, as you might be aware, because of  
2 Commission direction.

3           No commenters were in favor of separating this  
4 risk. All those that commented on it said that it's already  
5 addressed in Part 20 and leave it in Part 20. Do not bring it  
6 into Part 33.

7           All right. The last question had to do with the  
8 regulatory approach. Should it be performance based or  
9 prescriptive? Again, there were no commenters that were in  
10 favor or wanted it to go prescriptive. Everyone was in favor  
11 of performance oriented, citing reasons for flexibility due to  
12 the diversity of the programs.

13           One commenter said that you should be  
14 prescriptive for the training and experience, but as an  
15 average it should remain performance based. One of the  
16 reasons cited for not using a prescriptive range is that it  
17 increases cost without a concomitant increase in safety.

18           The last group of questions dealt with defining  
19 the broad scope licensees. Questions were: should we, rather  
20 than having an A, B, and C type of broad scope licensee,  
21 should we replace all of this with a single type?

22           The majority of the commenters were against doing  
23 this. They felt that it would limit the smaller institutions  
24 from becoming broad scope licensees, and it would also impose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an unnecessary set of rules on the smaller broad scope  
2 licensees.

3 Those that were in favor of it felt that it would  
4 streamline the licensing and the inspection approaches to  
5 broad scope licensees.

6 Another question had to do with should master  
7 material licenses be included in Part 33. The example of the  
8 master material licenses would be the Navy and the Air Force  
9 where we have a license with them and they go out and do the  
10 inspection and the licensing, and then we do periodic checks  
11 on their main office and do some inspection accompaniments  
12 with their staff.

13 Seven commenters were against this, feeling that  
14 the masters material license program has worked well to date.  
15 There's no need to codify it until NRC has more experience  
16 with this type of program.

17 Only one commenter felt that the master material  
18 license should be codified.

19 The last question deal with including multi-site  
20 facilities into Part 33. Again, seven of the commenters felt,  
21 no, that the current situation was acceptable, and the one  
22 that felt that it should be included just said that it should  
23 be included.

24 I'm sure you saw some general trends throughout  
25 the answers to all of these questions. So what I'll do is go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- for those that were pretty much in favor of doing what was  
2 posed in the Federal Register notice cited the following  
3 reasons:

4           One, that it was good to clarify the regulations  
5 concerning broad scope licensees. There should be some  
6 standardization with common practices, and if we have the  
7 standard practices and standards, it will help the facilities  
8 in allocating resources.

9           The prescriptive requirements are impractical due  
10 to diversity of uses in management.

11           Part 33 should be performance based, and that  
12 performance based regulation empowers the licensee to  
13 continually develop their program and areas for improvement in  
14 their program.

15           Those that were against the changes said that  
16 there was really no reason for the proposed changes. Pretty  
17 much things are working well now. Don't make a change.

18           They felt that or it was cited that the small  
19 incremental increase in risk posed by the incidence of loss of  
20 control does not justify overhauling Part 33. There's too  
21 much diversity among the size of the licensees and the types  
22 to focus on one particular type of use, and it was felt that  
23 the details should go into the regulatory guides as examples  
24 rather than into the regulations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the next question that comes up is: where do  
2 we go from here? Right now we are waiting for the Office of  
3 Research to provide us with a rulemaking plan for Part 33.  
4 That's due to our office by the end of this month.

5           Based on what they propose, we'll review that and  
6 decide if we want to go forward with that. If we do go  
7 forward, it will go to the Commission. The Commission will  
8 make a decision whether we proceed on rulemaking, and along  
9 with those recommendations where we go.

10           We are due to have a proposed rule issued in the  
11 Federal Register by December of this year if we do go along  
12 that route. So we're pretty much in a wait mode right now.  
13 Once we get to the end of this month, then we'll be moving  
14 forward and back to the Commission with that.

15           And any questions on Part 33? Okay.

16           MEMBER GRAHAM: I have a question just on the  
17 whole issue of rulemaking plans. Is there an outline? That  
18 still from my perspective is a black box. I don't understand  
19 what those three --

20           MR. CAMPER: No, there's a management directive,  
21 6.3 or 6.33, I think, that describes the rulemaking plan or  
22 the rulemaking process and the rulemaking plan is discussed  
23 within there. We can get you a copy of that if you'd like.

24           MEMBER GRAHAM: And is that truly an onerous  
25 document or --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: No, no. It's actually about half of  
2 a Tom Clancy novel.

3 MEMBER GRAHAM: But does it read as fast?

4 MS. HANEY: No.

5 MR. CAMPER: No, it doesn't read nearly as fast.  
6 I can tell you that.

7 MEMBER GRAHAM: Refresh my memory. The reason  
8 that we got into this discussion in the first place was  
9 motivated by why? We went out and asked, and from what I'm  
10 hearing the vast majority of the people that responded said it  
11 ain't broke; don't fix it.

12 MR. CAMPER: You mean what got us to Part 33?

13 MS. HANEY: What got us to Part 33?

14 MEMBER GRAHAM: What got us into this discussion  
15 of whether we ought to revise it?

16 MR. CAMPER: There were three reasons that got us  
17 looking at this. Let me do the one that is probably the least  
18 palatable first.

19 There was a couple of events that occurred  
20 involving P-32 in which individuals received uptakes of P-32,  
21 most likely through malicious intent, although the concern was  
22 or that grew out of that is are materials being adequately  
23 controlled, secured, and accounted for?

24 On a more positive vein, the two things that were  
25 going on about the same time, and these were going on before

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the P-32 events, although one looks at Part 33 for broad scope  
2 licenses, you will find a very skeletal regulation. What has  
3 happened with broad scope licensing is that for years and  
4 years and years now a process has developed in licensing space  
5 and through guidance documents that support a very significant  
6 and large licensing program.

7           Broad scope licensees, as you know, are very  
8 complex entities, and it's difficult, frankly, to pick up Part  
9 33 and see the regulatory framework for what we actually do in  
10 licensing broad scope licenses, and so the feeling was we  
11 really should be regulating this complex program through an  
12 appropriate regulatory framework that undergoes the public  
13 process rather than through an elaborate network of guidance  
14 and licensing protocols.

15           And the third thing is that there was a desire,  
16 as is allowed in Part 50, for broad scope licensees to have  
17 the clear authority for making substantial changes in their  
18 program without having to seek prior approval from the Agency,  
19 as allowed by the flexibility in a manner similar to what is  
20 currently allowed for Part 50 licenses.

21           So there were three primary motivating, driving  
22 forces to take a look at Part 33.

23           CHAIRMAN STITT: Aubrey.

24           MR. GODWIN: Just as a side comment, the  
25 compatibility group that reviewed the NRC regulations for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 compatibility, I believe I'm correct in saying that they  
2 determined that all of 33 was not a compatibility requirements  
3 on the states. At least that committee did not feel it was  
4 needed as an absolute requirement for having a safe program.

5 MR. CAMPER: Yeah, what Aubrey is referring to is  
6 the Commission's entire compatibility or the agreement state  
7 program in terms of adequacy and compatibility has been  
8 undergoing some review by the Commission now for some time and  
9 significant changes are under consideration by the Commission  
10 as we speak, and as part of that process, a task group was  
11 formed consisting of agreement state regulators and NRC  
12 regulators in which they went through and took a look at every  
13 regulation that we have, and through the establishment of a  
14 set of criteria then tried to determine and make suggestions  
15 as to what levels of compatibility should be assigned to all  
16 the regulations.

17 And you know, we have Division 1, 2, 3 and 4, and  
18 what they actually created was a new nomenclature and some  
19 subsets and characterized how regulations should be assigned  
20 in terms of compatibility, and that's under consideration as  
21 part of the overall policy change under consideration now by  
22 the Commission.

23 CHAIRMAN STITT: Jeff, go ahead.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WILLIAMSON: Yeah, my memory is rather  
2 foggy about what our consensus recommendations were at the  
3 last meeting. Could you summarize them?

4           MR. CAMPER: I can't, no. I don't have that in  
5 front of me. I mean we have to go back and --

6           MEMBER WILLIAMSON: Well, let's see. Was that  
7 the last meeting?

8           MR. CAMPER: Well, we have the minutes. That's  
9 what I'm saying. Was that the last meeting? If not, we can  
10 get them. I don't want to try to resurrect a consensus of  
11 this steam committee off the top of my head. I'd rather go  
12 back. We'll get it for you if we don't have it.

13           CHAIRMAN STITT: Jeff, I can't remember  
14 specifics, but there were a lot of general comments sort of  
15 along the line of John's phrase "if it ain't broke, don't fix  
16 it," but John.

17           MEMBER GRAHAM: Well, in light of the public  
18 comment that has been received, I would suggest that the ACMUI  
19 may want to communicate to the Commission that the board scope  
20 licenses are, by definition, broad, and an attempt to regulate  
21 these programs by rulemaking could limit the public benefit  
22 gain through activities performed by these programs with broad  
23 scope licenses, and that we recommend retention of the current  
24 regulatory approach, and I'll throw it out just for  
25 discussion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Is this like a motion?

2 MEMBER GRAHAM: Right now --

3 CHAIRMAN STITT: Discuss it for the time being?

4 MEMBER GRAHAM: If it's going back to the  
5 Commission, I guess I'm questioning whether we ought to send a  
6 recommendation, and I think that is a summary of the  
7 discussion we had in November.

8 MR. CAMPER: Yeah, I was going to say I'm looking  
9 through the --

10 MEMBER GRAHAM: The only area I think we might  
11 have had discussion going the other way was on this issue of  
12 whether the broad scope licensees should be able to make  
13 amendments or changes. Let me find the verbiage.

14 MS. HANEY: It was the ministerial changes.

15 MEMBER GRAHAM: Exactly. If anything, they were  
16 proposing that they would widen it, open it up, make it more  
17 broad, more flexible.

18 MR. CAMPER: I don't see that.

19 MS. HANEY: That was discussed in the May  
20 meeting, Larry.

21 MR. CAMPER: Yeah, I was going to say it wasn't  
22 in the November meeting.

23 MS. HANEY: They gave a status report in the  
24 November meeting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. CAMPER: Right. So it must have been the May  
2 meeting. What we'll do is we'll resurrect the minutes and  
3 share with you exactly what the Committee had to say in terms  
4 of its findings. I think John's point is right. As I recall,  
5 many of the Committee's comments were very similar to the  
6 comments that Cathy has shown here.

7           I think John probably characterized it just about  
8 where you ended up, but we'll pull that up.

9           CHAIRMAN STITT: I think that's reasonable.  
10 We've got all morning, but we could review what we said, think  
11 about it again, and make a summary statement. It makes it  
12 look like we are reviewing our work and that we do have some  
13 consistency to our approach. I think that would make a  
14 fitting -- I assume you wrote down what you were just saying.

15           MEMBER GRAHAM: Yes.

16           CHAIRMAN STITT: Good. Are there other comments  
17 for Cathy?

18           Jeff, did you have something or did you already  
19 say it?

20           MEMBER WILLIAMSON: Well, I guess perhaps I  
21 should wait till we see the minutes. I remember having some  
22 concern about the accounting and security requirements being  
23 driven by these one or two incidents, and so I was curious to  
24 know how the final rule --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Right. I remember we had a lot  
2 of discussion about closed door coffee breaks.

3 MEMBER WILLIAMSON: To what extent the rule was  
4 modified to reflect our recommendations, if it was modified at  
5 all.

6 CHAIRMAN STITT: Let's see what our own minutes  
7 show us.

8 MEMBER FLYNN: There was a lot of discussion also  
9 as to where to draw the line. If you go into a lab and  
10 there's a minute amount of diagnostic isotope in some column  
11 or some experiment that's going on, and should that lab be  
12 totally locked up and secured at all times if the building has  
13 some --

14 CHAIRMAN STITT: Right.

15 MEMBER FLYNN: We had a lot of problem with where  
16 to draw the line.

17 MR. CAMPER: Also, too, I mean -- and you  
18 probably know this -- but, I mean, depending on what happens,  
19 if the staff proceeds with the rulemaking plan or if it  
20 proceeds with a proposed rule, obviously you will be in the  
21 loop on that. It will be a specific agenda item in which  
22 you'll be asked to provide input, of course.

23 MEMBER SWANSON: Having not read the current  
24 broad license regulations prior to this meeting, is there some  
25 kind of a performance standard in there, in the regulations,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about reporting structures and insuring that it reports to the  
2 appropriate administrative person having authority over the  
3 program?

4 MR. CAMPER: My recollection is not, no. Part 33  
5 is extremely limited.

6 MEMBER SWANSON: The only reason why I say that,  
7 there is, you know, a growing trend out there for fraud  
8 license institutions, big medical institutions, to be  
9 acquiring other practices, and you know, what we're seeing at  
10 the University of Pittsburgh, and I think actually a concern,  
11 is pressure being put on the institutional radiation safety  
12 office to assume responsibility for private practices that the  
13 institution has acquired.

14 And the concern that then comes up is: what is  
15 the -- you know, how does that private practice report  
16 administratively to the person in the institution that  
17 oversees that program?

18 CHAIRMAN STITT: Yeah, let's hear from John, and,  
19 Dan, are you in that same situation with some of the  
20 institutions being brought up there?

21 MEMBER FLYNN: Yeah. I'm not sure how it's being  
22 handled, quite frankly.

23 CHAIRMAN STITT: John.

24 MEMBER GRAHAM: Well, the first observation, most  
25 of those acquired private practices by definition cease to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a private practice. So we treat it as it's become part of our  
2 legal entity. I've never met a program at a large health care  
3 system that was headed up by a physician or a group of  
4 physicians that were shy. They tend to be some of our  
5 heaviest hitters.

6 We throw the weight of the corporate structure  
7 behind them through the radiation safety program, the  
8 radiation safety committee. So their own egos tend to make  
9 sure they keep control of what they want to control, and we  
10 throw the weight of the organization behind them.

11 So I don't know that it's a true organizational  
12 issue. Corporations are struggling with the reality that you  
13 bought something. You bought everything. You didn't just buy  
14 the volume and the activity. You bought everything that goes  
15 with that practice, and you'd better make sure your whole  
16 corporation has talked through what it means.

17 So I agree that that needs to occur, but I don't  
18 know that there's anything you could change a regulation that  
19 would facilitate that process.

20 CHAIRMAN STITT: Aubrey, did you have a comment?

21 MR. GODWIN: The multi-site issues is one that's  
22 very real, but it's not limited just to broad licenses, and  
23 you need to recognize that. Whenever a hospital corporation  
24 buys several units in different cities and even in different  
25 states, they obviously want to minimize their payments with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taxes, and they want to get one license to cover them all if  
2 they could, and so you have to look at that and then  
3 realistically look at how are they exercising control, and a  
4 lot of times it goes to such things as who signs the paycheck,  
5 that kind of arrangement, and who signs the personnel  
6 evaluations on the personnel.

7           These are issues that probably are not real  
8 amenable in terms of just that one regulation, but it's a real  
9 issue both for broad and non-broad licenses.

10           MEMBER GRAHAM: Larry, maybe you can clarify.  
11 The issue of including multi-site facilities I thought at  
12 least was a suggestion to move in the direction that there  
13 would be one corporate entity, but that might not have the  
14 same level of control, and if I understood your feedback,  
15 seven of the respondees said you shouldn't change it.

16           MS. HANEY: That's correct.

17           MEMBER GRAHAM: And only one said change it?

18           MS. HANEY: Right.

19           MEMBER GRAHAM: So, again, I think if we left it  
20 the way it is, it's a balance of public safety versus broad  
21 scope license flexibility.

22           MR. CAMPER: A couple of things. Dennis'  
23 question first. No, it's not specifically addressed in Part  
24 33, and if one looks at Part 33, you really find it's like two  
25 pages, two, two and a half pages in the code. There's very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 little there. I mean basically the types of broad scope  
2 licenses are described, the need to have a license, some  
3 conditions which can't be done in a broad scope license,  
4 violations, criminal penalties, and so forth.

5           There's almost nothing there, and that's one of  
6 the things that troubled us immensely, was if we have a  
7 licensing process in place today for very large facilities,  
8 very complex facilities, that has grown up in licensing space  
9 and all of those practices and procedures and requirements  
10 that we impose have never undergone the public scrutiny of a  
11 rulemaking process, and that seems to be illogical, to license  
12 such complex programs in the absence of a clear regulatory  
13 structure.

14           So we wanted to try to get Part 33, you know,  
15 where it was much more clear as to how broad scopes are  
16 structured. Now, Donna-Beth was pointing out to me that, of  
17 course, other parts apply. For example, broad scopes are  
18 doing medical uses, you know, Part 35. Some of the  
19 requirements of Part 35 are imposed upon broad scope licensees  
20 and other parts can apply as well.

21           But, once again, it's done through license  
22 condition. Okay? And so what we're trying to do is make it  
23 very clear what the broad scope program is all about.

24           The question of multi-sites, I mean, we do have  
25 some licensees already that are not broad scope licenses, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are multi-site licensees. I mean the one that comes to mind  
2 most readily is Syncor Corporation, recently consolidated, I  
3 think, something on the order of 30 separate licenses into one  
4 license that's multi-site.

5 Another large commercial radiopharmacy concern  
6 has expressed an interest in doing that as well.

7 CHAIRMAN STITT: Jeff first and then Dan and  
8 Judith.

9 MEMBER WILLIAMSON: Yeah, I'm kind of puzzled by  
10 some of the discussion concerning the management of acquired  
11 private practices by the home institution. Isn't that covered  
12 in Part 35 and has nothing to do with Part 33 if it's a  
13 medical facility?

14 MR. CAMPER: Well, what's covered in Part 35 is  
15 that there must be a license, and a license can be issued to  
16 either a private practice scenario or to an institution, but  
17 that doesn't get into, you know, these issues of who owns and  
18 acquisitions and so forth. It simply means that a license has  
19 to be in place, and the thrust of all of that, of course, is  
20 the conduct of the radiation safety program.

21 MEMBER WILLIAMSON: Yes. Well, for a medical use  
22 institution with a broad scope medical license, Part 33 is not  
23 operative; is that correct?

24 MR. CAMPER: No, Part 33 is operative for a broad  
25 scope license, and broad scope licenses have imposed upon them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some of the requirements of Part 33, and that's done through  
2 the license condition, but the license is a broad scope  
3 license issued under the authority in Part 33.

4 Part 30 applies. Part 33 applies, and conditions  
5 or parts of other subparts, like Part 35, are imposed by  
6 condition

7 MEMBER FLYNN: I had a question. On the Indiana,  
8 Pennsylvania accident in terms of the one entity having multi-  
9 sites and that under one license there were multi-sites that  
10 were distant from each other under the one license, does the  
11 licensing condition meet that situation in terms of, let's  
12 say, for example, the oversight of the radiation safety  
13 officer of each of these sites and the functioning, whether  
14 there's a functional radiation safety committee that could  
15 effectively cover multi-sites which are some distance from  
16 each other?

17 Did the licensing conditions -- did they break  
18 down in that situation? Could they address a future problem  
19 of that type or some other type where there doesn't appear to  
20 be enough oversight by the RSO on each of the facilities  
21 involved?

22 MR. CAMPER: Well, in the case of the Indiana,  
23 Pennsylvania incident, obviously there were some on-site,  
24 first-hand problems that, of course, created the unfortunate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fatality, and there were regulations that were not followed by  
2 the staff in attendance at the time.

3           In addition to that though, and when we looked at  
4 that organization in total, there were problems that were  
5 uncovered with regards to control and management of the  
6 complex at large, given that there were multiple sites  
7 involved. Yes, there was some of that, as well.

8           So there were really two separate kinds of  
9 things.

10           MEMBER FLYNN: Right. I'm talking about the  
11 second issue. I know about the first.

12           MR. CAMPER: I understand. I don't recall any  
13 clear indication that that management problem, you know, was  
14 the cause or at least a partial cause of the event that  
15 occurred in the one center though, but, yes, we did find  
16 problems, and, yes, we did cause certain changes to take place  
17 in that particular organization in terms of its multi-site  
18 complex.

19           Now, having said that, what we do, on one hand,  
20 we have to recognize and be flexible to the changing dynamics  
21 in the health care industry. I mean, clearly, as you all  
22 know, business is being done differently. We don't think it's  
23 appropriate, on one hand, for a regulatory agency to not  
24 recognize those changing dynamics.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What's essential though in that process is that  
2 we insure that an adequate set of controls and processes are  
3 in place to allow multiple sites to be managed.

4           For example, in the case of the Syncor situation,  
5 just as an example, they have a radiation safety committee.  
6 They have a complex management structure involving a corporate  
7 radiation safety officer. They have an organization in place  
8 that monitors the various sites, that conducts audits of the  
9 sites. They have feedback mechanisms where information is  
10 channeled to the radiation safety committee.

11           The radiation safety committee has evaluation  
12 processes they go through, and we looked for all of that  
13 before issuing the multi-site license.

14           So the licensee, if you're going to have multiple  
15 sites, then obviously you have to have a complex management  
16 structure to manage multiple sites.

17           MEMBER FLYNN: Well, my question is then: does  
18 New Regulation bring something more in addition to what you  
19 could control under just licensing conditions for specific  
20 situations?

21           MR. CAMPER: No, I think that you can certainly  
22 do an adequate job of protecting public health and safety and  
23 imposing management operating conditions on licensees through  
24 the licensing process. I mean we have done that and the  
25 agreement states have done that successfully for years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The issue though is that when you impose license  
2 conditions, you're not doing that in the sunlight of the  
3 regulatory process, if you will. In other words, those  
4 requirements are never subjected to the rulemaking process and  
5 the scrutiny of public comments.

6           If one looks at Part 33 today and then one looks  
7 at a broad scope license and the conditions that are imposed,  
8 our concern was that we had this elaborate set of conditions  
9 that we impose. Yes, they work. Yes, they protect public  
10 health and safety. No, they're not broke, but they've never  
11 undergone the scrutiny of the public rulemaking process.

12           We thought that they should.

13           CHAIRMAN STITT: Judith is first and then  
14 Kenneth.

15           MEMBER BROWN: Well, I'm going to be bold because  
16 this is my last meeting. This is my last meeting, right?

17           (Laughter.)

18           CHAIRMAN STITT: We'll make sure that it is.

19           MEMBER BROWN: Well, I found this discussion so  
20 generic as to leave me struggling with what are we talking  
21 about, and I think I've caught on, but it's taken me the  
22 previous 20 minutes, and when you talk about incidents, I  
23 don't know if you're talking about the intentional thing at  
24 NIH or the accidental thing at Wilkes-Barre or the accidental  
25 thing at Indiana, Pennsylvania.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I just pity the next person who sits in my seat  
2 to try and keep up with what's going on here when people  
3 aren't really talking about what the impetus for even looking  
4 at Part 33 is.

5 I don't know how many people around the table use  
6 Part 33, you know, in daily conversation, you know, outside of  
7 this building, but I think just as a general admonishment that  
8 you all need to be -- "you all"; I've been sitting next to  
9 Aubrey.

10 (Laughter.)

11 MEMBER BROWN: I'm sorry.

12 MR. GODWIN: Pretty soon you'll say "you'uns."  
13 Okay?

14 MEMBER BROWN: That's right.

15 That I would like to see the staff be much more  
16 down to earth so that John, who's really bright, isn't saying,  
17 "Refresh my memory," and Jeff, who's really bright, isn't  
18 saying, "What did we say now?"

19 I don't think I'm the only one even though I'm in  
20 the best position to be confused. So I remember in the past  
21 people being more direct, and I would appreciate for the next  
22 person who sits here kind of a summary. The reason we're  
23 looking at this is because these things happened.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Now, having said that, I have some questions.  
2 Has anything else happened? And what exact incidents are we  
3 talking about that a revision of Part 33 would correct?

4 MR. CAMPER: Well, I have the minutes now from  
5 last time, and you'll find there's about seven or eight pages  
6 of the minutes are associated with the discussion of the  
7 revision of Part 33, and a lot of questions were explored with  
8 the Committee at that time. In fact, there's about -- I don't  
9 know -- nine or ten of them, and then there's some  
10 recommendations from the Committee, which we can step through  
11 if you'd like.

12 But the incidents that I was referring to that  
13 happened at the same time that we had already begun to look at  
14 Part 33 are the two Phosphorus-32 events, one of which  
15 occurred at NIH --

16 MEMBER BROWN: Right.

17 MR. CAMPER: -- and one of which occurred at MIT,  
18 and they were cases in which an individual ingested P-32  
19 apparently from a malicious intent.

20 MEMBER BROWN: Okay. Thank you.

21 There has not been anything remarkable since the  
22 Wilkes-Barre thing that was shown to be a technician who made  
23 a mistake; is that correct? Nothing to add?

24 MR. CAMPER: No, that's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER BROWN: So it really does seem to be a  
2 blip, not a trend, as people were afraid when those two things  
3 followed each other so quickly?

4           MR. CAMPER: Perhaps.

5           MEMBER BROWN: The other question I have is in  
6 the commenters that responded. In the list it says private  
7 citizens, and I'm wondering who were these people. Were these  
8 like former ACMUI members or are there any really private  
9 citizens who know anything about what we're talking about?

10          MS. HANEY: We can check and let you know.

11          MEMBER BROWN: Okay.

12          CHAIRMAN STITT: Good comments, Judith. Yeah,  
13 we're lucky we have John and you to make those "gee, could you  
14 refresh my memory" comments. Several of us were going, "I  
15 have no idea what this is regarding."

16          A copy of our minutes are still hot off the  
17 copier. Do people want to look through these while we're  
18 continuing our discussion so that we can get back to John's  
19 comment?

20          Jeff, did you have a question a while ago or, no,  
21 it was Dennis. You had a comment?

22          MEMBER SWANSON: I was just going to finish up on  
23 my concern about what's happening in the medical practice. I  
24 think what we're seeing out there is that the institution is  
25 acquiring from a business perspective these practices in such

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a rapid manner that it's difficult for the infrastructure to  
2 keep up with the institution, and this goes beyond the  
3 radiation safety committee. This goes to IRBs. It goes to  
4 legal counsel, legal counsel being the people that would  
5 define the reporting structure, et cetera.

6           And at the same time, the infrastructures are  
7 asked to begin to assume responsibility for these other sites,  
8 and where our thinking is at sort of right now, because we're  
9 definitely in that mode -- the institution is acquiring  
10 practices every day -- you know, we're a little concerned and  
11 rightfully concerned that until we have that management  
12 structure fully defined and until we have the controls and  
13 systems in place, that we have to keep these other  
14 institutions with their individual licenses because it puts  
15 the whole program at jeopardy if we were to take them under  
16 our broad license at that point.

17           So that's just to summarize where we're at with  
18 this, and I think this is something that everybody is out  
19 there facing right now, that the NRC needs to be aware of when  
20 they go and look at these situations.

21           CHAIRMAN STITT: Aubrey.

22           MR. GODWIN: I think if you look at both NRC and  
23 all the agreement states you'll find that merely serving the  
24 institution doesn't really legally transfer the license or any  
25 changes to the license. So from a very strict legal point of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 view, yeah, you can sell it, but you can't do any changes  
2 until the appropriate regulatory authority agrees with those  
3 changes, and that's a rather key point, and this is true  
4 whether it's for a broad license or a non-broad license.

5           The key issues the states felt now on the broad  
6 license issues, which I sort of separate these two out -- I  
7 see that multi-facility thing as being sort of a generic  
8 problem across the board, not just with the broad licenses --  
9 but the states felt that the broad licenses could be issued  
10 without having Part 33 because there's really nothing in 33  
11 that gives you that much guidance. It basically just says how  
12 you're going to classify things more than anything else. It  
13 really doesn't give you anything that, I guess, Parts 30 and  
14 31 or 32 have in them. So the states didn't see any real  
15 advantage to having 33.

16           The philosophical point though that is very real  
17 is that many broad licenses have essentially the identical  
18 conditions in them that are repeated over and over, and that  
19 basically constitutes a rulemaking against a certain class of  
20 licenses that does not go through the administrative process,  
21 and it's sort of a key point, you know, that they have to keep  
22 an eye on in their regulatory business.

23           These conditions, when they're imposed routinely,  
24 without going through the regulatory process are being put on  
25 you in such a way that the applicant is not in an effective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 position to argue about it. If the condition is put on there,  
2 he wants his license. He's out of business until he gets that  
3 license, and so he's at a tremendous disadvantage to say,  
4 "That's not a proper condition to be on my license," and once  
5 it's put on there, it's almost impossible to argue to get it  
6 off.

7           So that's where the regulatory people are coming  
8 from when they say, you know, we need to get some of these  
9 standard conditions that we're imposing routinely on broad  
10 licensees; at least give a chance for the public to have some  
11 input on it.

12           CHAIRMAN STITT: Larry Camper and then John.

13           MR. CAMPER: I have a comment and then a question  
14 for the Committee. I've gone back through the minutes, and  
15 the discussion of the Part 33, and I quickly counted about 13  
16 or 14 positions expressed by the Committee on this rulemaking.

17  
18           These are characterized as "ACMUI believes that"  
19 or "ACMUI agrees that" and so forth and so on. So you did  
20 have a substantial amount of thoughts and observations and  
21 suggestions.

22           Now, what I'm wrestling with though is a process  
23 question. I mean what we're doing here this morning is sort  
24 of giving you a status report. There's a number of things  
25 going on here, but obviously you still have a lot of interest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this particular issue as a result of hearing the status  
2 report.

3           And I guess what I'm wondering is, you know,  
4 what's the best way to facilitate this level of interest by  
5 the Committee at this point. In other words, I look at this  
6 and I say: here was an issue that was discussed with you.  
7 You provided substantial input. There's some, you know,  
8 recall, and that's understandable. You know, what do we say  
9 about this? What do we say about that?

10           And I guess what I'm trying to struggle with is  
11 what's the best process so that you can readily recall or, you  
12 know, remember what you had to say or what your concerns were  
13 because here what I'm doing is we're dealing with a status  
14 report only. You have a lot of issues here, concerns about  
15 it. You did have a lot of input. Is there some better way or  
16 what do you need? What can help you deal with this issue  
17 better?

18           I mean obviously if we go forward, you're going  
19 to see this as a proposed rule and so forth. You'll have  
20 opportunities to impact that, and so forth. So I'm trying to  
21 understand what can we do more to help you with this issue.

22           MEMBER BROWN: What would help me, as I said, is  
23 just with a status report, more of an opening paragraph. "As  
24 you recall, we discussed this at your meeting, and it was  
25 because these things happened, and you all thought X, Y, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Z, and I'd like to tell you what the rest of the world thought  
2 since we opened it up to discussion."

3 That would help me, and it would help the next  
4 consumer representative who sits in this spot or the next  
5 person who hasn't been with the Committee.

6 CHAIRMAN STITT: Well, I think, Larry, I'm not  
7 sure that the Committee wants to do something. I think that  
8 you assessed it correctly. There's a lot of interest in the  
9 Committee when you look at our minutes, and I appreciate  
10 having those to refresh ourselves.

11 We are interested, and we do want to make sure  
12 you understand we want to see it again and continue to be  
13 involved.

14 MR. CAMPER: I think one thing that would help  
15 would be, if nothing else, maybe just -- you know, we should  
16 always provide the minutes from the last time or maybe the  
17 minutes ought to be included in the book if there's going to  
18 be something on the status reports. At least that way you  
19 have it readily available at your fingertips to see.

20 And the other thing I think I'm hearing then is  
21 when we give these status reports, rather than just telling  
22 you where it is in the process, some recall of at least what  
23 it was about and what was motivating this initiative would be  
24 helpful.

25 Okay. That's great.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: It would be, but as you know,  
2 there are some that are more pro forma, and there are others  
3 that we have a depth of interest in. So it is somewhat  
4 variable.

5 MR. CAMPER: Okay.

6 CHAIRMAN STITT: John, you have a comment?

7 MEMBER GRAHAM: Well, I think just two  
8 observations.

9 One is my understanding, and I'm remembering all  
10 the discussion back in May now that I've seen the minutes. It  
11 wasn't that broad scope licensees were complaining that all  
12 these weird quirks had been folded into the licensing practice  
13 which we're making their life impossible. So it wasn't like  
14 that was an issue they were raising, that if we brought it out  
15 into the bright sunlight of rulemaking, it would correct the  
16 situation.

17 And at the time it was brought to us stated as  
18 something that was inevitably happening, that this was an  
19 advanced notice of proposed rulemaking, and we were asked back  
20 in May to discuss questions that would be published for public  
21 comment, and a lot of our discussion was we don't know that  
22 you need to get into advanced rulemaking at all. Okay. We  
23 don't think questions need to be asked, but if you're going to  
24 ask them, then we spent a day debating what would be the  
25 responses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I think, you know, the only observation for  
2 the minutes that I'll make is that Dr. Siegel agreed that it  
3 appears that the staff is reacting to events that may not have  
4 been preventable by the licensees. Carl Paperiello, Director  
5 of Nuclear Safety and Safeguards, indicated that the staff  
6 already had plans to revise Part 33 before these events.

7           You know, we had this huge train rolling over us.  
8 We said, "Okay. The train has left. We'll talk about these  
9 questions."

10           Now the public comments come back, and I think we  
11 just need to consider as a Committee whether we want to  
12 reiterate that the broad scope licensing practice appears to  
13 be working.

14           CHAIRMAN STITT: Well, the last paragraph says  
15 that ACMUI will have additional opportunities to comment on  
16 your language after public comments are received and analyzed,  
17 and, folks, that's where we are today.

18           So other commentary? And then I'll go back to  
19 John for a summary. Anybody else want to?

20           I also think this is kind of the crowning blow of  
21 Barry got his yo-yo, too, and it's sort of a fitting end to  
22 his term.

23           John, do you want to restate your --

24           MEMBER GRAHAM: Yeah, I would recommend that the  
25 ACMUI communicates to the Commission that broad scope licenses

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 are, by definition, broad and an attempt to regulate these  
2 programs by rulemaking could limit the public benefit gained  
3 through activities performed by programs with broad scope  
4 licenses, and we recommend retention of the current regulatory  
5 approach.

6 So moved.

7 MEMBER NELP: Second.

8 CHAIRMAN STITT: Commentary?

9 Watch out, guys, is all I can say. She's on your  
10 side of the table.

11 MEMBER BROWN: What if I only like the last part,  
12 "we recommend the current regulatory approach," and I don't  
13 like the preamble? How do I vote?

14 PARTICIPANT: With your conscience.

15 MEMBER GRAHAM: This is a flexible group. I  
16 don't have any problem with the preamble becoming just that,  
17 preamble.

18 CHAIRMAN STITT: And that the motion would be the  
19 latter part?

20 MEMBER BROWN: You see, I think we should  
21 recommend --

22 MEMBER GRAHAM: Yes.

23 MEMBER BROWN: -- the current regulatory approach  
24 for very different reasons than you recommended.

25 MEMBER GRAHAM: All right. Fine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: And I would like to on my last day  
2 vote with the Committee. I'm really trying here.

3 MEMBER GRAHAM: So if I understand it, I'm  
4 getting a recommended amendment that ACMUI recommends  
5 retention of the current regulatory approach for broad scope  
6 licenses.

7 MEMBER BROWN: That would be great, and then you  
8 all could say whatever you all want.

9 MEMBER GRAHAM: I accept that amendment.

10 MEMBER BROWN: Oh, that'd be great.

11 CHAIRMAN STITT: I'm glad you moved from next to  
12 Aubrey because you used two "you alls" just in trying to make  
13 that statement.

14 MEMBER BROWN: I'm going to be bringing it home  
15 with me I know.

16 CHAIRMAN STITT: All right. Now, parliamentary  
17 procedure-wise, what are we stuck with?

18 MEMBER GRAHAM: We had a motion. We had a  
19 proposed amendment. It was accepted.

20 CHAIRMAN STITT: Okay.

21 MEMBER GRAHAM: I don't know if I ever heard a  
22 second in there even of the motion.

23 MEMBER BROWN: I'd second.

24 CHAIRMAN STITT: All right. We're in good shape  
25 then, Jeffrey.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WILLIAMSON: I'm not sure it's a very good  
2 position for this Committee to take. I think that licensing  
3 guidance can be highly arbitrary and prescriptive and it might  
4 be better to have some framework of published rules that  
5 potential licensees can use as an argument against capricious  
6 licensing personnel and to argue that this, you know, going  
7 too far.

8                   CHAIRMAN STITT: That presume that you know what  
9 the rules are going to be and that they are not detrimental to  
10 whatever one's viewpoint is.

11                   MEMBER WILLIAMSON: Well, we did see a draft of  
12 the proposed rules, and I don't have them in front of me, but  
13 as I recall, there was some attempt to mitigate the  
14 prescriptiveness and have a performance based criterion in  
15 part. I think we have to assume that probably the current  
16 licensing guidance, which I don't know if we went through, is  
17 perhaps even more Draconian than the proposed, the advanced  
18 proposed rule or whatever one wants to call that version, was.

19                   So I'm just not sure it's a very wise position to  
20 take. It might be better to take this position after we see  
21 the revised rule during the next iteration of review, and then  
22 if it appears unsatisfactory compared to the current system  
23 and the existing licensing guidance, it might be wise, you  
24 know, to reconsider and perhaps review John's amendment at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that time, in the light of a more considered review of all the  
2 materials.

3 CHAIRMAN STITT: I do think what John's just  
4 proposed is a reasonable summary of what the Committee said in  
5 May, after, again, reviewing our own notes.

6 MEMBER GRAHAM: Just one very brief comment,  
7 Jeff. If we were sitting in a perfect, rational world and we  
8 would have the most informed individuals developing that  
9 rulemaking in a perfect setting and they would be reviewed and  
10 approved in that context, fine. I will continue to express a  
11 fear that they'll fall inside a black box, and when they come  
12 back out, we'll be sitting here agonizing for a day and a half  
13 over the fact the final rules are going to place onerous  
14 restrictions on current broad license activities that are  
15 going to limit the ability to provide as much public benefit  
16 as I think they do now.

17 They're a very isolated class of license. There  
18 are very unusual organizations that have them. I think  
19 they're on the cutting edge of making improvements in health  
20 care. I'm not willing to risk losing all that because there's  
21 enough opportunity to lose control of that rulemaking process,  
22 and I'm not sure that we gain much.

23 CHAIRMAN STITT: Lou.

24 MEMBER WAGNER: As everyone notices, I'm wearing  
25 sunglasses. That's because I've become photophobic. I have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terrible headache developing behind my eye, and the bright  
2 lights are bothering me here.

3           But I think the intent of your proposal is to  
4 give the message to the Commission that there's no need to  
5 tighten restrictions. I don't like the wording because I  
6 don't think it gets that message across completely, but I'm  
7 going to support it because I think that's the intent of it,  
8 and as long as that's the intent and the general message we're  
9 getting across, that's what should be said.

10           CHAIRMAN STITT: Thank you, Lou.

11           Jeff.

12           MEMBER WILLIAMSON: Well, I can certainly support  
13 the intent if that's the intent. So I would support the  
14 proposal if we could phrase it that way, to suggest that  
15 whatever happens, it should incorporate appropriate level of  
16 flexibility and not be prescriptive.

17           CHAIRMAN STITT: John, do you want to read it  
18 again?

19           MEMBER GRAHAM: Well, I think we stripped it down  
20 to the ACMUI recommends retention of the current regulatory  
21 approach for Section 33, and implicit -- okay. So that's the  
22 motion.

23           Implicit in that motion is the amount of  
24 flexibility that has been in it to date, and I'm truly trying  
25 to balance your concerns, as a major broad scope provider, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Judith's concerns that we don't throw the baby out with the  
2 bath water.

3 MEMBER NELP: Call for the question.

4 CHAIRMAN STITT: All right. Let's do that.

5 All those in favor, raise your hands.

6 (Show of hands.)

7 CHAIRMAN STITT: All those opposed?

8 (Show of hands.)

9 CHAIRMAN STITT: All right. You get the  
10 opportunity to explain your vote.

11 MEMBER WILLIAMSON: Yeah, I feel that the  
12 implication of the motion is that the Commission should not  
13 undertake any rulemaking activities with regard to Part 33,  
14 and I don't feel in a position to be able to assess the  
15 rigidity and flexibility of the current process relate to what  
16 might happen at this time.

17 CHAIRMAN STITT: All right. I think we're done  
18 with that section then.

19 Who's next on the agenda?

20 MS. HANEY: I am.

21 CHAIRMAN STITT: Are you?

22 MS. HANEY: I stay. I feel that way.

23 Let me just add, to respond to Judith, the  
24 private individuals. One individual works for the Navy's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 master material license, but he provided comments as an  
2 individual and not for the licensee.

3           The other individual was a certified health  
4 physicist that provided comments.

5           MEMBER BROWN: Maybe in one of the institutions  
6 that was affected by the incidents?

7           MS. HANEY: I can't tell from the one letter  
8 whether he does work for a broad scope licensee or not.

9           MEMBER BROWN: Okay. Thank you for checking  
10 that.

11           MS. HANEY: Okay. The next subject is the  
12 revision to 10 CFR 35.75. This particular item has been  
13 discussed with the ACMUI probably for the last four years on  
14 and off at different stages of it as we've gone through it.  
15 This particular rulemaking started in response to a petition.

16           Currently Part 33 requires that prior to  
17 releasing an individual from confinement after they've been  
18 administered radioactive materials, the body burden has to be  
19 less than 30 millicuries or the radiation level is 5 mR or  
20 less at a meter.

21           What this rule did was make it a dose based  
22 release requirement rather than putting in an activity limit.  
23 If someone that came in proximity with the patient -- their  
24 dose would not exceed 500 millirem -- the licensee could  
25 release them from confinement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The final rule was published in the Federal  
2 Register on January 29th of this year. The effective date of  
3 the rule is May 29th of 1997.

4           Okay. In order to help our licensees in  
5 complying with the rule, Reg. Guide 8.39, release of patients  
6 administered radioactive material, was developed. It was  
7 issued in draft. We received numerous comments. The comments  
8 were incorporated into the final version.

9           I believe it was probably about four weeks ago we  
10 sent to the ACMUI the proposed final document for one last  
11 look. We did receive some comments from the ACMUI. Rather  
12 than going through them one by one at this time and using the  
13 time, I didn't plan to do that, but I would be happy to go  
14 through with the individual commenters what we did with their  
15 comments.

16           But I would like to make a couple of statements.  
17 The majority of the comments were taken. They might not have  
18 been taken verbatim, but the intent was incorporated.

19           The particular sections that you commented on we  
20 also got comments from our Office of General Counsel, Office  
21 of Enforcement, and we basically were blending all of the  
22 comments in together. So, as I said, I believe the intent of  
23 the comments were taken.

24           What are the big changes, at least that I felt  
25 the big comments that we received? Dennis Swanson provided us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a significant number of comments that had to do with defining  
2 our basis for determining the release criteria for exposures  
3 from some of the beta emitters, P-32, Strontium-89, and  
4 Nutrobium-90 (phonetic).

5           What we did in that case is we took the number  
6 out of the reg. guide and we put in a footnote there that said  
7 that the activity and dose rates were not applicable because  
8 of minimal exposures to the public. The draft version of the  
9 proposed final contained an actual activity level there, and  
10 on going back to determine how that activity was determined,  
11 we felt it was better to not put that activity in there and go  
12 with just the not applicable status.

13           There were some comments that we were not able to  
14 address because it really went back to the rule language,  
15 which at this point we did not have the flexibility of  
16 changing the rule language. So we were using that as a  
17 starting point and going from there.

18           But, as I said, I'll be happy to go through with  
19 the commenters their specific comments if they'd like.

20           Okay. As far as the inspection guidance goes on  
21 this particular rule, the inspection guidance was discussed at  
22 the last ACMUI meeting. I do not believe there are any  
23 recommendations that came out that related to the inspection  
24 guidance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What we did, we needed to make some changes to  
2 our inspection procedure in the January time frame to get some  
3 guidance out to the regions relative to the constraint rule on  
4 air emissions. So we used this as an opportunity to also  
5 issue the inspection guidance 435.75. What we did is put a  
6 little disclaimer, if you want to call it, in there that said,  
7 "Don't start using this guidance until the rule becomes  
8 effective late spring."

9           Basically what the guidance -- we made it very  
10 performance based. In the inspection guidance we put in  
11 "determined by observing and discussing with the licensee."  
12 In other words, we don't want the inspectors out there doing  
13 just a paper work check.

14           We told the inspectors to look at the licensee's  
15 basis for release, whether they were using the charts in the  
16 reg. guide or whether they were actually doing case specific  
17 calculations.

18           As far as the inspection instructions, there are  
19 some requirements for the licensee to give instructions to the  
20 patients. We told the inspectors to review a sample of the  
21 instructions and then to discuss the content of the  
22 instructions with the staff, again, not a quiz sort of thing,  
23 but talk with the staff to see if, you know, they were aware  
24 of what they were giving as far as instruction goes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other thing was to check that the required  
2 records are being maintained. There is a record retention  
3 requirement in the rule for three years under certain  
4 conditions, and the inspector is just to verify that the  
5 record were being maintained.

6           Any questions on where we are on 35.75?

7           CHAIRMAN STITT: Dennis.

8           MEMBER SWANSON: One of my concerns in the draft  
9 regulatory guide dealt with some of the language in the guide  
10 actually made it appear that the requirements were very  
11 prescriptive. You know, there were specific statements that  
12 said these are reasons why somebody could be released earlier.

13           Was that corrected or addressed?

14           MS. HANEY: It was addressed. I don't know that  
15 it went to the level of your comment, but it was addressed.

16           If the licensee chooses to use the charts to  
17 release the patient, then that ends that, but your comment is  
18 more in the area if the licensee chooses not to use the chart.  
19 I believe the section you're commenting on is where we were  
20 saying that if you went this method and you were basing it on  
21 occupancy, these are the items you need to record.

22           Most of those were taken out. There were a few  
23 that were left, and they were not in there as "shalls," which  
24 were meaning requirements. They were in there as "shoulds,"

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meaning that it was recommended, but, you know, if you didn't  
2 do it, it wasn't a problem.

3           So, again, I think there was a little bit of  
4 compromise there.

5           MEMBER SWANSON: Yeah, I thought it was probably  
6 more of a wording, the way it was worded than --

7           MS. HANEY: Yeah.

8           MEMBER SWANSON: -- than what we really intended  
9 to do.

10          MS. HANEY: And we did delete some of the items.

11          One thing I did not say was that the reg. guide  
12 should be out in two weeks. It has gone to the printer. So  
13 at least what I heard yesterday morning was probably one to  
14 two weeks. So I'm going to say two to be sure.

15          MR. CAMPER: Can we get copies?

16          MEMBER NELP: Can we get a copy of that?

17          MS. HANEY: Sure.

18          CHAIRMAN STITT: Larry.

19          MR. CAMPER: I want to add to what Cathy has told  
20 you by giving you a status report. I'm able to add to what I  
21 said yesterday as to what happened with regards to the  
22 Committee's recommendations, and what I will read to you from  
23 is a May 8 Commission paper entitled "Final Amendments to 10  
24 CFR, Parts 20 and 35 on Criteria for Release of Individuals

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Administered Radioactive Material." This is the paper in  
2 which the staff transmitted the final rule to the Commission.

3 And in that the staff does talk specifically  
4 about the Committee meeting conducted on the 18th and 19th of  
5 October of '95, and we discussed your motions, and there were  
6 three particular motions that you suggested.

7 First, the ACMUI suggested using the term  
8 "rationale" instead of "consequences" in the requirement under  
9 10 CFR 35.75(b), to provide guidance on the interruption of  
10 breast feeding and information on the consequences of failure  
11 to follow the guidance, and so forth and so on. It goes on to  
12 talk about technetium and so forth.

13 The staff did not change the rule in response to  
14 the ACMUI comment because the requirement to provide  
15 information on the consequences is included primarily to  
16 protect the breast feeding infant from therapeutic  
17 administrations of radioiodine which could cause serious  
18 thyroid damage. Regulatory Guide 8.39 will contain guidance  
19 on the types of information, including expected consequences,  
20 to be provided to the patients to meet this requirement.

21 Second, the ACMUI suggested using the phrase "the  
22 retained activity" rather than "the activity administered,"  
23 instead of "an activity other than the activity administered."  
24 That suggestion was taken.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Third, the ACMUI suggests that the term  
2 "discontinuation" should be used in conjunction with  
3 "interruption" in the requirement to provide guidance on the  
4 interruption of breast feeding. That suggestion was taken by  
5 the staff.

6 MEMBER SWANSON: I just might comment that one of  
7 my comments back on the reg. guide was to hold the feet of the  
8 NRC to the fire in requiring that they include example  
9 statements on what the consequences of breast feeding are. It  
10 will be interesting to see how they're going to approach that  
11 problem.

12 CHAIRMAN STITT: Other comments?

13 (No response.)

14 CHAIRMAN STITT: All right. We've got our  
15 feedback. Two out of three, Dennis. That's not bad.

16 Where do we go from here?

17 MS. HANEY: NUREG-1569. This is the document  
18 that has been referred to as the modules. This document was  
19 developed almost as an addendum to Reg. Guide 10.8. There are  
20 certain inspection guidance to the licensees that was not  
21 available in 10.8, some of the newer modalities.

22 This document is going to be issued in draft for  
23 comment. Right now it is within our concurrence chain. I  
24 think it's one signature from being finalized.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The document itself is being issued for public  
2 comment and not for use in preparation or review of  
3 applications for medical use licensees. This has been a  
4 disclaimer that is appearing at the top of the page. There  
5 was a concern about the early implementation of this guidance.  
6 So we wanted to make it clear to the public that it was out  
7 for comment.

8           Revisions to this document will probably be made  
9 based on revisions to Part 35, and then in addition to the  
10 comments, you know, based on the comments coming back and then  
11 depending upon any revisions to Part 35, those will also be  
12 incorporated into this document.

13           So this was just an attempt at bringing some or  
14 consolidating some license guidance into one document for some  
15 of the newer modalities.

16           MR. CAMPER: These are the modules that the  
17 Committee worked on.

18           MS. HANEY: So, in other words, this one should  
19 be out, again, within I would say a month, month and a half.

20           CHAIRMAN STITT: Jeff, you had a comment?

21           MEMBER WILLIAMSON: Yeah, a question about your  
22 last bullet there. The implication seems to be that this  
23 document is not going to go forward and be implemented at all,  
24 that it's going to be held pending revision of Part 35. Am I  
25 misunderstanding something?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. HANEY: No, I think it's a true statement.  
2 Given the timing that we're looking at, this document was  
3 worked on prior to us getting the go-ahead to revise Part 35.  
4 So it was one of those things that we kept moving, although we  
5 were waiting for this go-ahead on Part 35.

6 Now that the document has been finalized for  
7 comment, we'll go ahead and get some comments on it, but given  
8 our time frame and our staff efforts on revising Part 35 now,  
9 that's going to be where a lot of our resources are directed.

10 The two will probably come together again, and I  
11 believe Larry mentioned yesterday that when we are issuing  
12 rules right now, we have to at the same time be providing  
13 implementation guidance out there. So this may be the  
14 mechanism that we use as far as getting licensing guidance out  
15 to the staff and to licensees.

16 MEMBER WILLIAMSON: So it is on hold effectively  
17 then pending revision of Part 35, and we shouldn't spend a lot  
18 of effort reviewing the current draft.

19 MR. CAMPER: Well, the document was created  
20 because there was a feeling that there was a void in  
21 information on those subjects. Teletherapy, for example, the  
22 guide was created in 1985. There was nothing available in  
23 gamma stereotactic radiosurgery. Radiopharmaceutical therapy,  
24 some guidance was indicated as being needed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So the whole project was initiated to try to fill  
2 an existing void in information. Now, the guidance document  
3 is being published, and as Cathy said, there's a caveat, and  
4 it's stamped on every page that it's for informational  
5 purposes and comment, not to be used for submitting licenses.

6           Now, the reality of the matter is that some  
7 licensees will look at that information, and they can say,  
8 "Ah, this can help me putting together an application for a  
9 gamma knife," or, "this can help me in dealing with mobile  
10 imaging." So there is utility to it if they choose to use it,  
11 but it's made very clear by the agency that it's not for that  
12 purpose.

13           And as Cathy said, the problem that we have is if  
14 we weren't where we are currently in revising Part 35, we  
15 might have characterized the guidance differently, but we felt  
16 that (a) it does serve a useful purpose, and (b) it does  
17 provide an opportunity for comment, which can be considered as  
18 we move to revise Part 35. We just may learn things, and that  
19 will help us out.

20           CHAIRMAN STITT: Go ahead, Jeff.

21           MEMBER WILLIAMSON: Well, just a follow-up. So  
22 should we on this Committee be looking at it as kind of an  
23 indirect suggestion of what the staff would like to see in the  
24 new Part 35?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: No, no, no, you shouldn't. I don't  
2 know why you would draw that conclusion. As I just said, the  
3 guidance, it was prepared to fill an informational void. The  
4 Committee worked with us to develop it, and it's, as we said,  
5 it's provided for comment.

6 It is structured clearly consistent with what  
7 Part 35 looks like today. Obviously, it may be substantially  
8 different depending on what Part 35 ultimately looks like,  
9 but, no, we have to structure guidance consistent with the  
10 regulations we have at the time, and that's the way that was  
11 structured. I don't think it indicates a preference one way  
12 or the other. It's just we have to develop guidance  
13 consistent with the current regulations.

14 CHAIRMAN STITT: Other comments on this topic?

15 MEMBER FLYNN: I have one. For example, let's  
16 take one example like HDR. Then if this is not going to be  
17 used by the field staff, would then NRC Bulletin -- is it  
18 9301? -- govern how HDR would be looked upon by field staff  
19 visiting sites that has HDR?

20 MR. CAMPER: The HDRs, the guidance that the  
21 field staff uses is contained in FC 86-4, Policy and Guidance  
22 Directive FC 86-4.

23 MS. HANEY: Dr. Flynn, are you referencing  
24 inspection guidance or licensing guidance?

25 MEMBER FLYNN: Inspection guidance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. HANEY: Inspection guidance is still the  
2 temporary instruction that was issued probably three or four  
3 years ago. Right now we have a major undertaking to revise  
4 all the inspection guidance, and as part of that, we are  
5 bringing the -- we will bring that temporary instruction on  
6 HDR, certain components of it, into the routine inspection  
7 modules that we have. We are not to that point yet, but  
8 because of that process coming on, we chose to just leave the  
9 TI out there with a guidance to the regions to continue to  
10 implement it.

11 So in other words, the same inspection guidance  
12 that has been used will continue to be used.

13 CHAIRMAN STITT: Okay. Why don't you keep going?

14 MS. HANEY: Okay. All right. The quality  
15 management temporary instruction. Where we are on that, I  
16 have Sally Merchant here who can give me some assistance in  
17 this area.

18 The temporary instruction was issued in August of  
19 1994. Typically when we get temporary instructions for  
20 inspection they're issued for two years. That TI expired in  
21 August of 1996.

22 At that time, there were two draft inspection  
23 procedures that were developed, and they were issued in August  
24 of 1996 for comment and with an immediate use. We needed to  
25 go immediate use because the TI had expired.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Basically there was one procedure that was meant  
2 for reactive inspections. That would be the case where  
3 inspectors were going out to review an incident. It's very  
4 similar to the original TI. It was rather prescriptive in  
5 nature.

6           The other one was inspection guidance that would  
7 be provided for a routine inspection. In other words, if an  
8 inspector was going out to do just one of their regular, every  
9 three-year visits to a facility that had a QM plan, what  
10 should they be looking at? These were more performance based  
11 as compared to the prescriptive nature.

12           If an inspector was out on a routine inspection  
13 and they did notice that there was a problem with the QM plan  
14 implementation, they could kick over into the reactive  
15 inspection procedure and then go more in depth, but that was a  
16 case of more a nonreactive inspection. That would only come  
17 up if there was a for cause sort of thing.

18           These documents were issued, as I said, in draft.  
19 They were subsequently revised based on comments we received  
20 from our regional office, and then they were again issued in  
21 draft for comment.

22           We have gotten some comments back. I believe  
23 we've also gotten some comments from the agreement states, and  
24 those inspection procedures will be ultimately finalized.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As far as there was an assessment done on the  
2 quality management plan, this was done in response to a  
3 Commission directive. You have that assessment in your  
4 briefing book. It's near the back. It's titled "Assessment  
5 of the Implementation of the Quality Management Program and  
6 Misadministration Rule, 10 CFR 35.32 and 35.33." It's a  
7 fairly large document there, but what it contains is the  
8 analysis.

9           I brought up two notes here, but these are not  
10 the only conclusions there, and there is some analysis of the  
11 number of misadministrations, but one is that we noted that  
12 there was a correlation between the occurrence of a  
13 misadministration and an inspection finding of a weakness in  
14 the QM program at the time of the event.

15           In other words, if our inspectors were out  
16 looking at doing a reactive inspection because of what we  
17 expected, a misadministration, typically they found a weakness  
18 in the QM program implementation.

19           The other conclusion that we were drawing from  
20 our findings is that the routine inspection findings were not  
21 necessarily predictors of an occurrence of a  
22 misadministration. In other words, if we on a routine  
23 inspection found a problem in the QM program implementation,  
24 that did not mean that we automatically found a  
25 misadministration somewhere at the facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Any questions on that? Dr. Flynn?

2 CHAIRMAN STITT: I suspect there are plenty of  
3 comments on that. Jeff.

4 MEMBER WILLIAMSON: Well, I have some overall  
5 concerns about the tone of this report. Maybe it's I do not  
6 understand exactly what its purpose and scope is.

7 I'm most concerned about the statement on page  
8 12. Here's what it says in the third full paragraph.  
9 "Although the QM rule, which was intended to insure that  
10 byproduct material or radiation from byproduct material would  
11 be administered as directed by a physician authorized user,  
12 appears to have been generally successful from a programmatic  
13 standpoint."

14 That seems to be kind of a conclusion that this  
15 program has been successful from a programmatic standpoint,  
16 but yet throughout the document it's reiterated several times  
17 that two years of experience with the implementation of this  
18 program did not significantly influence the incidence of  
19 misadministration.

20 So I'm sort of puzzled by the contradiction here.  
21 It doesn't seem to me it's been very successful use of  
22 resources at all.

23 MR. CAMPER: Well, we don't view it as a  
24 contradiction. What we mean by that statement is that  
25 licensees appear to have successfully from a programmatic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standpoint implemented the quality management role and have  
2 successfully managed those programs.

3           However, we did find certain issues. For  
4 example, a large percentage of them did not conduct the annual  
5 audit of quality management programs, and one of the tables in  
6 there depicts those percentages, and some of them are fairly  
7 large, but overall they appear to have had success in  
8 implementing the requirements of the regulation and have  
9 conducted successful quality management programs. That's  
10 programmatic success.

11           I mean that's what we mean by that statement.

12           MEMBER FLYNN: Judy.

13           CHAIRMAN STITT: Go ahead, Dan.

14           MEMBER FLYNN: The first bullet there, the  
15 correlation between the occurrence and inspection finding of a  
16 weakness occurring in the program at the time of the event,  
17 some of us who look at a lot of misadministrations as medical  
18 consultants -- I've probably looked at about 60 or 70 --  
19 sometimes the on-site inspection at the time after a  
20 misadministration is reported is extremely detailed, with a  
21 lot of scrutiny and a lot of in-depth scrutiny.

22           The more in depth you look at something, the more  
23 apt you are to come up with other problems which may or may  
24 not be even associated with the event that occurred. To make  
25 that first bullet something that you could accept without

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question would be that if you've done a study whereby you've  
2 had the same degree of scrutiny at licensees, comparable  
3 licensees, let's say, a random sample, in as much depth, as  
4 much scrutiny to the program, you know, where there was no  
5 misadministration to be able to tell if that's really true or  
6 not, or is it because you're finding weaknesses in the QM  
7 program because you're looking for them? You're looking for  
8 them in such depth that you're finding them, where you would  
9 find them in other programs, too, without misadministration if  
10 you looked in the same degree of depth.

11           CHAIRMAN STITT: I agree completely, and what  
12 concerns me, and we've been through this material in previous  
13 meetings on several occasions, a lot of trees were killed to  
14 generate this report, and being up to my eyeballs in my  
15 statistics class, I think you have to be very careful about  
16 drawing any correlations because I don't think this was looked  
17 at in a systematic fashion, and I think the comment that Dan  
18 just raised is one of the issues.

19           You can't make that statement unless you've also  
20 assessed programs where there were no problems, and I really  
21 would be very concerned to see this taken and turned into some  
22 vehicle where regulation is going to roll from.

23           MEMBER FLYNN: Because sometimes I believe that  
24 some of the people who are out there -- and I won't give  
25 examples of things I've heard anecdotally -- but who may not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be reporting problems. They may have the worst QM program,  
2 and they may either not recognize a problem when it occurs or,  
3 I hate to say, they do recognize a potential has occurred, but  
4 they don't report it. It doesn't get picked up on the  
5 periodic inspections.

6           Whereas you're selecting out people who  
7 voluntarily report a problem. Of course, there are also ones  
8 that are picked up during inspections by looking at radiation  
9 safety minutes and finding out whether this incident was a  
10 reportable event or a misadministration or not or whether it  
11 was just an incident, but sometimes it may be that some of  
12 those with the weakest QM programs may be individuals who are  
13 having misadministrations and are either not recognizing them  
14 as such or are not reporting them.

15           CHAIRMAN STITT: Dennis, you had a comment?

16           MEMBER SWANSON: I think I'd like to see the  
17 Advisory Committee take a look at this TI and what's being  
18 told to inspectors because I think it's going to be a while  
19 until we get new Part 35 written, and the QM rule has been a  
20 constant source of problems, and I'm not sure it's been all  
21 that productive anyway.

22           I think that it's going to remain in the  
23 regulations while we're undergoing a revision of the  
24 regulations. I would like to see the TI specify that  
25 inspectors do their review upon a performance based criteria

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and that they focus on, one, whether or not there is a written  
2 prescription; number two, whether or not there are procedures  
3 to insure identification of the patient; and, number three, if  
4 there are procedures for review of the treatment program.

5 In other words, I'd like to see this come back  
6 before the Committee.

7 CHAIRMAN STITT: Okay. Hold onto that thought.

8 Sally.

9 MS. MERCHANT: I only want to comment the TI is  
10 no longer --

11 CHAIRMAN STITT: Sally, wait, wait. What is in  
12 use?

13 MS. MERCHANT: Did we pass out the inspection  
14 guide?

15 CHAIRMAN STITT: No.

16 MS. MERCHANT: We will pass out the inspection  
17 procedures that are in use. The TI is no longer in use.

18 MEMBER SWANSON: Okay, fine.

19 MS. MERCHANT: Not at all.

20 MEMBER SWANSON: We'd like to see the inspection  
21 review.

22 MS. MERCHANT: We pulled it. It was a very  
23 prescriptive TI. We collected every single piece of data. We  
24 admit that we did not do a big analysis of the data that was  
25 found. Mainly I ask that you keep in mind that the reason for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing this report was the SRM from the Commission at the time  
2 the rule passed -- I mean, the question was: should we expand  
3 the QM? The staff did not believe, based on the data that we  
4 collected, that we should expand the QM.

5           In fact, you will see from the new guidance,  
6 which I will pass out, that the bottom is the more important  
7 finding, and that's in most of the inspections. We couldn't  
8 make a correlation that a routine inspection finding would be  
9 a predictor of the occurrence of a misadministration, and the  
10 point being that many good programs still make errors, and  
11 that when you look in there, the real causes, the best that we  
12 can come up with, we are left with human errors.

13           We seem to be at a plateau where it would be just  
14 entirely too expensive to try to reduce that any more than we  
15 have, and if that didn't come across in the report, I  
16 apologize.

17           We just tried to give the information that we  
18 collected. That was the intent. We tried to draw enough  
19 conclusion to make a case for the Commission to say there is  
20 no reason to expand, and in fact, in our original draft, we  
21 began to develop where we thought it should be changed, but  
22 since we're at a clean slate, we pulled that out -- and anyone  
23 is welcome to look at it -- but, I mean, once we went to the  
24 clean slate premise, we did not want to try to impose our  
25 views of what we thought ought to be changed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But we came to some very clear views that certain  
2 things could go; that there was really no value from them.  
3 You can look yourselves and see that there is no value in some  
4 of the things that we've collected, but really the intent of  
5 the report was only to give you the information that we have.

6           I know that it's big. I know that it's extremely  
7 boring, but I didn't want to send a paper up to the Commission  
8 saying, "These are our conclusions," and not provide any data.  
9 So I wanted to give everybody what we looked at.

10           This is everything we had, and it is long. It is  
11 boring. It is redundant. It is -- you know, but it's what we  
12 found.

13           MEMBER SWANSON: Thank you.

14           CHAIRMAN STITT: Larry, go ahead.

15           MR. CAMPER: Two things. One, back to Dr.  
16 Williamson's comment. On page 11 of that report, the  
17 statement is made, which I think is what I was picking up in  
18 your comment; the statement is made that there has not been a  
19 significant reduction in the total number of reported  
20 misadministrations, the performance indicator most closely  
21 linked to this issue.

22           Okay. So I mean, you know, we captured your  
23 point, too, and you're right. The number of therapeutic  
24 misadministrations is about 40 per year. It hasn't changed.  
25 That's point number one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Point number two is -- and Sally just said it --  
2 I mean, we have changed. In December of '96, we changed the  
3 inspection guidance. The temporary instruction is just that.  
4 It's a temporary instruction to inspector. They typically  
5 have a two-year life span.

6 Once they're closed, we then provided guidance  
7 which the regions are now following. It is more performance  
8 oriented, and it essentially captures the points you were  
9 making.

10 The third thing I want you to be aware of is to  
11 kind of look at where you are. This is a report that was  
12 requested by the Commission when the QM rule was put into  
13 place. We have also made it available publicly if someone  
14 wants to read it.

15 There's a lot of very good information in there.  
16 I think most interesting from my perspective is if I were out  
17 there, I would be looking at the therapeutic  
18 misadministrations that occur because you can learn a lot. It  
19 really has a lot of valuable information in there.

20 But bear in mind the following. The Commission  
21 had this report when it considered its position, which you  
22 will find in Item 6 of the SRM. So they have weighed in on  
23 this, and they say the quality management program provisions  
24 in 35.32 should be reevaluated and revised to focus on those  
25 requirements that are essential for patient safety, that is,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for example, confirming patient identity, requiring written  
2 prescriptions, and verifying dose. To the maximum extent  
3 possible, the requirements should be revised to be risk  
4 informed. Given this objective, a mixed approach of  
5 performance based rules and otherwise prescriptive regulations  
6 should be pursued.

7           So they took a look at what we have learned over  
8 the last three years, and that's where they weighed in on it.  
9 So that puts it in perspective at least.

10           CHAIRMAN STITT: I'm thinking. Give me a minute  
11 here. Time out.

12           We're going to take a time out. So hold those  
13 thoughts because we have a special occasion and a photographer  
14 to verify our special occasion.

15           Larry Camper and our member of the public, Judith  
16 Brown, are going to say their last goodbyes.

17           (Whereupon, the foregoing matter went off the  
18 record at 9:48 a.m. and went back on the record  
19 at 9:51 a.m.)

20           CHAIRMAN STITT: Well, that was worth the time  
21 out, and I knew we couldn't get our discussions concluded.

22           Thank you, Judith. It has got to be a hard role  
23 to play, to know when to jump in and try to steer us in the  
24 right direction.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I was complaining that I probably won't see her  
2 again. Are you going to be with us on the 8th?

3 MEMBER BROWN: I will.

4 CHAIRMAN STITT: I thought you would, but she's -  
5 -

6 MR. CAMPER: Yeah, she's in effect until June, I  
7 think.

8 MEMBER GRAHAM: She invited all of us to stay at  
9 her home, too.

10 MEMBER BROWN: I did.

11 CHAIRMAN STITT: I didn't realize that. Oh,  
12 that's terrific.

13 MEMBER BROWN: If hotel accommodations are tight,  
14 you can all stay at my house. We'll have like popcorn and  
15 discuss the issues.

16 (Laughter.)

17 CHAIRMAN STITT: I don't think we can do that. I  
18 think that requires a notice in the Federal Register.

19 MEMBER BROWN: We could arrange that.

20 CHAIRMAN STITT: All right, great.

21 MEMBER BROWN: Sure.

22 CHAIRMAN STITT: All right. Big deep breath,  
23 back to business.

24 Sally, thank you. I feel less distressed, and  
25 thank you for reaffirming, Larry, Point 6, which you say is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 response of the Commission to some of this material, and  
2 again, a direct toward 35.

3 What?

4 MR. CAMPER: Is it time out time?

5 CHAIRMAN STITT: Oh, that kind of time, yeah,  
6 because we have more talking we want to do on this issue. So  
7 it's break time until ten o'clock.

8 (Whereupon, the foregoing matter went off the  
9 record at 9:52 a.m. and went back on the record  
10 at 10:19 a.m.)

11 CHAIRMAN STITT: All right, group. We're ready  
12 to roll.

13 We are back on the agenda, and, Cathy, did we  
14 finish our last discussion?

15 MS. HANEY: Oh, I guess you didn't.

16 CHAIRMAN STITT: I don't know. I'm asking.

17 MS. HANEY: No, you didn't.

18 CHAIRMAN STITT: No. I was looking over at this  
19 side of the room. The topic was?

20 MS. HANEY: QM.

21 CHAIRMAN STITT: Oh, yeah. How could I forget?

22 MEMBER SWANSON: QM and whether we're going to  
23 see a copy of the inspection guidance.

24 CHAIRMAN STITT: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MS. HANEY: And we can provide the ACMUI a copy  
2 of the current inspection guidance that's out there.

3 CHAIRMAN STITT: We have some things that have  
4 appeared on our table. These are?

5 MS. HANEY: While we were on break, Donna-Beth  
6 handed out the regulatory guides that pertain to the  
7 radiopharmacy rule. They were recently issued for comment.  
8 So in case some of you had not gotten copies of them, we  
9 wanted to use this as the opportunity to provide them.

10 CHAIRMAN STITT: All right. Other comments then?  
11 We were talking about QM.

12 Lou.

13 MEMBER WAGNER: I just have one question that I'd  
14 like to bring for a little discussion, not much, but you know,  
15 if we have all this data now that says or that points to the  
16 idea that the QM rule really has not reduced  
17 misadministrations, has been rather ineffective, then it  
18 indicates to me that the standards of the industry are  
19 sufficient in terms of what they achieve in regards to  
20 misadministrations, and I would question why there's an  
21 incentive to keep the QM rule, particularly in light of the  
22 IOM's recommendation that it be removed as soon as possible.

23 And I would wonder whether or not this Committee  
24 should take a position supporting, again, supporting to the  
25 Commission, the idea that the QM rule has been proven now to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be ineffective, and continuation of it as a regulation is  
2 unneeded and unwarranted and simply should be abandoned.

3 CHAIRMAN STITT: Any other comments along that  
4 line and then we'll --

5 MEMBER NELP: I have one. Would it be better to  
6 say it's apparent that it's become unnecessary rather than  
7 ineffective?

8 MEMBER WAGNER: That would be fine.

9 CHAIRMAN STITT: Larry, tell us where you -- my  
10 understanding is from Number 6 in the DSM -- I'm trying to get  
11 the --

12 MS. HANEY: I'm sorry.

13 CHAIRMAN STITT: Oh, I got it wrong. Okay. The  
14 comments from the Commissioners were a bit of a hands-off  
15 approach on the QM rule right now, and if you view 35 as being  
16 something that can be started from a fresh piece of paper,  
17 that would include the QM. I don't know that. I'm just  
18 suggesting we don't need to spend time taking action on this  
19 at this point. I don't think anybody's going to pay attention  
20 to it.

21 My feeling is that it's being sort of dead in the  
22 water right now, not dead in the water, but there's no active  
23 management of the QM rule taking place right now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: No, there is active management, but  
2 the quality management rule remains on the books. It's  
3 currently a regulation. It is currently being conducted.

4 The Commission and the SRM has sent a clear  
5 signal to the staff. The signals that I read in that are  
6 retain the quality management rule, modify it to focus upon  
7 those three elements, that being the written directive,  
8 redundant identification of the patient, and verify that the  
9 administration is consistent with the written directive.  
10 Those are Objectives 1, 2, and 3.

11 They then go on to say, however, make it more  
12 performance oriented and so forth. I don't know if they  
13 commented on it on the vote sheets or not, but I think what  
14 the signal they're saying is that they believe that there are  
15 components of the quality management rule that are worthy of  
16 retention, and it's those three essential elements, but that  
17 how it is structured and how it is conducted should be changed  
18 to make it more performance oriented, and that you'll probably  
19 end up with a combination of prescriptive and performance  
20 oriented requirements.

21 So the regulation that we have continues until  
22 it's changed, and that seems to be the signal the Commission  
23 is sending the staff.

24 CHAIRMAN STITT: Go ahead, Lou. You want us --  
25 what do you want us to do?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WAGNER: Well, and to address that point,  
2 and I think this is a very important point because I think it  
3 reaches at the heart and philosophy of the regulation.

4           I do not disagree with the principles of  
5 retaining that practice. What I'm pointing out is that the  
6 data indicates to me that the rule as a regulation is  
7 unnecessary, not that it isn't good practice, but that as a  
8 regulation, it's unnecessary.

9           And for that reason I would like to see this  
10 Committee come to a consensus on giving the Commission, again,  
11 the message that we feel the rule as a regulation is  
12 unnecessary and they should abide by the IOM report that says  
13 get rid of it.

14           CHAIRMAN STITT: My comment would be, I mean, I  
15 thought the words from the Commission about their feelings of  
16 the IOM report were -- their feelings were pretty strong. I'm  
17 not sure I want to link anything I have to say with the  
18 Institute of Medicine report.

19           I mean parts of those comments, my opinions and  
20 their comments may be similar. I'm not sure I'd want to put,  
21 "I uphold the IOM" whatever it was and send that to the  
22 Commission. They have sent us a pretty strong opinion about  
23 the Institute of Medicine report.

24           Lou.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WAGNER: I understand that, and I agree  
2 with the point about that, but if they look at what we've said  
3 about the IOM report, we were not nice about the IOM report  
4 either.

5           CHAIRMAN STITT: Right.

6           MEMBER WAGNER: We're on the same grounds in that  
7 regard, but I think it's unconscionable not to look at the  
8 report and try to see are there good things in this report,  
9 and when you find something good in a bad report, you still  
10 take the good, and that this is one good thing.

11          CHAIRMAN STITT: If there's something we liked  
12 out of it, I'd rather have us just state it rather than refer  
13 to it. I think it's a hot button, and whatever it is, if we  
14 feel strongly about it, we can phrase it, state it, but I  
15 would not like to reference it.

16          MEMBER WAGNER: Okay. That'd be fine.

17          CHAIRMAN STITT: Several people over here. Well,  
18 Dennis and then --

19          MEMBER SWANSON: I think I'm a little concerned  
20 about trying to tell them to take it out of the regulations  
21 right now in consideration of the fact that we're going to be  
22 undergoing a major regulation revision process anyway. I'm  
23 not sure if this is the appropriate time to come and ask them  
24 to remove it, and I would appreciate perhaps some comment back  
25 from Larry on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think what I was trying to get at in taking a  
2 look at the guidance to the inspectors is can we realistically  
3 achieve that through inspection guidance where we're telling  
4 the people that their inspections should be performance based  
5 and focus on perhaps these three issues.

6 It's another way to accomplish, I think, a  
7 reduction in the prescriptive nature of the quality management  
8 rule while at the same time we're debating as part of the  
9 rulemaking process. That's kind of where I'm coming from.

10 MR. CAMPER: Well, to try to answer your point, I  
11 mean, it's clear that the Commission certainly could pass a  
12 resolution such as Lou is suggesting. If you wanted to send  
13 that message to the Commission, that's entirely within your  
14 prerogative. I don't think I could comment as to the utility  
15 in doing that. I think that either one way or the other, I  
16 think, clearly at this point at least the Commission has sent  
17 a direction to the staff. The direction as we read it says,  
18 "Retain the quality management rule as it relates to those  
19 three essential elements," as I said.

20 So I would think then that the working group that  
21 will be working on the quality management rule would certainly  
22 develop ultimately -- that issue would certainly be discussed  
23 in the public meetings that the working group will participate  
24 in. I suspect there'll be pro and con expressed during those  
25 public meetings about it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Ultimately I would think, unless they hear things  
2 along the way that would cause them to do otherwise, that  
3 they'll ultimately include that in the revision of Part 35,  
4 and then, of course, that will be debated and discussed as  
5 well.

6           But, I mean, we certainly have a signal from the  
7 Commission at this point in time on this issue. I would  
8 expect then that it would be included in the Part 35 along the  
9 lines of the Commission direction, but, again, it's certainly  
10 the Committee's prerogative to comment or not comment in terms  
11 of your feelings about continuing with the quality management  
12 rule. That's up to you.

13           CHAIRMAN STITT: We have in front of us reactive  
14 inspection of quality management programs and QM inspection  
15 procedures.

16           MR. CAMPER: Yeah. Let me say something real  
17 quick about the inspection procedures. We went back and after  
18 the TI closed, we modified the inspection procedure for three  
19 reasons. One is we felt that, you know, the quality  
20 management rule had now been in place for three or four years.  
21 Licensees, as I said earlier, had programmatically implemented  
22 the program with success. I mean, there were still about the  
23 same number of misadministrations. You know, you can argue  
24 about the efficacy of the whole effort as a result of that,  
25 but the licensees had generally implemented the program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 successfully. They seemed to have viable quality management  
2 programs, and it seemed to be meeting the intent in that  
3 context.

4 And, therefore, it was an opportunity to throttle  
5 back on the rather prescriptive and aggressive inspection  
6 procedures.

7 The second was to try to make it more performance  
8 oriented, and at least in part it is fair to say that that was  
9 motivated to some degree by that component of the IOM report,  
10 which of course the IOM report suggested that the agency  
11 should remove the QM rule right away.

12 Well, obviously the Commission didn't want to do  
13 that, but by the same token, it was felt that certainly  
14 amongst the staff and management that we could moderate the  
15 inspection process to make it more performance oriented, not  
16 compromise public health and safety, and that the licensees  
17 appear to have successfully implemented the program, and  
18 therefore, we felt comfortable in adjusting the inspection  
19 procedures, and they were adjusted rather substantially and it  
20 made them much more performance oriented, less obtrusive, less  
21 time consuming on the licensees as the inspector was  
22 evaluating that component of their program, and only in those  
23 cases where there was a reactive inspection would the  
24 inspector go into much more detail, particularly with the  
25 focus upon trying to discover the root cause of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 misadministration or to see if there were other problems  
2 within their entire program of a similar nature.

3 So it was changed rather significantly.

4 CHAIRMAN STITT: Go ahead, Jeffrey.

5 MEMBER WILLIAMSON: Well, I think that it might  
6 be more productive at this point, rather than passing a  
7 motion, to immediately remove QMP from the books. It might be  
8 more appropriate to have a motion that responds to the  
9 Commission's tentative or preliminary position that aims one,  
10 two, and three of the current QM rule be maintained in some  
11 form in the new Part 35, and we might change, you know, our  
12 resolution to question the utility of having those in the  
13 regulatory sphere at all, especially given the information in  
14 this report.

15 CHAIRMAN STITT: Other comments about Jeffrey's  
16 point? And then we'll see if anybody wants to make a motion.

17 MEMBER FLYNN: I just wanted to say that I agree  
18 with Dennis, and I think if we had revised Part 35 with  
19 something that you might call a quality management rule, but  
20 it has very little resemblance to the present quality  
21 management rule requiring patient identity, requiring a  
22 prescription, requiring a dose verification. That's much  
23 different than what's required now in the quality management  
24 rule.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I think as we revise Part 35 in the next two  
2 years that we should just do this as we go along.

3           MEMBER NELP: That was my question, Larry. You  
4 read from a Commissioner's -- would you read that? It's a  
5 short paragraph, what they said about the QM rule.

6           My feeling was if we revised 35, the QM rule sort  
7 of becomes redundant. Is that a possibility?

8           MR. CAMPER: Well, what they said was -- and this  
9 is from the SRM -- "The quality management program provisions  
10 (10 CFR 35.32) should be reevaluated and revised to focus on  
11 those requirements that are essential for patient safety, for  
12 example, confirming patient identity, requiring written  
13 prescriptions, and verifying dose. To the maximum extent  
14 possible, the requirements should be revised to be risk  
15 informed. Given this objective, a mixed approach of  
16 performance based rules and otherwise prescriptive regulations  
17 should be pursued."

18           CHAIRMAN STITT: You know, as I hear this read,  
19 it sounds like it's coming back to this long discussion we had  
20 yesterday on the medical policy. Several phrases in that were  
21 actually incorporated in our suggestions, particularly Point  
22 2, patient safety, elements of risk that we talked about.

23           I think we're on a similar wave length. This  
24 also sounds very different than the QM rule that we have been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviewing in the past and this report that Sally Merchant has  
2 worked on for us.

3 Other comments? Dennis.

4 MEMBER SWANSON: In just taking a quick look at  
5 your revised inspection procedures, they still appear to be  
6 very specific and focused on some rather details of the  
7 quality management plan. Again, what I would really like to  
8 see to address both some relief from the quality management  
9 rule without going through the process of removing the  
10 regulations is to simply have your inspection instructions  
11 focus on those three things.

12 You know, they should be doing performance based  
13 inspections to determine has the given institution -- do they  
14 have written prescriptions; do they have mechanisms for  
15 identification of the patient; and do they have mechanisms in  
16 place for verifying the dose.

17 That would make your inspection performance based  
18 upon the things that the Commissioners are actually telling us  
19 that they think are important.

20 CHAIRMAN STITT: Do you feel that that's the form  
21 of a motion?

22 MEMBER NELP: May I make one more? Isn't it true  
23 that 35.32 we will be revising, and 35.32 is the quality  
24 management rule, and therefore, I mean, we've been given the  
25 ticket to revise it, and even if we voted today, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presume it would create any action in the next year or two for  
2 the QM rule.

3 MEMBER SWANSON: The point being that I think you  
4 can change your inspection guidance fairly rapidly, if I'm not  
5 correct. Am I?

6 MS. HANEY: It's in the five months range. I  
7 mean it can be done.

8 MEMBER SWANSON: A month's range.

9 MR. CAMPER: Yes, you can modify inspection  
10 guidance. You have to, on one hand, insure that your  
11 inspection guidance satisfies the requirements of the existing  
12 regulation. You have to be sure obviously that it's doing the  
13 appropriate job of protecting public health and safety, but,  
14 yes, there is flexibility in inspection procedures.

15 Now, I would look at it this way. We did modify  
16 them. Okay? I think what I hear you saying though is two  
17 things.

18 One is that, okay, you modified them. Perhaps  
19 they could be modified even more. In particular, they could  
20 be modified more because now the staff has perhaps more  
21 explicit direction from the Commission about what it believes  
22 is the important components of the QM rule as compared to what  
23 we had when we finalized this in December. That is certainly  
24 an accurate statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the concept then that the staff can go back  
2 and look at the inspection procedures again in view of this  
3 more recent definitive information from the Commission, I  
4 mean, that is logical. That makes sense, yes.

5           MEMBER SWANSON: And to address Dr. Nelp's issue,  
6 yes, we're going to be revising the regulations, but there  
7 will be an interim of time until we get to new regulations  
8 that I would like to see some relief on the quality management  
9 rule, and I think we could accomplish that fairly rapidly  
10 through the inspection guidance.

11           MEMBER NELP: I thought the Commissioners said,  
12 "Knock it off. Lay back. Focus on those issues." Isn't that  
13 what he said? Didn't he say the same thing?

14           MR. CAMPER: Well, they certainly directed the  
15 staff in its revision of Part 35 to deal with the QM part of  
16 it in certain ways. Yes, that's true.

17           CHAIRMAN STITT: But I think Dennis is trying to  
18 hook --

19           MEMBER NELP: He's trying to get at --

20           CHAIRMAN STITT: -- that statement with some very  
21 specific actions that are involved by inspectors as they do  
22 inspections. I think he's trying to sharpen it.

23           MEMBER NELP: Trying to implement it now.

24           MEMBER SWANSON: Now.

25           MEMBER NELP: Through guidance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. HANEY: If we did that, would you leave the  
2 reactive one as is?

3 MEMBER SWANSON: Yeah, not having had time to  
4 take a look at it.

5 MS. HANEY: Right, right.

6 MEMBER SWANSON: But I think I'd like time to  
7 take a look at it before I responded to that. Okay?

8 MS. HANEY: Okay.

9 MR. CAMPER: Well, again, I think, not to put  
10 words into the Committee's mouth, but certainly I can readily  
11 understand why the Committee might want to suggest that the  
12 staff would reexamine the inspection procedures in view of  
13 this recent direction from the Commission to see if further  
14 adjustments could be made to them to capture what appears to  
15 be the preference for the Commission as we move to revise Part  
16 35.

17 MEMBER SWANSON: So moved.

18 (Laughter.)

19 CHAIRMAN STITT: I was going to say that sounds -  
20 -

21 MEMBER SWANSON: That was not a motion. I would  
22 not say --

23 MEMBER WAGNER: Second.

24 MEMBER NHELP: I don't think you should inspect  
25 them. I think you should modify them to come into compliance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or come into confirmation or whatever you say with the  
2 comments of the Commission at this time. That's really what  
3 you want to do, isn't it?

4 We don't want you to go and look at them. We  
5 want you to modify them so that they are in keeping with the  
6 Commission's attitude toward the whole process.

7 CHAIRMAN STITT: And you want to turn that into a  
8 complete statement and make it in the form of a motion?

9 MEMBER NHELP: I would be -- if I can get the  
10 right words.

11 CHAIRMAN STITT: I was going to say: who has  
12 this? Dennis, do you have this on the tip of your tongue?

13 MEMBER SWANSON: Help me out here, Larry.

14 We'd like to direct the NRC staff to review the  
15 current inspection guidelines with the intent of modifying  
16 them to come into compliance or to come -- "compliance" isn't  
17 a good word --

18 MEMBER GRAHAM: To reflect the spirit of the  
19 Commission direction.

20 MEMBER SWANSON: -- to reflect the spirit of the  
21 Commission's direction.

22 MEMBER GRAHAM: In the SRM related to DSI-7.

23 MEMBER SWANSON: Yeah.

24 MEMBER NHELP: That's pretty close.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SWANSON: I'd say we'd like to direct them  
2 to modify them to come in keeping with the spirit of the  
3 direction of the Commission so that we don't want them to just  
4 look at them with the idea of modifying them.

5           (Laughter.)

6           MEMBER SWANSON: We want them to modify them.

7           CHAIRMAN STITT: Need a second.

8           (Show of hands by Mr. Williamson.)

9           CHAIRMAN STITT: Was that a second, Jeffrey?

10          MEMBER WILLIAMSON: Yes.

11          CHAIRMAN STITT: Okay. Now discussion. Did you  
12 have your hand up for discussion also?

13          Okay. Aubrey.

14          MR. GODWIN: I think it's only fair to point out  
15 to you you may get some complaint back from OGC saying that  
16 the inspection procedures have to be detailed enough to assure  
17 that they are capturing the problems in the regulations  
18 because the regulations is what they have to enforce, not the  
19 Commission's spirit, and I think that might be a comment that  
20 may come back. So I just wanted to make you aware of that.

21          MR. CAMPER: That is an excellent and accurate  
22 point.

23          CHAIRMAN STITT: Right, but it will certainly  
24 give them something to do in the meantime.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER SWANSON: I think that is, in fact, why  
2 I'm hesitant to comment on the reactive portion of the  
3 inspection guidelines at this point in time. I think if we're  
4 truly moving to performance based regulations, that the way I  
5 see this would work would be you would go out and do  
6 inspections on a performance based type of things, and if you  
7 identified problems, then you would go into the reactive mode  
8 which would address the regulations.

9           So I think what I'd like to see is on the front  
10 end a performance based approach to taking a look at this.

11           MR. GODWIN: Yeah, I think those comments need to  
12 be on the record somewhere so that that's conveyed, and I  
13 think that may alleviate some of the OGC's concern. You're  
14 doing a screening at this point. If you find a problem, you  
15 get the evidence you need on this next one, and I think that  
16 might help you some.

17           CHAIRMAN STITT: Are there other comments about  
18 the motion on the floor or on the table, wherever it is?

19           MEMBER NELP: Call for the question.

20           CHAIRMAN STITT: Jeffrey, you had your hand up?

21           MEMBER WILLIAMSON: Well, I want to qualify my  
22 statement that I obviously have not had time to read the  
23 reactive protocol for inspecting licensees' QMP programs, but  
24 I'm concerned in some ways about the overall enforcement  
25 strategy. I, based on anecdotal experience, believe that it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is basically used as a tool to try and punish an institution  
2 that does have or has reported a misadministration by digging  
3 through everything and trying to find some one form that  
4 doesn't have a signature so that they can be cited for  
5 something even though maybe there may be no violation  
6 associated with the misadministration.

7 I mention this not because I want to just  
8 complain, but as we embark upon our study or preceding our  
9 recommendations vis-a-vis the revised Part 35, I think it's  
10 really important to recognize that many of the problems we  
11 have as licensees arise not so much from the endpoints as  
12 codified in the regulations as the enforcement strategy, and I  
13 think it's really a very important issue that has been raised  
14 about this inspection guidance and the response of the agency  
15 to events.

16 And I'm, you know, rather concerned that the  
17 inspection guidance focuses on an attempt to sift through  
18 everything and find isolated violations that can be used to  
19 punish an institution as opposed to making a kind of a  
20 general, more qualitative assessment of whether the program is  
21 in good working shape.

22 That's really, from a practical, common sense  
23 point of view, the question that needs to be answered when  
24 there is an event, not was there an isolated violation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Well, I must comment. Clearly the  
2 inspection guidance is not designed to be such a tool. I mean  
3 the inspection guidance is structured in such a way that the  
4 inspectors are to go evaluate the quality management rule to  
5 see if it complies with the regulations, to see if it's  
6 meeting the intent of the regulations, and so forth.

7 I mean part of that is records review. Now, if  
8 you look through your QM TI findings, you'll find that less  
9 than half of the 140 or so misadministrations that occurred  
10 during that period of time resulted in escalated enforcement,  
11 less than half. So, I mean, not all misadministration and not  
12 all inspections of QM programs result in violations.

13 Now, there's no question that there have been  
14 violations associated with misadministrations, and I know that  
15 there are those in the medical community that take exception  
16 to that, and I can understand that, but there's no intentional  
17 effort. The inspection program is not designed to go out and  
18 find the kinds of things that you're alluding to.

19 And as I said, I think what's really very telling  
20 is that if you look at those 140 or so misadministrations,  
21 less than half resulted in escalated enforcement. So I'm just  
22 trying to give a balanced perspective on it.

23 CHAIRMAN STITT: Lou Wagner.

24 MEMBER WAGNER: I call the question. I believe  
25 the parliamentary procedure is that after you call the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question you have to take a vote on whether you're going to  
2 have further discussion. Then you vote on the issue.

3 CHAIRMAN STITT: Never argue with a hospital  
4 administrator. So we're going to --

5 MEMBER GRAHAM: Bless your heart.

6 (Laughter.)

7 CHAIRMAN STITT: They've taught me well, haven't  
8 they?

9 MEMBER GRAHAM: They have.

10 CHAIRMAN STITT: So what do we have to do, Lou?  
11 We have to vote on the --

12 MEMBER WAGNER: I called the question. That's to  
13 stop discussion.

14 CHAIRMAN STITT: All right.

15 MEMBER WAGNER: We have to vote that we're going  
16 to call the question. I think it's a two-thirds majority says  
17 --

18 CHAIRMAN STITT: All right. We're going to vote  
19 to decide whether we're going to vote.

20 MEMBER WAGNER: Right.

21 CHAIRMAN STITT: Anybody who wants to move to the  
22 vote, raise your hand, who wants to move toward voting.

23 (Show of hands.)

24 CHAIRMAN STITT: Okay. That's two-thirds.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We now have before us -- who can read this back  
2 to us so that we at least know what we're saying? Is that  
3 something you have? Who has it written down well enough? We  
4 don't know what we're voting on.

5           I was just looking for the specific wording. The  
6 issue is we want the NRC staff to --

7           PARTICIPANT: Modify.

8           CHAIRMAN STITT: -- modify the --

9           MEMBER SWANSON: Inspection guidance.

10          CHAIRMAN STITT: -- inspection --

11          MR. McCARTHY: I have it written.

12          CHAIRMAN STITT: You do? That's what we're  
13 looking for. Read it to us.

14          MR. McCARTHY: Modify inspection guidance with  
15 intent to reflect the spirit of the Commission direction in  
16 the SRM regarding DSI-7.

17          CHAIRMAN STITT: All right. Those in favor,  
18 raise your hand.

19                 (Show of hands.)

20          CHAIRMAN STITT: Oh, my gosh. Those opposed?

21          MEMBER BROWN: I'm going to abstain. I haven't  
22 given it enough thought to intelligently vote one way or the  
23 other.

24          CHAIRMAN STITT: Okay, and does an abstention  
25 also require comment or just a negative vote?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I commented.

2 CHAIRMAN STITT: Yes, you did. That's a comment.

3 Thank you, Judith.

4 All right.

5 MEMBER FLYNN: I have a question, and the two  
6 documents are titled differently. Specifically QM inspection  
7 procedures, and the other one is reactive inspection of  
8 quality management programs. Do you want to specifically say  
9 QM inspection procedures, therefore you exclude the reactive?

10 CHAIRMAN STITT: What as the --

11 MEMBER FLYNN: If we had said -- now you're  
12 including both.

13 CHAIRMAN STITT: Right. No, I think our  
14 discussion, we were not trying to include both. In the --

15 MEMBER FLYNN: It's called QM inspection  
16 procedures, and it has its exact title to it, but then --

17 CHAIRMAN STITT: Right. So that's what our  
18 motion that we voted affirmatively on needs to reflect, that  
19 we are talking about the QM inspection procedures, and I'll  
20 look for that in the minutes.

21 Lou?

22 MEMBER WAGNER: I wish to go on record with my  
23 opinion regarding the fact that I still feel that with the QM  
24 rule as a regulation, it's unnecessary. I still feel that it  
25 is wrong for the NRC not to look at the IOM report and take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the good things out of the report and implement them as soon  
2 as possible, and I believe that the QM rule is unnecessary and  
3 should be removed immediately while we deliberate for the next  
4 two years on how to change 35.

5 CHAIRMAN STITT: All right. Shall we keep going?  
6 Cathy, you have another at least one item.

7 MS. HANEY: I have one more and then I'd like to  
8 take two or three minutes and tell you about another petition  
9 that we have besides this one.

10 This is what we refer to as the Carbon-14  
11 petition. This goes back to October 4th of 1994. The  
12 Commission docketed a petition for rulemaking from Tri-Med  
13 Specialties.

14 Tri-Med amended, requested an amendment to the  
15 regulations to allow for the general licensing and/or  
16 exemption for the commercial distribution of licensed  
17 pharmaceutical manufacturers of a capsule containing one  
18 microcurie of Carbon-14 urea for in vitro diagnostic testing.

19 On December 2nd, 1994, the petition was noticed  
20 in the Federal Register for comment. We received 315 comment  
21 letters. Three hundred and 13 supported the amendment to the  
22 regulations; two opposed.

23 On October 18th and 19th of 1995, this item was  
24 discussed with the ACMUI. The ACMUI endorsed the general  
25 licensing or to handle it as an exemption.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In March of this year, a final rulemaking plan  
2 was developed. This went to our Executive Director of  
3 Operations, and then it was approved by the Commission, and  
4 what we were looking at was allowing for the exempt  
5 distribution of the Carbon-14.

6           Where we are right now is a proposed rule is  
7 being developed. This will go to the Commission at the end of  
8 this month, and again, it will allow for the exempt  
9 distribution of the C-14. It will then go out for public  
10 comment, and based on those comments, we will take it final.

11           CHAIRMAN STITT: Comments from the Committee?  
12 Dennis.

13           MEMBER SWANSON: I just might comment that in the  
14 interim, a Carbon-13 test has been developed and approved by  
15 the FDA.

16           CHAIRMAN STITT: I think one of the reasons this  
17 was on the agenda is the frustration of Tri-Med that the first  
18 line has 1994, and I know we as a Committee discussed this.  
19 Dr. Siegel had sent us -- had done a literature review -- sent  
20 us a lot of background material on this particular test  
21 because it is something that really is able to make a  
22 difference in the clinical practice of medicine, and the  
23 question is it's two years heading on to three.

24           Is this a standard length of time that something  
25 -- is this going to be the same with Carbon-13? Is there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 something that was a glitch in here? How can we smooth this  
2 process?

3 MS. HANEY: On this particular rule I don't know  
4 whether there was a glitch or not. Maybe Larry is more aware.

5 MR. CAMPER: Well, I think there are two reasons  
6 why this rule has taken so long. Number one is it is time  
7 consuming following the procedures that we use for a petition,  
8 publishing the rulemaking, plan for comment, and so forth and  
9 so on. It takes time. It is difficult to move any rule,  
10 frankly, faster unless there's an immediate public health and  
11 safety issue. It is very difficult to move rules faster than,  
12 say, on the order of two years. That's probably standard  
13 operating procedure.

14 This particular rule was complicated by the fact  
15 also though, as you may recall we discussed with the  
16 Committee, the fact that the petitioner was requesting to  
17 distribute the product to be an exempt pathway.

18 I mean the material can be used by a limited --  
19 specific licenses and broad scope licensees, but the essence  
20 of the petition was the exempt pathway.

21 Now, the Commission's regulations have heretofore  
22 as a matter of policy not allowed administration to human  
23 beings via an exempt pathway, and that's specifically stated  
24 in Part 30. Therefore, the staff did spend some time, I think  
25 it's fair to say, wrestling with what is the most effective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach to propose in terms of the exempt pathway  
2 possibility, and it really had to do with what has been the  
3 longstanding policy of the Commission and its regulations in  
4 trying to develop a justification for pursuing it via the  
5 exempt method and to make sure that if you're going to allow  
6 it to be distributed exempt, I mean, all these questions  
7 about, well, who can actually administer it as exempt, the  
8 questions of can only physicians do this; can others that are  
9 non-physicians do this; and those kinds of issues did take  
10 time for the staff to work with and to attempt to resolve.

11 MEMBER NELP: I imagine it's a prescription item,  
12 isn't it?

13 MR. CAMPER: Yes, it is.

14 CHAIRMAN STITT: Jeff and Dennis.

15 MEMBER WILLIAMSON: Well, I'm wondering, Larry,  
16 if you could comment on if similar products using different  
17 radionuclides are developed, what sort of pathway they will  
18 have to take in order to --

19 MR. CAMPER: That's an interesting question.

20 MEMBER WILLIAMSON: -- market their product.

21 MR. CAMPER: Well, rulemaking plan, Dr. Howe, the  
22 rulemaking plan itself is specific only to this product, is it  
23 not?

24 DR. HOWE: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Therefore, if other products were  
2 developed and the exempt pathway were pursued, there would  
3 have to be efforts taken to add it to the exempt distribution  
4 pathway because the rulemaking plan the staff is pursuing is  
5 specific to this particular product.

6 But having said that though, obviously if the  
7 Commission ultimately decides to allow this product to be  
8 distributed exempt, it would be far easier to add another  
9 radionuclide than it would be to -- you wouldn't have to go  
10 back and reblaze the policy change. It would just be a matter  
11 of adding a different radionuclide.

12 MEMBER WILLIAMSON: How long would that take?

13 MEMBER NELP: Do you have something in mind or is  
14 this theoretical?

15 MEMBER WILLIAMSON: Well, it's out of my area of  
16 expertise. I understand from what Dennis said there is  
17 another product being developed, say, Carbon-13. So how long  
18 would that take?

19 I'm just concerned that the --

20 MEMBER SWANSON: Carbon-13 is not radioactive.

21 MR. CAMPER: Well, again, the petition process  
22 involves a number of steps. That typically is on the order of  
23 certainly a year to two years. Now, it would not take as long  
24 because, again, the policy issue has complicated this one  
25 somewhat, but again, if one looks at all of the various steps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the petition process, development of rulemaking plans,  
2 solicitation of public comments, it is a time consuming issue.

3 And this is one of the dilemmas you get into in  
4 the regulatory process. The more steps that you add to a  
5 process to allow public interaction, reaction, comment, et  
6 cetera, the more you spread out the time line. It's just  
7 unavoidable.

8 CHAIRMAN STITT: Dennis, did you have a comment?

9 MEMBER SWANSON: This is probably regulated under  
10 Part 30, manufacturing?

11 MR. CAMPER: Thirty-two.

12 MEMBER SWANSON: Thirty-two?

13 MR. CAMPER: Well, Part 30 and then 32, yes.

14 MEMBER SWANSON: Is there any way to take the  
15 general considerations that eventually led you to making this  
16 exempt and making a general rule out of that?

17 MR. CAMPER: Well, when you say "general," well,  
18 the staff's proposal, I believe -- and, Donna-Beth, help me  
19 out here because you're very familiar with this -- contain --

20 MEMBER SWANSON: A non-product specific rule.

21 MR. CAMPER: The proposed rule, I believe,  
22 contains conforming language for Part 30 that would remove the  
23 existing restriction in Part 30 as it relates to exempt  
24 materials to human beings.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. HOWE: At this point it would slow the  
2 process down if you were to try to make it a general rule  
3 because the basis for making this rulemaking change is on an  
4 environmental assessment on the effect of Carbon-14 to the  
5 environment, to the public, and a number of other factors that  
6 were added as response to the petition.

7 And so at this point the quickest path would be  
8 to let it go through as Carbon-14 urea and at some later point  
9 if you want to go to a more general, then you have to address  
10 that issue.

11 MEMBER SWANSON: That's the point I'm getting at.  
12 Can you take the considerations that you looked at in  
13 approving Carbon-14 urea and can you generalize that so that  
14 they're not product specific, so that you have a general rule  
15 on board, and if it meets the requirements of this rule, it  
16 would go through without a three-year delay?

17 DR. HOWE: In this case the basis is all based on  
18 this particular product in a capsule form for Carbon-14 for  
19 the amount of activity per capsule and for its medical use.  
20 It would be difficult to broaden that at this particular  
21 point.

22 MR. CAMPER: Right. You would have to go back  
23 and reconsider your environmental impact issues and your  
24 regulatory analysis would have to be changed because all of  
25 the cost considerations and so forth are germane specifically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to this particular product. So those two areas would have to  
2 be reexamined.

3 If I understand your question, if you simply  
4 wanted to broaden it to allow other products like this to be,  
5 you would have to deal with those two issues.

6 MEMBER SWANSON: Yeah, but one microcurie of  
7 Carbon-14 whether it's attached to urea or sugar probably  
8 doesn't have much difference from an environmental impact  
9 consideration. Okay?

10 MR. CAMPER: Oh, I agree with that.

11 MEMBER SWANSON: Well, then if you agree with  
12 that, then why can't we come up with some kind of a general  
13 rule to address those types of things?

14 MEMBER NELP: Madame Chairman.

15 CHAIRMAN STITT: Go ahead, Wil.

16 MEMBER NELP: I don't see a problem. I don't see  
17 any other carbon labeled radioactive diagnostic materials this  
18 has gone through, and I think we ought to focus on --

19 MEMBER SWANSON: I don't want to do anything to  
20 prevent this one from going through. Okay? I'm just looking  
21 to the future.

22 MEMBER NELP: But I don't see anything in the  
23 future that needs our attention.

24 MR. CAMPER: Well, and again, the petition was to  
25 distribute this product.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Other comments? Oh, I took my  
2 glasses of and I can't see that far. Yes.

3 MR. GODWIN: The Commission very easily could  
4 adopt a rule that would allow, say, any isotope that doesn't  
5 deliver above X amount of dose and under these conditions  
6 doesn't exceed that as a general rule. You wouldn't want to  
7 touch this petition at all, but what you may want to look at  
8 is perhaps tritium might come along as a potential. Perhaps  
9 some other isotope might come along, and if you had a general  
10 provision in there that would say that if you meet these  
11 conditions, you qualify for this either GL or exemption. That  
12 might be the way to go, but you'd have to have a generic  
13 impact statement developed to evaluate it and economic  
14 considerations to address it.

15 So that would be a fairly large undertaking on  
16 the part of the Commission staff, but it can be done, and you  
17 know, somebody out of the public could petition the Commission  
18 to do it as sort of a goodwill public gesture.

19 The more likely thing would be probably some  
20 organization like this or some other professional organization  
21 do it, make a request, not the general public, but it could be  
22 done, and if it's viewed as potential matter of urgent public  
23 necessity, somebody should petition them and get them to do  
24 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Dennis, do you want to add to  
2 his commentary?

3 MEMBER SWANSON: Thank you. That's what I was  
4 trying to get at. Okay? You know, to me what troubles me is  
5 this has gone through three years for these people to be able  
6 to distribute this product. It's almost a conflict of trade  
7 in a way. Okay?

8 In the interim --

9 PARTICIPANT: Restraint of trade.

10 MEMBER SWANSON: Restraint of trade.

11 In the interim another product's been approved  
12 that does involve the use of radioactivity. I'm not sure  
13 that's in the best interest of the public, okay, if it takes  
14 three years to get a very valuable procedure on the market.  
15 Something to consider.

16 CHAIRMAN STITT: Thank you.

17 Lou, did you have something to say?

18 MEMBER WAGNER: No, it's just a fine example of  
19 where we run into the problem where I believe that there's not  
20 enough -- I don't believe there's enough consideration given  
21 in regulatory process for the down side of what occurs any  
22 time you write any regulation, and this is a fine example  
23 where something that is very beneficial to the public is  
24 actually now somewhat detrimental to the public because we  
25 haven't been able to get it out, and it continues to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CAMPER: But bear in mind the product is  
2 available, and it can be used.

3 MEMBER NELP: The product is available to  
4 practitioners throughout the country.

5 MR. CAMPER: The only issues is --

6 MEMBER NELP: And there's no patient who needs  
7 the test who can't access the test through a qualified nuclear  
8 medicine physician or licensee. So, you know, it's really an  
9 exaggeration to say that the public has been denied access to  
10 this material. The public has had access to this material the  
11 whole time.

12 What they want to do is to send it to  
13 gastroenterologists and have them use it in their offices, et  
14 cetera, et cetera. We do the test, and it's not easy to do  
15 really.

16 CHAIRMAN STITT: John, do you have a comment?

17 MEMBER GRAHAM: I think what the group is trying  
18 to express is some frustration that --

19 MEMBER NELP: Over the time.

20 MEMBER GRAHAM: -- that in the spirit of  
21 capitalism upon which this country has been developed we have  
22 thwarted a potential commercial application which appears to  
23 have had low public risk, and if it came up in the future, we  
24 would encourage staff to try to develop a more generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 procedure that it would not be kept off the market for as long  
2 as three or four years.

3 CHAIRMAN STITT: Nicely put. That's why we allow  
4 these administrator onto our Committee.

5 All right. I think we're done with this topic.

6 MS. HANEY: Well, I have one more petition that  
7 we are working on.

8 CHAIRMAN STITT: Go ahead.

9 MS. HANEY: It's a petition that we received. I  
10 believe it was the end of last year. It was from the  
11 University of Cincinnati, and what the request was was to  
12 allow caregivers to patients that are confined under 35.75 to  
13 receive a dose up to 500 millirem.

14 Right now those individuals are limited to 100  
15 millirem. We are in the process of developing a rulemaking  
16 plan that would go up, again, to the EDO and to the Commission  
17 on it.

18 What we are looking at right now is 500 millirems  
19 to the caregiver. The caregiver would have to be an adult.  
20 The facility, it would be based on a physician determination  
21 that the individual could exceed the 100 millirem.

22 There would be no badging, no explicit badging  
23 requirement. However, the licensee would have to limit the  
24 dose to 500 millirem, and we would require documentation of  
25 ALARA instruction, and that a consent was given.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would expect that the draft ruling, which would  
2 probably come before the ACMUI at the next meeting, but if you  
3 would like to take a few minutes and give me any comments on  
4 it, we can consider that in the plan development.

5 CHAIRMAN STITT: Larry, do you something on that?

6 MR. CAMPER: No, I just have one more thought on  
7 the petition just so you'll have, again, the perspective. The  
8 product has not yet been approved by the FDA either. They  
9 have the letter of approvability, as I understand it. They're  
10 in their final negotiations and discussions with FDA.

11 So, again, just for the record, we're not holding  
12 up this issue in that context.

13 CHAIRMAN STITT: Dan.

14 MEMBER FLYNN: So I guess we'll get more  
15 information later. I was curious about a 500 millirem single  
16 exposure to some procedure, and then there's no film badging  
17 or no exposure reports on these people who could get multiple  
18 -- I mean, I'm not sure what this is all about, but maybe you  
19 could give us about, but maybe you could give us more  
20 information the next time we meet.

21 MS. HANEY: Sure. I'll be able to give you more  
22 information, but basically it would be if an individual was in  
23 the hospital, was confined under 35.75, the caregiver could  
24 come in. There would be the potential that if the patient was  
25 in more than once and it was the same caregiver, that this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 caregiver could get multiple instances of 500, and that's why  
2 to a certain extent the physician discretion is allowed in  
3 there when they're deciding that this person could go greater  
4 than 100 and could go to 500.

5 DR. FLYNN. Well, I was thinking about multiple  
6 patients with the same caregiver.

7 MS. HANEY: Again, that's the same. That  
8 possibility exists in this framework, and the rulemaking plan  
9 will go out to the agreement state for their review, too. I  
10 don't know. I saw Aubrey's hand go up. Did I guess what the  
11 hand went up for? But that'll go out for 45 days to the  
12 agreement state, and that's why I say I'll probably bring more  
13 in-depth information to you at the next meeting.

14 CHAIRMAN STITT: All right. I think that  
15 concludes that portion of the agenda, and I remember the  
16 agenda correctly, the next item is to discuss plan for the  
17 Commission briefing, and, Larry, didn't you and I say that  
18 that would be off of the --

19 MR. CAMPER: No, it has been transcribed  
20 historically.

21 CHAIRMAN STITT: Okay.

22 MR. CAMPER: So we'll keep it on the record.

23 CHAIRMAN STITT: Okay. Do you want to introduce  
24 this segment?

25 MR. CAMPER: I can do that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You're at the point now where you're to focus  
2 upon preparation for your Commission briefing in May. You  
3 know, at the outset what we challenged you to do was to give  
4 your preliminary views on the SRM or DSI No. 7. We indicated  
5 to you that we would like for you to prepare a written set of  
6 comments on the SRM and DSI-7, for that matter other issues  
7 that had not been addressed in the DSI or the SRM in  
8 particular, and then we had a number of topics on the agenda  
9 this time that dealt with, you know, the real benchmark  
10 topics, such things as the quality management  
11 misadministration rule, the medical policy statement, and so  
12 forth.

13           So I think what you should do now is focus among  
14 two things. Clearly, what is it that you want to say to the  
15 Commission when you brief it in May about the SRM on DSI-7,  
16 about, you know, the positions that they're taking, your  
17 suggestions how they might achieve some of the things that  
18 they want to do as set forth in that SRM.

19           You know, these topics we've discussed. The  
20 medical policy statement, you might want to convey to them  
21 your position on the medical policy statement, your position  
22 on the quality management misadministration rule, the use of  
23 industry standards, the various topics that we've talked about  
24 here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But I think more importantly, kind of stepping  
2 back for a moment, you know, you're briefing the Commission at  
3 a time when we are early in the process revising Part 35.  
4 What do you want to say to them? What do you want them to  
5 hear from you? What are your suggestions and advice?

6           How might you help us to achieve what it is the  
7 Commission -- I mean, obviously the policy makers, that being  
8 the Commission, have deliberated on this issue now for, you  
9 know, a couple of years. They've gone through the strategic  
10 assessment initiative. They've gathered public comments.  
11 They've considered the IOM report. They've considered your  
12 previous recommendations, and now they've done what they get  
13 paid to do. They make tough decisions.

14           Now, what would you like to tell them about how  
15 those decisions can be implemented and how you might help the  
16 staff in doing that and what your perspectives are on some of  
17 these topics that we've talked about and perhaps others?

18           You've got a short fuse. Really the 8th of May  
19 is going to be upon you very quickly, and Dr. Stitt will  
20 decide how she wants to proceed in achieving that, but I think  
21 that's the mission before you, and obviously it's a very  
22 important briefing for you because of where we are in terms of  
23 revising Part 35.

24           MEMBER NHELP: How long? How much time is the  
25 meeting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: It's an hour and a half, I believe.

2 CHAIRMAN STITT: All right. Let's talk about  
3 what we want to do. Show me who has been to a Commission  
4 briefing before. I think the vast majority.

5 (Show of hands.)

6 CHAIRMAN STITT: All right, terrific. So we know  
7 what we're doing.

8 MEMBER SWANSON: Well, we know how to get there.

9 CHAIRMAN STITT: Right. Lou, I want to know if I  
10 should take my mug with me or do you think it would be more  
11 prudent to -- in case you've forgotten, this came from the  
12 Commission at my first meeting. "I have sworn upon the altar  
13 of God eternal hostility against every form of tyranny over  
14 the mind of man," and I added "woman." I think that's Lou on  
15 one of his bad days. Maybe I'll leave it at home for that  
16 meeting.

17 Here's some of the things we've done in the past  
18 procedurally. I believe at our last meeting with the  
19 Commissioners there were slides that Barry presented. We as a  
20 Committee interacted with him by phone and by E-mail. We E-  
21 mailed things around, meaning the content of the slides around  
22 for people to comment, to make changes. It was very  
23 interactive.

24 It was essentially all done by phone, fax, and E-  
25 mail with an emphasis on the E-mail. Now, I've got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everybody's E-mail address, except John's is changing, but I'm  
2 going to still use your current one. Dan, I need a fax number  
3 from you.

4 MEMBER GRAHAM: A procedural question. I assume  
5 if I give the new one to Bill he would forward it to all of  
6 the Committee members?

7 CHAIRMAN STITT: That's a good idea because he  
8 and I are on line.

9 So any changes in E-mail or fax, please send to  
10 Bill because that's going to be an important way that we can  
11 interact quickly.

12 So I'd like to recommend that method. How does  
13 that sound to the group?

14 Now we need to talk about what we would like to  
15 be saying. I have some general comments, and I think that  
16 some of our comments to the Commission should be rather  
17 general as opposed to coming up with our blank piece of paper  
18 and fixing Part 35 between now and May. I think we ought to  
19 look at the aspects of 35, and it does have several  
20 subsections: general administrative, general technical, and  
21 other subsections. So I am just suggesting that the  
22 Committee not try to come with a fixed, down to the word  
23 because we don't have time for that, nor do I think it's  
24 appropriate, but I'd like to have the Commission get a feeling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 from this Committee which has now been working together for  
2 several years.

3 I mean most of us have now been on it so that we  
4 have some cohesion here, not necessarily agreement with all  
5 the ideas. Some of you are going to have very specific ideas  
6 on very specific parts, and I find that valuable. Others are  
7 going to be looking at it -- we rely upon you, John, to have  
8 the overview. John, I'm speaking to you. Okay.

9 (Laughter.)

10 CHAIRMAN STITT: So you seem to be particularly  
11 adept at that. So I'm not going to assign parts. Anything is  
12 fair game, but that is certainly one of my ideas, that we  
13 should address any part we want to, and we don't have to get  
14 down to the sentence structure.

15 So I'll stop talking there and let the committee  
16 continue. Jeffrey, then Dan.

17 MEMBER WILLIAMSON: Well, I think there are broad  
18 areas of concern that we, most of us, agree on. I think it  
19 would be helpful to talk about, you know, the discussion we  
20 had on the medical policy statement and where we think the  
21 boundary between regulated and unregulated activity should be  
22 in the practice of radiation medicine and why and how that  
23 impacts, you know, the development of the new Part 35.

24 Maybe it's only my own hobbyhorse, but I'm really  
25 concerned about the associated enforcement process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Say that phrase again.

2 Dissociated?

3 MEMBER WILLIAMSON: Associated.

4 CHAIRMAN STITT: Associated.

5 MEMBER WILLIAMSON: Yes. I'm very concerned  
6 about the associated enforcement process. I think, you know,  
7 many of the specific aims and endpoints and even prescriptive  
8 suggestions are those all of us in our institutions would  
9 implement in one way or another, but the enforcement process,  
10 at least in the hands of some individual inspectors, is a  
11 highly torturous, time consuming activity and one that I think  
12 creates a lot of animosity between the user community and the  
13 agency.

14 So, you know, my feeling would be that we should  
15 try and get the thought out there that not only should we be  
16 designing a set of regulations that define endpoints and  
17 required procedures, but somehow the body of the regulations  
18 themselves should address the enforcement process and sort of  
19 set limits to try and make it more likely that this  
20 enforcement process will follow common sense and be more  
21 consistent with the clinical practice at, you know,  
22 institutions deemed to have an adequate program.

23 CHAIRMAN STITT: I'd like everybody around the  
24 table to have an opportunity to make statements about strong

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 feelings that they have on the medical policy statement and  
2 DSM or 35.

3 MEMBER WILLIAMSON: So just as a general theme,  
4 that's something, you know, I would like to see.

5 CHAIRMAN STITT: But I'm looking for general  
6 themes here.

7 Dan.

8 MEMBER FLYNN: No, I agree. I think at this  
9 meeting we should look at it as a great opportunity. I think  
10 you can start off with this basic philosophical issue about  
11 the medical policy statement, but don't take up the entire  
12 meeting on that.

13 I think if you look at this tab that says "SRM re  
14 DSI-7, Topic Page," and then page 2, there's just eight topics  
15 that cover only a half a page. It's what the Commissioners  
16 would like the staff to focus on, and they're looking for  
17 advice from the staff as being the high focused area.

18 We should use this opportunity to focus on these  
19 eight items, you know, revising Part 35, high risk, low risk,  
20 changing -- well, changing nomenclature from this  
21 administration -- that's a given -- Part 35 redesign. The  
22 quality management rule will become totally different. You  
23 know, using industry standards.

24 These issues, I think we could address these  
25 during a presentation which could take a half hour to 45

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minutes, starting off with 15 minutes of the basic  
2 philosophical issue about the medical policy statement.

3 But putting that aside, I think we should address  
4 the specific things that they're asking for help on because  
5 this is our chance to have an impact in the beginning.

6 CHAIRMAN STITT: I agree with you.

7 Jeff.

8 MEMBER WILLIAMSON: Well, another thought. We  
9 might communicate with you via E-mail and complete maybe our -  
10 - maybe you could collate our thoughts about the sort of  
11 relative risks in different sub-areas. To some extent, you  
12 know, if we follow through coherently with our point of view,  
13 even something that would be in some sense deemed high risk by  
14 virtue of the severity of the possible complications, if there  
15 were medical events such as high dose rate. We're saying you  
16 shouldn't make reactive regulations based on single incidents.  
17 There should be some evidence that the problem exceeds, you  
18 know, some threshold which is defined by looking at areas of  
19 medical practice.

20 But still, they did ask us to do that, and I  
21 think it's maybe a useful point of discussion because it has a  
22 benefit for the nuclear medicine community of excluding from,  
23 you know, some levels of regulatory scrutiny a whole lot of  
24 procedures, which I think we should support that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Well, and as we've had our  
2 meeting this past day and a half, within these Points 1  
3 through 8 we have spent certain amounts of time discussing  
4 aspects of several of them, including high risk, low risk. We  
5 were able to focus on diagnostic minus Iodine-131, and I  
6 thought that was a pretty good step for us to begin with. So  
7 we can again use those opportunities that we've had for  
8 discussion in the other part of our report.

9 MEMBER WILLIAMSON: But I'm suggesting we all  
10 sort of do a little homework and maybe each of us, at least  
11 each of us that are interested, write out maybe our thoughts  
12 about the other areas of radiation medicine, send it to you,  
13 and you can look at them and see whether there's a consensus  
14 that we could present.

15 CHAIRMAN STITT: I agree with that.

16 MEMBER WILLIAMSON: Following the framework that  
17 we've kind of established for diagnostic.

18 CHAIRMAN STITT: And include in that as you're  
19 thinking through what are the close, personal, meaningful  
20 aspects of these Points 1 through 8 and Part 35 -- I am going  
21 to, since we voted as a Committee with Judith as the negative  
22 vote on the medical policy statement -- I mean, I think we can  
23 state that that was our intent, recognizing Judith's concerns,  
24 and that we don't on E-mail have to discuss that too much  
25 except as you have points to make to me as your points relate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the modifications that we have brought up for change in the  
2 medical policy statement, it would be helpful to see how those  
3 relate.

4           So your homework assignment will be to decide  
5 what is meaningful to you from the eight bullets here, and  
6 that what you would like to write back to me personally and  
7 what is meaningful, you know, what strikes your fancy from  
8 Part 35, because you represent not only yourselves, but your  
9 institutions and the different parts of the medical community,  
10 as well as the patient, and I'm looking at you on this,  
11 Judith. Okay? I'm pleased that you're going to be part of  
12 our group since you've been with us so long for our  
13 presentation.

14           So that's your homework assignment, and then as I  
15 receive things, I'm going to pass them to the Committee. So  
16 everybody's going to be seeing what I get. I'll be the  
17 central clearinghouse.

18           Okay. Let's keep going. Larry's being the  
19 clerical supervisor here.

20           MEMBER NELP: I have a --

21           CHAIRMAN STITT: Philosophical concerns in  
22 general? Line Items 1 through 8. Okay. Medical policy  
23 statement, Part 35, okay. So those are things we're saying.

24           Dennis and then Wil.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SWANSON: A comment on Number 3 there. If  
2 you look at what the Commissioners have asked you to do, they  
3 say focusing on Part 35 and those procedures that pose the  
4 highest risk. They're not asking us to define low risk and  
5 high risk procedures, and I think as a general point if you  
6 look at the definition of risk, okay, which is probability of  
7 event times the consequence of the event, based upon the NRC's  
8 own documented history on the reports of abnormal events and  
9 misadministrations, all of medical use of ionizing radiation  
10 is low risk.

11                   That's not really what they're asking us to do  
12 here, is classify them as low risk versus high risk. They're  
13 asking us to focus on those procedures that pose the highest  
14 risk. Okay?

15                   So I think we need to be very careful in talking.  
16 I guess the general point I want to make is that everything  
17 we're dealing with is low risk. Okay?

18                   Now, I've come to the realization, the conclusion  
19 that we're going to be regulated. They're never going to stop  
20 regulating us. There's no way that we can convince them that  
21 they're low risk, but, you know, we've got to be careful how  
22 we use that term. Okay?

23                   CHAIRMAN STITT: And do you feel better about  
24 yourself now that you've come to that realization?

25                   MEMBER SWANSON: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           CHAIRMAN STITT: But is it easier to live in the  
2 world that you work in?

3           MEMBER SWANSON: My low risk world or high risk  
4 world?

5           CHAIRMAN STITT: I think there are areas that  
6 will be regulated, and it's up to us to try to help focus on  
7 those areas that we think we can be helpful with.

8           Wil's next in line and then Jeff.

9           MEMBER NELP: I would think preliminarily we  
10 might want to look at Items 1 through 8 because some of them  
11 are really lightweight items that we don't want to spend any  
12 time with, and some are much more appropriate and meaty.

13           For example, Item No. 4 is changing a word or a  
14 concept versus some of the other things. So I was wondering  
15 if we could maybe -- it would help you. You wouldn't have to  
16 harvest comments from things that we really aren't interested  
17 in discussing with the Commission. We wanted to focus  
18 probably on three or four major items.

19           CHAIRMAN STITT: I doubt that we will make  
20 comments on all of one through eight. I'll see what the  
21 Committee's sense is, although the shortest sentence in the  
22 whole body appears to be Number 4. I don't think it's the  
23 most lightweight. I think that there's a charged environment  
24 about those phrases, and you know, it's our opportunity to  
25 have some impact or to at least get our opinions out there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 but we could have -- and I'm sure there will be hours of  
2 discussion through all of this process about  
3 misadministration, medical event or replacement terminology.

4           Jeff, I think you were next.

5           MEMBER WILLIAMSON: Yeah. I don't know if I  
6 understood Dennis to say that you think all radiation medicine  
7 procedure -- there are no radiation medicine procedures that  
8 fall into the category of high risk? No? I'm sorry. I just  
9 wanted to make sure I understood your comment.

10           MEMBER SWANSON: You know, I'm so confused about  
11 the definition of risk and how it applies to this, okay,  
12 because if you look at the classic definition of risk, it's  
13 the probability of an event times the consequence of an event,  
14 and I think we've got pretty good data to suggest or not even  
15 suggest; we've got good data to support that the probability  
16 of misadministrations, the probability of occupational  
17 exposures, the probability of public exposures associated with  
18 the use of ionizing radiation in medicine is very low, and if  
19 this is a product, probability times consequence, that would  
20 make everything low risk. Okay?

21           So that's a general philosophy. Now, you know,  
22 what they're asking us to do here is to focus Part 35 on  
23 procedures that have the highest risk. They're not saying  
24 pose them on high risk versus low risk procedures. It gets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 confusing within the definition of risk and what we're  
2 supposed to be doing here. Okay?

3 I think it's important for us to emphasize that  
4 by classic definition of risk, everything that we do is low  
5 risk.

6 MEMBER WILLIAMSON: Well, can I follow on that?

7 CHAIRMAN STITT: Well, let me make a comment and  
8 then you and then Lou.

9 I mean, if you look at radiation medicine in the  
10 context of other areas of medicine, Dennis is exactly right.  
11 However, this is a regulated medical -- this part of the world  
12 is regulated by the NRC. So we, I think, have -- it's up to  
13 us to suggest areas that need higher surveillance than others,  
14 and I don't want to get this Committee caught up on  
15 definitions of risk, although that's a good one, but ranking  
16 risks.

17 I mean, I think you have to look at this as an  
18 overall picture, but there are areas of radiation medicine  
19 that need more surveillance than others, and in that sense,  
20 I'd be glad to, you know, develop some sort of a step-wise  
21 approach.

22 Jeff.

23 MEMBER WILLIAMSON: I think we do have to be  
24 careful. I think something like high dose rate brachytherapy  
25 or stereotactically guided external radiation, you know, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inherent risk to the patient is high. If you do it badly or  
2 carelessly, you can really hurt the patient.

3 Now, having said that, the way the medical  
4 profession conducts the operation or execution of these  
5 procedures, the actual risk is quite low because we, as  
6 professional practitioners, incorporate all kinds of  
7 safeguards and procedural details to greatly minimize the  
8 incidents of these unfortunate events and to mitigate the  
9 severity of the consequences if they occur.

10 So I think maybe this has to be one of the points  
11 we hammer away at, is how basically the professional sub-  
12 communities conduct themselves, but inherently the risk is  
13 higher compared to something like diagnostic nuclear medicine,  
14 where I understand from the statements of our esteemed expert  
15 colleagues you could really, you know --

16 PARTICIPANT: You can screw up in a moment.

17 MEMBER WILLIAMSON: -- not know what you're doing  
18 at all and really not hurt anybody very badly.

19 So there are some inherent differences, and I  
20 think perhaps we need to sort of highlight this and be real  
21 honest because we wouldn't be devoting the resources within  
22 our professions that we do to quality assurance and operation  
23 of a skilled and trained treatment delivery team if we didn't  
24 think that was so.

25 CHAIRMAN STITT: Thank you, Jeff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Lou Wagner.

2 MEMBER WAGNER: I think it's important that we  
3 look at this in a little bit different light. I don't like  
4 talking about risk. I think we should talk about the  
5 potential for risk, the potential risk.

6 Potential risk, if this type of work is done in  
7 an unregulated environment, that's what we're looking at.  
8 What's the potential for risk if it were unrelated? There we  
9 are.

10 And I think Dennis' comment is correct that we  
11 want to look at the higher risk activities, the activities at  
12 which there is the higher potential for risk. That's all, and  
13 let's keep it in that focus and not try to define risk itself.  
14 It's potential for risk if we were working in an unregulated  
15 environment.

16 CHAIRMAN STITT: Thank you, Lou.

17 How about this side of the room? Wil?

18 MEMBER NEMP: Well, I think if we told the  
19 commission two things, one, that if you look at the risk of  
20 radiation in medicine statistically, that the group has done  
21 an excellent job because it is a very unriskey business or low  
22 risk business, and I think what they want to hear is exactly  
23 what you said. What procedures are there that you have to be  
24 careful about because you're going to harm a patient if you  
25 don't do it correctly? And that's what I would envision to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a high risk procedure, and if you screw up in some process of  
2 the control or the administration, then you could potentially  
3 harm that individual patient in that individual procedure, and  
4 I think that's what they want. That's what they're directing  
5 us to focus our attention on, and I think we should probably  
6 agree on that.

7 CHAIRMAN STITT: I think we do.

8 MEMBER NEMP: But I think telling them it's not a  
9 risky business is a pretty good idea, too, to say overall this  
10 business is conducted at a very effective low level of risk.

11 CHAIRMAN STITT: Right.

12 Dan Flynn.

13 MEMBER FLYNN: I think I'd try to keep it a  
14 positive viewpoint as to what they want, try to keep a  
15 positive attitude, and I would look upon it this way. If I  
16 was a Commission and if I was a nonmedical person and I just  
17 came on as being a new Commissioner and I found out that  
18 there's no full-time medical people in the entire  
19 organization, and if I did have the viewpoint that maybe we  
20 want to start backing away from activities which don't have a  
21 high risk associated with them, I would want to be able to at  
22 least cover myself in the event, since I'm responsible for the  
23 public health and safety, to get the medical people involved  
24 to help me define what is low risk so if certain items are  
25 removed from regulation, and then let's say something should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happen, that I've done due diligence by involving the medical  
2 experts in a process to remove that low risk item, and  
3 therefore, I cannot be held accountable for having not  
4 protected the public health and safety.

5           So we should look upon this as a positive event  
6 as much as possible and put ourselves in their shoes, if we  
7 were Commissioners with no medical background.

8           CHAIRMAN STITT: Let me ask that question a  
9 little bit stronger. What is the opinion of the group about  
10 the clinical perspective? That is, the NRC staff, the  
11 Commissioners are from a variety of backgrounds that relate to  
12 radioactivity, health physics, health safety. I think this  
13 group provides the only clinical background as far as the  
14 practitioners of medicine, dealing with patients. How far do  
15 we want to go with that kind of statement or perspective?

16           It can always be used as a clause in any  
17 statement that's being made, a phrase, rather than anything  
18 very direct, but I think that's a lot of our frustration, is  
19 when you're sitting there with a patient, it doesn't matter  
20 what issue we've been discussing. Certain areas that we've  
21 been through in many of our meetings just come across  
22 differently when they're in the regulatory framework of a  
23 piece of paper and try to translate that to taking care of a  
24 patient.

25           Jeff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WILLIAMSON: Well, I think it's  
2 unfortunate that there are no ex-clinical practitioners  
3 involved, you know, in the operation of this group that are  
4 actively writing regulations and functioning as regulators. I  
5 think it would be really helpful and go a long way towards  
6 introducing this sort of theme of common sense throughout the  
7 whole organization at the level of writing regulations,  
8 developing guidance for inspections and licensing if it were  
9 possible for NRC to recruit from the ranks of, you know,  
10 nuclear medicine pharmacists, physicians, and physicists.

11                   I have heard all of the arguments about, well,  
12 you'll lose your clinical skills and so on, but hire them not  
13 as clinicians, but as regulators. I think there are all kinds  
14 of questions about salary structure, differentials, and so on,  
15 but that would really be, I think, helpful if, in addition to  
16 hiring from the ranks of radiobiologists, nuclear engineers,  
17 peer health physicists, if there were some component of the  
18 important people in the agency that came from the ranks of  
19 clinical practitioners, not as medical specialists, but as  
20 actual regulators.

21                   CHAIRMAN STITT: Thank you, Jeffrey.

22                   Other comments? Wil.

23                   MEMBER NELP: I think inherently we also not only  
24 speak for ourselves, but we do not officially, but  
25 unofficially represent a tremendous group of people out there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in our own groups, societies, colleges, or whatever, and when  
2 you were talking about we're the only guys who -- this  
3 Committee has so many people who are involved in looking at  
4 the medical aspects of things. I think it would be of some  
5 value to say we also represent the thought line of thousands  
6 of other physicians that we're in close professional contact  
7 with on a very regular basis.

8 CHAIRMAN STITT: That's kind of an alarming  
9 statement to even see up there, Larry. Clinical practitioners  
10 as regulators. I think you have to give up your license or  
11 your society membership or something.

12 But, no, I think that point's well made, and it  
13 is something that we have been discussing and that we do find  
14 frustrating.

15 Lou.

16 MEMBER WAGNER: I think the President ought to  
17 appoint Barry Siegel to the Commission.

18 MEMBER WILLIAMSON: Hear, hear.

19 MEMBER NELP: Is he a Democrat or a Republican?  
20 That's the first thing I have to ask you.

21 MEMBER SWANSON: He's a registered independent.  
22 I asked him that yesterday.

23 CHAIRMAN STITT: But he said he sent a lot of  
24 money to Ronald Reagan hoping he would decrease his taxes. So  
25 I don't know where that puts him.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Aubrey, and, John, you're going to have to say  
2 something. So be thinking about it. So get ready to be  
3 clever.

4           Aubrey.

5           MR. GODWIN: I would offer another subject you  
6 might want to consider taking to the Commission, just as a  
7 passing comment. There are some of these regulations in Part  
8 35 that really could be pulled out now, 35.20 probably being  
9 the most outstanding one, but you have some related ones like  
10 35.70 and 35.21(b)(4) and (5). I assume that they could just  
11 revoke entirely and they wouldn't lose anything, and that  
12 would, I think, show some progress in trying to help things.

13           There are a lot of others which I guess  
14 individually some of us might like or not like, but I think  
15 those would probably be the unchallenged ones to go.

16           You know, if you have time, I think that might be  
17 a good one you might want to bring up and get some very  
18 specific things the Commission can look at in the short term  
19 and do something.

20           CHAIRMAN STITT: Lou, that woke you right up,  
21 didn't it?

22           MEMBER WAGNER: Yeah. As a matter of fact, at  
23 one of our previous meetings we were asked that very question.  
24 What could be pulled right now? What could you do right now?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We gave them recommendations.  Nothing's  
2 happened.

3           MR. GODWIN:  You'll have their attention  
4 personally at this time.

5           CHAIRMAN STITT:  Let's take this as an  
6 opportunity.  Turn to your book.

7           MEMBER WILLIAMSON:  Part 35.

8           CHAIRMAN STITT:  Part 35 is in there.  Just the  
9 face page, 35-1, and let's look through the --

10          MEMBER SWANSON:  Can I make a comment?

11          CHAIRMAN STITT:  Let's consider that and see if  
12 we want to go anywhere with it.

13          Yes, Dennis.

14          MEMBER SWANSON:  Can I back up and make one  
15 comment about the need to emphasize that all of what we do is  
16 generally low risk when you look at the standard definition of  
17 risk?

18                 I think it's important and one of the approaches  
19 I always take with regulatory agencies is quoting their  
20 materials back to them.  Okay?  If you look at all of this  
21 stuff which nobody bothers to look at, DESY-12, these things  
22 on probabilistic risk, I mean the agency itself has defined  
23 risk as probability of the event times the consequence of the  
24 event, and I think we need to use that definition to document,  
25 okay, that these are low risk activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the importance of that comes back to our need  
2 to develop performance based regulations because if you look  
3 at the definition of performance based regulations, it states,  
4 "Performance based initiatives are considered for activities  
5 where failure to meet the performance criteria results in  
6 tolerable conditions for which appropriate corrective action  
7 will be taken."

8           So if we're going to push ourselves, and I think  
9 we want to push ourselves towards performance based  
10 regulations, it's important to emphasize that these are low  
11 risk activities, to begin with. Okay?

12           CHAIRMAN STITT: I think you've said that. You  
13 just wanted us to hear it again.

14           MEMBER GRAHAM: Point of clarification.

15           CHAIRMAN STITT: Your question is has the NRC  
16 defined risk in that fashion. I think I saw it in something  
17 from '93. Does anybody -- can anybody confirm that or not?

18           MEMBER SWANSON: It's in these documents.

19           MEMBER GRAHAM: Well, the ACNP/SM document we  
20 received.

21           MEMBER SWANSON: No, it's in the NRC documents  
22 also.

23           CHAIRMAN STITT: I think I saw it in an NRC  
24 statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WILLIAMSON: It's a pretty standard  
2 definition --

3 MEMBER SWANSON: Does anyone in the staff know  
4 where that is?

5 MEMBER WILLIAMSON: -- working in this area,  
6 isn't it, Judy?

7 CHAIRMAN STITT: Yeah.

8 MEMBER WILLIAMSON: So I don't think we want to  
9 argue with the whole profession of factors analysts and so on.

10 CHAIRMAN STITT: No, and we don't want to be  
11 saying to the Commissioners, "This is your definition," if  
12 that, in fact, is not correct.

13 MEMBER WILLIAMSON: We don't have that  
14 competent --

15 CHAIRMAN STITT: One of my favorite definitions  
16 is even looser. It's variation around an expectation. That's  
17 kind of cool.

18 Are you ready yet, John?

19 MEMBER GRAHAM: No, I would just like staff to  
20 verify that because I want to know whether we're going in and  
21 simply affirming the NRC's stated definition of risk or that  
22 we are citing some other definition of risk put forward by  
23 some other group.

24 MR. CAMPER: We can get for you -- there is a  
25 Commission position on the use of probabilistic risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessment in its regulatory approach. I can certainly get  
2 for you the documents that seem to espouse the Commission's  
3 perspectives on risk and the use of risk in its regulatory  
4 schema. I can get that for you.

5 CHAIRMAN STITT: And I think that's where I've  
6 seen it. If you can, we don't want to look real stupid.

7 MEMBER GRAHAM: Yeah, ideally I'm looking for  
8 staff to find a one-sentence definition of risk.

9 MR. CAMPER: Now, in this context, one of the  
10 things that they do talk about in DSI-12 is that clearly the  
11 use of risk assessment in the materials world is certainly not  
12 as refined or used as much as it is on the reactor side of the  
13 house. I mean DSI-12 does make that point, and that even in  
14 these NUREGs, which are, you know, prepared by contractors for  
15 the agency, they do make that point, that the use of risk in  
16 the materials world is not nearly as refined.

17 CHAIRMAN STITT: Under the tab that's labeled  
18 "Misadministration and QM," quality management program and  
19 misadministration, Point 1, there is a Commission paper dated  
20 3/10/93 entitled "Frequency in Consequences (Risk) of  
21 Misadministrations." I think that's one of the places where I  
22 have seen it.

23 So they're tying those two statements together.

24 Larry?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. CAMPER: Let me toss out something for you to  
2 think about as you go through your deliberations. You know,  
3 where you are has been a long time coming and you have about  
4 an hour to make your points, and I think there's about a half  
5 hour discussion, and these things tend to move right along,  
6 and so it's my suggestion to you, having witnessed a lot of  
7 Commission briefings and having participated in quite a few,  
8 you know, what are the big points you want to make?

9           I mean, let me just toss a few things out on the  
10 table for you to think about.

11           For some time now, certainly I've heard this  
12 Committee talk a lot about, you know, the prevailing  
13 regulatory philosophy, and this is a question of the degree of  
14 performance orientation versus prescriptiveness, and it  
15 transcends into implementation. It affects licensing,  
16 inspection, and enforcement. So I suspect you have something  
17 that you want to convey to the Commission about the underlying  
18 regulatory philosophy that has been used or should be used.  
19 That's a big take-home point.

20           Government by yo-yo, we've talked about that.  
21 You know, we can refine Part 35 and make it, you know, as  
22 perfect as it could be, but if over time ten years from now we  
23 continue to do the yo-yo thing, we will probably find  
24 ourselves with once again an oppressive set of regulations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So this idea of the way in which the Commission  
2 chooses to react to even singular events, I mean, I think I've  
3 heard this Committee talk about that over time.

4           Clearly, the reaction to the SRM. I mean, I know  
5 the Commission is going to want to hear what your thoughts are  
6 about the SRM. You've got these Items 1 through 8. You can  
7 step through those in fairly short order, but I'm sure they  
8 want to know what this Committee thinks about the SRM and how  
9 the staff might go about taking that direction.

10           Medical policy statement. I mean, you've spent a  
11 fair amount of your time over the last two meetings talking  
12 about the medical policy statement. If you think the medical  
13 policy statement is problematic or could be improved, you  
14 probably ought to tell them that. That's a big deal because,  
15 again, everything that the Commission does on the medical side  
16 should flow from the medical policy statement. It is the  
17 underlying policy that the regulations are borne from and that  
18 inspection and licensing procedures flow from.

19           Risk and the appropriate level of regulatory  
20 presence for that risk. I think that you can get terribly  
21 bogged down in trying to describe risk. Risk is a very  
22 difficult thing to put into a small box, but it seems to me  
23 one of the things I'm hearing your committee saying is that,  
24 you know, there's relative risk in terms of all kinds of  
25 things or there's relative risk if we draw a narrow box in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terms of procedures that we do in medicine involving byproduct  
2 material.

3 Now, some of those functions are more higher risk  
4 activities, and perhaps they warrant a higher level of  
5 regulatory presence, but by the same token it's almost  
6 impossible not to look at risk in the broad spectrum.

7 So it seems to me that your point is two things.  
8 One is you should not look at medical use of ionizing  
9 radiation in a very narrow perspective. It should be borne  
10 out of all risk. Okay?

11 And training and experience. We haven't talked  
12 about that yet. I mean, how many times have you talked about  
13 training and experience over the years? What is the  
14 appropriate level of training and experience? What's the role  
15 of the authorized user today in 1997 and what should their  
16 level of training and experience be? What about training and  
17 experience requirements, if any, for other practitioners  
18 involved in the application and administration of radioactive  
19 materials?

20 So training and experience is a hot bud. We  
21 talked about it a lot. It seems to me like it's something  
22 worthy of thinking about.

23 Quality management rule and misadministrations.  
24 Now, your quality management rule you'll have an opportunity  
25 to react to the Commission's perspective as you address that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 particular item, but it seems to me that you've had some  
2 fairly strong feelings about the quality management rule.  
3 Certainly Dr. Wagner once again today said, "Look. I just  
4 don't see the efficacy for this. You haven't established it.  
5 It wasn't there to begin with, and you haven't shown it for  
6 four years."

7           So, I mean, you know, the QM rule is a big deal.  
8 Now, you can react to and you should react to what they're  
9 asking the staff to do. Okay? But you might want to say  
10 something about quality management rule. Should it be used as  
11 a rule? Should it not be used as a rule? Those types of  
12 things.

13           Misadministrations. The item tells the staff to  
14 change the nomenclature. That's the tip of the iceberg.  
15 That's the tip of the iceberg. I've heard you over the years  
16 say a lot of things about there's no other place in medicine  
17 where such events are required to be reported. These events  
18 seem to be treated in a punitive fashion.

19           It started off, if one goes back to 1980, as  
20 being a reporting of certain kinds of things, but over time  
21 it's had enforcement issues associated with it, you know,  
22 violations and so forth.

23           So it seems to me that misadministrations is  
24 something that you probably have some feelings about, and you  
25 want to at least give some philosophical perspective on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Emerging technologies and the flexibility of Part  
2 35 or the capacity to accommodate those emerging technologies  
3 in something that resembles a reasonable time frame. I mean  
4 just a few minutes ago you spent some time talking about the  
5 fact is we can't even get this Carbon-14 passed in some timely  
6 manner, and it's compromising American capitalism, and so  
7 forth, and it's not a safety consequence, and so I think I've  
8 heard the Committee over time talk about the flexibility and  
9 the capacity of Part 35 to address emerging technologies.

10           And then finally, it seems to me that if I were  
11 in your shoes, I would want to tell the Commission how the  
12 ACMUI process is working. You know, we spent some time in  
13 this meeting talking about further ways of enhancing  
14 communication. I think there are some positive things to say,  
15 and I think there might be some things that you still think  
16 warrant improvement.

17           How do you feel? What do you want to tell the  
18 Commission, if anything, about the ACMUI process, and in that  
19 context, what role do you want to play as we proceed to revise  
20 Part 35? Because clearly the Commission has said to the  
21 staff: use the ACMUI and professional societies and so forth.

22           So, anyway, those are just some big ticket items  
23 that come to my mind. Given that you have about an hour and  
24 given that as time marches on, you'll have, you know, quite a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit of opportunity to address specific adjustment so the rule  
2 language and regulatory guides and all of that.

3 So, anyway, just some thoughts to share with you,  
4 just some observations.

5 CHAIRMAN STITT: Okay. Comments on this list  
6 that we've been putting together?

7 MEMBER FLYNN: Yeah, I agree with Larry that  
8 we've been talking about these things all along, and I think  
9 if you think of this as let's say it's a 40 minute  
10 presentation, the first half could be the regulatory  
11 philosophy, which brings in the medical policy statement,  
12 which brings in their classical definition of risk and our  
13 feelings about that, and then in the second phase, on Items  
14 No. 1 through 8, which can include the quality management rule  
15 because we're discussing Part 35, which also would include  
16 emerging technologies because we're discussing the modules  
17 that will go with Part 35, and trending experience which can  
18 go in there also.

19 But I think when we get to -- there's one item  
20 that I'd like to focus on. I think we should distinguish  
21 their definition of risk as part of the first, in terms of the  
22 philosophical issues and the medical policy statement, their  
23 definition of risk, because it's in our new recommended  
24 definition of medical policy statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But when we get down to the medical process, I  
2 have to really assume that the Commissioners are asking our  
3 input for us to tell them as medical practitioners who deal  
4 with patients what we think is -- let's forget the word "risk"  
5 -- a procedure which, if gone wrong, can result in dire  
6 consequences to the patient, and forget about risk. Medical  
7 consequence.

8           And technetium is not, and HDR maybe is, and I  
9 think we should be able to define medical consequences of  
10 procedures and classify them in general ways that way.  
11 Outside this formal definition of risk, they're looking for  
12 medical input from medical people who take care of patients as  
13 to what we think our procedures with significant medical  
14 consequence if they go wrong, and we should tell. Then they  
15 have no one else who take care of patients to tell them that.

16           CHAIRMAN STITT: Well put.

17           Yes?

18           MEMBER WALKUP: There's a definition of risk in  
19 this NUREG that we have on page 9.

20           CHAIRMAN STITT: What's the binder tab thing on  
21 it?

22           MR. CAMPER: Six, two -- give them the number.

23           MEMBER WALKUP: Sixty-three, twenty-three.

24           CHAIRMAN STITT: Okay.

25           MEMBER WALKUP: It's on page 9.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: On page 9. Read it to us.

2 MEMBER WALKUP: "The definition of risk must be  
3 stated in operational terms. The ICRP discusses risk in  
4 Publication 60. Before the publication of this document, the  
5 ICRP had defined risk as a probability of a harmful effect,  
6 mainly terminal cancer or severe genetic effects. However,  
7 outside the field of radiation protection risk has several  
8 other meanings, such as a threat of an undesirable event,  
9 including the probability and character of the event," and so  
10 on.

11 CHAIRMAN STITT: Okay. I think that's saying  
12 probability and consequences.

13 MEMBER SWANSON: Consequence.

14 CHAIRMAN STITT: Yeah, Jeffrey.

15 Thank you, Theresa.

16 MEMBER WILLIAMSON: I think the third of the Big  
17 3 in Part 35 we've had a lot of criticism of is ALARA  
18 principle, the way it's treated. So I really think that  
19 should at least be mentioned.

20 The other thing that's very difficult to  
21 quantify, but the last briefing, I worked with Barry and kind  
22 of developed the outline, bare bones, of a sort of alternative  
23 regulatory paradigm that relied more on a certification  
24 process than an inspection and looking for specific violations  
25 and failures to put signatures down and so on. I don't know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whether that would be -- it's a possibility though if we could  
2 build some consensus around it.

3 Lou and I have talked, and I think maybe we're  
4 closer in our views on that topic than we were.

5 CHAIRMAN STITT: Okay. I think it would be  
6 difficult to get a long discussion going and a group consensus  
7 in this short period of time. That could well be something  
8 that the Committee wants to bring out and discuss in detail as  
9 we continue to work, and I believe Larry was saying that we  
10 should potentially consider a subcommittee of the ACMUI to  
11 work with the working group as this process continues.

12 MEMBER WILLIAMSON: We might just suggest it.  
13 You know, there may be some relatively radical departure from  
14 the regulatory paradigm they're now using, might be considered,  
15 and this would be an example.

16 CHAIRMAN STITT: Other comments?

17 I guess I'll have to take John's advice because  
18 it looks like we're going to be wrapping up by noon. Is that  
19 how the Committee consensus is?

20 MEMBER NELP: The example would be --

21 CHAIRMAN STITT: Well, then we'll do it just for  
22 you, Wil. Well, we started an hour ahead of the printed  
23 agenda.

24 So let's make another trip around the room for  
25 comments. Go ahead, John.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER GRAHAM:  If I'm hearing correctly, it  
2 sounds like the ACMUI is in agreement with the concept of risk  
3 that was stated by the -- what is this thing called? -- the  
4 International Commission on Radiological Protection in  
5 Publication 60, the product of the probability that an event  
6 occurs and some measure of the potential loss or consequences  
7 associated with that event.

8           I think that becomes a solid point of reference.  
9 I don't know that we're going to find that the NRC Commission  
10 ever passed that, but it's clear that the International  
11 Commission on Radiological Protection passed it, and they  
12 published it in that document.

13           So I would recommend that the start of a  
14 philosophical discussion, as Dan was saying, the introduction  
15 of this presentation, would be that the ACMUI supports the  
16 ICRP-60 concept of risk, quoting that thing.

17           I think I agree with Dennis.  I think we need to  
18 point out to the Commission that the history of risk from the  
19 medical use of isotopes has been very low.  It's the history.  
20 It's the actual reality that I keep hearing from Lou and  
21 Dennis and Jeff.

22           The history has been a result of the standards,  
23 policies, and procedures that have been voluntarily developed  
24 by medical practitioners and as a result of a portion of the  
25 regulations that have been established by the NRC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean, as a hospital administrator I will not  
2 sit here and say that every hospital would have built an  
3 interlocking system to prevent entry into an HDR room if it  
4 hadn't been right. There are administrators out there that  
5 wouldn't have been enlightened enough and they could have  
6 saved a few thousand bucks, and they would have left it out.

7 So I think it's important that we as a committee  
8 agree that there are regulations that have been on the books  
9 that have had benefit, and I'd like to pause there because I  
10 realize that statement may be a point of contention.

11 MEMBER SWANSON: No, I don't think so.

12 MEMBER GRAHAM: No, it's not?

13 CHAIRMAN STITT: I presume you have it written  
14 down so you can E-mail it to me?

15 MEMBER GRAHAM: Yeah, I do.

16 CHAIRMAN STITT: I also want to tell you I know  
17 we've discussed this. Is your HDR unit bolted to the door,  
18 the wall, et cetera, et cetera? There was a blurb in this  
19 morning's paper. Somebody hauled off a time machine from a  
20 bank. I don't remember which part of the country.

21 MEMBER GRAHAM: Oh, an ATM.

22 CHAIRMAN STITT: It wasn't bolted to anything,  
23 and he carted it off with \$5,000 in it. So I think I'd rather  
24 have that than an HDR source, but one never knows.

25 MEMBER GRAHAM: I agree.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN STITT: All right. Do you want to go  
2 ahead and make some more comments, John?

3 MEMBER GRAHAM: Well, I think that, sort of  
4 having worked through that background, that the ACMUI agrees  
5 with the Commission that the NRC should, one, continue the  
6 ongoing program with improvements, which is Option 2, and,  
7 two, decrease the oversight of low risk activities with  
8 continued emphasis in high risk activities, Option 3.

9 I think to the extent that we can concur with  
10 what they've written into the SRM, it's awfully hard for a  
11 Commission to argue with what they've already told their own  
12 staff to do, and I think we tend to agree with those two  
13 options.

14 MEMBER NELP: Tend to comply with that option.  
15 We've said that we didn't agree, but we are willing, certainly  
16 willing to comply.

17 MEMBER GRAHAM: Well, and in the E-mail we can  
18 debate --

19 MEMBER SWANSON: I think --

20 MEMBER GRAHAM: -- the nuances of verbs.

21 MEMBER SWANSON: I think you want to add in there  
22 to develop performance based regulations because actually the  
23 justification that these are low risk makes it justifiable to  
24 do performance based regulations.

25 MEMBER GRAHAM: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SWANSON: Okay.

2 MEMBER GRAHAM: I think Lou has an observation  
3 he'd like to make.

4 MEMBER NELP: I thought we were on this other  
5 table, John.

6 I did have a comment. I think we have a pretty  
7 big platter, and the things that Larry mentioned I thought  
8 were all relatively important, and I like Dan's point of view.  
9 Well, we're going to tell them one or two or three things, and  
10 we're going to group them, and I see that happening, and I  
11 think that's the most important thing we can do, say, "We have  
12 three things we want to tell you, and this is what they are,"  
13 and these will be part and parcel of those things.

14 CHAIRMAN STITT: Right. I need to have some  
15 comment from the group about training and education. Do we  
16 want to be bringing this up? If so, what do we want to say  
17 and where?

18 I also agree with your overall statement that we  
19 can't be fixing the world here. We want to be --

20 MEMBER NELP: I don't think that's very  
21 controversial at the moment, is it? I mean I don't want to --

22 CHAIRMAN STITT: A couple of shakes no.

23 MEMBER GRAHAM: I'd like to hear Lou's feedback  
24 on what I had said so far before we move on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WAGNER: Yeah, what my comment was going  
2 to be is the following. Most of the regulations that are  
3 written reflect common sense, and personally if you go through  
4 the regulations like Mr. Adler in the former IOM report, many  
5 of the regulations are just reflecting common sense.

6           A lot of times when these regulations become  
7 onerous, it is not the regulation. It's the enforcement of  
8 the regulation, and therein lies a lot of the difficulty.

9           I think this Committee can make all of the  
10 recommendations it wants regarding changes in regulation, but  
11 with that has to be reflected a change in enforcement, and I  
12 believe that the change in enforcement of regulations should  
13 be that they, too, must be performance based, and we must stop  
14 this attitude that if there is a violation, then even though  
15 you run this enormous organization and you have several minor  
16 violations, we're going to go make them public and advertise  
17 them to the world that you're a bad institution because you've  
18 got three violations.

19           And I read that in the newspaper not too long ago  
20 about violations at one institution, and we read it in front  
21 of our radiation safety committee, and the conclusion of the  
22 newspaper was that this was a serious problem at this facility  
23 because here is a history of violations at this facility, and  
24 when we looked at all of the violations, we said, "Well, my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 God, they're rather minor and actually they're running a  
2 damned good program."

3           This is the problem. We have to tie the idea  
4 that not only must there be a change in the regulation to a  
5 performance based regulation, but also to a performance based  
6 inspection so that the enforcement looks at the facility, and  
7 there may be several minor events, but then because they're  
8 minor, the score overall for this facility is very high, and  
9 they should not be issued violations or citations, but what  
10 they should be written is as a complimentary program saying  
11 you're running a great program. You have a few things that we  
12 have spotted as potential deficiencies, and you may want to  
13 address these in your radiation safety committee as to how to  
14 make them better or something.

15           Such a type of enforcement would go a long way in  
16 improving the relationship, and, God, we need improvement in  
17 the relationship between those who are regulated and the  
18 regulators. If you did that, the problem about the  
19 information flow on events and things of that nature would  
20 start to be alleviated and you'd learn more. You'd open up  
21 doors.

22           CHAIRMAN STITT: Nicely put.

23           MEMBER WILLIAMSON: Very good.

24           CHAIRMAN STITT: Dan?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER FLYNN: I'd ask Larry: with the various  
2 regions now, four regions now instead of five, but when there  
3 are so-called, quote, misadministrations, my understanding is  
4 they would come up to headquarters, and headquarters is  
5 involved in somehow advising or determining enforcement so  
6 that a region, let's say, Region II, doesn't react in a much  
7 more different manner than Region III, for example. There's  
8 some kind of balance or proportionality involved.

9           Are you looking at those issues in enforcement  
10 right now?

11           MR. CAMPER: Right. What happens is the regions  
12 have the capacity to make a call on misadministration, that  
13 it's clearly and obviously a misadministration. If there is  
14 any question whatsoever, they are directed to send them to  
15 headquarters under a technical assistance request for review.

16           It turns out that probably, oh, a very large  
17 percentage, probably as high as 80, 90 percent, actually are  
18 sent to headquarters under a technical assistance request. We  
19 review them as a staff. We make a determination as to whether  
20 or not there's a misadministration, and we coordinate it with  
21 the Office of General Counsel.

22           MEMBER FLYNN: The enforcement part, you're  
23 heavily involved in the enforcement part in terms of --

24           MR. CAMPER: Well, the enforcement aspect of it  
25 is, I mean, the regions are following the established

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enforcement procedures, and those are, certainly should be and  
2 I believe they are to varying degrees of success, conducted  
3 consistently throughout the four regions following the  
4 inspection or following the enforcement guidelines.

5 MS. HANEY: Let me add that if it does go into  
6 escalated enforcement, which would be severity level I, II or  
7 III, that our Office of Enforcement gets involved in the case,  
8 and the regions review it here with the headquarters office,  
9 and we have staff from IMNS that sit in on those enforcement  
10 conferences.

11 So between our office, the headquarters office of  
12 OE, there is some uniformity between the regions about how a  
13 misadministration is handled once it is determined it is a  
14 misadministration.

15 MR. CAMPER: Right, and we're only in an  
16 escalated enforcement space, as Cathy said, at severity level  
17 III or higher.

18 MEMBER FLYNN: I guess I always thought, getting  
19 back to that point, if there were medical people here, medical  
20 fellows or medical people here, that minor -- what might be  
21 minor incidents -- don't get blown out of proportion in terms  
22 of not so much fines, but in terms of how information is  
23 presented when it is in the Public Document Room or when it's  
24 released to the public. The way the information is presented  
25 might be important to the public.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Well, that's an interesting point.  
2 I mean, if you stop and you look at it, at severity level II  
3 and I, you are into events of consequence to the patient, and  
4 I think those are much more straightforward. I think the rub  
5 comes with regards to severity level III violations because  
6 what can happen in severity level III is the thing that Lou  
7 was getting at. I think this causes some people some  
8 problems.

9 You can have a misadministration that, on one  
10 hand, doesn't result in a violation at all or you might have a  
11 misadministration that does, in fact, result in escalated  
12 enforcement at the severity level III, again, setting aside  
13 the more extreme cases of Is and IIs.

14 And what happens sometimes is that it is an  
15 aggregation of violations to the severity level III that I  
16 think causes people some heartburn, and what happens is that  
17 usually occurs when there's a misadministration and we go in  
18 and we find multiple violations associated with the conduct of  
19 the quality management program, and the net result is  
20 following the enforcement procedures, it is aggregated into a  
21 severity level III, and then it becomes an escalated  
22 enforcement issue. It becomes published publicly, et cetera.

23 I think that's what causes the rub for some.

24 MEMBER FLYNN: And then the news media picks up  
25 on it and portrays it as multiple violations in a center with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a history of violations, and it can really be very damaging to  
2 a center if these are, in fact, a number of minor violations.  
3 I think it's the news media interpretation of what information  
4 is being made public.

5           MEMBER WAGNER: That was a very interesting thing  
6 we brought up in our committee because it was, I think, a  
7 Northeast institution and a large institution. It's a big  
8 problem for the institution to manage all of these things, and  
9 you go through a lot of expense and difficulty in really  
10 getting at minor issues when they can be handled in a much  
11 more efficient way. When good people are trying to do things  
12 and there are some minor problems, they don't shun them. They  
13 look at them and they say, "Okay. What can we do about this?"

14           And we're not trying to regulate the good people.  
15 We're trying to find -- the regulation is designed actually to  
16 try to make sure that we don't have bad people out there, and  
17 the bad people are those who are chronically doing the wrong  
18 thing, whether at minor levels or at major levels. They're  
19 sloppy at what they do, and they're bad, and that's what we  
20 really want to stop.

21           We want to prevent that because that's bad for  
22 people in general, but when you have good institutions that  
23 once in a while make minor mistakes or that have a few things  
24 that they just can't control absolutely to 100 percent all the  
25 time, but it's not hurting anybody; it's a minor thing, but it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 doesn't show a chronic problem, well, then they're a good  
2 institution. They're trying to do the right thing.

3 CHAIRMAN STITT: Unless there are other cogent  
4 comments to be made, Larry has got some things to discuss at  
5 the wrap-up.

6 MR. CAMPER: Right.

7 CHAIRMAN STITT: Anything else that people have  
8 to get out in front of us?

9 Jeffrey always has to have the last word.

10 MEMBER WILLIAMSON: Well, one last comment.  
11 We've talked in the past in this committee suggesting that the  
12 regulatory presence should be, you know, uniform for all  
13 sources of ionizing radiation, which in radiation oncology  
14 would include Lin. Accs., and nuclear medicine, I suppose,  
15 includes cyclotron produced things. Do we want to comment on  
16 that at all? Just something to think about. It's an  
17 extensive topic, but it does sort of follow from our  
18 previously adopted position that, you know, we should be  
19 thinking of a regulatory scheme that would work for  
20 everything.

21 CHAIRMAN STITT: Well, they know that they can do  
22 that. I think maybe we'll just let them sit with it.

23 Larry, do you want to go into the kind of  
24 finalizing things here?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Yeah. Okay. Let's talk about the  
2 briefing first. We certainly will need from you the slides  
3 which you want to make, the points you want to make. We'll  
4 turn them into the appropriate slides following, you know, the  
5 prescribed format and all of that for you.

6 Number two, you need to decide how you're going  
7 to handle the actual briefing itself. I mean obviously I'm  
8 assuming the chair would take the lead role there.

9 In the past what has happened is that all  
10 Committee members are invited to attend. They all do sit at  
11 the table. The chair normally obviously leads the way in the  
12 discussion. Sometimes the chair has asked other members of  
13 the Committee to make particular comments in an area that, you  
14 know, the chair feels that person is best suited to do. I'll  
15 leave that up to the chair, of course.

16 Again, and I think you're doing that, I would  
17 encourage you to make your points clearly crisp and global to  
18 the extent that, you know, in view of the fact that you have  
19 only an hour. I mean, if you get bogged down in a lot of  
20 detail, you'll miss the opportunity to make those key points  
21 you want to make.

22 You need to be thinking about -- okay. I think  
23 that's all on the briefing. Cathy, anything else you can  
24 think of?

25 MS. HANEY: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Okay. Let's talk about the revision  
2 of Part 35 and the working group and so forth. If we assume  
3 for a second --

4 CHAIRMAN STITT: Let me interrupt for a second  
5 because I had a question. You just talked about the formal  
6 part. We need to allow some time for questions and answers or  
7 --

8 MR. CAMPER: Yeah. What's going to happen is I  
9 believe you have an hour and a half. I would think that your  
10 presentation and so forth, you know, would run on the order  
11 of, you know, 45 minutes to an hour, and then the Commission  
12 would have about a half an hour to ask you all questions, and  
13 I'm sure there'll be a lot of questions from the Commission.

14 MEMBER BROWN: Do you know what time of day it  
15 is?

16 MR. CAMPER: I'm not sure. I'll find out.

17 MEMBER GRAHAM: Could we find that out because  
18 that affects me?

19 MR. CAMPER: I will find out. I think it's --

20 MEMBER GRAHAM: Before we leave?

21 MR. CAMPER: I want to say 10:30, but I'll find  
22 that out. We'll get that.

23 Can we get that answer quickly?

24 CHAIRMAN STITT: And as we put this together,  
25 Committee, we'll end up with a presentation which I may make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all of or part of, and I may well make assignments. One of  
2 the reasons to do that is because this is not a Committee of  
3 one, and you know, I'm just Robert up here with the rules of  
4 order, which I don't even know very well, and I think it does  
5 indicate that if part of the presentation is made by other  
6 individuals, it helps to illustrate that we work as a group.

7 But, again, that's not a free association time.  
8 It would be very prescribed in the manner that we'll put it  
9 together, and you can count on the fact that questions, if  
10 they're given to me and I want to turf them, will be turfed.  
11 So be on your best and dress appropriately.

12 Okay, Larry. Go ahead.

13 MEMBER BROWN: And don't drool.

14 CHAIRMAN STITT: Don't drool, right.

15 MR. CAMPER: That's right. Don't drool.

16 Okay. Other issues, non-briefing. We're going  
17 to be submitting the plan or the program to the Commission.  
18 We have that June date to do that. Our goal is actually to  
19 get it up in May, but we can't get it up obviously any later  
20 than the June date, and if for the sake of discussion we  
21 assume that the Commission will adopt the staff's plan or  
22 something like it, one of the things I think the Committee  
23 ought to be asking itself is: how might we best interface  
24 along the way and interface with the working group, in  
25 particular?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For example, you might consider establishing a  
2 subcommittee that would be in place to interface with either  
3 the staff or the working group as we move along because what's  
4 going to happen is, if you stop and you think about it, if we  
5 get that plan approved in June and the working group needs to  
6 get a proposed rule to the Commission the following June, it's  
7 going to start to get very busy very fast, and there will be a  
8 significant flurry of activity in the second half of the year  
9 and into the first quarter of next year.

10           So I think a mechanism for the Committee to  
11 interface along the way is probably in order. That's probably  
12 something to think about.

13           The participation or observation of public  
14 meetings that will take place with the working group. If we  
15 assume this model is approved, then what will happen is this  
16 working group will actually -- there will be facilitated  
17 public meetings with the working group, and I guess the  
18 Committee might ask its, the ACMUI might asking itself, you  
19 know, what is the role that we want to play in that process.  
20 For example, do you want to have members of the Committee  
21 observe and be able to report back to the Committee, for  
22 example?

23           I mean obviously the staff will be giving you  
24 status reports on these public workshops and so forth and so  
25 on along the way, but, again, I think it's just a question for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Committee to resolve in terms of a subcommittee or some  
2 interface in that regard.

3           And then the last thing I wanted to mention was  
4 really just a minor administrative point, and that is  
5 yesterday when I was going through the talk on the Committee  
6 process, one of the things that a couple of you noticed, and I  
7 had thought about that, too, was that your bylaws need to be  
8 adjusted.

9           So what I want to do is I will have the bylaws  
10 provided to you, and what I'd like for you to do in view of  
11 some of these changes we discussed yesterday is take a look at  
12 the bylaws and provide some comments on them because I think  
13 what we'll need to do is at the next meeting have an agenda  
14 item to reexamine and make some changes to the bylaws.

15           CHAIRMAN STITT: You're making gestures, John.

16           MEMBER GRAHAM: Well, just a point of  
17 clarification. Any member of the Committee or the NRC may  
18 propose an amendment. The proposed amendment will be  
19 distributed to the members by the chairman and scheduled for  
20 discussion at the next regular Committee meeting. I think  
21 that's what Larry's referring to because then it goes on to  
22 state in 5.3 that the final proposed amendment may be voted on  
23 not earlier than the first regular meeting after it has been  
24 discussed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we're looking at a year from now before we can  
2 modify these bylaws.

3           MEMBER NELP: They really don't constrain us in  
4 any way.

5           MEMBER GRAHAM: No. At least I'll forward some  
6 language to the federal officer in charge because I think  
7 they're just too restrictive right now. So we can't live up  
8 to our own bylaws.

9           MEMBER NELP: We've outlived our bylaws.

10          MR. CAMPER: So we'll start the process. That's  
11 it.

12          CHAIRMAN STITT: All right. That's all you have  
13 then.

14                   Any other comments?

15          MEMBER NELP: I move we adjourn.

16          CHAIRMAN STITT: Everybody wants to get to the  
17 airport. Nobody wants to comment.

18                   We have our work cut out for us. This is a  
19 unique opportunity.

20                   Dennis and Larry.

21          MEMBER SWANSON: You know, I don't know if it's  
22 worth -- this is obviously, the rewrite of Part 35, going to  
23 be an extremely complex problem. Okay? You know, we sat and  
24 discussed or attempted to discuss the various areas, and we'd

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just get started, and it would be time to go on to another  
2 area.

3 I think that, you know, getting back to the issue  
4 of how ACMUI interacts, it seems to me like each of these  
5 issues that you presented here needs to go through this type  
6 of process.

7 The other side of the coin, I don't think any of  
8 us have the amount of time, you know, to commit to that. I  
9 mean, it's probably worthy of a little bit of discussion right  
10 now.

11 CHAIRMAN STITT: Do you have some suggestions  
12 then?

13 MEMBER SWANSON: Well, do you see your working  
14 group as breaking out into various specific topics?

15 MR. CAMPER: Our working group?

16 MEMBER SWANSON: Yeah. Do you see your working  
17 group taking on just like the issues you presented to us,  
18 quality management rule?

19 MR. CAMPER: Yes. I think that the working group  
20 will divvy up amongst themselves certain subject areas to work  
21 on. I think that the working group will probably also ask the  
22 staff to provide certain information to it.

23 For example, I can envision that we might be  
24 asked to provide, you know, a white paper, if you will, on,  
25 you know -- I don't know -- misadministrations or, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 violations associated with QM rule or something. In other  
2 words, the working group as it goes about its work.

3           Ultimately under our thinking at this point, you  
4 know, the working group would actually ultimately create the  
5 proposed rule, and so I think that, yes, the working group  
6 will probably divvy up things amongst itself and will probably  
7 ask for certain staff support along the way to assist them.

8           In addition, of course, the working group during  
9 these public meetings that will be held, the working group  
10 will have laid at its doorsteps issues that are raised by the  
11 professional societies or the public, and those will need to  
12 be explored and worked on.

13           MEMBER SWANSON: Now, will this working group as  
14 you defined it yesterday -- would include members of the  
15 states?

16           MR. CAMPER: Right. The thinking has been that  
17 it would consist of members of agreement states, non-agreement  
18 states, and the NRC, and that there would be consultants that  
19 would be used also to interface with the working group to  
20 provide counsel and expertise.

21           MEMBER SWANSON: Should the consultants be  
22 members of this ACMUI?

23           MR. CAMPER: That's a possibility. We haven't  
24 gotten that far yet, but that is something we've talked about.  
25 That's a possibility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SWANSON: Is there going to be a need for  
2 more meetings of the ACMUI so as you develop a package on,  
3 let's say, quality management as a topic, we ought to have an  
4 ACMUI meeting where we just discussed that package? Okay? I  
5 mean it's too much to discuss all of this stuff from the one  
6 meeting.

7           MR. CAMPER: Yeah, I was wondering about that  
8 earlier, too. It's an interesting question because I can  
9 certainly see where the October meeting could be a very full  
10 agenda. You may need to have a two-day meeting, in fact,  
11 because at that point, you know, the working group might have  
12 begun to congeal some of its issues and have things it wants  
13 to get feedback from the Committee on.

14           Again, I think this is a question of, you know,  
15 should there be a subcommittee that would work with the staff  
16 and with the working group to process some of these issues.  
17 Then that subcommittee could report to the committee during  
18 its regular meeting.

19           The question of whether an additional meeting is  
20 required or not I don't have an answer as we speak. Obviously  
21 I'll need to let it mature a bit, but I can certainly see  
22 where that might happen, yes, but I think we'll have to kind  
23 of wait and see how things begin to materialize, but certainly  
24 you're going to have a very full agenda at the fall meeting.  
25 You're probably going to have the need for a subcommittee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There's probably going to be a need for that subcommittee to  
2 interface with the working group along the way, and there may  
3 be a need for an extra meeting, in fact.

4 I think Aubrey had something.

5 MEMBER SWANSON: Yeah, you know, I guess the only  
6 thing I was saying is, I mean, I have a real problem dealing  
7 with about five or six issues, and I think this Committee has  
8 a real problem dealing with five or six issues at once,  
9 especially considering the amount of discussion that's going  
10 to have to surround all of these issues.

11 MR. CAMPER: Well, for example, if one looks  
12 ahead in your April meeting of next year, for example, you're  
13 clearly going to be dealing with proposed rule language  
14 because by that time the working group will have some kind of  
15 draft of the proposed rule language. I think their time line  
16 is to get that up at the Commission next June. So in that  
17 springtime meeting you'll be spending a great deal of time  
18 looking at actual proposed rule language under consideration  
19 by the working group.

20 MEMBER SWANSON: Is it within the budget to bring  
21 this Committee together more frequently?

22 MR. CAMPER: Oh, yeah. Yeah, we can do that.

23 MEMBER SWANSON: So as specific components of  
24 this rule are developed, we can come here and discuss those  
25 specific components?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STITT: Or are there other ways to do it  
2 without having to physically get together? What's allowable?

3 MR. CAMPER: Well, I mean, you know, we have to  
4 be careful. Some of the public notification can be a big  
5 problem. I mean, we have had conference calls in the past.  
6 We do have a notification issue there.

7 I think, you know, there's many ways to  
8 communicate. The big thing you have to be careful about is  
9 FACA guidelines for public notification and awareness. That's  
10 the biggest problem. I mean it's the operational issue to  
11 overcome.

12 MEMBER SWANSON: If we did this as subcommittees,  
13 do we have to address the FACA guidelines?

14 MR. CAMPER: Yes, you do.

15 MR. GODWIN: Yes, absolutely.

16 CHAIRMAN STITT: But conference calls that you  
17 establish ahead of time on some sort of regular basis so you  
18 can meet those guidelines -- it's certainly one thing to spend  
19 dollars. It's another thing to spend a lot of time that's  
20 required, and I think we could probably have more meetings if  
21 we'd do conference calls.

22 You both have your mouths open.

23 MEMBER GRAHAM: I'm waiting.

24 CHAIRMAN STITT: Aubrey and then John.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. GODWIN: Having just come off of one of these  
2 work groups, anybody who gets on it had better be prepared for  
3 a lot of telephone calls and a lot of time. You typically  
4 meet either by telephone or in person every couple of weeks to  
5 every month. Like I said, you divvy these things up.

6           We had ours set up where we had conference calls.  
7 We've had the notice posted on the NRC bulletin board, and my  
8 office was an official place to receive public comments during  
9 the thing so people could come in and, you know, be a part of  
10 the actual circuit, and other people could be part of that,  
11 too.

12           It worked rather well. Initially we divided  
13 everything out into little chunks and assigned each person to  
14 deal with each regulation. Eventually everybody has to come  
15 back and become an expert in every one of them. It does take  
16 time. It takes you a while to get up to speed. It's really a  
17 tough issue, but it's fairly efficient at getting things  
18 studied in depth.

19           I would assume that this group, when it comes  
20 back to it, will want to go do an in-depth study, and that  
21 will take time, depending obviously on what all is in the  
22 final version.

23           CHAIRMAN STITT: Yeah, I strongly suggest we look  
24 at that mechanism because it's physically, emotionally and  
25 mentally tiring to come here and get everybody up to speed at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the same time, and this issue is so broad and there are so  
2 many subdivisions that I think we need that time and the  
3 repetition to get everybody as close to being together as  
4 possible.

5 MR. GODWIN: One small comment about it. Keep  
6 the calls less than three hours.

7 CHAIRMAN STITT: Absolutely.

8 John.

9 MEMBER GRAHAM: Well, in that context I would  
10 request that staff review with legal counsel of the NRC the  
11 extent to which we can become involved in electronic  
12 communication without violating the existing regulations.

13 MR. CAMPER: We will do that.

14 MEMBER GRAHAM: If three of us end up on E-mail  
15 together, are we a subcommittee? If five? At what point have  
16 we simply de facto moved the meeting into cyberspace? But we  
17 need to know that fairly quickly.

18 MEMBER NELP: Larry, is there any way you can  
19 circumvent the need for public notification legally? I mean  
20 we have a job to do, a working session, dah, dah, dah, dah?

21 MR. CAMPER: Well, we have to be very careful.  
22 There are clearly FACA guidelines dealing with public  
23 notification. I can't entertain the term "circumvent them."  
24 We have to be careful that we do everything consistently.

25 MEMBER NELP: Well, this meeting can be extended.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: No, I understand.

2 MEMBER NEMP: Which if we tell people here this  
3 meeting is going to continue next week, and if you want to  
4 show up, we'll finish the meeting then, et cetera.

5 MR. CAMPER: No, I understand. What we will do  
6 is we will meet with the folks in OGC who are our FACA gurus.  
7 We will carefully explore -- say that four times -- we have to  
8 be -- we will carefully explore the issue of electronic  
9 communication and what those guidelines are. We will also  
10 carefully explore what we must do and how much flexibility do  
11 we have with regards to notification versus workability.

12 We will definitely get clarification on those two  
13 points, and we will get back to you with that information.

14 CHAIRMAN STITT: John.

15 MEMBER GRAHAM: Specifically you may want to  
16 discuss with them whether the NRC can set up an Internet  
17 bulletin board to which we would then post E-mail, which is  
18 open to public access so that it is just that, public.

19 MR. CAMPER: Well, one of the things we are doing  
20 --

21 MEMBER GRAHAM: Because otherwise I'm already  
22 struggling with who do I send -- I'm going to E-mail this to  
23 the chairperson, but how does she assure that it gets to  
24 everybody else.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Right. We'll get answers to those  
2 questions.

3 MEMBER GRAHAM: Okay.

4 MR. CAMPER: One of the things we are doing is we  
5 are going to be using the Web site in the Office of Research,  
6 which they have, and we're going to create a Part 35 Web site  
7 that will be open for public access and review.

8 But I understand all of those administrative  
9 issues, and we'll get a handle on those in the very near  
10 future.

11 CHAIRMAN STITT: The meeting with the  
12 Commissioners is at nine o'clock, from nine to 10:30 on the  
13 8th.

14 MEMBER SWANSON: Whatever communication mechanism  
15 we use, I think it's important that it has this type of  
16 interaction because I can tell you I come to this meeting with  
17 certain ideas and perceptions as to how things are to go, and  
18 the interaction changes it because of good comments. You  
19 know, this is an excellent format to develop regulations in.

20 I'm just trying to figure out how you do that,  
21 okay, and still recognize our time constraints.

22 CHAIRMAN STITT: I think conference calling on a  
23 regular basis, just set it up as an agenda for whatever time,  
24 a several month period of time, and it really works. You do  
25 need to make sure you have a head phone so that you can stand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 up to three hours on it, and it also has a mute button so that  
2 when you're talking to the dog or flushing the toilet, it  
3 doesn't -- oh, that's on the record.

4 (Laughter.)

5 CHAIRMAN STITT: I have a conference every  
6 Tuesday night for two hours. So I know these things.

7 Are we ready to finish this meeting?

8 MEMBER NELP: I move we adjourn. I move we  
9 adjourn, Madame Chairman.

10 CHAIRMAN STITT: Second?

11 MEMBER WAGNER: Second.

12 MR. CAMPER: The meeting is closed.

13 CHAIRMAN STITT: Thank you.

14 (Whereupon, at 12:25 p.m., the Advisory Committee  
15 meeting in the above-entitled matter was closed.)

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11