

UNITED STATES OF AMERICA
FEDERAL COMMUNICATIONS COMMISSION

NATIONAL BROADBAND PLAN WORKSHOP
DEPLOYMENT - WIRED

Washington, D.C.

Wednesday, August 12, 2009

ANDERSON COURT REPORTING
706 Duke Street, Suite 100
Alexandria, VA 22314
Phone (703) 519-7180 Fax (703) 519-7190

1 PARTICIPANTS:

2 ROB CURTIS
Moderator, FCC Broadband Team

3 DAVID ARMENTROUT
4 President and Chief Operating Officer,
FiberNet

5 DALLAS S. CLEMENT
6 Executive Vice President and Chief Strategy
and Product Officer, Cox Communications

7 ANTHONY J. "TONY" DiMASO
8 Vice President, Corporate Strategy and
Development Verizon Communications

9 MONISHA MERCHANT
10 Director, Product Management Level 3
Communications

11 CRAIG E. MOFFETT
12 Vice President and Senior Analyst, U.S.
Telecommunications, Cable and Satellite
13 Sanford Bernstein

14 HUNTER NEWBY
Chief Executive Officer, Allied Fiber

15 MARCUS WELDON
16 Chief Technical Officer Wireline Networks
Product Division Alcatel-Lucent

17

18

19 * * * * *

20

21

22

1 P R O C E E D I N G S

2 (9:30 a.m.)

3 MR. CURTIS: Thanks everybody for
4 coming. I wanted to say a little bit about how
5 this is going to go off this morning and then,
6 we'll get to introductions of the panelists. And
7 thank you guys in advance so much for coming. I
8 know it's a large commitment of time. Hope it's
9 productive for everybody here, actually.

10 Just a couple ground rules. If
11 everybody could turn off or mute your cell phones.
12 It causes feedback through the audio/web system.
13 There will be a little bit about the way it's
14 going to go.

15 I think everybody's got three minutes to
16 do a quick, you know, overview on, you know,
17 agenda, questions we've discussed, say a little
18 bit about your background in, you know -- who you
19 are, what you do in that period of time.

20 I'm not going to take the time to go
21 through and introduce you individually.

22 There will then -- you know, we'd like

1 to have a pretty lively discussion from the staff
2 folks on the panel as well as you all. It will be
3 back and forth, questions, follow-up, pretty open
4 dialogue. That's where we'd like to get.

5 There will also be two sorts of inbound
6 questions. One from note cards from the audience,
7 which I think are being passed around or you got
8 when you came in. And there will also be
9 questions coming in off the web, which we'll sort
10 through and interject at the appropriate time.

11 There will be a timer on your opening.
12 It will be, you know, adhered to pretty strictly.
13 You know, the -- you'll see up there, there's red,
14 yellow, green. Yellow will come on at two, red
15 will go off at three. Please, please hold it to
16 three. We got a lot we want to talk about.

17 So, why don't we get going? Dave, you
18 want to kick us off?

19 MR. ARMENTROUT: Yes. Good morning. I
20 want to first thank everyone for the opportunity
21 to be here today to represent FiberNet.

22 My name's David Armentrout. I'm the

1 president of FiberNet. We are a CLEC that began
2 in 1999. Our central office is in Charleston,
3 West Virginia, so, we're in one of the most
4 demographically challenged rural markets in
5 America today. And we have approximately 35,000
6 subscribers, a mix of residential and business
7 customers.

8 We have a little bit of uniqueness about
9 us. We have about 3,000 route miles of fiber.
10 So, we've spent 10 years building quite a bit of
11 fiber throughout the state. Our perspective in
12 the early days was, obviously, bandwidth is going
13 to be a requirement in the future. So, we tried
14 to lay a foundation that would support the next 10
15 to 20 years.

16 Couple of things that I would like to
17 address to the FCC today to bring to their
18 attention from our perspective and from our
19 market. One of the things in -- since we've done
20 quite a bit of fiber build-out is we would like to
21 see some attention to the improved pole attachment
22 and make ready process.

1 Over the years, it's been our experience
2 that we can be anywhere from a 45-day interval to
3 19 months. Makes it very difficult in a
4 competitive market to meet customer needs and
5 demands based on timelines and intervals. Also,
6 over the last four years or so, we've seen an
7 increasing cost in make ready. For an example,
8 years -- 4, 5 years ago, it would cost 3- to \$500
9 for one pole replacement. Today, that's around
10 \$3,500. So, we've seen a significant cost
11 increase.

12 The second thing I think that we would
13 like for the FCC to consider would be the
14 colocation access to ILEC remote terminals.
15 Today, we do provide a variety of voice and data
16 services to consumers, both residential and
17 business, anywhere from 512K up to 10 gigabit. We
18 do provide a 100 megabit per subscriber for
19 business -- or for businesses, but we would like
20 to see more access to the RT terminals.

21 Then we would like to look at the
22 continued access to clean copper for ADSL, HDSL,

1 and copper -- Ethernet over copper. Clean access
2 -- clean copper will provide the ability for
3 companies like us to provide broadband to rural
4 America.

5 And then finally, access to last-mile
6 loop facilities that are purchased either via
7 Section 251 unbundled network element or special
8 access. We need these loops, so -- I'm out of
9 time.

10 MR. CURTIS: Great. Right on the nose.
11 Thanks. Dallas.

12 MR. CLEMENT: Sure, thank you, also.
13 Thanks. My name is Dallas Clement, and thank you
14 for having myself and Cox Communications
15 participate in this.

16 I've been at Cox for about 19, 20 years:
17 First 10 years in finance, FPNA, investor
18 relations, MNA, et cetera; and then the last 9
19 years in strategy and product management.

20 Cox Communications covers about 10
21 percent of the homes in the United States, and
22 over the last 13-plus years we've spent nearly \$16

1 billion building platform infrastructure to offer
2 digital video services, digital voice services,
3 high speed Internet, or broadband services to both
4 the residential and commercial markets. We're
5 very proud of the success we've had, in particular
6 in broadband, and the various awards that we've
7 won from JD Powers, PC Magazine, et cetera.

8 If you narrow down onto broadband, we
9 have about 9.3 million homes. We -- our network
10 passes north of 99.5 percent of those homes,
11 offering our full set of services, focusing on who
12 takes those. It's a competitive market and
13 between ourselves, DSL, wireless broadband, FiOS,
14 our research would indicate just shy of 70 percent
15 of homes in our footprint take the service.

16 Our research would indicate of those
17 homes that don't take the service, the 30 percent
18 that don't take it, 2/3 don't have a PC. And if
19 you narrow down on the people that don't have a
20 PC, 50 percent of homes that have income less than
21 \$20,000 don't have a PC. About 25 percent of
22 homes less than 49-, \$50,000 don't have a PC.

1 So, at least within our franchises, and
2 we cover most all the homes in our franchises, the
3 way to drive broadband will be to get more PCs in
4 those demographics and in those homes. And that
5 would be, at least from our perspective, how to
6 focus on broadband.

7 And that's my comments. I'll give you
8 some time back.

9 MR. CURTIS: Super, thanks. Anthony.

10 MR. DiMASO: Okay. Hi. I'm Tony DiMaso
11 with Verizon. I have responsibility for our
12 corporate strategy and development organization
13 across the company. Prior background in AT&T and
14 NEC, so a career primarily in the enterprise and
15 small business space.

16 And so just talk a little bit about
17 broadband. That is one of the cornerstone service
18 offerings of the company, so we do appreciate the
19 opportunity to speak on it today.

20 We've spent about \$80 billion in capital
21 since 2004 building out FiOS, fiber to the
22 premises technology, and our DSL-based high-speed

1 Internet access. And we feel pretty good about
2 that. We've had a lot of success with our fiber
3 to the premises offering. Our target is to get
4 that to pass about 18 million homes within the
5 next couple of years, and that's about a \$23
6 billion capital effort. So, the significant
7 amount of money there.

8 I think that our view of the fiber optic
9 technology is not just to have it as a platform
10 for traditional services, as the Triple Play is
11 today, but also to go beyond that, to be really
12 the platform for the next generation for services
13 and home health care and energy management,
14 security services, things of that nature. So, we
15 believe the platform is really being built for
16 that next generation of services in addition to
17 serving what's there today.

18 We have a lot of focus on the residences
19 in our area, so we're going to fulfill that.
20 We're on track to complete that program for 18
21 million homes and that will cover about 70 percent
22 of our wireline footprint when we're done there.

1 Our overall broadband coverage today between DSL
2 and fiber optics is just north of 80 percent. And
3 so we're going to get fairly close to 90, we
4 think, by the time we're done with this build.

5 So, clearly we're focused on ensuring
6 that the economics of fiber deployments continue
7 to come down, that we can continue to upgrade the
8 speeds of DSL. We've made about 7.1 megabit
9 service available to about 10 million homes and
10 small businesses. And our goal would be,
11 obviously, to keep driving down the scale costs of
12 deploying the fiber optics so we can push it
13 further and further out.

14 And would be remiss for not saying also
15 that the wireless deployment for LTE in the next
16 generation may be a tool for us to look at
17 collectively, the FCC as well as the carrier
18 community in deploying broadband access for
19 residences and small businesses.

20 So, Rob, thanks very much.

21 MR. CURTIS: Okay. Thanks, Tony.

22 Craig.

1 MR. MOFFETT: Good morning. And thanks
2 to Blair and everybody else for inviting me this
3 morning.

4 My name's Craig Moffett of Sanford
5 Bernstein. This is my 20th year in the telecom
6 business, most of it spent at Boston Consulting
7 Group as the head of their telecommunications
8 practice through much of the '90s. And now I'm at
9 Sanford Bernstein providing equity research. So
10 I'm in sort of the unique catbird seat of I don't
11 have a particular horse in this race. I just get
12 to observe and comment and try to make
13 observations about the economics.

14 I am, I think -- the point I try to make
15 in these forums most adamantly is that you have to
16 think about the return on invested capital for the
17 players. Because at the end of the day, unless
18 they are earning an acceptable return on capital,
19 then what we're doing as a country is not viable.

20 And just a couple of observations. The
21 returns on capital of the cable operators today
22 are not very good. The returns on the capital of

1 the telecom operators are not very good. The
2 returns on capital on the broadband deployments,
3 even in the dense markets, are truly awful. And
4 so, there is a real problem in terms of earning
5 acceptable return.

6 And a couple of threshold observations
7 that I would just make as we enter this debate and
8 think about how we noodle through this problem as
9 a country. One is the cost of broadband is
10 clearly inextricably tied to the cross subsidies
11 that exist in the existing wireline
12 infrastructure.

13 And I'm stating the obvious when I say
14 that the wireline business is in real trouble,
15 that the underlying costs that are borne by the
16 telecommunications -- or for the
17 telecommunications network that are borne,
18 traditionally, by wired voice are being
19 reallocated because the wired voice business is
20 going away quite rapidly. That's a real problem.

21 Second, our work suggests that wireless,
22 while it can certainly compete with terrestrial

1 broadband for speeds, has a real hard time
2 competing with terrestrial broadband for
3 throughput. That is, speed times duration times
4 session frequency. And so there are -- the
5 economics of wireless don't look like they are a
6 fully viable substitute.

7 And then third, the economics of
8 multiple competing networks are particularly
9 problematic. You know, I do often ask the
10 rhetorical question: When did we decide that it
11 was a good idea to build two pipes into every home
12 and then only use one of the two of them? And did
13 we not expect that that was going to strand a
14 significant amount of excess cost? And, in fact,
15 the evidence suggests that in multiple competing
16 networks, unless you believe that the first
17 network on its own would be earning such
18 egregiously high returns that it leaves room for
19 another, it creates a real problem.

20 The last remark I would make is just to
21 underscore the point that Dallas made a moment
22 ago. And that is that the uncovered part of the

1 country, which is perhaps about 8 or 9 percent of
2 the country, is a much, much smaller percentage of
3 the part of the country that is covered, but
4 doesn't use broadband service because of access to
5 whether it is computers or the Internet or simply
6 economic issues. But that is a three or four
7 times larger problem.

8 MR. CURTIS: Great, thanks very much,
9 Craig. Hunter.

10 MR. NEWBY: Thank you, Rob. Thanks,
11 Marcus, everyone at the FCC. Special thanks to
12 Michael Priard, Nance Levin, and all of you for
13 coming.

14 My name is Hunter Newby. I'm the CEO of
15 a company called Allied Fiber, which I started
16 about a year ago. Before I tell you what we're
17 doing, I'd like to tell you what I've done in the
18 past. I was one of the founding members, chief
19 strategy officer, and a director of a company
20 called Telx. We started this company in the late
21 '90s on the heels of the Telecom Act of '96.

22 Originally, we were a 214, but we

1 transitioned our business into that of physical
2 layer interconnection. We started the business at
3 60 Hudson Street in New York City. I'm not sure
4 if anybody knows what that building is, but it's
5 referred to as a carrier hotel and it's a very
6 important property in the grand scheme of things
7 in the United States and the world.

8 There are probably eight buildings in
9 this country that matter. In 2004, Telx acquired
10 56 Marietta Street, which is the main carrier
11 hotel in Atlanta.

12 There are fiber routes throughout the
13 United States that all go through these buildings.
14 They are all tied to the sub-sea cables connect
15 the continents and the world.

16 We built this business from nothing. It
17 was a concept. And we brought into our facility,
18 essentially an empty room, by the time we sold the
19 business and exited, over 450 different networks,
20 which include all the major networks in the United
21 States, most of the internationals, a lot of the
22 small rural guys and cable companies, and anybody

1 that could make their way to us.

2 And if you could get to our facility,
3 you could access anything you wanted, at any
4 price. We refer to that as carrier neutrality.
5 And we've been doing that without any imposition
6 from the FCC or anyone else for over a decade.
7 So, it's interesting to see the rules that have
8 come out regarding the broadband stimulus with
9 certain respect to open access and
10 non-discriminatory interconnection, which is
11 something that we've governed ourselves by for
12 years.

13 We see that this issue exists in the
14 last mile. So Allied Fiber, which is my current
15 company, is working with Norfolk Southern Railroad
16 to build new fiber throughout the United States.
17 We're building a long haul system in conjunction
18 with, in our three ducts, a second duct for middle
19 mile, intermediate access. That duct is meant to
20 be cut every 3,500 feet for a handhold for lateral
21 access to wireless towers, data centers,
22 libraries, schools, whatever.

1 By giving people access to fiber, to an
2 intermediate regeneration point on a 60-mile
3 basis, they can get access to long haul fiber and
4 get back to those carrier hotels. And they could
5 be free, and that will enable wireless speeds,
6 sessions, durations, use of broadband. That will
7 actually enable service providers to go out into
8 the field and create a business based upon
9 underlying cost structures that they can live with
10 because they'll be able to own their own fiber.

11 Thank you.

12 MR. CURTIS: Great. Thanks very much.
13 Marcus.

14 MR. WELDON: Hi, I'm Marcus Weldon. I'm
15 the CTO of the Wireline Networks Product Division,
16 Alcatel-Lucent. You probably have no idea what
17 Wireline Networks Product Division is, so it's the
18 part that makes DSL and fiber equipment as well as
19 home networking, which I'll touch on as well.

20 So, Alcatel-Lucent is a company, of
21 course, is a large telecom equipment manufacturer
22 both in the wireless and the wireline space. Also

1 has a services business and an applications
2 business. I'll just talk about the wireline piece
3 and, frankly, the access piece of which I'm the
4 chief technology officer.

5 So, we have more than, I think, 200
6 customers through our global operators for our
7 access-type equipment: The DSL and PON equipment.
8 So, we are very experienced in the access space
9 across the globe: Asia, Pac, and North America
10 and in Europe. And, in fact, I've been spending
11 quite a bit of my time talking to the European
12 regulators and Australian regulators, in fact. So
13 I will try and bring some of that perspective to
14 my comments here.

15 One of the things that seems consistent
16 across those different regulatory bodies,
17 including in North America with the FCC, is
18 actually the idea that the best form of
19 competition occurs at the lowest layer in the
20 network. If I think about what Ofcom even says --
21 and they are clearly an advocate for some kind of
22 open access -- they are only an advocate for that

1 when competition at the lowest layer has failed.

2 In other words, infrastructure or
3 facilities-based competition is the common thread
4 in most regulatory bodies. And the other forms of
5 access higher up the hierarchy are only advocated
6 when competition at the facilities layer or
7 infrastructure layer is not possible.

8 So, I think actually that somewhat
9 applies in North America. There's a very strong
10 competitive infrastructure or facilities-based
11 competition in North America, and that should
12 continue. And that's certainly Alcatel-Lucent's
13 position is that between the cable MSOs and the
14 telcos and satellite providers and wireless 3G
15 services providers, that sort of competition is
16 healthy and should continue and serves a large
17 part of the addressable market.

18 It certainly serves the market-driven
19 part of the market, which is where, essentially,
20 there's a lot of reasonable return of investment.
21 It serves the risk-driven part of the market,
22 which is where there's an opportunity to make a

1 reasonable business case, but the market is a
2 little more challenging.

3 The place where a little more regulatory
4 or public funding -- public sector funding is
5 required is in what the EC or EU calls the white
6 areas or the policy-driven areas, which are those
7 underserved areas or areas where -- which are
8 rural. And there we do see that a combination of
9 some private sector funding and public sector
10 funding is appropriate. And to combine with that,
11 I would like to touch on the fact that the PC --
12 in a rollout of PCs into these underserved areas
13 as well as help setting up the home network, which
14 is the other part of that connectivity is an
15 important point.

16 MR. CURTIS: Great --

17 MR. WELDON: Okay?

18 MR. CURTIS: Thank you. Let's kick off
19 a little bit of an open-ended discussion. Let's
20 start with back haul.

21 And I think -- I'd just like to, in the
22 scheme of things, start with David.

1 Lot's of comments have been made about
2 the availability, not availability of relatively
3 inexpensive back haul when you go build out on the
4 edge. What's your point of view on that? Is that
5 deterring/encouraging entry for you?

6 MR. ARMENTROUT: Well, it's an
7 encouraging entry. I mean, we have -- just in our
8 market we have over 350,000 miles of fiber strand
9 miles. So when we build 3,000 route miles of
10 fiber, we build large fiber counts.

11 So in our markets today, there is
12 sufficient back haul fiber available. As many of
13 you are well aware, technology today, you just
14 change the blade on the fiber to increase the
15 bandwidth. We have 40-10 gig circuits lit today.

16 So, one of the things that I'm concerned
17 with is, with the issues of building last --
18 middle mile network, you have the pole attachment
19 process, the make ready. You have H poles that
20 creates, you know, other problems. But I think
21 the biggest thing is with the rust finding and
22 some other things that we see out there today.

1 We're -- it looks like a lot of folks will be
2 going after middle mile build-out, which is just a
3 parallel or an overbuild to existing network. And
4 I think the money could be better spent for last
5 mile.

6 MR. CURTIS: I just -- part -- to
7 Craig's point, right? It becomes difficult to get
8 a return on that capital when you've got, you
9 know, multiple runs on these routes, you know?

10 What's your take on this, Hunter? Is
11 back haul a problem?

12 MR. NEWBY: Yes, clearly it is. It
13 depends on where you're sitting out there in the
14 middle of America. But, you know, as Craig
15 pointed out regarding wireless, a lot of that
16 can't be supported unless there's fiber to the
17 tower.

18 There is less than 10 percent of the
19 towers in the U.S. have fiber. And there is no
20 plan -- it's all, you know, one-off build
21 assessments off of maybe a metro or regional ring,
22 but there's no national plan for that

1 architecture. And also, in regards to RLECs and
2 cable companies and others, regional carriers,
3 they have pockets where they have fiber. But then
4 everything in between, there's nothing.

5 So you can't develop there. And they
6 even have a hard time connecting to themselves
7 without gaining access to, you know, incumbent
8 special services, which cost a lot of money
9 because, in many cases, they're the only thing
10 that's there. And in some instances, if you're
11 referring to wavelengths and DWDM, which is the
12 most efficient way to carry transport overlaid,
13 sometimes incumbent facilities aren't available at
14 those speeds.

15 So, there's a whole different cost
16 structure as it relates to if you want to call it
17 back haul or middle mile. Very difficult to make
18 the case in certain spots. Again, a national plan
19 is required to make that effective.

20 MR. CURTIS: Craig, do you have a point
21 of view on what's required to stimulate, you know,
22 cell sites? We've heard the same thing other

1 places. Clearly difficult to build fiber, you
2 know, dig the trench, lay the cable for a cell
3 site, unless you project very high volumes. How
4 do you think -- how does anybody think about that
5 in terms of, you know, the plan that would be
6 required to get a decent return on that particular
7 kind of investment?

8 MR. MOFFETT: Well, as far as we can
9 tell, the carriers themselves -- at least
10 particularly when you're talking in region. So,
11 if you think about AT&T and Verizon as at least
12 the first two aggressively -- we'll come to
13 Clearwire in a second -- aggressively deploying 4G
14 networks, the 4G plan obviously carries with it an
15 expectation of providing more than T1s in and out
16 of the towers. And, undoubtedly, that will come
17 first in region because the extensions from the
18 existing terrestrial plant are the most
19 cost-effective there.

20 To the point that I'm not even sure --
21 and you can correct me if I'm wrong -- but I'm not
22 even sure that they -- that at this point it makes

1 sense to sit and do a cost benefit analysis for --
2 on an individual tower as you're planning LTE as
3 to whether or not you bring fiber. It's a
4 foregone conclusion you're going to have to bring
5 fiber.

6 And it's a question of due to the pace
7 at which you do it. The bigger question becomes
8 not just for -- as you get outside of -- let's
9 think about it for Verizon, out of region, and
10 then for AT&T out of region, and then collectively
11 for everybody else everywhere. How do you think
12 about the special access conditions associated
13 with back haul to and from hotel towers and --
14 that's a much knottier problem. I think that's
15 perhaps slightly outside of the purview of this
16 panel, which as I understand it is a little more
17 focused on the last mile. But it's -- then
18 special access. But --

19 MR. CURTIS: That's a can of worms I
20 think I'm perfectly happy to open up. You know, I
21 think to the extent that second mile is a clog on
22 the deployment of last mile, that's something, you

1 know, we're quite interested to talk about.

2 MR. MOFFETT: Well, I would just leave a
3 parting comment that I guess, to some extent, the
4 question about tower back haul, at least hinges on
5 whether or not you believe wireless is a
6 substitute or an addition to the terrestrial
7 broadband network.

8 And, you know, if you think about the
9 physics of wireless networks, you know, it's a
10 pretty well understood set of physics, right? And
11 what I think -- we've done a disservice by
12 focusing excessively on the speed that you can get
13 out of a wireless network and not enough about the
14 throughput you can get from a wireless network.

15 And that if you think about throughput,
16 that is the speed of the connection, but then
17 multiplied by the session duration and the session
18 frequency, you can't support this anything like
19 the kind of oversubscription levels in a wireless
20 broadband network that you have today in a wired
21 voice network. And therefore, you need a
22 radically smaller radii anyway in order to support

1 a large number of simultaneous users and the cost
2 structure of the network would expand
3 exponentially.

4 At least for the foreseeable future,
5 that means that for very high bandwidth
6 applications, you're likely to see usage caps on
7 wireless networks that -- because you simply can't
8 charge enough to make it economically attractive.
9 So instead, you'll try to manage the other side of
10 the equation, which is try to limit the usage on
11 wireless networks when you're coming -- when you
12 come to very high bandwidth applications.

13 And therefore, I think, realistically,
14 we're looking at a period in front of us where the
15 wired network is going to be the real workhorse
16 rather than the wireless network for broadband.

17 MR. CURTIS: So I realize this is the
18 wired panel and we're having a wireless very soon.
19 But it invites the question: Does your view
20 change if, you know, considerably more spectrum
21 was thrown at the equation?

22 MR. MOFFETT: Well, spectrum's part of

1 the problem. Yes. I mean, if -- spectrum's part
2 of the problem.

3 You still have -- and Clearwire, they're
4 -- because of it's enormous spectrum depth,
5 therefore, it has an interesting position in all
6 of this. But it has to be the right spectrum and
7 it has to be adjacent and it's not sort of the --
8 sort of you throw spectrum at the problem and that
9 solves it.

10 MR. CURTIS: Clearly, yes. Got it.

11 MR. NEWBY: It doesn't take away from
12 the fact that you still need the fiber. But, you
13 see, if you start at the physical layer and the
14 way we look at it, it's the OSI model and you have
15 to go down to one, like what Marcus said, it's got
16 to make sense there or nothing else in the stack
17 makes sense.

18 Our plan is to build a long haul fiber
19 cable, very high count -- a 432 minimum, could be
20 an 864 -- with the second duct having buffer tube
21 cables that can pull off of a 216 -- 12s or 24s at
22 the base of towers.

1 And we believe that it's the combination
2 of fiber and microwave, which for back haul from
3 towers that don't have fiber can cover a much
4 larger swath of the country along this right of
5 way. I mean, the railroad itself has over 4,000
6 towers on the right of way, none of which have
7 fiber today. We're combining the duct, the
8 towers, and the colos -- three separate, very
9 successful businesses in the communications field
10 combined in one. And that's where you start.

11 Now, our model is replicable and
12 scalable. I mean, FiberNet could do it in West
13 Virginia on their loops. And other regional metro
14 networks could do exactly what we're doing and tie
15 into us and we'll be the loop around the country.
16 And then from there, you could begin to solve
17 problems. But it is without a doubt a marriage
18 between the two technologies.

19 You can't get -- first of all, mobility.
20 That's it. You just say the word and then, you
21 know, wireless has to play a role. But then how
22 do you aggregate the LTE from a tower that doesn't

1 have glass? Like Craig said, it won't work.

2 MR. ARMENTROUT: And a concern that I
3 have is, from the wireline perspective, obviously
4 more and more of the towers will require fiber
5 back haul. Well, that back haul is going to be
6 going over the wireline pole infrastructure today.
7 And the concern that I have is that if we launch
8 too much wireless because it is speed to market --
9 put an antenna up, you know, advertise, and you're
10 selling -- the problem that creates is, it
11 requires a certain amount of dollars annually to
12 keep the wireline plan healthy. But if you lose
13 25 or 35 percent of the revenue to wireless, now
14 the pole owners and everybody on the poles are
15 upside down. And that's the concern that I have.

16 MR. CURTIS: Yes. Dallas, you want to
17 jump in.

18 MR. CLEMENT: Yes, I'll maybe be a
19 little contrarian here for a second.

20 So when I think back haul, I think
21 middle mile, which we talked about. I think back
22 bone, back bone through the -- in sort of the

1 dot-com explosion in the late '90s, 2000, a lot of
2 national fiber was built. And since then, the
3 technology -- the throughput on that national
4 fiber has increased such that it's much more
5 efficient to use that.

6 And to Craig's earlier point in terms of
7 return on capital, you've got companies like Quest
8 and others who are trying to sell that business
9 because it's slowing. And they're having a hard
10 time selling it and sort of earning their cost to
11 capital.

12 So, I'm not sure that -- I'm not sure
13 there's a glut in backbone. And for Cox, and
14 growing our residential business and our
15 commercial business, we haven't found the backbone
16 back haul to be a problem.

17 In terms of the middle mile, I would
18 tell you that because we've been offering video,
19 voice, data services for years and years and
20 years, we're able to upgrade where necessary in
21 the middle mile, sort of the metro core. And
22 technology advances have also allowed us to

1 leverage the fiber that we have available there.

2 I'll further tell you that relative to
3 residential usage and commercial usage, the
4 business scaled wonderfully up until about two
5 years ago because you were adding -- the rate at
6 which we are adding customers and, therefore,
7 revenue was outpacing the rate of utilization of
8 the network. Today, you're seeing the rate at
9 which you're adding customers slowing and the rate
10 at which those customers that are on the network
11 growing their utilization of broadband with more
12 streaming media, et cetera. So, it's not scaling
13 quite as well. And so, you know, five years from
14 now it'll be an interesting sort of conversation
15 relative to the scaling piece. But from where we
16 sit, that's -- we're not -- I wouldn't say we're
17 at a red in terms of our business. Maybe a slight
18 yellow.

19 When you talk about back haul for
20 wireless, I go to where Craig was talking and, you
21 know, I guess in terms of sort of public good --
22 in part maybe it's this panel and other panels --

1 the FCC has to determine what's the goal of
2 wireless broadband. Is the public good, the
3 public goal as an alternative to wired solutions
4 or is it another competitive alternative to
5 wireless -- to wired solutions. And I'll leave
6 that for, you know, the panel and whatnot to
7 discuss.

8 MR. CURTIS: What's your point of view
9 on that?

10 MR. CLEMENT: Well, you know, I mean I
11 think it's been said. I think the -- so, in our
12 networks, the top 3 percent of customers use 50
13 percent of the bandwidth. Those customers aren't
14 going to ever get a satisfying experience on
15 wireless. Never going to happen.

16 But how many of us have this wonderful
17 little device here? That won't work over a wired
18 network, sorry. So, I think that it depends on
19 the usage. And you'll see some people move to
20 wireless because that's their usage model. You'll
21 see some people stay with wired because that's
22 their usage model. And you'll see some go to

1 both.

2 Relative to wireless back haul from cell
3 sites, again, depending on sort of public good and
4 sort of competitive piece, I'll tell you that in
5 our commercial business it's a growth area. We're
6 getting calls in our franchises from wireless
7 providers who are preparing for their 4G networks
8 and they're looking for lower cost alternatives
9 for back haul. And because we're there and we can
10 do sort of spurs off of our network, we feel as
11 though it's a big growth area and we're deploying
12 capital to that area to be able to satisfy that
13 demand.

14 You know, with the intent -- back to
15 Craig's point of earning our cost to capital --
16 you know, on that.

17 MR. CURTIS: That's a good thing.

18 MR. CLEMENT: Absolutely. Absolutely.
19 So, you know, and I think earlier there were
20 comments on pole attachments and rights of way.
21 And, you know, I'm not sure that's a red. That's
22 probably a yellow. There's not consistency in

1 those rules. There's not consistencies on is it
2 -- is the bits going over it a residential bit, a
3 commercial bit, a voice bit, a video bit, a data
4 bit? You know, we have a whole host of folks that
5 sort of think about that and worry about that.
6 And I kind of think of myself as a smart guy, but
7 I never understand it, so.

8 MR. WELDON: So if I may?

9 MR. CURTIS: Yeah, absolutely.

10 MR. WELDON: I just -- I agree with many
11 of the comments made. I just wanted to make a
12 couple of observations.

13 One is from the physics standpoint. I
14 wanted to put some numbers on the wireless piece.
15 A typical 10 megahertz of spectrum -- the typical
16 Shannon limit of information capacity is 8
17 megabits per second without MIMO network, MIMO and
18 things like that. So, that right there confirms
19 the point. That's 1A DSL connection, right? And
20 that's meant to be shared by hundreds of users
21 within that cell site. So clearly, spectrum
22 doesn't solve the problem. You'd need to throw so

1 much spectrum at the problem that it's not going
2 to solve the problem.

3 So, I agree with the comments made that
4 I just wanted to put some numbers on there.

5 Now, on the other hand, when you look at
6 that, that argues for very, very small cell sites
7 that would be, for example, femtocell-type
8 architectures, which is where you start coupling
9 wireline with wireless, which, again, brings it
10 back to the wired part of this. Is -- for a
11 femtocell -- of course, 8 megabits per second
12 within the home is actually a very reasonable
13 wireless experience. And then a larger macro
14 cellular handoff as you roam is -- will perhaps
15 provide an acceptable service combination because
16 you get the high bandwidth wireless service over
17 the wireline connection. And then as you roam,
18 you sacrifice some of the bandwidth, but you still
19 get that mobility that you so seek.

20 The other part of coupling wireline and
21 wireless is increasingly wireline networks like
22 access networks are being used to wire -- to back

1 haul cell towers. So the two couple in that
2 dimension, too, meaning fiber architectures are
3 being looked to back haul 3G and LTE deployments,
4 for example, or the next generation of PON is
5 being looked at as an LTE back haul architecture.
6 But DSL is often used to enhance cell site back
7 haul over copper. So the two couple in those
8 dimensions and we should not forget that.

9 So I do agree with the point that
10 wireless will not solve the problem, but wireline
11 and wireless couple in the femto domain and also
12 in the back haul domain. So, that middle mile is
13 no longer just a middle mile into an abstract
14 transport network. It's actually often coupled to
15 the same access network that is deploying
16 residential services.

17 MR. MOFFETT: Can I just add one last
18 point to that?

19 MR. CURTIS: Yeah.

20 MR. MOFFETT: Because it is -- for the
21 people that are still skeptical about that point.

22 A useful way to think about it is, you

1 know, Tony's company is building fiber to the
2 premises with FiOS. And I often hear people in my
3 daily work, investors, who will say, well, that's
4 clearly the future and what's required is we need
5 to have fiber to the home. And then, in the
6 second half of a conversation, they will say,
7 well, LTE or wireless will be a substitute. And
8 with 30,000 towers today in the United States or
9 thereabout, you know, we're talking about a fiber
10 to every 1,000 homes. So, which is it? Is it a
11 fiber to 1,000 homes or is it a fiber to every
12 home? But whether the end point is wireless or
13 not, that math can't change, right? We're still
14 talking about how many homes are going to be
15 served by the fiber connection.

16 MR. CURTIS: Yeah. It probably depends
17 on the segmentation, right? I mean, you've got
18 very different usage profiles and demands for
19 people. Some people are happy with 500 kilobits,
20 some people are happy with 25 megabits.

21 Doesn't -- possible wireless competes
22 with wireline with lots of spectrum for low usage

1 people?

2 MR. MOFFETT: Sure.

3 MR. CURTIS: Yeah. It's clearly -- as
4 you increase usage, that's our (inaudible)
5 problem.

6 Tony, any comments or thoughts on --

7 MR. DiMASO: I'm having a great time.

8 MR. CURTIS: -- on back haul?

9 MR. DiMASO: But -- no, not at all. I
10 mean, I think a lot of good points are raised.
11 The fact of the matter is, it's a -- there's no
12 magic bullet, right, to the issues that we have.
13 I think there's a lot of benefit to building the
14 fiber infrastructure across the country. There's
15 a lot of benefit as we deploy fourth generation
16 wireless.

17 I think at the end, who's going to make
18 the choice? The customers will make the choice
19 based on the applications that they require.

20 I think we've found that we might have
21 excessive capacity for some period of time, which
22 may cause certain companies a lot of grief and

1 aggravation. But, in the end, in aggregate, we
2 end up using it for one purpose or another.

3 So, we rarely waste the deployment of
4 capacity in the networks. Right? So, we do see
5 extra spectrum as part of the equation, we do see
6 significant fiber capacity as part of the
7 equation.

8 We like to keep money flowing into
9 Alcatel-Lucent as often as we frequently can to
10 keep their employment numbers up. So, we do see
11 that capital spending going on.

12 And I think each of these, you know --
13 the question is, coherently, to Craig's point:
14 How do you balance these exploding opportunities
15 from the user perspective? Particularly, again,
16 there's enormous video opportunity, still, voice
17 and data. But now you're looking at, you know,
18 these integrated ecosystems, like the home and
19 the, you know, smart buildings and smart cities,
20 et cetera, where fundamentally networks will be
21 the enabler of the smarter devices that are going
22 to be the end. What is the capacity required?

1 What are the security issues? What are the issues
2 of ubiquitous availability or on demand
3 availability?

4 And so, I think at the end, the
5 deployment issues we're going to always use what
6 eventually comes. The question is, how long --
7 you know, how far along the line?

8 And to Craig's point, which is valid,
9 you want to make sure you don't get too far ahead
10 of the curve, that your return on invested capital
11 ends up killing the business case and then you --
12 all of a sudden, you stop.

13 And that's what -- you know, the balance
14 with FiOS has been that. We are on the edge with
15 the deployment. We feel like there's a lot we can
16 gain out of it. But a lot of the, should we say,
17 the intelligence of the investment will be on, can
18 we leverage it above and beyond the traditional
19 triple play services? So a lot of our thinking is
20 about that next generation.

21 So, I think all of these pieces are part
22 of the equation. And the question is,

1 sequentially, which ones do we focus on first?

2 MR. CURTIS: Yes. No, I think that
3 makes sense. Hey, before we leave back haul,
4 somebody threw out 10 percent of the cell sites --

5 MR. NEWBY: Yes.

6 MR. CURTIS: -- have fiber. Any idea
7 what percentage of those are covered with
8 microwave of the remaining 90?

9 MR. NEWBY: That's a good question.
10 Well, I could tell you based upon the information
11 on most of the microwave equipment vendors'
12 websites, they will start by saying fiber is
13 without a doubt the best. But in absence of
14 fiber, let's use microwave.

15 And then there's all sorts of different,
16 you know -- DragonWave, Acadian, Alvarion,
17 everybody's got something.

18 And I don't know what their density is,
19 but it's just a practical reality that that's
20 going to have to work together in conjunction with
21 the fiber or we won't get to the speeds and the
22 densities. Our geography is our issue today.

1 Whereas in other countries -- you know, that's a
2 point I'd like to make regarding that, by the way.

3 I think that it's wrong that the United
4 States is ranked 11th or 15th on a list of
5 countries for broadband deployment. It's wrong
6 because we are a very large country being put up
7 against South Korea and Japan. South Korea is the
8 size of Indiana. I was just there for 10 days the
9 beginning of the month and it's true, the kids
10 there have full duplex video phones. I've seen
11 them. It's pretty amazing. I think, wow, you
12 know. Here we are in this country and CEOs don't
13 have them and over here, kids have them.

14 But they have an advantage today. And
15 that is that their geography is much smaller. So
16 they can make the business case, cost of capital
17 to have towers. I saw them everywhere. And I was
18 deep in the south of South Korea.

19 And to build fiber to those towers.
20 It's very easy to roll out LTE and high-speed
21 applications over mobile devices. And it makes
22 sense and there's a perfect marriage and it's like

1 a Petri dish. And then the United States of
2 America is a very large place. We have coasts,
3 and we have pockets, and we have very large
4 capital issues to resolve those problems.

5 So, it won't work without microwave
6 combination.

7 SPEAKER: You've got it.

8 MR. ARMENTROUT: Yes. And just to add
9 to a couple of the comments. We provide, in our
10 markets, a considerable amount of fiber build out
11 to towers. And my thoughts are that the majority
12 of the towers in our markets are T1-fed today.
13 Any ones that are microwave are the ones that are
14 very remote, and they can't get access to even
15 copper.

16 But to the point that was made earlier
17 with LTE and some of the other technologies, T1s
18 are out --

19 SPEAKER: (inaudible)

20 MR. ARMENTROUT: So it's either going to
21 be fiber or it's going to be microwave, yes.

22 MR. CURTIS: Yeah, got it.

1 MR. ROSENBERG: Hunter raised a good
2 point there with regard to the United States and
3 the geographic disbursement of the population.

4 As we shift in thinking a little bit
5 from, say, middle mile and back haul to the last
6 mile -- and I want to address this to the panel
7 overall -- curious how you think about ensuring
8 ubiquitous coverage, which, of course, is part of
9 the Recovery Act, for the broadband team here at
10 the FCC to help figure that out.

11 Obviously, you've got a lot of
12 challenges. You've got the dispersion of the
13 population. You've got the need to hit costs of
14 capital, Craig, that you mentioned. You've got
15 the problems of fiber access in large portions of
16 the country. And so the back haul implicitly
17 coming into that conversation as well, how -- and
18 I'm going to start by asking this of, I think,
19 Verizon and Cox and Tony and Dallas, as you think
20 about it.

21 Dallas, I think you -- Tony, I think you
22 mentioned percent roughly now, 90 percent overall

1 in the future, under your future build out plans.
2 How do you think about building out that next 10
3 percent and the next 10 percent after that?

4 MR. DiMASO: Okay, fair question. I
5 think, you know, when we take a look at a
6 deployment of our new technology -- and certainly
7 the fiber to the premises is a good indicator --
8 what you're trying to do is get the most bang for
9 the buck in terms of how many customers can you
10 get to as rapidly as possible. And hope -- and
11 our experience has been that this comes to pass in
12 many cases that as you scale it, you know, the
13 cost curve per unit comes down. And so the real
14 -- a lot of the questions are how rapidly it does
15 come down and how far you can push it.

16 The other element of it is, do you have
17 the technology available for specific issues or
18 locations geographically? So, for example, we
19 didn't have a fiber solution for multiple dwelling
20 units for some period of time.

21 There was a technology solution. But
22 also, there was a building-by-building,

1 landlord-by-landlord slog, you know, getting deals
2 in place, et cetera.

3 So I think that in some cases, there are
4 answers that, you know, just doesn't come down to,
5 we'll make money here. Our goal is that,
6 ultimately, the scale is a huge component of the
7 overall picture, so we can get to a lot of
8 customers.

9 And it does come down to where you
10 normally will run into that last 10 or 12 percent,
11 right? Where the issues are, is, you know, rural
12 geography is where frequently you have "wireless
13 solutions." For example, in video you have much
14 more penetration of satellite services in many of
15 those areas.

16 In the urban locations for us, the
17 answer for us was the MDU technology and moving
18 into the MDU. So that's not really a -- now a
19 technology issue. We have the technology there,
20 but not the issue is, what is the arrangement
21 building-by-building with each landlord? So I
22 think that's more timing than anything else.

1 By the time you're done, again, I think
2 to the point that either Craig or Dallas
3 mentioned, there is, for us, a much bigger issue,
4 is the homes we pass where nobody's adopting the
5 technology because of economic concerns. You
6 know, they can't afford computing devices, at
7 least, you know, because they've kind of flattened
8 at 3- or 400 bucks, which is still significant; or
9 they're elderly people, they're kind of afraid of
10 the technology; or, you know, they're just
11 concerned about security and all those other
12 issues. So, that's a piece for us to think about.

13 We look at education and things of that
14 nature. And that's a role, I think, the FCC and
15 the government can play in terms of that. It's
16 going to be particularly important, particularly
17 for elderly people, when we look at the platforms
18 for home health monitoring and, you know, chronic
19 reporting of any issues in the home security, et
20 cetera. But I think the other portion of it is,
21 what is the appropriate technology?

22 If we give it enough time, you can get a

1 particular technology everywhere. But it's
2 forever out, right? So the question is -- you
3 know, and this gets to the point we're talking
4 about before about wireless -- what role does
5 wireless play in solving multiple issues?

6 One is providing mobile broadband
7 capability to extend your home or your work, et
8 cetera. But fundamentally, the second question
9 is, what role may it serve to facilitate the
10 availability of a broadband capability at one
11 megabit or higher to everybody, that it's harder
12 to get to and particularly in rural locations,
13 things of that nature?

14 So, I see -- that's the way we're
15 thinking about it. Steve, I think at the end of
16 the day, our view is that we have -- we need to
17 invest in a range of technologies that
18 fundamentally, then, could be fit sooner. Because
19 if we had until 2025, I could tell you that fiber
20 will get there. All right? That's not the goal.
21 The goal is sooner.

22 MR. CURTIS: Before we go to Dallas, let

1 me vent just a little bit on that. And obviously,
2 all these issues are related and overlapping. But
3 if you can do your best to kind of pry apart the
4 big levers.

5 SPEAKER: Sure.

6 MR. CURTIS: In terms of getting, you
7 know, fiber out further faster, is it more an
8 equipment, CPE is really expensive because we
9 haven't hit scale yet? Is it more a linear
10 density problem that's, you know, not going away
11 any time soon unless, you know, capital prices
12 fall dramatically?

13 Or is it more of an adoption problem,
14 that even if we pass the homes in these particular
15 areas, we're not going to get enough take to make
16 it work, kind of no matter what, you know, any
17 reasonable view of CPE looks like?

18 MR. DiMASO: Yes. I think -- you know,
19 I would -- the adoption issue is important. But I
20 wouldn't put it as a key in the equation, right?
21 Because ultimately if we look at, you know,
22 there's a lot of dense areas where if you don't

1 have the take rates, that's a different issue,
2 right? It still makes sense for you if you're
3 going to do the deployment to do it at a certain
4 point in time. You know, to construct what you
5 have to because of the economics of doing that.

6 Clearly, I think there are some linear
7 density issues, right? Because, you know, the way
8 we look at our deployments isn't which ones can we
9 serve, which ones we can't. The question is, how
10 do we hit the most customers, past the most
11 customers with the most rapid plan possible? And
12 so at the end of the day, that comes down to
13 really looking at the geography.

14 You know, one of the challenges we've
15 had early on is, you know, how do we get to these
16 MDUs? They make up 25 percent of our homes past
17 in our footprint. How do you get to them if you
18 don't have an MDU solution? Until that technology
19 is available, right, we don't have a solution to
20 that. So you're sitting there with a nice chunk
21 of our market that we couldn't get to. Now, we're
22 looking to accelerate that component to catch up

1 with some of it.

2 If you look at the highly dense suburban
3 areas, we're real good at that. That hasn't been
4 a problem. We've been able to get to that, we had
5 a technology solution.

6 So I think a part of it is the
7 characteristics of the particular physical
8 geography, like MDUs. Part of it is,
9 fundamentally, even with a \$17 billion annual
10 capital program, you can spend it all and still
11 not get to everybody physically you can get to in
12 that point in time.

13 And you do have to work on the back haul
14 components, you have to work on the backbone
15 Internet. You have to meet the regulatory
16 requirements of the FCC and the local PFCs for
17 things that still have to be maintained in the
18 copper plant, et cetera.

19 So, when you look at that budget every
20 year, you're looking at how do I cover the most
21 customers with the most advanced services as
22 rapidly as you can? And just eventually, you hit

1 the 17 billion. And that's --

2 MR. CURTIS: That's where it stops --

3 MR. DiMASO: You know, it's not what it
4 used to buy anymore. You know? So.

5 MR. CURTIS: As you think about edge
6 out, you know, I should know this probably and
7 just don't. You know, what's the -- what's your
8 relative intensity on fiber edge out versus DSL
9 edge out going forward? Are you thinking about
10 going DSL any places anytime soon or are you
11 pretty much new places are fiber.

12 MR. DiMASO: I think do places with
13 fiber. I mean, you know, we don't rule out
14 anything. But I think that our goal would be to
15 upgrade where we have DSL to higher speeds.
16 Right? Because we've got, you know, sort of -- if
17 you got 1 megabit --

18 MR. CURTIS: Increasing blades, but not
19 shortening loops?

20 MR. DiMASO: Well, yes.

21 MR. CURTIS: Okay.

22 MR. DiMASO: And in some cases, you can

1 shorten loops. But again, you know, how do you
2 again spend the money most effectively? So in
3 many cases, what we're getting is not demand for
4 additional DSL so much as, hey, can I go from, you
5 know, 1 megabit to 3 or 3 to 7.1? Which is, you
6 know, we've moved up.

7 So, part of it is fundamentally enabling
8 to the optimization of the speeds within the
9 existing technology. But the other component is
10 we truly do believe that the next generation
11 platform -- which is a fiber to the prem --
12 there's so much going on in the health care area,
13 as we know and the energy management area and the
14 security area, et cetera. So we find that every
15 time we keep coming back to that platform issue,
16 it comes down to be a fiber and wireless kind of
17 combination of services that meet that ecosystem,
18 whether it's the smart home, the smart business,
19 the smart city, the smart campus. And so from my
20 perspective, from a strategy perspective, it seems
21 to come with those elements.

22 And as some of our engineers on the DSL

1 side, they can always squeeze out more capacity,
2 you know. And the discussion always is, yes, but
3 to what end? Ultimately, what are we trying to do
4 for the customer.

5 And so, that's some of the tradeoffs you
6 see.

7 MR. MOFFETT: Let me just put some
8 numbers around that for a second, though.

9 MR. CURTIS: Yes.

10 MR. MOFFETT: Because, I mean, it helps
11 to sort of put it into context, right?

12 So, Verizon is spending -- in the only
13 large-scale fiber to the home deployment that's
14 going on in the U.S., Verizon is spending \$18
15 billion net. That's about \$23 billion total, but
16 about \$18 billion net. And passing 18 million
17 homes with that network. So, that's math even I
18 can do that you get to \$1,000 per home passed for
19 all and including the connection cost. \$1,000 per
20 home passed. And their own goal is to get to 40
21 percent penetration with that network. So, \$1,000
22 divided by 40 percent says it will cost them

1 \$2,500 per connected home to build that network.

2 By the time you add in customer
3 acquisition cost, and you add in the set-top
4 boxes, which are outside of that number, you're
5 not far from about \$4,000 per connected home to
6 build that network.

7 The capital markets today are valuing
8 roughly equivalent networks, cable networks, at
9 about \$1,000 per connected home. So, the capital
10 cost alone of building this network is four times
11 what the market is valuing these networks at today
12 when there's only one of them. And saying in
13 markets where there's one, there -- we think
14 they're one-quarter as valuable as Verizon's cost
15 to be the second.

16 MR. CURTIS: Correct me -- I'm sorry,
17 yes, go ahead.

18 MR. MOFFETT: If I just scale up the
19 Verizon numbers -- and Verizon is probably the
20 most efficient operator and has the densest
21 footprint and some of the most attractive
22 geographies. But if I were to just scale up to

1 what Verizon's doing, I'm talking about \$300
2 billion-plus for the country. Scaled for sort of
3 geographically adjusted, I'm at probably a half a
4 trillion dollar project or somewhere in that
5 range, maybe more to do something like that.

6 So when you get to the edge of the
7 network, the other point -- I'll just go back to
8 something I said in the opening remarks. When you
9 get to the very edge of the network and
10 realistically building fiber out to the very
11 remote premises that are at the very edge of the
12 network in the rural, unserved markets today is
13 not likely to be an option to do what Verizon is
14 doing.

15 That's the point I was making before
16 about this is extraordinarily intricately tied to
17 the underlying health of the wireline network. I
18 mean, if you look at the problems that someone
19 like Fairpoint is having today -- and now,
20 granted, they have a lot of debt, but Fairpoint in
21 Vermont and New Hampshire and Maine is under real
22 stress. And the idea that Fairpoint's going to

1 be, you know, building out at the edge of the
2 network is probably not the top of their daily
3 priority list.

4 And that is an issue that is a very real
5 issue. Because if we were -- at a time when we
6 were losing 5 or 6 percent of the access lines
7 every year, and that's still the number that in
8 some of the more rural markets we're still seeing,
9 numbers like that, you're getting enough DSL --
10 incremental DSL penetration that your revenue per
11 remaining subscriber may be growing 5, 6 percent a
12 year. You're able to shed some workforce
13 associated with the loss in volumes on the
14 wireline customer relationships. Your labor costs
15 are rising at about the same rate as you're
16 shedding. And so all in all, you've got a roughly
17 stable business with a roughly stable margins.

18 Once that number goes from 5 or 6
19 percent to 10 or percent, you got no shot. You
20 got no shot. And then these businesses start to
21 wind down really quickly and those costs get
22 reallocated. And what's left in these businesses

1 is, I think, a potential crisis for this country
2 and for this commission, is to figure out what do
3 we do when those costs get reallocated across
4 relatively small bases. And we're trying to
5 burden those businesses with the costs of building
6 broadband.

7 MR. CURTIS: Craig, before we leave you,
8 and as a lead in to Dallas, so we got the roughly
9 4,000 per home take on FiOS. How does that
10 compare on a green field build to cable? I know
11 these two will have different points of view about
12 whether that's an apples-to-apples comparison.
13 But just to understand the difference, what's your
14 take on that?

15 MR. MOFFETT: Mine? Cable -- remember,
16 cable is not -- is generally not doing green field
17 builds at this point, other than line extensions
18 to new developments. And suffice it to say, we
19 haven't had a lot of new real estate developments
20 in the last couple years.

21 But it is -- in all cases, it's cheaper
22 to extend a network than it is to just build an

1 all new one because the cable operators are
2 operating from existing head ends and that sort of
3 thing. If you were going to start from scratch
4 and say I'm going to start to build an entirely
5 new plant, it's not clear it would be all that
6 much cheaper. It might be a little cheaper
7 because the labor costs are a little cheaper, but
8 it's not clear it would be all that much cheaper.

9 I think the real issue is the overlay of
10 an existing plant is now relatively cost-effective
11 for a cable operator to extend the capacity of the
12 existing plan or extend it marginally into new
13 neighborhoods.

14 MR. CURTIS: So with that, Dallas, why
15 don't you pick up on Steve's question now that
16 we've kind of run around the horn a little bit?

17 MR. CLEMENT: Well, you know, in my
18 opening comments I talked about spending \$16
19 billion. And that \$16 billion to offer digital
20 video, digital voice, high-speed Internet would
21 have been a much larger number if we were trying
22 to get fiber to every home. So, I'm going to make

1 a plug for coax. It's pretty darn good
2 technology, and it's really driven in the last
3 mile the data business for the U.S. Cable
4 industry.

5 We've all taken fiber closer to the
6 home, so we actually did analysis in one market.
7 And if you look at the percent of time a bit
8 travels over our network, it's north of 80 percent
9 is actually on fiber. It's just the last -- you
10 know, the last little bit is over coax and we're
11 taking fiber down, in some markets, as low as 150
12 homes passed per node. So, getting fiber down to
13 that on average, we may be 3- to 500.

14 But so far, based on applications we see
15 and we anticipate in the future, that hybrid fiber
16 coax network satisfies the demand and satisfies
17 the need. We're launching DOCSIS 3 and, as are
18 our brethren in DOCSIS 3, is only limited in the
19 number of qualms that you're aggregating. But
20 we're out in the market today with a 50 meg
21 service in a variety of our markets, and we'll be
22 launching that more broadly.

1 To your question on sort of line
2 extensions, and as I shared in my opening
3 comments, in our franchises where we have rights
4 of way access, et cetera, we've built out to 99.5
5 percent of homes. There are, historically, in
6 markets like Phoenix and Las Vegas, there have
7 been some line extensions. And, you know, in some
8 cases we'll add franchises in the outskirts.

9 And to put some numbers on that, today
10 our density is about 95 homes per mile, something
11 like that. Today, it costs us about \$50,000 a
12 mile. And when you talked about sort of what's
13 the limiter, you never put labor in, and, quite
14 frankly, it's the cost to build networks is more
15 labor, which doesn't scale. It's less technology,
16 it's more labor.

17 Today in a line extension, a little bit
18 to Craig's point, because it's not a green field,
19 we're willing to build to less dense areas. So,
20 we'll build to -- we think we can hit our cost to
21 capital by building to densities of something like
22 40, maybe 50, you know, homes per mile. And

1 that's about where we are in our current franchise
2 and that's how we've sort of hit the 99.5 percent
3 of homes.

4 But a real issue to get a wired solution
5 out to other areas where the density is just a lot
6 less, it's a lot of labor to get it there, it's
7 capital, not to mention the ongoing operating. If
8 they have problems, you have to roll a truck,
9 higher gas prices, et cetera.

10 MR. CURTIS: More wind chill time?

11 MR. CLEMENT: More wind chill time,
12 that's exactly right.

13 Now, once we build it, to one of your
14 other points, anyone who has the hybrid fiber coax
15 network gets the full service. So, it's not
16 limited in one neighborhood versus another.
17 Everyone gets the full speed service that we're
18 offering in the market.

19 But that's how we think about it.

20 MR. WELDON: (inaudible) comment on the
21 -- one thing we've skipped over a little bit. We
22 had FiOS, which is, of course, a fantastic

1 network. Thank you, Verizon.

2 MR. CURTIS: The check is in the mail.

3 MR. WELDON: And we have HFC, also a
4 very good network. But we skipped over fiber to
5 the node, right? Which is the kind of telco
6 equivalent of HFC in some ways. Meaning it reuses
7 existing copper plant and has, you know, slightly
8 lower bandwidth offer as a result.

9 But fiber to the node is evolving,
10 right? So, that is one of the ways we can answer
11 the question of how to get more quickly, more
12 economically to the underserved areas.

13 Is -- it's a version of the MDU strategy
14 that was talked about. Is instead of putting that
15 small DSLAM, which is really what an MDU unit is,
16 in a building, which is what you do in an urban
17 environment, you put it out on a pole and serve 8,
18 12, 24 customers on a pole with a fiber to the
19 pole architecture.

20 And that's increasingly what we see as
21 an equipment vendor is the request for these small
22 modules that actually end up being sealed. We

1 have one that's called a sealed enclosure module
2 and it's basically a line club put in a box,
3 sealed up, and hung on a pole.

4 And then, you can get very close to the
5 end subscriber reusing the copper that was already
6 deployed. Yes, you had to take fiber out to that
7 location and that's still a capital cost. But
8 that capital cost typically is for that whole
9 network built as about one-third of what a pure
10 fiber build is because you save that labor in the
11 last mile.

12 MR. CURTIS: In distribution, yes.

13 MR. WELDON: And just to give you
14 numbers of what the technology can give you, if
15 you take VDSL 2 up to its limit, it's either 50 or
16 100 megabits per second downstream, and then
17 something less than that upstream, maybe 5, 10, 15
18 megabits per second upstream. So, that really is
19 a legitimate way to evolve a network to reuse
20 existing capital assets, like copper.

21 There is a point here that then it does
22 affect regulation, in my view. Because to get the

1 most out of that, that last mile, you actually
2 cannot unbundle it.

3 There are technologies related to how
4 you vector those last mile connections, that if
5 you really want to get the optimum performance
6 out, you need to construct the whole binder into
7 one box. And that box has to be owned by one
8 operator, whoever it is.

9 And obviously, there's the issue of
10 collocating on poles. I mean, it really doesn't
11 work very well. So, there's a technological issue
12 that if you want maximum performance, which you
13 certainly want if you're going out to that
14 location -- to have a network that's future-proof
15 that can handle all the next gen services, all the
16 high bandwidth upstream services like e-health,
17 telemonitoring, remote monitoring -- you need to
18 have that node controlled by one operator, whoever
19 it is, whether it's a cable operator, telco,
20 whatever.

21 MR. MOFFETT: And for financial reasons
22 as well, obviously.

1 MR. WELDON: And for financial reasons.

2 MR. MOFFETT: You need to be able to
3 have relatively high share.

4 The obvious push back to that, though,
5 is when you get out all the way to the real edge
6 of the network, and I mean the truly unserved
7 parts of the country, the 8 or 9 percent. Getting
8 24 people within a sufficient loop length from a
9 pole may not be an option in the very rural
10 markets where the loop lengths are extremely long.

11 MR. WELDON: Yes.

12 MR. MOFFETT: And in those cases,
13 although the telecom operator is usually already
14 much closer and has copper facilities, the carrier
15 over those very long distances may simply not be
16 boostable and the HFC plant actually has the
17 advantage, at least with amplifiers along the way
18 you can sustain much, much greater distances.

19 But some of these distances are awfully
20 long. And that's -- to the point that Hunter was
21 making before about the difference between us and
22 South Korea, they're just -- you're talking about

1 rural populations here that dwarf anything you
2 find in Europe or most of Asia.

3 MR. NEWBY: I believe that the answer to
4 Steve's question is that you need a plan. I look
5 at Australia in current day, but really what I see
6 is British Telecom and 21 CN.

7 If you're not familiar with 21st Century
8 Network, and what British Telecom did, they
9 basically announced -- I believe it was in '05 --
10 that they were going to shut off the PSTN in
11 England in a matter of a few years. And a lot of
12 folks laughed at them.

13 They did it before their deadline, and
14 there were some hiccups because they were the
15 first. But they established a real hierarchy, a
16 real plan for England, the UK in general, and
17 implemented it and it was phenomenal. Dense wave,
18 you know, fiber-based dense wave, Ethernet, the
19 whole thing.

20 And, lo and behold, about a year after
21 they were really up and done and ready, the BBC
22 launched something called iPlayer. I don't know

1 if anybody picked up on this; was about a year and
2 a half ago. And when iPlayer was launched, it's a
3 video service. They call it "catch up TV."

4 And they limited it just to the folks
5 that were in the UK. And it was basically anybody
6 could go and watch any BBC program they wanted to
7 through their computer on the local public
8 Internet in the UK. And the video consumption
9 that that created to the last mile brought any
10 non-BT network to a halt, to their knees.
11 Tiscali, Carphone Warehouse, BskyB, they
12 petitioned the BT. They said, you know, we --
13 they said to the BBC, please shut this off.

14 I mean, this was all public. Please
15 shut off the iPlayer, you're killing the Internet.
16 And BBC said, well, actually, no. That didn't
17 exactly kill the Internet. It just killed the
18 networks that are inferior. And there are
19 networks that could support this. So if your
20 networks are having a problem, we'll actually just
21 tell our customers which network they should use
22 to gain access to this video service. Which at

1 the time, the only network that was possible to do
2 with was British Telecom's 21 CN.

3 And, as a matter of fact, Tiscali and
4 the others got together and asked -- I believe it
5 was the BBC -- for them to be compensated for the
6 necessary network upgrades to the tune of 834
7 million pounds for the necessary network upgrades
8 just to support one video service over the public
9 Internet in the UK.

10 So, I look back to Western Union and the
11 telegram. And I think about how that was rolled
12 out and the technology was adopted by multiple
13 mom-and-pop shops throughout the United States,
14 and they all went bankrupt. And Western Union
15 rolled them up.

16 Western Union's name actually comes from
17 its intended purpose, to unionize all telegraph
18 networks west of the Hudson river. And then they
19 became a monopoly, essentially, in telegram. And
20 Alexander Graham Bell had a different idea. He
21 wanted to solve the problem of people having to go
22 to the telegraph station, so he wanted to put a

1 phone in everyone's home. And in solving one
2 problem he created another, which is called the
3 last mile.

4 And what's interesting is the adoption
5 rates of telephones in the early days probably
6 weren't enough to cover the cost of capital. But
7 if you look at it over the course of 100 years, it
8 makes a lot of sense.

9 So, I think that \$4,000 bringing fiber
10 to the home today may seem very expensive. But if
11 you take into consideration the fact that once
12 FiOS is probably out to a certain number of
13 penetration that they're comfortable with, we may
14 see an iPlayer service from ABC or NBC or CBS.
15 There may only be one network from the home that
16 can support it. And then they could generate
17 revenue based upon subscription rates of customers
18 that want access to a service that they can't get
19 from any other network.

20 MR. CURTIS: That's an interesting
21 point. Interesting point.

22 MR. ARMENTROUT: Just a thought on a

1 previous conversation about the hybrid model,
2 which is one of the points that I had mentioned
3 earlier, is the need for access to the remote
4 terminals. Because it would be great if we could
5 get access to those remote terminals because, you
6 know, in most places we have middle mile or we
7 have network backbone fiber that is in proximity
8 to RT, so we could support high bandwidth for MDUs
9 or DSLAMs to reach these consumers that are at a
10 distance.

11 And we have -- you know, the customers
12 we serve today with ADSL 2-plus-type technology is
13 primarily served from the central offices. We
14 have about 70 central offices in the West Virginia
15 footprint, but there are thousands of RTs in West
16 Virginia. So, there's an enormous opportunity to
17 deliver broadband to the unserved and underserved
18 if we can get access to the RTs.

19 Now, we also have built -- we have over
20 2,200 customers that we have done fiber to the
21 business. Now, we haven't done fiber to the home
22 because we couldn't get an ROI to work. But we

1 could make one work for business. But in the
2 process of that model, what we have done is we
3 have laid a GPON infrastructure that's been
4 basically paid for by the business sector. But
5 now the infrastructure is there available for a
6 residential deployment, where we'll be able to
7 make an ROI work, but it's been in a -- it's a
8 step process. Business has to make the model.
9 Once it's completed, now we can look at a
10 residential build out from the infrastructure.

11 MR. CURTIS: Got it. Rebekah, you want
12 to jump in?

13 MS. GOODHEART: Just follow up with
14 Dallas. You mentioned, you know, what you provide
15 in your franchise areas. Have you considered,
16 with sort of the state reg franchises in reform,
17 expanding to adjacent areas? And if so, sort of
18 what's your analysis when you consider expanding
19 beyond your existing franchise area?

20 MR. CLEMENT: Sure. You know, in the
21 '90s, what I like to say is the hardest thing we
22 did was execute. We were trying to roll out

1 broadband and roll out these new services to as
2 many homes as possible, and then signing up as
3 many customers as possible and making it a good
4 experience. And that was our focus.

5 Today, the hardest thing we do is
6 prioritize and focus. And to a certain extent,
7 it's capital resources. But to a large extent,
8 it's throughput of the organization. So, when you
9 think about a dollar a focus, would I take that
10 dollar a focus and would I go to extend the
11 network into rural, less-dense areas? I can't
12 earn the return of capital on that, as we talked
13 about. Would I take that focus and extend to new
14 franchises that are, in all likelihood, covered by
15 someone else? Then I'm building two networks, to
16 Craig's earlier point, and competing for that same
17 customer. That's tough also to make the return on
18 capital.

19 Or would I take that dollar and extend
20 to more businesses in my footprint? Or would I
21 take that dollar and extend to cell sites within
22 my footprint, where it's incremental dollars,

1 incremental focus, and I have people who already
2 know the addresses and know how to do that?

3 So, for us, we've found that the better
4 focus and the better deployment of capital is
5 addressing the needs within the footprint that
6 we've already built.

7 MR. CURTIS: Got it. Marcus, you want
8 to jump in?

9 MR. MAHR: I mean, I guess maybe just
10 sort of building on that a little bit.

11 I mean, I think sort of it would be
12 useful to get sort of folks' perspective on -- I
13 guess, again thinking sort of long-term, what's
14 going to happen for the last 10 percent or
15 whatever? Is it some point going to make business
16 sense to sort of serve them rather than upgrading
17 the existing customer base? Or do you sort of
18 foresee that that trend is kind of going to be
19 what's continuing?

20 And if, in theory, you could get some
21 level of broadband service to a particular set of
22 customers, then over time the company is just

1 going to have business incentives to upgrade that.
2 Or is that sort of a separate -- are the unserved
3 area's sort of a separate problem distinct from
4 that?

5 MS. GOODHEART: And to add on what
6 Marcus just said, is there something that the
7 government or the Commission could do to sort of
8 spur additional deployment where you're not
9 considering it right now?

10 MR. CLEMENT: Yes. And so for us, like
11 I said, it's -- there's two cost components.
12 Three in the fullness of time, but the first is to
13 actually build it. And like I said, it's the
14 labor, it's the capital to do it. And right now,
15 with the less dense homes, it's just -- we can't
16 earn our cost of capital. So, if the government
17 were to in some way subsidize or figure out a way
18 to help defray some of that cost as part of the
19 greater public good, then that's a possibility.
20 And, you know, from Cox we'd be happy to
21 participate in that process.

22 However, there's the additional costs,

1 and that's the operating, the wind chill time, the
2 gas. Because, you know, if you're operating a
3 network, you're a service provider and you're
4 providing service. So, it's not the calls into
5 the call center. It's not even the cost of
6 sending the bill, perhaps. But you are going to
7 periodically roll a truck and we roll a lot of
8 trucks. And so there's an incremental operating
9 cost to, you know, to meet that rural customer.

10 You know, you have the -- also, the
11 opportunity. And what percent of those customers
12 are going to subscribe for the full revenue sort
13 of set of services? Or are those customers
14 typically of a demographic where it's going to be
15 a lower subscription? So that puts further
16 pressure on the business model.

17 To your point on sort of upgrading, if
18 we were able to get out there and we were able to
19 make that first -- those first couple of parts
20 work, you know, the upgrade, that's a little bit
21 of an issue. You certainly need to have some
22 ongoing maintenance, but the upgrade typically is

1 in the electronics, either in the home or back in
2 the network, you know, once you've spent the labor
3 to actually get to the home.

4 MR. CURTIS: How big a problem is the
5 OPEX wind chill time as the linear density goes
6 down? And you imagine, you know, you've got a
7 garage someplace and you're trying to service, you
8 know, even in the cell tower world, that can get
9 to be a pretty big footprint for an orbit of 80
10 sites. But when you're out in a pretty rural
11 area, linear density gets crazy, assuming the
12 initial capital investment made since on a normal,
13 urban OPEX level. Right? And then you layer in
14 the rural OPEX layer. How big a problem is that?

15 MR. CLEMENT: You know, I don't have the
16 numbers to be able to tell you. It's 20 percent
17 more than at 100 homes density. I wish I had the
18 numbers, and maybe that's a follow-up.

19 So, I -- you know, qualitatively, I
20 would say the bigger issue is the cost to build.
21 That is clearly the biggest issue. And the OPEX
22 is sort of a secondary issue.

1 MR. CURTIS: Secondary issue?

2 MR. CLEMENT: Yes.

3 MR. CURTIS: So, it's -- so, I guess
4 where I'm heading, right, is if you found a way to
5 make the initial build work, would you -- you
6 know, you wouldn't want to get yourself into a
7 position where it wasn't sustainable because the
8 OPEX was just too crazy. Right? Two different
9 problems, two different solutions. If you can
10 convince yourself that on an OPEX level it's
11 sustainable, maybe it makes more sense to drive
12 towards a CAPEX solution.

13 MR. CLEMENT: You know, I actually go
14 back to my earlier point. And in order of
15 priority, I'd say it's the CAPEX to get there.
16 Then it's what's the average revenue out of that
17 home? And that's sort of the second issue. And
18 then the third issue is the cost to support.

19 MR. CURTIS: This is on the (inaudible),
20 low- speed, multiple services, triple -- yes.

21 MR. CLEMENT: Yes. I mean, exactly,
22 because you need both of that in order to justify

1 the ongoing operations of folks out in -- outside
2 of the core network.

3 MR. MOFFETT: Yes, Tony, you may
4 actually have some of this data. But from -- this
5 goes back many, many year ago. But, surprisingly,
6 the OPEX of maintaining the more rural parts of
7 the plant isn't really all that different because,
8 like, the labor productivity rates tend to be much
9 higher. The drive times tend to not be all that
10 much longer, because even though the distances are
11 much further --

12 MR. CURTIS: Don't have stoplights,
13 right.

14 MR. MOFFETT: -- the traffic levels are
15 lower. And so, it actually drives less cost
16 difference than you think. It's really the CAPEX
17 side.

18 MR. DiMASO: Yes. And I -- just to add
19 to that. I think that, you know, part of the goal
20 of FiOS, right, is to remove a lot of the manual
21 intensive process that you get with a copper
22 plant, right? Because you're setting up a passive

1 optical network to be something that you can
2 diagnose and fix remotely as often as possible.
3 And it's the name of the game, which need to tie
4 in also to the back office systems, et cetera.

5 So, in theory if the economics of the
6 capital build make sense, in theory you'd also
7 have some positive impact on the ongoing
8 operational maintenance.

9 I think, you know, really, Rob, the
10 issue is -- you almost have to dissect these
11 areas. Because even in rural areas, is it a rural
12 cluster where, you know, you go out 50 miles, but
13 then there's 1,000 homes right in a cluster that
14 you can serve?

15 MR. CURTIS: Good linear density once
16 you get (inaudible), yes.

17 MR. DiMASO: Right. Or is it 1 home
18 every 35 miles, right? Different set of issues,
19 right?

20 MR. CURTIS: Yep.

21 MR. DiMASO: So I think, you know, the
22 issue with the last 10 percent, for lack of a

1 better term, or whatever that is, is really it
2 becomes almost what is the granular view of these
3 areas? What is really the demographic, what is
4 really the geographic issue? What are the nuances
5 of this? What are they being served with today in
6 terms of voice services, wireless services, et
7 cetera, satellite?

8 And is there some combination of those
9 technologies that exist and the assets that exist
10 geographically --

11 MR. CURTIS: What's the easiest
12 alignment?

13 MR. DiMASO: Yes. So -- exactly. So, I
14 think it's clearly not a one size fits all. And I
15 think we've had lots of one size fits all build
16 outs until you get to that 80, 85 percent. And
17 then all of a sudden, you get different reasons
18 where the economics change substantially, right?

19 MR. CURTIS: Yep.

20 MR. DiMASO: And the last thing you want
21 to do is find a way to reach it and find out that
22 the demand isn't there, you know?

1 MR. CURTIS: Right, yep.

2 MR. DiMASO: So you do want to have that
3 component of it. So I think that, you know, our
4 view as we look at these things is to really try
5 to drive more granually into the issue and say,
6 okay, so what would be the combination of things
7 in this area?

8 Now, in lieu of that, I would opt that
9 cable should really be the lead -- (Laughter) No,
10 I'm only kidding. No. But I think the point is,
11 there are maybe hybrid fiber coax solutions, there
12 are -- may be a wireless solution. It may be a
13 satellite-based solution. But there's enough
14 things being -- you know, being done out there
15 that if we really took a look at each of these
16 areas, we probably could come up with a set of
17 solutions that made sense.

18 MR. CURTIS: And, Tony, what I think I'm
19 hearing Dallas say is there are really two
20 drivers. One, it's the total cost of the build
21 and the second is it's not just adoption of some
22 service. It's adoption of enough services at the

1 right subscription level to make it work.

2 MR. DiMASO: Right.

3 MR. CURTIS: Is that your sense as well
4 that in a lot of these areas you're going to have,
5 you know -- maybe they take, you know, very slow
6 data only --

7 MR. DiMASO: Right.

8 MR. CURTIS: -- no video, and that's a
9 big driver? Or is it more the capital problem,
10 from your point of view?

11 MR. DiMASO: It's -- for me, it's more
12 the capital problem. I mean, I think -- you know,
13 the fact of the matter is, you could argue that in
14 remote locations, you have less demand for
15 services. I would argue if I was out in the
16 middle of nowhere, I would want as much access to
17 as much capability as possible because that's what
18 that is, basically the basis of my life, you know?
19 My connection may be the basis of whatever I do,
20 et cetera. It's all -- entertainment, et cetera,
21 like that.

22 So, I think that our general instinct is

1 that barring something wrong with our assessment
2 of what would be demand, in a lot of remote
3 locations for services that are inherently remote
4 access, that there should be enough demand.

5 But we'd want to -- because of the
6 inherent risk of the build, you'd want to kind of
7 do a double take and really analyze what's there.

8 And again, you'd probably be looking at
9 working with municipalities locally in terms of
10 what goes on there. So, it really lends itself to
11 more of a public/private partnership effort than
12 other areas might.

13 MR. NEWBY: I think the one size fits
14 all comment that Tony made is excellent. In the
15 Australia case, I think they determined -- and I
16 might not be accurate on this, but 90 percent of
17 the folks would get 100 meg, 10 percent would get
18 12. And that 12 is serviced by people, you know,
19 who were living in the Outback by choice. And it
20 will be satellite.

21 So, I think if we could help the FCC, it
22 would be -- you know, with this particular point

1 it would be, what's the definition of broadband?
2 And "broadband" is a very general term. It's
3 like, in my world, colocation or fiber. Like,
4 what is fiber? Is it dark fiber, is it lit? Is
5 it available for lease? A lot of folks have
6 fiber, but they have it themselves. A lot of
7 other people don't. So, if you ask the people
8 that have it if there's fiber, they say sure,
9 there's plenty. We'll never need to build more.
10 And then there's several hundred people that say
11 there isn't any. So, the definition of broadband.

12 And then just beyond that is, well, what
13 are the services? You know, Tony, you're right.
14 You would want the most, you know, broadband that
15 you could have because of your lifestyle and
16 everything else, but that's why you live here.

17 That's why you live, you know, wherever,
18 near a well- connected place.

19 I've also been out to South Dakota.
20 Lovely place, went to Mount Rushmore. Had zero
21 bars on my phone from Sioux Falls to Rapid City.
22 Seven hours straight, zero bars. And I saw signs

1 that said town population two. I don't even know
2 why they made the sign, just two people that live
3 there and there was one house and I think they
4 were related. You know, what are we talking
5 about? You're going to build fiber all the way
6 out to that town of two? There's no way that
7 there's a business case for that.

8 And again, broadband, very broad term.
9 What are we trying to accomplish with this
10 national broadband plan, you know? And if we
11 don't have a hierarchy and if it doesn't set aside
12 certain areas that currently there isn't anything
13 and differentiate between the two, there's no way
14 that anybody could afford to do it unless we go
15 back to there's one carrier for the whole nation
16 and that's it and it's subsidized with taxes,
17 which, obviously, we're not going to do. So, we
18 have to deal with, you know, the realities of what
19 population densities are and where we can actually
20 get things done.

21 MR. CURTIS: Steve, you want to jump in?

22 MR. ROSENBERG: Yes. Question that came

1 in from the audience here. Several of you have
2 brought up adoption rates in a couple of different
3 contexts, in the business context and build out,
4 things like that.

5 Question is, as you think about the
6 things that you as providers could do -- whether
7 it's dealing with the up front requirements for
8 service in terms of service contracts, up front
9 payments, things like that -- when you think about
10 what are some of the things that the government
11 can do to help drive adoption, how do you see the
12 balance? What do you think is effective? And
13 what have you undertaken already?

14 Dallas, I'm going to start with you
15 because you're close by in dealing with this, but
16 I'll go around the panel.

17 MR. CLEMENT: Sure, sure. You know, I
18 think, as I said in my comments, that the biggest
19 driver of broadband adoption is having a PC in the
20 home. So, you know, even in our comments we
21 talked about sort of a multistage process where
22 you find a technology partner who -- and

1 partnership with the government to put technology
2 in the home.

3 And it may be that you start with
4 schools and you start with the youth. And we've
5 got a variety of partnerships, technology
6 partnerships with schools. And it's not just to
7 get them used to broadband, but get them to use
8 it, you know, correctly. And, you know, there are
9 some dangers to broadband.

10 So, work with schools, work with low
11 income, work with subsidies. And I -- you know,
12 then once the customer has the PC, then there are
13 a variety of service levels available in covered
14 areas from a variety of providers. Some that are
15 lower speed that are lower priced, some that are
16 higher speed, higher priced. And so for those
17 folks that don't currently have PCs, they may well
18 be satisfied with a lower speed at a lower price.

19 Now, whether that meets their individual
20 economics is something that we'd have to further
21 see and further decide whether subsidies are
22 necessary. And that's part of the broader, you

1 know, public good. But, you know, I think -- I've
2 got four kids and, you know, I think the schools
3 are adopting broadband and using computers more
4 and more. But I think that's a ripe area to
5 really sort of focus national attention, to get
6 adoption in schools and utilization of broadband
7 in schools much higher than where it currently is.

8 MR. WELDON: I'd like to make a point I
9 think pertains to that. Is -- I think one of the
10 concepts for enhanced services offers has to be
11 some concept of not just high-speed Internet
12 access, but managed service that you can offer as
13 a set of applications as a managed service
14 offering from any provider over that network using
15 quality of service or whatever attributes.

16 So that then the idea is you have an
17 array of applications that the user can sign up
18 for voluntarily that might have tremendous value
19 for them. So they're not just buying a data
20 service in the sense of an HSI service. Actually,
21 the network can support managed service offerings,
22 for example, for remote monitoring, e-health, or

1 secure applications, these sorts of things that
2 really do matter. And the important part is the
3 funding for those services can come from someone
4 other than the operator or the end user. It could
5 come from the health care system. It could come
6 from the advertising industry if they were willing
7 to subsidize a connection by the willingness of a
8 user to watch a certain amount of advertising.

9 So, one needs to, I think, have
10 mechanisms in the network that support enhanced
11 services or managed services because funding can
12 come from other sources to partially offset the
13 build cost because you subscribe to those managed
14 services as well as government subsidy where
15 appropriate. I agree that it would be nice if you
16 could push a PC into every home, make the home
17 network easy to set up, and perhaps subsidize even
18 management of that home network for the less
19 sophisticated consumer.

20 But I do think that managed services
21 play a role in offering a sophisticated service
22 package that the user can select from and

1 application providers can also then choose to fund
2 using those capabilities.

3 MR. MOFFETT: This does get to the issue
4 of, again, U.S. standing relative to other
5 countries. And we've looked at this both in the
6 perspective of broadband and also wireless, and
7 you know, there are very fundamental differences
8 beyond just geography. We have a much wider
9 income distribution in this country than in most
10 places, and so the sheer issue of the percentage
11 of homes living significantly below the poverty
12 line is very different than it is in, say, Western
13 Europe, with the exception of Spain.

14 The issue -- and one issue that is
15 rarely mentioned, but is a very real issue, is you
16 don't have to be able to read to turn on a
17 television set and use electricity.

18 But illiteracy rates in the U.S. are
19 much higher than they are in most of the rest of
20 the OECD. And so, using broadband if you're
21 illiterate has relatively limited value because
22 most of the broadband experience is still the

1 written word.

2 As it becomes more
3 entertainment-oriented and less written
4 word-dependent, you may actually see that the
5 utility for certain segments of the population
6 rises. But there are very deep social impediments
7 beyond just the lack of a PC that drive the 30
8 percent or 35 percent of households that could
9 have broadband and don't.

10 MR. NEWBY: I think that's a fantastic
11 point. If you don't have the ability for people
12 to become educated, then they can't get to the
13 point where they could actually use broadband.
14 So, if we don't come up with a plan that can
15 afford on its own, stand alone, to put
16 infrastructure in the country on a very wide swath
17 on that basis, and then make that infrastructure
18 available as and when those pockets are ready to
19 accept it, then those pockets will never have the
20 infrastructure available to them or brought to
21 them because there will always be that disparity.

22 Why should I build to bring it there if

1 the people aren't going to use it? For whatever
2 reason. They don't have the money, the income
3 levels are too low, or they're not educated enough
4 to do it. So, there has to be a larger nationwide
5 architecture that provides for intermediate access
6 so that when an area can be developed on a
7 case-by-case basis for income and for education.
8 The fiber infrastructure is there. And then you
9 could do wireless or whatever to bring it to the
10 homes or the community centers or whatnot.

11 That's a holistic approach to solving
12 the problem.

13 MR. ARMENTROUT: Yeah, and just to
14 reference -- keep in mind, I represent the rural,
15 very rural to remote markets in West Virginia.
16 And in the 2,200 business where we deploy GPON
17 technology, we even, without pricing to the
18 consumer, let them know you are now capable of 100
19 megabit of bandwidth. And there response was,
20 what for? I'm -- 512 works good for me. So,
21 obviously there's a public awareness.

22 It's a business concept. Businesspeople

1 need to understand what big broadband can do for
2 them, change the way that they forecast their
3 business opportunities down the road, plan for
4 bigger, better.

5 The other thing that I think would
6 really be helpful for the FCC --

7 MR. CURTIS: Can I stop you there for a
8 minute? So, what did you tell them when they said
9 512 is good for me?

10 What's the answer to that?

11 MR. ARMENTROUT: Well, we basically, you
12 know, offered it to them and without even a
13 pricing. But other than -- we actually went with
14 -- we got some of the local delegates and some
15 local political folks, we got them grouped
16 together, went down, met with the mayors and the
17 business leaders of the community, introduced them
18 to the concept of how other communities have
19 transformed, and tried to plant the seed. And for
20 some --

21 MR. CURTIS: So what are those
22 applications? What do you tell the business guy

1 who is quite content with 512? Now, you've got
2 100 megabits. What does he actually fill the pipe
3 with? What does he do?

4 MR. ARMENTROUT: Yes. And I think
5 that's an excellent question in the context of in
6 a small community, you can't think but so big
7 because if you're going to be realistic, you'll
8 know you'll never be a big industry, you'll never
9 be a big business. So, what we do is we share
10 with them what -- how this can transform the
11 community by bringing education to the home, call
12 center type businesses. It can bring different
13 types of businesses to communities which could
14 generate jobs, and et cetera, et cetera.

15 MR. CURTIS: Got it.

16 MR. ARMENTROUT: So, we steered away
17 from what can it do for your small business,
18 because if you're mom and pop you'll probably
19 always be mom and pop unless the community grows.

20 MR. CURTIS: Got it.

21 MR. ARMENTROUT: So, we point them more
22 toward higher education and big business

1 opportunities and what that can do.

2 But I agree computers are a very
3 important part, but I think that there needs to be
4 a public awareness from a practical position. And
5 what I mean by that is for the consumers who
6 haven't had the Internet experience, grew up with
7 it and haven't been around it, they don't really
8 understand how it applies to them at the
9 residential level.

10 What they don't realize is, if you're
11 looking for a job you can go to Monster.com, you
12 know. If you want to get the local news, you
13 know, you can go on the -- it's the practical
14 side. Because for the most part, in the rural
15 remote areas the Internet technology is almost
16 taboo. It's demonized because they haven't
17 experienced it. All they've heard are the
18 negative things that, you know, you read about in
19 the papers.

20 So, I think there needs to be a
21 practical application, an educational process to
22 make the public aware these are some of the very

1 useful -- because it is a very good tool to have,
2 particularly with job searching and education at
3 home programs that you can, you know, work your
4 way through for education purposes, training,
5 information, education for research for the
6 library -- replacement of libraries, et cetera, et
7 cetera.

8 MR. DiMASO: Yes, I -- let me just add
9 that what's interesting is, you know, we're
10 getting to that point where maybe the deployment
11 outstrips the application set that we can get on
12 the platform, right? Which is maybe a better
13 problem to have than not having it.

14 But clearly, you know, if you look at
15 the capacity of some of these networks, you kind
16 of say why are we not using them for virtually
17 everything else? I mean, we do have issues in
18 remote health. You know, a good portion of the
19 health care equation is being able to rapidly
20 diagnose remotely and monitor chronically ill
21 patients, elderly people. So, why aren't we using
22 it for that, right?

1 And so you get to a situation, again,
2 where from a broad perspective you have some major
3 application sets that deal with health care and
4 deal with energy management and deal with security
5 for elderly people at home, et cetera, that tie
6 into bigger social issues that we're trying to
7 solve fundamentally, that we haven't pushed
8 institutionally, which is one area I think, you
9 know, the FCC theoretically could speak to. You
10 know, talking to, you know, a hospital consortia,
11 talking to the insurance providers, plugging into
12 why aren't you monitoring, you know, patients who
13 have been out for 30 days since your return rate
14 of patients from surgery in under 30 days is
15 killing your cost structure in the hospital. What
16 -- how are you using the technology to do that?
17 You know, what is fundamentally there? So, I
18 think that's broad.

19 In terms of some areas that are
20 underserved, I think, again becomes a more
21 granular issue. There's the cluster of folks who
22 haven't adopted because they're older and they're

1 concerned about it, et cetera. There's the
2 significant cluster that economically, even if
3 they could afford the computer, cannot afford the
4 monthly fee for Internet access. So, what's the
5 answer to the total package of services?

6 There's others where you have the school
7 situation. So, well, I can go into school and I
8 can get the computer. I -- that's sufficient, I
9 don't really want anything. But fundamentally,
10 ultimately, we're going to have the entire society
11 really plugged in because too much is going on.
12 And too much can be developed in health care and
13 energy, et cetera, to expect that somebody who's
14 not aware or illiterate can be left out. And
15 there is a social cost to that. And that social
16 cost of the literacy translates to economic cost
17 and then it translates into other issues.

18 So, I think the real issue is, you know,
19 how do you get the group of companies and
20 government entities that touch each of these
21 clusters together? You know, if you get an Intel
22 and you get some of the computing providers and

1 you get some of the cable companies and the
2 carriers and we get together with the FCC and say,
3 okay, we're going to look at this cluster in this
4 particular area and here's the demographics of
5 that, what combination of services do we think
6 could address it, right?

7 And what do we do about the educational
8 component? What do we do about the security
9 component of that, et cetera? So, I think we've
10 got to dive in more granularly at some of these
11 issues rather than trying to look too broadly.

12 But in the broad sense, I think we
13 really have to start driving some of the bigger
14 institutions to how do we use this technology to
15 reach into the community.

16 With all of the issues we've had, for
17 example, with H1N1 flu scares, it still amazes me
18 that there isn't a lot more planning going on in
19 terms of, you know, utilizing remote access
20 technology just in case you have a hit from a
21 corporate environment of something else. Because
22 if 20 percent of your people are out sick, 40

1 percent are not coming in because they think
2 they're going to get sick. If you have a formal
3 game plan to be remote accessed, you're in good
4 shape.

5 We see some of that, but it's much more
6 haphazard. And I think that's where, you know,
7 government, particularly the FCC, can kind of step
8 forward and say, you know, what is your game plan
9 in the event of this? Not to completely, you
10 know, have the entire country out of
11 communication. What is your remote access game
12 plan?

13 And so there's certain things I think we
14 could poke --

15 (Interruption)

16 MR. WELDON: I agree with that very
17 strongly, that the clustering and the one size
18 fits all that doesn't exist.

19 But I think what would be good for the
20 FCC to do is to look at -- well, I wouldn't call
21 them cluster cases, canonical cases that represent
22 significant fractions of the population and look

1 at the private/public investment model and for the
2 set of services that apply in those canonical
3 areas. And there's probably only 5 to 10
4 canonical types. They're probably based on size
5 and density and economic bracket, right? And then
6 also probably what existing technology is already
7 connecting them.

8 And then instead of services overlaid in
9 that, so having the FCC come up with --
10 cooperating with operators and communications
11 providers and computing providers to decide what a
12 canonical offer looks like in that region, I think
13 would be a very valuable thing to do. And then we
14 can decide how to address it best, right? There
15 might be two or three alternatives that give
16 different tiers of services for different funding
17 models and perhaps some are subsidized, some have
18 a PC that's subsidized, some just use government
19 subsidies, perhaps in terms of encouraging users
20 to use government services online, things like
21 that.

22 So, the canonical cases, I think, we

1 would recommend.

2 MR. CURTIS: I think Steve's got a
3 question from online that digs into adjacent areas
4 on this exact issue.

5 MR. ROSENBERG: That's right. From Jeff
6 online. We've talked a lot about residential
7 broadband, obviously institutional broadband. So,
8 the national purposes, verticals, the schools,
9 hospitals, and then also businesses more broadly,
10 how do they effect the cost structure of rolling
11 out broadband and big broadband?

12 David, I think you've talked a little
13 bit about that in your footprint. So, why don't
14 we start with you, if that's okay?

15 MR. ARMENTROUT: If you could clarify
16 the question, I want to make sure I answer it
17 correctly.

18 MR. ROSENBERG: Okay. Well, we've
19 talked a lot about the barriers and ability to
20 roll out broadband residentially. Feels like
21 there's an opportunity to use the scale that
22 businesses, that schools and hospitals, for

1 example, can give you to change the entire
2 equation of the equation, the equation of the
3 finances and where you're able to roll out.

4 MR. ARMENTROUT: Yes, absolutely.
5 Again, with our model what we have done is we have
6 looked at reducing our operating costs by reducing
7 the leased facility, by building out fiber to the
8 business. So, from an OPEX cost, it's good for
9 the company. It does reduce the amount of
10 technical time that's required because we have
11 less rollout when it rains or storms because, you
12 know, fiber is less susceptible to the inclement
13 weather problems than copper is. So, from an OPEX
14 side, it works great.

15 To the business who now gets fiber, that
16 infrastructure that has been laid to support the
17 business. Now, when you go and want to look at a
18 residential fiber to the home model, you don't
19 have to look at middle mile build out. You don't
20 have to look at backbone. The only thing you
21 really have to look at is the blades that you're
22 going to add to increase the bandwidth, and the

1 next thing is just your drop in your -- the
2 consumer equipment.

3 So, the cost -- and I can tell you, our
4 cost for fiber to the business is about \$1,750 per
5 business. And if you take out the splitter and
6 the middle mile piece, the cost to add a
7 residential consumer off of that same
8 infrastructure is \$720. So, it's significantly
9 less.

10 MR. CURTIS: And what would it be
11 without the business tenant?

12 MR. ARMENTROUT: You'd be back to the
13 \$1,750.

14 MR. CURTIS: Back to the \$1,750, got it.
15 That's -- get a lot of leverage that way.

16 MR. NEWBY: Dallas, it sounded like you
17 were coming at it from the other perspective, have
18 it -- started with a res build and moving towards
19 businesses.

20 MR. CLEMENT: Yes, that's exactly right.
21 In fact, the nice thing about broadband, and sort
22 of starting back in the mid-'90s, is that it built

1 our credibility on operating two-way networks.
2 And it raised the level of our game in terms of
3 reliability, network outages, network management,
4 et cetera, such that we built credibility in our
5 markets and we could go sell to small, medium, and
6 sometimes large businesses. And so we've built a
7 very substantive business selling to hospitals,
8 selling to military establishments, and some of
9 our markets where that's schools, and all kinds of
10 businesses. And those decision-makers oftentimes
11 at the businesses are the same decision-makers at
12 home. And so we're able to sort of leverage that.

13 In terms of the cost of build out, we
14 have a metro core, fiber-based, and so building
15 out to commercial establishments in terms of
16 industrial areas is relatively inexpensive. It
17 used to be that we would build out only when we
18 had enough signed contracts and we could make --
19 we could justify the cost right then and there.

20 Today, we built enough confidence in
21 ourselves and credibility in the market such that
22 we're building out into those areas and then going

1 and trying to compete for the business. Clearly,
2 in sort of strip malls and areas where the network
3 was already going across, that's been prime for
4 us.

5 To your point on hospitals and schools
6 and to the point that Marcus is making a little
7 bit, and Tony also, you know, where I think we all
8 struggle in this ecosystem and the FCC can help
9 is, so, today broadband to businesses is about
10 connectivity, and it can do lots more than
11 connectivity. But in the case of schools, whether
12 it's a client server and there are special apps
13 available for the school, is there a way to
14 leverage what the school's trying to do in
15 education back into the home or back to -- or
16 between businesses?

17 Someone's got to take the leadership.
18 It's not really sort of in our wheelhouse as a
19 service provider. The schools typically, in any
20 given school, don't have the expertise. They need
21 broader leadership. And so you sort of are left
22 wondering who's got the ball?

1 And I think it's the same thing in
2 health care, same thing in energy demand
3 management. And that's where I think there's a
4 real opportunity to sort of drive consensus and
5 really understand, you know, the business model
6 and the benefit, and drive those applications and
7 utilization of that connectivity.

8 MR. CURTIS: Got an online question
9 which I'll tinker with just a little bit.

10 Fundamentally, the question is I
11 subscribe to a service that promises -- their
12 words, not mine -- let's make up a number so we
13 don't give anything away, 10 megabits down.

14 And when I download a DVD, it keeps
15 telling me I only get 1.3.

16 Two questions. What is the choke point
17 in the network from your point of view that causes
18 the spread between advertised and delivered? And
19 then second, you know, given some cost structure
20 for the best efforts network, what's your point of
21 view on the incremental costs to make it an
22 SLA-driven network on the -- you know, put

1 guarantees around the advertised rate?

2 MR. DiMASO: Well, I've heard AT&T's
3 having a lot of problems with it. (Laughter)
4 Don't get it, but you know, it's -- no, sorry, no
5 disrespect.

6 You know, one of the issues -- and it's
7 interesting, because, you know, we've always
8 basically came out with advertising as up-to,
9 right? But you don't want to -- you can't have it
10 that far off, right?

11 The issues -- and this gets back to the
12 whole issue of service-level quality guarantees is
13 that if it's within an ecosystem. If it's within
14 the Verizon network or it's within the Cox network
15 or whatever, you, in theory, have no excuse if you
16 can't control all the variables on that to deliver
17 it. And one of the challenges in the open
18 Internet environment, of course, is that your
19 choke points could be remote servers. They could
20 be the site that's delivering the capability. So,
21 that's one of the issues that we're challenged
22 with.

1 We don't -- we get, on occasion, issues
2 of degradation. And none has come to my -- I
3 periodically get, you know, customer calls and
4 different things, but certainly I don't see all
5 the service calls. So I couldn't quote on all
6 that.

7 But clearly you usually don't see that
8 level of degradation unless there's something
9 fundamentally wrong on the routing system. And
10 so, if we do get that, we take it as a service
11 call. We'll check, you know, through the routing
12 to the end of our network and take a look at where
13 that's coming in. But from that point, it's
14 awfully hard to diagnose what the issue is.

15 If the same customer is having a problem
16 from multiple different sites, then somewhere
17 along the line we're missing something and we've
18 got to go back and recheck our network. If it's
19 multiple customers from the same, you know,
20 download of a video type, then you can safely go
21 to, you know, with a remote server or whoever owns
22 the remote servers. If it's a normal, like, say a

1 Disney video, you can go to Disney and trace back
2 and can work with them on it.

3 MR. CURTIS: What's your sense of that,
4 you know, if you drew the histogram of the
5 troubles that came in over, you know, root cause?
6 Is it mostly slow applications over performance,
7 do you think?

8 MR. DiMASO: You know, I don't want to
9 be -- I don't have the data for that, Rob, so I
10 hate to comment on it. I think there's certainly,
11 from what we've seen, elements of both. There's
12 elements of issues in our network.

13 There's elements of issues at the user
14 location. There's elements of issues at the
15 server. We've seen all of that. I certainly
16 couldn't comment on the breakdown of that because
17 I haven't seen any data.

18 MR. CURTIS: That's fine.

19 MR. DiMASO: So, I don't want to be
20 unfair about it. But suffice it to say, that's
21 one of the issues in guaranteeing a service level
22 is how do you do that? And so a lot of the

1 discussion, for example, we have with video
2 providers or others with content is do you want to
3 host it on our servers? And then we can guarantee
4 a service level because we control all the
5 components.

6 So, there's always a lot of that
7 discussion about what comes in over the Internet
8 versus what you can host in your own cloud.

9 MR. CLEMENT: And I'll just comment on
10 that a little bit. You know, in the early days
11 with broadband, it was speed and price. And it
12 wasn't even speed because someone had this
13 application that needed a particular speed.

14 It was speed because speed was the
15 indicator, from a consumer's perspective on, well,
16 they must have a better network, they're offering
17 a faster speed. And so in the early days, there
18 was lots of marketing on speed and price. And it
19 was -- and up to a best efforts and people were
20 sort of qualified that, and people rarely got to
21 those advertised, you know, speeds.

22 But the Internet is sort of an

1 interesting thing. And it's viral and there's all
2 -- you know, there's broadband reports. And so,
3 today, I think service providers are actually much
4 better at getting to advertised speeds because
5 there are the vocal minority who are keeping you
6 honest. And they're saying, hey, Cox, you're not
7 getting to that speed whereas Verizon is getting
8 to that speed. So, you know, they're sending
9 folks to, you know, Verizon.

10 So I think the service providers are
11 doing a much better job of getting to those
12 advertised speeds than perhaps we have in the
13 past. I agree with Tony that oftentimes today, if
14 you're not getting the advertised speed, it's
15 typically not within the Cox network. It's
16 typically outside of the network.

17 You know, real concerns on whether or
18 not it makes sense to offer guaranteed service on
19 the residential side, we certainly do that on the
20 business side, but it's a premium service. And
21 for those customers in the home who want
22 guaranteed throughput, we sell them a

1 business-level service rather than a residential
2 service.

3 Craig talked about a little bit, you
4 know, before in terms of, you know, how on the
5 residential side you over provision the network.
6 And that's taken into account in terms of how we
7 build the network, how we operate the network, and
8 take into account in terms of making our costs to
9 capital. And so, you know, looking to guaranteed
10 bandwidth when the applications aren't requiring
11 that just adds another cost layer that, at least
12 today, customers aren't asking for.

13 MR. NEWBY: This will really all just
14 take time, I think, to manifest. If you look back
15 to when Vanderbilt built the Grand Central
16 Parkway, there was only one car on it. And today,
17 in about a couple hours, you won't be able to
18 move. And, you know, you sell a guy a Ferrari who
19 lives on Long Island, what's his SLA, he can do a
20 buck-10 into the city. Not that good.

21 You think about take rates and
22 subscription and overbilled, and it's contrarian

1 to the concept of the public Internet, which no
2 one owns and really no one can regulate because
3 it's a public infrastructure. Couldn't it be on
4 the local side, the access side, the server side,
5 the other side of the planet? And you don't
6 really know -- and I've always been an advocate
7 for private Internets. You know, IP is not the
8 Internet. IP is Internet Protocol. And you have
9 a couple representatives of very large private
10 Internets, essentially.

11 The issue with that, though, is that not
12 all content can be hosted locally in your world.
13 So if you're going to offer an SLA to a customer
14 and say for anything that's on our network, that's
15 like, well, okay, great. Well, what's on your
16 network? You going to put up a web page that says
17 how many, you know, providers are hosted locally
18 on your servers? And what if it is, in fact,
19 something that isn't? You know, and then what's
20 the SLA?

21 It's not like the old days with
22 point-to-point frame and ATM where you could have,

1 you know, CIR on a PVC. And so this is going to
2 be this speed and it works. We moved away from
3 the frame cloud and then the Internet cloud sort
4 of took the name, but it was all public
5 infrastructure.

6 The way to solve for it -- and there's
7 no silver bullet because tomorrow, an app could
8 come out, you know, the new YouTube that nobody
9 has hosted on their stuff. But the way to solve
10 for it is building out more core infrastructure of
11 your own to expand your own network. Just ask
12 anybody who's built their transport network on
13 their own fiber and think if they could give up
14 that fiber how would they survive in the public
15 Internet cloud? They couldn't.

16 So, getting deeper and deeper and denser
17 and denser in your own physical infrastructure
18 footprint with your own equipment and then in the
19 established peering points, which are essentially
20 IP interconnection points, throughout the world --
21 we have several of them in the U.S. -- the major
22 last mile networks can directly connect to the

1 content in order to get from the last mile to that
2 point, though you need what is referred to as
3 middle mile or back haul or long haul or whatnot.

4 Those neural points become more dense.
5 This is a living, growing organism essentially
6 that we're creating. And it will continue to
7 morph over time.

8 MR. WELDON: I'm going to relate to a
9 thing we see. We're increasingly looking to build
10 content management networks or content
11 distribution networks to parallel the large global
12 content distribution networks. So you do move
13 more of the applications and you can do this
14 dynamically. Meaning, you can discover a new
15 application and move that content into your domain
16 and serve the content that way. And that really
17 is to improve the availability of the service
18 because they're not making any money from that
19 service. It really is to allow the broadband
20 experience to be the advertised rate and not be
21 constrained by server rate.

22 Now, other applications could be hosted

1 there, of course. But that is one of the ways in
2 which it's being increasingly addressed by
3 operators building CDNs within their
4 infrastructure.

5 MS. GOODHEART: Everyone sort of
6 mentioned the cost to build. And just to follow
7 up in terms of, like, the Commission's role, two
8 parts.

9 First, do you have a preference? In the
10 record, people have proposed, like, direct funding
11 like from a U.S. EPTEP-type pot fund and also tax
12 subsidies -- I mean, tax credits. Is there a
13 preference? Is there a benefit to one or the
14 other?

15 And secondly, aside from pole
16 attachments, which David mentioned, is there any
17 regulatory issue that substantially delays
18 deployment and increases cost substantially that
19 we should be aware of?

20 MR. ARMENTROUT: I do have one comment
21 that just comes to mind. In the early days of,
22 you know, 1997, '98, and '99 timeframe, when there

1 were many newly-forming companies filing for CLEC
2 status, all of the ILECs fairly pretty much had
3 certificated various other companies who were
4 certified to do work within a central office. So
5 what that meant was, as a new start up company,
6 you had your choice of construction contract
7 workers that were certified to do the colocation
8 work, which allowed you to get the best price and
9 it allowed you to pick the vendor that could get
10 the work done in a timeframe in which you needed
11 it.

12 What is missing on the pole application
13 make ready process is if there were -- what the
14 make ready piece is the piece that's really broke.
15 Because you can get the application processed in
16 45 days, which that really doesn't happen, ever.
17 It's more like 90. But that you can work with
18 some.

19 But the challenge comes, once you get
20 the application back and it says X-amount of work
21 has to be done in order to get these poles in a
22 condition for you to attach your fiber. The --

1 what I think the FCC could do is, you know, put
2 some ruling where the ILECs or the pole owners,
3 whether it's some utility or whomever, have to
4 provide a list of approved contractors that the
5 CLEC could chose whom he could negotiate his best
6 deal with. Then, I believe you could change the
7 speed to market and you could also reduce the cost
8 because now you'll have contractors competing
9 against each other for pricing.

10 So, I think that worked very well in the
11 early start-up days for the colocation process.
12 And I think that could be very helpful out in the
13 field.

14 MR. CURTIS: Question about the nature
15 of traffic that you all expect, you know, going
16 forward. Traffic's pretty much evolved in a very
17 asymmetric fashion. It's largely been, you know,
18 pushed downstream, you know, pull down a picture
19 or receive an e-mail. We've not had a significant
20 demand for, you know, symmetry, you know, uplink.

21 A, do you see that mix changing
22 significantly, you know, over the next, you know,

1 let's call it three to five years? And if you do,
2 what implications does that have for, you know,
3 the way you need to think about, you know,
4 building out, modifying infrastructure, you know,
5 things along those lines?

6 MR. CLEMENT: Rebekah, your question
7 first.

8 MR. CURTIS: Oh, yes.

9 MR. CLEMENT: Because I don't think we
10 answered her question relative to tax credits or
11 relative to the USF.

12 And then, Rob, I'll hit yours.

13 MR. CURTIS: That's great.

14 MR. CLEMENT: But for Rebekah, you know,
15 I think we talked about the difficulty in having
16 multiple carriers build out to remote locations.
17 And to me, tax credits sound like, you know, you
18 put some definition around it and you get it if
19 you go build it. Is that the most efficient way
20 or is it a more managed process for those
21 one-offs? Is it a pocket out there somewhere or
22 is it low density? And it may be conducive to

1 requiring a more managed process versus tax
2 credits. But not my area of expertise, but wanted
3 to offer that as a differentiator.

4 Relative to traffic, you know,
5 interestingly enough, two years ago, I think we
6 all thought that traffic was going to be more
7 symmetrical because there was a lot of
8 peer-to-peer out there. Now, the majority of
9 peer-to-peer was illegal content, and we haven't
10 talked about the legality of the content that is
11 out there. But what we found today is that with
12 iTunes and other applications offering legal
13 content, they found that with content delivery
14 networks the more efficient way is more
15 asymmetrical. And it's more sort of downward
16 pushing.

17 You know, if you look at the history --
18 I mean, if you look at what's happened in America
19 for years and years and years, most all of it's
20 down. It's call watching television seven hours a
21 day, and that's all down. And I think at least
22 our estimation is that that will continue to be

1 the majority. There will certainly be
2 user-generated content that's uploaded and there
3 will continue to be sort of upticks. But, you
4 know, I think people will continue to consume, you
5 know, more, and professionally generated content
6 is still the majority of content that is viewed
7 and utilized on the Internet versus the
8 user-generated content.

9 MR. DiMASO: Yes, let me add, Rebekah,
10 to your point. I think I would say the same
11 thing, you know, to create an artificial
12 incentive, to do the wrong thing probably wouldn't
13 be helpful, right? I think, again, it comes down
14 to what's the granular look at where we want to
15 improve the situation? And let's kind of take
16 what we have available today and figure it out
17 rather than -- and if there was some economic
18 incentive after that point in time for a specific
19 component, great, but as a blanket policy, I
20 suspect we wouldn't get the bang for the buck that
21 you'd hoped you would.

22 In terms of the traffic, I would agree

1 with Dallas. I think that, you know, clearly our,
2 you know, fire service has been designed for
3 significantly more upload capability. And we're
4 seeing a good portion of that, but primarily with
5 business-related applications, you know, home-
6 based businesses, small businesses, things of that
7 nature.

8 And I think, you know, over time do I
9 see an explosion of it? You know, unless there's
10 a pandemic where everybody's working from home,
11 okay, and trading huge files.

12 And I hate to think of that as an
13 incentive to move forward, okay? Not exactly what
14 we had in mind, you know?

15 But I think at the end of the day,
16 that's something that will evolve over time as the
17 other aspects of what we could utilize these
18 platforms for evolves. So, I don't think it's
19 something that we've got to have crash courses in
20 upload capability.

21 But we aren't seeing enough of it with
22 enough applications and with user-generated

1 content, but primarily on the business side with
2 huge files for certain professionals at home, et
3 cetera. That there -- we feel pretty good about
4 it. But still primarily today, it's mostly the
5 download speeds.

6 But, you know, again, we've designed the
7 network not to have to continually upgrade the
8 capability once the fiber's there and the
9 electronics are on it. Now, it's layering as many
10 applications as we can on it that make some sense
11 for the different purposes of users in the home or
12 in the small business, et cetera.

13 MR. CURTIS: I guess the reason I asked
14 is, you think about a lot of the applications you
15 all have talked about: Telemedicine, telehealth,
16 remote monitoring, you know, videoconferencing,
17 high-def videoconferencing. You know, a lot of
18 that is clearly in the business end now, but you
19 can imagine a world in which, you know, perhaps a
20 lot of that stuff starts to push downstream into
21 the home and the use starts to change. Just
22 wondering -- Craig, it looks like you've got

1 something on the tip of your tongue on this.

2 MR. MOFFETT: Well, no, I just think you
3 have to be aware. There is naturally a
4 path-dependency issue here. And if you were an
5 application designer today, FiOS now is getting
6 close to a couple of million customers on the
7 network, but that's still less than 2 percent of
8 the U.S. Population with that level of upload
9 capacity, right?

10 If you were an application designer, you
11 would say the available market probably isn't
12 sufficient that I'm going to design my application
13 that way. So I'm going to design my application
14 in a way that is less bandwidth-intensive
15 upstream, does more processing in the client. And
16 if you think about the way online gaming evolved,
17 it evolved the way it evolved largely because of
18 the upload constraints, and so games were designed
19 the way they were designed.

20 And I think realistically that's going
21 to remain a constraint for a long time. And as
22 long as people design applications in order to be

1 cognizant of the constraints on the network,
2 you'll probably be able to live within those
3 constraints on upstream capacity, at least for a
4 while. I mean, there clearly is a growing demand
5 for uploading large files and that sort of thing.
6 But the true synchronicity and the symmetrical
7 large streaming traffic, I think, is more a
8 question of the way you design applications today
9 than it is of constraints on the network.

10 MR. WELDON: I would say in terms of the
11 FCC's role, one of the services cases that needs
12 to be seriously looked at is these canonical
13 cases, the services cases that have continuous
14 upstream streaming for remote monitoring,
15 e-health, videoconferencing. At least one or two
16 concurrent video streams need to be part of the
17 service model you analyze to say is that an
18 affordable model? Because a lot of the new
19 revenue-generating services are there.

20 So, just because they may not consume
21 anywhere near as much bandwidth on average as the
22 downstream services, the revenue might be in the

1 upstream services. So -- and the economic and
2 social benefit is in the upstream services,
3 probably as much as the downstream. So, we need
4 to have that as part of the equation. And then
5 the application providers -- or the application
6 writers will actually modify their application,
7 hopefully, to take advantage of the network that
8 gets built in the appropriate way.

9 But if the network doesn't get built
10 correctly, we're always in this constrained
11 environment. The social benefit doesn't appear
12 and the economic benefit doesn't appear either.
13 So, there needs to be a bar set that says this
14 must be a design criteria to support one or two
15 upstream communication sessions with video
16 content. Otherwise, I think we will under-build
17 the network.

18 MR. NEWBY: I'd like to answer both
19 questions, but in reverse. Yours first and then
20 Rebekah's. Because it came to mind as what a
21 driver for the infrastructure build would be.

22 I believe that the change has already

1 taken place. It's all point and time and location
2 based. Again, I go back to Korea. They have full
3 duplex video mobile. We don't. If the network is
4 there, the applications are developed and it comes
5 down to a design spec. You need a plan or to be
6 fortunate enough to live on a peninsula that's not
7 very large.

8 Going back to that, though, we focus a
9 lot on consumer with this discussion as it relates
10 to infrastructure development for the country.
11 Telepresence already exists; it has for some time.
12 I'm a big fan of telepresence. I've been tracking
13 it for years. And I happen to know a couple of
14 people that are in that space who have really
15 pioneered it.

16 And if you look at what telepresence is
17 on the business side -- getting away from, you
18 know, the Dick Tracy watch or the full duplex
19 video mobile for consumers -- it's business-level,
20 conference room-type, full duplex, everybody's in
21 the same room, but they're all around the world.
22 And it uses IP, but it does not use the public

1 Internet because the public Internet can't support
2 it.

3 So there's a clear differentiation
4 between applications, the public Internet, and
5 that whole concept, and then a business-level
6 application of full duplex video HD. You know, HD
7 doesn't use a public Internet either, largely for
8 origination for sure, and 720i on YouTube only for
9 download and that's still sketchy.

10 So, there are the applications and they
11 exist and you have to look at how you're going to
12 design your networks in order to support them. It
13 doesn't really make a whole lot of sense to have a
14 private, dedicated telepresence network on a
15 regional basis that can't connect to another one,
16 which is why when HP built, you know, Heaven and
17 Halo, they did it on their own dedicated DS3s to
18 the endpoints, and then the core they had their
19 own fiber and their own 10 gig waves. They don't
20 use the public Internet, they don't use ISPs.
21 ISPs don't exist in that equation. So, there's an
22 app and it'll certainly drive it as and when the

1 business stakes make sense.

2 If we go back to your question, what
3 could some of the incentives be? And I'll turn
4 this whole back to the rural areas, specifically.
5 If you're familiar with the Intercarrier
6 Compensation Forum and the concept of the edge
7 network built sort of within that, and the debate
8 and battle that went on between those carriers
9 that were living off of reciprocal compensation --
10 strictly a voice conversation, by the way, voice
11 revenue.

12 Recip Comp and then the incumbents that
13 want to drive that down to so far in the decimal
14 point that you can't see a number anymore, Recip
15 Comp and the fees that they were and still are
16 generating in certain areas are, in a sense, a
17 subsidy that has been keeping a lot of these
18 companies alive for a long time without having the
19 capital or any, you know, new infrastructure build
20 out for new applications because they've been so
21 remote. And a lot of that has to do with the lack
22 of middle mile infrastructure facilities that

1 could get them high speed to the Internet that the
2 rest of the world has.

3 But again, the disparity between voice
4 and the PSTN and the IP world. And what I had
5 said a long time ago, is that a big motivation is
6 just to get away from Recip Comp on your own as a
7 group and not let it just be squeezed out of
8 existence to you and then you try to figure out
9 how you're going to replace that revenue.

10 The incentive is to move to IP. And on
11 the voice side, move to SIP. And do exactly what
12 the ICF said and the edge network, but do it for
13 yourselves. And as rural networks, create an IP
14 network of your own that is yours.

15 So if you connected all the rural telcos
16 in the country, they would have as many Annies
17 and as many endpoints as an RBOC. They're
18 disparate, but they could access one. And they
19 could do that by creating their own Layer 2
20 network and establishing what's called a VLAN,
21 virtual local area network connection, and use SIP
22 trucking and set up their own gateways to be one

1 whole, homogenous network that just happens to
2 represent a lot of different parts of the country.
3 Then they could sit at the table with the big boys
4 and negotiate a real peering and settlement
5 agreement for all of their endpoints, which would
6 probably total in the millions, a lot more than
7 they are as standalone, independent entities that
8 can be essentially, you know, cornered and killed
9 off slowly on the voice side.

10 No disrespect to the big guys. So, if
11 they did that, they would be able to peer their
12 own internal traffic, which would allow them to
13 call each other if they chose to do multilateral,
14 which is obviously up to everybody on their own.
15 Multilateral being free cost to originate,
16 terminate, which is the way e-mail works. If
17 anybody remembers e-mail used to cost a quarter or
18 whatever it was? With, you know, IBM it's free.
19 Zero mile, flat rate, global. Doesn't matter if
20 you're in Singapore or wherever you are.

21 Voice is, in a lot of places right now,
22 multilateral. It's free. There's something

1 called the voice peering fabric that existed since
2 2003. It has over 500 members, it carries over
3 2-1/2 billion minutes of totally multilateral
4 traffic today, right now, between cable companies
5 and CLECs and enterprises and VOB providers and
6 everything else.

7 That could go out to the rural areas and
8 that could basically become a driver for them to
9 connect to it. The voice peering fabric I'm
10 referring to is a distributed, globally layered to
11 Ethernet switch fabric for voice specifically.
12 But there's no voice switch in it. It's just a
13 big Ethernet provisioning mechanism. And if the
14 rural networks were to connect to it and use it as
15 their backbone, they could peer with each other.

16 That -- let's call it an application of
17 the transition from PSTN voice to IP voice is what
18 would be the motivation for them to get access to
19 broadband. And if they, the rural telco level,
20 start there, that gets you closer to them that
21 they could then turn around and drive it further
22 down to their end customers because they would

1 have -- obviously at that point it would be
2 beneficial. They don't have to, but they could
3 IP-enable their own endpoints. And that's the
4 starting point. It's just the beginning.

5 And again, it'll take time and it'll
6 migrate. But how else are they going to be
7 motivated, incentivized, you know, as a group to
8 do it? I agree, don't give incentives to create a
9 problem. I think, though, that they see the
10 writing on the wall. They need to make that
11 transition to the IP world independently, and that
12 would be good.

13 MR. CURTIS: I think, sadly, we're
14 coming to the end of our time. But in the
15 interest of parity, does one of the big guys want
16 to say anything before we close this off?

17 MR. CLEMENT: I'll just make one point,
18 one quick comment. And that is, you know, Craig
19 talked about the fact that we're offering services
20 that are dynamic and some services are under
21 pressure. And the way we justify the cost for
22 this network is a combination of private point-

1 to-point IP network or other technology network
2 services that have some revenue associated with it
3 and broadband, open sort of services. And if the
4 FCC defines the open sort of set of services to
5 include all the higher value stuff, then it's
6 going to be a higher cost for the open Internet.

7 So, it's a delicate balance in terms of
8 what's the business model for the higher value
9 applications for the carriers? Because it's one
10 network for us. And we have to look at all the
11 revenue streams and all the cost components to be
12 able to build, support, upgrade that one network.

13 MR. CURTIS: Guys, thank you very much.
14 This has been a great discussion, from my point of
15 view. Hope for everyone else as well.

16 You know, would like to continue, in all
17 likelihood, the dialogue with everyone. There
18 were a lot of issues raised that don't have data
19 on yet that we'd love to get into deeper with all
20 of you and hope you're amenable to that.

21 And let's just say thank you very much
22 for taking the time to come here, participate on

1 the panel, and share your thoughts. It's
2 extremely productive. Thanks a lot.

3 (Whereupon, the PROCEEDINGS were
4 adjourned.)

5 * * * * *

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 I, Carleton J. Anderson, III do hereby
3 certify that the forgoing electronic file when
4 originally transmitted was reduced to text at my
5 direction; that said transcript is a true record
6 of the proceedings therein referenced; that I am
7 neither counsel for, related to, nor employed by
8 any of the parties to the action in which these
9 proceedings were taken; and, furthermore, that I
10 am neither a relative or employee of any attorney
11 or counsel employed by the parties hereto, nor
12 financially or otherwise interested in the outcome
13 of this action.

14 /s/Carleton J. Anderson, III

15

16

17 Notary Public in and for the

18 Commonwealth of Virginia

19 Commission No. 351998

20 Expires: November 30, 2012

21

22

ANDERSON COURT REPORTING
706 Duke Street, Suite 100
Alexandria, VA 22314
Phone (703) 519-7180 Fax (703) 519-7190