

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
 532nd Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, May 5, 2006

Work Order No.: NRC-1013

Pages 1-28

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

532nd MEETING

+ + + + +

FRIDAY,

MAY 5, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The committee met at the Nuclear
Regulatory Commission, Two White Flint North,
Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Graham
Wallis, Chairman, presiding.

COMMITTEE MEMBERS:

GRAHAM WALLIS, Chairman

WILLIAM J. SHACK, Vice Chairman

GEORGE E. APOSTOLAKIS, Member

J. SAM ARMIJO, Member

MARIO V. BONACA, Member

RICHARD DENNING, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMITTEE MEMBERS: (cont'd)

THOMAS S. KRESS, Member

OTTO C. MAYNARD, Member

DANA A. POWERS, Member

JOHN D. SIEBER, Member at Large

SAM DURAISWAMY, Designated Federal Official

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

AGENDA ITEM

PAGE

Opening Remarks by the ACRS Chairman 4

NRC Staff's Response to ACRS Comments 7

on the Draft Final Revision 4 to
Regulatory Guide 1.97, "Criteria for
Accident Monitoring Instrumentation
for Nuclear Power Plants"

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN WALLIS: The meeting will now come to order. Good morning. This is the second day of the 532nd meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the committee will consider the following: the NRC staff's response to ARCR -- ACRS comments on the draft final Revision 4 to Regulatory Guide 1.97, "Criteria for Accident Monitoring Instrumentation for Nuclear Power Plants"; a subcommittee report on the PRA for the SBWR; future ACRS activities; report of the Planning and Procedures Subcommittee; reconciliation of ACRS comments and recommendations; and the preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments from members of the public regarding today's sessions. We have received a request from Mr. Wes Bowers from Exelon to make an oral statement regarding Regulatory Guide 1.97, Revision 4. And we have also received a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 request from Bill Horin of the Nuclear Group on
2 Equipment Qualification to make a similar oral
3 statement.

4 A transcript of a portion of the meeting
5 is being kept, and it is requested that the speakers
6 use one of the microphones, identify themselves, and
7 speak with sufficient clarity and volume so that they
8 can be readily heard.

9 You have before you a set of items of
10 interest. Note that in there there is a long SECY on
11 the matter of sumps, and there is a statement by
12 Chairman Diaz on security she made before a committee
13 of the U.S. House of Representatives.

14 So I'd now like to proceed with the
15 meeting. I call upon my colleague, Jack Sieber, to
16 get us started on the first item, which concerns the
17 staff's response to our comments on the draft final
18 Revision 4 to Reg. Guide 1.97.

19 MEMBER SIEBER: Okay. Thank you, Mr.
20 Chairman. I'm sure the members recall that during the
21 530th meeting of this committee in March we heard a
22 presentation from the staff related to the endorsement
23 through Reg. Guide 1.97 of a new IEEE standard which
24 related to accident monitoring instrumentation.

25 We followed up by providing the staff with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a letter stating our views, and we had three
2 conclusions and recommendations, the first of which
3 said Rev. 4 of Regulatory Guide 1.97 should not be
4 issued in its present form. The second one --
5 recommendation was the staff should revise regulatory
6 position 1 to allow licensees to adopt the IEEE
7 Standard 497-2002 to modify individual accident
8 monitoring instruments without a complete analysis of
9 all accident monitoring instrumentation.

10 And, lastly, we agree that licensees
11 should not be allowed to use the IEEE standard to
12 eliminate or reclassify -- in other words, downgrade
13 -- accident monitoring and instrumentation required by
14 previous standards in our previous editions of the
15 standard, unless Rev. 4 to the Regulatory Guide is
16 adopted in its entirety.

17 Staff has considered our recommendations
18 and is proposing a modification to Reg. Guide 1.97,
19 which is intended to address our concerns as we
20 expressed them in March. And so I would recommend
21 that we listen to -- very carefully to the staff's
22 proposed resolution of these issues.

23 Now, we do have two members of the public
24 who would like to make a statement. And when the
25 staff presentation concludes, we will provide an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity for the two individuals to make a
2 statement.

3 So with that, I would like to introduce
4 George Tartal, I&C Engineer, who has been working on
5 these issues, and allow him to make his presentation.
6 George?

7 MR. TARTAL: Thank you. Good morning,
8 everyone, and happy Cinco de Mayo. As Dr. Sieber --

9 MEMBER POWERS: It's feliz Cinco de Mayo.
10 (Laughter.)

11 MR. TARTAL: My name is George Tartal, and
12 I'm from the Division of Fuel Engineering and
13 Radiological Research within the Office of Nuclear
14 Regulatory Research. Also here with me today is Mr.
15 Barry Marcus from NRR. He's the lead reviewer from
16 NRR on accident monitoring instrumentation issues, and
17 he is here to help out with any comments and concerns
18 there might be on implementation of Reg. Guide 1.97.

19 Today we'll be talking about the
20 discussions that we had during the March 10, 2006,
21 meeting. We'll be talking about what the previous
22 regulatory position 1 said. We'll talk about the
23 comments in the ACRS letter to the EDO dated March 28,
24 2006; then, the staff resolution of ACRS comments;
25 we'll describe what the revised regulatory position 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 says; and a conclusion.

2 On March 10, 2006, the RES staff presented
3 the draft final Reg. Guide 1.97 Rev. 4 to the ACRS.
4 The ACRS focused their comments and discussion on
5 regulatory positions 1 and 4. And to refresh your
6 memory on what these regulatory positions say,
7 regulatory position 1 described the use of Rev. 4 by
8 licensees of current operating plants, and regulatory
9 position 4 recommended adding contingency actions
10 within the licensing basis to the scope of potential
11 Type A variables.

12 And during the discussions that we had
13 with the ACRS, the staff concluded that the ACRS
14 agreed with regulatory position 4 but still had
15 residual concerns with regulatory position 1. That's
16 why we're here today.

17 So with the previous version of regulatory
18 position 1 from December 2005, it stated that "If a
19 current operating reactor licensee voluntarily
20 converts to the criteria in Rev. 4 of this guide, the
21 licensee should perform the conversion on the plant's
22 entire accident monitoring program to ensure complete
23 analysis."

24 Now, the supporting text that went along
25 with that regulatory position provided some additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarifications, one of which was that the Rev. 4 was
2 primarily intended for licensees of new nuclear power
3 plants, and that licensees of current operating
4 reactors may voluntarily convert to the criteria in
5 Rev. 4.

6 Now, when we talk about conversion we also
7 clarify that conversion refers to adapting the plant's
8 entire accident monitoring program from Rev. 3 or its
9 current licensing basis to Rev. 4.

10 It also stated that conversion could
11 involve physical mods and licensing basis changes
12 which could result in significant cost implications,
13 and that's because of the criteria differences between
14 Rev. 3 and Rev. 4. Specifically, Rev. 4 has no design
15 qualification categories, but instead assigns the
16 design and qualification criteria by variable type,
17 and also because Rev. 4 has no prescriptive tables of
18 variables to monitor. Instead, it uses select
19 variables based on the EOPs, AOPs, and similar
20 documents.

21 Another statement in the regulatory
22 position was that partial conversions were not
23 recommended due to the potential for loss of variables
24 or interaction with other variables without a complete
25 analysis. So those were the main points of regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 position 1.

2 The ACRS and the staff discussed the
3 position during the March 10th meeting, and the result
4 of the discussions was the ACRS letter to the EDO. So
5 in this letter to the EDO that the ACRS wrote on
6 March 28, 2006, there were three conclusions and
7 recommendations, one of which was that the Rev. 4
8 should not be issued in its present form.

9 The second was that the staff should
10 revise regulatory position 1 to allow licensees to
11 adopt the standard and modify individual accident
12 monitoring instruments without a complete analysis of
13 all accident monitoring instrumentation.

14 And, third, that the ACRS agreed that
15 licensees should not be allowed to use the IEEE
16 standard to eliminate or reclassify accident
17 monitoring instruments required by previous editions
18 of the standard unless Rev. 4 to Reg. Guide 1.97 was
19 adopted in its entirety.

20 The ACRS also commented in the letter that
21 the staff had adopted a position that could frustrate
22 the application of this standard to modifying and
23 upgrading portions of accident monitoring
24 instrumentation in existing plants.

25 So as a result of the ACRS comments, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff considered these comments and attempted to find
2 a solution that would provide more flexibility in
3 current licensing -- for current licensees desiring to
4 make modifications based on the criteria in Rev. 4.
5 And for modifications the staff position is that an
6 analysis should first be performed based on the Rev. 4
7 selection criteria.

8 And why is that? And the reason is
9 because Rev. 3 criteria is assigned by Category 1, 2,
10 and 3, whereas Rev. 4 assigns criteria based on
11 variable type A, B, C, D, or E. Since the criteria
12 are assigned differently, there has to be some way of
13 correlating which Rev. 4 criteria apply to which
14 variables, and that's the point -- the intent of this
15 analysis that we're talking about.

16 I'd like to also point out that the
17 analysis we're talking about here that will be
18 performed as a technical basis for modifications is
19 really a subset of the analysis that will be performed
20 for a conversion.

21 So for modifications you would evaluate
22 the accident monitoring instrumentation based on the
23 Rev. 4 selection criteria, but for a conversion you
24 would evaluate the instrumentation based on all of the
25 criteria in Rev. 4, that being the selection criteria,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance design qualification, display and quality
2 assurance.

3 So this analysis would then produce a list
4 of variables to be monitored and the assigned variable
5 type. Also note that the licensees have already --
6 already have a list of variables to monitor based on
7 their current licensing basis of Rev. 3, and this
8 analysis would then provide a similar list of
9 variables based on the Rev. 4 selection criteria.

10 So what might this list of current
11 variables based on Rev. 4 look like compared to the
12 current list? On this slide I've coded the green
13 striped circle to represent the Rev. 3 list of
14 variables and the red striped circle to represent the
15 Rev. 4 list of variables.

16 Now, after completing the analysis, the
17 list could look closely or perfectly overlapped as you
18 see here. They could start to diverge from each
19 other, or they could have different sizes. We won't
20 know exactly what it looks like until the analysis is
21 done.

22 MEMBER APOSTOLAKIS: How do you know they
23 are circles?

24 (Laughter.)

25 MEMBER POWERS: Do you know that they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 convex?

2 (Laughter.)

3 MR. TARTAL: Thank you for lightening it
4 up a little here.

5 The point of this slide, though, is to
6 demonstrate that once the modification analysis has
7 been completed, and the key variables under Rev. 4
8 have been determined, that the staff can evaluate the
9 Rev. 4 based modification for a plant whose current
10 licensing basis is based on Rev. 3.

11 So once the analysis has been done, an
12 evaluation can be done on a Rev. 4 based modification.
13 Again, the analysis should justify which variables are
14 required using the Rev. 4 selection criteria, and then
15 any mods based on Rev. 4 could reference this analysis
16 as a technical basis.

17 And at this point, we have some examples
18 from Barry Marcus of why this modification analysis is
19 important.

20 MR. MARCUS: Currently, NRR is reviewing
21 two topical reports, one from the BWR Owners Group,
22 the other from the Westinghouse Owners Group for
23 changes based under Rev. 3. The BWR Owners Group is
24 requesting a downgrade of safety relief valve position
25 indication from current type D category to the type D

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 category three.

2 For BWRs, Revision 3 recommends that SRV
3 position is the key variable for monitoring main steam
4 system status to provide detection of an accident and
5 boundary integrity indication, and should be
6 classified as a type D variable and meet the
7 Category 2 criteria.

8 The BWR Owners Group has presented
9 information that reactor pressure vessel pressure and
10 suppression pool water temperature instrumentation
11 satisfy the accident detection and boundary integrity
12 indication for the main steam system and should be the
13 key variables. The proposed alternate instrumentation
14 meet or exceed the Category 2 criteria. The Owners
15 Group concluded the SRV position could be considered
16 backup instrumentation and, therefore, reduce the
17 type D Category 3.

18 Under Revision 4, the selection criteria
19 analysis could result in a similar conclusion that
20 reactor pressure vessel pressure and suppression pool
21 water temperature are the key variables for monitoring
22 main steam system status and would be classified as
23 type D, and SRV position would be removed from the
24 Reg. Guide 1.97 list of variables.

25 In this example, the selection criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis would show the relationship between variables
2 and would provide a key variable for monitoring the
3 system status in lieu of a variable that is being
4 downgraded.

5 In the other example from the Westinghouse
6 Owners Group, they are requesting several upgrades and
7 downgrades of multiple variables under Revision 3, and
8 this includes the variables that monitor auxiliary
9 feedwater system status. For Westinghouse plants,
10 Revision 3 recommends that condensate -- excuse me,
11 condensate storage tank level is the key variable for
12 monitoring auxiliary feedwater system status by
13 monitoring the water supply to the auxiliary feedwater
14 system and should be classified as a type D and meet
15 the Category 1 criteria.

16 Revision 3 also recommends that auxiliary
17 feedwater flow is a secondary variable for monitoring
18 the operation of the auxiliary feedwater system and
19 should be classified as a type D and meet the
20 Category 2 criteria. The Owners Group presented
21 information that auxiliary feedwater flow should be
22 the key variable for verification of automatic
23 actuation of auxiliary feedwater flow, and, therefore,
24 should be reclassified as a type B variable and meet
25 the Category 1 criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They also presented information that the
2 condensate storage tank level provides information to
3 indicate whether continued heat sink can be
4 maintained, and, therefore, should be reclassified as
5 a type B variable and meet the Category 2 criteria.

6 Under Revision 4, the selection criteria
7 analysis could result in a similar conclusion that
8 auxiliary feedwater flow is a type B key variable,
9 and, therefore, should be a type B criteria -- meet
10 the type B criteria in Revision 4. However, without
11 this analysis, it's not clear if the condensate
12 storage tank level would be a type D key variable,
13 become a type B key variable, or be removed from the
14 Reg. Guide 1.97 list of variables.

15 In this example, the selection criteria
16 analysis would show what type or types a group of
17 related variables serve even though the type or types
18 may be different from the type designation in
19 Revision 3.

20 MR. TARTAL: Okay. So what did we do to
21 the regulatory position 1?

22 CHAIRMAN WALLIS: I think I'll have to
23 give that statement to my students to see if they can
24 figure out what it meant.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Automatic graduation.

2 MR. TARTAL: We've revised regulatory --

3 CHAIRMAN WALLIS: This isn't supposed to
4 be criticism. It's just that it gets sort of
5 complicated when you try to figure it out.

6 MR. TARTAL: I understand that.

7 CHAIRMAN WALLIS: All right.

8 MR. TARTAL: The main point is that the
9 analysis is -- you know, of related variables is
10 needed to really figure out where they end up under
11 Rev. 4.

12 CHAIRMAN WALLIS: That means you've got to
13 take it seriously.

14 MR. TARTAL: Yes. So we've revised
15 regulatory position 1 to delete the supporting text of
16 regulatory position 1 concerning not recommending
17 partial conversions, and we've also added a portion to
18 the regulatory position 1 for the option of current
19 licensees to use Rev. 4 as a basis for performing
20 modifications but recommend first performing the
21 analysis discussed in the previous slides to determine
22 the Rev. 4 list of accident monitoring variables and
23 their associated types.

24 Again, once the Rev. 4 list of variables
25 and their associated types are established, we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then correlate the Rev. 4 based criteria to the
2 existing accident monitoring instruments and properly
3 evaluate the proposed modification.

4 In conclusion, Rev. 4 of Reg. Guide 1.97
5 endorses the current IEEE Standard 497-2002, with
6 exceptions and clarifications. It is intended for new
7 nuclear plants. Current operating plants can also
8 voluntarily convert to Rev. 4 or can also voluntarily
9 use Rev. 4 as a basis for modifications and should
10 first perform an analysis to determine the variable
11 list and their associated variable types based on the
12 Rev. 4 selection criteria.

13 Comments? Discussions?

14 MEMBER SIEBER: Anyone have any questions?
15 I guess I would offer a couple of comments. I think
16 that your proposed revision does address our concerns.
17 But it's interesting to note the history of all this.
18 Rev. 1 -- or Rev. 0 of Reg. Guide 1.97 was issued, to
19 my recollection, before your emergency response
20 guidelines were approved.

21 MR. TARTAL: I believe the first revision
22 was 1981, if memory serves me correctly.

23 MEMBER SIEBER: Right. And I was also --
24 at that time, I was an I&C engineer, and also part of
25 the guidelines task force for the Owners Group. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so we had a list of instruments that you had to have
2 with certain qualification requirements that -- at
3 that time you didn't know how they related to the
4 emergency response guidelines.

5 And so now where we are with Rev. 4,
6 you're making the qualification -- the list of
7 instruments and their qualification consistent with
8 the requirement for the instrument as it appears in
9 the emergency response guidelines. And to me, that
10 makes sense.

11 It also makes sense if some licensee or
12 group wants to eliminate instrumentation that you
13 ought to look at the full set to make sure that you
14 have enough instrumentation to accomplish the
15 functions, qualified instrumentation, to accomplish
16 the functions in your EOPs or ERGs. And so the
17 position that you're now proposing appears to do that,
18 and I think it's a pretty good step.

19 On the other hand, you're not requiring
20 the entire analysis, which was the concern, because if
21 there are certain advantages to Rev. 4 and its -- the
22 standard that it endorses or the standard it -- in my
23 opinion, it's a good standard because it talks to some
24 of the issues that are perhaps not unique to but
25 important to digital instrumentation and control as to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the system should be defined -- defense in depth,
2 diversity, and factors like that.

3 And I suspect that licensees, as time goes
4 by, will need to modify their instrumentation because
5 some of it is becoming obsolete, equipment wears out.
6 Some things like one vendor's rod position indication
7 system as an analog system was not as good as what the
8 digital systems of today can do. And so there is
9 incentive to adopt some of these features.

10 On the other hand, we were concerned that
11 we might be frustrating that purpose by requiring a
12 lot of analysis and potentially an upgrade of all the
13 instrumentation, and so that's where our concerns lie.

14 I'm sure that the committee will carefully
15 consider your recommended changes, and we will respond
16 to you.

17 What I'd like to do now is we have Mr.
18 Bowers and Mr. Horin from Exelon and the Nuclear Group
19 on Equipment Qualification that would like to make
20 statements. If you would like to come up to the
21 front, you can speak into one of the microphones,
22 introduce yourself for the Court Reporter, so the
23 transcript turns out well.

24 MR. HORIN: While they're bringing up the
25 slides, my name is Bill Horin. I'm an attorney with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the law firm of Winston & Strawn. We are counsel to
2 the Nuclear Utility Group on Equipment Qualification.

3 MR. BOWERS: And I'm Wesley Bowers from
4 Exelon Corporation, and also the Chairman of the BWR
5 Owners Group Committee on Reg. Guide 1.97. I also
6 wear another hat. I've worked with Barry Marcus on
7 the IEEE Standards Committee. I'm on the Nuclear
8 Power Engineering Committee that owns the IEEE 497.

9 So my remarks today are about the design
10 and qualification requirements in the Reg. Guide.
11 IEEE 497 does provide an important improvement in the
12 selection process for post-accident monitoring. It's
13 based on the plant safety analysis and the emergency
14 operating procedures.

15 So in the various hats that I'm
16 representing here is Exelon, whereas the BWR Owners
17 Group we really support going to the latest version of
18 the IEEE standard, because it does provide a much
19 closer linkage of the instrumentation that the
20 operators are presented with with the emergency
21 operating procedures.

22 The comments that were made throughout the
23 development of the Reg. Guide up until very recently
24 restricted, in my view, the adoption of the new IEEE
25 standard for existing plants. So now with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revision to the wording that was just discussed in
2 position C1, I'm supportive of that. It gives a lot
3 more leeway to existing plants.

4 So basically, a couple of remarks here to
5 say, yes, the new wording provides the needed
6 flexibility to adopt this standard in existing
7 operating plants.

8 MEMBER SIEBER: I presume that you -- by
9 saying that that you agree that we should have
10 complained in March when we did?

11 MR. BOWERS: Yes.

12 MR. HORIN: I second that.

13 MR. BOWERS: And the words that were in
14 regulatory position C1 about full conversion were the
15 words that were somewhat troubling, and it restricted
16 the use by the current licensees. Current BWRs do not
17 fully comply with all of the reference standards. But
18 the commitments that current licensees have made to
19 the previous revision of the Reg. Guide did provide an
20 acceptable design and qualification set of criteria.

21 And here, listed in this slide and the
22 next one, are just six of the particular areas,
23 independence and separation. In the IEEE standard it
24 references the current IEEE standard on independence
25 and separation. Current plants don't meet everything.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They meet kind of the intent of it, but they don't
2 meet every single last word and requirement in the
3 current standards for electrical separation.

4 And it would be really cost prohibitive to
5 go back and redo the cable routing in a plant in order
6 to meet that. So what's licensed is current licensing
7 basis that has been found acceptable. So when we
8 adopt the new Reg. Guide, or the new IEEE standard, we
9 want to make sure that the words in the Reg. Guide
10 give us the flexibility to continue using the current
11 licensing basis for independence and separation.

12 So the other items that we've found as
13 we've gone rigorously through the Reg. Guide and the
14 new standard as part of the BWR Owners Group activity,
15 we identified isolation, power supply, environmental
16 seismic qualification, human factors, and quality
17 assurance. They had the same issue.

18 There was -- in the current version of the
19 IEEE standard there's the latest version of the
20 standard referenced, and current licensees refer to a
21 previous version, that it has been found to be
22 acceptable for each licensee. So with the revised
23 words in regulatory position C1 and the associated
24 discussion, it does I believe allow us, in an
25 operating plant, the flexibility to continue using the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current licensing basis.

2 So we would end up doing the analysis that
3 George talked about and determine the type of
4 variable, and then apply the design and qualification
5 criteria, such as electrical separation or power
6 supply, in accordance with the current licensing
7 basis. So I support the changes that have been made.
8 Any questions?

9 (No response.)

10 Thanks for your time.

11 MEMBER SIEBER: Thank you. Appreciate
12 that.

13 MR. HORIN: Okay. Again, my name is Bill
14 Horin. I'm counsel to the Nuclear Utility Group on
15 Equipment Qualification. We are a group that has been
16 in existence since 1981, and we represent well over 80
17 of the operating powerplants, focusing on equipment
18 qualification issues.

19 We submitted comments on the proposed
20 revision to the Reg. Guide last October, as well as
21 provided points for requesting further clarification
22 to the ACRS in the meeting in March I believe.

23 I have two brief points. First, I want to
24 extend our thanks and appreciation, both to the ACRS
25 and to the staff, for working diligently to address

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the comments and the concerns. I think that this is
2 the way the process is supposed to work, and I think
3 it's good.

4 Secondly, to point out that, as modified,
5 we also fully support the revised language. We think
6 that the staff is responsive both to the ACRS
7 comments, to our comments. Don't want to speak for
8 Wes, but I think responsible for them as well. And so
9 we appreciate the opportunity both to, you know, say
10 thank you and also to say that we support the
11 revisions.

12 One minor point of clarification -- that
13 is, when we talk about prior licensing basis and going
14 from Rev. 3 to Rev. 4, some licensees have Rev. 2 as
15 their current licensing basis, but the analysis
16 doesn't change.

17 Okay. Thank you very much.

18 MEMBER SIEBER: Okay. Thank you.

19 CHAIRMAN WALLIS: This seems to me to be
20 one of the happiest meetings we've had with members of
21 the public.

22 (Laughter.)

23 MEMBER SIEBER: Actually, I'm thrilled.

24 CHAIRMAN WALLIS: Yes.

25 MEMBER SIEBER: If you liked our last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 letter, wait until you read the next one.

2 (Laughter.)

3 Do any of the members have any comments to
4 make or questions to ask?

5 MEMBER MAYNARD: I would just like to say
6 that I agree that I think the process in this case has
7 worked. I think the staff has done an excellent job
8 of being responsive to not only our questions that we
9 raised but the public and the utilities have raised.
10 So I believe overall everybody involved has worked to
11 try to come to the right answer for the right reasons
12 on this issue.

13 MEMBER SIEBER: Any other comments or
14 questions?

15 (No response.)

16 If not, Mr. Chairman, I turn the meeting
17 back to you.

18 CHAIRMAN WALLIS: Thank you very much.
19 And I'd like to thank the presenters again for their
20 comments.

21 MEMBER SIEBER: Thank you very much,
22 gentlemen.

23 CHAIRMAN WALLIS: Thank you very much.
24 And the staff for this -- where they are, thank the
25 staff, too, for doing a good job.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We don't need the transcript anymore. Is
2 that right? Whoever is the Designated Federal
3 Official, we don't need it? So we don't need the
4 transcript from now on.

5 (Whereupon, at 9:02 a.m., the proceedings
6 in the foregoing matter went off the
7 record.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25